

UNITED STATES OF AMERICA
U.S. NUCLEAR REGULATORY COMMISSION

BRIEFING ON POTENTIAL MEDICAL ISOTOPE
PRODUCTION LICENSING ACTIONS

MAY 11, 2012

9:00 A.M.

TRANSCRIPT OF PROCEEDINGS

Public Meeting

Before the U.S. Nuclear Regulatory Commission:

Gregory B. Jaczko, Chairman

Kristine L. Svinicki, Commissioner

William D. Magwood, IV, Commissioner

William C. Ostendorff, Commissioner

APPEARANCES

Federal Agency Representative:

Parrish Staples
Director of the Office of European and African Threat
Reduction
DOE/NNSA

Potential Producer Representatives:

R.J. (Randy) Spickard
Vice President of Corporate Development
Babcock & Wilcox Technical Services Group, Inc.

Carmen I. Bigles
President and Chief Executive Officer
Coqui Radiopharmaceuticals Corporation

Gregory Piefer
Chief Executive Officer
SHINE Medical Technologies, Inc.

NRC Staff Panel:

Mike Weber
Deputy Executive Director for Materials, Waste, Research,
State, Tribal, and Compliance Programs

Bruce Boger, Deputy Director
Reactor Safety Systems, NRR

Cathy Haney
Director, NMSS

Tim McGinty
Director, Division of Policy and Rulemaking, NRR

Jessie Quichocho
Chief, Research and Reactor Licensing Branch, NRR

Patricia Silva
Chief, Conversion, Deconversion and Enrichment Branch,
NMSS

1 PROCEEDINGS

2 CHAIRMAN JACZKO: This morning we're here to discuss the
3 status of potential licensing actions for new medical isotope production facilities.
4 I'm pleased that we're joined by such a diverse panel of experts. The staff has
5 received a number of expressions of interest to license production facilities for
6 Molybdenum-99. Preparing for these license activities will be a challenge given
7 the novel and complex designs under consideration, some that have never been
8 -- before been licensed by the NRC, but we'll hear today, and I hopefully feel,
9 well, I hopefully will hear today, and I feel confident that we'll hear that the staff is
10 prepared to address this work as it comes forward. So I will start with our -- if
11 any of my colleagues would like to make any remarks? Okay, we'll begin with
12 Parrish Staples, who is the director of the Office of European and African Threat
13 Reduction at DOE. If it's orange, you're good.

14 PARRISH STAPLES: It is orange.

15 CHAIRMAN JACZKO: Yeah.

16 PARRISH STAPLES: Thank you. Chairman, Commissioners, thank
17 you very much for the opportunity to present the DOE/NNSA efforts to support
18 the domestic production of Mo-99. I also have the distinct pleasure to, in some
19 respects, present this for the entire U.S. inner agency that is working on this
20 issue. There's a very large group of us that includes staff from the White House,
21 Department of Energy, all the way through to the NRC and many of the other
22 agencies that are involved in this. So it's a coordinated effort, and we appreciate
23 everyone's response to support this for the purposes of HEU minimization and
24 threat reduction activities, as well as developing reliable domestic supply of Mo-
25 99.

1 On Slide Number 2, you can see we have the basic Mo-99 policy
2 objectives, and this actually is an excerpt from an Office of Science and
3 Technology policy presentation from the White House in a December 2011
4 topical meeting that we had on this subject in Santa Fe, New Mexico. The three
5 main policy objectives that we have for this program is to ensure a reliable supply
6 of Mo-99 for the 30 million patients worldwide that use this on an annual basis.
7 We also are working to eliminate the use of HEU in Mo-99 production, and the
8 third objection that has really driven this industry into the situation that it currently
9 is in is the subsidies that do take place. So we're working with the Organization
10 Economic Cooperation Development Nuclear Energy Agency to end subsidies,
11 and to establish an economically sound industry for the future viability of the
12 medical community.

13 On Slide Number 3, it describes the global threat reduction initiative
14 mission and program goals. We were originally involved in this effort primarily
15 because we have the mission to reduce the use of highly enriched uranium in the
16 civilian sector. We have done that by incorporating three diverse programs
17 under the GTRI umbrella of converting research reactors and medical isotope
18 production processes to the use of low-enriched uranium, to remove and dispose
19 of excess nuclear and radiological materials once they are no longer needed for
20 use in the civilian sector, and in an interim period, we will support the physical
21 protection at these sites for both nuclear and radiological materials.

22 On Slide Number 4, it discusses the balance that we have between
23 our international and our domestic program. Under our long-standing HEU
24 minimization mission that literally goes back to its origins in 1978, GTRI provides
25 assistance to research reactors and isotope production facilities to convert from

1 HEU to LEU. We do through developing technology, and to support the licensing
2 actions that will be required to implement that technology at the respective
3 facilities.

4 Recently, with the shortages that occurred over the past several
5 years due to the closure and/or long maintenance outages of several of the large
6 production facilities for Mo-99, our mission has now included accelerating the
7 establishment of a reliable U.S. domestic supply of Mo-99 that is produced
8 without the use of HEU so it is consistent with our other mission mandate.
9 However, it requires a very careful balance between our international and our
10 U.S. domestic efforts.

11 On our international efforts we are working with existing Mo-99
12 producers to convert their facilities to LEU, and we work in a manner such that
13 we will not support the increased production of their facilities, that is their
14 commercial obligation. We simply work to minimize the use of HEU in those
15 facilities. However, domestically, we are working to accelerate the establishment
16 of commercial non-HEU-based Mo-99 production in the United States and I think
17 there are some of our cooperative agreement partners here around the table,
18 and they will give you some more information on their programs, and there are
19 also other entities that are working independently of our support program, but
20 also have very viable production capability to support this need for the medical
21 community.

22 Slide Number 5 demonstrates our basic overall strategy for a
23 reliable, non-HEU-based Mo-99 supply. The top bar that's shown in both blue
24 and red, where blue indicates the use of LEU or non-HEU-based production, red
25 indicates the use of HEU-based production. The top slide bar demonstrates the

1 current situation. The NTP radioisotopes in South Africa is partially converted to
2 LEU production, and still has full LEU production, and the other three producers
3 in the Netherlands, Belgium, and Canada are all currently using HEU targets for
4 medical isotope production. We expect by the 2015 timeframe, or in that
5 transition, that we will completely have converted the South African facility to
6 LEU production, and through the recent Nuclear Security Summit, we have
7 commitments from both the Netherlands and Belgium to convert their facilities
8 over to LEU production. We have a significant number of indicators from Canada
9 that they will cease large-scale isotope production at the NRU facility in the 2016
10 timeframe. That will cause a significant gap in the production capacity for the
11 global medical isotope supply market, and that's where we envision that we will
12 have a number of domestic projects that will fill that gap to be assured of a
13 reliable supply into the future. All of those domestic projects will be a non-HEU-
14 based production, some of which will use LEU, and others that will use other
15 techniques that do not include uranium at all.

16 Slide Number 6 goes over the projects that we currently have
17 active. And there our objective domestically is to accelerate their production to
18 meet at least 100 percent of the U.S. demand of the Mo-99 produced without
19 HEU. We've looked at a number of different technologies to ensure that we do
20 not have a single point of failure in the technology or distribution network as we
21 identified that was one of the causes of shortages that occurred recently, was the
22 dependence and reliance upon one large producer using a single technology.

23 So we have been supporting a neutron capture program with
24 General Electric-Hitachi, however due to the market conditions that they've
25 identified, they suspended their project on February 7th, 2012.

1 There is also LEU solution reactor technology that will be presented
2 by Babcock and Wilcox today, and I won't discuss that any more. On accelerator
3 technologies, we have two programs. One of which is with NorthStar Medical
4 Radioisotopes, and they use a gamma-N reaction, they do not using any uranium
5 in their system, so therefore I think that's not context of discussion today.

6 Our second cooperative agreement partner under accelerator
7 technology is with Morgridge Institute for Research and again, we will be hearing
8 a presentation from them in just a little bit, so I do not want to take any of their
9 presentation space away from them. But our basic program objective of how we
10 implement this with these cooperative agreements is that they're currently limited
11 to a \$25 million cap under a 50/50 cost share agreement. It's expected that the
12 magnitude of their projects are much larger than that, but this is the amount of
13 funding that we are providing to help accelerate the production of these
14 respective technologies.

15 On the final slide is also an overview of the U.S. National
16 Laboratories support that we provide to the industry in general, where we make
17 this expertise, and we have made this expertise available to support the technical
18 development for each of the Mo-99 pathways that are being supported, and we
19 also ensure that this technical expertise at the National Laboratories is available
20 to support the acceleration of those projects using non-HEU technologies. Now,
21 all of the work packages that we fund in this respect are outside the cooperative
22 agreement, and are open-sourced, non-proprietary, but also non-critical-path
23 activities. We really do consider it to be the obligation of the respective
24 commercial entities to implement their programs as rapidly as possible. So --
25 and if requested, some work conducted at the laboratories outside of the

1 cooperative agreements is available to help inform the NRC in regulatory
2 decisions. So thank you very much for your attention.

3 CHAIRMAN JACZKO: Thank you. We'll now hear from Randy
4 Spickard, who is the vice-president of the Corporate Development at Babcock &
5 Wilcox Technical Services Group.

6 RANDY SPICKARD: Thank you Mr. Chairman, Commissioners.
7 I'm pleased to be here on behalf of the Babcock and Wilcox Company. As you
8 know, we've got a long history in the nuclear industry supporting lots of different
9 things, and we're very pleased to be involved in this program. As everyone
10 knows, it's vitally important that we develop a reliable domestic supply of Mo-99,
11 and particularly one that meets the NNSA's non-proliferation goals, and we've
12 got an approach to potentially do that.

13 On Slide 2 here, just a little bit about the B&W Company, I won't go
14 into much detail, but we're a large company, \$3 billion a year company involved
15 from -- all the way from SMRs to running the MNOs at the DOE sites around the
16 country. We have a long history, for over 60 years, of doing that. So won't go
17 into that, and we're in partnership in this project with Covidien which one of the
18 leading suppliers in the nuclear medicine industry, and we believe the two of us
19 together form a very good partnership, in order to move forward on a project of
20 this size, and magnitude, and scope, so it's a good partnership we have with
21 them.

22 Our project is called the medical isotope production system, or
23 MIPS for short. And it's an AHR, an Aqueous Homogeneous Reactor. We
24 developed it, and have intellectual property on it that we developed in the 90's.
25 Market conditions and otherwise, we really didn't move forward with it until 2007

1 or so. We reached an agreement with Covidien in 2009 where we would work
2 together to both develop the technology, and to -- for them to take the supply
3 from the plant. We entered into an agreement with NNSA in 2009 to help in the
4 non-proliferation mission and to develop a domestic supply, and that's worked
5 very well. It's certainly one of the things that kick started our program was
6 getting that cooperative agreement with NNSA.

7 The next slide, just briefly on what our technology is. It'll be a
8 single license for both the reactor and the production processing cells. So it's an
9 AHR reactor, 240 kilowatts per reactor, if you will, and then a purification and
10 processing facility. From there it goes to a generator facility at Covidien, and
11 then to end users. The only thing I would note, a couple things is the, you know,
12 the solution is reused every time, so we minimize the waste, we have -- we
13 believe the once every five years or so we would need to replace the solution,
14 and that would -- has currently been designated as high-level waste, and we
15 have means to store that in our plans until a final disposition path is developed.

16 The next slide, kind of where we stand, we've been working with
17 the National Laboratories a lot, as Parrish said they're certainly a resource we
18 utilize here. We've worked with Argonne and Los Alamos, we've worked at
19 Purdue University, we've done some work at INVAP, and it's run the gamut from
20 doing studies on purification methods to absorbent columns to the reactor
21 studies, and all over we've used their expertise in order to push this forward. At
22 INVAP we actually ran a little mini loop of the actual reactor system, and got
23 product out of it which was sent to Covidien, and actually put in a generator,
24 which generated some product which met purification requirements, and gave us
25 some confidence that we're on the right path.

1 The next slide, so where we're going. It's our intention to submit a
2 single license under 10 CFR 50. MIPS is both a reactor and a processing plant,
3 so it's a utilization and a production plant. Considered non-power reactors, so
4 we need a construction permit, and an operating permit. The vast majority of the
5 waste, as I just described, is low-level waste, has a clear disposition path. We
6 need to continue and complete preliminary design, which would lead to an
7 environmental report in our construction application, and then from there we
8 need to complete final design and submit the operating application, and then
9 obviously move into construction and commissioning. And then from there we
10 need FDA approval, obviously, as well, which is a different path that we need to
11 go down as well.

12 So in summary, we believe the MIPS system is one that's very
13 viable for moving forward to develop a domestic supply. Its increased efficiency
14 significantly reduces waste byproduct out of this, there's no proliferation
15 concerns, it's a very safe operation and it allows us to have a stable domestic
16 supply of Mo-99 in the United States, which is a very important goal, so thank
17 you.

18 CHAIRMAN JACZKO: Thank you, we will not hear from Carmen
19 Bigles.

20 CARMEN BIGLES: Bigles.

21 CHAIRMAN JACZKO: Bigles, who is the president, chief executive
22 officer at Coqui Radiopharmaceutical.

23 CARMEN BIGLES: Good morning, Mr. Chairman, and members of
24 the Commission. Thank you for inviting me to participate in this meeting today.
25 My name is Carmen Irene Bigles, and as you said, I am the president and CEO

1 of Coqui Radiopharmaceuticals Corp. I am pleased to have this opportunity to
2 discuss our status for the production of Mo-99. I would also like to thank Mr.
3 Parrish Staples from the DOE/NNSA, Mr. Brian McManus from the Office of
4 Honorable Governor Rick Scott of Florida, our engineers project manager
5 Ernesto DeLaurenzo from INVAP, and Jill Lockhart from Gretchen Smith and
6 Partners, and our advisors, board members, and all present. Also, good morning
7 to our fellow panelists, who are also pursuing to solve the Mo-99 crisis. Randy
8 Spickard from Babcock and Wilcox, and Gregory Piefer from SHINE Medical
9 Technologies.

10 Next slide. Slide, begin. Okay, actually Slide 3, it would be. There
11 you go. Okay, Coqui Radiopharmaceuticals Corp. was incorporated on
12 September 10th, 2009 with a specific goal of establishing the first commercial
13 dedicated medical isotope production facility in the United States in order to
14 ensure a continuous flow of the radioisotope Molybdenum-99 for medical use,
15 and to create an advanced nuclear medicine research facility in the field of
16 nuclear medicine. Coqui's medical isotope production facility consists of twin
17 research levels, small nuclear reactors, and radiochemical production lines, as
18 well as a waste storage facility. Coqui will contribute to society by developing
19 and operating the first U.S. commercially dedicated Mo-99 pharmaceutical
20 production facility utilizing low-enriched uranium.

21 Sorry, next Slide, 4. Thus providing a continued source of Mo-99
22 for the world's nuclear medicine industry, advancing nuclear medicine by
23 establishing a state-of-the-art production research facility contributing to national
24 security by reducing the need of the exports of weapon-grade uranium, ensuring
25 national health for U.S. patients, and bringing much-needed employment and

1 economic development. Coqui will supply 100 percent of the U.S. market for Mo-
2 99. Coqui has analyzed the prospect of the Mo-99 market and in the near future,
3 supply chain outages and the commissioning of 16 reactors are expected to
4 occur. Demand for Mo-99 in the U.S. is expected to continue to increase at the
5 current rate of 3 to 5 percent. The product shortages are expected to
6 substantially increase the price of Mo-99 as supply constraints pressure
7 international producers that supply the U.S. market. These price increases will
8 set the stage for a transition from government to private sector production.
9 Without -- next slide. Please.

10 Without the prompt implementation of current technologies in the
11 U.S., private sector commercial-scale production of Mo-99 could be substantially
12 delayed. The strain on supply and demand is expected to cause substantial
13 increase in the price of Molly as current facilities are decommissioned without
14 replacement. Coqui has the proven technology required to meet the current and
15 future market demand of the U.S. Next slide please.

16 Coqui offers a clear path and solution to the U.S. Molybdenum
17 problems. Coqui's facility will use proven technology using low-enriched uranium
18 in compliance with the global threat reduction initiative. Our facility is a turn-key
19 product delivered by INVAP who are the world's leading designers of low-
20 enriched Molybdenum production facilities. They built the OPAL research reactor
21 in Australia, which is a research reactor built to function using LEU.

22 Its Mo-99 manufacturing processes are used in facilities across the
23 world. Their production and processing technologies are mature and currently
24 available, thus minimizing design construction, commissioning, and operation
25 uncertainties. Moreover, our end product is the same already approved by the

1 FDA that is subsequently imported to the U.S. for patient use. Our NRC -- Slide
2 8 please.

3 Our NRC status: on March 15, 2010, Coqui submitted its letter of
4 intent to the NRC for an application to license our medical isotope production
5 facility. Subsequently, we held some pre-application meetings, and in May 2010,
6 Coqui submitted its first licensing strategy document to the NRC, indicating what
7 class of license it intends to apply for. On June 2010, Coqui submitted its second
8 licensing strategy document to the NRC. The NRC responded to these
9 submittals in September 2010 providing Coqui with important information on
10 preparing its application. On October 2010, Coqui held its first public hearing at
11 the NRC, and today, May 11th, 2010, we're at the NRC updating our status.

12 At this time Coqui would like to inform the NRC that it has selected
13 the site for our facility. Phase one of environmental report is complete. A
14 significant amount of the technical portion of the application has already been
15 prepared through our contractor INVAP and we're arduously working on
16 negotiating the financing in order to prepare application submittal to the NRC.
17 Slide 11, please.

18 On the yellow portion of the site, on the conceptual site, the slide
19 shows a conceptual site layout for the 40 acre area where the facility will be built
20 in Progress Corporate Park in Alachua, Florida. Thanks to the efforts of
21 Enterprise Florida and the University of Florida Foundation a site has been
22 chosen which has been offered to Coqui by the Foundation. This site is NUREG-
23 1537 compliant. As we have discussed Coqui expects demand worldwide to
24 continue to increase and supply will be worsened by the production shortfalls and
25 decommissionings. Consequently, the price increase will benefit the investment

1 situation of proven Mo-99 manufacturing methods such as those that will be
2 employed by Coqui. Being the only tried, tested and commercially scalable
3 method of supplying Mo-99, Coqui low enriched uranium reactor based facility is
4 the solution for the current crisis situation.

5 Coqui RadioPharmaceutical Corp. is engaged in negotiations with
6 investors to finance the licensing of the construction of our medical isotope
7 production facility. Enterprise Florida also provided Coqui with a tax and
8 workforce incentive packages to establish the facility. With that being said, the
9 application, locating a site, and proving our technology is not a hurdle. We've
10 already done all that, what we're still negotiating is the financing. Once we have
11 that lined up, Coqui would like to reaffirm for both the NRC staff and the
12 Commissioners that we will aggressively complete our NRC submittal pursuant to
13 the schedule explained herein for the NRC's review.

14 This timeline is a condensed summary of our project schedule. The
15 first test is a licensing submittal and the second is the submittal of the
16 environmental report. You can appreciate an overlapping of the beginning of the
17 review and the license submittal on construction. These efforts account for
18 approval by NRC and beginning of civil construction, meaning roadways, bringing
19 electricity, water, et cetera, to the actual site. So I don't want it to be interpreted
20 as the, basically we're beginning construction without the approval of the NRC,
21 it's just that there's other types of construction. Also at the end the same thing.
22 The beginning of the commissioning for the operating license it occurs the same
23 way. We would be since our -- we have to build the reactor halls and we have
24 the processing plants and the waste facility building we will be beginning once
25 completed begin the operating license of that one and subsequently we might still

1 be constructing maybe part of the administrative areas or finishing with the waste
2 while one of them is being licensed.

3 Okay, well, this concludes the current status of our project and
4 application. We would like to take this opportunity to thank the NRC staff for how
5 helpful they have been in assisting us in getting to this point. The staff has been
6 responsive to our questions and overall very receptive to meeting with us to
7 provide input as we pull together our NRC submittal, and for that we thank them.
8 And, yes, Coqui RadioPharmaceuticals Corp., sustainable design, proven
9 technology, plus finance equals saving lives, and saving lives plus global threat
10 reduction equals a better world. Again I thank you and then happy Mother's Day
11 to all of you Moms.

12 [laughter]

13 CHAIRMAN JACZKO: We will not turn to Gregory Piefer --

14 GREGORY PIEFER: Piefer.

15 CHAIRMAN JACZKO: Piefer, who is Chief Executive Officer
16 SHINE Medical Technologies.

17 GREGORY PIEFER: Thank you Mr. Chairman, Commissioners for
18 holding this briefing. I think it's very forward thinking of you to address this
19 problem early and get insight from the producers, so thank you very much for
20 doing that.

21 Probably none of you have heard of SHINE Medical Technologies
22 before now, so I'd like to give you a little bit of an introduction to who we are and
23 what we're trying to do. And also wanted to give as quick explanation of Parrish
24 said the NNSA Award was to the Morgridge Institute for Research, yet I'm here
25 and I say SHINE Medical Technologies. We've partnered with the Morgridge

1 Institute for Research, it's a new institute and one of their primary missions is
2 commercializing promising technologies, and so they were the applicant for the
3 NNSA Grant, but we're working very closely with them to use that money to
4 develop a production facility. So, hopefully that helps explain why my label says
5 SHINE Medical and the DOE Award is to Morgridge Institute for Research.

6 I wanted to give a little explanation of our values and culture, and I
7 think we share a lot of common values with the NRC. The safety of our workers
8 and the health of the environment around our plant is essential for our business
9 to operate successfully. This is not only a medical business, it's also a nuclear
10 business and we know that we cannot operate a business without sharing the
11 same values. So, we look forward to working with the staff to provide a very safe
12 operation.

13 I think going on to the company background, SHINE was also
14 formed recently. It was created in 2010, to pursue the production of medical
15 isotopes with an accelerator based technology. Its basis is in an accelerator that
16 had been developed for other applications, but really the loss of the MAPLE
17 reactors which were the future for world production, especially in North America,
18 and really stimulated us to enter this market and that's why the timing is so
19 recent. It was really motivated by this accelerator technology which is very eco-
20 friendly. It's got a lot of the advantages of the B&W system that we heard about
21 in terms of very low waste production, and it's, you know, it's really the market
22 opportunity again that drove us due to the failure of the MAPLE reactors.

23 We do plan to be a world leader in the supply of medical isotopes.
24 This facility should be capable of generating large quantities of isotopes, up to
25 half the U.S. demand initially and it's going to produce vision-based isotopes. So

1 Mo-99, but also very important isotopes for medicine including Iodine-131, which
2 is essential for the treatment of thyroid disorders, and Xenon-133, which is a lung
3 imaging agent. Next slide, please.

4 Just give a quick introduction to the technology. The core of this is
5 that we're producing neutrons with a particle accelerator and then those neutrons
6 are passing into an LEU solution. In that LEU solution they multiply and create
7 medical isotopes causing fission. After irradiation the isotopes of interest are
8 chemically separated. So we would run probably something like a five and a half
9 day cycle with the accelerator on; turn off the accelerator and run the solution to
10 chemical process where we separate out Mo-99, Iodine-131, Xenon and anything
11 else of medical use.

12 Slide 5 shows a picture which I'm hoping will help give you a little
13 bit of a feel for, a cartoon of how this would work. So you see in the center is the
14 particle accelerator and the beam starts at the top, that five and a half meter
15 picture, and it shoots downward and it ends up in that silvery cylinder at the
16 bottom, and that's where the neutrons are produced. It's a deuterium/tritium
17 reaction, so deuterium beam hitting tritium gas creating neutrons. The neutrons
18 shoot out in all directions, it's isotropic, and enter this LEU solution which is sort
19 of the blue annulus, it's an annular chamber that's, I don't know, maybe, maybe
20 about this big in diameter. The whole thing is contained in a big light water pool,
21 looks kind of like a TRIGA core buried under water. So then we'd run that
22 system for five and a half days. Going on to Slide 6.

23 The facility would have multiple of these units. We're planning on
24 right now six to eight units. That's a cost benefit tradeoff that we're considering
25 right now. Each unit can supply about 10 percent of the U.S. need for Mo-99, a

1 much greater percentage of the need for I-131 and Xenon. The fission
2 thermopower equivalent of this system, so the amount of fission going on, is
3 about 100 kilowatts in this design. So at six units the total facility power would be
4 something like 600 kilowatts thermo fission power. They're isolated from each
5 other, each in a separate, completely separate system, so one can be down
6 while the others are operating.

7 This is what I wanted to spend the most time on is Slide 7. And just
8 to give you guys, you asked for an update on project status and so that's what I'd
9 like to do. A lot of the technology proof of concept is done. We've got a
10 prototype accelerator in our lab that, you know, makes neutrons. This is all good.
11 But really we've got a very strong team. We've got about 60 FTEs working on
12 this effort right now. We've spent over \$8 million and are planning to spend in
13 the next year another \$20, on this project. So it's moving very, very aggressively.
14 The team includes experts at National Laboratories such as Los Alamos,
15 Argonne, Savannah River. It includes help from the NNSA, and it also includes
16 experienced NRC contractors such as Sargent & Lundy, MachTech, well, A-
17 Mach now, formerly MachTech, and others that are helping us write the
18 environmental report and the safety applications. Our Chief Operations Officer is
19 a former Lab Director from Los Alamos so he has a tremendous amount of
20 experience with facilities and nuclear safety. So we've put a great investment in
21 building the team.

22 Our preliminary design work is under way and we are expecting to
23 submit, planning toward to do everything we can to submit at least our
24 environmental report in late 2012, our preliminary safety analysis report around
25 the end of the year as well. Some of that is dependent on additional feedback

1 that we might get due to the fact that our guidance is in draft form at this time.

2 So I wanted to say just a little bit in my remaining minutes some of
3 the challenges that we see, and obviously like I said, the guidance that we're
4 working from is in draft form so it's safe to say that it's not mature. This could
5 lead to delays in both our application preparation and approval. But at the same
6 time we've got this other national objective that Parrish spoke about, where
7 we've got a fairly short window of time before the NRU reactor in Canada stops
8 producing isotopes, and that'll be around 2016. So there needs to be some sort
9 of reserve capacity established by then to prevent patient shortages.

10 There's also the possibility that shortages or a market collapse
11 could drive certain players in the market back towards HEU, and I think there's
12 some concern that Russian reactors that use HEU could come online and not go
13 away. So we do have a window of time to really push this LEU transition I think
14 through. So that's really the national challenges that are faced by this.

15 I do want to take the time to thank everybody, essentially, at the
16 national federal level who has recognized this and helped with the project so far.
17 The NNSA program I think is very visionary. I think they found something that
18 they could get in place that could help programs, be relatively noncontroversial
19 and move it and it has been a huge accelerant for our program. And I think the
20 NRC staff has also seen this coming and I want to thank the NRC staff for being
21 forward thinking and preparing this draft guidance. It was good to see that
22 they've already done a lot of work on this and investigated what would be
23 involved in licensing medical isotope facilities. And there are some really, really
24 productive interagency working groups that are going on that involve multiple
25 organizations from NNSA, from NRC, FDA, and even CMS. So it's a wonderful

1 interagency working group that been put together to help.

2 I do want to say that we need that to continue if we're going to meet
3 this Federal priority of 2016, in particular since I'm talking to you, I, you guys I
4 would like to ask that to the extent possible the priority for medical isotope
5 applications is elevated. This will help accomplish these Federal goals of
6 preventing the failure of the health care system with regard to medical isotopes.
7 It'll support the HEU minimization efforts that are under way by NNSA, and it'll
8 help establish a domestic supply rather than a foreign supply reverting to the
9 primary source for U.S. radioisotopes.

10 Also I want to ensure that the NRC staff that is performing the
11 review has the resources that they need are required to do an expeditious but
12 complete review and, so, I just ask that the staff be listened to. I'm not
13 suggesting that they aren't, I'm sure they are, but wanted to make sure that that
14 is there.

15 Just parting thoughts, our perspective, just to leave you with our
16 system. It's not a nuclear reactor by definition but it is in terms of radioisotope
17 inventory comparable to what we would think is a very small research reactor.
18 It's much smaller, in fact, than many campus reactors in terms of thermopower
19 and the environmental impacts of a system like this are insignificant compared to
20 power reactors. It still, obviously, need to be considered, addressed and studied
21 but wanted to leave you with those parting thoughts on small systems that
22 produce medical isotopes. So thank you very much for the chance to speak.

23 CHAIRMAN JACZKO: Appreciate everybody's presentations.

24 We'll start with Commissioner Ostendorff with questions.

25 COMMISSIONER OSTENDORFF: Thank you, Mr. Chairman, and

1 thank you all for being here today. This is very interesting and before getting
2 ready for this meeting I'd not really spent much time looking at this particular
3 area. I was pretty familiar with the HEU to LEU conversion process when I
4 worked at the NNSA a few years ago, but I was less familiar with some of the
5 private sector efforts that were underway.

6 Parrish I appreciate your being here and I think it's significant that
7 you're representing the interagency group in this particular area. And I wanted to
8 -- it's kind of interesting to have a, you have a global nonproliferation program
9 that has an overlay interaction with plans for moving forward domestically here in
10 the United States. And one of your slides that dealt with the HEU, non-HEU, the
11 red and blue colored schematic, it would seem to me that the ability of the people
12 to your left to predict future supply and demand curves in the United States and
13 worldwide is absolutely essential in order to make -- for investors and looking,
14 responding to kind of the requirements discussion about the understanding is,
15 what is the financial risk of investing in these programs? And I was just curious,
16 you mentioned you think the Canadian reactor will shut down permanently in
17 2016. I know that's a projection, but how do you feel about the predictability of
18 the rest of the worldwide supply of Moly as it might interface with strategic
19 planning and investment decisions by potential producers in the United States?

20 PARRISH STAPLES: Actually it's a very good question, very
21 relevant. Through the OECD working group that we have we've evaluated and
22 projected what the future supply should look like. And on Slide 5, which you're
23 referring to for the audience, looking at any one of those bars as we go across,
24 the average age of four of those five facilities are roughly 45 to 50 years. So
25 recognizing that they're reaching the end of their lifetime, they've gone through

1 numerous lifetime extension programs. The only one that's a relatively new
2 reactor is the ANSTO facility, that was recently commissioned less than about
3 five years ago in timeframe. They can only produce roughly about 10 percent,
4 maybe 15 percent of the global supply. So it's very easy to project that at some
5 point in time in the next five to 10 years there will be significant shortages from
6 these facilities' inability to produce. Both the Dutch and the Canadian facility shut
7 down for about a period of a year, several years ago, which really spurred the
8 inner agency process because those two combined facilities produced well over
9 50 percent of the medical supply. The reserve capacity from the Belgian and the
10 South African facility was not sufficient to meet the global demand so it really
11 caused significant issues.

12 COMMISSIONER OSTENDORFF: From your current position in
13 the Department of Energy and with respect to the White House involvement in
14 this effort, is it, am I correct in assuming that the Federal government policy is
15 such that you have, I guess the question I'm having is you're assuming that the
16 companies that might potentially produce Molly in the United States would also
17 be perhaps exporting this overseas?

18 PARRISH STAPLES: That is correct, yes. The current market as
19 these facilities operate and as you're probably aware, power reactors have very
20 high duty cycle, many research reactors do not, and the best example perhaps is
21 the Belgian reactor which operates roughly two-thirds of the year at best. So
22 there's numerous production gaps in any one of these facilities. The current
23 market, in some cases, supply will go from the North American continent to
24 Europe and other cases during other facilities that are operating the supply chain
25 will operate in the reverse direction. We assume in the future as any U.S.

1 entities come on line with their production that the market forces would continue
2 to operate in that. It really is a boutique industry and they need to cover the
3 supply net needs for the respective continents.

4 COMMISSIONER OSTENDORFF: Those are very helpful answers
5 to the feedback. I appreciate that, those were very comprehensive. Anybody to
6 Parrish's left want to provide any comments or any concerns on your ability from
7 your private sector positions as to being able to project supply that might
8 influence your decision to go forward? Any, that's okay if you don't.

9 RANDY SPICKARD: I'd agree with Parrish. I think that we're
10 reasonably comfortable that the supply and demand is sufficient to support a
11 business case.

12 COMMISSIONER OSTENDORFF: Okay. Let me ask a, I want to
13 ask Randy, and Carmen, and Greg the same question here. And I'm kind of
14 picking up from Greg, on one of his last slides where you raised tactfully some
15 perhaps concerns on regulatory -- on draft guidance from NRC, and I guess I'd
16 ask each of you if you have any concerns to give you the opportunity to provide
17 those to this group. Concerns or challenges or obstacles that you see moving
18 forward with what you understand to be the NRC's current positions on various
19 issues that might affect licensing of your facilities.

20 CARMEN BIGLES: In my case our license is a103, regular
21 research, non-power reactor license approach which is the one that the NRC's
22 used before and they have worked on before. So we're not -- ours is very clear
23 and straightforward approach and we're very comfortable with it and, like I said,
24 we're very comfortable with the staff and everything that, how we're moving
25 around.

1 COMMISSIONER OSTENDORFF: Okay.

2 GREGORY PIEFER: I would just add and I think the staff has been
3 absolutely wonderful to work with. I think they do have competing priorities.

4 There is a number of applications that they're working on at one time. It's a fairly
5 small staff in the non-power reactors area and, you know, they're very, very hard
6 working. But, you know, my ask was, you know, that the priority of medical
7 isotope projects just take into account this short window of time that we may
8 have before either patient shortages occur again or before the market returns to
9 HEU in order to protect itself from shortages. So that's really my only.

10 COMMISSIONER OSTENDORFF: Let me ask you this. My
11 personal opinion is we've had some analogous issues raised in the small
12 modular reactor arena and, you know, there's, the staff, my personal view has
13 done a great job of trying to develop policy positions from a whole host of issues
14 controlling staffing, EP, security issues, et cetera, but our staff can only go so far
15 until they receive the national license application.

16 GREGORY PIEFER: Of course.

17 COMMISSIONER OSTENDORFF: So there's a certain amount
18 that can be done but the devil is in the details as we all know.

19 GREGORY PIEFER: Yep.

20 COMMISSIONER OSTENDORFF: Are there any particular
21 substantive areas, Greg, that concern your potential application?

22 GREGORY PIEFER: Not at this --

23 COMMISSIONER OSTENDORFF: As far as a gap as to where
24 you think our work might not be?

25 GREGORY PIEFER: Not at this time. The staff has been very

1 cooperative in offering to schedule a series of pre-application meetings and I
2 hope in those meetings that we can get with them, talk to them about our
3 strategy for submitting an application and through that process either recover,
4 uncover where there may be weaknesses or where we might work together to
5 make sure we submit a complete application. I think that is just as important as
6 elevating the priority if not more important. So, you know, I think at this point
7 we've been very happy with the staff. I think the -- whether or not the guidance
8 will change sort of in the final hour from the draft guidance is something that we
9 wonder about, you know, and I think that's something that we keep our eyes on.
10 But, you know, so far, no.

11 COMMISSIONER OSTENDORFF: Okay. One last question,
12 Randy, I'm turning to B&W just for a minute.

13 RANDY SPICKARD: Sure.

14 COMMISSIONER OSTENDORFF: Obviously you guys have been
15 active in the SMR arena. Are you seeing significant synergies between your
16 Molly proposal and existing work that B&W has in the SMR area?

17 RANDY SPICKARD: We do. I mean we share some of the same
18 staff, you know, there are certainly skill sets within our company in the design
19 and licensing area where we're trying to leverage that as a company and it
20 certainly is helping us as we go forward.

21 COMMISSIONER OSTENDORFF: Okay. Again thank you all for
22 being here today. Thank you Mr. Chairman.

23 CHAIRMAN JACZKO: Commissioner Svinicki.

24 COMMISSIONER SVINICKI: Thank you. Good morning to each of
25 you. I want to thank you for your presentations and also for your involvement in

1 this really important topic. I think the Chairman has mentioned previously, I know
2 the Commission has focused on, that most Americans will at some point in their
3 lives have some sort of nuclear medicine technique for themselves and members
4 of their family. So I appreciate a lot of the coordinated work that's going on,
5 Parrish, that you've talked about for this important national priority and it's, of
6 course, why we're gathered here today.

7 I appreciated the questions asked by my colleague, Commissioner
8 Ostendorff. I try not to be redundant with that. I did have a few other things that I
9 was curious about both in the presentations and also through presentations that I
10 think each of you have made to the staff or information that you've provided. I
11 have some awareness of the development of some of your efforts over the
12 course of the years.

13 Parrish I wanted to start with you. You made reference to the work
14 that NNSA has led I think with involvement of the DOE National Laboratories.
15 Argonne, if I understand correctly, has been very involved in developing for the
16 LEU transitions and conversions. Where those have taken place, do we continue
17 to monitor the effectiveness of what's been designed and converted and
18 installed, and what kind of early lessons are we learning about how particularly
19 the LEU target conversions have gone?

20 PARRISH STAPLES: In the specifics and perhaps the best
21 reference to go back to is the National Academy study that came out of the 2005
22 Energy Policy Act which evaluated the status of the Argonne work for developing
23 the new targets. Our efforts with Argonne, or I should say Argonne's efforts that
24 we've been supportive of have been in the production of foil targets that would
25 actually be a direct replacement for the targets that are currently used which are

1 dispersion target.

2 And to describe the difference very briefly, dispersion target would
3 have a certain density of uranium. The foil target, as the name implies, would be
4 a metallic foil that would replace the powder target and maintain the Uranium 235
5 density while being low enriched uranium, so that for each target you could
6 maintain the production capacity. Australia who started production still uses a
7 dispersion target. South Africa, when they converted, they had the advantages
8 that they were using 45 percent enriched powder targets or dispersion targets.
9 They converted over to a 20 percent or 19.75 percent dispersion target also. So
10 no one has actually implemented at a production scale the Argonne technology.

11 However, in support of both the Belgian and the Dutch processes,
12 we are continuing the work with Argonne, that's part of our legal obligation to
13 ensure that we develop the technologies that would be sufficient for the
14 conversion of those producers. We also believe that it is a very efficient
15 technology in terms of production capacity because of the high density foil that
16 would be used for Mo-99 production.

17 COMMISSIONER SVINICKI: Okay, thank you for though, that's
18 very helpful. Like others I have been following the development process over the
19 years, so it's helpful to have that status update. Thank you for that.

20 Turning to our other participants in the panel, a few of you have
21 made reference to FDA approval kind of in your timeline and sequence of
22 activities. So, it occurs to me in hearing that, that I'm not as cognizant of how
23 that fits into your planning. Is it at the very end that you get approval of the
24 products you produce after you've constructed the whole facility or are there
25 preliminary engagements with the FDA? Or are you designing your process to

1 produce something so equivalent to what is already FDA approved that you can
2 have some confidence as you're moving along that other than perhaps doing a
3 product qualification at the end, there's a good degree of certainly in that FDA
4 approval process? Could anyone just comment on that just for my own
5 education?

6 CARMEN BIGLES: Well, in my case, the ones that come from
7 ANSTO is basically, is the same technology. So it would be -- we would work
8 with either the suppliers who are the ones that get the end product FDA
9 approved and go through that path. But since it's the same technology that's
10 been brought already for patient use, our path is pretty straightforward.

11 COMMISSIONER SVINICKI: Okay, great. Randy or Parrish?

12 RANDY SPICKARD: Yeah, I would say it actually is at the very end
13 and it does pose a risk. I don't know if I'd categorize it as a significant risk in that
14 we need to get the NRC license first, run it for a period of time, a significant
15 length of time, in order to establish what we need to get FDA approval. So, one,
16 we're operating a facility without generating revenue. So we're full of operating
17 costs or nearly of operating costs for a period of time before we can generate
18 revenue. So it does pose a risk but it's one that we understand and it's pretty
19 well laid out what we have to do.

20 COMMISSIONER SVINICKI: Okay, and is that, I think it was in
21 your presentation that you had mentioned producing some scale, at a scale level
22 producing some product equivalent to.

23 RANDY SPICKARD: Correct.

24 COMMISSIONER SVINICKI: So it's kind of concept.

25 RANDY SPICKARD: Absolutely.

1 COMMISSIONER SVINICKI: Thank you, okay, refer to it that way.
2 Greg?

3 GREGORY PIEFER: Yeah, and I'll just add, you know, our
4 thoughts are very similar to Randy's and I think involvement of the FDA early in
5 the process through the early submission of a drug master file is helpful so that
6 they understand what's going on and they understand how the Molly's being
7 made. But at the same time, you know, what they're really, I mean the FDA
8 doesn't actually directly license Molybdenum-99, they license the technetium-99,
9 and that comes off the generators. However, our customers will demand a
10 certain purity spec from us.

11 COMMISSIONER SVINICKI: Okay.

12 GREGORY PIEFER: And that needs to be compliant with what the
13 FDA has licensed them to put in their technetium generators. So there's an FDA
14 requirement, essentially indirectly through our customers. And we need to show
15 after we're in production that we can repeatedly hit that.

16 COMMISSIONER SVINICKI: Okay.

17 GREGORY PIEFER: Without variation so that they start to trust it.
18 And, so, early involvement is good but I think you do need to get the system up
19 and running before they'll be okay with it.

20 COMMISSIONER SVINICKI: Okay, and Greg, I think on your Slide
21 8 you had talked about making sure all aspects of the licensing framework that
22 will need to be addressed are in place for, you know, timely deployment and
23 certainty kind of in know what the requirements will be. But I took in your
24 response to Commissioner Ostendorff that you, and please correct me if I
25 misunderstood this, that you really feel that we are at least cognizant in trying to

1 work towards all of those aspects? There weren't any, I think you said, any gaps
2 or anything that we truly just weren't working on it all?

3 GREGORY PIEFER: We've seen a tremendous amount of
4 cooperation, been very happy with it so far.

5 COMMISSIONER SVINICKI: Okay, thank you. And I was going to
6 ask Carmen, your slides had emphasized that the INVAP technology is a proven
7 technology in other places. Are there, though, adaptations or modifications that
8 you would be making to that for your?

9 CARMEN BIGLES: Yes. Each of the INVAP designs is custom
10 made for each of the places where it's being built. OPAL, for example, was
11 originally for the supply of Australia plus some research that the government was
12 doing, or does with nuclear medicine. In our case ours is directed for nuclear
13 medicine and producing the Mo-99 and the subsequent iodine and other radio
14 chemicals that come from the radioisotopes that come from the process, but ours
15 is specifically designed for the twin research so that the supply chain just keeps
16 on going. We don't have to shut down for an, and shut down the entire supply
17 chain in order to do maintenance on one of the reactors and not the other three
18 of the twins and the spare processing lines and then goes to a facility, so.

19 COMMISSIONER SVINICKI: Okay, thank you for that -- for that
20 information. And I think I would just generally provide an opportunity, this is
21 really the last topic that I wanted to touch on. I think all of you have mentioned
22 the efforts of the interim staff guidance. All of your organizations have had the
23 opportunity to comment on that and in looking at some of that I thematically drew,
24 I won't attribute this to any one of you particularly, but some of the themes I took
25 from comments that the NRC staff received on the interim staff guidance was

1 that the NRC should be mindful of the hazards of these facilities. I think Greg,
2 you spoke to that pretty directly in your presentation, some of the suggestion of
3 requiring that there be an analysis for 50 miles of, you know, all other hazards or
4 considerations, that that seems to be drawn from NRC's requirements for large
5 power reactors and that ingestion pathway planning for 50 miles. And so, I think
6 there was some commentary on that. Is there anything to the extent that you
7 prepared or are very familiar with your company's comments or feedback on the
8 interim staff guidance? Is there anything beyond what I've commented to say
9 that, you know, the suggestion of the requirements should be cognizant of the
10 actual facilities themselves and the hazards in consider, environmental
11 considerations they pose? Is there, I would give you an opportunity to just -- is
12 there anything else as a broad theme that you would emphasize out of the
13 comments?

14 RANDY SPICKARD: No.

15 CARMEN BIGLES: No, I -- and I just want to say this and I'm going
16 to -- every time I've had a concern, or a comment, or a question, or do not --
17 within our advice or something, you know, it's debated between our engineers as
18 well. The staff has always been very helpful in guiding us in the right direction,
19 so.

20 COMMISSIONER SVINICKI: Okay, thank you. Greg, did you?

21 GREGORY PIEFER: Yeah, and I, well I think you captured ours
22 and, you know, some of that probably came from our response. You know, I
23 think everyone's doing the best they can to get something in place quickly and
24 we recognize that's a challenge and we appreciate the chance to give feedback
25 like this. And I think, you know, just be mindful of what the facility is and, you

1 know, the hazards it poses. I think you've summed it up, my thoughts exactly,
2 so...

3 COMMISSIONER SVINICKI: Okay, thank you. Thank you Mr.
4 Chairman.

5 CHAIRMAN JACZKO: Commissioner Magwood.

6 COMMISSIONER MAGWOOD: Good morning to all of you, and let
7 me repeat the thanks for your presentations this morning. The, it's always, when
8 you're around long enough you get to graduate to become a curmudgeon.

9 [laughter]

10 So let me look curmudgeonly this morning. You know the, and I'm
11 sure Parrish you're aware that there were attempts in the recent past, about a
12 decade ago, to try to deal with the Mo-99 problem. And we made some
13 progress, but the government kind of lost interest along the way the last time.
14 And we could -- and I look at this in some great frustration because I've visited
15 some hospitals in the last year or so and found that, you know, that, you know,
16 the threat of the shortage isn't just a threat, it's happening today. There are
17 patients who are going without technetium analysis and having to go to different
18 isotopes that give them higher exposures. So, you know, the government's lack
19 of vision a decade ago led to this situation.

20 So let me congratulate NNSA on staying the course on this so far,
21 and let me just also congratulate you for working with the interagency group
22 which hopefully will sustain the government's interest in this and hopefully
23 congressional interest in this issue so that we don't let this fall off the scope again
24 and be revisiting this crisis five or 10 years from now. That's it.

25 It's interesting that NNSA is leading this because it's a little bit

1 almost sort of the tail wagging the dog a bit, because you're interest in this as an
2 organization is to reduce the HEU. However, that does seem to be the reason
3 the government is involved in this. So that's a good thing, I guess. But it -- when
4 you're working with the interagency, I just want to get your -- I haven't talked to
5 anybody in the interagency group. So I wanted to get some perspective on this.
6 Does the interagency group look at this as a nonproliferation issue, or do they
7 look as a medical issue? How does, how does the group as a whole look at this
8 issue?

9 PARRISH STAPLES: Okay, actually you're touching on a lot of
10 history and maybe I'll go through that slightly as I, let's say the, you refer to the,
11 in the mid-90s the U.S. government was trying to develop a supply at Sandia
12 National Laboratory with the ACRR, among other options that were investigated.
13 The reason I think the government lost interest at that point in time is because we
14 were assured that the commercial industry would actually be developing a
15 supply. The supply that we were contemplating was actually on Federal facilities
16 and it was a government activity, so we can't compete with commercial activities
17 if there is sufficient supply.

18 However, the MAPLEs never succeeded, which was the main
19 advocate for who would be developing that commercial supply. So we generated
20 the vision now to actually support the development of commercial industry, so I
21 think we took lessons learned very well and are applying them appropriately.
22 And, as you mentioned, the entire interagency is very committed. We're actually
23 led by the Office of Science Technology Policy of the White House. That was the
24 group, the organization that brought us together several years ago when the
25 shortages occurred that we evaluated if it was possible in an interim basis to

1 implement any emergency production methodologies.

2 We did actually come up with a solution that could be implemented;
3 however, it was extremely expensive. It required weekly mill air shipments to the
4 production facility in Canada from reactors in the United States. In the interim,
5 we were also working with the international community to try to develop
6 alternative emergency actions and to great credit to the Belgian facility they
7 implemented an additional cycle out of the norm that was able to make up some
8 of the shortage and get us through the interim period until the Dutch facility came
9 back online.

10 The NNSA role in this definitely is the, from the HEU minimization
11 standpoint is how we got involved. But when OSTP solicited the interagency a
12 few years ago who had experience and expertise in it, it was our organization
13 because of the HEU minimization effort that we knew who the international
14 community was and we understood many of the issues. And we also, through
15 the reactor conversion program, knew what the capabilities and capacities were
16 each of the research reactors that could be utilized for the interim production.

17 We've a very close, cooperative relationship with the isotopes
18 program in DOE. The DOE isotopes program has a responsibility for support of
19 isotopes where there is not commercial capability. Again, we are differentiating
20 very close between our HEU minimization mission and commercial capability.

21 I think what really demonstrates the vision that the interagency has
22 on this, however, to close your question, is that we view it as both an HEU
23 minimization, a threat reduction standpoint and a medical issue. Our co-
24 representatives at the OECD are Health and Human Services, FDA, and the
25 Centers for Medicaid and Medicare Services. So that definitely, I think,

1 demonstrates that both OSTP and the NSC, who's significantly involved in this,
2 has the vision that it's a medical supply issue as much as a threat reduction
3 standpoint in terms of HEU minimization. So, and quite honestly we don't feel
4 that we could resolve the situation unless CMS in particular is involved also due
5 to the reimbursement aspect that they play for the insurance system of how we
6 can transition this industry from a heavily subsidized industry, which is part of
7 what led to the current failure, to a full cost recovery truly commercial activity
8 that's taking place without government intervention other than from a regulatory
9 standpoint from both FDA and --

10 OPERATOR: Please pardon the interruption. You're conference
11 contains less than three participants at this time. If you would like to continue,
12 press star one now or the conference will be terminated.

13 PARRISH STAPLES: So, that was the perfect interruption.

14 [laughter]

15 COMMISSIONER MAGWOOD: I hope Apostolakis wasn't calling
16 from long distance. Well, appreciate your views on that. We'll have to talk off
17 line about the history a little bit. I think there's a little skew there, but I'll let that sit
18 for now. But, again, appreciate what you're doing here. It certainly seems to me
19 that you've got some expertise and commitment to this personally, so I
20 appreciate that. You're an excellent representative of the interagency on this.
21 Keep up the good work and, you know, let us know if there's anything we can do
22 to be of assistance.

23 For the panel, just a couple of questions. Of the three of you I think
24 Carmen has in some ways the least challenging outlook because the technology
25 is well proven. For the others, you have some work to do in the technology

1 development side and in a nuclear area, as everyone can certainly testify who's
2 been in this business for any time, usually the hard part is waste in some fashion
3 or other. And I think that Randy, in your presentation you mentioned that I think
4 every five years you've had to change your liquid fuel. What final form does your
5 waste take?

6 RANDY SPICKARD: Well, what'll be described there, what would
7 be categorized as high level waste, it will still be in a solution. So our plan in the
8 interim is to solidify it and store it on site.

9 COMMISSIONER MAGWOOD: Solidify as, in what form, how,
10 doing?

11 RANDY SPICKARD: We're still developing that. Still, I mean that's
12 one of the things we're certainly working through now. And there are solutions
13 that we're working with the DOE on to have a disposition path for that, and we're
14 confident that between our interim storage and a long term solution that, that
15 won't be an impediment to us moving forward.

16 COMMISSIONER MAGWOOD: Same question to you Gregory.
17 What's the final form and what type of waste do you think you'll be dealing with?

18 GREGORY PIEFER: Yeah, and it's a very good question, and it's
19 similar I think in character, although according to definitions it's not high level
20 waste. The way the definition is codified is, is essentially if you follow the chain it
21 goes back to basically, it has to be produced in a reactor to be high level waste
22 although the character, again, is similar.

23 You know, part of it depends a lot on what happens with this S.99
24 Act that's presently being considered by the Congress, which includes a lease
25 and take back of uranium by the Department of Energy. In which case, we would

1 never own the uranium nor the waste products and so we'd have to work with the
2 Department of Energy to give them a form that's suitable for disposal. Their
3 other options are to solidify in some form of concrete or plasticize waste and
4 then, in our case, there may be some Class C waste disposal options now that
5 we have at the Texas site recently opening. So, we're again still kind of waiting
6 to see how S.99 plays out. That's obviously the preferred mechanism for us.
7 And, I think it would really help all of our operations if S.99 were to go through
8 and give us a disposal path.

9 COMMISSIONER MAGWOOD: It's interesting, because that --
10 because it sounds like those decisions are going to have a pretty big impact on
11 your eventual applications, so that may become the pacing item in this entire
12 program. So, that's something we'll have to watch very closely.

13 Again, Carmen, I think you're -- like I said, I think your job is a little
14 bit of the easiest from that perspective, but one quick question for you, not to
15 leave you out. The -- what kind of experience have we had overseas with the
16 Argentine reactors? Have there been any issues that have, that were worth
17 pursuing?-

18 CARMEN BIGLES: The one issue that -- and actually I spoke with
19 some people from ANSTO at the beginning when they were, they had to change
20 the kind of -- the processing in order to be able to distribute it to the U.S. and
21 keep it there in that amount, and that had to change some of the things. But,
22 they were able to modify them, and we get the Molly there now.

23 And I did want to mention, we do, I did begin through -- because of
24 a patient's, and, or cancer patients that needed the technetium in order to get the
25 bone scans and get the -- to see where they were done, and, you know, the

1 amount of radiation that the children were receiving as well due to not having the
2 technetium is not, it's not healthy at all. It's creating more tumors, and, you know,
3 not good, basically.

4 COMMISSIONER MAGWOOD: Yeah. I appreciate that and agree
5 with you. I thank all of you for your presentations and, you know, best of luck
6 with your projects. Thank you, Mr. Chairman.

7 CARMEN BIGLES: Thank you

8 CHAIRMAN JACZKO: Well, thank you. I had a couple of
9 questions. Parrish, maybe you could just give me a sense, we, you know, I
10 appreciate the part of the dual goals here is one is to reduce the use of LEU, the
11 use of HEU. We don't currently, of course, have any specific prohibition on use
12 of HEU in U.S. reactors, research reactors or things like that. Well, we have an
13 effort to reduce, but, if we were to get an application that came in, you know, let's
14 say we -- I mean, because originally I think we were looking at 2013. I think the
15 original goal was to have reactors online in 2013. Now, we're looking at 2016, so
16 that's a little bit longer. You could put in the skeptical camp that 2016 is
17 achievable with some of the work we have left to do. We don't have applications.
18 I mean, so, we're looking at four years, which should be, you know, doable
19 timeframe if we get applications soon. But, certainly, for review, and maybe
20 construction, and I don't know if actually get to production, and then you have
21 FDA issues to deal with. So, you know, maybe 2016 is not real reasonable.

22 If somebody came in with, you know, they wanted to use an HEU-
23 based process, what should we do, do you think, and they could do it faster? I'm
24 not saying that there's anybody out there.

25 PARRISH STAPLES: I understand, yeah. No. It's kind of a

1 complicated question. Let me actually start at first, this, the slide that I showed
2 where the Canadian reactor ceases production, according to all indications, and
3 which has come from the government of Canada in 2016 -- that's not a
4 programmatic objective. Our programmatic objective actually is by, and our
5 contractual objective with our cooperative agreement partners is at the end of
6 2014. We figure that gives us the appropriate contingency to ensure --

7 CHAIRMAN JACZKO: So in 2014, you'd like supply?

8 PARRISH STAPLES: That is our contractual objective with our
9 cooperative agreement partners, and this also is commiserate with language that
10 we've provided to Congress for our budget approvals in terms of --

11 CHAIRMAN JACZKO: Now, you realize that that's not possible to
12 have supply by 2014?

13 PARRISH STAPLES: That's when we would actually -- that's our
14 contractual objective with our cooperative agreement partners for initiating
15 production. We do realize that's an extremely aggressive goal. The rationale for
16 that is that the Canadian reactor will cease production in 2016, so we're pushing
17 to as aggressive objective as possible so that we have some contingency in the
18 system. That is also the same rationale that we have four cooperative
19 agreement partners, each that we are working towards a 3,000 six day curie.
20 The global supply or demand is approximately 12,000 six day curies, so the
21 simplistic algebra indicates that the U.S. producers that we are supporting would
22 actually dominate the global industry.

23 In all due respect, that's probably not how it will work. We've
24 never, you know, we realize that some projects will fail. Quite honestly, we're
25 also supporting these commercial entities to develop their program. It's their

1 obligation --

2 CHAIRMAN JACZKO: All right, so, tell me, so what -- I mean, from
3 a policy perspective, I mean, do we need something in our requirements that
4 would favor? I mean, I'm just looking at that, I mean, obviously, if 2014, that's an
5 even more aggressive than what I was thinking, and I think that is a real
6 challenge. So, if we had somebody who came in and was going to at least
7 maybe on an interim basis say take a currently HEU-fueled research reactor and
8 put a source in and even if they wanted to use an HEU source, should we do that
9 or should we not do that?

10 PARRISH STAPLES: We should not do that, and I think that we
11 would have the legal obligation to not support that part of the language. And I'll
12 probably be misquoting it here, but the essence is that if there is alternate LEU
13 technology available, we are obligated to support the implementation of that LEU
14 technology.

15 CHAIRMAN JACZKO: I don't know. Maybe, is that -- does that
16 apply to us? I mean, I was as aware that that was more of an export, HEU
17 export, but not on a domestic use perspective. I mean, we have prohibitions on
18 exporting HEU to Canada, for instance, but I don't think there's anything that
19 prohibits, I mean, obviously, in the U.S.

20 MARIAN ZOBLER: Not aware of anything, no.

21 CHAIRMAN JACZKO: Well, I mean, I know it's putting you on a
22 spot. It's probably not a question that you can answer. But, you know, it is
23 something that we'll -- I don't know that anybody who's out there wants to do that,
24 but I think, you know, I mean, it still seems like most of all of you have some work
25 to do. I mean, we don't have applications yet. So, you know, doing these things

1 by 2014 is going to be difficult.

2 PARRISH STAPLES: That would also be counter to presidential
3 level commitments, say, at the Nuclear Security Summit, that we should minimize
4 the use of HEU. So, at a minimum, it's a policy of the United States government
5 not to support the development of civilian applications that are utilizing HEU.

6 CHAIRMAN JACZKO: Okay. Well, I appreciate your thoughts on
7 that, and I don't know that it's going to matter, because I don't know that
8 anybody's going to come forward in that category. But, the -- let's see, sorry. I
9 have another question for you. Parrish, this is also a question for you -- the --
10 you talked about in your slides the work that's being done in the national labs on
11 the, on, you know, some of the research in these areas, and that this would be
12 available to the NRC staff if we requested it. Is that -- was that in the formal
13 sense? Do you need a formal request from us for that, or is that just more in the
14 kind of friendliness sense, if we want it, it's there, or are you looking specifically,
15 is there a need for a formal request?

16 GREGORY PIEFER: There's not a need for a formal request.
17 We've worked with the NRC in numerous, you know, undertakings in both
18 informally and formally. Obviously, we respect very much your independence,
19 and we will operate within your bounds and requirements of how we can support
20 applications I think, as Commissioner Magwood indicates, I think goes back in
21 the 2005 timeframe with his office, when he was in NE, we put together a
22 program that then also partnered with the NRC to convert all of the U.S. research
23 reactors to LEU fuel that could convert, and it was a fabulous collaboration, and
24 we're trying to follow that same type of a model as we go through this effort here,
25 that we work with the other offices within DOE, and support the NRC as legally

1 able in terms of technical support or informational support.

2 CHAIRMAN JACZKO: Well, I appreciate that and I'll probably ask
3 the staff too if there's anything that they feel that they need, they can mention it
4 then. On the -- Mr. Piefer, you talked a little bit about, I think you mentioned that
5 you would be licensed under Part 70, have you gotten that from the staff or that's
6 just, right now, your view on your facility?

7 GREGORY PIEFER: I would actually appreciate the chance to
8 clear that up, actually. It was in our earlier -- some of our earlier documentation
9 that we thought we might be able to license this under Part 70. Subsequent
10 discussions with the staff, in review of the regulations, suggest to us that the
11 easiest way to license it will be to go through Part 50.

12 CHAIRMAN JACZKO: Part 50, Okay, good. What is the K effect of
13 your process of --

14 GREGORY PIEFER: The multiplication factors are between 50
15 and 100. So, we're talking about sort of that ballpark range. I don't want to get
16 into a long technical argument here, but what we would define as the physical
17 margin from critical is much greater than that. So, the out of spec, let's say the
18 solution height would have to be, for example, which is one of the things we do
19 when we're filling the system is a significantly greater margin than that. So, that's
20 one of the things we're going -- one of the conversations we're going to try to be
21 having, you know, with staff, is to see if that argument makes sense.

22 CHAIRMAN JACZKO: Okay. Well, I certainly encourage you to
23 bring those issues up. You know, those seem to be the ones that could be
24 challenging as we go forward. So, I'm trying to figure out -- I don't know if we've
25 ever licensed a facility like that, that ---

1 GREGORY PIEFER: I don't think so.

2 CHAIRMAN JACZKO: -- has that kind of unique characteristic, so
3 I'm sure it'll be lots of new things for us to go through as we do that, so -- well,
4 again, I appreciate all of you being here, and your statements, and encourage
5 you to continue to interact with the staff, and, you know, as you do go forward,
6 the thing that we found that is most effective is if you have applications that you
7 interact extensively, the better your application is, the better the process will be,
8 and the more you interact ahead of time, the better your application will likely be.
9 As issues can be addressed and you can send us an application that is, you
10 know, addresses issues ahead of time, I think that's better, so I encourage you to
11 continue to do that, and I look forward to any submittals we get. Thank you.

12 CARMEN BIGLES: Thank you.

13 GREGORY PIEFER: Thanks.

14 RANDY SPICKARD: Thank you.

15 CHAIRMAN JACZKO: Thank you. We'll take a quick break. Okay.

16 [break]

17 CHAIRMAN JACZKO: Okay, Mike.

18 MIKE WEBER: Good morning Chairman, Commissioners. It's a
19 pleasure to be appearing before you today to address this important topic. I
20 apologize for the little delay. As you know there are some constraints that we
21 operate under during those kinds of breaks. As we heard from the first panel, the
22 NRC staff recognizes the need for both a reliable and a safe domestic supply of
23 medical isotopes. We also recognize the importance of producing these
24 isotopes, using low enriched uranium, both targets and fuel.

25 For many years, we've coordinated our regulatory approach with

1 the Department of Energy, to reduce the reliance on the use of high enriched
2 uranium, including the conversion of research and test reactors in the United
3 States, to use a low enriched fuel. If a domestic supply of medical isotopes is
4 developed in the United States, our role as the regulator is to ensure that the
5 supply is accomplished safely, securely, and in a manner that protects the
6 environment, and as you will hear from our presentation today, we are
7 cooperating within the federal government to prepare for the review of a diverse
8 range of potential licensed applications. This diversity adds complexity to our
9 preparations and you'll hear about that in our presentation. However, we are
10 ready to review a license application in both a high quality and in a timely
11 manner.

12 Now, I'll turn over the staff's presentation to Tim McGinty. Tim is
13 the director of the Division of Policy and Rulemaking at NRC's Office of Nuclear
14 Reactor Regulation. Tim.

15 TIMOTHY MCGINTY: Thanks, Mike. Good morning. I'd like to
16 start today by describing some of the background driving activities towards the
17 domestic production of Mo-99, using LEU targets. You actually already explored
18 that extensively, and with Commissioner Magwood, your dialogue with Parrish
19 even in more detail than I'll present.

20 Following that, Mr. Jesse Quichocho will provide information on
21 NRC's interactions with potential applicants. Following Jesse will be Patty -- Ms.
22 Patty Silva providing information on licensing and technical review processes of
23 medical isotope activities, and then I'll be returning for a summary.

24 The fragility of the domestic supply of Mo-99 most recently become
25 apparent to us in 2007, and that's when there was a two month shutdown of the

1 National Research Universal Reactor in Canada. We had our first letter of intent
2 within a couple of months of that shutdown, in December of 2007. At the time,
3 the NRU facility was responsible for 40 percent of the worldwide supply and 60
4 percent of the U.S. supply of Mo-99.

5 Spurred by the additional shutdowns that later occurred at both the
6 NRU facility as well as the high flux reactor in the Netherlands, in 2009 and 2010,
7 significant interest in establishing a domestic supply of Mo-99 grew. For
8 example, we briefed congressional staffers in 2009, and DOE began establishing
9 the cooperative agreements.

10 At this point, I'm going to ask Mr. Jesse Quichocho to present his
11 information on NRC's interactions with the potential applicants.

12 JESSE QUICHOCHO: Thank you, Tim. Good morning. As
13 mentioned earlier, the 2007 shortage of medical isotopes led to a significant
14 interest in creating a domestic Mo-99 supply. Starting in 2008, the Nuclear
15 Regulatory Commission staff held discussions with B&W in identifying potential
16 licensing and technical issues to their design of a medical isotope production
17 facility, as you heard earlier today.

18 In 2009, we were contacted by Coqui, GE Hitachi, University of
19 Missouri Research Reactor, and SHINE Medical Technologies, through a letter of
20 interest, and partnership with Morgridge Institute for Research, as you've heard
21 earlier today. Each sent in a letter of intent to produce a domestic supply of Mo-
22 99, using different proposed technologies and designs. As you heard earlier
23 today, the broad spectrum, you're looking at a research and test reactor to an
24 aqueous homogeneous reactor.

25 In 2010, the staff started to identify the regulatory framework and

1 develop technical guidance based on the proposed technologies and designs.
2 Because of the large number of interested applicants and potential for licensing
3 facilities with new and varying degrees of technologies, the NRC needed to
4 communicate the need for potential applicants to engage with the NRC early and
5 frequently, in the development of the application to assist in submission of a high
6 quality and complete application. To accomplish this, the NRC issued a
7 Regulatory Issue Summary 2011-06, in July of 2011.

8 Further, the regulatory issue summary requested potential
9 applicants to provide updated scheduling information, to allow the NRC staff to
10 allocate resources for the review of license applications, and for timely
11 completion of these reviews. The NRC staff received four responses to the
12 Regulatory Issues Summary. They were from B&W, Coqui, SHINE, and GE
13 Hitachi, who, as Mr. Staples pointed out earlier, suspended their activities.

14 NRC's response to the information obtained from the Regulatory
15 Issue Summary included identifying skill sets needed to support the NRC
16 technical reviews, determining proper licensing approaches to each specific
17 technology and facility posed, coordinating efforts for an efficient and effective
18 review process. Next slide, please.

19 Since 2011, the NRC staff has interacted with potential applicants
20 in numerous venues. The NRC staff has held over 10 public meetings with
21 potential applicants, and responded by letter to licensing and technical questions,
22 to identify the appropriate regulatory framework, for each proposed facility and to
23 address numerous licensing and technical issues associated with each proposed
24 design. In our public meetings, the NRC staff discussed the applicability of NRC
25 regulations to what the applicants propose to do, and how they propose to do it.

1 As you heard earlier from the first panel, the multiple designs
2 presented, the NRC had to devise a licensing approach for each specific one.
3 Additionally, the NRC staff has discussed technical attributes to the proposed
4 designs and technologies, to better understand the methodologies used -- we did
5 this to establish a more efficient review process for both the applicant and the
6 NRC, by helping ensure complete applications.

7 The NRC also responded to letters from potential applicants, which
8 raised specific questions, including the types of licenses the NRC issues,
9 whether the NRC would consider issuing a combined construction permit and
10 operating license under Part 2, and clarification of guidance. The NRC has
11 communicated to the applicants that these types of interactions are strongly
12 encouraged by the NRC, and the NRC staff appreciates the frequent and early
13 engagement it has received to facilitate the understanding, thoroughness, and
14 completeness of these applications. The NRC has also communicated to
15 applicants that there is an existing regulatory framework available for each
16 proposed technologies. I will now turn the presentation over to Ms. Silva.

17 PATRICIA SILVA: Thank you and good morning. The licensing of
18 any medical isotope facility will depend on the configuration, the proposed
19 configurations for reducing, separating, and processing the Mo-99. Part 50 and
20 Part 70 would be used as applicable to the licensing of the proposed facilities.
21 In addition, the NRC has the authority to issue orders, exemptions, and license
22 conditions. These regulatory tools will be used as warranted. Based on what we
23 know of the proposed facilities, the extraction and purification systems would be
24 defined as production facilities. Part 50 defines a production facility as any
25 facility designed or used for processing of irradiated materials containing special

1 nuclear material.

2 The safety aspects of the proposed facilities would be evaluated
3 using existing regulations and guidance based upon the configuration and
4 operation of the proposed facility. Licensing could be either a two step process
5 consisting of a construction authorization and an operating license, or orders
6 could be issued allowing for a combined license.

7 In preparation for potential applications, the NRC established the
8 Mo-99 working group. This working group consists of representatives from NRR,
9 NMSS, FSME, NSIR, Research, the Office of General Counsel, the Office of
10 Congressional Affairs, and the Office of International Programs. The working
11 group was established in late 2009, to address the regulatory issues related to
12 the production, transportation, and security of Mo-99. The working group meets
13 on a regular basis to discuss licensing process and development of interim staff
14 guidance. I'll discuss the interim staff guidance a little more on the next slide.
15 The working group continues to review the need to adapt its plans for licensing
16 processes based on what's known from the potential applicants pending an
17 actual submission of an application. Next slide.

18 The interim staff guidance augments NUREG-1537, which is the
19 current guidance for non-power reactors. The guidance follows a format of the
20 NUREG, which contains two parts. Part one contains the guidelines for the
21 format and content of an application for a non-power reactor. Part two contains
22 the standard review plan and acceptance criteria to be used by the NRC
23 reviewers in the licensing review.

24 The interim staff guidance augments the NUREG by including the
25 guidelines for preparation and review of applications for aqueous homogeneous

1 reactors and production facilities. The interim staff guidance has been issued for
2 public comment. Comments received are currently being addressed. The ISG
3 will be finalized in late 2012, and will include disposition of the comments that we
4 receive.

5 Because granting a construction permit or operating license for
6 these proposed facilities is considered a major federal action under the National
7 Environmental Policy Act, the licensing reviews will require either an
8 environmental assessment or an environmental impact statement. The
9 Department of Energy is also responsible for preparing an EA or EIS for those
10 applicants receiving DOE funds. The NRC is coordinating with DOE to ensure
11 environmental reviews are completed as efficiently as possible, such as
12 potentially producing a joint EA or EIS. Tim.

13 TIMOTHY MCGINTY: Thanks, Patty. So, in summary, the staff
14 recognizes that there is a diversity of proposed designs contributing to a unique
15 licensing pathway for each of these designs. The staff is confident that with
16 continued and frequent engagement with the potential applicants, these
17 challenges will be overcome through advanced preparation. By seeking public
18 input to the interim staff guidance as well as our acceptance review process for
19 these applications, the staff will be better able to support potential applicants in
20 development of a thorough and complete application, as well as we will be better
21 performed to perform our own review. The staff is coordinating with the
22 Department of Energy and NNSA, and we're developing efficiencies for the
23 environmental reviews that are required by NEPA.

24 We'll also continue to identify efficiencies as we review the first
25 application or each application that we receive. We'll learn from the experience.

1 We've anticipated having applications since 2010. We've planned for that, at
2 least one application since then. We've had, obviously, we've had some
3 uncertainty as to when we'll receive an actual application. I think what we've
4 heard earlier today, that's reduced my uncertainty, but we've been experiencing,
5 obviously, delays in receiving an application; nonetheless, the staff will be
6 prepared and ready to perform the reviews of applications when the NRC
7 receives them. This concludes our prepared remarks and we look forward to
8 your questions.

9 CHAIRMAN JACZKO: I have to say, I think this was the shortest
10 staff presentation ever.

11 [laughter]

12 MIKE WEBER: We knew that the first panel would do such a good
13 job covering the topic that we had little to add.

14 CHAIRMAN JACZKO: We'll start with Commissioner Ostendorff.

15 COMMISSIONER OSTENDORFF: Thank you, Mr. Chairman. Let
16 me start out with a question, maybe I guess I'll direct it towards Jesse and Patty,
17 but if you want to direct elsewhere, it's your call. There's a lot of people here and
18 I think you all are the right ones. Recognize that we typically have licensing
19 guidance that's fairly general, and yet we're talking about very specific different
20 technologies that are likely to be seen by the NRC in potential applications, and I
21 know that you don't have an application submitted as of yet, but can you give me
22 an example or two whether it's a hypothetical or based in a projected sense on
23 how we might adapt our general licensing guidance approach to reflect a specific
24 technology if it comes in, and I'm trying to understand how that might happen.

25 JESSE QUICHOCHO: That's exactly what we did with the interim

1 staff guidance, is that --

2 COMMISSIONER OSTENDORFF: Please tell me something
3 specific and not general, very specific here.

4 JESSE QUICHOCHO: We took -- what we did was we looked
5 across the agency. We looked at all of the staff guidance that are available,
6 power reactors, NUREG-0800. We looked at research and test reactors,
7 NUREG-1537. I believe we also even looked at NMSS and some of their
8 regulatory guidance, and what we did was, looking at it as a whole and looking at
9 -- we didn't know what the actual designs or technologies were until, I believe,
10 late 2009 and 2010, and so at that point, once we honed in, focused on the
11 aqueous homogeneous reactor and the production facility, that we then started
12 applying, evaluating all the different guidance that we had, and what we
13 ultimately did was identify NUREG-1537 as the governing document that had the
14 majority of the content and format for these types of applications. And so what
15 we did was we used that as our basis. In all, I totally agree with you, with let's
16 not reinvent the wheel. Let's find something that's similar and close to it, and
17 designed to these facilities.

18 MIKE WEBER: Okay. Can you give an example of, like, criticality
19 control?

20 JESSE QUICHOCHO: Some of those -- okay, so when we looked
21 at, for example, and I think Patty may be able to answer some of those specific
22 ones.

23 PATRICIA SILVA: All right --

24 COMMISSIONER OSTENDORFF: Yeah, I'm looking at specific -- I
25 want to hear some technical application of how we've adapted our general

1 approach to what we think might be a Mo-99 application. So, as specific
2 example as possible would be very helpful.

3 PATRICIA SILVA: Okay. So, like Jesse said, we took NUREG-
4 1537 to start with, and so if you have a reactor based technology, then you're
5 going to have the non-power reactor piece of it with that, and then we added the
6 aqueous homogeneous reactor into that, and then on the production facility side
7 was a lot more like a fuel cycle facility, where we have chemical hazards. You
8 have criticality safety issues, and so that's the part where we integrated in our
9 NUREG-1520, where we reference back to there. So, we see it being, you know,
10 a Part 50 license, but we're going to have a lot of applicability of Part 70
11 methods, methodologies.

12 COMMISSIONER OSTENDORFF: Okay. I'm looking for -- and I'm
13 sorry.

14 PATRICIA SILVA: I don't know how specific I can get.

15 COMMISSIONER OSTENDORFF: No, no. I want to hear -- and it
16 can be a hypothetical example. I'd be fine with that, but not necessarily
17 associated with any of the three potential applicants of the previous panel. I'd
18 just like to hear an example. You know, are we talking about, you know, a
19 different approach to criticality control, as a good example, or radiation shielding,
20 or waste? I'm just trying to hear something specific, so I can get a --

21 MIKE WEBER: Marcus, You're more technically familiar. Would
22 you like to address? State your name, please.

23 MARCUS VOTH: Yes. I'm Marcus Voth and I'm a member of
24 Jesse's branch. I was involved with a project from the beginning, and I might try
25 another approach at your question, Commissioner. The first thing we did, when

1 we looked at 1537 and the schemes that we were attempting to license was to
2 see what was applicable and what was not. One of the obvious shortcomings
3 was that the existing document did not address aqueous reactors. So, we
4 convened -- we -- through a research user need, Research convened a panel,
5 and they addressed the entire subject of aqueous reactors, and there were other
6 parts of the NUREG guidance document that we said didn't need any significant
7 changes, for example, sighting, financial qualifications, and so forth. So, we
8 identified these items and we really added a section for aqueous reactors.

9 COMMISSIONER OSTENDORFF: Okay. Well, I'm sorry. What
10 I'm looking at -- and if you want to get back later on after the meeting, that's fine.
11 I'm looking at a specific example or two of where, let's say, the aqueous reactors
12 have a different design than what the guidance was originally developed for. So,
13 how is that general guidance been tailored in a technical example or two, to deal
14 with an AHR reactor?

15 MIKE WEBER: Can you address that or should we just get back --

16 COMMISSIONER OSTENDORFF: If you want to get back, that's
17 fine. I'm just trying to -- I think the responses have all been so conceptual and
18 theoretical, it's not -- I'm trying to get a real pragmatic context for what kind of
19 deltas we're dealing with here.

20 BRUCE BOGER: Like an accident analysis of the maximum --

21 PATRICIA SILVA: Right, but like --

22 BRUCE BOGER: -- critical accidents different in these --

23 PATRICIA SILVA: We would expect the processes and hazards to
24 look a lot like a fuel cycle facility. So, we were going to use -- we expect for the
25 applicants to come in with an integrated safety analysis, to look at those hazards

1 and to identify items relied on for safety, and to develop management measures.
2 So, we're looking at it a lot like fuel cycle. If you don't -- like in the SHINE, where
3 there are going to be sub-critical, most of that would be, I believe, reviewed
4 under the excepting criteria and methodologies more like Part 70, because there
5 is no reactor.

6 COMMISSIONER OSTENDORFF: Okay.

7 AL ADAMS: Al Adams, from the Research Reactor Licensing
8 Group. I can give you two examples. NUREG 1537 requires applicants to
9 discuss the attributes of the fuel. With the liquid fuel, there's attributes you don't
10 see in solid fuel. For example, we asked the licensees to discuss how they
11 would control the pH of the fuel, because that's important in keeping the fuel in
12 solution. Another example of reactivity control, liquid reactors produce a lot of
13 gases. That produces churning of the liquid. We asked, in the guidance, we ask
14 licensees to describe how that accounts into their modeling of thermo hydraulics,
15 how that accounts into their modeling of the reactor control, and how the reactor
16 control system will react to the fact that now, instead of a set of solid fuel
17 elements, you now have a churning liquid. So, there's two examples where we
18 took the guidance from 1537. That was written for the existing reactors and
19 tailored it specifically to the technology of liquid homogenous reactors.

20 COMMISSIONER OSTENDORFF: Thank you. That's very helpful.
21 Let me follow it up with a kind of related question, and, Jesse, I'm going to stay
22 with you, I think, and Patty. Based on what you know today, what are the
23 unresolved policy issues, if any, that NRC may face with respect to licensing of a
24 Mo-99 facility? Are there any unresolved policy issues?

25 JESSE QUICHOCHO: As of today, I don't know of any unresolved

1 policy issues.

2 COMMISSIONER OSTENDORFF: Okay. Agree? Okay. Thank
3 you all. Thank you, Mr. Chairman.

4 CHAIRMAN JACZKO: Commissioner Svinicki.

5 COMMISSIONER SVINICKI: Well, thank you for your
6 presentations and I appreciate your responses. Tim, I might start with you. In
7 terms of -- was there a point at which the staff looked at whether, you know, any
8 rulemaking was necessary? We've approached this through the interim staff
9 guidance, was there, you know, a fulsome look at whether rulemaking would
10 provide efficiencies, and again, I think I have a sense of this after the first panel,
11 is that because there's a lot of uniqueness, it would be hard, I think, in
12 rulemaking space to have a really applicable generic approach, but could you
13 talk a little bit in the reasoning about going with the staff guidance modification
14 versus any type of rulemaking?

15 TIMOTHY MCGINTY: Yes, and that's related to my initial
16 response, and we've been anticipating an application since 2010, and as you
17 know, rulemaking takes periods of time that's a very deliberative process, that
18 includes public interaction. So, it takes time, and so, the staff actually had
19 direction from the Commission to consider methodologies to develop efficiencies,
20 to conduct our review, including evaluating rulemaking, and in part, because of
21 the pending, what we believe we were going to be receiving pending applications
22 soon. That was one of the elements that led us to conclude that our existing
23 regulatory framework supports the ability to perform our licensing reviews. There
24 are plenty of options available, including the use of orders and exemptions that
25 licensees could apply for, as well as the existing process that is, I would say,

1 mature and time tested.

2 COMMISSIONER SVINICKI: And having put a version of interim
3 staff guidance out for comment, do you, reflecting on it at this point and time, feel
4 that our decision to pursue the guidance modification was appropriate, would not
5 run into anything that we didn't anticipate there?

6 TIMOTHY MCGINTY: Yes, I do.

7 COMMISSIONER SVINICKI: Okay. Thank you. I don't know -- I
8 don't -- this isn't really intended to be the same question as posed by
9 Commissioner Ostendorff, but I was going to pose this very generally. The
10 previous panel talked about comparisons of the technology that they're proposing
11 as similar to a research and test reactor. I think somebody said it would be like a
12 small university reactor. When you think about the hazards posed, not about the
13 specific technology, but about hazards and safety considerations, or
14 environmental considerations, do you think that that generalized comparison to
15 research and test reactors or university reactors, do you think that it's apt or
16 appropriate, and if not, where do you think the big departures are? Anyone.

17 JESSE QUICHOCHO: I believe so. I believe they are, and when
18 you look at the hazards comparable to research and test reactors.

19 COMMISSIONER SVINICKI: Would you draw any comparison or
20 do you think there's, again from a hazard standpoint, with maybe source
21 manufacturers, or something like that? Do you think that's also somewhat
22 parallel in terms of a comparison of hazards?

23 JESSE QUICHOCHO: I didn't hear the first piece or before --

24 COMMISSIONER SVINICKI: Instead of comparison to RTRs, if
25 you were doing a comparison in the materials area, to maybe like a large source

1 manufacturer, distributor, something like that, do you think that the hazards
2 comparison is also -- there's some parallels there?

3 PATRICIA SILVA: I think there's some parallels with the fuel cycle
4 processing.

5 COMMISSIONER SVINICKI: Okay, and the other thing that
6 occurred to me, as I listened, maybe mostly to NNSA's presentation, but a little
7 bit also of the potential applicants, as we look at these technologies which are
8 unique, and maybe novel in some aspects, or there may be in some aspects
9 where things we simply have not worked with in many decades in this country.
10 So, we may be going back to the past on some things, but I got to thinking about
11 the kind of the human capital side of this, and there aren't that many experts in
12 some of these technologies, and while I appreciate that NNSA said that it is, you
13 know, very energetically working with the experts that we can find at DOE
14 National Laboratories, I don't know, maybe some are at universities as well. I
15 always kind of flip that over and say, but the NRC's independence, of course,
16 requires that we have access to experts, free of any conflict of having worked
17 with applicants or helping to prepare their applications.

18 As you look down the road, and if you have, let's say you even had
19 more than one application in front of you, with technology, with unique and novel
20 characteristics, are you at all concerned about access to experts that won't have
21 had any involvement in preparing any of the underlying support for the
22 applications?

23 JESSE QUICHOCHO: I understand that we did hire, and in fact, I
24 think Marcus Voth, who just spoke earlier --

25 COMMISSIONER SVINICKI: Okay.

1 JESSE QUICHOCHO: -- he was part of --

2 COMMISSIONER SVINICKI: Raced out to you at one conflict free
3 expert, okay.

4 JESSE QUICHOCHO: -- and we did hire someone, Jim McGovern
5 years ago, to help develop the interim staff guidance for the aqueous
6 homogeneous reactors. We do look at that and we are getting folks out to visit
7 some other facilities. We just had, you heard Al Adams, we had him have a tour,
8 at the INVAP reactor in South America, we're planning on looking at other
9 facilities that we can tour and observe. I think we did a tour at B&W, down in
10 Lynchburg, similar facilities. So, we are performing activities to gather that
11 knowledge, and maintain that.

12 COMMISSIONER SVINICKI: Okay. Very good. Did anyone else
13 want to add anything on that?

14 MIKE WEBER: Well, I was going to say that that's one of the
15 benefits of having two branch chiefs here at the table, because we count on our
16 branch chiefs to look at the critical staffing skills that they need to have, and then
17 feed that up through an agency role up, so that we maintain our focus on
18 ensuring that we have the kind of critical skills that we need to perform these
19 kinds of reviews, and that's especially the case where you have novel
20 technologies that are not widely distributed. So, part of what we do is focus on
21 ensuring that we use all means at our disposal, to gain those kinds of
22 capabilities.

23 COMMISSIONER SVINICKI: Okay, thank you. Thank you all.
24 Thank you, Mr. Chairman.

25 CHAIRMAN JACZKO: Commissioner Magwood.

1 COMMISSIONER MAGWOOD: Back to the curmudgeon. In his
2 questioning, the Chairman expressed his skepticism about the dates, and while I
3 didn't express, I have similar skepticism about making these dates, especially in
4 the context of the 2016 closure of the reactors in Canada, and probably the area
5 that gives me the most pause when I think about that, or what Commissioner
6 Svinicki just talked about, which are these novel technologies, and I recognize
7 you had people going out and looking at the history, and I know that National
8 Labs built aqueous homogeneous reactors back in antiquity. Don't think we've
9 ever licensed one. Is that correct? Have we licensed an aqueous homogeneous
10 reactor?

11 JESSE QUICHOCHO: Yes, we did one.

12 COMMISSIONER MAGWOOD: What timeframe was that?

13 JESSE QUICHOCHO: Back, I believe in the 80's. Al Adams could
14 help --

15 AL ADAMS: Al Adams again. Over the years, the NRC has
16 licensed 12 liquid homogenous reactors. The last one went out of operation in
17 the early 80's.

18 COMMISSIONER MAGWOOD: What applications were those?

19 AL ADAMS: They were mainly universities, L77s, L54s they were
20 called. The largest powered one was at Walter Reed, in Washington, D.C. They
21 had a kilowatt scale liquid homogeneous reactor, but it's true. They -- time wise,
22 came and went, and by the early 80's, they were all shut down.

23 COMMISSIONER MAGWOOD: So, were those Part 50 facilities
24 under 103 or 104?

25 AL ADAMS: 104(C).

1 COMMISSIONER MAGWOOD: These were 104(C), so these
2 would be 103s, right?

3 JESSE QUICHOCHO: That's correct.

4 COMMISSIONER MAGWOOD: So, does that create a higher level
5 of analysis than what we've had in the past? What does that mean in terms of
6 the type of analysis you'll have to do, in a sense, in terms of the safety analysis?

7 JESSE QUICHOCHO: I think AI can help me answer that. I
8 believe that the 103 analysis is a little bit more descriptive. AI, do you have any
9 more details on that?

10 AL ADAMS: As far as what a licensee, the information they would
11 have to give us, that's the same that's governed by 50.33, 50.34. The difference,
12 the primary difference between a 103 and a 104(C) is our processes. For
13 example, a 103 license would go past the ACRS. A 103 process would have a
14 mandatory hearing at the construction permit stage, versus a 104 would be, if an
15 intervener would ask for a hearing. The 103 process is that these reactors would
16 go through licensing similar to power reactor process. So, that's the main
17 differences -- it is a more complex process which has more steps.

18 COMMISSIONER MAGWOOD: Okay. So, that means a
19 mandatory hearing and the whole -- okay. On the accelerator based system, has
20 -- I know we haven't licensed one of those. So, let me ask a couple of questions
21 about that one. First, it's an interesting system, I mean, it's an accelerator --
22 there are a lot of accelerators, small accelerators used for a variety of purposes.
23 We don't license all of them. The states license some of them. Where do you
24 see the breakdown between state and federal licensing with a system that's been
25 proposed? Do you see a state role in this at all or is it entirely a federal

1 licensing?

2 JESSE QUICHOCHO: From our look on the proposed
3 applications, it would -- I believe it would be, if it was in an Agreement State, the
4 Agreement State would license the accelerator with the licensing of a production
5 facility. We would propose license conditions on the Part 50 license for licensing
6 the production facility based on the operations and how they want to accomplish
7 their work.

8 COMMISSIONER MAGWOOD: Okay. Let me make sure I
9 understand what you just said. So, you're saying the accelerator itself would be
10 licensed separately from the, I'm not sure what to call it, the production unit. Is
11 that what you just said?

12 JESSE QUICHOCHO: Right.

13 COMMISSIONER MAGWOOD: So, you actually could have two
14 separate licenses for the same machine?

15 JESSE QUICHOCHO: An applicant could have two separate
16 licenses, one from an Agreement State --

17 COMMISSIONER MAGWOOD: For the accelerator?

18 JESSE QUICHOCHO: -- for the accelerator, and one from the
19 NRC for the Part 50 production facility.

20 COMMISSIONER MAGWOOD: Does OGC want to comment on
21 that?

22 MARIAN ZOBLER: If I may clarify, Commissioner. My
23 understanding is that the answer is it depends, and that, of course, is whether the
24 accelerator is an integral part of the reactor that, in that case, the NRC could
25 license the entire facility. So, it depends on the integration of the technology.

1 CHAIRMAN JACZKO: That's what we were doing for SHINE.

2 MARIAN ZOBLER: Is that -- yeah. Yeah, it's correct.

3 COMMISSIONER MAGWOOD: Could. NRC could, okay. I
4 remember once, I was talking to a person in novel technologies, talking about
5 briefing the NRC, and he asked my immediate reaction, and this was before I
6 came here. So, please take into that context. I said, "Be afraid. Be very afraid."
7 So, these aren't straightforward in my eyes. I see a lot of decisions that will have
8 to be made along the way, and I think if I were an applicant, I'd be a little daunted
9 by that. So, I encourage the staff to find ways to define these questions, and
10 give answers as much as you can. I know you've engaged, so I appreciate that.
11 So, just keep doing that.

12 MIKE WEBER: I was just going to say, that's the whole reason why
13 we've been engaging and why we've been encouraging the potential applicants
14 to step forward early and think through the problem, identify the strategies that
15 they tend to employ, and raise those, so that that will help us frame those issues,
16 and if there are policy issues, or regulatory issues, or legal issues that have to be
17 addressed, to the extent we can, we want to get them addressed early, and get
18 them out of the way, because we don't want to slow down once the application
19 comes in. We want to be focused on the safety, and the environmental review,
20 and the security review, and do what we need to do to support a licensing
21 decision.

22 COMMISSIONER MAGWOOD: Appreciate that. Patricia
23 mentioned earlier that she saw ISAs being used for some of these facilities. Can
24 you tell me where you don't see the ISAs? Obviously, you're not going to use
25 ISAs for the research reactors, but beyond that, where do you not see ISAs being

1 applicable?

2 PATRICIA SILVA: Actually, I think I see it for pretty much the entire
3 facility, with the exception of the reactor, because after the reactor, then you
4 have a lot of processing with chemicals, and uranium, and you have to worry
5 about criticality safety. You have to worry about chemical hazards. So, that's
6 what we primarily came in for under the Part 70.

7 COMMISSIONER MAGWOOD: Do you see ISAs being used for
8 the entire accelerator facility

9 PATRICIA SILVA: I'm sorry?

10 COMMISSIONER MAGWOOD: The accelerator based facility,
11 would an ISA be used for that entire facility?

12 PATRICIA SILVA: I think there would be application for the entire
13 facility.

14 COMMISSIONER MAGWOOD: Okay. We talked a little bit about
15 waste, the last panel. Maybe I'll look to the leadership here, Kathy and Mike.
16 Can you walk me through this a little bit? What's -- explain the waste in the
17 accelerator facility to me. You know, it seems to me you've used the deuterium
18 reaction to make neutrons to cause fission. The fission is happening in the
19 uranium solution and you're going to get, you know, you're going to get
20 plutonium. You're going to get all kinds of actinides, you're going to get fission
21 products, and then you're going to solidify this to keep it as a waste form in some
22 fashion, and explain to me why that's not high level waste, and I recognize it's
23 not coming out of a reactor, but explain to me, you know, if it walks like a duck,
24 quacks like a duck, you know. Explain to me why that's not high level waste and
25 why we don't treat it like high level waste. Is it simply the legal definition? Is that

1 clear that we've --

2 MIKE WEBER: That's the primary driver, the legal definitions are
3 laid out in the law, and they're tied to how the waste is generated. Of course, we
4 would ensure that the hazards are appropriately addressed in all cases. So,
5 despite the fact that you may have plutonium, or mixed fission products, or
6 actinides in there, you know, it'll have to be handled in such a way that the waste
7 will be safely dispositioned. However it goes, whatever we call it, so...

8 COMMISSIONER MAGWOOD: So, we could see this called Class
9 C or greater than Class C low level waste, whatever is actually in it. That's
10 essentially where we would be ending up with, is that correct?

11 MIKE WEBER: Yeah, but in all cases, you'd have to ensure the
12 public's going to be protected and it's going to be handled appropriately, and it's
13 got to be dispositioned in accordance with existing legal framework.

14 COMMISSIONER MAGWOOD: Just a final -- I appreciate your
15 presentation. It was short, but it was actually quite informative. I appreciate that.
16 One comment that was also conversation at the end of the Chairman's question
17 about HEU, this sort of occurred to me while that was going on, that whatever the
18 -- however one interprets the policy and law, the practicality is I don't think you
19 can get HEU from anywhere. I mean DOE has been the source for HEU
20 generally in the United States, and I don't think you can get it from them for these
21 applications now, and I don't know how you would import it from someplace else.
22 So, as a practical matter, I don't think you could do it anyway. So, it's just
23 observation. Thank you very much. Thank you, Chairman.

24 CHAIRMAN JACZKO: Sure. Tim, you all did the RIS and, I think
25 it was June of 2011 --

1 TIMOTHY MCGINTY: 2011.

2 CHAIRMAN JACZKO: -- you got, I guess, responses back from
3 three people or --

4 TIM MCGINTY: I think from four.

5 CHAIRMAN JACZKO: -- four people.

6 TIMOTHY MCGINTY: Four, including GE Hitachi.

7 CHAIRMAN JACZKO: So, they've dropped out. So, it's the three,
8 well just all three of the people -- it was the three people we had here at the table
9 that responded?

10 TIMOTHY MCGINTY: That's correct.

11 CHAIRMAN JACZKO: Part of what that RIS was intended to do
12 was to highlight, you know, to get feedback now on what the issues are, the
13 technical issues, the licensing strategies of licensing approaches. As you look at
14 the RIS responses, are there any errors in which right now you don't feel like
15 you've accommodated or can accommodate the responses in the RIS?

16 TIMOTHY MCGINTY: Not from a RIS perspective. What we're
17 really interested in is working on the comments that we've received for the
18 interim staff guidance and the last comment period just closed yesterday, but
19 from a RIS perspective, no. It was designed to encourage as much early
20 interaction on potential applications as possible, and more is always going to be
21 better in terms of overall preparedness.

22 CHAIRMAN JACZKO: So, if you look at the interim staff guidance
23 responses, are they significant, or again, do you see issues in there that are
24 going to be difficult to resolve?

25 TIMOTHY MCGINTY: I don't see difficult issues to resolve, but

1 again, as we've mentioned, we've got a number of different licensing processes,
2 different types of designs. There is, in many respects, we're going to -- they are
3 relatively unique issues for the staff to address, and so it's a high quality
4 application is probably the best driver for timeliness and completion of an overall
5 review, and the staff is really going to have to -- like the things that we've learned
6 in doing the RTR license renewals, where we, in order to move along more
7 crisply, we focused our reviews. We developed a graded approach. We need to
8 ask the questions and get the answers that we absolutely need to make the
9 licensing decisions, to make it move along fastest, and we'll be focusing in that
10 arena.

11 JESSE QUICHOCHO: I'd just like to add, you know, just a little bit,
12 is that we recognized back in 2010, 2011, that there are varying designs, and so
13 we took it upon ourselves to put the RIS out, and engage with these folks, and let
14 them understand what the licensing process is, the approach, and how they can
15 benefit, per se, in hearing us and hearing the questions that we ask of their
16 design, so that they can submit a complete application, as well as allowing us to
17 understand what they're going to do with these facilities, and so we can identify
18 that licensing approach that we have to licensees, and so...

19 CHAIRMAN JACZKO: Well, I appreciate that and I think -- I
20 certainly appreciate Commissioner Ostendorff's line of questioning, and I think
21 certainly what I was listening for from your responses to his questions was some
22 kind of certainty to us that you've identified those issues, that because clearly,
23 you know, if what the guidance says is, you know, due an accident of, you know,
24 loss of coolant scenario, we have something where -- particular in mind, if we're
25 thinking of researching test reactors, and what that means. I mean some

1 research and test reactors don't even have backup cooling systems, or whatever.

2 So, you know, what we don't want is for an applicant to
3 come in and have, you know, written 200 pages of doing that, and they're exactly
4 the wrong thing, because they were trying to follow guidance that wasn't written
5 for them. So, you know, looking back and looking at the interim staff guidance, I
6 mean it seems like you went through and specifically in the draft, you put out to
7 identify what those were, and I think through his questions, I think he was trying
8 to get some -- certainly, I was hoping to get some certainty that you'd actually
9 done that, and I think there's probably more there than you communicated in this
10 meeting. So, we can probably figure out a way for you to maybe send something
11 up, just to kind of go through that, maybe at a higher level, and just highlight what
12 those are, you know, without repeating the entire interim staff guidance.

13 But, you know, I think that this is a difficult issue for us. We are a
14 regulatory body. It's not our job to develop a Mo-99 capacity in this country, but I
15 certainly have watched for years as we have -- others have tried and failed, and it
16 will come a time in which we will be up to bat, so to speak, and we just need to
17 be ready when that time comes, and be ready to hit all the pitches, and so, you
18 know, I think that's, as I look forward that's just staff work, and we've had more
19 time, and I think, unfortunately, part of the problem is we've had more time than
20 we expected. So, since we've had more time, we've had more time to do and,
21 redo, and ask, and re-ask, and but in the end, that should hopefully pay off.

22 Back to the RIS, one difference, I think, Missouri did not submit a
23 response on the RIS. This time around, they submitted a letter of intent. Are
24 they no longer interested or they just didn't submit a response to the 2011 --

25 TIMOTHY MCGINTY: I'd have to ask Jesse, if I could.

1 JESSE QUICHOCHO: They didn't -- they did not respond to the
2 RIS. The only thing we had interactions with them, was they sent a letter of
3 intent, and then we had a public meeting with them.

4 COMMISSIONER JACZKO: So, effectively at this point, are we
5 planning to receive an application from them?

6 JESSE QUICHOCHO: At this point, we're not planning on
7 receiving an application from the University of Missouri Research Reactor.

8 COMMISSIONER JACZKO: Okay. Great. Well, again, as I think
9 you've heard from many people here, you know, we want to be ready and make
10 sure we're prepared, and so keep doing what you are doing. Keep interacting
11 with the applicants, so that if we do see some applications, we'll be ready to
12 process those in the most efficient way. I mean, of course, you know, in the end,
13 we have to make a safety call, and it's important that we do that in a good way,
14 but, you know, the more we're prepared, I think, the more effective that process
15 will be. Any other questions or comments?

16 COMMISSIONER MAGWOOD: Thank you, Chairman. Just a
17 resource question, how are you resourced to go forward with this? How many
18 applications are you resourced to receive and can you get us an idea of what's --

19 CHAIRMAN JACZKO: I think just remind people we don't discuss
20 beyond 2013, in terms of the budget.

21 TIMOTHY MCGINTY: Okay. So, in the green book for 2013, you'll
22 see that we are resourced, budgeted for -- to conduct one application, a review
23 on one application. With that said, as with any process that the -- that we go
24 through here at the agency to do licensing, when we get -- when high priority
25 activities are presented before us, we assess it in an agency way across all of

1 our product lines to determine whether or not it would be more efficient for the
2 agency to apply resources to a particular area than another. We have a lot of
3 technical expertise and capability to be able to address multiple applications,
4 should they arrive, but at this point in time, for 2013, we've planned for one, and
5 we need to do that responsibly, and part of that goes back to we've been
6 expecting an application for quite some time, and so it's not necessarily efficient
7 to plan for things that don't come in.

8 CHAIRMAN JACZKO: Sure.

9 COMMISSIONER OSTENDORFF: I wanted to piggyback on your
10 comment and I appreciate you raising this. I still like -- I agree. I'd like to have
11 more information provided back to the Commission, that tries to answer my
12 question a little more fully, or you can suggest a different question I can ask, that
13 would get this thing thought process, because I still don't have a good enough
14 feel for what we're talking about here.

15 CHAIRMAN JACZKO: Any other comments? Questions? Sure.

16 ERIC LEEDS: Can I just respond to Commissioner Ostendorff?
17 Commissioner, I think what you're asking for and what we need to provide you
18 are what are the staff's safety concerns with each one of these technologies?
19 Let's go to the heart of the review and provide you those kinds of detailed items.
20 You heard Al Adams come up here and talk to you about criticality safety for the
21 liquid homogeneous reactor. You know, that's a concern, you know, the different
22 interactions, that sort of thing. I think that's what you're asking for. I think that's
23 what we should give you. I think that scratches your itch.

24 CHAIRMAN JACZKO: Let me, in the interest of time, let me say
25 I'm not -- well, if you want to respond

1 COMMISSIONER OSTENDORFF: No, I appreciate Eric coming up

2 --

3 CHAIRMAN JACZKO: I think we -- Commissioner Ostendorff has
4 asked this question. I think it's incumbent upon you to provide a good answer to
5 the question. Let's not try and negotiate that in this particular meeting, but send
6 some information. If it's not sufficient, we'll go back and we'll keep working it until
7 we make sure we get it, but I think, you know, I think it's pretty clear we asked for
8 some very specific things and we'll get some of those up, and then go from there.
9 Anything else? Okay, thank you.

10 [Whereupon, the proceedings were concluded]