

UNITED STATES OF AMERICA
U.S. NUCLEAR REGULATORY COMMISSION

BRIEFING ON THE RESULTS OF THE AGENCY ACTION
REVIEW MEETING (AARM)

MAY 29, 2013

9:00 A.M.

TRANSCRIPT OF PROCEEDINGS

Public Meeting

Before the U.S. Nuclear Regulatory Commission:

Allison M. Macfarlane, Chairman

Kristine L. Svinicki, Commissioner

William D. Magwood, IV, Commissioner

William C. Ostendorff, Commissioner

APPEARANCES

NRC Staff:

Bill Borchardt
Executive Director for Operations

Brian McDermott
Director, Division of Materials Safety and State Agreements,
Office of Federal and State Materials and Environmental
Management Programs

Ho Nieh
Director, Division of Inspection and Regional Support, Office
of Nuclear Reactor Regulation

Victor McCree
Regional Administrator, Region II

Eugene Guthrie
Chief, Browns Ferry Special Projects Branch, Region II

Art Howell
Regional Administrator, Region IV

Anton Vogel
Director, Division of Nuclear Materials Safety, Region IV

Tennessee Valley Authority:

Preston D. Swafford
Chief Nuclear Officer and Executive Vice President, Nuclear
Power Group

Charles "Chip" Pardee
Executive Vice President and Chief Generation Officer

James Morris
Senior Vice President, Nuclear Operations

Keith Polson
Site Vice President, Browns Ferry Nuclear Plant

Daniel L. "Lang" Hughes
Senior Manager Nuclear Plant Field Operations, Browns
Ferry Nuclear Plant

Omaha Public Power District

W. Gary Gates
Chief Executive Officer and President

Lou Cortopassi
Fort Calhoun Station Vice President & CNO

1 PROCEEDINGS

2 CHAIRMAN MACFARLANE: Good morning.

3 MULTIPLE SPEAKERS: Good morning.

4 CHAIRMAN MACFARLANE: The Commission meets today to
5 discuss the results of the Agency Action Review Meeting. The senior leadership
6 of the NRC holds the Agency Action Review Meeting annually to review the
7 appropriateness of agency actions taken for nuclear power plants, nuclear
8 materials licensees, and nuclear fuel cycle facilities with significant performance
9 issues. We also ensure that the coordinated courses of action are developed
10 and implemented for licensees of concern. We assess the effectiveness of
11 NRC's inspection and assessment programs and ensure that trends in industry
12 performance are recognized and appropriately addressed. The Agency Action
13 Review Meeting is an integral part of the evaluative process used by the NRC to
14 ensure the operational safety performance of our nuclear licensees.

15 So today what we're going to do is first hear from the NRC staff and
16 they will summarize the performance trends from the reactor industry and the
17 materials and waste areas and they will update the Commission on the progress
18 of two of today's invited licensees: The Tennessee Valley Authority and the
19 Omaha Public Power District. And then following the staff's presentation, we'll
20 take a short break and then we'll hear from both of those licensees about their
21 plans to address their performance issues.

22 So just a few reminders before we begin: you're going to pay
23 attention to the little colorful lights there; when it goes red, your time is up, and
24 I'm also going to ask you to avoid using acronyms -- my usual plea -- so that we
25 understand what we're talking about and the folks watching on the web can also

1 understand better what we're talking about. So before I turn it over to the staff;
2 let me see if my fellow Commissioners have any opening comments, no? Okay.
3 And then I will turn it over to Bill Borchardt, our Executive Director of Operations.

4 BILL BORCHARDT: Good morning. Yes, slide two please.
5 Chairman, you reviewed the four major objectives of the Agency Action Review
6 Meeting. I'd just like to say a few words about the third of those objectives, which
7 is to assess the Reactor Oversight Program's effectiveness as well as the
8 effectiveness of the Construction Reactor Oversight Program. The reactor
9 oversight process is a dynamic and continuously improving process, and the
10 meeting that we most recently had and the associated papers prepared by the
11 program offices is just one of several mechanisms that we use to make sure that
12 the reactor oversight program remains effective, that it adjusts to the realities of
13 the operating environment for our facilities, and for now, the construction
14 environment. We are planning a future briefing to discuss the construction
15 program; including construction status and activities, for later this year.

16 Go to slide three, please. There were no significant adverse
17 transfer materials licensees and no gaps or failures of the Materials and Waste
18 Programs. In addition, there were no long-term significant adverse trends for
19 reactor licensees, no program adjustments required for the Reactor Oversight
20 Program, and both the Reactor Oversight Program and the Construction Reactor
21 Oversight Program met the program goals and achieved their intended
22 outcomes. Agency actions taken for licensees that warranted discussion in the
23 Agency Action Review Meeting were appropriate and the current regulatory tools
24 were deemed to be efficient.

25 As you mentioned, there are two licensees that will be being

1 discussed today; but in fact, there were three licensees that warranted discussion
2 under the criteria in our management directives. Browns Ferry Unit I was
3 discussed because it's in the multiple repetitive degraded cornerstone column of
4 the Reactor Oversight Program Action Matrix because of red findings that were
5 issued in 2010. Earlier this month, the NRC staff commenced the final portion of
6 the supplemental inspection at Browns Ferry. And TVA last briefed the
7 Commission on performance at Browns Ferry during the 2012 Agency Action
8 Review Results briefing that was held in June of last year.

9 Fort Calhoun was also discussed at the Agency Action Review
10 Meeting because it has been under manual chapter 0350 since December of
11 2011, due to significant performance concerns. Since early this year, the NRC
12 staff has conducted several inspections at Fort Calhoun. OPPD last briefed the
13 Commission in January of 2013 on the status of actions towards recovery.

14 In addition to those facilities, we discussed a materials licensee in a
15 closed Agency Action Review Meeting session based upon security related
16 performance issues. We did not recommend inviting the licensee to this meeting
17 because the licensee has taken adequate corrective actions and no adjustments
18 to NRC-planned actions were deemed necessary.

19 Go to the agenda slide, please. This slide just shows the agenda
20 for the staff's presentation this morning, and with that, I'll turn it over to Brian
21 McDermott.

22 BRIAN MCDERMOTT: Thank you Bill, and good morning,
23 everyone. My objective today is to provide a summary of the Materials and
24 Waste Program performance and trending analysis for fiscal year 2012. I'd like
25 to begin by providing some context regarding the Materials and Waste Programs.

1 First, we're dealing with a very large number of specific licensees; over 23,000 at
2 last count, with about 87 percent of those licensees in Agreement State
3 jurisdictions. More importantly, however, the programs encompass a very wide
4 variety of applications and activities, from industrial and medical to academic and
5 fuel cycle activities. Some of these activities, such as diagnostic and therapeutic
6 medical applications, include the intentional exposure of individuals to radiation;
7 and for this reason, they are very unique uses of radioactive materials. When we
8 discuss the number of reportable events and trends, especially in the medical
9 area, it's important to keep in mind a very large number of activities conducted
10 each year. The estimated number of nuclear medicine and radiation therapy
11 procedures is in the millions. And this large number has implications for our
12 review. The statistical significance of the small number of events is somewhat
13 limited. And secondly, licensees are only required to report the number of events
14 that occur vice the total number of activities they've performed -- so, coming up
15 with a denominator to normalize the data is somewhat of a challenge. Next slide,
16 please.

17 Annually, the staff performs a systematic review to identify any
18 significant operational performance trends, licensee performance issues, or NRC
19 program gaps. I'd like to emphasize that the criteria we use provides for a
20 graded approach; it allows us to identify higher consequence issues such as
21 ones that drive our strategic outcomes reported to Congress, all the way to lower
22 level issues that are viewed more as precursors. We believe the graded
23 approach provides us the ability to focus management attention on the most
24 important issues and at the same time provide the staff early indication of any
25 programmatic issues so that we may take early actions while these issues are

1 still at a lower level of significance. Next slide, please.

2 This slide reflects the goals and criteria that we use in the
3 evaluation process. Industry event data is collected, monitored, and evaluated
4 on a quarterly basis by the staff and is summarized in an annual report to the
5 Commission. In fiscal year 2012, there were 436 events reported by NRC and
6 Agreement State licensees. These were reviewed as part of the trending
7 analysis. The evaluation of the individual events is done initially as part of the
8 routine oversight of licensee activities. And it's the annual performance
9 evaluation that does the aggregate assessment and seeks to identify any
10 significant licensee performance trends or NRC program issues warranting the
11 highest level of attention and awareness through the Agency Action Review
12 Meeting process. The criteria used to identify these issues and licensees for
13 discussion at the meeting was originally developed by the staff and endorsed by
14 the Commission in 2003, and adjustments have been made in 2008 and 2011 to
15 incorporate lessons learned through implementation. The Agency Action Review
16 Meeting criteria target the most critical issues such as very serious operational
17 events, including those that would trigger agency-level performance measures.
18 The issued annual report to the Commission notes that we believe the current
19 criteria is effective and valid, and no recommendations have been made this year
20 to adjust the criteria. Next slide, please.

21 Moving quickly to the results with respect to our highest level goals
22 and objectives for fiscal year 2012, no events met the strategic outcome criteria.
23 The regulatory framework was effective in preventing events such as releases of
24 radioactive material that could result in significant radiation exposures. In
25 addition, the safety and security performance measures for materials were met

1 as well. For example, there were no exposures to the public or radiation workers
2 resulting in unintentional functional damage to an organ or a system. Security
3 measures for risk-significant materials were also met. In fiscal year 2012, there
4 were no losses or thefts of Category I sources. There were three Category II
5 sources that were lost or stolen, but subsequently recovered. And as a point of
6 information going beyond this level of metrics, there were seven Category III
7 sources that were lost and subsequently recovered or appropriately accounted
8 for. So we are tracking the full spectrum; not just those highest tier. Next slide,
9 please.

10 Let's move to abnormal occurrences for fiscal year 2012. The staff
11 identified 22 abnormal occurrence events for the annual report to Congress
12 based on our current review criteria. One of those events involved an electrical
13 equipment fire at a commercial nuclear power plant; and that facility will be
14 discussed later in the presentation. One of the events involved an excess of
15 radiation exposure to an embryo fetus. Another involved an exposure to the
16 extremities of a radiographer. The remaining 19 abnormal occurrences fall into
17 the category we know as Medical Events. As I alluded to earlier, the number of
18 medical event-related abnormal occurrences is very small in contrast to the
19 millions of medical procedures performed annually. Based on our review, the
20 staff does not believe that these events represent a generic concern. Also, no
21 significant performance trends were identified when looking at this year's
22 abnormal occurrence data in comparison to the previous years' worth of data.
23 The staff did note that the current abnormal occurrence screening criteria
24 captured some events where there were no adverse medical effects reported.
25 We are currently working with the Office of Research and the Advisory

1 Committee on Medical Uses of Isotopes to identify potential enhancements to the
2 abnormal occurrence criteria; and my understanding is a paper is due to the
3 Commission later this summer on that very topic. Next slide, please.

4 As I mentioned before, the annual review process drives us to
5 identify significant licensee performance issues or NRC program issues that
6 warrant that highest level of review and attention at the Annual Agency Review
7 Meeting. For fiscal year 2012, Bill noted, we did have one nuclear material
8 licensee that was discussed because of significant performance issues involving
9 security, and it was not recommended that the licensee be invited to this meeting
10 because the licensee actions were deemed appropriate and effective, and the
11 agency actions were deemed sufficient. My understanding is that all
12 Commission offices were separately notified regarding this licensee. Regarding
13 the NRC's program performance, we did not identify any significant gaps or
14 issues with the materials and waste programs.

15 In closing, after reviewing the performance data for the Materials
16 and Waste Programs, the strategic goals were met in fiscal year 2012. The
17 Safety and Security performance measures were met as well. No adverse
18 performance trends were identified. No significant NRC program issues were
19 identified. And this concludes my prepared remarks; I look forward to any
20 questions you might have. At this point I'll turn it over to Ho Nieh to discuss the
21 reactor assessments.

22 HO NIEH: Thank you Brian. Good morning Madame Chairman;
23 Commissioners. I will be briefing you on the results of the NRC's Industry Trends
24 program and reactor oversight process self-assessment for 2012, both of which
25 were discussed at the Agency Action Review Meeting. Next slide, please. I'm

1 on slide 13. The NRC uses its Industry Trends program to monitor for adverse
2 trends in industry safety performance. The Industry Trends program
3 complements the reactor oversight process by taking a step back and looking at
4 industry-wide performance. The program uses industry level performance
5 indicators such as scrams and safety system failures, as well as objective
6 thresholds for identifying short-term and long-term trends. Outputs from this
7 program are also used in our reports to Congress in our annual Performance and
8 Accountability Report. The Industry Trends program is carried out in accordance
9 with Inspection Manual Chapter 0313, and the results of the 2012 review were
10 provided to the Commission in SECY-13-0038. Next slide, please.

11 The overall results for 2012 were that no statistically significant
12 adverse long-term trends were identified and no short-term prediction limits were
13 exceeded. In the 2012 report, the staff also updated the results from 2011 based
14 on finalized accident sequence precursor evaluations. Specifically, seven
15 additional events met the criteria as specified in the manual chapter for
16 significant events. As such, the short term prediction limit was exceeded in 2011
17 for significant events. These seven additional events were related to natural
18 phenomena and extreme weather. The staff's assessment concluded that these
19 seven additional events did not represent a degradation in overall industry safety
20 performance. And the staff had also noted good operator response during these
21 events. Next slide, please.

22 The Industry Trends program also incorporates -- I'm sorry, I think
23 we should be on slide 15. I think you need to go backwards. I'll keep talking.
24 We're on a baseline risk index for initiating events, which is part of the Industry
25 Trends program, and this program looks at initiating events in the reactor -- in the

1 initiating events cornerstone in the reactor oversight process. And these are
2 things such as transients and losses of off-site power. None of the limits in the
3 10 initiating events categories were exceeded in 2012.

4 In summary, the 2012 Industry Trends Program did not result in the
5 need for any adjustments to the NRC's oversight programs. And the Agency
6 Action Review Meeting participants agreed with this conclusion.

7 Next slide, please. Slide 16. Thank you. Now, I'll discuss the
8 results of the Reactor Oversight Process Self-Assessment for 2012. Each year,
9 the staff conducts the self-assessment to determine if the ROP is effective in
10 being objective, risk-informed, understandable, and predictable. This self-
11 assessment is one of several mechanisms that the staff uses to identify
12 recommendations for changes to the ROP, the Reactor Oversight Process. The
13 self-assessment is conducted in accordance with Inspection Manual Chapter
14 0307. And the results were provided to the Commission in SECY-13-0037.

15 Next slide. The overall results for 2012 were that the Reactor
16 Oversight Process met its performance goals and desired outcomes. And the
17 staff did not identify any specific commitments for improvements. Again, the
18 Agency Action Meeting participants agreed with this conclusion. Nevertheless,
19 the staff will continue to look for areas for improvements based on internal and
20 external feedback and lessons learned. As noted in this SECY Self-Assessment
21 paper, some performance metrics in the ROP were not met. Several of the
22 metrics that were not met pertained to internal perceptions about ROP
23 effectiveness and communications. The staff will continue to take action to
24 address these areas. And the staff will also be assessing the relevance of the
25 current Reactor Oversight Process performance metrics and survey tools used in

1 the self-assessment.

2 Next slide, please. A specific requirement of the Agency Action
3 Review Meeting is to discuss Action Matrix deviations. In 2012, there were two
4 deviations, one at Seabrook for alkali-silica reactions in concrete, and one at
5 Palisades for leakage issues and safety culture issues. As required by our
6 process, the staff evaluates each action matrix deviation to determine if changes
7 to the Reactor Oversight Process are warranted. These two deviations were
8 used to apply additional inspection resources to specific areas where licensees
9 were having activities. These deviations did not involve circumstances in which a
10 deviation is sought to take actions different than what is specified in the action
11 matrix for a given set of Reactor Oversight Process inputs. In evaluating these
12 two deviations, the staff found that the current inspection program guidance
13 provides flexibility for regions to use additional resources to focus in specific
14 areas. The staff plans to clarify the inspection program guidance so that the
15 regions can publicly document its decisions to use additional resources in
16 specific technical areas within the baseline inspection program. We feel that this
17 improvement will further enhance the transparency of the inspection program.

18 Next slide, please. I would now like to highlight some of the
19 significant accomplishments to improve the reactor oversight process in 2012.
20 We integrated security into the Reactor Oversight Process action matrix. This
21 was a planned and significant step toward increased openness in the security
22 cornerstone. We collaborated effectively with the Institute for Nuclear Power
23 Operations, the Nuclear Energy Institute, and other external stakeholders to
24 finalize common language in the area of safety culture. This common language
25 will be incorporated into Reactor Oversight Process program documents to

1 educate and train our inspectors. We also made improvements to our significant
2 determination process in the area of cyber security and force-on-force exercises.

3 Next slide, please. The Reactor Oversight is a mature and robust
4 program and it has served the agency well. At the same time, we can always
5 look for ways to do things better. I'll highlight some areas of focus. At the end of
6 last summer, the staff initiated a Reactor Oversight Process enhancement project
7 to take a fresh look at the program. We'll be working with internal and external
8 stakeholders to consider making changes in areas such as the baseline
9 inspection program, substantive cross-cutting issues, timeliness of supplemental
10 inspections, and how the ROP communicates with the public. As part of this
11 effort, the staff will incorporate insights from the Commission-directed
12 independent review of the Reactor Oversight Process. Lastly, the staff will
13 continue its work to enhance the Public Radiation Safety cornerstone. We will be
14 augmenting our inspection program guidance to document licensee
15 implementation of the industry's initiative in groundwater and underground piping.

16 This concludes my presentation and I'd like to turn it over to Mr.
17 Gene Guthrie, who will review on performance of Browns Ferry. Thank you.

18 EUGENE GUTHRIE: Good morning, Commissioners, Chairman.
19 My name is Gene Guthrie. I'm the team leader for the 95003 inspection currently
20 in progress at the Browns Ferry Nuclear Station. Prior to this opportunity, I
21 served as the Reactor Projects branch chief for the Browns Ferry site as well as
22 the other Tennessee Valley Authority sites. I'll provide an overview of the
23 Browns Ferry plant for the 2012 performance assessment period. I will then
24 discuss the path forward regarding NRC's assessment of plant performance and
25 other regulatory actions.

1 Browns Ferry Unit 1, entered Column 4 of the agency action matrix,
2 when the NRC issued a red finding in August of 2011, due to the high safety
3 significance determination associated with the failure of a residual heat removal
4 system flow control valve. We have briefed the Commission since that date on
5 two occasions regarding Browns Ferry's performance, in October 2011 and April
6 2012. We have also held seven public meetings, during which we discussed
7 Tennessee Valley Authority's response to the finding and preparations for the
8 ongoing 95003 inspection, among other topics. Since issuing the red finding, the
9 Tennessee Valley Authority has developed and begun to implement a
10 performance improvement plan. In February 2013, Tennessee Valley Authority
11 informed us it had reached a point in implementation of the plan to support
12 readiness to receive the 95003 inspection.

13 Regarding Browns Ferry's performance in 2012, equipment
14 reliability remained a key factor affecting plant performance and operations. In
15 2012, there were four reactor scrams and four unplanned down powers. The
16 impact of these plant transients were reflected in several degraded performance
17 indicators. The Unit 3 performance indicator for unplanned scrams per 7,000
18 critical hours changed from green to white in the second quarter, primarily as a
19 result of three reactor scrams. Scrams were caused by two secondary system
20 equipment issues and one human error.

21 The Unit 1 mitigating system performance index for high pressure
22 injection systems changed from green to white in the second quarter due to
23 equipment reliability issues. In addition, a white finding was issued involving the
24 procedures that are implemented to shut down the plant and put it in a safe
25 condition during various fire scenarios in locations throughout the plant.

1 This finding affected all three units. The procedures, called safe
2 shutdown instructions, were revised as part of a licensee's initiative to reduce fire
3 risk during the transition to National Fire Protection Association 805 Licensing
4 Basis. The NRC determined that the operators are not adequately trained to
5 successfully implement the revised procedures. Since that time, training has
6 been conducted to address this issue. The two white performance indicators and
7 the white finding were inspected using supplemental inspection procedure
8 95001. They were inspected separately in September, October, and November
9 of 2012. Each of the inspections determined the licensee's actions to be
10 satisfactory.

11 Finally, the Unit 1 and Unit 2 mitigating system performance index
12 for emergency AC power systems changed from green to white in the fourth
13 quarter due to equipment reliability issues. We plan to conduct a supplemental
14 inspection in this area later this year. As a result of these performance issues,
15 Unit 2 is in Column 3, the degraded cornerstone of the Reactor Oversight
16 Process action matrix. And Unit 3 is in Column 2, the regulatory response
17 column. As previously stated, Unit 1 remains in Column 4 pending the outcome
18 of the 95003 inspection.

19 Regarding safety culture at Browns Ferry, we are assessing this
20 area by following up on previously identified substantive cross-cutting issues,
21 reviewing the licensee's third-party safety culture assessments and by
22 conducting interviews of site personnel. Two substantive cross-cutting issues
23 remained open throughout this assessment period. One, thorough evaluations of
24 identified problems, has been open since 2009. And the other, appropriate and
25 timely corrective actions, has been open since 2010. A third substantive cross-

1 cutting issue in human performance was open in February 2013, in the aspect
2 complete, accurate, and up-to-date, design documentation, procedures, work
3 packages, and correct labeling of components.

4 The Tennessee Valley Authority's actions to address these cross-
5 cutting issues are being evaluated as part of a 95003 inspection. During this
6 assessment period, the licensee received an independent third-party safety
7 culture assessment report. The surveys for this assessment were conducted in
8 the fall of 2011. And the relatively low participation rate in this survey adversely
9 affected the reliability of the results.

10 As a result, we expanded the scope of our independent
11 assessment of safety culture. This was accomplished, in part, by adding
12 additional safety culture assessors to the 95003 team to interview a wider sample
13 of site personnel and consequently enable more thorough evaluation of the
14 results of the independent third-party assessment.

15 During the first quarter of this year, TVA initiated another
16 independent third-party safety culture assessment. The final report is being
17 reviewed by the 95003 inspection team to assess the nature and degree of
18 improvement in the culture at the station.

19 Next slide, please. The third part of the 95003 inspection is
20 currently in progress. As we previously reported, Part 1 and Part 2 of this
21 inspection were completed in 2011 to identify whether there were any immediate
22 safety concerns with programs or equipment and focused on valve and
23 maintenance programs at the station. While the inspections identified several
24 program-related issues, no safety concerns were identified. The Part 3
25 inspection is designed to evaluate TVA's current performance at all three sites,

1 and the reasonable sustainability of its performance improvement initiatives. Our
2 ongoing inspection includes an assessment of TVA's Performance Improvement
3 Plan and its implementation to determine whether it is sufficient to correct the
4 underlying performance deficiencies and prevent recurrence.

5 The inspection team includes a diverse groups of 23 experienced
6 inspectors from Regions I, II, and III, the Office of Nuclear Reactor Regulation, as
7 well as safety culture assessors from NRR, Office of Research, the Office of
8 Enforcement. Team has spent two weeks of preparation and inspection in
9 Region II, two weeks inspecting on-site. Throughout this time, they have been
10 highly dedicated and have vigorously taken on the responsibility of accomplishing
11 the inspection objectives. I have very high confidence that -- in the team's ability
12 to provide a high-quality inspection and through assessment.

13 At this point in the inspection we have not reached a conclusion
14 regarding the adequacy of Tennessee Valley Authority's actions. However, even
15 with a satisfactory assessment in the 95003 inspection, we anticipate the need
16 for additional inspection focusing on key licensee improvement initiatives. We
17 will continue to use the Reactor Oversight Process assessment -- the Reactor
18 Oversight Assessment Process to guide our regulatory actions regarding Unit 1
19 status in the Reactor Oversight Process action -- agency action matrix.

20 Of course, a key input to the assessment process will be the results
21 of the 95003 inspection, the Part 3 inspection, and any follow-up areas that we
22 conclude warrant additional attention. This assessment of plant performance will
23 enable us to determine whether and when it is appropriate to move Unit 1 from
24 Column 4 or take other regulatory actions. We expect to complete our
25 assessment sometime this summer.

1 In April 2012, NRC issued a confirmatory order which required TVA
2 -- or Tennessee Valley Authority -- to submit a license amendment request by
3 March 29th, 2013, to transition to National Fire Protection Association standard
4 805 for the Fire Protection Program at Browns Ferry.

5 Tennessee Valley Authority submitted the license amendment
6 request on March 27th and is currently undergoing NRC's acceptance review.
7 TVA is currently implementing a number of plant modifications to further reduce
8 fire risk at Browns Ferry. And of course, we are continuing to conduct
9 inspections under the Reactor Oversight Process to assess and confirm the
10 adequacy of commitments made to implement plant modifications in these areas.

11 In closing, participants in the Agency Action Review Meeting in late
12 April concluded that the performance of the three units at Browns Ferry
13 continued to be adequate for safe operations. In addition, the participants
14 acknowledged that the completed and planned NRC actions at Browns Ferry
15 were appropriate and that no additional actions were recommended. And that
16 concludes my remarks on Browns Ferry's performance and agency actions going
17 forward. Thank you. And I'll turn it over to Tony Vegel.

18 ANTON VEGEL: Good morning, Chairman, Commissioners.
19 Name is Tony Vegel and I'm the 0350 panel chair for the oversight of Fort
20 Calhoun Station. Also here with me today is Louise Lund, the deputy director in
21 the operator reactor licensing; and Mike Hay, the branch chief from Region IV.
22 Louise and Mike have been instrumental in coordinating headquarters and
23 regional resources in ensuring that the technical issues at Fort Calhoun are being
24 reviewed in a timely and thorough manner.

25 Today I plan to provide a brief overview background of how Fort

1 Calhoun entered an 0350 process, the NRC actions taken, and the planned
2 actions going forward to assess the station's readiness for restart. The majority
3 of my discussion will focus on what has changed since January of this year when
4 we last briefed the Commission on Fort Calhoun oversight status.

5 Next slide. On December 13, 2011, Fort Calhoun Station
6 transitioned out of the normal Reactor Oversight Assessment Program to Manual
7 Chapter 0350, which is Oversight of Reactor Facilities in a Shutdown Condition
8 due to Significant Performance and Operational Concerns. As you may recall,
9 the station shut down for a normal refueling outage in April of 2011. On June
10 6th, the licensee declared an unusual event based on high river levels. On June
11 7th, it declared an alert based on a fire that started in the safety-related 480 volt
12 electrical breaker that resulted in a loss of multiple electrical buses and spent fuel
13 pool cooling for a short period of time. The circumstance causing the fire was
14 subsequently assessed by the NRC as a red finding. The significant
15 performance deficiencies that resulted in transitioning Fort Calhoun Station to the
16 0350 process included a yellow finding involving inadequate flood mitigation
17 strategies, a white finding involving reactor protection systems, and multiple
18 greater-than-green findings in the area of security.

19 Several confirmatory action letters, otherwise known as CALs, have
20 been issued since 2011, describing actions that OPPD has committed to take
21 prior to restart of the station. These actions entail ensuring systems, structures,
22 and components potentially affected by the flooded conditions are adequately
23 assessed and corrected, and to ensure that issues resulting in the prolonged
24 performance decline at Fort Calhoun Station are resolved.

25 Revision 3 of the confirmatory action letter was recently issued on

1 February 26th, 2013, to include containment internal structures issues,
2 penetrations issues, and multiple safety system functional failures.

3 Enclosed in the confirmatory action letter is a restart checklist that
4 specifies the actions to be taken by both the licensee and NRC prior to restart.
5 Major areas the licensee is responsible to address include assessing and
6 correcting the causes of the significant performance deficiencies, including
7 performing an overall assessment of organizational effectiveness, completing
8 flood restoration activities, evaluating the adequacy of significant programs and
9 processes, and the development of a station integrated performance
10 improvement plan. In addition, the confirmatory action letter specified that the
11 NRC will review the key attributes that are contained in supplemental inspection
12 procedure 95003 that Gene had previously described. To provide details and
13 clarifications for the scope and breadth of the restart checklist items, the actions
14 that the NRC plans to take to verify that Fort Calhoun Station has adequately
15 addressed the specific items, a restart checklist basis document was issued.
16 Revision 2 of this document was recently issued in March and consists of
17 approximately 480 items. Next slide, please.

18 Since the last time we briefed the Commission on January 8th,
19 significant inspection activities have been performed by approximately 40 NRC
20 inspectors. These inspectors have been -- these inspections have been done by
21 individuals and teams consisting of staff from all four regions and headquarters;
22 truly an agency effort.

23 I would now like to discuss some of the overall results and insights
24 from these inspection activities. In December 2011, the NRC worked with the
25 licensee to develop the scope of a 15-person inspection team that entailed the

1 reviewed of approximately 170 items. In February, when the team was preparing
2 for the inspection, over 30 percent of these items were not completed by the
3 licensee and therefore were not ready for NRC inspection. Additionally, a
4 significant amount of the inspected items were not adequately addressed by the
5 licensee and will require follow-up inspection.

6 Although the results of this inspection have not been placed on a
7 docket yet, we held a public meeting on May 17th in Omaha to discuss the
8 results publicly. Overall, the team concluded that much work was needed by the
9 licensee, not just to address what is needed to restart the plant but what is
10 needed long term to ensure sustained improvement is achieved. Areas for
11 improvement include improving the quality of design and licensing basis
12 information; improving the ability of facility staff to use the design basis
13 information; understanding regulatory requirements as they pertain to making
14 changes to the plant and reporting the information to the NRC; and fourth and
15 probably the most important, improving the effectiveness of the corrective action
16 process in the areas of evaluation of problems and extended condition, and
17 development and implementation of corrective actions.

18 Significant NRC inspection resources have been utilized, reviewing
19 Fort Calhoun actions to address the more significant or greater-than-green
20 performance deficiencies. In most cases, it was determined that the licensee
21 had implemented adequate actions to correct the specific technical problems.
22 However, their extended condition reviews, and development and
23 implementation of corrective actions, in many cases, were not adequate and will
24 require follow-up inspections to ensure that these areas are adequately
25 addressed.

1 For example, a security team inspection identified significant
2 deficiencies in the licensee's evaluation of the greater-than-green findings. The
3 team determined that the licensee did not collectively review all of the root and
4 contributing causes of the findings for indications of more fundamental problems
5 within the area of security or other departments. The team identified nine
6 findings in other areas of security that shared the same root and contributing
7 causes at the greater-than-green violations. In response, the licensee has been
8 performing additional work in this area, and the NRC is planning to do a follow-up
9 inspection. Currently, that inspection is scheduled for next month.

10 Though the NRC has identified some issues with the depth and the
11 breadth of Fort Calhoun Station efforts to address the confirmatory action letter
12 items, we have seen substantial progress in a number of areas. These include
13 improvements in the overall safety culture at the site, nuclear oversight
14 effectiveness, replacement of containment electrical penetrations, and
15 replacement of aged components, to name a few.

16 Next slide, please. I'd like to note that the Agency Action Review
17 participants acknowledged that completed and planned NRC actions at Fort
18 Calhoun station were appropriate and no additional actions were recommended.
19 As you can see, the inspection activity to date has resulted in mixed results.
20 There are many items left to inspect for the first time, a number of items that the
21 NRC needs to reinspect to ensure that adequate actions are being taken to
22 address the specific deficiencies identified.

23 As the inspections are being performed, the assessment to
24 providing inputs into areas that need to be resolved prior to restart and those that
25 will be incorporated in post-restart oversight plan to ensure performance

1 improvement is sustained. One of the items in the restart checklist is for the
2 NRC to verify that the licensee develops and implements an integrated
3 performance improvement plan that adequately addresses these long-term
4 actions. The NRC will ensure that at a minimum the integrated performance
5 improvement plan contains those items identified by the NRC as needing
6 additional attention, assuming restart of the facility.

7 The 0350 panel recognizes there's still a substantial amount of
8 inspection activity that needs to be performed. The NRC has no timeline for
9 when the plant will restart. Currently the overriding priority for the 0350 panel is
10 to ensure that we thoroughly and independently verify that the plant is safe to
11 restart. The 0350 panel will not recommend restart of Fort Calhoun Station until
12 we have assured ourselves that the people, the processes, and equipment at the
13 station are ready to support safe plant operations.

14 In accordance with the Manual Chapter 0350 process, should the
15 panel conclude the plant is safe for restart, this recommendation will be
16 presented in a memorandum to the regional administrator, describing the panel's
17 basis for their decision. The regional administrator will discuss and obtain
18 approval from the director of NRR for restart, then obtain concurrence from the
19 deputy executive director for reactor preparedness programs. Following this
20 process, the Region IV regional administrator would then authorize restart of the
21 facility.

22 In summary, the reactor oversight process is working. Based on
23 extensive inspections, Fort Calhoun Station is making progress. The key issues
24 that need to be resolved prior to restart have been identified, and what remains
25 is, first, the short-term corrective actions need to be completed to support a safe

1 return to operations; and second, the long-term corrective actions to sustain
2 performance improvement has to be developed and tracked through an
3 integrative performance improvement plan.

4 For the NRC, our challenge is to continue our independent and
5 thorough assessment to validate that plant operational safety is ensured. Thank
6 you.

7 BILL BORCHARDT: So Chairman, I'd like to just take a moment to
8 commend all four regional offices, as well as all the headquarter program offices
9 for their support, their coordination, and cooperation through what was a very
10 challenging year. As you know, we had all of the emergent work having to do
11 with Fukushima follow-up. We had some significant natural events. We were
12 able to maintain our focus on the safe operation and oversight of all licensed
13 facilities, materials, as well as reactors throughout that time period, while still
14 giving the appropriate attention to the facilities that were discussed today. It
15 doesn't happen by accident, and it takes a lot of cooperation, interdependence,
16 and cooperation amongst all those parties to make it happen what appears to be
17 seamlessly, but not without the dedicated efforts of a significant number of
18 inspection staff in the regions and in headquarters.

19 We have endured a great deal of challenge having to do with the
20 budget sequestration and other things. The oversight of the operating facilities
21 has been and will remain the number one priority for the agency and for the staff
22 throughout that period. We are doing all we can to preserve our robust
23 inspection program and oversight activities, and we're making difficult decisions,
24 but we are continuing with that line of decision moving forward.

25 So I'd like to thank the presenters for their presentations today.

1 And that completes the staff's presentation.

2 CHAIRMAN MACFARLANE: Great. Thank you very much. I do
3 appreciate your presentations. It's very helpful this morning. And I do appreciate
4 all the hard work at all the regions, and I acknowledge Vic McCree and Art
5 Howell, the two regional administrators who are here with us this morning. So
6 thanks for coming, and thanks for your hard work and oversight.

7 So I'm going to start off with questions. So let me start with Ho. So
8 I have a question about the trends analysis. So I've looked at some of the trends
9 program analysis for a number of years in the past, and there don't seem to be
10 very many significant insights into this. So the overarching question is, is there
11 real value to this trends analysis program? And so I want to probe a little deeper
12 by asking, it seems that you only look at the last 10 years. Why? Why not look
13 at 20 years? Why not look at all the data and see if you can see trends --
14 sometimes trends happen over a short period of time. Why cut it off at 10, when
15 it seems sort of arbitrary?

16 And then if I, you know, when I looked at the data on the 2012
17 significant events, it seems that there is a trend -- at least for the last three years
18 -- it's much higher. If that's not a trend, then what is it? What, you know, what
19 defines a trend? And maybe we should be rethinking this part of the program.

20 HO NIEH: Thank you for the question, Chairman. I heard three
21 questions in that, and I'll try to address them all. But with respect to the value-
22 added of the industry trends program, I do think that the trends program is
23 complementary to the reactor oversight process. And I feel that it's part of the
24 broader network of our oversight program, and it's -- look at operating
25 experience.

1 I think there is value-added in stepping back and taking an industry-
2 wide look. The reactor oversight process looks at it on a plant-specific basis.
3 The trends program enables us to take a look across the industry at performance
4 in various areas. Because we haven't identified any significant adverse trends in
5 those areas, I don't believe there's a reason for us to step away from doing that.
6 I think it's just another means for us to not become complacent with safety
7 performance of the industry.

8 With respect to the 10-year question, I had noticed that as well in
9 some of the long-term graphs. I think we have some questions internally with
10 respect to the period of time and the baselines that we use for the 10-year
11 period. I think it's a very thoughtful question. It's historically been what we've
12 used to look at it from a long-term perspective and it's an area that I'm looking at
13 with my staff within the Division of Inspection and Regional Support with respect
14 to the 10-year window that we're reviewing.

15 Regarding the graphs, it looks like there's a trend -- I'm not a
16 statistician, but I understand how the program is constructed, and we do -- it is in
17 the way we define what constitutes a statistically significant adverse trend. We
18 do use the coefficient of determination, which is how well the data correlates for
19 that 10-year cycle. It's the R squared value. And basically, if we see a strong
20 correlation with that trend, then we will consider it statistically significant. But if
21 we don't see that value, even if it looks like there's a positive slope, we use the
22 statistical significance test to determine whether or not there's an adverse trend.

23 CHAIRMAN MACFARLANE: Have you ever seen any trends about
24 anything? If not, then I would say that maybe we need to go back and look at
25 what we define as a "trend." Maybe -- Vic seems like he wants to jump in.

1 [laughs]

2 VICTOR MCCREE: Chairman, the only thing I'd add -- and I would
3 second Ho's comments. In your question about whether looking back further
4 than 10 years may be insightful -- because I would submit if we looked back over
5 20 years or 30 years, you know, when you ask whether we've ever seen trends.
6 In the context of the reactor oversight process, I don't think that we have
7 identified an adverse trend. But under our former regimes, if you would, when
8 we had an Office of Analysis and Evaluation of Operational Data in Industry
9 Performance, certainly warranted or merited such an identification of trends.
10 Trends were identified decades ago and it may be insightful, certainly to answer
11 to your question, to look at some of that information.

12 CHAIRMAN MACFARLANE: I guess I'm just sort of approaching
13 this like an academic and, you know, there's a whole lot of data here that you got
14 -- you have. And it seems that you could learn something from it instead of just
15 continually saying we don't learn anything from it. I mean, you should maybe
16 take the data, throw it up, and see if you -- it lands differently, and you actually
17 learn something from it. I think -- just to encourage a broader look.

18 Okay. So with respect to that performance metrics that were
19 missed this past year -- again, Ho, for you -- on the reactor oversight process,
20 understandability, responsiveness to feedback, and the program being
21 implemented as defined, I'm concerned that there's maybe a little bit more behind
22 these misses than just low participation. Maybe there's a lack of understanding
23 of this part of the reactor oversight process. And I think maybe we need a little
24 more exploration of this. Do you have any insights there?

25 HO NIEH: Yes, I share with you my thoughts with respect to the

1 performance metrics that were missed. When I was reviewing the results of the
2 surveys -- and we do use a survey tool to get the feedback. And one year we do
3 it with an internal survey, and then the following year, we'll do it with an external
4 survey. And we go back and forth. And there were several things that struck me
5 with respect to some of the ones that were missed in the areas you described. I
6 think, quite frankly, it surprised me. So in looking deeper into what the survey
7 questions we were asking and how many people responded, it did strike me that
8 there was a very low response rate, and the questions did probe at a very
9 general level: Is the ROP effective? Are the ROP -- is it understandable, and
10 things of that nature.

11 Given that there was low participation rate and some questions I
12 had with respect to the types of questions we were asking, I wanted to take a
13 deeper look. I'd asked our team in the Office of Nuclear Reactor Regulation to
14 take a deeper look at the survey to see if we're asking ourselves the right
15 questions. Having said that, I do think it does tell us something. I think if there
16 are staff that feel that the process is not understandable, that's something where
17 we can do better, and particularly with our inspection reports, for example.

18 There was a question in there with respect to are our assessment
19 reports and letters understandable? And, you know, there was a low favorable
20 response on that. And I feel that we can do better in that area. And we have
21 taken steps to incorporate more plain language initiatives into our manual
22 chapters that govern the inspection letters that we use in the process. But so I
23 do think there are insights there. Even though there were low response rates,
24 that didn't mean that we were going to ignore the survey results in those areas.

25 BILL BORCHARDT: Yeah, I'd just say I think there's a broader

1 issue here. It's not specific to reactor oversight program. It has to do with the
2 whole knowledge management area. You know, we're seeing -- we've hired a lot
3 of entry-level people. They're assuming positions that have -- are very important
4 within the Reactor Oversight Program. They didn't receive the training, the
5 indoctrination when we first developed the ROP 10 years ago or so. And, you
6 know, we're seeing the same thing, I think, in the materials area and the new
7 reactor area that there's -- we need to guard against this assumed assumption
8 that everybody knows all the background.

9 And I think it's kind of a refresher training -- sometimes initial
10 training for new employees -- that this may be a sign that we need to pay a little
11 more attention to that area.

12 CHAIRMAN MACFARLANE: Okay.

13 VICTOR MCCREE: Chairman, we also discussed at the Agency
14 Action Review Meeting the relatively low participation rate. And of course the
15 Regional Administrators took that personally, because we have a number of
16 people responsible for implementing that program. And quite frankly we'll do
17 better next time.

18 Some of us weren't as focused on that as closely as we needed to.
19 And the fact is, I think sometimes staff can suffer survey fatigue. But we need to,
20 in this area, emphasize the importance of eliciting and providing good feedback,
21 because this is fundamental to what we do. So we, again, took that for action.

22 CHAIRMAN MACFARLANE: Okay, good. Quick question about
23 Browns Ferry, for Gene. Four reactor scrams in the last year? Is that unusual
24 for a particular plant?

25 EUGENE GUTHRIE: There's -- you know, it's a three-unit site.

1 CHAIRMAN MACFARLANE: Yeah.

2 EUGENE GUTHRIE: It is -- it would be considered marginally more
3 than you would expect. It's not -- for instance, we have seen more in the past at -
4 - while all three units were operating since 2011. It is -- the trend is lower than it
5 has been in the past. And also to say how many is too many or those kind of
6 perspectives is -- it's a three-unit boiling water reactor site. There aren't too
7 many like that. So you have to consider that that's a consideration. So we'd like
8 to see less, and we'd like to see -- we're concerned about equipment and
9 reliability at the station. So as equipment reliability reflects on the scrams
10 themselves, we'd like to see, you know, improvement in that area. So that's how
11 I would answer that.

12 VICTOR MCCREE: And just to add onto what Gene indicated, I
13 think the insight is on -- in the area of equipment reliability. That's the area that
14 arguably -- or one of the primary reasons that Browns Ferry remains in column 4.
15 And while there -- there is evidence of improvement in that area due to --
16 investments, which I'm sure Mr. Swafford will speak to the number of trips really
17 over the last 18 months -- and down powers, mid cycle outages, if you would, are
18 evidence that that area still challenges TVA, and it's an area that they need to
19 remain focused on.

20 CHAIRMAN MACFARLANE: Okay. Great. Thanks. I will pass it
21 over to Commissioner Svinicki.

22 COMMISSIONER SVINICKI: Thank you, Madame Chairman.
23 Good morning, and welcome to everybody. I'll add my thanks to those of
24 Chairman Macfarlane to highlighting, I think, the work of all four of NRC's
25 regions. This annual meeting always puts the hard work and inspection activity

1 of our region staff front and center at this meeting every year. And again, I'm
2 very appreciative to our Regional Administrators and all of the staff in the regions
3 for the hard work that they do.

4 Brian, I wanted to start out by making a comment. I won't have any
5 questions in the materials area, but I thought that that might be interpreted as
6 some lack of emphasis on the materials area. This is -- the activities you
7 reported on are a really important part of the AARM process, and I think as you
8 did a very good job of putting in context, it is in the materials area that many
9 Americans will have their real interaction with nuclear technology. And when we
10 look at the tremendous number of medical procedures and other things, I think it
11 is important to put that in context as you did appropriately in your presentation. I
12 also want to thank you for the important work that will be going on in looking at
13 any potential modifications or enhancements to the abnormal occurrence
14 screening criteria for the medical -- what we would term a "medical event" but in
15 an area where there was absolutely no adverse medical effect on the patient. So
16 I think that's an important area for us to be looking at. Again, it gives some
17 context to the way the criteria are set up and what we're reporting. So I just -- I
18 don't have any questions for you, but I want to thank you for the really important
19 data that you presented this morning.

20 Tony, I wanted to turn to Fort Calhoun just because I'm trying to be
21 very clear on something related to the status of activities, and you touched on the
22 same point in kind of slightly different words three times; so I want to be sure that
23 I understand this. Now, we do have -- you mentioned the revision to the Restart
24 Checklist Basis Document. There's 460 items. And what I'm trying to
25 understand is, is NRC at the point or will we soon be at the point where a well

1 scoped and defined list of items can be communicated to the licensees, saying
2 "These are the items that, if addressed to our satisfaction, would lead to a
3 positive recommendation on restart"? Because you do talk also in some of your
4 statements about the Integrated Performance Improvement Plan. Well, I'll just --
5 I'll paraphrase what you said to try to point out maybe some of my confusion.
6 You said, "One of the items in the restart checklist is for NRC to verify that the
7 licensee develops and implements an Integrated Performance Improvement Plan
8 that adequately addresses long term actions." So it seems like you're saying that
9 restart is dependent on all of the longer term items having -- is it a satisfactory
10 plan for being addressed? Can you help me understand the linkage there?

11 ANTON VEGEL: Thank you for the question. Yes, we do have a
12 basis document that provided the detailed items, and there are 400 items. But
13 that list was developed with Fort Calhoun Station to make sure that they
14 understood it; that these are the issues that we will specifically look at to assess
15 the bigger areas that are in the confirmatory action letter and the restart checklist.

16 And my discussion regarding the Integrated Performance
17 Improvement Plan is for them to develop a plan. And as the specific area that we
18 put in the Confirmatory Action Letter and Fort Calhoun agreed to do, is that they
19 will develop an Integrated Performance Improvement Plan and will review it as
20 part of the Confirmatory Action Letter prior to restart.

21 So we're not saying that it is Integrated Performance Improvement
22 Plan has to be completely done --

23 COMMISSIONER SVINICKI: [affirmative]

24 ANTON VEGEL: -- and finished. No, they have to develop it. It
25 has to capture the right areas. We'll review it, and that'll be the -- you know, we'll

1 look at that and see if it's adequate, while understanding that if the plant restarts,
2 then they -- you know, that the Integrated Performance Improvement Plan is a
3 good plan. It'll probably change too to some -- as they get more and more
4 operational experience, per se. But the bottom line is that we'll review the plan.
5 It doesn't have to be all done. Does that kind of clarify it?

6 COMMISSIONER SVINICKI: It does, but it also, to me, helps me
7 understand why in the community and for officials near the plant -- I think the
8 Commission is -- I'm sure you've heard very directly is -- some frustration over
9 why NRC can't just come forward with a list right now and why does the list
10 change. And so I think folks in the community see it as a -- you know, it's
11 complex to explain why we also need to have satisfaction on longer term items
12 that don't need to be completed, but we need to have a plan for their completion.

13 And so I think your response is fair, but it helps me understand why
14 maybe some who aren't so close to these issues might have some confusion or
15 frustration with why this appears to be a bit of a -- you know, to use one person's
16 term, a "moving target" or still changeable over time.

17 ANTON VEGEL: And we've done outreach specifically to some of
18 the local, I guess, lawmakers, to sit down with them and go through, like this
19 recent change, like the containment penetrations and the containment internal
20 structures, why it was added and how we went through the process. So they
21 understood that we weren't just piling on throwing in new things, but these -- in
22 fact, some of these issues, Fort Calhoun specifically identified, and they're
23 correcting.

24 COMMISSIONER SVINICKI: Well, and, again, there's, I think, two
25 sources of having frustration with this process. It may be, as you said, there's the

1 camp that thinks it's piling on, but there's probably also a group of people that
2 say, "Well, you're the authorities on safety. Why can't you define right now what
3 it takes to operate a plant safely?" So I appreciate the outreach that you've
4 done, that members of the restart panel, you know, have looked at. And I think
5 we've made good efforts there. I'm certainly not criticizing that from any
6 standpoint, but I'm sure that you -- but, you know, as I'm getting an enhanced
7 sensitivity through your answers of why this is a very -- it's a challenging thing to
8 communicate to people and, of course, they just want to know that the plant in
9 their community is going to be safe.

10 Bill, did you want to --

11 BILL BORCHARDT: Yeah. Only that just as we would expect the
12 licensees, that you'll hear from later this morning, to express a commitment to
13 continued safe operations -- I mean, it's -- start up is not the goal for Fort
14 Calhoun. It's the startup and then have continued safe operation. We have a
15 very parallel function of having appropriate oversight that will continue with
16 operation, and if nothing else, these plants and our oversight program are
17 dynamic, and it reacts to equipment problems that will occur the day after the
18 plant starts up. I mean, something will happen. These are big facilities. And so
19 we'll provide the -- and adjust our oversight program to that new reality so -- and I
20 think that's part of what we see. We can define the list today of 400 items, but
21 there's nothing to say that it won't increase or decrease next week, based upon
22 what happens at the plant, and we'll adjust to it.

23 COMMISSIONER SVINICKI: And based on our inspection, those
24 activities are not concluded. Well, thank you for that. I think that that's helpful. It
25 just -- it points up again where there's no one size fits all way to communicate.

1 These are all unique situations, and we need to always be making our best
2 efforts to explain what's happening, and I think we're doing that.

3 Ho, I just want to say that the topic that you presented on, the
4 assessments and analysis, I always appreciate receiving those reports annually.
5 And you know, I look at the insights or, you know, where we don't find significant
6 trends, and I sometimes step back and reflect that in a federal government
7 career now that's well over -- I hate to admit this -- two decades for me, and I've
8 worked in the executive, the legislative branch for oversight, government
9 oversight committees and now at an independent government agency, I would
10 very candidly tell you that I'm not aware of a program that is more, you know,
11 rigidly and rigorously assessed and evaluated than NRC's reactor oversight
12 process. I think it stands, frankly, in my over 20 years of government service, as
13 a model of continuous evaluation and learning. And again, I've worked
14 everything from the Nuclear Weapons Program, as has my colleague
15 Commissioner Ostendorff, to various Pentagon acquisitions and procurements
16 and things like that. And I think that the rigor with which we look at the
17 effectiveness of the Reactor Oversight Process, again, to me, stands as a model
18 across the government of something that is assessed. We not only look at
19 whether or not we're seeing trends but whether or not we're looking at the right
20 things, whether or not we're taking the right meaning from what we're looking at.
21 And again, this is a process that whether or not the public can observe this
22 meeting and understand the lot as we get down into a lot of technical detail, but
23 this, to me, is the real backbone of why people should be confident in the
24 adequacy of our reactor oversight process, is this continuous learning and
25 reevaluation process that we go through. So, Ho, you know, there's individual

1 elements of the two papers that you presented on that were very interesting. I
2 appreciate that work that's done here, and I think you're carrying forward the rigor
3 of that, and I'm appreciative of it.

4 The other thing that was not presented at today's meeting that I
5 think was a significant input for the AARM, the meeting conducted by the senior
6 leadership of the agency but also provided as background to the Commission in
7 preparation for today, was a very disciplined analysis that was done of the
8 Construction Reactor Oversight Process. We conducted -- the agency
9 conducted a pilot over the last few years. The conclusion of the staff's paper to
10 the Commission and input to the AARM was that that pilot indicates that our
11 system for construction oversight is effective.

12 I want to compliment the staff, though. They did indicate that there
13 is a host of guidance revisions that will be undertaken for the Construction
14 Reactor Oversight Process. I think these are all really important as significant
15 lesson learned, which, again, are going to be incorporated. The framework was
16 found effective, but we can always making these further enhancements and
17 improvement. I want to conclude by complimenting that work. I'll be carefully
18 monitoring the revision to that guidance just to say that these are important
19 updates and lessons learned to -- again, it was a learning process for us.
20 There's not been this type of ground-up construction of nuclear power plants in
21 the U.S. for almost 30 years. So I appreciate it. I want to acknowledge the work
22 of the Office of New Reactors and Region II in terms of the construction oversight
23 process. So I don't -- Bill, did you want to chime in on it?

24 BILL BORCHARDT: Yeah, Commissioner, just -- we didn't think we
25 would have enough time in this meeting to adequately cover this very important

1 topic. And for that reason, we proposed a meeting that talks about construction,
2 both reactors and material side, because there's activities on the material side as
3 well -- for later this summer. And so you'll hear a lot more about the lessons
4 learned and how we're accommodating those into a revised program.

5 COMMISSIONER SVINICKI: Okay, thank you. I look forward to
6 that.

7 CHAIRMAN MACFARLANE: Commissioner Magwood.

8 COMMISSIONER MAGWOOD: Thank you, Chairman. Thank all
9 of you for your presentations and for coming to visit us. Some of you we see you
10 all too infrequently; some of you too frequently.

11 [laughter]

12 We, particularly, would like to welcome Vic and Art, the Regional
13 Administrators, and when you come you always represent the people of the
14 regions, you and your colleagues in Regions I and III. Also appreciate all the
15 work that they and their staffs do. Spent a lot of time with some of you in the last
16 year. Tony and I visited Fort Calhoun together, and it wasn't that long ago that
17 Art and I were in California at your other favorite plant. And we -- I always
18 appreciate the support that you provide and the expertise that you exhibit.

19 I wanted to also, you know, highlight, I think, something that was
20 mentioned earlier -- perhaps Bill mentioned it -- the effort on Fort Calhoun, the
21 fact that so many inspectors were drawn from so many different areas of the
22 agency and integrate in such an effective way. I thought it was a very impressive
23 effort. It's one thing to use people who are working in a particular area and then
24 focus them on a problem, but to collect people on a temporary basis and target
25 them in that fashion I thought that was a real accomplishment. It was a real good

1 example of what can be done when the needs exist. And the fact that those
2 people were able to then be folded back into their regular work so quickly, I
3 thought that was also very good. So it's a compliment to the management.

4 Let me start off with Brian. Brian, you -- you know, you didn't bring
5 anybody for us to talk to today. But, you know, as I was listening to your
6 presentation and you highlighted the importance of the Agreement States. And I
7 guess it would not be appropriate to drag a state before the AARM to have a
8 conversation with the Commission. But I do wonder whether there would be a
9 value in creating a forum when there are states that are having problems, to have
10 them come to the Commission and talk with us about the challenges that they're
11 dealing with and how they're approaching it, because I think that part of what
12 NRC can do in our relationship with the Agreement States, recognizing they are
13 not licensees; they are partners. But one of the things we can help to -- help
14 them do is to highlight the importance of the programs that they conduct and the
15 kinds of special challenges that they deal with on -- as part of the state
16 bureaucracies. I think that's something that a lot of people don't quite understand
17 that our state partners often are pretty low level in their state governments and
18 don't get the kind of attention and visibility the NRC gets in our government, for
19 example. And I wonder if sometimes whether we ought to create a forum for -- to
20 discuss problems. I don't know if you have an opinion on that.

21 BRIAN MCDERMOTT: Thank you for the question. We have had
22 discussions with regard to perhaps bringing Agreement States into the process if
23 there were a licensee that had significant programmatic problems; performance
24 issues that were flagged by the same criteria that we use across all material
25 licensees, and that as a co-regulator, we felt that there might be insights that they

1 would have after considering their own oversight of that licensee, or perhaps
2 relevant to NRC regulations that drive at the states to do certain things in terms
3 of oversight that would be valuable for the agency's review. So in that context,
4 we certainly have discussed them and have even started to broach that topic with
5 some of the states through the Organization of Agreement States. That's
6 something that we're looking to develop into the process. Thus far, we have not
7 had a licensee of a state program reach that level of performance concern to
8 move that to the front burner, if you will. But we are looking at that.

9 In terms of a state's performance as a program, that's a -- certainly
10 a different issue in the context of the fact that we look at NRC's program
11 performance for issues and gaps. I could see the connection there. I think that
12 there are forums that we could create or expand to have that dialogue before the
13 Commission when we have annual meetings with the Agreement State program
14 folks -- might be an opportunity there.

15 To put that dialogue as part of a discussion of licensee
16 performance, I think -- my sense is we would have a significant reaction from the
17 states in terms of "we're not licensees." I think that's something that comes
18 through in many of our communications with the state programs. So we are very
19 careful of that, but I'm certain that if the Commission wanted to have that kind of
20 dialogue about state program performance, that we could find a way to make it
21 happen.

22 COMMISSIONER MAGWOOD: Think it's worth a conversation. I
23 appreciate your -- and I think the idea of having a responsible Agreement State
24 join the Commission in talking about licensee performance, I think that's an
25 interesting idea and appreciate hearing the staff's views on that as you develop

1 that.

2 Let me turn to the opposite end of the table. I'm -- I think I'm going
3 to aim this sort of at the combination of Ho and Tony. One thing about the
4 discussion about Fort Calhoun that I think, as I became more familiar with it, it
5 was a bit of a surprise to me -- how many of the issues that are being dealt with
6 today are actually issues that have been in existence for quite some time? Some
7 of them were original construction. Some of them we thought were solved years
8 ago but weren't solved years ago. And the ROP isn't really designed to pick up
9 on licensing basis issues or construction issues or things of that nature, because
10 the ROP, assumes these things are in good shape as you go forth with the
11 evaluation. However, in the case of Fort Calhoun, there were clearly issues, and
12 there were other plants where we've seen either licensing-based issues or
13 construction issues or something of that nature, and actually we have materials
14 licensees who's going through similar type of issues. Is there something we
15 should maybe perhaps not as part of the ROP but maybe on another
16 mechanism. Is there something we should be doing to go back periodically, look
17 at licensing basis to make sure that, you know, that we haven't missed something
18 or something that we think is in place, repair we thought was made was not
19 actually made the way we thought? I mean, is there something more we could
20 do in that venue?

21 HO NIEH: You can fill in the gap here. Thank you, Commissioner
22 Magwood. The reactor oversight process, obviously, is a sampling-based
23 process. We don't look at every single activity at a particular facility. There are
24 mechanisms within the Reactor Oversight Process and the baseline inspection
25 program that would give an opportunity for an inspector to find a licensing basis

1 issue or perhaps an engineering issue that was just kind of lying dormant, that
2 wasn't picked up. This is -- I think the one that jumps into my mind is perhaps the
3 component design basis inspection that we do once every three years, where we
4 go out and do kind of a very comprehensive review of a particular system or
5 particular safety function, which would have the inspector go and look at design
6 documents, engineering calculations, and things of that nature.

7 So there are a number of other more routine baseline inspections.
8 For example, when a licensee implements a modification in accordance with 10
9 CFR 50.59, which would have us get into that kind of design look, you know, in
10 that particular area, I'll say from the headquarters perspective, there are licensing
11 basis issues that do come up out of the regions, and we have this process called
12 the task interface agreement process, where an inspector out in the region will
13 come upon an issue throughout their inspection activities, and they'll trace it back
14 to a licensing question that they don't know the answer for, so they engage with
15 headquarters. And we go back and look at the licensing basis and any
16 amendments we issued to the licensee to determine, you know, and give the
17 regions an answer to what their current licensing basis is.

18 Those issues do come up. I do appreciate the question in the
19 context of Fort Calhoun, because it does appear that there were a number of
20 issues that were -- didn't exist just today. That existed for a while, but we hadn't
21 seen until now. So, Tony, any perspectives?

22 ANTON VEGEL: One of the things we did for this situation of Fort
23 Calhoun is we had the inspection that identified a lot of the design-based issues.
24 Just three weeks ago, we sent an email to all the inspectors that were involved --
25 15 inspectors to ask for some feedback that we can maybe implement and make

1 a recommendation to the program office now that the current inspection
2 procedures -- or maybe we could do adjustments that, at the inspector level, get
3 a recommendation from them on how we can do it better to kind of address that
4 issue.

5 We may also, once we're complete with the 0350 process, we are
6 going to take a look back and say, "Okay, now we've gotten through this. What
7 can we learn to do a formal lesson learned on that issue as well?"

8 COMMISSIONER MAGWOOD: So you are -- so there is a
9 recommendation you're formulating that might go back to the program, is that --

10 ANTON VEGEL: Yes.

11 HO NIEH: If I can just make one more comment, please. Yes, in
12 addition to the recommendation that will come out of the 0350 panel, I did
13 mention in my remarks that we have a reactor oversight process enhancement
14 project underway. And some of the questions that you're asking are things we've
15 sort of asked ourselves with respect to the depth of what we're looking at out in
16 the field. Are we looking at the right things or there's things that we're missing
17 out there that we should be catching?

18 So I do feel confident that the team here at headquarters in concert
19 with the folks out in the regions are going to give a thorough scrub of the baseline
20 inspection procedures in the program to see if there are, indeed, improvements
21 we could make to get at some of these issues. Again, to look at -- really, you
22 know, the ROP works. It works well, but we can maybe do better in some other
23 areas. I feel that there is a mechanism for us to do that going forward. Thanks.

24 COMMISSIONER MAGWOOD: Appreciate that. Thank you, very
25 much. Thank you, Chairman.

1 CHAIRMAN MACFARLANE: Commissioner Ostendorff.

2 COMMISSIONER OSTENDORFF: Thank you, Chairman. Thank
3 you all for your presentations. I echo the thanks of my colleagues to all of you
4 and the people behind you and the people in the regions that are supporting
5 these efforts.

6 I've got some comments to make and some questions that I -- I'm
7 also going to replot some ground that's already been addressed by my
8 colleagues, but maybe just to emphasize some points that others have made,
9 because I think when you hear from more than one Commissioner several
10 recurring themes, it's helpful to at least give you some feedback from where the
11 Commission stands.

12 I'll start with Brian, and I'm going to echo Commissioner Svinicki's
13 comments on the medical event issue. I gave a talk at the end of January this
14 year out in Phoenix to the Health Physics Society meeting they had. And the
15 topic of my discussion was communications. And when I look at your slide,
16 backup here for medical event reporting, and I look at the diagnostic radio
17 pharmaceutical imaging modality, with four medical events occurring out of 15
18 million procedures, that gives you a 2.6 times 10^{-5} percent of there being a
19 medical event. And I think Commissioner Svinicki's point about trying to put this
20 in some perspective is so important. And although that we do that internally and
21 we understand the context, it's so important to communicate these percentages
22 and the medical benefits of these procedures externally to provide that context.
23 So I thank Commissioner Svinicki for bringing the point up, but I wanted to add
24 onto her comments.

25 I also want to stay with Commissioner Svinicki because I think Bill,

1 the comment she made about the ROP process bears a couple of observations.
2 Like Commissioner Svinicki, I had experience with the nuclear weapons complex,
3 both as congressional oversight staff as well as a senior executive at NNSA.
4 And I appreciate that every year, you look -- you and your team looks at the
5 ROP. And I think it's important. And I acknowledge the Chairman's comments
6 on the trend issues. I think that's some very thoughtful questions the Chairman's
7 asked there.

8 My comments are just anecdotal. I tell you from the DOE
9 experience from an outside group that provides some advice to NNSA from time
10 to time. And I've had three engagements with either NNSA, or the Defense
11 Board, in the last three calendar months. And I'll tell you that across the board,
12 Jim Wiggins has been part of this in the security area, trying to help NNSA
13 looking at the baseline inspection program for ROP for both nuclear safety and
14 security. And I'm not aware, as Commissioner Svinicki said, of any other
15 organization that does what we do in as objective, measured, thoughtful
16 approach -- and not to say it can't be improved, but I think we don't really talk
17 about this enough. And going back to communications and one of the key things
18 that Chairman Macfarlane -- is how to communicate externally. I think this is an
19 area where it'll always be difficult to communicate externally what we're doing as
20 a regulator in the Reactor Oversight Process, we need to continue to do that,
21 because it's so important because we do have, I think, the gold standard for how
22 this is done in the United States regulatory agency arena. So I wanted to echo
23 those comments of my colleagues.

24 Two subset comments on the ROP. Ho, I think one of your
25 comments on your slide 18 is looking at deviations for Seabrook and Palisades.

1 And I think that was -- as I recall, the Palisades was having additional inspection
2 resources. And I'm mindful of the comment that Eric made to me sometime in
3 2012. I think it may had been in the context of the SECY paper on filtered vents
4 and, you know, the need to have room for judgment by the NRC staff. And the
5 comment stuck with me. I think it's so important that we have the ability to be
6 flexible. I note that your flexibility, that word was in your presentation. I know
7 that Chuck Casto, when I visited Palisades in October of last year, had talked
8 about the importance of having some leeway to tailor resources to specific
9 circumstances. And I think that is absolutely vital. We ought to be very leery of
10 any formulaic or plug-and-chug equation says these results indicate this number
11 of inspectors.

12 So I encourage you as -- it seems like you are -- that you see the
13 inspection program provides flexibility to continue that approach because it's so
14 important. Even though we have power plants that have a lot of similarities,
15 there are different circumstances, especially when it comes to human
16 performance issues or safety culture issues.

17 The second piece is one -- and this maybe goes back to
18 Chairman's comment about the trends piece. I think you can also pick up
19 actionable items maybe from just highlighting something that's a little different.
20 Doesn't mean it's a long-term trend, but something that's a problem. And the one
21 that stuck out to me was the ROP website. And I know that Commissioner
22 Magwood and I, maybe three or four weeks ago, went downtown and had a
23 session with a bunch of NGOs, and heard a pretty loud resounding criticism of
24 our agency's search engine for ADAMS. And I know we pass it on
25 independently. We discussed it in periodics. I talked to Darren Ash about it. But

1 to me, I'm seeing the searchability of our products as being something that we
2 can do right now as an effort to improve how we communicate, how we provide
3 insights externally for others to be able to look at what we have in our inspection
4 program. So that was one comment that I saw from the background materials
5 under the usability and the communications externally of the ROP website.

6 Let me shift to the reactor licensees here today, and I've had a
7 chance -- I've benefitted greatly from my visits with Vic McCree to Browns Ferry
8 last August I believe we were down there. And this last week -- Wednesday -- I
9 was with Art Howell for nine hours at Fort Calhoun. So I want to thank both of
10 the Regional Administrators and their resident inspectors who were doing
11 layman's work along with inspection teams, and Louise and Mike, Gene, your
12 team and so forth, and Tony, of course. So, very helpful visits.

13 I'm going to start off with Browns Ferry, a question that -- I'll
14 probably ask this question maybe to Preston when he comes up here for the next
15 panel. Just to give you a heads up, Preston. But to his credit, Preston Swafford
16 has told all the Commissioners in drop in's last year that TVA underinvested
17 significantly in equipment issues for a long period of time at Browns Ferry. And
18 some of the equipment reliability issues, quite frankly, can be attributed -- not
19 wholly, but largely to that underinvestment. And there'd been different times
20 when the Commission's talked about the predictive ability of the ROP process.
21 It's -- well, you say, well here's a plant that's in a problem now. Can you say that
22 somebody's trending towards that is a problem in the future? And I guess that's
23 really a question for Gene and Vic, however you all want to sort it out. But --
24 have we looked at any extrapolation or lessons learned from the
25 underinvestment by TVA and Browns Ferry as it might apply to equipment

1 reliability or trends at other plants outside of Browns Ferry?

2 VICTOR MCCREE: Commissioner, that's a great question. It's
3 one you and I had dialogue on last August, and the short answer is no, not yet.
4 And it's quite frankly a very challenging area that's not necessarily what we do.
5 We don't have performance indicators, if you would, that are tied to licensee
6 investments and equipment. Ours is an inductive and deductive process, if you
7 would. It's based on the performance of -- the safety performance of the facility.
8 And licensee causal analyses -- our independent causal analysis may get to that
9 as a root cause or -- of the performance problem. But to answer your question
10 directly, we don't have an effort underway to look at that area.

11 COMMISSIONER OSTENDORFF: I think it'd be worthwhile -- and
12 your answer does not surprise me, and I know that's a little bit outside of our
13 regulatory box, so to speak. But I think, Bill, this is something that perhaps
14 EDO's office could, when they talk to Bob Willard at INPO. I know NPO does
15 corporate evaluations -- looks kind in these areas a little bit more than we do. I'd
16 be curious if there's anything we might be taking away from other looks at an
17 investment.

18 My time's going to run out. Tony, I'm going to ask you a question,
19 and Art, you know, we talked about this last week. At Fort Calhoun, this kind of
20 goes back also to Commissioner Svinicki's comments on, you know, the restart
21 approach and so forth. I believe -- if I have this wrong, Art, please correct me.
22 But I believe that we heard from Gary Gates and Susan Landahl, and Lou, and
23 Mike out there. Last Wednesday's tour, they've written 26,000 condition reports
24 over the last about two years, something like that. That seems like a lot of
25 reports to me, and having been a nuclear propulsion plant operator on

1 submarines, much less complex activity. I worry about, when I hear that large a
2 number, do we lose sight of the forest for the trees? And, you know, are we able
3 to keep the proper big picture look at the site when you have over 20,000 reports
4 written in a two-year-period?

5 ANTON VEGEL: I think this -- you know, I think -- appreciate your
6 insights on that, because we worry about that, too. And from this last team
7 inspection that we did, we -- they're doing a good job identifying issues. But
8 that's why we also identified issues of the quality of the evaluation of the issue.
9 And also, there was some indication that they didn't follow through on the
10 corrective actions that they did. And that probably goes back to the sheer
11 number of issues that are out there that are difficult to manage. And we
12 identified some of those problems. And Fort Calhoun is taking steps to kind of
13 shore that up to do a double-check to make sure that the actions are being done,
14 because that is a very large number of issues.

15 COMMISSIONER OSTENDORFF: It got my attention. Art, do you
16 want to add anything to that?

17 ART HOWELL: Well, just as we talked about last week,
18 Commissioner, I think one of the problems at Fort Calhoun was that they weren't
19 putting issues into the system, and so when they go through an improvement
20 effort, as they are, we do expect the numbers to go up. And we've seen that at
21 other sites as well, so on the one hand, that's a good thing. On the other hand, it
22 is a large number of issues and they need to be worked off. And so it's their job
23 and our job to check through the program to make sure that the focus for sure is
24 on the more significant issues as a priority, and then make sure -- have an
25 understanding of what those other lower level issues are.

1 ANTON VEGEL: And that's one of the challenges we have. Not all
2 the 26,000 are restart issues. They're stuff that can be, you know, planned and
3 completed at longer term as well.

4 COMMISSIONER OSTENDORFF: Thank you. Thank you,
5 Chairman.

6 CHAIRMAN MACFARLANE: Okay. Additional question?

7 COMMISSIONER SVINICKI: No, it was one -- I want to react to
8 Commissioner Magwood's statement about Agreement States.

9 CHAIRMAN MACFARLANE: Sure.

10 COMMISSIONER SVINICKI: Commissioner Magwood commented
11 on the importance of hearing the challenges from our Agreement State partners
12 in implementing their programs. I did want to note that that is a key objective of
13 the Commission's annual meeting with the Organization of Agreement States.
14 And I would just suggest to my colleagues on this side of the table that before
15 we, you know, create a new process, we talk about suggestions of -- if we need
16 to make that meeting more effective and communicate more in that, maybe we
17 can think about ways to change the format or something of that meeting rather
18 than creating something new.

19 And I just want to acknowledge that in talking to the Agreement
20 States, they noted to me that this year was the first year that no member of this
21 Commission was able to or agree to attend their annual meeting. And that was
22 the first time that it happened I think in close to 10 years. So I acknowledge my
23 part of that. I had to wave off their invitation. But to the extent we want to have a
24 dialogue with them, we need to also ask how available we're making ourselves
25 for that dialogue.

1 CHAIRMAN MACFARLANE: Okay.

2 COMMISSIONER MAGWOOD: Just wanted -- I wanted -- first I
3 wanted to, you know, thank Commissioner Ostendorff for his comment about the
4 corporate reviews that INPO is providing. I do think that there might be
5 something there for NRC to consider, because I think if you look at the responses
6 that both licensees present today have had to their issues, their responses have
7 involved corporate structure changes. And I think that's something that there
8 may be some lessons for us.

9 Just to sort of comment -- Commissioner Svinicki's comment on my
10 comment. Obviously we could use the OAS discussion with the Commission for
11 that, but I think if we are going to talk to a state about specific issues specific to
12 that state, that may not be the right forum for that conversation. It's a
13 conversation the Commission should have as to whether it's appropriate to do
14 that or not, but if we were to do it, I'm not sure that would be the right forum for it.
15 Thank you, Chairman.

16 CHAIRMAN MACFARLANE: Okay. All right. Okay. Let me thank
17 the staff again for their presentations and for the discussion. And we will now
18 take a quick five-minute break.

19 [break]

20 CHAIRMAN MACFARLANE: Okay. All right. So, if we'll get
21 settled out there in the cheap seats, then we'll get going. All right. So, to get us
22 started with our first licensee panel, I'm going to turn things over to Preston
23 Swafford, who is the chief nuclear officer of the Tennessee Valley Authority.

24 PRESTON SWAFFORD: Thank you, Madame Chairman and
25 Commissioners. Good morning and thank you for the opportunity to meet with

1 you and share the status of our ongoing performance improvement efforts at
2 Browns Ferry, and frankly, across the TVA nuclear fleet. TVA's vision for the
3 nuclear fleet is to lead the industry in safety, people, and performance, and
4 specifically our goal is to achieve and sustain improved performance. We
5 believe we are accomplishing this through the utilization of the integrated
6 improvement plan or what we call the IIP. And this was developed nearly a year
7 ago from our comprehensive diagnostic evaluation that we had performed. To
8 date, we've completed approximately three-quarters of all the actions in the IIP,
9 which number 1,300. And these actions are addressing the 21 fundamental
10 issues that we determined in our comprehensive diagnostic evaluation. If you
11 could turn to the next page, please.

12 Implementation of the IIP is beginning to show meaningful
13 performance. Keith's portion here in a few minutes of the presentation will show
14 you some of the highlights and results achieved thus far. Following Keith, Jim
15 will present the actions around the governance oversight execution and support
16 model, or what we call the GOES, that is providing a critical element to sustaining
17 performance. And I think some of the questions that Commissioner Ostendorff
18 talked about earlier in the previous discussion get at how do you assure and how
19 do you detect early. And under our GOES model one of the attributes will be
20 looking at funding and making sure the assets are preserved.

21 And then, before I turn it over to Keith, it's important I think to
22 emphasize that we're reaffirming that TVA is committed to providing Browns
23 Ferry and all the fleet the necessary resources, both time, people, and capital, to
24 operate safely and to achieve sustained excellence. So, the whole
25 understanding of our sense for KW investment and the assets that we looked at

1 prior years to where we're at now is a good measure, if you will, to assure that
2 outcome. So, with that, Keith.

3 KEITH POLSON: Okay, I'd also like to thank everybody for letting
4 me come here and talk about the progress we've had at Browns Ferry. So
5 before I get into my presentation, obviously at Browns Ferry there's a lot of
6 interest in the process and there's a lot of people that have been asking, you
7 know, about the process and could they come. So I actually brought three
8 employees from Browns Ferry: Mickey Hunter from Mechanical Maintenance
9 Department; Ron Toner from the Instrument and Controls Department; and Eddie
10 Puller from the Electrical Maintenance Department.

11 So my presentation is basically in two parts. I want to talk a little bit
12 about the integrated improvement plan, that's kind of a review, been through it in
13 several forms; but most importantly, the results that we are achieving. So the
14 integrated improvement plan was developed to obviously address the red finding,
15 the fundamental problem areas that Preston mentioned, and then also the
16 independent nuclear safety culture assessment results that we received back in
17 2011. That was also developed to reduce fire risk at the plant and improve
18 equipment reliability. And as far as the equipment reliability, our focus has been
19 on our safety-related systems. But the conversation that occurred earlier about
20 the scrams, most of those that occurred on the balance of plant side and that is
21 our focus now, moving over to that side of the plant. But the most important thing
22 is the last bullet there. We have to ensure that we sustain our improved
23 performance.

24 Next slide. I'm not going to spend a lot of time here. This has been
25 used also in other forms. It's just to show progress on our plan, and you can see

1 the cloud where it says this is where we are. We completed the at-the-site phase
2 of the 95003 inspection. And, again, if you look all the way to the right, our goal
3 is sustained excellence.

4 Next slide. This is a graphic that we've been using at the site. We
5 had 21 fundamental problem areas, but we've mapped those into really five focus
6 areas that were really designed to improve the safety culture at the plant.

7 The next slide, this is where I want to start talking about the results
8 that we've achieved. We chose to -- we developed 54 metrics that we are going
9 to monitor. And I want to make it clear that these metrics do not reflect
10 excellence. These metrics were developed to get us a basis, a foundation, and
11 then our plan is we're going to strive for excellence. And we've got all our plans
12 in place for that. But as you can see by this, we do have steady improvement
13 over this time period.

14 Next slide. It's a very busy slide. I'm not going to get into a lot of
15 detail, but I just put it in there, I just wanted to show you. This is just one of the
16 examples of the tools that we use to monitor our performance. And if you notice,
17 we still have some areas that are red, and those are in the -- mainly in the area of
18 work control. That is one our fundamental problem areas. But we've also made
19 decisions like I talked about earlier, to go after our safety systems and improve
20 their performance. So, we made conscious decisions to delay the return of these
21 areas to green status.

22 Next slide. This is the best example of our progress to date. I
23 talked earlier about the independent nuclear safety culture assessment survey
24 that we performed in 2011. And if you look at the results here, this was
25 performed by Synergy Company, both surveys were; so we were comparing

1 apples to apples. But if you look at overall nuclear safety culture, we improved
2 from fourth quartile to second quartile, SCWE, safety conscious work
3 environment, fourth quartile to second. And then employee concerns program
4 from third quartile to second quartile.

5 Next slide. General culture at the plant improved to first quartile.
6 And then one that I'm most proud of, leadership management supervisory skills,
7 improved from third quartile to first quartile. The number of weaknesses, we
8 went from 77 down to four. And our priority organizations, those are
9 organizations that require -- that have issues and require help, went from 23 to
10 four. So, obviously our focus is to get these to zero. We already have action
11 plans in place right now to improve in these weakness areas and in the priority
12 organizations.

13 Next page. So, the assessment team, the Synergy Company's
14 team conclusion. They said Browns Ferry has made good progress in improving
15 the nuclear safety culture at the plant. However, there is a workforce frame of
16 reference issue that produces a positive bias in the assessment results. And
17 what this really means is that we're still comparing ourselves to ourselves, we're
18 improving within Browns Ferry, but our goal now has to be to strive for industry
19 excellence. They also, and this is really important to me, they said there's a
20 positive momentum in the rate of improvement of nuclear safety culture. And
21 here's the most important statement, there's a strong desire on the part of the
22 workforce for the improvements to continue. And that plays big into the
23 sustainability of what we've done.

24 Next page, 13, to continue with the conclusions. The primary
25 drivers, according to Synergy, the improvements have been senior

1 management's establishment, communication, demonstration, and reinforcement
2 of higher standards and expectations for a good nuclear safety culture and
3 performance. In my words, the three things that we really focused on was
4 communicating with the people, doing what's right, and also doing what we said
5 we were going to do. Synergy also told us that the current improvement in
6 nuclear safety culture is fragile. And what that means is it was driven from the
7 top down. It's not fully engrained in the fabric of all levels of the organization as
8 of yet. But we recognize this as a senior team at the site and we continue to
9 drive the good behaviors down in the organization.

10 So, in closing, we've made some improvements at Browns Ferry,
11 but the big thing is to make sure that it's sustainable. And I'm going to turn over
12 to Jim to talk about sustainability.

13 JAMES MORRIS: Thank you. Central to the sustainability is our
14 nuclear operating model which defines our common processes and procedures
15 and policies for how we do business. It's really our playbook for how we do
16 business. And central in that nuclear oversight model is the roles and
17 responsibilities that are defined in it for governance oversight, support, and
18 execution. Nuclear safety culture improvements that Keith described at Browns
19 Ferry are being applied across the whole fleet. We have a nuclear safety culture
20 improvement initiative for the fleet that we're executing. It's been staffed with
21 people that will help us drive these improvements. And oversight for nuclear
22 safety culture really occurs through all of our nuclear senior leader involvement
23 with the sites, our nuclear safety monitoring panels, as well as the independent
24 reviews that are done by QA and NSRB. And I just say, because of time here,
25 the key change in all of our oversights is the increased rigor and focus that we

1 have on identifying issues and then the follow-through to ensure that they're
2 being done. That's being done by corporate functional area managers in
3 corporate, as well as through our QA organization, as well as our NSRBs,
4 nuclear safety review boards. We've added external members who are proven
5 industry leaders who are very demanding and drive a lot of focus on being
6 challenging for the site.

7 PRESTON SWAFFORD: Thank you, Jim. In conclusion, I think we
8 understand the issues challenging Browns Ferry and we have an appropriate
9 improvement initiative in place. Meaningful performance improvement is being
10 realized and will be maintained by the strong implementation of the GOES model
11 and management model and things Jim just mentioned. And finally, TVA is fully
12 committed to providing all of the necessary resources required to operate this
13 fleet at a sustained excellence level. And so, thank you for your time and maybe
14 head it over to Chip for just a second.

15 CHARLES PARDEE: Yeah, I realize we've exceeded our time. I
16 did want to reiterate though, however, that the organizational learnings from
17 Browns Ferry are being applied across the fleet. And very relevant to us, we fully
18 realize now that Browns Ferry Unit 1 recovery was a principal reason why we got
19 distracted with resources and management attention to the rest of the station and
20 the other units. And with Watts Bar Unit 2 coming online in the next few years
21 here, that's a relevant learning that we have clearly engrained in the
22 organization.

23 Preston talked about resources from the board of directors, the
24 chairman of the board, through the CEO and myself, we're committed to the long
25 term investment in the power plants to operate correctly. And lastly, just, again,

1 reiterate our commitment to sustained excellence. We have a history of cyclical
2 performance at Tennessee Valley Authority, and we're committed to breaking
3 that. Thank you for your time.

4 CHAIRMAN MACFARLANE: Thank you. Thank you all for coming.
5 I'm going to start off with questions again. So, now with Browns Ferry Unit 2
6 moving to column three, and you've got Unit 1 in column four and Unit 3 in
7 column two, have we hit bottom yet? Or are we going to see continued degraded
8 performance?

9 PRESTON SWAFFORD: Well, to start with, these issues that have
10 been identified in there, I think Commissioner Ostendorff and I had a brief
11 discussion on it, these we do believe are captured in our IIP, so the fundamental
12 problems that we looked at, the 21, we do believe bounded that. I do believe
13 Gene Guthrie's team, we looked at that, and we'll wait for the results of whether
14 or not they also concur with our beliefs. But our root cause and corrective
15 actions going forward are designed to address those. In a few of the cases, for
16 example, the trips on the units, on Unit 3, although there was a human
17 performance error part of it, but there was -- two of them were tied to putting in
18 new transformers, new relays, new voltage regulators. And frankly, some of the
19 design issues that are in our IIP showed up there were some of the weaknesses
20 in our design programs ended up causing -- some of these were actually tied to
21 improving material condition, part of the identification, but also exposed some of
22 our weaknesses in process space, that we do believe the effectiveness of the IIP
23 going forward should remedy that situation.

24 CHAIRMAN MACFARLANE: Okay. Question for Keith and then
25 for some of the folks you've brought in who are in the well here, I'm interested to

1 understand what you think are the biggest challenges to moving forward and
2 improving the situation at Browns Ferry.

3 KEITH POLSON: The biggest challenge is obviously driving the
4 behaviors down low in the organization. Also, procedure quality is a huge issue
5 that we discovered, I think, the last time we talked about -- there was talk that we
6 weren't using procedures out in the field -- we're using the procedures in the
7 field, but we're finding there's quality issues that are satisfactory, but we need to
8 go after that. But the leadership and pushing the behaviors down the
9 organization is top priority.

10 CHAIRMAN MACFARLANE: I'd like to hear from one or two -- if
11 you could go up to the podium right there, that'd be great, just because this is
12 webcast and people need to be able to hear what you're saying.

13 EDGAR PULLER: The procedures are in the process of picking out
14 the procedures for each group that's the worst, and we're going to work on them.
15 And also, as far as the manpower, we're hiring in all three of the groups now and
16 we're hiring supervisors to help the oversight there for that.

17 CHAIRMAN MACFARLANE: So, you didn't have the manpower
18 before and now you're --

19 EDGAR PULLER: We was low in what we needed for all three
20 units.

21 CHAIRMAN MACFARLANE: Okay.

22 KEITH POLSON: What we did was we went back and we looked --
23 at once we finished with the 95003 inspection, what did we need to make it
24 sustainable. And so, we got together with each of the managers of every
25 department and we added additional headcount to every single department for

1 sustainability purposes, and we're in the process of doing that hiring right now.

2 CHAIRMAN MACFARLANE: Okay. Anybody else? One of the
3 other -- that'd be great, thanks.

4 MICHAEL HUNTER: So, one of the other things that is helping
5 improve the performance of Browns Ferry is we've invested in some of our ops
6 people that's moved out of operations into other organizations. Me, myself, has
7 went from operations into mechanical maintenance and I hope -- I know that that
8 helps with maintaining an ops-focused operation. And that helps in the
9 performance improvement as well. So, the investment that TVA's making putting
10 our performers out from ops into the other organizations is also helping with what
11 we're doing.

12 CHAIRMAN MACFARLANE: Well, what do you think some of the
13 biggest challenges are in continuing to move forward?

14 MICHAEL HUNTER: So, as Keith mentioned, our procedures and
15 work packages are some of the things that my group is having the most
16 challenge with, and we're working towards improving those procedures and work
17 packages, and we continue -- we need to make continued improvements in that
18 area.

19 CHAIRMAN MACFARLANE: Okay. Great. I appreciate you guys
20 jumping up. I'm going to, because I've sort of got a little extra time there, pass on
21 to Commissioner Svinicki.

22 COMMISSIONER SVINICKI: Well thank you all for being here and
23 the status update of the activities at Browns Ferry. I'll join the Chairman in
24 acknowledging the station personnel that you've brought here, and I think one of
25 the biggest messages about their observation here today of this process and

1 their commentary that they just gave about the things that the station has already
2 done but maybe some of the work and challenges that lie ahead, is that their
3 presence here today is a reminder that they and all the women and men they
4 work with at the station are the key enabler of having Browns Ferry performance
5 where it needs to be. And without their efforts, there is no cleverly designed plan
6 on paper or anything that can get the station both to where NRC demands that it
7 be and where you all want it to be. So, I do appreciate them here today and I
8 hope that when they go back and talk about this strange process to the women
9 and men that they work with, they will have kind things to say about what it's like
10 to go through one of these Commission meetings, so thank you for that.

11 I think I want to -- when you talked about sustainability, I think
12 distractions are also something that's a challenge to performance improvement
13 plans, because the world does not stop while you attempt to address these
14 things and focus on the performance improvement plan. Another item that the
15 NRC staff gave a status update on was the NFP -- National Fire Protection
16 Association's Standard 805 transition for Browns Ferry. And, you know, while
17 that's an important activity, the staff also indicated that TVA is already
18 implementing a number of plant modifications to further reduce fire risk at Browns
19 Ferry. There are, of course, all the post-Fukushima actions that the station
20 needs, as every other operating reactor in the U.S. is responding to those, so, so
21 is Browns Ferry. I would like Preston to talk a little bit about how you manage
22 that at the leadership level, maybe through segregation of activities or other
23 things that you might do just to keep, again, the improvement process moving
24 forward as you want it to. And then I would ask Mr. Pardee maybe to address
25 whether or not at the senior corporate leadership level, how are distractions

1 minimized on things like oh, say, privatizing TVA or other proposals that are out
2 there. How do you keep the station personnel immune from those things?

3 PRESTON SWAFFORD: Thank you for that question. That's been
4 frankly paramount in my thought process for several years because of the
5 number of issues that have been on our plate. When you're in a recovery, first of
6 all, you find many issues and I think we heard that earlier this morning from both
7 ours as well as OPPD. And then on top of that the regulatory issues that come
8 specifically with the red finding and now with Fukushima. But we are blessed in
9 that we do have a good, strong organization. Almost from day one we started
10 with a central approach to how we were going to manage the fleet. Even though
11 we had a corporate organization, they were not designed really to be a fleet
12 approach in how they'd standardize them. That's part of the reason why some of
13 the plants, frankly, run better than the others. But we've taken issues like the
14 LAR submittal and the NFPA-805 and run in large part with support from Browns
15 Ferry from a central approach on that. We've had so many other issues from
16 JOG valve catch-up where most of the other utilities had done them years ago,
17 we've just now done them. We've hardened the switchyards with outside
18 corporate players supporting. So the whole intent for us is to take as many
19 things that can be done effectively off the site's shoulders and run them centrally.
20 And we've done that. We have a large list. We have program managers and
21 project managers. All of the Fukushima activities, for example, is handled
22 centrally. Now, obviously there is some support from the sites and when we get
23 closer to implementing these, there'll be even more support to the site. But
24 generally speaking, we've tried to make the site focus on the key things;
25 specifically, their ownership of fixing safety culture materially in the plant, safety

1 systems, that sort of thing.

2 CHARLES PARDEE: So, consistent with Preston's commentary,
3 the same philosophical approach has been applied at the corporate level. You
4 know, my advent at TVA is in recognition of this that the past reporting
5 relationship put Preston in a position where he was spending a lot of time on
6 corporate activities as well as oversight of the activities at the stations, obviously,
7 including Browns Ferry. So, we now have a dynamic where Preston and the rest
8 of his team is focused entirely on the improvement activities at Browns Ferry
9 relevant to the discussion today, as well as ensuring that the challenges that we
10 have at Watts Bar and Sequoyah are not being starved for attention or
11 resources. And this extends to Watts Bar Unit 2, which we are in full swing now
12 with the completion of our construction activities. That organization is separated
13 from the operating portion of our nuclear operating group for the reasons you're,
14 you know, you're querying about, and will remain so until transition starts. And
15 then we have additional oversight with regard to the transition of Watts Bar Unit 2
16 to an operating plant with the rest of the Watts Bar organization. So, just to point
17 to examples of what you were questioning.

18 COMMISSIONER SVINICK: Okay, great. Thank you, Chairman.

19 CHAIRMAN MACFARLANE: Okay. Commissioner Magwood.

20 COMMISSIONER MAGWOOD: Thank you, Chairman. First let me
21 thank you for coming and bringing your extended team. It's always a pleasure to
22 have personnel from the sites come to see the process and to recognize that
23 we're not out to get you, we're here to all assure safety. And I think that Preston
24 has been in to see the Commission on multiple occasions since this process got
25 started and appreciate the effort that he and others have put into giving us

1 information and to telling us what your plans are.

2 I think that, for me, one thing that I'd like to explore a bit is
3 something that Chip, you were just talking about, and that's sort of the fleet
4 perspective that -- which is something that you bring from your previous
5 positions; and also, Jim, you have that perspective as well. When you think
6 about the operation of nuclear plants these days, it seems that more often than
7 not you see an effort to try to gain -- if you're not in the fleet, try to get the
8 benefits of being in the fleet. And actually Eric and I were just having this
9 conversation, oh, a few minutes ago. And I'm going to ask for your advice and
10 then maybe this will get you in trouble with some of your peers if you answer this
11 honestly, but I will give you a chance. Do you think that there is -- there are
12 some issues that NRC should be looking at when it comes to fleet operations?
13 We look very closely at plants as individual operating plants, but they're not really
14 individual operating plants. They're really parts of a fleet. Do you think that
15 we're missing something by not looking at fleets? I'll give you a chance to start
16 with that.

17 CHARLES PARDEE: Well, I was intrigued by Commission
18 Ostendorff's reference earlier to maybe we should look at some of the, you know,
19 financing and how that is reflected through corporate evaluations and such, so I
20 got perhaps just a little preview from a thought point of view to your question. I
21 think my opinion is that the current system where INPO looks at the over-arching
22 structure and NRC continues to be, you know, very intrusive with where the
23 rubber hits the road. I think there's broad understanding that we are never any
24 better than the operations staff and the maintenance crews and the engineers
25 that we have on plant sites and such. So, I think the current balance for one is

1 healthy with the way the, you know, oversight is applied. I think -- and there may
2 not be any regulatory framework for this, but NRC in my view, has established a
3 healthy balance with how they are involved with the training programs with the
4 National Academy for Training that is sponsored out of the INPO offices and
5 such, and perhaps some kind of an observation process, and I'm way out of
6 bounds not having spoken with Bob Willard about this and such, but it does look
7 at things from a different angle with how we resource, particularly from a fleet
8 perspective, the stations and where decisions are made and who is looking
9 ahead and who is dealing with yesterday's issues and things like that. So there
10 may be some perspective to learn, but the simple answer to your question is that
11 it has not occurred to me. And I've thought of this extensively as we run through
12 our Fukushima activities, that there was a, you know, a significant role for NRC in
13 the corporate dealings with nuclear. I think it's appropriately focused on whether
14 we are doing today what we should be doing to sustain safe operations at the
15 plant sites.

16 COMMISSIONER MAGWOOD: I appreciate that. Let me just ask
17 a general question to Keith and Preston. As you've gone through you process,
18 do you feel that you have clarity from the NRC as to what you need to do to be
19 successful, or do you have -- are there any gray areas that concern you at this
20 stage of the game?

21 PRESTON SWAFFORD: Well, I'll let Keith chime in also, but I
22 think it's been very clear. Obviously, two years ago it was not; it was a big
23 learning for myself and my team of how you approach this, and -- but as we've
24 had to get into the detail and the understanding of the process, and as we've built
25 and worked through it working with Victor and Gene, our understanding is quite

1 clear now. We know that our obligation to find and fix our problems was
2 paramount. We do that through identification of the fundamental problem areas,
3 and then having effective corrective actions through the IIP that's auditable,
4 inspectable, if you will, and in the end, that should have covered the issues that
5 allowed us to get to where we're at. We don't believe just by finishing the 1,300
6 IIP items that you've arrived. I don't think it quite does that, but it does establish
7 the cultural move that's going to sustain it going forward. So, Keith.

8 KEITH POLSON: I agree. I really can't add anything. The
9 integrated improvement plan with the 1,300 actions we feel, you know, in going
10 through the whole process, going through the fundamental problem areas,
11 developing the actions, getting them into the plan, and it's always a living
12 document, but I feel that we're crystal clear where we're going right now.

13 COMMISSIONER MAGWOOD: All right. Excellent. Thank you
14 very much. Thank you, Chairman.

15 CHAIRMAN MACFARLANE: Commissioner Ostendorff.

16 COMMISSIONER OSTENDORFF: Thank you, Chairman. And I
17 add my thanks to that of my colleagues for your being here today. I had a good
18 visit down last August with Preston and Keith at Browns Ferry. I had a chance to
19 talk to some of the employees down there as well. I found that very helpful. I
20 also appreciate the folks behind you you brought today.

21 I'm going to start maybe with one question and kind of pull some
22 different strings here. So, I'm going to start out with Keith. And I may have --
23 and this is the topic of safety culture. And we don't regulate a safety culture, and
24 I don't -- in my experience elsewhere, I don't think you can, but we certainly pay
25 attention to it. And I believe the prior panel had made a comment. If I

1 misunderstood this, somebody can correct me or some of the staff can. I believe
2 I understood from a prior panel that they were -- that there's a low participation
3 rate --

4 PRESTON SWAFFORD: In 2011. Yeah, very high in '13.

5 COMMISSIONER OSTENDORFF: -- so that was just in 2011?

6 PRESTON SWAFFORD: That was 2011.

7 COMMISSIONER OSTENDORFF: Higher in 2013? Okay, that's
8 fine.

9 KEITH POLSON: I can elaborate --

10 COMMISSIONER OSTENDORFF: Real quick, that got my
11 attention.

12 KEITH POLSON: Yeah, so back in 2011, our participation rate was
13 approximately 56 percent. Synergy tells you that in order to have an adequate
14 survey and the results be valid, you should have at least 70 percent. So, what
15 they did to make up for that is they did a lot more interviews than they normally
16 would to make it valid. So, when we did the survey, the last survey, the
17 participation rate was boosted up to 86 percent, and Synergy actually made the
18 comment that that was one of the highest participation rates that they had seen.

19 COMMISSIONER OSTENDORFF: Okay. Keith, let me stay with
20 you. In your slide 13, you talk about the current improvement in safety culture is
21 considered fragile. And you made a comment about needing to, I believe,
22 engage good behaviors all the way down from top to bottom; you're not quite
23 there yet. And that's your top priority, I think, in response to I think maybe
24 Chairman Macfarlane's question on what's your biggest challenge. And that's
25 very hard to do. How do you know when you've done it?

1 KEITH POLSON: Well, I'm seeing signs of it already. If we go
2 back two or three years ago -- and a lot of the decisions were made at the
3 highest level, plant management level, my level, going through the last refueling
4 outage, there were several -- obviously when you get a refuel outage, there's
5 numerous issues that come up. And we've been preaching and we've been
6 living taking the high road and making all the right decisions. And I saw on
7 numerous occasions during the outage where I wasn't even involved, but I'd
8 come in later and ask, "So, what was the decision made?" For example, we had
9 a HIPC valve, that one of the traces that we did on it during testing, had an
10 anomaly and it wasn't that bad. But when I asked the question, "What are we
11 doing?" the answer was immediately, "We're going to go back into the valve."
12 Well, I don't think that would have happened years ago. So that was probably at
13 the superintendent level. Now we've got to keep moving that down to like
14 supervisor and worker level.

15 COMMISSIONER OSTENDORFF: Okay. So now shifting the
16 same topic, safety culture, going over to Preston. So Browns Ferry compared to
17 the rest of the TVA fleet, is there any single big difference between that one site
18 and the other sites within the TVA organization?

19 PRESTON SWAFFORD: There is and was a difference for sure
20 because -- I'm going to say because there wasn't really a strong central
21 governance model, they really were allowed to drift to where different site leaders
22 took them. But there are a lot of similarities that we're finding in the safety
23 culture analysis that -- and the corrective actions we put in place at Browns Ferry
24 that we really need to -- well, not just need to, are transporting throughout the
25 fleet. So we've had different, if you will, focus groups, we've had security in

1 some areas that have had particular issues. We've had some others in I&C and
2 a couple others. So as we've looked at the learnings, well we've found that the
3 line ownership and involvement in these cultural issues in their niche business
4 units, if you will, has a lot to do with it. So, the training of these folks, our
5 oversight of them, how are we going to dip down and touch them and make sure
6 that the lessons learned out of Browns Ferry are transported, is a large part
7 where Jim's single point is responsible for. So he's created the organization to
8 guide those learnings, build it, have the staff necessary to look and to assure that
9 one, we catch it early, should we start to see it. And we've had some allegations
10 and frankly I've had discussions with Victor and his team on that, that they're out
11 of norm. Now, we've had some big things, when the steam generator
12 replacements, building Watts Bar 2, these red findings, they create some of it.
13 But, frankly, our ability to really dig into the details, get the trends, get the
14 understandings and insights is all part of a new focus area that Jim's team is
15 responsible for, and I think that's in large part going to assure that we're gaining
16 and learning.

17 COMMISSIONER OSTENDORFF: Okay. Thank you. Thank you,
18 Chairman.

19 CHAIRMAN MACFARLANE: Okay. Thank you. Any further
20 questions? No? All right. Then thank you all for coming and we're going to
21 switch out. I invite the Omaha Public Power District folks to come up.

22 Okay. All right. Now that we have our next panel seated, I am
23 going to turn things over to Gary Gates, who is the chief executive officer and
24 president of the Omaha Public Power District.

25 GARY GATES: Good morning. Thank you, Chairman and

1 Commissioners. We appreciate the opportunity to update you on the progress at
2 Fort Calhoun Station. My name's Gary Gates, I'm the president and CEO of
3 Omaha Public Power District. Here at the table with me is Lou Cortopassi,
4 OPPD's chief nuclear officer and site vice president. Also in the well is Bob
5 Svaleson, Exelon's vice president for integration services. I'd just like to note
6 there's five total here, but we had a few more before us, and I'll ask Chip how
7 come he got so many here. But we're here to talk to you about it and many
8 people are back at Fort Calhoun supporting the effort.

9 I sat with you twice now to talk about Fort Calhoun's performance,
10 February of last year and January of the year before. I want to emphasize to you
11 that OPPD is committed to return Fort Calhoun to safe and efficient operation
12 and continue our improvement after restart. We will achieve sustained
13 excellence. The time for restart for Fort Calhoun Station is approaching.

14 Hit slide two, please. Today I'll provide opening remarks and then
15 turn the presentation to Lou. Lou will discuss what we've accomplished, what we
16 have yet to do before restart, and our post-restart plan for sustained
17 improvement. Then I'll wrap up with closing remarks and prepare to answer your
18 questions. I look forward to that part.

19 Could we get the next slide, please? We are taking the right
20 actions to return Fort Calhoun to operation and then to excellence. We've
21 described these actions in past meetings to you. It's a different plant today and a
22 different organization today. We've found and fixed many issues and we will
23 provide the details on some of those. Our restart checklist closure inspection
24 that began in February, did not go as smoothly as we'd like. We learned from
25 that experience. And the operations rating inspection last month went much

1 better. Lou will also detail the action we've taken as a result of recent
2 management insights, independent assessment, and NRC inspection insights.
3 Finally, and I think very importantly, the OPPD board of directors firmly and
4 clearly supports returning Fort Calhoun Station to safe and efficient operation
5 and achieving sustained excellence. They are not satisfied with just restart, as
6 well. And now, Lou, would you provide more detail, please?

7 LOU CORTOPASSI: Yeah. Thank you, Gary. Excuse me, thank
8 you, Gary, and again, good morning Chairman and Commissioners. Slide four,
9 please. I'm going to start with insights from the February/March inspections,
10 areas for additional focus. And just by means of background, in the fall of 2012,
11 we did complete our identification and cause analyses for our fundamental
12 performance deficiencies. And one of those concerned the control of our design
13 and licensing basis. That root-cause analysis for this area identified necessary
14 corrective actions and was based on a six-year historical review. And I know
15 there's been some meaningful discussion about how far to go back in time, and
16 since that time, we've identified a number of additional issues concerning design
17 and license basis control, and the NRC inspection team also identified issues in
18 this area. So, in March of this year, we did initiate a new and broader causal
19 analysis that essentially went back to the start of design work at Fort Calhoun in
20 the late '60s, reviewed thousands of documents of information ranging back to
21 that time, including the change of architect engineers during original construction.
22 From that, we have identified comprehensive actions that we can effectively use
23 currently to control design and license basis and continued improvement in this
24 area after restart, and we'll talk about some examples a little bit later.

25 Also in early 2012, we made fundamental changes in the corrective

1 action program, our staffing and expectations for finding and fixing our own
2 problems. These actions resulted in significant changes to our corrective action
3 program and its effectiveness. We are identifying and documenting issues well
4 and our department of station review boards are improving and reinforcing
5 standards and behaviors in this area. Through our own self-assessments in
6 early 2013, we did identify that we needed further focus on the completeness and
7 timeliness of our action item closure. The NRC inspections earlier this year
8 reinforced these concerns and did identify additional opportunities, primarily in
9 the extent of condition area in our root cause analysis; and we'll talk about some
10 perspectives of just the sheer -- we talked a little bit about volume of
11 identification, about some of the ideal volume of analysis work that we've done
12 during our recovery. We have initiated improvement plans with good granularity
13 down to the department level and we're monitoring progress and with continued
14 focus on a couple of key areas, one being our design engineering, that are
15 receiving additional attention and management focus.

16 Slide five, please. As Gary indicated in his opening remarks, Fort
17 Calhoun is a different plant today. We have addressed the organizational
18 effectiveness and causes for our performance decline. We've established a new
19 blended leadership team and new standards and expectations. I continue to
20 meet weekly with my supervisors, managers, and directors. We align on key
21 issues. We review performance and reinforce expectations. Overall, our
22 blended team is functioning well. We have implemented improvement actions
23 and established what we believe are industry best metrics for safety culture and
24 organizational effectiveness and have had opportunities to share that with other
25 sites. The improvement in these areas is significant. For example, in January of

1 2012, we were the lowest performing operating plant in human performance and
2 industrial safety. We're now second quartile in human performance and first
3 quartile in industrial safety. We believe we've achieved this improvement with
4 significant numbers of on-site and additional individuals doing an extraordinary
5 amount of work in a configuration that the industry does recognize can contribute
6 or challenge regarding human performance and industrial safety.

7 As I mentioned, our corrective action program is now more effective
8 at finding and fixing issues. We still believe we have check and adjust actions to
9 achieve excellence. The Exelon nuclear oversight function is recognized as a
10 strength in the industry. We have integrated the Exelon nuclear oversight model
11 at Fort Calhoun Station. That includes our on-site independent nuclear oversight
12 department that provide intrusive and effective quality checks and safety
13 assessments that add value. We've also transitioned to the Exelon fleet model
14 for the Nuclear Safety Review Board and their reviews are providing valuable
15 insights. Additionally, we've talked previously about corporate governance and
16 the oversight functions that are in place and continue to provide effective
17 feedback to the station.

18 Slide six, please. As detailed on this slide, we have completed
19 extensive discovery activities using teams of both OPPD and outside experts.
20 We've refined those insights into what was needed to be fixed before restart and
21 are completing those actions. Through the discovery process, we focused on 15
22 fundamental performance deficiencies with clear plans to address these areas.
23 The restart actions are nearing completion and post restart actions are identified,
24 and I'll talk a little bit more about that in a bit. You can also see on this slide the
25 extensive amount of recovery work that we've accomplished. And finally, the

1 technical aspects of the four areas with greater-than-green findings have been
2 addressed for restart. We've also identified and addressed a number of other
3 hardware issues.

4 Slide seven, please. And I want to touch on a couple of examples
5 to illustrate the work that we've done. This illustration shows our improved raw
6 water cell level control, which is for our design basis flood level, which is
7 illustrated on the right-hand side. That red pipe is indicative of a line now that
8 communicates between the Missouri River with two isolation valves to control
9 raw water cell level. Previously, we would have used the slouch gates, which are
10 on the bottom right hand side, and have one of those in a throttle position. And
11 now those slouch gates are placed in a closed position well before flood
12 conditions exist at the site, and the operators now have a much finer level of
13 control for this important safety function.

14 Next slide, please. I do want to provide a quick update on our
15 modified containment electrical penetrations. In this photo and in the upcoming
16 photo, they'll both show the new style feed-throughs as well as the cap spares.
17 Overall, this project is about 90 percent complete with installation and testing.
18 And the next slide will give a little bit closer up view of those new penetrations as
19 well as a spare cap on the lower right hand side.

20 Next slide, please. I do want to show a couple of examples of
21 infrastructure improvements. This happens to be one of our important manholes,
22 manhole 31, that contains both safety-related and non-safety-related cables to
23 our intake structure. That manhole and the cabling has been fully remediated,
24 including a state-of-the-art water detection system.

25 Next slide. Also just a brief focus on security remediation. One

1 particular photo here that's part of our additional security infrastructure
2 improvements that are scheduled across the year, in part for flood restoration
3 and in part for additional work that we've been doing to improve security.

4 Next slide. And finally, perspective on our containment internal
5 structure -- and this is a floor level looking up, and that red box, I'll call it as a
6 future potential home for a support column. We're working through the finalized
7 calculations that are also in the inspection process to show why we're okay
8 today. And this perspective of this drawing -- or of this photo, just on the
9 complexity of future modifications if needed -- you can see the interferences, and
10 when and if we do those modifications, it has to be done in a controlled and
11 integrated fashion. So, just a little perspective on that. Next slide.

12 We still have work to complete before reloading fuel into the reactor
13 and heating up the plant. Approximately 2,900 work tasks to complete, 1,400
14 testing tasks before declaring the system operable, and 1,600 actions to close
15 out; primarily paper closure. At our current production level, this does equate to
16 several weeks of work. We'll then perform our final confirmations that the plant,
17 the people, and the organization are ready for restart. Slide 14, please.

18 Finally, I'd like to describe our plan for sustained improvement. We
19 are fully integrating the proven Exelon process for performance improvement at
20 the Fort Calhoun Station. It's called the Performance Improvement Integration --
21 excuse me -- Integrated Matrix. And it's a management tool that drives
22 continued improvement at each station across the Exelon fleet and will drive our
23 path to sustained excellence. We are currently in the process of developing the
24 matrix and detailed action plans for excellence, drawing on long-term actions
25 from our root cause assessments, fundamental performance deficiencies, restart

1 checklist items, INPO areas for improvement, and key Exelon integration
2 evaluations. Our leadership team will meet regularly on site periodically with
3 OPPD and Exelon senior leadership to review progress on this plan for sustained
4 improvement and check and adjust as appropriate; and also provide to the NRC
5 Region IV, and anticipate periodic review on progress on implementing the plan
6 with the NRC after restart. With that, I'll turn the presentation back over to Gary
7 for closing remarks.

8 GARY GATES: Thank you Lou. A little over our time. Chairman,
9 Commissioners, thank you --

10 CHAIRMAN MACFARLANE: Press the --

11 GARY GATES: Thank you. Chairman and Commissioners, thank
12 you for allowing us to share our progress today. This is a different plant and a
13 different organization. We're approaching safe and efficient restart at Fort
14 Calhoun and sustained excellence in its continued operation. We are positioning
15 ourselves well for continued improvement and achieving sustained excellence
16 with solid, proven process and our plan for sustained improvement that Lou
17 mentioned. We now look forward to answering your questions.

18 CHAIRMAN MACFARLANE: Great. Thank you. Thank you both
19 for coming out here and talking with us. So, Lou, what is the most challenging
20 step before you get to a restart decision?

21 LOU CORTOPASSI: Obviously we are continuing to fix the
22 technical issues. And as we talk about design and licensing basis, as I
23 communicate to the staff, really from two perspectives: today's problems today,
24 and given that we do have some challenges, design and licensing basis, what
25 we're doing both from a knowledge and skill standpoint, from a process

1 standpoint, just for making good rigorous technical decisions that start from the
2 control room with support from the rest of the staff. And I'll say one of the nice
3 things about the issues we're working on: We've got opportunities to improve that
4 and reinforce that with the staff as well as the bias for fixing equipment that we've
5 talked about in previous meetings.

6 CHAIRMAN MACFARLANE: Gary, did you want to add anything?

7 GARY GATES: I sure would. I'll look at it from a little different
8 perspective. Two of the biggest challenges I see for us are returning what we've
9 termed "operating tension" to the organization -- we've been shut down for over
10 two years, and we're going to be bringing the plant up. We need to return that
11 operating tension in a controlled and positive manner so that we have crews and
12 maintenance and everybody else has got an operating plan again. We have --
13 that is part of our startup plan, to make sure we got additional oversight. People
14 realize that that operating tension is necessary coming up. And then blending
15 our recovery organization into the operating organization. You know, we've had
16 two separate organizations, and that's good because there's a distraction issue
17 that some of you mentioned before; we could get distracted. But we've blended
18 the recovery under Lou and will continue to integrate recovery into our operating
19 organization as we go forward; so that we line up then as an operating plant and
20 part of the fleet.

21 CHAIRMAN MACFARLANE: Okay. So, how long has Exelon been
22 in place doing oversight?

23 GARY GATES: Right now -- we brought Exelon in in February of
24 2012 to help with the recovery. That was the recovery. But then in August, we
25 entered in an operating agreement, which is when we brought in Lou as the site

1 vice president. Lou's been there since February of '12 as part of the recovery.
2 Lou moved over in an operating agreement; so it's really two different levels, but
3 that's how long they've been there.

4 CHAIRMAN MACFARLANE: Okay. And how is conversion to
5 Exelon operations going?

6 GARY GATES: It's going very well. That was obviously a concern
7 because we're flanging up two separate cultures, two separate organizations.
8 One thing about the men and women at OPPD in general and Fort Calhoun in
9 particular; they're willing -- they want to do very well. They're a very proud group
10 of people and they want to succeed. Providing this leadership that we're getting
11 from Exelon is good and with that desire, we just have not seen large bumps.
12 There were some bumps along the way, obviously, with two organizations, but
13 the integration's gone very, very well from my perspective.

14 CHAIRMAN MACFARLANE: So people have been pretty
15 accepting?

16 GARY GATES: Absolutely.

17 LOU CORTOPASSI: Just to -- maybe a quick update on where
18 we're at in the process -- the remaining on-site visits, which complement the off-
19 site looks -- from a functional standpoint -- are completing this month. And that
20 allows us now to go back to the employees and say what's going to change in
21 the roles and responsibilities to what's functionally going to change. That'll
22 alleviate some fear about what it's going to look like in the future. But then
23 complement that with, you know, now teaching individuals to think fleet, right?
24 And so if we've got a niche expertise that maybe left or retired that we can draw
25 on the fleet experience, especially for technical issues -- whether it's a

1 maintenance or operations or engineering -- and that's just sort of been very
2 visible to the site as we've been working through how -- working through our
3 technical issues.

4 And then the broader piece is, you know, we aligned 2013 goals
5 for the station with the fleet, starting with the organizational piece, which is our
6 identification of high potential candidates and emerging leaders. And now taking
7 the Fort Calhoun staff, of which we have many talented men and women, and
8 now showing them that there's opportunities, even with the management team,
9 you know, brought in -- there's opportunities to accelerate their development,
10 they're integrating with the Exelon process for both of those, you know, they get
11 to kind of mesh up with their peers -- call it top gun school -- and will be able to
12 show that flow path for, you know, for individuals that have aspirations to move
13 up not only in the organization, but to get experience in the fleet.

14 GARY GATES: That was real important to us as we looked around
15 the industry for lessons learned when I was going to bring in an operating
16 company -- one thing, you don't want a ceiling to be perceived or real for the
17 current people there. So actually, contractually, we're as a team required to start
18 scoping down the Exelon presence on a time thing so that we can bring in the,
19 you know, OPPD people into those positions. And the opportunity will be there to
20 do that. That was very important to us that we didn't have that limit for our folks.

21 CHAIRMAN MACFARLANE: Okay. So just let me explore just a
22 tiny bit further. What do you think is the biggest challenge bringing in Exelon
23 going forward now?

24 GARY GATES: I think the biggest challenge going forward -- it's --
25 there's a lot of positives to it, obviously, with the fleet support, going forward.

1 That is -- that is a great cure for a lot of the issues that we've talked about, is to
2 have that fleet support from previously a small, single unit. And there's all
3 different kinds of single units. We were a very small one with very limited
4 corporate support. So that's going to be a very big positive.

5 The challenges going forward, they are going to be continuing to
6 line up with what the Exelon goals are and blend those into the OPPD goals.
7 Because we have an entire utility on the back end and I think it'll be a good
8 learning experience for Exelon as well to be part of a full-scope utility and
9 operating a unit that is part of many other units and part of transmission,
10 distribution, and customers. So it's going to be advantageous to both of us. But
11 the challenge is to operate a unit that's now part of a full utility. And making sure
12 that we blend Fort Calhoun in with the rest of our Generation system.

13 CHAIRMAN MACFARLANE: Okay. Okay. Good. Thank you.
14 Turning it over to Commissioner Svinicki.

15 COMMISSIONER SVINICKI: Well thank you for being here today
16 and for the status presentation that you provided. The Chairman has covered
17 some of the areas that I might have asked about. But I have two questions that I
18 don't think are related; maybe they are when you answer them. The first is that
19 Nebraska is a public power state, so Fort Calhoun operates in that public power
20 structure. What do you see as the challenges and benefits of operating in that
21 environment in terms of achieving the improvement, resourcing it, and sustaining
22 it over the long-term? And the second question was just going to be, you know,
23 you have been in the shutdown and recovery period for a long period of time.
24 How would you characterize the station morale and just the overall focus of the
25 station personnel?

1 GARY GATES: I'll take the public power one and I'll have
2 comments on morale, but Lou, why don't you cover a little bit of that after I talk
3 about public power setup? I think it's very – first of all, I think having the public
4 power structure is very positive. You know, electricity is fundamental for
5 everybody to have and I think it's a good way to govern that. We have an
6 elected board; however, the statutes that develop OPPD -- any public power
7 district in Nebraska are a little unique in that the statutes clearly call out that we
8 are a public power district who are to be operated as a business. Which means
9 we pay attention -- we have -- we monitor what we call net profit, but it's actually
10 reinvested into the company, not as it would be in an IOU. So, you look at Public
11 Power District as structured like that, it operates as a business, but with an
12 elected board.

13 And we educate our board a great deal; our board is very
14 supportive. Many of you have met our board members; from time to time we
15 bring them out here as well as at the site when both Commissioner Magwood
16 and Ostendorff were there, our board was there. So they're very involved in the
17 operation all our units, and particularly in Fort Calhoun, obviously, right now. So
18 it's a good structure; it does not provide any barriers for us and provides us
19 resources we need. We have never had issues of capitalization or operating
20 expenses for the plant.

21 LOU CORTOPASSI: Yeah, I'll start with morale -- both from a --
22 what we're doing to measure that -- if one can measure that -- we talked about
23 safety culture in this setting and others settings before. We think we've got some
24 very good metrics through pulse survey, through the two Cs process that I used,
25 through the daily monitoring of corrective actions, just to look for issues either at

1 the site level or at the department level, recognizing the communication strategy
2 back from my perspective with my leader's perspective. There's things that we
3 do for the entire site. For example, plant manager and I, we do periodic all hands
4 meetings, touched about 700 employees last week on many of the things that do
5 cause concern about where we're at in the schedule, what's in our control, and
6 some of the stuff that we're working on that's still, you know, maybe a little bit
7 outside of our control right now. So trying to keep the workforce focused on that,
8 on that periodic basis helps us.

9 And then, you just dig down now to the department level, some
10 unique things that we're doing with the security organization, because we're
11 making lots of changes in how we've been bringing them into the fold --
12 everything from the observation program, to the corrective action program, to
13 what it means to be, you know, a nuclear security professional. And then I've
14 touched on one of the other groups in particular, our design engineering
15 organization, you know. A funnel for a lot of those corrective action documents
16 that we've talked about; a funnel for a lot of those casual analysis. So what are
17 we doing that's so unique for, you know, either supplementing the design
18 engineering staff. And I use the term, probably can't give a work-life balance
19 right now, but can give you work-life flexibility. And that does get down to the
20 supervisor individual relationship where school's getting out right now, so what
21 does this person need that maybe this person doesn't need? And it really is that
22 hands on piece and just the drive of alignment through, you know, core station
23 priorities and progress that we're making that we believe is helping keep the
24 morale up. And we both have that from our own assessments, independent
25 assessments, as well as self-assessment groups that have come in, you know,

1 either from INPO or from the fleet as we've been going through the integration
2 process.

3 GARY GATES: In addition to that, the supervisors and managers
4 at Fort Calhoun participate in the rest of the OPPD activities, so we get a chance
5 to take a look at them from a corporate perspective as we have meetings and go
6 forward there, and that's a good way to evaluate it as well. The best thing on
7 morale is just one on one. If you're walking around the plant and talking to
8 people, make your own assessment; and we all do that. And that's probably
9 been the best and most powerful for me.

10 COMMISSIONER SVINICKI: Okay, thank you. Thank you,
11 chairman.

12 CHAIRMAN MACFARLANE: Commissioner -- excuse me.
13 Commissioner Magwood.

14 COMMISSIONER MAGWOOD: You okay? Can't have the
15 chairman choking at the table. Tell me about it. Well, first, welcome back.
16 Gary's been a fixture at NRC Headquarters over the last year; we've seen a lot of
17 you. We really do appreciate the fact you've spent so much of your time to keep
18 us informed; so that's been very helpful building understanding for the
19 Commission as to what's happening at Fort Calhoun from your perspective. I
20 appreciated the conversation with Commissioner Svinicki about morale. As I'm
21 sure Commissioner Ostendorff saw during his visit, I thought morale was actually
22 quite good. I think you and I did have a conversation about the operations. I
23 think you used the word "operating tension," was that your terminology? So I
24 appreciated hearing you comment on that. But I was going to ask you to
25 elaborate a little bit more; what sorts of steps are you expecting to take to restore

1 that tension before the restart?

2 LOU CORTOPASSI: Yes. I'll start. Both from -- as we're
3 transitioning now with a lot more of the plant being in operations control and the
4 testing phase, you know, that does afford us with focused observations that we'll
5 reinforce in training but also can reinforce much more in the control room now as
6 the plant has shifted. One of the other specific tools that we're using and we've
7 used at other facilities, and it will ring true for some folks here, the term "fast
8 crews." So, we're going to go through a fast crews process with each of the
9 operating crews, again, with external observations, with nuclear oversight
10 observations as another just test to know that the operators are back at least in
11 compliance with the standards that we would expect, both for normal operations,
12 as we integrate any of the transient operations into that. And we've kept -- as
13 we've discussed -- the requalification training has stayed in full flight. We've
14 done a number of those periodic type of normal operations type of things. And
15 then we've sent, you know, the non-licensed operators to operating facilities.
16 We're also looking at potentially another round of that. But more importantly,
17 bring in experienced operating staff to be with the operators in the field. And it'll
18 expand out there. When look at the last cycle of RP training, for example, we did
19 basically a mock at power containment entry: What does that look like from a
20 pre-job brief, what does that look like from a setup? Because there is periodic
21 containment entries that we do for preventative maintenance. And so each of the
22 departments has looked at, you know, looked at their training program, looked at
23 what we would expect from a restart standpoint. This also includes a refresher
24 on modifications that were put in over the last two years, and we cycle and
25 provide oversight for that training component all under the guise of what Gary

1 described as that “operating tension.”

2 GARY GATES: We’re also starting to include the Fort Calhoun
3 people in the site calls. They’ve gone from 10 site calls to 11 site calls of fleet.
4 And there’s a lot of good integration of that tension, when you start listening to
5 people talking about operating at the other 10 sites that Exelon has, and you start
6 to get that in your vocabulary and part of your thinking and how you’re dealing
7 with things. That’s been a positive as well.

8 COMMISSIONER MAGWOOD: I appreciate that. Interesting.
9 Fast crews -- I’ve talked to Commissioner Ostendorff to understand the full
10 implications of that term. The -- one aspect of your effort is to rely somewhat on
11 operability determinations for several items. Can you elaborate a little bit more
12 on the strategy for that? Do you see that as a interim step or will these
13 determinations be used for long-term operations? Can you talk about how you
14 expect to use them?

15 LOU CORTOPASSI: Yeah. In respects to some of the design
16 issues that we’re working through right now with the inspection teams,
17 containment internal structures is probably one of the prime examples where we
18 would be in operability space for a period of time. For some of the other issues,
19 tornado missile protection, one in particular, where we’re doing modifications to
20 the plant where our intent would be to adopt, you know, current regulatory
21 guidance in total or be able to go through that be it the 50.59 process. As well
22 as, you know, there’s a couple potential other issues that we would look at, you
23 know, license amendment process through. And we’ve had some meaningful
24 discussions back here. Overall, the operability process, you know, which is one
25 of our 350 checklist items, it does have tentacles back to design and licensing

1 basis issues. So much focus now on our ability to make, one, the right decisions,
2 the right fixed decisions, and the right oversight between operations and
3 engineering on making those operability decisions; where in the past we may
4 have been in some cases an over-reliance on engineering judgment without
5 having the full documentation. That's one of our key focus areas right now, to
6 ensure we're making good decisions with the issues that are on our plate.

7 COMMISSIONER MAGWOOD: Do you have an expectation that
8 at some point you'll establish a plan to deal with all these operability issues and
9 simply, you know, move into more of a firmer regulatory space?

10 LOU CORTOPASSI: Yes. Absolutely. Absolutely. And even
11 though a number of, you know, items that we are working on right now will
12 reduce that operability determination backlog or open operability issues that, you
13 know, that we have flushed out through our discovery activities.

14 COMMISSIONER MAGWOOD: All right. I appreciate that. Thank
15 you. Thank you, Chairman.

16 CHAIRMAN MACFARLANE: Okay. Commissioner Ostendorff.

17 COMMISSIONER OSTENDORFF: Thank you, Chairman. Thanks
18 for being here today. I think Art and I had a great eight hours, nine hours with
19 you last Wednesday on sites, spending a few hours on containment as well.
20 Don't have a lot of questions. I do want to make a couple of comments maybe.
21 And this is less specific to Fort Calhoun, but I really got a lot out of -- in the visit --
22 you know, the slouch gate piece, looking at, you know, your throttle valves and,
23 you know, the proximity to Missouri River and how you're looking at where are all
24 the different levels, and now looking at throttle valves vice being able to control
25 the gate position based on, you know, motors being submerged. And I think it

1 just highlighted to me as a Commissioner, the importance of looking at site-
2 specific characteristics and designs, because it was a pretty unique solution you
3 had that made a lot of sense. But it was certainly not a solution that might be
4 appropriate for everybody.

5 The same thing -- the picture you have of the containment
6 structures, you know, having looked at this and walked around the containment
7 for a long period of time Wednesday afternoon, this is a good picture, it doesn't
8 do justice to the complexity of the overhead interference issues. And so I know
9 that our staff both from Region IV as well as the resident inspectors have been
10 spending a lot of time in containment with your team. I think that's important to
11 be able to see what's involved in trying to make any new modifications. So
12 again, I thank you for the visit; I thought that was very, very helpful to see those
13 things as well as other features.

14 I agree with Commissioner Magwood that from his visit and mine
15 last week that I thought morale appeared to be pretty good. I was on a
16 submarine back in 1984 that flunked, as in F, a nuclear weapons technical
17 proficiency inspection. And that's a big deal; you couldn't carry nuclear weapons
18 any more. And there was a hang dog look on everybody on that submarine for a
19 long, long time. And you can kind of get a sense, a flavor, walking around, where
20 people kind of down in the dumps, they look like, "woe is me", "Atlas Shrugged,"
21 and I didn't see any of that, so I, you know, my anecdotal one day visit, for what
22 it's worth, I thought that consistent with Commissioner Maywood's comment; that
23 I did see signs of a good morale and I think that reflects strong leadership. Just
24 my personal opinion. But I thank Commissioner Magwood for bringing that topic
25 up.

1 We'll talk separately Bill about fast crews. Think about taking Patty
2 Bubar and going underneath your desk, and having Rebecca light a fire in her
3 trash can, Patty throws a bucket of water on you, you slip and fall, and you have,
4 you know, Renee come in and try to pull you out and resuscitate you.

5 [laughter]

6 That would be the office version of it.

7 COMMISSIONER MAGWOOD: I was going to ask, can we use
8 your trashcan?

9 [laughter]

10 COMMISSIONER OSTENDORFF: And so, that's the thing. Here's
11 -- on a serious note, certainly for a plant -- and Gary you mentioned it -- I mean
12 for a plant that's been shut down for a long period of time, and returned to
13 operability -- I've been there. I've been in shipyards for a lot longer than I
14 counted to be on two of the six submarines I served on; that's a hard time period
15 when people get out of the mode of operating. So I think the fast crews comment
16 you made, Lou, really got my attention as it did others. And I think that's -- you
17 walk before you run, you take care of the basic principles that you can do without
18 operating plant at power, whether it be communications, use of procedures, log
19 taking, documentation of issues, and doing that in incremental step is just
20 important because the -- you kind of lose your operational edge. Simulators are,
21 you know, no substitute for operating the plant at power. So I resonated with
22 your fast crews comment.

23 I guess the one question I have -- and the Chairman got into this,
24 talking about the Exelon role, and Gary, you talked about the blended approach
25 with becoming a part of the fleet. Commissioner Magwood, in the first panel,

1 talked about fleet aspects as to what we look at. Has the fleet issue between
2 OPPD and Exelon caused any challenges in dealing with us as a regulator?

3 GARY GATES: I cannot think of any right now, at all. No. No, we
4 clearly understand, and I want to make sure that I leave here with you clearly
5 understanding that we are a blended leadership team, we are having Exelon
6 operate our plant, but OPPD is the licensee, so we're accountable for that unit,
7 clearly, to you, and to the public, and to our customer owners. Exelon we
8 brought on as a good operator and we're having a great integration with them.
9 But from interfacing with a regulator, I don't -- have not seen any issues at all.
10 Some positives, because we've got the fleet behind us now.

11 COMMISSIONER OSTENDORFF: I was motivated by you talking
12 about trying to, you know, match up or marry two different organizational
13 cultures, and that was kind of the comment the Chairman was raising, I thought,
14 was a very appropriate question.

15 LOU CORTOPASSI: What we've found so far -- I think there is real
16 science behind it -- if you look at the organization's nuclear oversight being one
17 in particular where, again, we recognize the importance of the barrier and as one
18 of our fundamental performance efficiencies, we just accelerated the integration
19 process. And you see it in the -- not only in the results of what nuclear oversight
20 is doing, but you see it in the folks' faces. Now, and fully implemented the
21 process and that includes all the, you know, pre- and post-fleet challenge for, you
22 know, issues and so -- And nuclear oversight being in a unique position to both
23 challenge the organization and are just bringing more insight; and we believe it's
24 a function of that early integration. And seeing it even, you know, I can track
25 departmental safety culture numbers I think that how far and how deep the

1 integration we're in.

2 COMMISSIONER OSTENDORFF: Okay. Thank you. Thank you,
3 Chairman.

4 CHAIRMAN MACFARLANE: Okay. Any further questions?

5 COMMISSIONER SVINICKI: If I could just make one quick
6 acknowledgement. Lou, your presentation had a number of photographs in it,
7 and the Commission, I think, had a significant learning this week and I need to
8 commend Commissioner Ostendorff's questioning attitude, because he asked
9 why, given the complexity of the systems you're describing, there were no
10 photographs. Turned out we discovered a pervasive folklore that presenters
11 before the Commission are not supposed to have photographs. Office of the
12 Secretary of the Commission has confirmed that that is not true, and I think it's a
13 legacy of how grainy webcast videos used to, you know, over the Internet, they
14 were so grainy that people couldn't see them. But to the extent they come
15 through, I would just say that I think not all of the listeners to this meeting have
16 the opportunity to see these systems firsthand. It's very difficult sometimes to
17 know what presenters are describing. So I think that I was pleased to see the
18 photographs. I thank Commissioner Ostendorff for pulling the thread on that.
19 And I hope that we'll see some more of it; I think it's very helpful. Thank you.

20 CHAIRMAN MACFARLANE: Anybody else? No. Let me just say
21 hear, hear. I have a note to myself to say that we need more figures and
22 photographs, and illustrations except, you know -- and fewer just large words on
23 the slides. We can be a lot more informative, especially for those folks who are
24 watching this on webcast. And so, thanks for making that point Kristine.

25 So, now that nobody has any further comments, let me say that I

1 think today's meeting was a really good example of the detailed oversight that
2 NRC is providing to its licensees. And the Commission is going to be looking
3 forward to hearing about the progress at your two plants. I appreciate you all for
4 coming out here and engaging in discussion with us. I appreciate the staff for
5 their presentations and their engagement with the Commission as well. And with
6 that, I will say we will adjourn.

7 [Whereupon, the proceedings were concluded]