

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 STRATEGIC PROGRAMMATIC OVERVIEW OF THE
5 OPERATING REACTORS BUSINESS LINE

6 + + + + +

7 PUBLIC MEETING

8 + + + + +

9 TUESDAY

10 JUNE 17, 2014

11 + + + + +

12 The Commission met in the Commissioners'
13 Conference Room, 1st Floor, One White Flint North,
14 Rockville, Maryland, at 9:30 a.m., Allison M. Macfarlane,
15 Chairman, presiding.

16
17 PRESENT:

18 ALLISON M. MACFARLANE, Chairman

19 KRISTINE L. SVINICKI, Commissioner

20 GEORGE APOSTOLAKIS, Commissioner

21 WILLIAM D. MAGWOOD, IV, Commissioner

22 WILLIAM C. OSTENDORFF, Commissioner

23

24

25

26

27

1 NRC STAFF :
2 MARK SATORIUS, EDO
3 ERIC LEEDS, NRR
4 TARA INVERSO, NRR
5 MEENA KHANNA, NRR
6 ROBERT TREGONING, RES
7 JULIO LARA, RIII
8 KEVIN WILLIAMS, NSIR

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

P-R-O-C-E-E-D-I-N-G-S

9:31 a.m.

CHAIRMAN MACFARLANE: All right, good morning. Oh my goodness. Not only do we have seven here and we have this whole litany out there. You guys are prepared, in your uniforms and everything.

All right. I'd like to welcome our staff, members of the public and industry to the meeting this morning. We're going to be discussing the operating reactor's business line, which represents the single largest major program area within the NRC.

This business line covers a broad range of topics which are vitally important to the NRC's safety and security mission regarding operating reactors. The areas I think that we're going to discuss today include rulemaking, licensing, research, oversight and event response, and notably, and maybe more importantly, this is our last Commission meeting with a very important member of the staff, Eric Leeds, who is currently the director of the Office of Nuclear Reactor Regulation.

Eric, thank you very much for your service to the Agency, which has been long and fruitful, and we will miss you very much. We will miss your presence at the RIC. I hope you come back and maybe we'll throw you up on stage anyway. But all the best in future endeavors. So thank you.

1 MR. LEEDS: Thank you so much,
2 Chairman. Thank you.

3 CHAIRMAN MACFARLANE: Thank you.
4 Before I go -- we go on and turn it over to staff, let me see if
5 any of my colleagues have any --

6 COMMISSIONER SVINICKI: Chairman, I
7 just want to say that I'm very pleased that we're conducting
8 one of these overview meetings, where we look at some of
9 our important programmatic activities. We haven't held one
10 of these in a while, but I think it's a key opportunity for the
11 staff and the Commission to engage in just some
12 governance issues and talk about important priority work
13 activities that we have going on.

14 I also would like to acknowledge Mr. Leeds
15 and all of his work not only to the NRC but to his country. So
16 thank you for your long and distinguished service, and your
17 many contributions to the NRC, which will be very enduring.
18 So thank you.

19 COMMISSIONER APOSTOLAKIS: Well
20 Eric, I enjoy very much our meetings in my office, and I wish
21 you the best.

22 COMMISSIONER MAGWOOD: As one who
23 has served in positions kind of sort of similar to what Eric has
24 done leading an office, actually responsible for getting things
25 done and leading people, I recognize the difficulties and the
26 challenges that come with being the guy responsible, the guy

1 who's got to make sure that people are actually getting things
2 done.

3 It's much easier from the Commission to say
4 -- we just say "go do that, make it happen," you know. But
5 you have to make sure it happens, and I appreciate the
6 leadership you have provided, since I've been on this
7 Commission.

8 More than that, I think for many people,
9 partially because you've been in the position for such a long
10 time, but also the way you've conducted yourself, you've
11 actually come to define the position to some degree.

12 So it's going to be very interesting to see how
13 your successor will be able to fill the shoes that you'll leave
14 behind. But I know we will have good candidates. I know
15 we already have very good candidates to talk about, but you
16 have brought something very special to it, and you'll be
17 missed both inside the agency and outside.

18 So congratulations on your upcoming
19 retirement, and please stay in touch.

20 COMMISSIONER OSTENDORFF: Eric, I'm
21 going to miss you. We've had both personally and
22 professionally a very strong relationship. For those that
23 have never heard Eric tell you about his Carl Vinson sea
24 stories, he's got in one in particular has gotten my attention
25 from his past Naval service.

26 But adding to my colleague's comments,

1 you've done a superb job here. We're very proud and we're
2 very grateful. Thank you.

3 MR. LEEDS: Thank you all. It's very
4 humbling and I don't know what else to say. Thank you.
5 I'm very touched. Thank you.

6 CHAIRMAN MACFARLANE: All right.
7 Well, with that, I'm going to turn it over to Mark Satorius, our
8 Executive Director for Operations.

9 MR. SATORIUS: Good morning Chairman,
10 good morning Commissioners. As you had mentioned
11 Chairman, the operating reactor's business line is the largest
12 business line within the agency's portfolio. It has a broad
13 scope of technical experts within this business line, and you
14 noticed that a lot of people -- there's a lot of partners
15 associated with this business lines.

16 All four of the regions, Nuclear Security
17 business line or Nuclear Security is focused and partnered
18 within this business line, as well as New Reactors and the
19 Office of Enforcement, the Office of Investigations. So so
20 many, which demonstrates a cooperative relationship
21 between these offices, to be able to operate this business
22 line effectively.

23 So we're going to go ahead and move
24 forward, and I'll have Eric introduce his team, and we'll get on
25 to this morning's briefing. Eric.

26 MR. LEEDS: Mark, thank you so much. As

1 the Chairman and Mark have noted, it's a huge business line.
2 If you apportion all the corporate offices and what they do
3 into to the business line, the Operating Reactor business line
4 would encompass roughly 50 percent of the agency's
5 resources, and that's a tremendous amount.

6 Now when I sit back and I reflect on all the
7 accomplishments and challenges facing this business line,
8 and certainly we've had a number of accomplishments that
9 I'm very proud of and the staff's very proud of, and we have
10 plenty of challenges going forward.

11 But the overarching thought that comes to my
12 mind and that I want to point out here is that we've provided
13 35 years of successful safety and security oversight of the
14 U.S. fleet of nuclear -- commercial nuclear power plants.

15 I think that's a wonderful accomplishment.
16 It's something for the NRC staff to be particularly proud of.
17 But now I want to juxtapose that thought with another
18 thought. I've been with this agency for almost 30 years.
19 I've been the Director of NRR, of this office, for over six
20 years.

21 I have never seen the NRC staff busier than
22 they are today, and they're busy with very safety-significant
23 work, good work. We continue to make improvements in so
24 many areas, in fire protection, in emergency preparedness
25 and ensuring that these plants can withstand whatever
26 natural hazards occur, implementing the Fukushima lessons

1 learned, incorporating risk insights into our regulatory
2 process.

3 It's good work, it's safety-significant work, it's
4 important work. So I can truly tell you that the staff is not
5 resting on its laurels. We're not basking in the glow of 35
6 years of successful oversight. We're working harder today
7 than I've ever seen us work. We're trying to make sure that
8 we provide that umbrella of safety for the American public.

9 Now befitting a business line this large, we
10 have a number of distinct product lines, and today we intend
11 to focus of five of our largest product lines, and those sitting
12 here at the table with us will contribute to each one of these
13 product lines.

14 We're going to begin with the rulemaking
15 product line, and Tara Inverso, who's our new branch chief in
16 the Division of Policy and Rulemaking will present. Then
17 we'll go to Licensing, and Meena Khanna here on my right,
18 she's a branch chief in our Division of Operating Reactor
19 Licensing, and she'll provide the details.

20 Following Meena, we'll have Robert
21 Tregoning, one of our senior level advisors in the Office of
22 Nuclear Regulatory Research, will provide details on how
23 research supports the business line and provides that
24 technical muscle to keep the regulatory process strong.

25 Following Robert, we have Julio Lara, and
26 Julio is in here from -- he's a branch chief from Region III, and

1 he will present the reactor oversight process, the inspection
2 arm of the business line that is so important to safety.

3 Finally last, but just as important as the rest,
4 we have Kevin Williams. Kevin's a branch chief in the Office
5 of Nuclear Security and Incident Response, and he'll discuss
6 the agency's program for event response. With that
7 introduction, let me turn it over to Tara.

8 MS. INVERSO: Thank you, Eric. Good
9 morning Madam Chairman, good morning, Commissioners.
10 My name is Tara Inverso. I'm the chief of the Rulemaking
11 Branch in the Division of Policy and Rulemaking in the Office
12 of Nuclear Reactor Regulation.

13 Today I'll be talking about rulemaking,
14 petitions for rulemaking, and several of the ongoing policy
15 work issues that we're dealing with in the rulemaking product
16 line.

17 On Slide 6 we'll begin with a discussion of
18 rulemaking. Rulemaking is a fundamental task at the NRC.
19 Rulemakings establish the requirements that licensees must
20 meet in order to obtain or maintain their operating licenses,
21 and as such, we think that rulemaking is a cornerstone of the
22 NRC's regulatory activities.

23 The NRC staff is currently working on 13 high
24 priority rules. For all of these rules, they have a direct nexus
25 to safety and security. One of these rules, the 10 C.F.R.
26 50.46c emergency core cooling cladding system acceptance

1 criteria was determined to be necessary to maintain the
2 adequate protection of public health and safety.

3 For the other rules that we're working on, the
4 staff will develop a regulatory analysis which will be used to
5 make the decision that the requirement is justified in light of
6 the benefit, the security and safety benefit that the proposed
7 requirements would provide.

8 On Slide 7, I'll talk about some specific
9 rulemaking activities. We have three ongoing activities in
10 response to the March 2011 accident at Fukushima. In
11 SECY-14-0046, the staff proposed to the Commission that
12 two of these activities be consolidated into one rulemaking,
13 and those are the station blackout mitigation strategies rule,
14 and the onsite emergency response capabilities rule.

15 In addition to those two rules, we also
16 recommended that elements of the Near Term Task Force
17 Recommendations 9, 10 and 11, which are related to
18 emergency preparedness, be incorporated into that. That
19 enclosure provided several benefits of a consolidated rule,
20 and proposed that the proposed consolidated be due to the
21 Commission by December 2014.

22 The third rule related to the Fukushima
23 events is the filtering strategies rulemaking, and that
24 rulemaking would provide a performance-based approach
25 for filtering strategies with drywall filtration and severe
26 accident management at boiling water reactors, with Mark I

1 and Mark II containments.

2 But in addition to those three rules that
3 directly support the Fukushima accident, we also have
4 several other high priority rules that we're developing. We
5 already mentioned the 10 C.F.R. 50.46c rule.

6 There's a cybersecurity event notification
7 rule, an enhanced weapons rulemaking, a rulemaking to
8 incorporate quality control and quality verification workers
9 under the minimum days off requirements of Part 26, and
10 several other rules that we're developing.

11 On Slide 8, we'll talk about petitions for
12 rulemaking. The staff is currently evaluating 22 open
13 petitions for rulemaking, and those requests from the public
14 cover such topics as the peak cladding temperature limits in
15 10 C.F.R. 50.46c, personnel access authorization,
16 environmental qualifications for severe spent fuel pool and
17 reactor accidents.

18 The NRC staff values the input of the public in
19 the rulemaking process, and I'll point out that three of the
20 rules we're currently developing address petitions for
21 rulemaking. So in those cases, the staff has evaluated the
22 petitions and determined that there is a need for additional
23 rulemaking.

24 So for instance, the 10 C.F.R. 50.46c rule
25 addresses two petitions for rulemaking, one from NEI, one
26 from a member of the public. The Part 26 rule to cover

1 quality control and quality verification workers would address
2 three petitions, and another Part 26 rule would address one
3 petition.

4 We're currently revising the requirements of
5 10 C.F.R. 2.802, which establishes the requirements for
6 submitting and evaluating petitions for rulemaking. That
7 rule is in the final stage right now, and the purpose of it is to
8 clarify the NRC's practices when it receives and evaluates a
9 petition, and to also improve the communications with the
10 petitioner and the public throughout that process.

11 On Slide 9, we'll begin to talk about ongoing
12 policy work. So one of the priorities to the NRC staff and to
13 the industry is the cumulative effects of regulation initiative
14 and the risk prioritization initiative.

15 For the risk prioritization initiative, we are
16 currently participating in demonstration pilot exercises of the
17 proposed process that NEI has submitted, and these pilot
18 exercises will demonstrate both a generic characterization
19 portion that will feed into a plant-specific portion, and the staff
20 is observing these pilot exercises because there may be
21 elements that we can glean from this process that we could
22 use to enhance our current policies and practices, and we
23 will provide options for implementing the risk prioritization
24 initiative to the Commission in a follow-on notation vote
25 paper.

26 In the cumulative effects of regulation area,

1 we're responding to existing Commission direction in that
2 area. Most recently, we engaged the industry to perform
3 case studies on the accuracy of cost and schedule estimates
4 within regulatory analysis work, and we'll talk more about the
5 results of that a little bit later.

6 We're also considering whether and how to
7 expand the cumulative effects of regulation process
8 enhancements to other regulatory activities. On Slide 10,
9 we'll talk about SECY-14-0002, which describes several of
10 the staff's planned cost-benefit update work.

11 That SECY paper described that there would
12 be a two-phased approach to this work. The first phase
13 would harmonize the guidance across the business lines,
14 and focus on administrative type elements, while Phase 2
15 could propose policy issues for the Commission's
16 consideration.

17 The staff is developing a Commission paper
18 which is due in July of 2014, that will recommend how
19 qualitative factors should be used in NRC's regulatory
20 analyses, and the staff is also developing a gap analysis
21 which would look at regulatory analysis differences across
22 business lines and also across analyses, and will provide a
23 paper to the Commission in November of 2014 describing its
24 findings on that.

25 In addition, the staff is working on updating
26 NUREGs that pertain to the dollar per person-rem

1 conversion factor and also replacement energy costs, and
2 those will be published for comment later this year.

3 On the next slide, we have two charts that
4 aim to show the differences in rules that have been issued in
5 the past, versus high priority rules that the staff is currently
6 developing and will be provided to the Commission in 2014,
7 2015, 2016 and 2017.

8 I'll point out that while in 2005 and 2008 we
9 saw a high volume of rules being issued, the difference that
10 we see in the future is that the rules in 2016 are all very
11 complex.

12 For example, in 2016, we plan to provide the
13 Commission with the final 10 C.F.R. 50.46c rule, the station
14 blackout mitigation strategy final rule, and the emergency
15 onsite capabilities rule.

16 All of these span multiple offices. They have
17 many implementation steps, and will have a major impact to
18 Part 50. For all of those three rules I just mentioned, even
19 before the proposed rule was issued for comment, there was
20 a publication seeking early public feedback, and we'll
21 continue that level of public outreach through their final
22 issuance to help identify unintended consequences before
23 they happen and any implementation challenges that may
24 occur.

25 On Slide 12, that brings us into our first focus
26 area for rulemaking, which is that several technically

1 complex resource-intensive rules are currently under
2 development. I already mentioned the large scope
3 implementation steps and the multi-office impact, and will
4 continue to address the cumulative effects of regulation
5 throughout these rules.

6 On Slide 13, I mentioned on the cumulative
7 effects of regulation slide that we engaged the industry to
8 perform a case study on regulatory analysis. The industry
9 did voluntarily participate in the case studies. They looked
10 at three regulatory actions, including the National Fire
11 Protection Association 805 rule, the power reactor security
12 rule, and the 2008 Part 26 rule, but they only focused on the
13 Subpart I fitness for duty requirements.

14 In all of those cases, they found that the
15 NRC's estimates were low, and they provided three
16 recommendations for the NRC staff to consider during the
17 January 2014 public meeting. So we'll consider all of those
18 recommendations in the planned cost-benefit updates.

19 In the meantime, we acknowledge that we
20 have had low estimates, and we are engaging with industry
21 and the public, to provide detailed cost information early in
22 the rulemaking process. The focus area for that piece is
23 that in order to incorporate this feedback into the regulatory
24 analysis, which is a public rulemaking decision tool, the
25 information that we receive has to be public, and sometimes
26 the cost information is proprietary.

1 So the staff will work on obtaining public
2 information to improve estimates in the regulatory analysis.
3 The last focus area pertains to CER and the risk prioritization
4 initiative. The staff will continue to put a high priority focus
5 on both of these initiatives, because we think that they could
6 aid the NRC by focusing NRC and industry resources on the
7 items of highest safety significance at the individual
8 licensees, and we also think that the cumulative effects of
9 regulation process enhancements and the increased public
10 interaction that comes from them is useful in our rulemaking
11 activities.

12 In COMSECY-14-0014, the staff requested
13 that the deliverables for these two efforts be merged, and
14 that we provide a paper to the Commission in March of 2015.
15 That Commission paper will contain all of the direction on the
16 risk prioritization initiative and the cumulative effects of
17 regulation.

18 With that, my presentation is concluded, and
19 I'll turn it over to Meena Khanna.

20 MS. KHANNA: Thank you, Tara. Good
21 morning. My name is Meena Khanna. I'm a branch chief in
22 the Division of Operating Reactor Licensing in the Office of
23 Nuclear Reactor Regulation.

24 Today, I'll be providing you with a
25 presentation overview of the Licensing program. I will also
26 address the impacts due to the increased Fukushima

1 workload. I will also provide you with the status of a few of
2 our long-standing technical issues, and then I'll close with our
3 path forward.

4 I would like to begin my presentation by
5 mentioning that the Licensing program is essential in
6 ensuring the safe and secure operation of nuclear power
7 plants. The licensing program includes license
8 amendments -- the licensing program includes licensing
9 actions and other licensing tasks, which include
10 amendments, relief requests, exemptions, license transfers
11 as well as 2.206 petitions.

12 The licensing program, in addition to the
13 routine licensing actions, our licensing program also includes
14 complex actions such as extended power uprates and the
15 National Fire Protection Association 805 reviews. We have
16 established goals for completing licensing actions, and these
17 include for normal routine licensing actions our goal is to
18 complete these within one year.

19 For the extended power uprates, our goal is
20 to complete those within 18 months, and then for the NFPA
21 805 reviews our goal is to complete those within 24 months.
22 The extended power uprate reviews are considered
23 complex, due to the amount of technical area reviews that
24 are required for those reviews.

25 There could be up to 25 to 30 technical
26 reviewers associated with each individual technical review

1 for the extended power uprates. In addition, to add to the
2 complexity, the emergency core cooling system analyses, as
3 well as for the boiling water reactors, the steam dryer
4 reviews, pose challenges to the staff and add to the
5 complexity of those reviews.

6 With respect to the NFPA 805 reviews,
7 they're considered complex due to the varying probabilistic
8 risk assessment methodologies that are proposed by the
9 licensees, in addition to the inconsistent assumptions with
10 respect to PRA assessments that the licensees propose in
11 their applications as well.

12 Also, I'm not going to lift these up, but I did
13 want to provide an illustration of the amount of staff effort
14 that's placed on these reviews. For the extended power
15 uprate, the safety evaluation -- thanks Eric. The safety
16 evaluations can range from anywhere from 300 to 400 pages
17 long.

18 In addition, for the NFPA 805 review, they
19 also require a lot of staff effort and I know the binders are a
20 little bit misleading. But these reviews can go anywhere
21 from 150 to 200 pages long. So that just illustrates the
22 amount of effort that the staff expends on these reviews.

23 In addition, I talked about the normal routine
24 licensing actions. So we do have simple tech spec
25 amendment changes. However, there is a vast majority of
26 the technical reviews that are associated with the routine

1 licensing actions that also have some complexity in them,
2 such as the alternate source term reviews.

3 In addition, we do get some unique one -- first
4 of a kind type of reviews. So that adds to some of the
5 complexity in conducting those reviews as well. As far as
6 the next slide, I just wanted to address the licensing program
7 inventory.

8 So to date, currently we have 1,500 licensing
9 actions and other licensing tasks as part of our licensing
10 inventory, of which 38 percent are Fukushima-related. I'd
11 like to highlight that for the past five years, we have been
12 successful in meeting our one year and two year timeliness
13 metrics, for both the licensing actions and the other licensing
14 tasks.

15 I will now address the impacts due to the
16 Fukushima workload. In maintaining the required focus on
17 the high priority Fukushima work, as well as the high priority
18 licensing activities across the business lines, this has
19 resulted in a limited number of resources available to
20 conduct our normal routine licensing actions and other
21 licensing tasks, especially in the critical skill set areas of
22 reactor systems and electrical engineering.

23 So in order to ensure that we're placing the
24 right focus on the most significant and important safety
25 security issues, we have established a safety focus
26 prioritization scheme that's consistently used across the

1 business line.

2 As a result of the additional Fukushima work,
3 the one-year timeliness metrics have been significantly
4 impacted, and will not be met for fiscal year '14. In addition,
5 our two-year timeliness metrics are now being impacted as
6 well.

7 So if you look at the next slide, what we've got
8 here is a figure that represents the current status of our
9 licensing program with respect to our timeliness and
10 inventory trends. The red line represents our goal of
11 completing the licensing actions within one year, which is 95
12 percent or greater.

13 The blue line represents our results in what
14 we've achieved with respect to the timeliness metrics, and
15 what you can see is a downward trend since the summer of
16 2013. The yellow or gold line represents our inventory, and
17 this displays an increasing trend since 2013.

18 For the month of May, we had a licensing
19 inventory of 891 actions, and we completed 82 percent of our
20 actions within one year. So currently for fiscal year '14,
21 we're at an average of 86 percent in completing our licensing
22 actions within one year, and the trend shows that we will
23 continue to decline by the end of the fiscal year.

24 This next figure represents the inventory of
25 Fukushima versus non-Fukushima work. What this does is
26 it shows our normal routine licensing actions, as well as the

1 Fukushima work, and I'm showing fiscal years '11, '12, '13
2 and '14 here. So what you can see here is that there's an
3 increasing trend of Fukushima work since fiscal year 2012.

4 Currently, our inventory includes 62 percent
5 of non-Fukushima licensing actions, and 38 percent of
6 Fukushima work. We expect our fiscal year '14 inventory to
7 be consistent with that of fiscal year '13.

8 The next figure displays a trend of decreased
9 completed licensing actions and other licensing tasks since
10 fiscal year 2012. The light blue area represents the
11 Fukushima licensing actions and other licensing tasks that
12 were completed, and the dark blue area represents the
13 Fukushima licensing actions that were completed in those
14 fiscal years.

15 In 2013, you will notice that there was a
16 decline in completed licensing actions and other licensing
17 tasks. However, there was an increase in completed
18 Fukushima licensing work. We expect this trend to continue
19 through the end of fiscal year 2014.

20 This final chart compares the resources
21 expended on the normal reactor licensing program, and the
22 Fukushima reactor licensing program for fiscal year '12
23 through the second quarter of fiscal year '14. Note the
24 decline in resources for licensing actions, with the increase in
25 Fukushima work.

26 Resources have been added to support the

1 licensing program. Also, if you look at the figure, you will
2 notice a dip in the resources expended on the Fukushima
3 work, and an increase with respect to the increases
4 expended -- sorry, resources expended on the licensing
5 program from the first to second quarters in fiscal year 2014.

6 This was due to the completion of the
7 mitigation strategy interim staff assessments. However, we
8 do not expect this trend to continue going forward. So there
9 are many actions that have taken place to address the
10 backlog of the licensing work that we have. So we have and
11 continue to obtain additional resources, reallocated
12 resources from the Office of New Reactors.

13 We have received additional contract funding
14 to support the technical reviews. We also are bringing in
15 rehired annuitants in the project management area, as well
16 as in the technical areas to support the reviews, and we
17 continue to communicate with the industry.

18 So in June 2013, we did issue a letter to the
19 industry, letting them know that due to the increased
20 Fukushima workload, that our licensing action inventory
21 would be -- you know, it would not be able to meet the one
22 year timeliness metric. That there would be impacts to
23 meeting our timeliness metric.

24 In addition, we continue to communicate.
25 Eric, the other management, you know, support public
26 meetings. We continue to relay this message. We also

1 talk with the licensees, to let them know, you know, continue
2 to communicate that we are going to continue with this
3 backlog.

4 We also want to hear from them what their
5 safety needs and, you know, priority needs as well, and we
6 take those into consideration and we reprioritize our work as
7 needed. So that's basically it as far as what we've done to
8 help out with the backlog.

9 Okay. I'd like to now address a few of the
10 long-standing technical issues. The staff continues to
11 address several long-standing technical issues, including
12 NFPA 805, generic safety issue 191, degraded voltage
13 relays and tornado/missile protection.

14 With regards to NFPA 805, the staff has
15 developed a more streamlined review process with respect
16 to the NFPA 805 reviews. To date, we have completed six
17 safety evaluations, of which two are the pilot plants for
18 Oconee and Shearon Harris. We project that we'll complete
19 eight additional safety evaluations by the end of the calendar
20 year.

21 For Generic Safety Issue 191, three closure
22 letters were issued this year as part of Option 1, the
23 Deterministic Closure Path from SECY-12-0093. We
24 expect to issue two more of these reviews this year.

25 We also continue to evaluate a risk-informed
26 pilot application from South Texas project. The South

1 Texas pilot review is scheduled to be completed by 2015,
2 and the follow-on risk-informed reviews are scheduled to be
3 completed by 2017.

4 I will now address the degraded voltage
5 relays. The grid system supplies power to redundant trains,
6 and any perturbations can impact the redundant safety
7 systems. The degraded voltage relays protect
8 safety-related systems and redundant trains from the
9 degraded grid condition.

10 Inspection findings have indicated that some
11 licensees have inadequate set points for the protective
12 relays. The staff provided guidelines in RIS 2011-12
13 Revision 1 to clarify expectations in the standard review plan.

14 NEI has written a white paper to address this
15 issue, and plans to incorporate clarifications into the Institute
16 of Electrical and Electronics Engineer standard, which is the
17 IEEE standard.

18 Staff recently provided comments to NEI
19 regarding their paper, and the goal is to issue the IEEE
20 standard by December 2017 to address this issue.

21 Finally, with regard to tornado missile
22 protection, examples of licensees regarding the compliance
23 with tornado/missile current licensing bases have been
24 reoccurring for many years. Many examples are for
25 structures, systems or components that support the
26 operation of safety-related equipment.

1 In a few cases, inoperability of the SSCs
2 could result in entering a shutdown track. The staff is
3 addressing the issue with a Regulatory Issue Summary, and
4 coordinating with the Office of Enforcement to develop
5 enforcement discretion for plants entering a technical
6 specification shutdown for non-conformance issues.

7 As a final comment regarding the slide, I'd like
8 to mention that the staff has confirmed that the plants are
9 safe to operate while these long-standing technical issues
10 are being assessed by the staff.

11 In closing, I will address our path forward.
12 With competing priorities and limited resources, it is vital that
13 we continue to prioritize our work to support our safety
14 mission, and to continue to communicate with the industry to
15 understand the priorities and needs to ensure our plant
16 safety.

17 We continue to assess and redefine our
18 priorities in accordance with the safety and security needs,
19 and adjust project schedules to ensure the most effective
20 use of resources.

21 In addition, we continue to strive to achieve
22 resolution of our long-standing technical issues, and we
23 continue to make it a priority to ensure effective internal and
24 external communications regarding the status of our
25 licensing program.

26 That completes my presentation, and I will

1 now turn it over to Robert Tregoning.

2 MR. TREGONING: Thanks Meena. I'm
3 Rob Tregoning from the Office of Research, and I'm going to
4 be talking about research support for operating reactors.

5 I'm going to start with talking about key
6 messages, which will summarize the general role that
7 research plays in supporting operating reactors, and in the
8 presentation it's going to focus specifically on highlighting the
9 four principle components of oversight that we're discussing
10 today.

11 Then I'll end with a discussion of some future
12 focus areas for the Office of Research. On Slide 27, as Eric
13 mentioned, he used the word "technical muscle," and I don't
14 have a word that good. But research supports operating
15 reactors by providing in-depth technical bases that inform
16 regulatory decision-making for significant safety and security
17 issues.

18 This is what we do as an office. This is 80
19 percent of our business line, so it's clearly the bulk of what
20 our office does, is provide this support. The offices routinely
21 request this support, either via user need or staff assistant
22 request, for either confirmatory or other independent
23 analyses.

24 Over the last four years, the office has
25 averaged 15 new user need requests per year pertaining to
26 research for supporting operating reactors. Now when we

1 talk about research, it includes both structured activities and
2 often entails collaboration with either international and
3 domestic partners.

4 But research also includes more informal
5 information-sharing on related activities, and activities and
6 information-sharing are fostered within the agency by
7 approximately 100 agreements with over 30 countries and
8 other international organizations.

9 As far as research products, they include
10 tools such as computer codes, standards, calculational
11 methods. They include research results. But as
12 importantly, they also include the development of staff
13 expertise. All of these tools are used for regulatory
14 oversight of both routine and emergent safety and security
15 issues.

16 So the next slide, I talk about support for the
17 regulatory framework, and this slide really shows in order the
18 hierarchy of research support, from regulatory framework,
19 from rulemaking through guidance development and then
20 standardization, often through commercial standardization.

21 With respect to the upper level rulemaking,
22 we helped develop the technical bases supporting a wide
23 array of regulatory actions, including rulemaking, generic
24 communications and guidance development. We lead the
25 Reg Guide development process.

26 The Office manages 426 Reg Guides, over

1 78 percent of which have been updated since 2006, and we
2 also lead the agency in codes and standard development. I
3 just wanted to provide a few representative examples of how
4 we support the regulatory framework, and I just want to
5 highlight one.

6 We've heard a lot about Fukushima. I just
7 want to highlight one example from Fukushima, and this was
8 with respect to the containment venting rulemaking that Tara
9 was talking about.

10 Research conducted source term and
11 consequence analyses for various venting strategies using
12 state of the art accident analysis tools, and the research was
13 used to provide the tech basis for supporting the agency's
14 order requiring licensees to provide capabilities for venting,
15 to remain functional under severe accident conditions.

16 Then research was also used to help develop
17 guidance to BWR Mark I and Mark II licensees for complying
18 with the order. Another example that Tara mentioned was
19 the revision of the fuel cladding embrittlement criteria,
20 otherwise known as 10 C.F.R. 50.46c. The office played a
21 critical role in the rulemaking effort.

22 We conducted experimental activities, both
23 domestically and with international collaboration, to develop
24 the technical basis to revise the performance-based
25 embrittlement criteria, in a manner that will ensure that the
26 behavior of high burnup fuel under LOCA conditions is

1 appropriately addressed.

2 Staff also serves on the interagency working
3 group tasked with developing both the proposed and the final
4 rule. Finally, staff has developed three Regulatory Guides
5 to define acceptable approaches to meet
6 performance-based criteria of the proposed rule.

7 Next slide I will talk about licensing support.
8 Research is used to provide expertise and help assess
9 regulatory implications to support actions such as safety
10 evaluations, exemption requests and plant inspections.

11 Meena mentioned the NFPA Standard 805
12 evaluations. Research played a large role in this, and I think
13 there's a briefing Thursday, where you're going to hear more
14 about this particular effort. I did want to touch a little bit on
15 extended power uprates for BWRs, which Meena also
16 discussed.

17 There was again, quite a lot of research to
18 study the consequences of anticipated transients without
19 scram events that could occur in BWRs under extended
20 power uprate conditions, under high reactor thermal power
21 and reduced reactor core flow.

22 The consequences to the fuel under these
23 particular conditions can be expected to be exacerbated.
24 Staff performed a series of simulations using state of the art
25 thermohydraulic and fuel thermomechanical computational
26 codes, to study the expected system response, and this work

1 has provided key insights to assist the office in performing
2 safety evaluations of extended power uprates.

3 Finally with respect to inspections, staff
4 routinely supports the regions, as well as NRR, in conducting
5 inspections to support licensing actions. Specifically, I
6 wanted to highlight some work where we supported Region II
7 and NRR evaluation of the causes contributing to the failure
8 of non-destructive evaluation, to identify five large axial flaws
9 in the North Anna steam generator hot leg nozzle.

10 This particular event, along with the research
11 evaluation of the causal factors, identified shortcomings in
12 the qualification program that are currently being addressed
13 by the industry.

14 On the next slide, the reactor oversight
15 program. The Office maintains tools and methods for the
16 significance determination process, which is really the
17 backbone of the reactor oversight program, at least the
18 quantitative background, and one of the principle tools within
19 the STP is the standardized plant analysis risk model, and
20 this office supports the development and maintenance of
21 that.

22 The SPAR model provides independent risk
23 tools for the staff, to support event and condition
24 assessment. The SPAR models are capable of evaluating
25 internal events. But recently, we've had an effort to expand
26 the capabilities of those models. So we've been adding

1 external hazards as well as shutdown models.

2 Staff's continuing to develop new external
3 model capability yearly as resources allow. The SPAR
4 models are controlled by QA provisions, which is an
5 important consideration, since we use this for regulatory
6 decision-making. We've developed guidance for both
7 creating risk models and then using them in risk assessment.

8 The staff has gotten good feedback from the
9 regions on the usability of the models, and this is important to
10 make sure that our customers have the tools that they need
11 to provide decisions that they need in real time.

12 A related effort is the accident sequence
13 precursor program. This evaluates nuclear power plant
14 operating experience, to identify, document and rank
15 operating events that are most likely to lead to an inadequate
16 core cooling, and potentially severe core damage, which are
17 called precursors.

18 This effort in this program is used to provide
19 feedback, which is used to improve the SPAR models. This
20 program provides performance measures in an annual report
21 to Congress, and we inform the Commission of the results of
22 the program in an annual SECY paper.

23 The ASP program in contrast to the STP
24 evaluates all potentially significant plant events and
25 degraded conditions, and analyzes concurrent multiple
26 degraded conditions. So sometimes because of that, you

1 can get different results in the ASP program than you do in
2 the ROP program. One example of this is the Davis Besse
3 upper head corrosion that occurred in 2002.

4 On the next slide, I want to talk a little bit
5 about support for event response. We support the
6 operations enter and its infrastructure. Staff participate in
7 the reactor safety and protected measure teams, as well as
8 other operational center teams.

9 I think as importantly, we provided analysis
10 tools and expertise. One important code that I wanted to
11 highlight is the radiological assessment system for
12 consequence analysis or the RASCAL computer code, which
13 is developed by staff, an excellent acronym. I love the
14 RASCAL name.

15 This code calculates the radiological source
16 term, transports and deposits it and then produces those
17 projections. It's the primary incident response tool that's
18 used by the agency.

19 It's used during emergencies, incidents,
20 trainings and drills. It's used for emergency planning and
21 response, and it's not just used by NRC staff. It's used by
22 state and local authorities, NRC licensees and other
23 international organizations.

24 Research is currently participating in
25 domestic and international benchmarking exercises, to
26 identify knowledge gaps and proposed improvements to the

1 modeling capabilities of RASCAL. Finally, we do more
2 routinely proactive studies that are done not for responding
3 to events, but to help with proactive emergency planning.

4 On the last slide, I'd like to finish up with a few
5 important focus areas that the Office is working on. We
6 want to continue to improve our understanding of integrated
7 challenges to plant safety and security. We have a pretty
8 good understanding of risk significant independent internal
9 and external events. This has been the focus of much of
10 our past research.

11 The challenge is really to identify and assess
12 relationships between initiating events and other causal
13 external and internal factors that can affect both plant safety
14 and security. We also want to make sure we maintain an
15 adequate research infrastructure.

16 A research infrastructure includes both
17 analytical codes and experimental facilities that are needed
18 to be maintained and upgraded as necessary, to ensure that
19 they have the necessary capabilities to address future
20 research needs. Finally, we need to continue to develop
21 staff expertise in emergent research areas.

22 So not only is it important to identify and
23 support development of new capabilities, we also need to
24 maintain expertise in core technical areas. With that, I'd like
25 to turn it over to Julio Lara, who's going to discuss the
26 regulatory oversight process.

1 MR. LARA: Chairman and Commissioners,
2 good morning. This morning I will present a status overview
3 of the reactor oversight process, as it relates to the operating
4 reactor business line.

5 Next slide please. Since the inception of the
6 reactor oversight process in 2000, our inspection staff has
7 undergone significant turnover. Accordingly, the regions
8 have spent a greater amount of effort to train and develop
9 our staff, and integrate them into our inspection work, while
10 ensuring they gain a strong understanding of our safety
11 mission.

12 Safety and security are the priority for the
13 agency's resident and regional inspectors. Whether the
14 inspector is focused on operations, engineering, radiation
15 protection, emergency preparedness or security, the
16 regional staff at all four regions remain focused and
17 dedicated to conducting independent safety inspections.

18 In particular, our resident inspectors monitor
19 plant operations on a daily basis, and remain prepared to
20 respond to unanticipated plant events. The agency's
21 operating experience program remains a vital input into the
22 reactor oversight and inspection process, to ensure plant
23 safety.

24 A prime example is the 2012 Byron open-
25 phase event. NRR utilized a well-proven process through
26 the issuance of a bulletin, to address design vulnerabilities in

1 the electrical power system, and has worked with the regions
2 extensively in this effort.

3 Next slide, please. The underlying
4 principles of the ROP, a risk-informed program, is now fully
5 ingrained into the regional culture of our inspectors, and our
6 inspectors are more well-versed in risk considerations than
7 in years past.

8 Our baseline and supplemental inspections,
9 along with a special and infrequently performed inspections,
10 collectively provide for an independent and effective
11 oversight program. As discussed during the recent agency
12 action review meeting briefing of the Commission, the
13 oversight program can be adjusted to incorporate safety and
14 regulatory changes.

15 For example, working with NRR, we have
16 revised the baseline inspection program to account for plants
17 operating in the period of extended operations, and
18 improvements in plant safety such as the voluntary transition
19 to NFPA 805.

20 Similarly, we will be looking for opportunities
21 to further adjust the ROP as the Fukushima Tier 1 activities
22 are completed in the coming years. The ROP has been in
23 existence since 2000, and it is now a mature living and
24 learning process, with plenty of opportunities for staff to
25 improve the program.

26 Our infrastructure includes a feedback loop to

1 allow inspectors, agency initiatives and external input to help
2 shape the inspection and assessment programs moving
3 forward.

4 Next slide, please. In my previous slide, I
5 commented that our infrastructure provides for a feedback
6 loop. As discussed during the recent agency action review
7 meeting, the ROP enhancement project consisted of a fresh
8 look at the ROP from an inspection, assessment and
9 communications standpoint.

10 We looked at enhancing the baseline
11 inspection program to improve its overall efficiency and
12 effectiveness. This effort included input from all the affected
13 offices, inspectors and external stakeholders. The baseline
14 program review is the first step of the enhancement project.

15 One central theme coming out of the effort is
16 to provide additional inspector flexibility in the
17 implementation of the inspection procedures. Other
18 examples of these enhancements include updates to the
19 problem identification and resolution inspection program,
20 which reviews the effectiveness of licensees' corrective
21 action programs.

22 We're also enhancing the review of aging
23 management programs following license renewal, and we're
24 also looking to better integrate operating experience into the
25 inspection program.

26 The next step in this area is for program and

1 procedural owners at NRR and the regions to work on
2 evaluating and implementing the appropriate inspection
3 procedure changes. Our goal is to develop inspection
4 procedures, drafts by the end of 2014, with final revisions
5 incorporated by June of 2015. The next phase of the
6 enhancement project focuses on plant assessment.

7 Next slide, please. The ROP provides
8 appropriate flexibility and guidance to the regions, so that the
9 regions can adjust the inspection effort at our reactor
10 facilities, including those facilities with increased regulatory
11 focus, such as plants that are in Column 4 of the agency
12 action matrix.

13 In 2013, over 2,100 hours of direct inspection
14 was performed at every site. Direct inspection directly
15 translates to inspectors out in the plant, in the control room
16 observing plant start-ups, shutdowns, walk-downs for fire
17 protection system readiness, radiation protection and
18 security measures, as well as review of engineering design
19 documents.

20 We can point to examples across all four
21 regions where inspectors demonstrated a strong safety
22 focus. One such example is the senior resident inspector at
23 Monticello, where he identified the licensee's contractor was
24 not performing appropriate non-destructive examination of
25 welds following a loading campaign.

26 Region III is working closely with the Office of

1 Nuclear Materials, Safety and Safeguards to reach an
2 appropriate safety and regulatory decision. Similarly,
3 Region III civil and structural engineering inspectors have
4 demonstrated an outstanding safety focus in the review of
5 several complex issues involving the Davis Besse
6 containment shield building.

7 Next slide, please. The program offices and
8 regions have a number of focus areas in the near and long
9 term. Future focus for the inspection program includes the
10 inspection of equipment performance, as more plants
11 transition to the period of extended operations, and they
12 begin implementation of the aging management programs.

13 Plant modifications resulting from the
14 Fukushima order will be high priority for NRR and the
15 regions, and we will work to inform the baseline inspection
16 program following implementation of these modifications.

17 Implementation of cybersecurity inspections
18 necessitates a close working relationship with the Office of
19 Nuclear Security and Incident Response. NSIR has
20 provided great support to the regions in developing
21 inspection guidance, as well as providing short and
22 meaningful rotational assignments for our inspectors, to
23 further enhance the cyber security knowledge base.

24 Communications with the public and other
25 external stakeholders continues to be high priority for the
26 regions. We fully exercise the options provided within the

1 ROP framework, to keep the public informed of our
2 regulatory decisions and plant performance assessments.

3 With input from the public, Office of Public
4 Affairs, we carefully consider the level of public interest in
5 developing the appropriate forum to communicate with the
6 public.

7 Next slide, please. I'd like to leave you with
8 a snapshot of inspectors out in the plant having direct impact
9 on plant safety, ensuring plant safety and security. In the
10 lower left, there's a period of Elba Sanchez. She's
11 performing an inspection at Quad Cities, following the
12 licensee's repair of a leak in the reactor pressure boundary.

13 There was a crack in the reactor vessel water
14 level instrumentation nozzle, and she's performing her own
15 inspection of that repair. In the center picture is a picture of
16 David Kern from Region I and Atif Shaikh from Region III,
17 both assisting Region II with an inspection at Browns Ferry, a
18 supplemental inspection 95003.

19 In the lower right, is a picture of Brian Correll
20 from Region IV inspecting a motor-driven fire pump during
21 the Grand Gulf license renewal inspection. This concludes
22 my remarks. I will now turn it over to Kevin Williams.

23 MR. WILLIAMS: Good morning. In regards
24 to event response, I'd like to focus it in the areas of a safety
25 message, three key messages, and a focus area.

26 In regards to the safety message, you know,

1 through effective management, policies, procedures, we
2 have maintained the headquarters operations centers and
3 the respective regional operations centers in a state of
4 readiness, such that we can respond to any type of event.

5 We interface effectively and efficiently with
6 the regions, and one such example is the continuity of
7 operation program. Through that, we work collectively and
8 collaboratively to ensure that we maintain the agency's
9 missions and goals and objectives.

10 That also includes training of the staff. We
11 have a -- we've looked at our opportunities to enhance their
12 knowledge level, such that they can respond, gain
13 information, and that transfers over to our headquarters
14 operations officers, and their ability to receive information
15 and transmit that information in a timely manner.

16 In regards to the key messages, and we
17 focus on the incident response being vital to the success of
18 the agency, we do that through a series of events. But we
19 focus on conducting exercises. We've conducted hostile
20 action-based exercises, and in those cases we've had the
21 headquarters operations officers have an opportunity to
22 review the licensees' scenario.

23 We do that for completeness, compatibility
24 with our processes and expectations. We've also done
25 cyber security table top exercises and the annual COOP
26 exercise.

1 We effectively work with the regions to make
2 sure that we conduct exercises with licensees, headquarters
3 and the regions, and as we transition into the Three White
4 Flint, we conducted four functional exercises for the staff, to
5 ensure that they could acclimate themselves to the
6 operations center, understand the changes that have come
7 about, whether that was from a process perspective or a
8 procedural perspective.

9 The regions have done -- likewise have
10 conducted exercises with their licensees. Some of them are
11 with headquarters and some are not.

12 One of the things that I'd like to point out is,
13 you know, there's been nothing domestically that has had us
14 stand up the headquarters operations center, but there have
15 been -- over the past 12 to 16 months, the regions have
16 stood up or gone into monitoring mode for a variety of
17 events.

18 In Region I, there was a loss of offsite power
19 at Millstone. They stood up the facility, tracked it, looked to
20 see where it was going and there was no issues. The
21 licensee exited that by restoring power and they moved
22 forward.

23 In Region II, at Watts Bar there were shots
24 fired in the owner control area. Same thing. We monitored
25 that, saw what was going and exited out of that. In Region
26 III, there was a turbine building fire at Quad Cities. In

1 Region IV, there was an explosion in an auxiliary
2 transformer. We monitored those as well.

3 Those are just options that maintain the
4 readiness and ability to effectively communicate. We also
5 participate on a number of interagency working groups.
6 Most importantly are two that I'd like to highlight, is the
7 domestic resiliency working group and the National Security
8 Council.

9 As a result of those things, we've moved into
10 areas of like a principal level exercise, national level exercise
11 and, most importantly for the next couple 12 to 14 months,
12 we're going to be looking at Nuclear Power Plant Exercise
13 2015, and I'll talk a little bit about that on the last slide.

14 We're constantly looking at our opportunities
15 to be a learning organization. How can we learn from
16 things, how can we enhance the program? One such thing
17 that we've looked at is we've looked at the results of
18 Hurricane Katrina, Sandy, the results of Fukushima, and
19 what measures can we do to enhance our program.

20 One such thing that we did is we established
21 the federal coordination team, to better communicate with
22 our partners. I'm actually a member of the federal
23 coordination team. I do get deployed. We've exercised
24 that in a lot of the exercises this year.

25 We've also looked at how do we increase our
26 communications with states, the states in terms of our ability

1 to provide them information and status of what's going on.
2 We've created an interim solution in terms of how we're
3 going to focus on increasing or enhancing our
4 communication.

5 If there's an event, the unaffected event,
6 we've established a regional state liaison officer's hotline,
7 and on that hotline are liaisons. If the existing or affected
8 regional state liaison officer cannot participate, we share that
9 information, so that we can communicate what's going on
10 with the events.

11 We recognize that there's more work to do,
12 and as we continue to engage stakeholders, we continue to
13 engage and obtain information, those opportunities to
14 enhance our program are going to present themselves, and
15 we'll work effectively with our management, you know, with
16 the Commission of course, to make necessary changes.

17 As far as our focus area, what we're trying to
18 do is we're trying to capitalize on, you know, after Hurricane
19 Katrina, the federal government stood up and decided we
20 want to have a national response plan, which was
21 subsequently changed to the National Response
22 Framework.

23 We have a part of that. We look at the
24 National Incident Management System. We also look at the
25 nuclear radiological annex, where we're a part of that. As
26 we build on the maturity of that program, there's an

1 opportunity to take that program and look at the maturity of
2 the radiological emergency preparedness program, and look
3 at opportunities to enhance that program.

4 We do that through what's called a whole
5 community approach or an all hazards plan. What we've
6 heard from our stakeholders is that, you know, there should
7 be one -- regardless of the hazard, there should be one
8 response. So the state and the locals and the federal
9 community is moving towards that direction.

10 So what we're going to do is take those
11 lessons learned, look at how we can apply it to moving
12 forward into products that we produce, such as
13 NUREG-0654, FEMA-REP-1, which is a document that
14 develops and evaluates emergency plans.

15 We're in the throes of drafting that. We're
16 going to inform that on the principles of the National Incident
17 Management System. We're also going to try to do that in
18 terms of how do we effectively focus on communication and
19 coordination, because that's the whole community approach.

20 So we're going to look at that piece and we're
21 going to inform hostile action based drills or hostile action
22 based exercises.

23 Lastly and not least, we're looking at Nuclear
24 Power Plant 2015. That's going to be an exercise at a
25 nuclear power plant as the driver, and then we're going to
26 have the federal response, federal family, and we're going to

1 see how does that all integrate.

2 When we have opportunities to enhance our
3 program, we're going to do those types of things. So we're
4 going to continue to interact with our stakeholders, to make
5 sure that the program is in a state of readiness. At this time,
6 I'll turn it back over to Mark Satorius.

7 MR. SATORIUS: Thanks Kevin, and I'd like
8 to thank the teams for your presentations. We ran a little bit
9 over, Chairman, so why don't we get right to your questions.
10 It is a big business line, so why don't we get right to your
11 questions.

12 CHAIRMAN MACFARLANE: It is a big
13 business line, and I won't hold a minute and 30 seconds
14 against you all. That's pretty good. That's with an
15 uncertainty. I'll turn it over to Commissioner Ostendorff.

16 COMMISSIONER OSTENDORFF: Thank
17 you, Chairman. Thank you all for your presentations. Very
18 well delivered and a lot of substance there.

19 I want to start out at this end of the table with
20 Kevin. I just wanted to comment that I had a chance last
21 month to participate in the hostile action-based exercise for
22 Diablo Canyon, and I thought the scenario was challenging,
23 but also realistic.

24 I personally got a lot of training value out of
25 that. I would just want to put a plug in to highlight the
26 importance, I think, of ongoing, challenging exercises for us.

1 When I talk to our international partners, that's one thing that
2 I think they're continuing to learn from us.

3 In some countries, they benefit from exercise
4 command and control, Communications strategies, etcetera.
5 So I wanted to thank the team over there in the operations
6 center for a very positive experience.

7 Julio, I'm going to go to you next. I
8 appreciate your being here to represent the regions. I think
9 the resident inspector program, the regional inspector
10 approach is so important to us, being able to achieve our
11 safety mission.

12 I wanted to ask you. You mentioned several
13 examples of things that have been added to the plate of
14 inspections, whether it be from a resident inspector portfolio
15 or from the regions. You mentioned cyber, 805, Fukushima
16 issues.

17 Have you found, whether it be in Region III or
18 elsewhere, the need to ramp back other baseline inspection
19 program efforts to accommodate these other add-ons?

20 MR. LARA: That question, Commissioner, is
21 one that we always wrestle with. It's an area where we try to
22 look -- every two years we look at the ROP, to make an
23 assessment of the effectiveness of the ROP, and then
24 whether or not we do need to make adjustments to the
25 baseline inspection program, whether it's adjustment of
26 inspection samples, inspection effort in one procedure, and

1 then increase the effort in other areas.

2 I suspect when we get to the point of the
3 Fukushima order, the modifications, we'll need to make
4 some adjustments in some of the existing baseline
5 procedures, and make that a continuously living program to
6 adjust accordingly as the years go, get closer to fruition and
7 the completion of those modifications.

8 So it is an area that we've highlighted to NRR.
9 We've worked with them to try to identify where do we need
10 to make those adjustments, and NRR has been keeping the
11 regions in the loop, informed as to what our ideas might be.

12 So that -- I think that's the next big priority for
13 us, identify where do we make those adjustments.

14 COMMISSIONER OSTENDORFF: On your
15 Slide 36, you refer to trying to increase flexibility. Is that
16 increasing flexibility tied to pragmatic steps to manage
17 workload? Is that where -- can you give some examples of
18 where you're -- of what you're thinking about as far as
19 enhanced flexibility?

20 MR. LARA: Sure. Currently some of our
21 inspection procedures in any particular area may ask us to
22 look at X number of samples, inspection samples in a
23 particular area, maintenance risk assessment for example.
24 It might ask us to look at three work items per quarter, to get
25 an overall number of 12 for the year.

26 And what our inspectors have fed back to us

1 is they would like more flexibility to make adjustment to the
2 inspection work on a day-to-day basis. So rather than have
3 quarterly requirements for completion of those activities,
4 maybe make them on an annual basis, and that provides
5 them more flexibility to adjust the workload as issues come
6 up, and not be constrained or concerned about trying to get X
7 number of samples completed by the end of the quarter. So
8 there's more flexibility. That's one concrete example.

9 COMMISSIONER OSTENDORFF: Okay,
10 thank you. Tara, I'm going to turn to you. I appreciated
11 very much your presentation discussing rulemaking. You
12 mentioned in a comment, a reference to looking at cost
13 estimates and NRC's ability to more accurately predict costs.
14 One area in the cost estimate arena that I wanted to ask you
15 about was how are you able -- how are you able as a team to
16 predict or project a licensee's engineering design cost, the
17 paper work, the quality certification-type efforts?

18 I want to give you two examples, and I know
19 the other Commissioners have the same experience. It
20 seemed like at one point in time that the spent fuel pool level
21 instrumentation paper work was more complex than people
22 appreciated.

23 Last week I was at St. Lucie, looking at the
24 emergency diesel generator exhaust, and a very simple -- it
25 looks like a simple modification to redirect the exhaust, these
26 are air cooled EDGs, to redirect that exhaust to prevent a

1 back pressure from -- a prevailing wind from a certain
2 direction resulting in a loss of cooling.

3 The modification was basically, you know,
4 putting a bunch of metal up there and redirecting the flow, the
5 same thing on intake. Yet probably this project was \$5
6 million. Probably 80 or 90 percent of it was in the paper
7 work, engineering design piece.

8 How accurate are you guys able to look into
9 the licensee's engineering design for these kinds of things,
10 and say this is what it takes a process a modification to a
11 plant?

12 MS. INVERSO: So to answer your latter
13 question first, how accurately are we able to do this, the case
14 studies were the first retrospective review, where we actually
15 looked at the estimated costs versus the actual costs, and in
16 terms of how accurate were we, it ranged from anywhere
17 from two times too low to as many as 19 times too low.

18 Now how do we come up with our estimates
19 in the first place? When we're developing a rulemaking
20 requirement, typically during the pre-publication of the
21 proposed rule, the working groups will get together and we'll
22 list the requirements that will be added by the proposed
23 action.

24 So we're looking at the delta between if there
25 is already a current requirement in place, what the proposed
26 requirement will add to that, and we'll list each element.

1 Typically, the technical experts will be able to provide an
2 estimated level of effort.

3 Whether that be in hours that can then be
4 transformed into FTE, which can then be transformed into
5 cost. So we get back to the need for the public to comment
6 on these estimates early, because we do know that those
7 estimates aren't always fully accurate, and we think that,
8 especially with the filtering strategies rule, that is an example
9 where we are getting early feedback.

10 So that will improve the accuracy and that will
11 give the licensees the opportunity to tell us where we are
12 underestimating some of these things. Once we get a
13 baseline of information, we can then apply that to other
14 regulatory actions, regulatory analyses.

15 For instance, we have a standard number
16 that we use for the effort required for an exemption request,
17 and that's what we apply to all of them. So once we have a
18 good base, I think we'll be able to improve. Right now, it's
19 mostly the technical staff's estimates, working with the cost
20 analysts.

21 COMMISSIONER OSTENDORFF: I'd
22 encourage you, where the opportunity presents itself, to
23 actually send some people out to work and spend a few days
24 with the licensee's engineering group, and see actually how
25 they do business. I think you may be doing that already, but
26 I think that's -- that would be time well spent.

1 Meena, I want to turn to you on licensing
2 actions, and I appreciated your commenting on the
3 prioritization and communications with industry, and the
4 actions you've taken to add additional resources, look at
5 outside contracting, rehired annuitants.

6 I wanted to ask you maybe a little different
7 question. Given the backlog and given where you are, what
8 steps have y'all taken to look at how you're doing business,
9 the efficiency, the review chains? Has there been a Six
10 Sigma type effort to look at how you're doing business
11 currently? Can you talk about that?

12 MS. KHANNA: Sure. So I'll answer your
13 question first and I'll add on a few other things that we're
14 doing. So as far as looking at efficiencies and reviews,
15 we're always continuing to look at efficiencies with respect to
16 reviews.

17 I think we with respect to -- we want to ensure
18 consistency across the board. So we do a lot of knowledge
19 management, knowledge transfer, ensuring that the
20 technical staff understand the most significant issues. We
21 also want to make sure that folks understand that we do
22 review to reasonable assurance. So that's a challenge that
23 we continue to work with our technical staff.

24 But in many initiatives, for example, the
25 NFPA 805 review. I know that they're looking -- they've
26 implemented a streamlined review process. They're taking

1 into consideration and utilizing the audit process to be able to
2 respond to RAIs, you know, to have the licensees be able to
3 interact with the staff on site, to be able to address the
4 questions that they have.

5 So that's also been a big improvement with
6 respect to gaining efficiencies. But in the technical areas
7 like I said, we'll continue to do knowledge transfer. We'll,
8 you know, make sure that we're using folks that are getting
9 ready to retire to communicate with the staff.

10 Right now, since we are bringing in a lot of
11 new staff, we've transferred a lot of resources from NRO.
12 They're very familiar with Part 52. So now we're training
13 them on Part 50. We've established efficient and effective
14 training programs, because we've got such a large amount of
15 staff coming over, and we just continue, you know, put in
16 efficiencies as we can.

17 I do want to mention also, we mentioned that
18 we've got all these resources coming on board. What we're
19 feeling right now, especially the management and staff,
20 we've got to train these folks, you know. It takes anywhere
21 from six to eight months to train these folks, to get them
22 qualified.

23 They need to be either qualified technical
24 reviewers or qualified project managers, and again
25 understanding Part 50, you know, it's a different ball game.
26 So that's requiring a lot of work on our end.

1 COMMISSIONER OSTENDORFF: Okay.
2 Well, I'm going to run out of time. But just I'd encourage, I
3 know with Mike Weber's task force here, I would not -- I'm not
4 making this as a criticism, but I do think that it would be a
5 tremendous lost opportunity, but I think it's an obligation of
6 the agency to look at how are you doing business, not just
7 the volume of business as you approach this, and I know I'm
8 out of time. Thank you Chairman.

9 CHAIRMAN MACFARLANE: Great, thank
10 you. Commissioner Ostendorff. All right. So I'm going to
11 start with Tara, and you've just talked with Commissioner
12 Ostendorff a little bit about this. But in terms of the filtering
13 strategies rulemaking, there's some delays with it. I want to
14 know where we're at right now.

15 I think there was a request to get cost
16 estimates by May 31st. Did they come in? Are we getting
17 the information we need, so that we can keep to schedule or
18 not?

19 MS. INVERSO: Yes. We did get that cost
20 information that came in from the industry on May 30th, and
21 the staff and the industry are following up that information on
22 Wednesday and Thursday of this week with a public
23 meeting, to discuss that detailed cost information, and
24 it appears that the other request of that letter will be
25 submitted in a timely fashion.

26 So I would say we are optimistic moving

1 forward. There were a lot of lessons learned from both the
2 NRC staff and the industry on obtaining that information.
3 We're now going to add some formality to the request in the
4 future, to ensure that the time lines are met.

5 CHAIRMAN MACFARLANE: Okay, good,
6 good. Yeah. So whatever I can do to help, let me know.
7 All right. So Meena, and this goes to the question that
8 Commissioner Ostendorff was asking about, the licensing
9 action backlog, etcetera. So you are getting more
10 resources.

11 So what are your projections, then, in terms
12 of when you will catch up? When are you going, you know,
13 be back on target with respect to timeliness and number of
14 actions?

15 MS. KHANNA: Okay. So right now, based
16 on the data that we have to date, what we're looking at is
17 we're looking for stabilization during the end of fiscal year
18 2014 and 2015. So both of those years, we're looking to get
19 stabilized, and in the future years, right now we're looking at
20 2016 or 2017 to be able to get back to meeting our metrics
21 again.

22 But that obviously is based on the resources
23 that we get, and like I mentioned, again, you know, we need
24 to make sure that we're training folks appropriately to get
25 them back up to speed.

26 CHAIRMAN MACFARLANE: Sure, sure.

1 You need folks trained properly. I understand that. I also
2 want to emphasize, as Commissioner Ostendorff did, that
3 don't just do what you're used to doing, but I would strongly
4 suggest that you take a look at the overall process involved.
5 I think that would be very helpful. Sometimes it's good to sit
6 back and have a rethink.

7 In terms of research, so what specific actions
8 are you guys taking to develop your understanding of
9 emergent issues? In particular, I'm interested in how
10 research integrates information from outside of the agency,
11 from international agencies, international folks and
12 academia, all that kind of thing.

13 MR. TREGONING: Yeah. Let me touch on
14 the international piece first, because I think -- we just have --
15 we do extensive collaboration through a variety of means.
16 For instance, we participate, and I'm a member on the NEA
17 CSNI Committee, and this is the committee for -- it's
18 comprised of other international regulatory research support
19 agencies.

20 One of the fundamental objectives of that
21 agency or that organization is to share operating experience.
22 So I think really through sharing operating experience, as
23 well as research activities. So we try to have an
24 understanding of what's happening, what events are
25 happening in other countries.

26 We're just networking and

1 information-sharing through these networks, and
2 collaboration bodies we've developed has really helped us
3 when these emergent issues come up.

4 CHAIRMAN MACFARLANE: Okay, all right.
5 Julio, nice to see you again.

6 MR. LARA: Thanks. Thank you.

7 CHAIRMAN MACFARLANE: Okay. So in
8 terms of the inspection program, I'm interested in specific
9 examples of some of the newer areas, so aging plants and
10 the Fukushima Tier 1 activities. I'm interested to
11 understand how you're integrating the resident inspectors
12 into these activities.

13 Are you polling them for their views? Are
14 you including them in working through the new activities that
15 will go on, etcetera?

16 MR. LARA: You know, one of the things
17 about the resident inspector program that has kind of been at
18 the core of the program from the inception is being mindful to
19 not overburden the residents with a lot of information.
20 There's a lot of requests, tasks that come from headquarters,
21 from the regions. So we try to monitor that, to not overburden
22 the residents.

23 Post-Fukushima, one of the things that we try
24 to instill in our residents and our branch chiefs is not to let the
25 Fukushima event overburden or otherwise distract our
26 residents from the day-to-day plant operations safety and

1 security. So with respect to post-Fukushima, we want to
2 transition the inspector's knowledge to now performing
3 inspections of the modifications.

4 So what we are planning on doing is working
5 on NRR, begin to integrate them into their site evaluations,
6 their audits for the various Fukushima orders, and begin
7 transitioning their knowledge to incorporate -- to learn the
8 aspects that NRR brings forth, and to start thinking about
9 where we can adjust our inspection procedures to begin
10 looking at those modifications in the coming years.

11 For Region III, NRR is beginning their audit at
12 D.C. Cook, I believe it's this week, and Byron follows shortly
13 thereafter. So those are the first two examples where our
14 resident inspectors will be working closely with NRR, to
15 share information, help NRR in their task, and at the same
16 time gain some knowledge from the NRR with respect to the
17 intent and purpose of all these modifications. So it's an
18 ongoing work.

19 CHAIRMAN MACFARLANE: Okay. Onto
20 another topic that's near and dear to my heart, which is
21 communication and public engagement. So anybody who
22 wants to jump in can.

23 You know, I know we get a lot of input from
24 the public, and I'm interested in understanding and hearing
25 some specific examples of how we incorporate that input,
26 and examples of how we may have changed course and

1 changed our views, changed inspections from that input.

2 So can anybody think of anything, or give a
3 general view? I appreciate, Tara, all your examples of, you
4 know, the -- yes, the rulemakings, thank you. But I'm
5 thinking more about just the general operation now.

6 MR. LARA: If I could, one of the things that
7 we've worked in Region III, and I think it's more so also in
8 Region I and Region IV with the large public interest at some
9 of their facilities, we've tried to create -- come up with
10 different ways to communicate with the public.

11 We've talked about webinars. We've gone
12 to home and garden shows, to try to reach out to the public
13 and put a face of the resident inspectors to the local officials.
14 We've done quite a bit of government to government
15 meeting, outreaches, to again put a face to the NRC.

16 But it is a challenge, because what we have is
17 different audiences, and they all have different needs. So
18 while we certainly want to communicate what our mission,
19 our activities, our inspection results and assessments, we
20 can't please everyone.

21 So for us to then -- we struggle, frankly, with
22 trying to assess the effectiveness. How effective are our
23 communications, because in many cases, we get great
24 feedback. There are some others that may not share that
25 view.

26 So we're trying to adjust our public forums,

1 our communications means to a varied audience, and
2 sometimes we do well, sometimes we do not, as the
3 receivers of that information.

4 CHAIRMAN MACFARLANE: And how do
5 you assess your performance of public engagement?

6 MR. LARA: I can't say that I have an
7 accurate measure of how effective it is. Again, we get great
8 feedback from a number of the public. But from others,
9 frankly it's not much we can do. I'm not sure that we will
10 meet all their needs frankly.

11 CHAIRMAN MACFARLANE: Uh-huh.
12 Anybody else want to --

13 MS. KHANNA: So Chairman Macfarlane, I'll
14 address -- I'll say it generically. I won't be able to give you
15 specifics, but we can always get you specifics later. But
16 with respect to our licensing process, with respect to the
17 license amendments, there is an opportunity for public
18 comment in the process, as well as an opportunity for a
19 hearing.

20 So with each amendment that goes out, you
21 know, we do notice the review and we allow the public an
22 opportunity to comment. In addition, the state and local
23 officials are also provided an opportunity to comment on the
24 amendments when we've completed that safety evaluation.

25 So we do take those into consideration, and I
26 can give you one example with respect to Seabrook

1 alkali-silica reaction issue. I know for a fact, I was involved
2 in -- I've been involved with the region. I know the region
3 has been involved in responding to a lot of public interest
4 questions with respect to Seabrook ASR review.

5 We've held many public meetings. We do
6 take into consideration any technical issues that they've
7 brought up. You know, we implement them into our review
8 as much as we can, and make sure that we continue to
9 communicate that with them as well.

10 MR. LEEDS: Thank you all. Chairman, I'll
11 take a crack at it also. It's a very, very difficult issue. I'll
12 give you an example of where I think it was a big success,
13 but I also want to talk about the international community and
14 our work with the internationals.

15 One of the examples that I'd like to use, and
16 it's old, but I think it's very poignant and very important, is all
17 of our decommissioning funding requirements, those were all
18 generated from external stakeholders, bringing that issue to
19 this agency saying hey, you guys need to make sure that
20 there are funds available to decommission these plants after
21 they retire.

22 I think that's all -- those rules that are
23 currently in place, it was the public that brought that to our
24 attention. So that's a good example.

25 Now you asked a couple of questions about
26 how do you measure your effectiveness, and how do you find

1 out if you're reaching the different audiences you want, and
2 that's a real challenge for us.

3 We just undertook some work with the
4 Nuclear Energy Agency, where we had Holly Harrington and
5 Eliot Brenner from OPA, working closely with their
6 counterparts from regulatory agencies overseas.

7 They had a workshop last year, where we
8 brought in NGOs, non-governmental organizations and the
9 public, to ask how can we do a better job. What can we do
10 to further reach out, to provide the information and then get
11 meaningful input from you, and also to come up with metrics.
12 Are there metrics that we can use to measure how effective
13 we are and how we're doing?

14 You know, it's the beginning of the work. It's
15 just started. It's underway. It's a real challenge, though,
16 because even our external stakeholders, they can't give us
17 ideas of what would be the metric. It can't just be that we
18 heard them, you know. That isn't enough.

19 CHAIRMAN MACFARLANE: But there's a
20 large literature. I mean there's a lot of people who do
21 measure public effectiveness. Certainly companies who
22 are selling products are interested in that, and they do it all
23 the time. So there's -- people do this all the time. You just
24 have to consult --

25 MR. LEEDS: I agree with you. There's a
26 wide range of public that get involved. For the nuclear,

1 typically you're dealing with people who have very strong
2 anti-nuclear feelings. So to be able to measure that against
3 the public as a whole gets very, very difficult for us, you
4 know.

5 You're hearing from a minority of people.
6 How do you draw in the apathetic majority, and get a better
7 idea of where you stand, and that's part of our problem.
8 Also, how do you satisfy what their requests are if they aren't
9 technically, because we're technical agencies? So it's very
10 challenging. Just a completely different perspective.

11 CHAIRMAN MACFARLANE: I think it's
12 helpful to, like Tara did, to list examples of where the public
13 gave input, and that was really helpful. So in the future, that
14 would be something to consider. Commissioner Svinicki.

15 COMMISSIONER SVINICKI: Well, I want to
16 thank you all for your presentations. When the planning for
17 this meeting was underway, Eric expressed to me that it was
18 very, very important that he have a diversity of project
19 managers and branch chiefs and others at the table, and I
20 have to complement you Eric.

21 I think I can see why you put these wonderful
22 people front and center here, and it is also a reminder to me
23 that as stellar as you and your leadership team are, it's my
24 opinion that branch chiefs, project managers, team leaders,
25 have some of the hardest jobs in this agency, because they
26 are doing on a day-to-day basis more hands-on

1 management than probably those who rise to higher levels
2 within the SES, and also they're generally still technically
3 managing quite a bit of the work.

4 So I want to compliment you for giving us a
5 very, very visible reminder of that today, not that we didn't
6 know it already. I also want to compliment a few things.
7 Julio, I really appreciate that you had some photographs, to
8 remind us of these inspections.

9 I think in many government agencies,
10 inspection audit is a desktop activity. It's a paper work
11 activity. I have visited where I showed up at one
12 construction site, and I think I had a tan jacket, to which our
13 resident inspectors were chuckling amongst themselves.
14 They said they were so caked in dirt the day before, that I
15 clearly didn't look like much of an inspector, and I certainly
16 don't try to pass myself off as one.

17 When licensees ask me what I thought after a
18 tour, I say these are our experts, not me. I'm not the one
19 here to do inspection. I haven't passed all the necessary
20 qualifications for that.

21 I also appreciate that we were reminded
22 today that operating reactors is not equal to NRR, that it is a
23 team effort, that there is a lot of activities that go on across
24 the organization.

25 The other comment I wanted to make,
26 Meena, I appreciate very much you mentioned Michele

1 Evans, the letter, the communication that she gave to
2 licensees when it began to emerge that some of the licensing
3 metrics were going to be very challenged.

4 I think, you know, maybe we can be faulted
5 for a lot of things, but we have definitely been very, very
6 forthcoming. It isn't the same as delivering news that makes
7 people happy. But I think, you know, my bottom line has
8 always been if the review of something is going to be
9 impacted, I think that the people who submitted that item for
10 review want to know that, although it's not good news.

11 I will just mention that I think in the news
12 recently, there's been a sobering reminder of a federal
13 agency that perhaps couldn't meet demands and decided to
14 be less than maybe forthcoming about their inability to get
15 their workload processed and scheduled, and we had some
16 veterans that were affected by that.

17 So I think again, we have the resources we
18 have. We have the people we have. But our duty, then, is
19 to communicate clearly where things are. So I think Michele
20 took that early action. I was very, very complimentary of
21 that. I know I passed that along to Eric. I'm not sure I
22 passed that along to her directly.

23 But I thought that was the kind of proactive
24 stance that we need to be taking, and that may continue into
25 future years, if our budgets continue to be constrained.
26 Then the second important element is not just to

1 communicate it, but what are you doing about it. I
2 appreciate that that was the second part of what you talked
3 about, is what are you doing, how are we shifting resources.

4 So again, it's not a situation any organization
5 wants to find itself in. But I think that we're doing the two
6 most essential elements, which is to be transparent about it,
7 and then to attempt to put in place whatever adjustments are
8 within our power.

9 So I wanted to begin with that commentary. I
10 do appreciate, as well, the way this was structured. There
11 was a lot of discussion about rulemaking. I have talked a lot
12 about the discipline of the NRC rulemaking process, and I
13 think it was one of those really pleasant discoveries, to come
14 to NRC and discover all that goes into this, so that at the end
15 of the day, I think we can feel we've well-analyzed things,
16 we've looked at them very, very closely.

17 Right now, I am working on evaluating a
18 proposal advanced by some on the Commission to institute a
19 requirement for PRA for operating reactors. So to acquaint
20 myself with the history is part of my process in developing a
21 vote.

22 I've been looking at the staff's recent work on
23 this point, and I didn't have to look very far, because as part
24 of the SECY on Recommendation 1, the working group
25 looked very closely at a plant-specific PRA regulation being
26 required in Part 50.

1 This was the staff's conclusion. I can show it
2 to you if you want me to, but I'll just read it. It says "The
3 NRC staff believes that a regulation for a site-specific PRA
4 for currently operating reactors, for the purpose of searching
5 for as-yet unrealized cost beneficial risk reduction activities,
6 would not provide benefits commensurate with the
7 substantial cost of developing regulatory compliant PRA
8 models."

9 It goes on to say "The NRC staff estimates
10 industry costs to upgrade and maintain PRAs at currently
11 operating plants to be between \$702 million and \$865
12 million." So this was one of the enclosures to
13 SECY-13-0132 on Recommendation 1.

14 So my question for you is as I look at this, if
15 the staff were directed to do a rulemaking for a PRA
16 requirement for operating reactors, in the absence of any
17 other changed circumstance or direction, would this still be
18 the staff's conclusion, given that this work was done only last
19 year?

20 MS. INVERSO: I'll begin with maybe a lower
21 level and possibly two detailed explanations, so feel free to
22 stop me or hurry me along. But if the staff were directed to
23 pursue a rulemaking, we would have the Commission
24 direction. It would get the resources.

25 We would start with a full regulatory basis on
26 that issue. So perhaps it would look into details that weren't

1 looked into for Recommendation 1 or perhaps it would be the
2 same. But as part of the staff's direction, it would perform a
3 backfit analysis, and that backfit analysis would look at the
4 substantial increases in safety or security.

5 COMMISSIONER SVINICKI: Well can I --
6 and that was going to be the second part of my question
7 directed to you specifically, is that the staff plays by the rules
8 but the Commission makes the rules. So when there's a
9 rulemaking direction, we have ways, assuming that the staff
10 looked at all relevant factors previously and backfit could not
11 be met, and there was not -- the cost/benefit wicket could not
12 be passed through, the Commission has some choices
13 there, don't they?

14 They can deem it a matter of adequate
15 protection; they can -- and the result of that, of course, would
16 be waiving the backfit or the cost/benefit analysis; or they
17 can constrain the cost/benefit analysis in some way. That
18 was going to be my next question for you.

19 In general, we have internal instructions and
20 directives on doing cost/benefit analysis. I think you, or
21 Meena, talked about updating. You've got a SECY coming,
22 where you're going to look at some changes or
23 enhancements to our cost/benefit estimate.

24 But as a general matter at NRC, when we do
25 a cost/benefit analysis, do we look at the same action?
26 Meaning that the costs resulting from an action are

1 compared to the benefits arising from that action? Do we
2 keep an apples to apples comparison, in general?

3 MS. INVERSO: I would say we keep an
4 apples to apples comparison. Now part of the qualitative
5 factors we'll talk about when the benefit can't be quantified,
6 and we'll propose some recommendations on that.

7 COMMISSIONER SVINICKI: But there's
8 still the benefits from that action, the proposed action, are
9 they not? I guess what I'm saying is would we routinely
10 conduct a cost/benefit analysis where we said consider only
11 the costs arising from this proposed action, but consider all
12 the benefits, including from things already in existence
13 having nothing to do with the action?

14 MS. INVERSO: I would say you would have
15 to look at the added benefit from the requirement that's going
16 in place. So the benefits that are already there would
17 remain, and you would just be looking at the incremental
18 benefit provided by the new requirement.

19 COMMISSIONER SVINICKI: Okay. But if
20 -- in my -- I've been here seven years. The Commission has
21 not in general constrained the staff's benefit analysis with a
22 specific SRM direction, saying do the cost/benefit in exactly
23 this way. I couldn't find any examples of that.

24 Have either -- are either of you familiar with
25 recent or historic Commission direction, to say consider only
26 these costs, but consider these benefits? Is that routine?

1 Or generally you have an instruction or directive for how to
2 do that, do you not? Oh, and there's OMB guidelines as
3 well. I don't know if we deviate from those.

4 MS. INVERSO: Right. I think I'll turn it over
5 to Fred Schofer, who is a senior cost analyst within the Office
6 of Nuclear Reactor Regulation.

7 MR. SCHOFER: Hello, I'm Fred Schofer.
8 We in Reg Analysis consider all the benefits and all the
9 costs. So when we're analyzing, we're looking at
10 reasonable benefits that can be --

11 COMMISSIONER SVINICKI: Don't they
12 have to be attributable to the action though? You say "all
13 costs and all benefits," but related to the action that's
14 proposed?

15 MR. SCHOFER: Related to the action, that
16 is correct. So I mean what we do is we do the incremental
17 analysis. We're looking at the baseline as it currently
18 stands. We're looking at the alternatives that would address
19 the issue or the problem that has been raised, and then we
20 would evaluate both the costs associated with implementing
21 that action, as well as the perceived benefits that could be
22 achieved.

23 We'd be looking at that both from a
24 quantitative as well as a qualitative perspective.

25 COMMISSIONER SVINICKI: Okay. But in
26 general, it's attributable to the action. There's been vibrant

1 debate about this in terms of EPA Clean Air rules on carbon
2 emissions, of whether or not the benefits that are counted
3 are attributable to the action.

4 So I know it becomes a very complex issue
5 very fast of how you attribute those things. EPA's
6 guidelines allow them to take into account something I
7 believe they call ancillary benefits, which is, I think, a sub-tier
8 of things maybe not directly attributable to. Thank you. I'm
9 over my time but I --

10 MR. SCHOFER: We do that as well, by the
11 way.

12 COMMISSIONER SVINICKI: Oh, okay. All
13 right. Thank you very much. Thank you, Chairman.

14 CHAIRMAN MACFARLANE: Okay.
15 Commissioner Apostolakis.

16 COMMISSIONER APOSTOLAKIS: Thank
17 you, Madam Chairman. Well, let's pursue this issue a little
18 bit. I appreciate -- well first of all, I know that a lot of people
19 are complaining about the underestimation of costs. Some
20 people also complain about the underestimation of benefits.

21 I would be the first one to admit that
22 evaluating the PRA requirement is very difficult, in terms of
23 benefits, because it's not that you're just -- I mean in routine
24 applications, if you can call them that, of cost/benefit
25 analysis, I think it's easier to quantify the benefits, man-rem
26 averted and so on.

1 Here, you're talking about the methodology.
2 Methodology is not the same as installing filter vents or other
3 things which are hardware oriented. So what are the
4 benefits of using a methodology to regulate? It's very hard,
5 it's very hard.

6 Up until now, what I have seen, the benefits
7 were limited to the particular action that the staff was
8 considering, but the cost was where, you know, the cost of
9 doing a PRA, which is a big thing.

10 So clearly, it lost. Although I've talked to
11 experts and they told me that the costs there were actually
12 overestimated. Usually you're accused of being
13 underestimating costs, but this is really overestimation, given
14 the status of the PRA as NEI in fact admitted in a letter
15 several weeks ago.

16 So -- and the other point I want to make is that
17 in that recent SECY, it was really, I would say, arm waving.
18 We don't believe the benefits are good. We have already
19 found most of the contributors. We don't think, we don't
20 believe. Well, the discussion here this morning tended to be
21 quantitative.

22 I mean there were recommendations, you
23 know, develop metrics for this, metrics for that. So I think
24 that some more quantitative approach to the benefits would
25 be useful, and the motivation for the initiative that
26 Commissioner Magwood and I took was to stop looking at

1 the benefits from PRA in a specific context, and look at the
2 totality of benefits that would result by using PRA, okay.

3 So I have a problem with the costs that were
4 presented. I thought they were exaggerated, and the
5 benefits in the limited actions that you were considering
6 maybe they were too much based on judgment, okay. We
7 don't think, we don't believe.

8 One thing I learned when I was on the ACRS
9 is never use "think" or "believe." We're talking about facts,
10 right? So that's my thoughts on the issue that
11 Commissioner Svinicki raised.

12 Ms. Khanna, Meena, you mentioned NFPA
13 805. Now I became fully aware at the American Nuclear
14 Society meeting, last September I think it was, that there
15 were strong complaints from the industry on the way we
16 conducted the reviews, and then I talked to our staff and
17 there were strong complaints about the quality of the
18 applications.

19 So I believe even Director Leeds got involved
20 after a while, and there were steering committees and all
21 that. So are things moving more smoothly now, and what is
22 the reason for that? There were technical issues that were
23 resolved, or process issues or both?

24 MS. KHANNA: I'll defer to our expert, Joe
25 Giitter.

26 MR. GIITTER: As you know, Commissioner,

1 we have a Commission meeting on Thursday, and we'll go
2 into a lot more detail. But the NFPA 805 reviews are very
3 complex and very resource-intensive, and we have been
4 making progress. As Meena mentioned, we have been
5 doing a number of things I would describe as process
6 changes, that have made our reviews more efficient, more
7 effective, more focused.

8 I also would say that the quality of the
9 applications that we receive from industry have been
10 improving. That being said, these are major license
11 amendments. They're essentially going from a very
12 deterministic licensing basis for fire protection, where you
13 look at the number of feet of separation between trains and
14 three hour/one hour fire wrap suppression systems, to
15 looking at dominant risk contributors, based on best insights.

16 I think the biggest challenge, as you'll hear on
17 Thursday, has been the methods that were jointly developed
18 by industry and the NRC that are in NUREG/CR-6850, a
19 number of licensees/contractors have deviated from those.
20 We've had to do reviews of those methods essentially in
21 parallel to the licensing reviews.

22 So things are getting better, I believe. I think
23 you'll hear that from industry as well. But it is a big effort.
24 We are making progress, and hopefully at the end of this
25 year we'll be about halfway through.

26 COMMISSIONER APOSTOLAKIS: So the

1 technical issues have been resolved Joe, or are there still
2 problems?

3 MR. GIITTER: There are still some issues
4 we're working through. But a number of the technical issues
5 have been worked through the frequently-asked questions
6 process. But for example, control room abandonment is
7 one of the issues we're still working on.

8 COMMISSIONER APOSTOLAKIS: Thank
9 you. Mr. Tregoning, good to see you again.

10 MR. TREGONING: Good to see you.

11 COMMISSIONER APOSTOLAKIS: I'm
12 sure.

13 (Laughter.)

14 COMMISSIONER APOSTOLAKIS: You
15 mentioned the SPAR models and how useful they are and so
16 on. I have a problem with the SPAR models. The human
17 reliability numbers that are being used there were developed
18 a number of years ago, and their basis is questionable. In
19 fact, it was an interesting ACRS meeting recently, where
20 there were some comments about the SPAR model, the
21 HRA and the SPAR model.

22 At the same time, though, we have major
23 projects in the Office of Research on HRA. We had
24 ATHENA in the past; now we had IDHEAS, and I see there a
25 disconnect. The Commission was briefed by the staff
26 recently on HRA. There is very detailed work going on

1 there, you know, the cognitive functions and what the -- how
2 the operators think, bah bah.

3 Yet if go to SPAR, which is the tool we use to
4 interact with the licensees when something happens, we just
5 say oh, it's 10 to the minus 3. Where are these insights from
6 the research that this office is doing? Where are they
7 influencing what we do in SPAR? Or are there any plans
8 perhaps to improve the SPAR models based on the insights
9 we're getting from these major projects?

10 I think Commissioner Ostendorff remarked
11 once, in another context, that we do these major research
12 projects, but then he fails to see how those -- the results of
13 those projects influenced other parts of the agency.

14 So are we having a similar situation here,
15 spending hundreds of thousands of dollars developing
16 insights from HRA models, but then when it comes to SPAR,
17 we pull numbers out of people's judgment? Let's put it that
18 way.

19 MR. TREGONING: Yeah. I'll cover SPAR
20 generally, and I think Chris Hunter is here, he might want to
21 talk about the HRA --

22 COMMISSIONER APOSTOLAKIS:
23 Somebody's up there. Okay. Please --

24 MR. TREGONING: I'll turn it over to Chris, I
25 guess.

26 MR. HUNTER: Okay. Chris Hunter, Office

1 of Research. I can answer a little bit of some of your
2 question. We'll have to get back to you on some.
3 Essentially, the SPAR models currently use the human error
4 probabilities that are provided with the licensee PRAs. So --

5 COMMISSIONER APOSTOLAKIS: Oh, so
6 you're not using the table that I have seen?

7 MR. HUNTER: No, no. I will make aware
8 there's a documentation issue that makes this a little bit
9 complicated. But essentially when the SPAR models are
10 developed, they're benchmarked against the licensee PRAs,
11 and the SPAR model developers basically are through a
12 contract through Idaho National Labs.

13 What they'll do is they'll take the human error
14 probabilities from the licensee model, and those are
15 essentially what are used currently in the SPAR model.

16 So they're only -- so there's no new HRA work
17 really done in the SPAR models, and this even includes
18 actions that are considered dependent. Each of these are
19 human failure events that are considered dependent with
20 each other. So that's what's used now.

21 Now you bring up IDHEAS, which is the
22 methodology currently being constructed within Project and
23 Research. Now if we move forward with trying to implement
24 that within the SPAR models, I think you would -- for that to
25 even be used even for an event assessment, through the
26 SRAs, you would have to implement IDHEAS in the baseline

1 model.

2 That's my belief, that you would have to -- for
3 it to be able to be used with the SPAR framework, you would
4 actually have to evaluate all the human failure events with
5 the new IDHEAS method.

6 COMMISSIONER APOSTOLAKIS: So you
7 will be using IDHEAS at some point?

8 MR. HUNTER: That is a decision above me.
9 I can't answer that.

10 COMMISSIONER APOSTOLAKIS: That's a
11 technical decision?

12 MR. HUNTER: Well, the problem is IDHEAS
13 -- the method is not completed as of yet.

14 COMMISSIONER APOSTOLAKIS: I
15 understand that. But there were a lot of insights that were
16 developed, and you have ATHENA in the past. I'm sorry,
17 Chairman. I'll finish. We have ATHENA that also
18 developed a lot of insights. I mean when the licensee gives
19 you a number, do our staff say well gee, you know, ATHENA
20 said that or IDHEAS said that. Maybe that number is
21 reasonable, it's not reasonable.

22 MR. HUNTER: Currently no.

23 COMMISSIONER APOSTOLAKIS: Okay,
24 thank you, thank you.

25 CHAIRMAN MACFARLANE: Commissioner
26 Magwood.

1 COMMISSIONER MAGWOOD: Thank you,
2 Chairman. Let me begin by echoing Commissioner
3 Svinicki's commentary about the panel. I think this is a
4 fantastic panel. I think you all did a great job in a very short
5 period of time. So I really very much appreciate the
6 diversity of the panel, as well as the quality of the panel.

7 Before -- since Commissioner Apostolakis
8 brought this up, I was going to ask this very general question
9 about the SPAR model program. How often are the models
10 updated? Is this a continuous process of updating?

11 MR. TREGONING: It's a continual process.
12 I think, you know, depending on resource constraints, we
13 pick about four or five a year that we do a complete review
14 and update on, and then there's another 20 or so that we get
15 feedback on.

16 So it's about a third a year at least gets some
17 sort of review and evaluation, and again, it's on a rotating
18 basis. So you're trying to do continual improvement as you
19 go in the program.

20 MR. HUNTER: Just to clarify, typically on
21 average, we do a regular update of the SPAR models, about
22 12 per year. Recently, due to budget constraints for fiscal
23 year 2014, it's been about six models. But that's also into
24 the additional efforts of looking at fire and other external
25 events, new reactor SPAR models. So there's other
26 activities ongoing --

1 COMMISSIONER MAGWOOD: And as you
2 go -- as you go through the updates, you're also adding some
3 external events as well?

4 MR. HUNTER: Well, the regular essentially
5 yearly updates will just be on internal events. It goes on a --
6 we evaluate the process. For example, we've recently
7 completed NFPA 805 fire, essentially models for the SPAR
8 model. That was done for D.C. Cook and Shearon Harris,
9 and we've also looked at additional all hazards models for
10 Vogtle and V.C. Summer.

11 So that's kind of done more on an evaluate,
12 where the licensees are in their process, and where we can
13 essentially tag along to get the information we need to
14 implement it into the SPAR models.

15 COMMISSIONER MAGWOOD: Okay. I
16 appreciate that. Thank you. Rob, just another question for
17 you. I think you highlighted the fuel cladding embrittlement
18 rulemaking, which was one of the more technically
19 challenging packages that I think we've seen. From a
20 scientific standpoint, there's a lot of interesting background
21 associated with that package.

22 I thought it reflected a very good role for the
23 Office of Research, in that this was not an issue that was
24 generated through a user request from NRR; it was the result
25 of people looking at the scientific information that was out
26 there, asking questions, conducting research.

1 I think, and I think Brian and I have had
2 conversations about this in the past. But the one thing I do
3 worry about is whether we're looking at these longer range
4 issues enough. This being an excellent example, where
5 Research looked down the road, saw an issue, was able to
6 translate that into a need that became a rulemaking
7 proposal.

8 Are there areas where you feel that we ought
9 to be looking further down the road? Brian, if you want to
10 hop into this, feel free? But where are we missing? Where
11 are we missing the opportunity to look down range at issues
12 like this?

13 MR. TREGONING: Yeah. I'll say
14 generically we're always looking down range for issues.
15 One program that we have that I think asks the agency to do
16 that, in some sense, is the long term research program,
17 where we solicit ideas, not just from the Office of Research
18 but agency-wide, and the idea is to look for future challenges
19 from a regulatory perspective, that might be coming down
20 the road five years or so from now, that we're not in a position
21 to support from a technical basis.

22 So that's a program that we've been
23 implementing over the last few years, to try to address that
24 question in a more formal way. But we're always trying to
25 plan and look and forecast. The problem that we run into, I
26 think, is that, you know, we're an agency that dispositions

1 what the industry is going to do in a certain area.

2 So if you asked us to look down the road ten
3 years ago, we would have said decommissioning was
4 probably the number one thing. If you asked us five years
5 ago or seven years ago, we would have said new reactors.

6 So we're always looking and postulating and
7 planning. But one of the challenges that we continually face
8 is the future sometimes is -- not only is it out of our control but
9 it's, you know, it's even further out of our control, because it's
10 dependent on what industry decides to do in a number of
11 areas.

12 So that's a challenge that we always face with
13 trying to identify emergent needs and issues that need
14 technical support. So I don't know if Brian.

15 COMMISSIONER MAGWOOD: Brian
16 please.

17 MR. TREGONING: He'll want to correct me,
18 I'm sure.

19 MR. SHERON: Brian Sheron, Director of the
20 Office of Nuclear Regulatory Research. Just to add on to
21 what Rob said is that we do try to look forward as much as
22 we can, and particularly like with new technologies that we
23 see coming down the road.

24 Ones I always worry about are like fiber
25 optics, you know. I look at, you know, for example with
26 license renewal and so forth, and what are things that

1 licensees are going to be faced with. They have aging
2 cables, okay.

3 So the question is are they going to replace
4 cables, or would they use something different to address
5 that, and is that something that we need to start to look at
6 now and understand what are the safety implications, if there
7 are any, with moving to a different type of technology.

8 So that's always the challenge, is trying to
9 identify that. We try to work with our customer offices, to
10 make sure that they also agree that, you know, this is a
11 worthwhile area to pursue, and if they do and we have the
12 resources, we try to look forward, you know, and identify
13 what those are.

14 MR. LEEDS: If I can add an example,
15 because Brian's also leading everybody's focus forward.
16 But Brian also looks backwards, and very specifically he's
17 working with NEA to find what more we can glean from the
18 Fukushima accident.

19 When the Japanese start tearing apart those
20 plants what -- did the bolts really stretch and allow the
21 hydrogen release off of that containment? Let's go take a
22 look at that. What was the impact of all that salt that they
23 put into the reactor vessel? Let's go take a look at that.

24 Brian has really been the leader on that over
25 at the NEA, pushing that work and trying to get the
26 internationals involved with the Japanese, to get some of that

1 research done. It's a look backwards; it may help us going
2 forward.

3 MR. TREGONING: One final thing if I could
4 add. In certain fundamental areas, we also have research
5 plans, in digital I&C as well as seismic and other areas,
6 where we meet not just with the Office of Research but also
7 all of our customers, and try to project what those needs are
8 going to be.

9 So that's another formal effort that we have,
10 that tries to address the question that you raised.

11 COMMISSIONER MAGWOOD: Okay,
12 thank you. I wanted to echo something that Commissioner
13 Ostendorff mentioned. Commissioner Ostendorff was the
14 executive in the Diablo Canyon hostile action drill a while
15 back. I was actually at the plant during that, and had -- was
16 able to get that perspective.

17 It was -- I agree with him entirely. It was a
18 very challenging exercise, very complex, a lot of players
19 involved, and I think you'll find, as you mentioned, some
20 lessons learned. I found it very interesting in that as I
21 traveled from the control room to one of the staging areas to
22 the EOF, it was amazing to see how information degraded as
23 I traveled along those lines.

24 I knew more traveling by car than people
25 were getting by email and telephone. So it was really an
26 interesting experience to see that firsthand. But again, I

1 thought it was an excellent exercise. I think it was a very
2 good example of the value of the program, and adding the
3 hostile action component, I think, has proven to be very
4 effective.

5 Julio, just a question for you. You know, I
6 appreciate your commentary about the role of the inspectors.
7 But you know, as I talk to inspectors at various plants and
8 see the insights they gain about the licensees that they are
9 observing, I often wonder how effective we are in taking
10 insights they gain at specific plants, to make sure that that's
11 fed back to the regions and back to headquarters, to have
12 other inspectors, you know, where there may not be a major
13 problem but just an interesting observation?

14 How good are we at making sure that that
15 information feeds back to all the other inspectors?

16 MR. LARA: You know, one of the things that
17 -- we focus on two particular areas. One is knowledge
18 transfer, at Region III and I know at the other regions as well.

19 We try to come up with different unique
20 methods to share either historical or recent plant
21 experiences, operating experience, and share that with the
22 inspectors, and use senior inspectors or branch chiefs to
23 communicate, roll out that information, to share their
24 perspectives and knowledge in those particular areas.

25 The other area is at our inspector seminars,
26 which we hold every six months. We provide opportunities

1 to not only have presenters from NRR, Research and other
2 offices communicate what's going on in their offices; we also
3 hold kind of operating experience open forums.

4 We just did on at Region III a couple of weeks
5 ago, where we discussed issues at various facilities across
6 the country, and we have an open forum where all the
7 inspectors shared their thoughts and ideas, either a critical
8 review of their particular event, or either from the technical
9 aspect or from inspection techniques to share, particularly
10 with our younger and newer inspectors, who are just getting
11 out to the sites.

12 One of the things that I realized is that our job
13 as supervisors, it's never done with respect to training our
14 newer folks. We disseminate information, we train them, we
15 get them qualified, and they progress throughout their
16 career. But it's an ongoing opportunity for new inspectors to
17 get out there. So that learning process is just continuous for
18 those in the regions.

19 COMMISSIONER MAGWOOD: Eric, Mark,
20 I think --

21 MR. SATORIUS: Yeah. I was going add,
22 one thing that I think all the regions do, I know Region III did,
23 is to have periodic either quarterly newsletters, and a lot of
24 times they'll be "catch of the week" or "catch of the month,"
25 and it will be a description of an inspection finding, and how
26 the inspector used his skills, his or her skills to make this

1 identification.

2 Eric, the same thing within your organization.

3 You have an inspector newsletter.

4 MR. LEEDS: Newsletter that we put out
5 every couple of months, where we get input from all the
6 different regions. It's wonderful when an inspector gets to
7 write something that's a story, and it can be a lot of fun to
8 read, about how they pulled the thread and found something
9 very -- particularly safety-significant, and there's a lot of
10 learnings in there that other inspectors can gain from.

11 COMMISSIONER MAGWOOD: So if an
12 inspector at D.C. Cook finds something interesting, there's
13 an inspector in St. Lucie that if it's something that rises to that
14 point, there's a good chance that that person will have read
15 about that and heard about it.

16 MR. LEEDS: Exactly.

17 COMMISSIONER MAGWOOD: Excellent.

18 MR. TREGONING: If I can add, I can tell
19 you in the Materials area, we also have calls every six weeks
20 between the Office of Research, the New Reactor Office,
21 NRR, as well as representatives from all of the regions, to
22 identify emergent materials issues that maybe come up in
23 inspections, or inspection challenges related to materials
24 that we want to do knowledge transfer on. So that's another
25 mechanism we use to --

26 COMMISSIONER MAGWOOD: Jennifer,

1 I'm over my time. Just make it really fast.

2 MS. UHLE: Yeah, it's really fast. This is
3 Jennifer Uhle, Deputy Director of NRR, and I would point to
4 all of this information that the inspectors do gather on
5 operability issues or failures of systems goes into the Ops
6 experience databases that gets shared. They're accessible
7 by all the resident inspectors, as well as everyone in the
8 region, as well as headquarters.

9 So we have a formal process, and that is very
10 robust and we found very successful. So things that get
11 identified that are of significance get out there very quickly.

12 COMMISSIONER MAGWOOD: Excellent.
13 I appreciate that. Thank you very much.

14 CHAIRMAN MACFARLANE: Any further
15 comments, questions? No. All right. Thank you all very
16 much. It was a pleasure having a discussion this morning
17 and hearing from all of you, and from all the rest of you who
18 participated as well, I think it reflects very well on your folks,
19 Eric and Mark.

20 Thank you again Eric, and all the very best.
21 So we are now adjourned.

22 (Whereupon, at 11:27 a.m., the meeting was
23 concluded.)

24