

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION  
+++++  
NUCLEAR POWER PLANT DECOMMISSIONING  
+++++  
PUBLIC MEETING  
+++++  
TUESDAY  
JULY 15, 2014  
+++++  
ROCKVILLE, MARYLAND  
+++++

The Commission met in the Commissioners= Conference Room, 1st Floor, One White Flint North, 11555 Rockville Pike, Rockville, Maryland, at 9:00 a.m., Allison M. Macfarlane, Chairman, presiding.

PRESENT:

ALLISON M. MACFARLANE, Chairman

KRISTINE L. SVINICKI, Commissioner

WILLIAM D. MAGWOOD, IV, Commissioner

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

EXTERNAL PANEL:

KATHLEEN FOX, FEMA

CHRIS RECCHIA, VDPS

RALPH ANDERSEN, NEI

DANIEL STODDARD, Dominion

WAYNE NORTON, Yankee/DPC

DAVID VICTOR, San Onofre CEP

NRC STAFF:

MARK SATORIUS, EDO

DREW PERSINKO, FSME

LOUISE LUND, NRR

MARK THAGGARD, NSIR

ROBERT ORLIKOWSKI, Region III

## P-R-O-C-E-E-D-I-N-G-S

(9:03 a.m.)

CHAIRMAN MACFARLANE: Sorry. The elevators were slow this morning. I don't really understand it. It's summer, people are away, but they're all here, apparently.

It's good to see a good crowd. Hope everybody is doing well this morning.

Today we are going to have a briefing on the status of nuclear power plant decommissioning. The safe and effective regulation of decommissioning nuclear power plants is an important and I think timely topic for us here at the NRC, seeing how over the past few years we have had a number of plants announce decommissioning.

There are different issues that surround the closure of nuclear reactor plants. These include several license amendment actions to reflect changes in the plant, exemptions needed to multiple emergency planning and security requirements, or requested anyway, a focus on decommissioning and spent fuel management funds, and increased interest in the involvement of communities and states surrounding nuclear power plants that are decommissioning.

Many of the regulations that we have in place at the moment are actually designed for operating reactors and don't consider the different nature of the reactor once it goes into permanent shutdown and defueling. So efforts to address these challenges were initiated actually by the Commission previously, about 14 years ago, but were delayed due to higher priority work.

So today I am very interested to hear from all our

1 panelists on both the panels that we will see, their views on this topic.

2 So the first panel is an external panel, which includes  
3 Kathleen Fox, who is Deputy Assistant Administrator for the National --  
4 for National Preparedness at the Federal Emergency Management  
5 Agency; Chris Recchia, Commissioner, who is from the Department of  
6 Public Service from the State of Vermont; Ralph Andersen, who is the  
7 Senior Director for Radiation Safety and Environmental Protection at  
8 the Nuclear Energy Institute; Dan Stoddard, who is the Senior Vice  
9 President for Nuclear Operations for Dominion Power; Wayne Norton,  
10 who is the President and Chief Executive Officer of Yankee Rowe and  
11 Connecticut Yankee, the Chief Nuclear Officer of Maine Yankee, and  
12 the Chair of the Decommissioning Plants Coalition; and David Victor,  
13 who is the Chairman of the San Onofre Community Engagement Panel.

14 After the first panel, we are going to have a short break,  
15 and then we=ll have a second panel which will be the NRC staff.

16 Let me remind you to keep to your timelines for --  
17 during your talks. You=ll see there is little colored lights that will come  
18 on, because we have a lot of people to get through, and I=m sure we  
19 have a lot of questions to get through. So we want to be timely. And  
20 try to avoid, as I tell everybody all the time, the use of acronyms, so that  
21 we can all understand what people are talking about.

22 Before we go on, let me see if either of my  
23 Commissioners have any comments.

24 COMMISSIONER SVINICKI: Thank you, Chairman.  
25 Just briefly, I want to add my welcome and thank all of you for being  
26 here. Some of you have traveled substantial distance, but I think, as

1 the Chairman has noted, this is a very timely topic to be discussing  
2 today. And I really look forward to engaging with this panel and with  
3 the staff.

4 And I would say I think FEMA and NRC are okay  
5 acronyms.

6 CHAIRMAN MACFARLANE: Yes.

7 COMMISSIONER SVINICKI: We will allow our guest

8 --

9 CHAIRMAN MACFARLANE: We will allow those.  
10 Yes, yes.

11 COMMISSIONER SVINICKI: -- from FEMA. I just  
12 want her to know, because she=s got FEMA and NRC a lot in her  
13 statement.

14 All right. Thanks.

15 CHAIRMAN MACFARLANE: Okay. All right. Well,  
16 with that, let=s turn the panel over to Ms. Fox.

17 MS. FOX: Great. Thank you. And I appreciate the  
18 indulgence. Otherwise, my statement would take twice as long.

19 So, Madam Chairman, and members of the  
20 Commission, good morning, and thank you for the invitation to today=s  
21 meeting. My name is Katie Fox, and I am the Acting Assistant  
22 Administrator for the National Preparedness Directorate at the Federal  
23 Emergency Management Agency.

24 I appreciate the opportunity to speak here today  
25 regarding FEMA=s role in the decommissioning process, which is to  
26 support offsite jurisdictions in their responsibilities to identify and

1 prepare for the threats and hazards that pose the greatest risk to their  
2 communities. We look forward to working with the NRC and its  
3 licensees in supporting our state, local, and Tribal partners, throughout  
4 any upcoming decommissioning processes.

5 FEMA=s radiological emergency preparedness, or  
6 REP, program has been developed with the goal of planning and  
7 preparing for a single risk, commercial nuclear power plant incidents.  
8 It is in support of this goal that FEMA=s Technological Hazards Division  
9 provides oversight and guidance to offsite jurisdictions in their  
10 emergency preparedness responsibilities.

11 The historic partnership between FEMA and the NRC  
12 is built on a memorandum of understanding that establishes a  
13 framework of cooperation and describes how FEMA provides findings  
14 on the adequacy of offsite emergency preparedness to the NRC, which  
15 is often referred to as reasonable assurance. In determining  
16 reasonable assurance that the health and safety of these communities  
17 will be maintained during and after an emergency, FEMA, along with its  
18 state, local, and Tribal partners, employs a variety of methods.

19 These methods can include biennial exercises, staff  
20 assistance visits, and the annual letter of certification process. The  
21 NRC subsequently uses FEMA=s determination to verify and maintain  
22 the emergency preparedness conditions under which the facility=s  
23 license was issued.

24 For over 35 years, the partnership between FEMA and  
25 the NRC has resulted in state, local, Tribal, and industry stakeholders  
26 forming a collaborative and coordinated team to provide for the safety

1 and security of citizens residing in the 10- and 50-mile emergency  
2 planning zones surrounding these plants.

3 Together we provide regulations, guidance, and policy  
4 that direct the planning, training, and exercising activities of the  
5 participants of this program. In sum, these joint activities have  
6 ensured that offsite jurisdictions have the capability and resources to  
7 prepare for the risk posed by a nuclear power plant.

8 Of course, effective preparedness is not an end state; it  
9 is a process. As threats and hazards evolve, so, too, must planning  
10 capabilities and resources. In recent months, four nuclear power  
11 plants -- Kewaunee, Vermont Yankee, Crystal River, and San Onofre --  
12 have indicated the intention to enter the decommissioning process and  
13 are currently at various stages of petitioning the NRC for exemptions.  
14 If granted, these exemptions could remove regulatory requirements  
15 and allow for changes in offsite radiological planning.

16 Decommissioning a power plant could impact the risk  
17 profile of a jurisdiction and, as such, might impact both offsite and  
18 onsite emergency preparedness programs. As a facility undergoes  
19 decommissioning, both FEMA and the NRC expect that surrounding  
20 jurisdictions will respond to any changing risk conditions with  
21 appropriate adjustments to their plans, capabilities, and resources.

22 In order to do so, it is imperative that state, local, and  
23 Tribal stakeholders be provided with timely and accurate information  
24 regarding the changing risk conditions at the facility. This type of  
25 information will then enable offsite jurisdictions to comprehensively  
26 analyze and understand the threats and associated risks that they face.

1                   One methodology commonly employed is the Threat  
2 and Hazard Identification and Risk Assessment, or THIRA process,  
3 which examines a community=s threats and hazards of greatest  
4 concern and identifies the capabilities required to assess those risks --  
5 to address those risks.

6                   We will continue to support offsite organizations as  
7 they adjust their plans, capabilities, and resources to the changing  
8 radiological threat.

9                   While a decision reached by the Commission  
10 regarding the Kewaunee power station exemption will be specific to that  
11 site, it may establish guidelines for upcoming exemption requests.  
12 Our goal is to continue our decades-long collaboration with the  
13 Commission and its licensees throughout any decommissioning  
14 process, and ensure that careful attention is given to the effects on  
15 state, local, and Tribal jurisdictions, effects that will likely include  
16 adjustments to emergency plans and resources prior to any potential  
17 exemption approvals taking effect.

18                   Much has changed since decommissioning last  
19 occurred in the 1990s. In the years since, we have seen an evolution  
20 in the fundamental approach to emergency preparedness. In light of  
21 evolving emergency preparedness doctrine, FEMA stands ready to  
22 assist the NRC in development of decommissioning guidance that will  
23 allow for secure and resilient communities, prepare to protect against  
24 the full spectrum of threats from natural to adversarial.

25                   It is with the foundation in the mandate given to FEMA  
26 35 years ago, the principles of the National Preparedness System, and



1 the partnership between FEMA and the NRC, that we look forward to  
2 continuing to work closely with the NRC on decommissioning activities.

3 We strongly encourage the NRC and its licensees to  
4 work with their state, local, and Tribal communities in their  
5 determinations of risk, threat, and public safety. Continued and  
6 synchronized engagement among all parties throughout any  
7 decommissioning process is a logical extension of existing partnerships  
8 and is necessary to provide for the health and safety of all citizens.

9 Thank you again for the opportunity to engage on this  
10 issue, and I look forward to discussion in today=s meeting. Thank you  
11 very much.

12 CHAIRMAN MACFARLANE: Great. Thank you.

13 Okay. Now we will turn to Mr. Recchia.

14 MR. RECCHIA: Thank you very much. Chairman  
15 Macfarlane, and the Commissioners, thank you for the opportunity to be  
16 here. I very much appreciate it. And for Vermont, we are entering  
17 into a new phase in our relationship with the Vermont Yankee Power  
18 Plant. And I want to cover -- I am really looking forward to mostly  
19 discussion, so I want to cover a few issues, but then welcome your  
20 questions and the opportunity to have a discussion.

21 Right now, you know, what I can share with you are  
22 very limited experiences in terms of the nuclear decommissioning in  
23 general, the lessons we have learned so far transitioning from an  
24 operating plant into one that is closing, both in terms of the economic  
25 and environmental and radiological issues that you all have to deal with.

26 Our hope is that we get to expeditious decontamination

1 and dismantlement. There are a lot of obstacles in that way, some of  
2 which you guys can help us with and some which we can help you with.  
3 And I look forward to an active partnership between the state and the  
4 NRC in getting to that end.

5 In that light, I have a couple of suggestions that I think  
6 are squarely within the NRC purview to do, if you see so fit. But let me  
7 just take a moment to describe a little history about where we are in  
8 Vermont. Vermont willingly hosted the plant for 40 years in its original  
9 license location, and I'm a little sad to say that I was 11 years old when  
10 the plant started, and I lived in Brattleboro. And I didn't think that, as  
11 an 11-year-old, I would be here 42 years later talking to you about this.  
12 But I'm glad to do it, so it has been an interesting experience.

13 At the end of this period in 2012, during its 40-year  
14 license, you know, NRC granted an extension for an additional 20-year  
15 renewal. That was over Vermont's objections. We felt like the plant  
16 had served its purpose, lived out its useful life, and our energy future  
17 was in a completely different direction.

18 Since 2012, we have not purchased any power from  
19 the plant, but we have continued to host it. Entergy's decision to  
20 move forward and close changed the relationship that we could have  
21 with them, and I will say that I think it has been a productive one since  
22 then. That is to say, I think you know we reached a settlement  
23 agreement with Entergy on how to -- some commitments to move  
24 forward, things that we would not have been able to regulate, but things  
25 that we could negotiate, and that was a productive path for us.

26 We do have a certificate of public good process that

1 deals with, is the project needed and serves the public interest? And  
2 of course non-radiological issues associated with the site over time.  
3 The Public Service Board did grant a CPG, a certificate of public good,  
4 for the operation period now between 2012 when the original license  
5 was to expire and the end of this year.

6 There are a lot of challenges associated with moving  
7 forward, though. I think that, you know, we are glad about the  
8 settlement. There are things we would have liked more help with,  
9 frankly, from the NRC that we felt we were not in a position to negotiate  
10 a stronger deal for the State of Vermont. Nonetheless, I think we have  
11 done pretty well.

12 I think what is needed is a -- if possible, and I think it is  
13 possible, is a commitment from NRC to engage with the states and give  
14 a real opportunity for us to review, comment, and have you respond to  
15 key stages in this.

16 And one, for example, is the -- can I use the acronym  
17 PSDAR? Because you guys know -- the Post-Shutdown  
18 Decommissioning Assessment Report. That is going to be the key  
19 guiding document for the transition from operation to shutdown and  
20 how decommissioning is going to occur.

21 Vermont would very much like to be able to provide  
22 comments to that, which we know we can, but we would really like NRC  
23 to engage with those comments and respond to them and have Entergy  
24 respond to them. And that piece feels like it is lacking right now. The  
25 PSDAR comes in; if 90 days pass, the plant is able to go forward. And  
26 there may not be any comment from NRC or staff. There are public

1 meetings or public hearings and the ability to provide comment, but that  
2 may not -- if there is no response, that is of concern.

3           So the other thing that I would say is that, you know, it  
4 is particularly important in this case, because of the increasing number  
5 of merchant facilities. It is a very different animal than it was a  
6 regulatory or regulated entity when the plant was first constructed.

7           So, then, kind of moving on to issues associated with  
8 the decommissioning fund I think is another role that the states need to  
9 have there, and we would ask for your help on. The decommissioning  
10 trust fund, in the case of the Vermont Yankee plant now that it is a  
11 merchant facility, the fund has been entirely funded by rate payers  
12 when it was a utility-owned project. And we have an interest in how  
13 those funds are expended.

14           I think we have concerns about exemptions that would  
15 occur after closure to allow expenditures from that fund that otherwise  
16 wouldn't be allowed by rule, things like expenditures for spent fuel  
17 management or emergency planning or support. Those are things  
18 that, particularly for merchant facilities, we've got to figure out a way for  
19 those to be funded during the operational lifetime of the plant and to  
20 cover the period post-closure.

21           And, you know, along those lines, in terms of  
22 exemptions from emergency preparedness -- and I know you folks  
23 don't want to revisit this issue, but the spent fuel management issue is  
24 really critical to the citizens of Vermont. We do think there is a  
25 difference between fuel stored in a pool and put in dry cask. We think  
26 it's a difference between an active system that requires human

1 intervention and paying attention, and a passive system, more passive  
2 system, that Vermonters feel better about.

3 We would like fuel to be moved as expeditiously as  
4 possible from the spent fuel pool to dry cask. We think that in the case  
5 of a merchant facility that should be being done on a regular basis  
6 during operation, and upon closure, within five to seven years, when  
7 it=s safe to do so, for the remaining fuel.

8 So funding for that needs to be ensured during the  
9 operation of the plant, and we want to be partners in assisting NRC, and  
10 Entergy in this case, to getting prompt DOE reimbursement for the  
11 expenditures based on the responsibilities that the Federal  
12 Government has taken on in that.

13 So the other quick thing I want to mention is that we  
14 have established a Citizens Advisory Panel. In Vermont, we had a  
15 legislative panel that existed since Entergy bought the plant in 2002 that  
16 was primarily made up of Commissioners such as myself, the Agency  
17 of Natural Resources, Department of Health, and some legislators.  
18 And we have now expanded that statutorily to add a lot of citizen focus.

19 The original responsibilities of that panel were to look  
20 at all things nuclear, including our relationship with Texas in the Texas  
21 Compact for Low-Level Radioactive Waste. It has now been  
22 redirected and focused entirely on decommissioning of the Vermont  
23 Yankee plant. And it has gone from seven members to 23 members.  
24 We haven=t met yet. The full panel hasn=t been established, but we  
25 hope to do so later this fall, and I look forward to trying to run a meeting  
26 of 23 members.

1                   Anyway, I thank you again so much for the opportunity  
2 to be here, and look forward to your questions.

3                   CHAIRMAN MACFARLANE: Great. Thank you.

4                   Mr. Andersen.

5                   MR. ANDERSEN: Thank you, Chairman Macfarlane,  
6 and thank you, Commissioners Svinicki and Magwood. I very much  
7 appreciate the timeliness of this topic. Clearly, we are where we were.

8                   Just as an aside, I was industry=s lead during the last  
9 round of decommissioning, and had similar interactions at that time with  
10 the previous Commission. So this is déjà vu all over again in a number  
11 of ways.

12                  If I could bring up my slides. Thank you.

13                  I have chosen today to focus primarily on transition  
14 issues, and that is primarily because from our previous experience, and  
15 even from our current experience, the conclusion is is that the  
16 framework overall has served well in assuring health and safety  
17 throughout the decommissioning process.

18                  We viewed the transition issues as probably the area  
19 for largest potential improvement on the part of the NRC, because  
20 things of necessity are being done more on an ad hoc basis rather than  
21 by rule.

22                  Our colleague from Vermont mentioned, for instance,  
23 in the funding area that things have to be done by exemption rather  
24 than by rule. So that=s where the focus of my comments will go.

25                  Next slide, please.

26                  We would like to suggest that perhaps there are three

1 phases of opportunity for addressing the current transition issues that  
2 are in place. First of all, we think it would be helpful to create an  
3 opportunity for stakeholder engagement, and all together to take an  
4 integrated approach to looking at the current situation in regards to  
5 transition issues and to get stakeholder input into how the NRC might  
6 improve that process.

7 We have suggestions of ours, clearly, but we think both  
8 an integrated approach to all the transition issues and involving all of  
9 the stakeholders together would be the right way to move forward with  
10 some of those potential improvements.

11 In the mid-term, NEI is planning to develop an industry  
12 guideline for the transition process, and we are doing this with our  
13 current interactions that we are having in public meetings with the  
14 NRC=s interoffice group that is looking at these issues. And we will  
15 ultimately be seeking endorsement of that guideline from the NRC, that  
16 it is consistent with NRC policy and positions and regulations. And we  
17 see that as something that could serve until such time, hopefully, that  
18 rulemaking occurs.

19 And, finally, in the longer term, we very, very much  
20 advocate promulgating an integrated risk-informed rulemaking to cover  
21 these issues. And as I will say a little later, we think that the  
22 SECY-00-0145 is pretty close to it. It=s something that could be, in our  
23 view, readily updated through, again, a stakeholder engagement  
24 process and actually move fairly directly to a rulemaking plan.

25 The key would be to ascertain changes that have  
26 occurred since 2000, and, additionally, look at wrinkles that might be

1 popping out of the current experience, so one would want to  
2 accumulate a little more experience in the current context to make -- to  
3 test that SECY paper and see how it should be updated.

4 Next slide, please.

5 In regard to the transition, as mentioned earlier,  
6 fundamentally the bulk of the regulations simply do not recognize the  
7 difference between an operating plant or a shutdown plant, at least not  
8 in regard to being articulated within the regulations themselves. There  
9 is a reduction in risk. If nothing else, you have removed all of the  
10 potential events and vulnerabilities that are associated with an  
11 operating nuclear power plant or with a power plant with fuel in the  
12 reactor vessel, and you have done so permanently.

13 So, again, in that starting point, whatever one=s  
14 considerations of risk associated with spent fuel pools, that element of  
15 risk is gone, totally and completely.

16 We see the exemptions as necessary for the transition  
17 now. They=re appropriate. And, actually, when we look at how they  
18 are going forward, you know, it appears that everyone is making the  
19 credible best effort to make the process as efficient as possible, but it  
20 remains ad hoc nevertheless.

21 We also think that both previous experience -- and we  
22 have a wealth of that -- and the current experience we have should  
23 iteratively help facilitate improved efficiencies in that process.

24 Next slide, please.

25 In regards to the interim guidance that I referred to, I  
26 mentioned we have an NEI task force currently in effect that has



1 representatives from all the plants that are currently involved in  
2 decommissioning and also those that anticipate they will be involved in  
3 decommissioning in the near future.

4 And that group is engaged in a series of meetings with  
5 NRC=s staff counterparts in the form of the interoffice group that is  
6 working on these transition issues. And, of course, our focal point is  
7 through the branch that has been established within NRR.

8 Our intent is to capture the experience as we go to  
9 develop an NEI numbered guideline, and then ultimately to provide that  
10 guideline for NRC endorsement. And that would serve, then, as the  
11 road map for future plants entering into decommissioning to address  
12 transition issues until such time as there is rulemaking that would codify  
13 those ad hoc efforts.

14 The thought there is that could extend all the way to  
15 include templates and other things that would hopefully match up with  
16 the expectations of the NRC staff, and of course definitely will as NRC  
17 develops interim staff guidance for how they would review these  
18 various documents that come in currently.

19 Next step, please. Next slide.

20 In regards to the integrated rulemaking, I=d simply  
21 note, having been involved in the process at that time, we were all  
22 pretty much set to go and then things happened in our external universe  
23 that caused a whole lot of things to be put on the back burner, including  
24 this.

25 But the direction at that time to the staff in an IOU that I  
26 consider still in effect is that the Commission directed that the staff

1 should submit the revised paper to the Commission after they have had  
2 a chance to digest those significant events that were occurring,  
3 primarily 9/11 and its aftermath. And of course now we may have  
4 additional experience that needs to be considered in that.

5 So we have always considered the SECY-00-0145 as  
6 having been tabled, not gone away. And so I encourage its use as a  
7 base for moving forward with the idea of rulemaking. And we would be  
8 a lot farther along in the process than typically we might be were it  
9 conceivable to be built.

10 I would like to go to my last slide, in conclusion. We  
11 do have substantial experience. NRC knows how to regulate the  
12 decommissioning, knows how to implement the license termination  
13 rule. We have a very good understanding of the things that need to be  
14 looked at especially carefully throughout that process. But I would  
15 make the simple point that most of the plants yet remain to be  
16 decommissioned in the future.

17 I know an issue that we ran into from the last round is a  
18 waning priority with the idea of, gee, now we don't have a lot of plants  
19 entering into decommissioning. In fact, the thought was we would be  
20 building a whole lot of new plants. But I would say this time around we  
21 need to make sure that we hang on to it and understand that  
22 somewhere along the line it makes sense to do what you need to do to  
23 accommodate the 100-plus plants that have yet to come into  
24 decommissioning.

25 However, that might be spread out over time, and the  
26 key is we have all of the right groups and people involved now with the

1 interest to get the input that you need to inform your decisions in that  
2 regard.

3 We think that the opportunities for near- and long-term  
4 improvement are timely. We think they are readily available. And so  
5 our focus is to assign the priority and the resources to capture what we  
6 can.

7 One final comment I wanted to make is I would suggest  
8 that going forward, with future rulemakings of any kind that have  
9 applicability to nuclear power plants, there really needs to be a box that  
10 gets checked in which that rule is considered against a defueled  
11 decommissioning plant for its unintended consequences or its  
12 implications.

13 And I would advise that any rulemaking to Part 50  
14 automatically ought to fall into that checklist of things that are looked at  
15 and considered in the rulemaking plan. How will this affect plants at  
16 various stages in decommissioning -- defueled, no fuel in the spent fuel  
17 pool, and ISFSI-only. That would save us an awful lot of problems in  
18 the future if we took on that board as a process issue.

19 Thank you very much. I appreciate your time, and I  
20 look forward to your questions.

21 CHAIRMAN MACFARLANE: Thank you.

22 Mr. Stoddard.

23 MR. STODDARD: Thank you. I do have a series of  
24 slides.

25 CHAIRMAN MACFARLANE: I think you may have to  
26 press the red button.

1 MR. STODDARD: I do have a series of slides.  
2 Thank you.

3 Good morning, Madam Chairman, Commissioners. I  
4 appreciate the opportunity to speak with you today and share with you  
5 Dominion=s experience in the transition from operating to  
6 decommissioning at our Kewaunee Power Station. And I sincerely  
7 hope it will be helpful to you, to the staff, and to the industry.

8 Next slide, please.

9 Kewaunee is the first station to transition to a  
10 decommissioning status in a number of years, and in some respects it  
11 is unique. Kewaunee is a relatively small, single unit station, and at  
12 the time of its permanent shutdown was performing very well from an  
13 operational and safety standpoint. The decision to shut down and  
14 decommission Kewaunee was a purely economic one. The station=s  
15 size, its location, and its lack of a power purchase agreement resulted  
16 in the station operating at a significant loss.

17 I can=t help but take this opportunity to once again  
18 express my admiration for the people at Kewaunee. From the time of  
19 the shutdown announcement, through the final months of operation,  
20 through the shutdown and defueling, and into the transition to  
21 decommissioning, they have continued to perform at the highest level  
22 and have conducted themselves with a degree of professionalism that  
23 has not only earned the respect of their fellow Dominion employees, but  
24 of the industry.

25 Next slide, please.

26 The station and the NRC staff have worked very hard

1 to manage this transition in a way that continues to ensure the health  
2 and safety of the public. There are, however, a number of challenges  
3 that have faced -- both groups have faced in conducting this process in  
4 an efficient manner, challenges that point to gaps in the current  
5 regulatory framework in the transition to decommissioning.

6 These challenges are the result of a process that in  
7 some areas is largely undefined -- the fact that a number of  
8 operations-oriented regulations simply do not fit a decommissioning  
9 station, and problems with the use of past precedents that in some  
10 cases has become dated due to changes in the regulatory environment.

11 These challenges have unnecessarily burdened the  
12 NRC staff and the licensee, and have resulted in avoidable expenditure  
13 of funds from the decommissioning trust fund. A regulatory process  
14 that recognizes up front the significantly reduced risk from a  
15 decommissioning station would avoid many of these challenges.

16 Next slide, please.

17 Some specific examples where regulations do not  
18 address decommissioning, and, therefore, require a large number of  
19 exemptions, include emergency preparedness and security, use of the  
20 trust fund for spent fuel management, and the minimum insurance  
21 coverage requirements.

22 Because regulations for emergency preparedness are  
23 written for operating stations and do not address the significantly  
24 reduced accident sequence possibilities, and, therefore, significantly  
25 reduce risk, in the case of Kewaunee over 60 specific requirements had  
26 to be addressed through the exemption process. Relief from physical

1 security requirements will involve a similar use of the exemption  
2 process.

3           Regarding the trust fund, the regulations do not  
4 recognize that funds for both radiological decommissioning and spent  
5 fuel management are contained in a single fund and that cost studies  
6 performed to ensure adequacy of the fund address radiological  
7 decommissioning, spent fuel management, and site restoration. Use  
8 of these funds for spent fuel management, therefore, required an  
9 exemption.

10           Reductions in insurance coverage also require an  
11 exemption, since the regulations do not address the reduced risk  
12 associated with a decommissioning station. Recognizing these  
13 reduced risks up front would allow for a much more efficient process.

14           Next slide, please.

15           A well-defined regulatory framework would maintain  
16 public health and safety while reducing or eliminating the need for these  
17 exemption requests, freeing up both licensee and NRC staff resources  
18 to work on activities that have a higher safety benefit.

19           Next slide.

20           In addition to the need for exemption requests to  
21 address specific regulations, there is also confusion regarding the  
22 applicability of certain regulations. I won't go into each and every  
23 example; just a couple.

24           In the case of cyber security, the regulations as written  
25 could well result in stations in similar situations being treated differently.  
26 For example, the rule does not apply to licensees who were not

1 operating as of November 2009, but does apply to those who ceased  
2 operations after that date, even though plant conditions may be  
3 essentially the same. An appropriate sunset clause would address  
4 this particular rule.

5 Regarding the emergency preparedness change  
6 process in 50.54(q), changes to the staffing and equipment have been  
7 interpreted as though the emergency plan needs to be capable of  
8 addressing the full spectrum of accidents to which an operating plant  
9 would be susceptible.

10 What this interpretation means in practice is that prior  
11 NRC approval is required to eliminate positions responsible for such  
12 things as core analysis or to cease maintaining equipment, such as  
13 containment radiation monitors, even when fuel has been permanently  
14 removed from the reactor.

15 These requirements have no safety benefit and  
16 distract the licensee and the staff from focusing on higher priority  
17 activities.

18 Next slide.

19 Finally, due to gaps in regulations governing the  
20 transition process, both the NRC and Kewaunee staff have attempted  
21 to understand and rely upon prior precedents. Due to concerns with  
22 changes in standards, confusion over the basis for past precedents, or  
23 the lack of clarity in the regulations themselves, precedence has been  
24 inconsistently applied.

25 The requirements for operator licenses under 50.54(m)  
26 provide a good example. Based on the wording of the regulations, and

1 benchmarking of previously decommissioned facilities, Kewaunee  
2 personnel did not believe the regulation applied and determined that an  
3 exemption request would not be required.

4 The staff disagreed and stated that an exemption  
5 would be required, after which Kewaunee submitted the exemption  
6 request. The staff later determined and communicated in writing that  
7 no exemption was required.

8 Questions regarding the applicability of past  
9 precedents also impacted the approval of Kewaunee's certified fuel  
10 handler training program, resulting in additional information requests  
11 and delays in program approval.

12 Next slide.

13 The bottom line result of limited guidance, confusion  
14 regarding applicability of specific regulations, and questions regarding  
15 the use of precedents, is it's significant additional interface, travel time,  
16 and review time and resources are required to deal with exemption  
17 requests, time and resources that could be devoted to activities that  
18 have greater safety significance.

19 A measure of this resource requirement can be seen in  
20 review fees for license amendment requests and exemption requests  
21 for Kewaunee having in excess of \$1 million per year. That represents  
22 not just an expenditure of trust funds, but it also represents an  
23 opportunity cost for the NRC staff and for the licensee staff.

24 Once again, I appreciate this opportunity to speak with  
25 you and share our experience. I also want to take this opportunity to  
26 thank the NRC staff for their diligence, their open communications, and



1 their obvious commitment to get this process right. I believe the  
2 Kewaunee experience shows that there would be significant benefit  
3 from better definition in the regulatory process for the transition from  
4 operations to decommissioning.

5 It is our recommendation that an integrated regulatory  
6 framework and guidance be developed, including interim guidance  
7 where appropriate, based on the reduced risk associated with a  
8 permanently shutdown reactor. Previous rulemaking efforts provide a  
9 reasonable starting point for this effort.

10 Thank you.

11 CHAIRMAN MACFARLANE: Thank you very much.

12 Mr. Norton.

13 MR. NORTON: Thank you. First, Madam Chairman  
14 and Commissioners, I would like to thank you for this opportunity to  
15 share my experiences on decommissioning. As I have spoken to the  
16 Commissioners in the past on decommissioning lessons learned, I  
17 started with the premature shutdown of Maine Yankee back in 1997  
18 and went through the completion of Connecticut Yankee and Yankee  
19 Rowe in 2007. So I spent 10 years of my life decommissioning  
20 commercial reactors, terminating the license, and now I am managing  
21 the long-term responsibility for spent fuel storage at all three sites.

22 I do have a series of slides, if you could put those up,  
23 please.

24 I would like to start by saying I remain active in the  
25 industry as it relates to decommissioning, and almost everybody I  
26 speak to that is responsible for managing the decommissioning project

1 has read the EPRI lessons learned document, which was largely  
2 developed through Maine Yankee experience. And everybody wants  
3 to talk about going cold and dark, and spent fuel pool islands, and all of  
4 the things that we did physically to make the projects successful.

5 But my talking points here today are more focused on  
6 the programmatic approach to making and laying the groundwork for  
7 successful decommissioning, not specifically tied to the technical  
8 challenges and the project-specific challenges that each of these  
9 projects will face.

10 With that being said, all of these projects are different,  
11 so what worked at Maine Yankee might not work at SONGS or  
12 Kewaunee or other projects specifically, but I do think that establishing  
13 the framework for success is identical or certainly similar to all of these  
14 projects.

15 First slide, please.

16 This is just a few photos from the Maine Yankee  
17 experience. I won't bore everybody with the details, but it does show  
18 pre-decommissioning, decommissioning activities. I guess the most  
19 impressive one is the one on the bottom right which shows the facility is  
20 fully decommissioned, license terminated, restored to greenfield, with  
21 fuel still onsite unfortunately. And you'll see the similar photos for  
22 Connecticut and Yankee Rowe, and I'll skip through those, please, on  
23 to the lessons learned.

24 Setting the stage for success, from my experience,  
25 success requires a clear vision for these projects from the onset.  
26 Where is it you are trying to get to? Gaining stakeholder acceptance

1 from regulatory alignment on that end state. It requires clearly  
2 effective management of risk and change. You've heard everybody  
3 speak today about the risk element of decommissioning and how that  
4 changes, and just the nature of these projects is constantly changing.

5 As a result of that, the licensee needs to have a very  
6 strong project management team and be able to effectively transition  
7 from maintenance and operations to the project approach while  
8 effectively managing, always the case, safety, ALARA compliance, and  
9 cost and schedule.

10 On the matter of vision, the project from the onset  
11 should be focused on establishing a clear end state and project goals  
12 for these projects. Where is it you're trying to get to? And what are  
13 the measures of performance that you are going to establish for these  
14 projects?

15 We all have the regulatory decision to make and the  
16 business decision to make to a large extent on DECON versus  
17 SAFSTOR. Clearly, a critical decision in the onset.

18 License termination approach, those that watched  
19 Trojan go through the process of terminating their license with  
20 structures still standing versus the Maine Yankee approach where the  
21 buildings were demolished first and final status survey happened after  
22 the fact. Again, another critical approach.

23 Unrestricted release for radiological and chemical  
24 contaminants. You know, those are decisions that have to be made.  
25 A lot of people, when they talk about decommissioning, they talk about  
26 it in the context of terminating the NRC license, which is obviously a

1 significant responsibility for the sites. But to truly have a greenfield  
2 site, you=ve got to deal with the non-radiological contaminants at these  
3 sites, and RCRA closure, and those are significant challenges.

4 Obviously, we have to deal with used fuel strategy and  
5 how we are going to deal with spent fuel, and in what configuration we  
6 are going to leave it in for the period of decommissioning until the  
7 government performs and removes the fuel from the site.

8 Next slide, please.

9 Stakeholder engagement -- it=s the one that when I  
10 talk to everybody I tell them it=s actually the most important, as they  
11 want to talk about internal segmentation. I always back them up and  
12 say, "Talk to me about your community engagement panel. Talk to me  
13 about how you are engaging your regulators and your community and  
14 your public and your workforce." From my perspective, extremely  
15 critical first step in moving forward with these projects.

16 Getting early alignment with your stakeholders on your  
17 vision, where are you going to take this project, what is the definition of  
18 end state, extremely critical. And I am certainly not trying to represent  
19 that we did it right every time at the Yankee companies, because these  
20 are lessons learned, and we had some missteps.

21 And specifically in Maine we paid the price for running  
22 too fast before we had gotten alignment with all of our regulators and  
23 stakeholders, and were fortunate enough to be able to back up and  
24 correct that without significant impact.

25 But the other piece to this is that engagement is a  
26 continuous one. Once you get the buy-in, you are not done. Things

1 change. These projects are very dynamic, and you're going to  
2 encounter things that you don't expect and you need to continue to  
3 remain engaged.

4 Engagement of the community is critical. At Maine,  
5 we instituted a Community Advisory Panel right out of the gate, and it  
6 bode very well for us.

7 Again, as I stated, keeping the regulators involved in  
8 the process, and making sure that you don't forget the workforce,  
9 everybody tends to focus externally and get all of the buy-in from  
10 stakeholders and all of their regulatory agencies, and the workforce is  
11 usually the last to know what is going on and the least informed. I  
12 would advocate that the opposite of that should be true.

13 Regulatory alignment I have spoken about to some  
14 extent already.

15 Next slide.

16 Again, engaging the regulators early in the process,  
17 alignment with the regulators on the end state is critical. And when I  
18 say "the regulators," I'm talking NRC, I'm talking EPA, I'm talking  
19 state. Again, when you get into RCRA closure, as I identified here in  
20 one of my bullets, you are either with the EPA, or your state, with  
21 delegated authority. It is a significant element of the work, and you  
22 need to engage with your states to achieve alignment there.

23 One of the things that I think is critical to regulatory  
24 alignment with the plan and the approach is I also believe it is  
25 fundamental to stakeholder confidence. When we had our public  
26 meetings, we had the NRC, the state, the EPA there communicating

1 with the public in those forums. Although some may not have 100  
2 percent reliance in our regulators, the vast majority of the public has  
3 great confidence in our regulators, and having an alignment with the  
4 regulators in that forum is extremely critical.

5 Next slide, please.

6 The risks on these projects do change. They change  
7 immediately from shutdown, obviously, as you have heard us talk  
8 about, and alignment with the regulator on how that should manifest  
9 itself in regulatory changes is important. And they continue to change  
10 as the project goes, be it fuel out of the pool, resins offsite, you know,  
11 elimination of other radiological hazards, et cetera. And, therefore, the  
12 regulatory requirement should necessarily change accordingly.

13 The other thing, when you go through this process and  
14 there is significant change -- again, back to the workforce. This is a  
15 new dynamic for the workforce as well. This is foreign to them. Most  
16 people at these operating plants are used to maintaining and operating  
17 a nuclear facility. Tearing it down is foreign to them, and that process  
18 needs to be managed effectively. Using past experience from industry  
19 and the regulators is key to success.

20 I mentioned earlier strong project team. It is critical to  
21 have a strong project management team on these projects, again,  
22 recognizing that there is still nuclear principles and fuel and operational  
23 elements to the work. Yet these are large, complex, challenging  
24 projects, often contracted to various contract entities for various scopes  
25 of work, some large scale, some smaller scale.

26 I would still encourage utilities to keep a strong project

1 team. I went through a bankruptcy of a prime contractor and the  
2 termination of another one, so you need to be prepared for whatever.

3 Independent oversight is another key I think to  
4 success. INPO is no longer involved once you shut down, and you  
5 need to somehow engage independent oversight to support your work  
6 activities and gain knowledge and experience from experts, and we did  
7 that, again, at Maine Yankee as an example.

8 One of the last points I want to make is we are serving  
9 many interests. We appreciate that there is compliance requirements  
10 and regulatory requirements, but we all do have an obligation to our  
11 rate payers, or to our shareholders in the case of merchant plants or  
12 otherwise, but we do have to still perform these jobs efficiently and cost  
13 effectively, and they can be done without a sacrifice to safety and  
14 quality.

15 Run out of time, so I'll thank you again for the  
16 opportunity to present, and look forward to questions and answers.

17 CHAIRMAN MACFARLANE: Great. Thank you very  
18 much, Mr. Norton.

19 Professor Victor.

20 MR. VICTOR: Thank you very much. Madam  
21 Chairman, and members of the Commission, thanks for the opportunity  
22 to talk today about the experience with decommissioning, young as it is,  
23 at San Onofre, and in particular about the role of the community  
24 engagement panel at San Onofre, which I chair.

25 My full testimony is part of the record, and so I am not  
26 going to read from that, but instead what I'd like to do in my time this

1 morning is focus on five points that might help draw out some larger  
2 lessons in some areas where all of us can move forward.

3 The first is that I speak today as an individual who  
4 happens to be Chairman of the Community Engagement Panel, and  
5 that is because the panel, by design, doesn't make any decisions.  
6 We don't have formal oversight authority. We are not responsible for  
7 making decisions. Our purpose is to open a conduit, a two-way  
8 conduit, between the community and the co-owners of the facility.

9 And I think one thing I have learned so far is that the  
10 lack of decisionmaking authority is crucial to whatever success we have  
11 had so far, because we are not focused on making decisions, but we  
12 are, instead, focused on making that conduit work, and in particular  
13 making the conduit work in both directions.

14 There are 18 members. It is a large group, but they  
15 represent lots of different communities and perspectives, and more  
16 than half of the members are elected officials. I have learned a  
17 tremendous amount in particular working with the elected officials in  
18 this process, including the mayors of many of the communities most  
19 closely located to the plant.

20 One of the most important design features, something  
21 we learned from the Maine Yankee experience I think principally, is that  
22 we were spun up very, very quickly, and that was so that the community  
23 engagement panel could be involved in making comments on the early  
24 regulatory filing. So I was a little concerned to hear that the process --  
25 if I understood your earlier comments, the process in Vermont is not yet  
26 spun up to allow this, because so much happens in that first year or so



1 after the decision to close a plant has been taken.

2 The second of the five comments I want to make  
3 concerns irradiated fuel, spent fuel. We are only six months old.  
4 Nearly all of our time as a panel has been focused on the spent fuel  
5 issue. This is clearly very important. It is clearly very emotive. And it  
6 is also kind of a swamp, and I am concerned as Chairman that we be  
7 able to move on and talk about other issues as well and keep some  
8 perspective on the larger process of decommissioning, including issues  
9 such as the decommissioning cost estimate, emergency preparedness,  
10 and so on.

11 One thing the Nuclear Regulatory Commission and  
12 other regulatory bodies could do to help us on this is to help articulate a  
13 strategy for spent fuel, in particular issues surrounding so-called high  
14 burnup fuel, a strategy around what we know, what we don't know. I  
15 mean, this is an area where the information is still evolving; we should  
16 be honest about that. And to help the public understand how we are  
17 going to adapt to new information, and also, crucially, what are the  
18 tradeoffs? Not only tradeoffs about cost, which frankly almost nobody  
19 wants to talk about, but tradeoffs about timing and safety, and so on.

20 Some of the things people are focused on would  
21 involve big delays in moving the fuel out of the pools and into cask, and  
22 I think almost nobody in the community wants those kinds of delays,  
23 and yet the logical consequence of people not making decisions are  
24 those kinds of delays.

25 Related to that is obviously the issue of long-term  
26 storage, and that is, you know, one of those -- not storage, long-term

1 disposal. You know, that is one of those things that we are just not  
2 going to get fixed, and that=s a larger question of national policy where  
3 the policy is just a disaster.

4 I don=t know what NRC can do to help us on that front.  
5 I do -- I have come to the view that the question of consolidated interim  
6 storage, in particular for decommissioned plants, is really of paramount  
7 importance, and maybe we could have an additional push on that front.

8 The third of the five things I will -- the five comments I  
9 want to make is that I have learned a lot over the last six months or so.  
10 And as somebody coming to this not as a nuclear industry insider -- in  
11 fact, quite the opposite -- and looking at this from fresh eyes, the entire  
12 process of decommissioning doesn=t feel like it has a strategy or a  
13 grand strategy.

14 And I think Mr. Andersen=s comments were in this  
15 regard, and as were Mr. Stoddard=s comments, and I certainly would  
16 echo those. It is fragmented. There is a heavy reliance on  
17 exemptions. It is not entirely clear which direction things are going. I  
18 really welcome Chairman Macfarlane=s opening comments  
19 emphasizing that the Commission is putting a fresh focus on this after  
20 other topics obviously intervened over the last 14 years.

21 That seems very important, and then obviously a lot of  
22 technical questions around rulemaking, and so on, and one needs to  
23 get on with that business. At the same time, I would urge you to please  
24 help us in these communities understand with some plain English  
25 articulation of what the strategy is as to what is going on, because the  
26 community right now just has no idea what the actual strategy is from a

1 regulatory point of view.

2           They don=t really know what happens, what=s  
3 important, what is not important. And it would be very helpful to try and  
4 articulate that, because absent that articulation, people=s views about  
5 this strategy are basically refracted through their views of trust in the  
6 regulatory institutions.

7           And so while we just finished a poll of all 18 members of our  
8 community engagement panel, asked them how things are going, and  
9 the people who trust the regulatory process are fine, and the people  
10 who don=t aren=t. And there is very little extra actual information  
11 being injected into that process. So I think the Nuclear Regulatory  
12 Commission could help enormously on that front, and several of the  
13 previous comments are resonant with that.

14           The fourth of the five comments I want to make  
15 concerns a process. One thing that I have been struck by is that as we  
16 spun up the community engagement panel, we made a very special  
17 effort to focus on common goals. And we have at San Onofre, and at  
18 many other plants, a history of members of the community, for  
19 understandable reasons, of pulling in lots of different directions, some  
20 opposed, some in favor, lots of different points of view. And that is  
21 understandable and that is democracy and that=s life.

22           And we have tried to emphasize in the community  
23 engagement process the need to focus on areas where we all pull  
24 together. And I think so long -- so far that has worked fairly well.  
25 There are still a lot of raw edges around this, but I have -- my  
26 experience has been that focusing on these common goals, which is I

1 think maybe harder to do in an operational plant, but is crucially  
2 important in a plant that is undergoing decommissioning, that that=s  
3 very important.

4           And the fifth and last comment I want to make just  
5 concerns, how do we know we=re doing a good job? I am struck by  
6 how much time members of this panel are spending on this process --  
7 18 people, plus staff, and so on. All of them are volunteers. People  
8 going to every single meeting, we have quarterly meetings which last  
9 three hours, and some of them seem to last an eternity.

10           We have workshops associated with every meeting,  
11 and everybody is there. It=s extraordinary.

12           I am concerned that we able to keep that momentum,  
13 and I think part of that is that people need to feel that their time is being  
14 used well. And I don=t know -- and here I would welcome advice from  
15 people who have been through this experience in other plants -- I would  
16 welcome advice on, where do we really have the greatest tangible  
17 outputs.

18           In some sense, the greatest successes of a process  
19 like the community engagement panel are things that are not  
20 observable. They are things that don=t go wrong. They are  
21 processes where the conduit works correctly in both directions. But it  
22 is hard to tell somebody, when they have given up dinner with their  
23 family a couple of times a month to go to meetings, and spent a lot of  
24 other time on this process, "Well, yeah, you=ve made a contribution  
25 because a dog didn=t bark."

26           And so I am spending a lot of time right now trying to

1 identify areas where we as a panel are making tangible improvement in  
2 the actual process of decommissioning. I am encouraged by that, but I  
3 do sense that that is going to be a very important part of getting  
4 basically a volunteer institution to continue to be effective.

5 Thank you very much.

6 CHAIRMAN MACFARLANE: Thank you very much.

7 Okay. That was a very good session, and now we are  
8 going to have some questions. We will start off with Commissioner  
9 Svinicki.

10 COMMISSIONER SVINICKI: Thank you. Well,  
11 again, thank you to each of you for your really insightful comments  
12 today, and I think the panel has a lot of different perspectives and  
13 experience base. Some of you were 11 at one point, and others of you  
14 have been in this for a couple of decades now working on  
15 decommissioning. So I think it is useful, and I noted some of you  
16 taking notes as other participants presented ideas today.

17 I want to begin by acknowledging that I observed the  
18 same as some of you that it is interesting in life that a certain amount of  
19 times when you make a prediction about how the future is going to look,  
20 and you decide that working on something is not a priority, it is  
21 interesting that oftentimes it turns out that all of the circumstances  
22 change upon which you based that prediction.

23 And so, you know, four plants having early shutdown is  
24 maybe something that you could handle on an ad hoc basis. It would  
25 be suboptimal, but you could do it. But if a lot of the economists are  
26 correct, and this may be that other plants are going to face similar

1 economic circumstances and join these plants in decommissioning,  
2 then NRC will have to take this serious relook at whether or not an  
3 ad hoc process going forward is simply so inefficient. Although it  
4 would be manageable, it is probably not the best use of everybody=s  
5 resources.

6 So I think that that does put the rulemaking that was  
7 tabled certainly back before the Commission to decide, and I will ask  
8 the NRC staff panel, you know, what do they estimate it would take to  
9 reengage that, and we need to relook at that tabling of that, which I think  
10 was legitimate based on what people predicted at the time but certainly  
11 needs to be relooked at now.

12 I do think there was a little bit of contrast in the  
13 presentations, because I thought I heard from Mr. Andersen  
14 thematically a conclusion that, you know, we know how to do this.  
15 There is an experience base. A rulemaking certainly -- I think Mr.  
16 Andersen advocated that a rulemaking would be a more efficient way to  
17 proceed to get some of the case-by-case ad hoc processes codified  
18 into a rulemaking framework.

19 But then Mr. Stoddard, you know, I thought indicated  
20 that maybe some of the guideposts for decisionmaking are not clear,  
21 and that even precedent has been inconsistently applied at times. So  
22 it seems like although that might be a little bit of a different emphasis  
23 from both of you, certainly a rulemaking would help with both of those  
24 characterizations of events.

25 And then I thought it was interesting that Mr. Norton  
26 acknowledged, you know, what worked at Maine Yankee might not

1 work at Kewaunee -- I think that's what you said -- and that there are  
2 case-specific elements. So then I go back to Mr. Andersen's  
3 suggestion that as part of all Part 50 rulemaking -- I hope I'm  
4 characterizing this right -- that we might want to I think you said check a  
5 box, that we made some consideration of any rulemaking change to  
6 plants that are in shutdown.

7 You know, I pledge to think more about it. I don't  
8 know what it would look like. But immediately in my mind I start asking  
9 some questions about that, because I think that rulemaking is really an  
10 art form. It's like writing statute. There is a very specific way it has to  
11 be written. And although it's clear to see that that suggestion of  
12 having all Part 50 issue analysis have some consideration of what  
13 about decommissioning, it might be really clumsy to do.

14 And so I think we need to think about that a little bit.  
15 Again, Mr. Norton said, you know, not to that point, but I think highly  
16 relevant, the risk changed immediately and throughout the project. So  
17 how do you build that framework into rule language, which we don't  
18 want to say, "At this state of decommissioning, the rule takes this form.  
19 And at that stage" -- I think we want to keep the appropriate flexibility,  
20 and so I appreciated Mr. Norton's comment from that standpoint, that  
21 what worked at one place might not work at another.

22 We do need to have a case-specific application and a  
23 risk-specific application. Maybe that's a better way of putting it. So  
24 that's -- you know, again, I appreciate all of these suggestions, and we  
25 need to think about how some of this would work in practice.

26 I know some of you have deep experience on

1 decommissioning, so you might find my experiences are probably to  
2 you appallingly anecdotal. But, you know, I visited a place like Trojan.  
3 I=ve been to sites where active decommissioning was going on -- Zion  
4 and Humboldt. But you go to a place like Trojan, I think the view of the  
5 NRC staff was, does she really understand? She really wants to go to  
6 Trojan.

7 I went there for the purpose of seeing something at that  
8 state. But as some of the personnel who had been there talked to me  
9 about it, it seemed to me that some of what made sense for them not  
10 only wouldn=t make sense in other places, but may not even be  
11 available now, and so I wonder, too -- I talked about how life is curious  
12 and you decide that you don=t need to address something, and then 15  
13 years later you find out it=s a vital need, and you wish you had done it.

14 But I think this country might have a different  
15 experience on these decommissionings that are starting now than we  
16 had, you know, 20 years ago, 25 years ago. There=s things like  
17 availability of low level waste disposal capacity, so there is technical  
18 issues. But I wonder -- I think there are some societal changes.  
19 There is new engagement tools, new communication tools.

20 So I think that the lessons learned and the experience  
21 is really vital, and I think it will be beneficial for projects now if they can  
22 tap into the remaining folks prior to their retirement who might be able to  
23 give us some firsthand experience of what this was. But I think also we  
24 need to be adaptive about some of the -- it=s a different world. You  
25 know, everything keeps changing in our country. So I think that is  
26 going to make this really interesting as we move forward.



1                   So maybe I will pose a two-part really general question,  
2                   and this will be my question to anyone on the panel who would like to  
3                   react to this, is that, you know, under the presumption that some of you  
4                   have direct experience and some of you have certainly studied the  
5                   history of other decommissionings, what do you think are the key points  
6                   of departure between those experiences and these plants we are  
7                   talking about today that are entering this process, perhaps to be joined  
8                   by others in the near future?

9                   And then, given those points of departure, if you feel  
10                  there are any, what do you think are the key one or two things that we  
11                  need to adapt going forward? So I would just ask anyone who wants  
12                  to jump in on that. And it can be technology, it can be changed  
13                  national circumstances, or changed policies, or it could be other  
14                  engagement and societal issues. Would anyone like to jump in?

15                  MR. ANDERSEN: I'll just offer up a few. I think that  
16                  the -- what hasn't been thoroughly assimilated yet is the emergence of  
17                  merchant plants. So that might be one consideration that needs to be  
18                  factored into considering generic approaches and its relationship to  
19                  funding, to PUCs, and state engagement, and so forth.

20                  I think that another area is, as you had alluded to, the  
21                  transparency and public engagement and state engagement  
22                  processes. I think those deserve a very careful look to see whether  
23                  the way we did things in the past is appropriate to the present.

24                  I also think that we need that consideration of the  
25                  changes in models that might be undertaken for decommissioning.  
26                  Zion is the obvious example of something that I don't think we

1 anticipated 20 years ago. It was going to be the operator licensee that  
2 would then decommission the facility. So understanding what  
3 differences arise from that, how that might affect things.

4 But I would stress that I think the commonality in regard  
5 to looking at a potential rulemaking is, look at where the rub points are  
6 that directly relate to health and safety. There is a myriad of other  
7 issues that one could get lost in. But the key role that NRC plays is just  
8 this steadfast focus on, what is its relevance to protection of public  
9 health and safety?

10 And, in my mind, in looking at each of these issues,  
11 that is the best way to scale it and the best way to disposition it is just to  
12 keep that very narrow focus.

13 Others will bring in other points of view, and so my last  
14 comment would be that one thing that was lacking in the past -- and I  
15 think we would benefit from in the future -- is that collective engagement  
16 of stakeholders. It is very useful for me to be at the table with a larger  
17 number of stakeholders, and I think more opportunities like that, not  
18 Commission briefings necessarily but workshops, to get broad input  
19 would answer your question much better than the five or six of us will  
20 today.

21 COMMISSIONER SVINICKI: Okay. Thank you.  
22 Would anyone else --

23 MR. RECCHIA: Can I just add to that? I really  
24 appreciate Mr. Andersen=s point about the merchant facilities, because  
25 I think that is probably one of the fundamental changes here. And I  
26 also am pleased that it seems universal that we all agree that

1 rulemaking, as a structure, sounds like it would be extremely helpful.

2 That said, I think the four plants that are currently  
3 shutting down are going to feed into that process rather than benefit  
4 from it, right? Because those of us who have been regulators for a  
5 long time know how long it takes to do good rulemaking. So that will  
6 be a while. And we look forward to helping, you know, influence that.  
7 But I don't think we will wait for the rulemaking, right?

8 COMMISSIONER SVINICKI: Okay. Thank you.

9 MR. RECCHIA: I think that the issue of -- and Mr.  
10 Norton's point about knowing what the end state is is really key, and  
11 Vermont finds itself, in all fairness, and Entergy as well, we don't know  
12 what the end state is or how soon it will occur, because it is funding --  
13 fundamentally funding-dependent because it is a merchant facility and  
14 not a regulated utility facility. In other words, I can't go back to  
15 ratepayers and say, "You know what? We need another 100 million in  
16 order to accomplish this goal in the timeframe we are looking for."

17 And so the end state is unclear. You know, we know  
18 ultimately where we're going to get to, but we don't know when. So  
19 to plan for it is very, very difficult. And I think that is the fundamental  
20 change for the merchant facilities, that we need the ability to know that  
21 the adequate funds are there in a timely way to get to where everybody  
22 wants to get to for spent fuel management and decommissioning  
23 dismantlement and decontamination and site restoration.

24 And I do disagree that the funds were necessarily all  
25 established with that in -- with those three things already in mind. I  
26 think each trust fund is different, and certainly Vermont's has some

1 conditions in there that make it difficult to just say, "Oh, yeah. It=s  
2 okay to just use it for those things."

3 And then, the end state being you want to get there as  
4 quickly and safely as you can, so that the site is available again does  
5 require a balance of when to spend what. You know, if I knew that -- I  
6 would be a lot less resistant to expenditures for spent fuel management  
7 and getting fuel out of the pool into dry cask if I knew that  
8 reimbursement from DOE was coming -- forthcoming quickly. But if I  
9 take -- if we take \$100 million out of the fund and I don=t see it again for  
10 10 years, then that delays the ultimate decontamination and  
11 dismantlement, and it delays site restoration, all of which, as was  
12 pointed out, the RCRA issues are very, very critical. Those are state  
13 interests. We are not going to be able to plan for those effectively if  
14 everything is a moving target.

15 So I do think the focus on the difference between  
16 merchant and utility is really critical to understand how to move this  
17 forward.

18 COMMISSIONER SVINICKI: Okay. Thank you.  
19 I=m over my time.

20 Thank you, Chairman.

21 CHAIRMAN MACFARLANE: Thank you.

22 Commissioner Magwood?

23 COMMISSIONER MAGWOOD: Thank you,  
24 Chairman. And thank all of you for appearing with us today and giving  
25 us your comments. It was a very interesting diversity of views, but also  
26 a lot of commonalities, and perhaps more commonality than I might

1 have expected.

2 But before asking questions, let me, you know, just  
3 give a special welcome to Ms. Fox. Early in my career, I had to spend  
4 a lot of time working with FEMA staff, and I learned a lot from them  
5 about the REP program, the emergency preparedness, and gained a  
6 pretty intimate understanding about the philosophy behind it.

7 So I appreciate what you and your colleagues do. So,  
8 you know, welcome and thank you for coming here today.

9 And also, Mr. Stoddard mentioned -- as he knows, I  
10 was in the Kewaunee control room the day that the plant was shut down  
11 for the last time, and I wanted to echo his observations about the  
12 Kewaunee staff. I toured the plant the day before the shutdown, and  
13 one would never have known that that was the last full day of  
14 operations. I mean, everyone was just -- was professional and  
15 cheerful and positive about what they were doing, and focused on their  
16 work.

17 And it was just -- it was impossible to see the  
18 difference, really, until the end of that day when I sat down with some of  
19 the staff and had a chance to talk with them, and then you could see  
20 how emotional they were about the situation.

21 But the last day, as the control room staff brought the  
22 plant down, extraordinarily professional, and everything I have heard  
23 about what has happened since then just echoes that. So, you know,  
24 real applaud for those --

25 MR. STODDARD: Thank you. Thank you very  
26 much.

1 COMMISSIONER MAGWOOD: -- folks. Thank you.

2 You know, just one thing. I found -- I appreciate Mr.  
3 Recchia=s comment at the end of his reply to Commissioner Svinicki  
4 about the simple practical truth is that even if we started a rulemaking  
5 today, it probably would not benefit the four reactors that we are  
6 currently thinking about, which means that we will have to deal with the  
7 exemption process.

8 And I just wanted to see if there is anyone at the table  
9 now that thinks that there is an inherent safety issue with the exemption  
10 process. We hear a lot of talk about that. I just wanted to see if there  
11 is anyone here that thinks there is a safety issue.

12 MR. RECCHIA: Okay. Again, not as a nuclear  
13 professional, but as a, you know, regulatory body, I would just say I  
14 think there is a fundamental difference between an operating plant and  
15 a closed plant. I think there is a fundamental difference in safety  
16 between the operating reactor and the spent fuel stored pool, and then,  
17 in turn, dry cask. I think they need to be treated -- I think the risks  
18 change over time, and they need to be treated differently.

19 We do not agree with the blanket exemption from  
20 on/off, like one -- you know, one day you=re -- you had full emergency  
21 preparedness mode, and the next you are exempted, you know, after  
22 the 15 months of the fuel being in the pool. So I would -- I will intend to  
23 -- intend to work with Entergy cooperatively to try and figure something  
24 out that works for us.

25 A blanket exemption across the board, the way the  
26 staff has proposed, in my mind is not helpful. And I would ask that,

1 really, for exemptions of this, particularly until rulemaking is established  
2 and we have -- and you've got those options, I think state input and  
3 agreement by the state, frankly, should be a consideration for the  
4 Commission in granting those exemptions.

5 I agree that the mechanics are such that exemptions  
6 are going to be needed, because you are not in an operating mode.  
7 And we want to understand what those are and be helpful, so that the  
8 plant can focus on the things that are important to focus on and not be  
9 trying to follow rules that really don't apply anymore.

10 But we also think there is a role for a phase-in and a  
11 phase-down of, like, emergency planning and a transition from the state  
12 fueled reactor to ultimately fuel and spent fuel in dry cask.

13 So thank you for asking that question. We would  
14 welcome the opportunity to work cooperatively on what exemptions are  
15 appropriate at what time. But we are really nervous about a blanket --  
16 the blanket guidance and blanket exemptions that don't incorporate  
17 state's concerns.

18 COMMISSIONER MAGWOOD: Okay. I appreciate  
19 your comment. When the staff comes to the table, we'll make sure  
20 the staff has a chance to give -- since they are here, they will be writing  
21 their answer now.

22 MR. RECCHIA: Yes.

23 COMMISSIONER MAGWOOD: Mr. Andersen, you  
24 wanted to react to that?

25 MR. ANDERSEN: In direct response to your  
26 question, I don't think that we perceive that there is a health and safety

1 issue, but we do think that the process itself raises a confidence issue  
2 that is perceived, then, as potentially a health and safety issue. And it  
3 goes like this.

4 By definition, when you request an exemption in these  
5 processes associated with decommissioning, you are reducing the  
6 number of things you are doing, and you are reducing the number of  
7 people that are doing them, and you are reducing the extent of  
8 instrumentation and equipment that you have available to you. So  
9 everything is perceived as not having to do things anymore.

10 What I find missing in communication is, what=s left?  
11 And I think the impression has been created that, for instance,  
12 someone broadly speaks about emergency preparedness exemptions,  
13 and the conclusion people draw from that is, "Oh, you=re not going to  
14 have emergency preparedness anymore," when in fact you have a very  
15 robust emergency response capability for onsite that is totally  
16 commensurate with the analyzed risk associated with the defueled  
17 shutdown plant.

18 And I don=t think that=s communicated very  
19 effectively. We have a 24/7 response capability. We have  
20 notification capability. We are integrated with the comprehensive  
21 emergency plan offsite. We have 24/7 fire response capability. We  
22 have our ongoing interfaces with local law enforcement, and fire  
23 departments, and so forth. None of that is articulated in the process.  
24 It just sounds like it is all gone.

25 So, you know, what I would offer is that articulating  
26 better that this is a change, not an elimination, would go a long way to



1 helping people better understand what the health and safety aspect of it  
2 is. It=s hard to get there now.

3 COMMISSIONER MAGWOOD: Okay. Mr. Victor,  
4 you wanted to jump in?

5 MR. VICTOR: Thank you very much. I=m not  
6 qualified to answer the question directly as to whether the exemptions  
7 create a health or safety risk. But I would just urge that on this  
8 exemption of exemptions, on the issue of integrated rulemaking, that  
9 we not let the administrative law and procedure become kind of a  
10 tyranny over how we spend all of our time.

11 In my view, the Commission really needs to also  
12 articulate a view as to what it is doing strategically, including what  
13 remains, and do this in a way that the community understands. And  
14 the content for this is already in some of the letters that have been  
15 exchanged, for example, between Chairman Macfarlane and some  
16 members of anti-nuclear coalitions, some Senators. So all of the  
17 material is there, but I think the public right now doesn=t know how to  
18 think about this, and so then they read the word "exemption," they  
19 don=t understand what is left.

20 It all seems like an end run around some normal  
21 process, and there are good administrative and procedural reasons for  
22 that end run until there is some kind of integrated rulemaking. But that  
23 view, that integrated view, has not been articulated.

24 Thank you.

25 MS. FOX: I would just add, from FEMA=s  
26 perspective, our mission is to support our state and local partners.

1 And so, you know, similarly, I am unqualified to discuss the actual  
2 health and safety risks, but would just say that we rely heavily -- and,  
3 really, our success rises and falls on support to our state and local  
4 partners.

5 And so we would just advocate that it is really they who  
6 figure out what that risk is to their communities and advocate that they  
7 be, you know, heavily involved in discussions and decisions about it.

8 COMMISSIONER MAGWOOD: Okay. All right.  
9 Thank you very much.

10 Mr. Andersen, you mentioned that you are developing  
11 guidance documents that would sort of integrate the story in a way that  
12 the industry would be able to establish I guess a more -- more of a  
13 regular practice based on the exemptions. When do you think that will  
14 be done, and when will that be available for NRC review?

15 MR. ANDERSEN: Well, the schedule is partially  
16 dependent on the rate of experience that we gain going through this --  
17 going through this learning curve. But right now our target is end of  
18 2014, this year.

19 COMMISSIONER MAGWOOD: This year.

20 MR. ANDERSEN: To have a draft.

21 COMMISSIONER MAGWOOD: Okay.

22 MR. ANDERSEN: And then we=ll want to socialize  
23 that draft with certainly the NRC staff and other stakeholders. It was  
24 understood at the outset by -- when we put the group together that there  
25 would be a diminishing return for the plants currently in the process.  
26 So we are basically treating them as the lead plants to help inform that.

1           The other element that would go with it are the two  
2 interim staff guidance documents being developed in EP and in  
3 security. Obviously, those documents would not only inform the  
4 industry guideline, but the industry guideline, in theory, should rest  
5 upon those two final documents. So that will drive the schedule a little  
6 bit as well. That=s why I say a draft by the end of the year, and then  
7 we will have to take the time we need to finalize it.

8           COMMISSIONER MAGWOOD: Okay. Excellent.

9           With five seconds left, I think I will relinquish. Thank  
10 you, Chairman.

11          CHAIRMAN MACFARLANE: Thanks.

12          Okay. My turn. So we have had an interesting  
13 discussion so far, and I=m impressed that you -- many of you have  
14 pointed to the fact that we basically don=t really have any proper  
15 regulations or framework to deal with these decommissioning plants,  
16 regulatory framework.

17          And I would posit that this stems, in general, from our  
18 tendency to ignore the back end of the fuel cycle, probably largely  
19 because it doesn=t make money. But that=s the state that we=re in,  
20 and I think that that also ends up reflecting where we are as a nation  
21 with regards to the final disposition for spent nuclear fuel.

22          Nonetheless, I didn=t realize that INPO is not involved  
23 after shutdown. That=s very interesting. We=ll have to take that up  
24 at --

25          MR. NORTON: That was our experience.

26          CHAIRMAN MACFARLANE: Yeah. INPO is no

1 longer involved with you guys?

2 MR. STODDARD: They are no longer engaged in a  
3 plant evaluation process. We certainly have other independent  
4 oversight that we do there for --

5 CHAIRMAN MACFARLANE: Right. Right. Well,  
6 that=s interesting. I=ll be seeing Admiral Willard next week, so I=ll ask  
7 him about it.

8 But I=m curious, Mr. Norton, you went through this  
9 process with a number of plants where -- without the regulatory  
10 framework that everybody else is calling for now. Was that okay?  
11 Would you have preferred to have a proper regulatory framework in  
12 place, where you had a clear -- clearly defined strategy, where there  
13 was a clearly defined strategy of how to go through this process?

14 MR. NORTON: Certainly. We were in the same  
15 position in =97 --

16 CHAIRMAN MACFARLANE: Right.

17 MR. NORTON: -- when we prematurely shut down  
18 Maine Yankee, and Connecticut in =96, where we were engaged in the  
19 exemption process as we are today still as ISFSIs. And it was part of  
20 the driving force for the 2000, you know, proposed draft rulemaking  
21 initiative that was taking place at the time, because we did agree that  
22 there was a more efficient way to do it. But at the time, we had the  
23 exemption process and we utilized it.

24 I can=t speak to the efficiency of it today versus what  
25 we experienced, but we were reasonably successful in going through  
26 that process. I think it was done very safely, and the success of the

1 projects I think are a testament to that. But I think we did realize at the  
2 time that it is not the most efficient to go.

3 I don't -- I'm not a licensing expert, so I can't say how  
4 to best resolve that, but it does strike me that there are fundamental risk  
5 steps and decreases that could be captured in rulemaking that would  
6 allow things to be resolved more efficiently than the exemption process.

7 CHAIRMAN MACFARLANE: Okay. Okay. Well,  
8 we'll take this up again, as Commissioner Magwood said, with our staff  
9 panel in a moment.

10 Let me turn to community engagement, and I think it's  
11 -- you know, I've heard -- met with Mr. Norton a number of times and  
12 been very impressed with your experience at all the Yankees.

13 MR. NORTON: Thank you.

14 CHAIRMAN MACFARLANE: And I'm interested to  
15 hear about your experience as well. I'm interested that you guys in  
16 Vermont already established a community engagement panel. So I  
17 have a couple of questions around this.

18 Traditionally, these community engagement panels  
19 have been established by the licensee. Should they be established by  
20 the licensee? Should they be established by somebody else? You  
21 know, you've had a variety of folks on the panels. I mean, what  
22 should the panel makeup be? And should NRC require the existence  
23 of these panels? Is this a necessary item for decommissioning? Do  
24 you guys have one at Kewaunee?

25 MR. STODDARD: We do not have a community  
26 engagement panel at Kewaunee.

1 CHAIRMAN MACFARLANE: Why not?

2 MR. STODDARD: We meet very frequently with the  
3 local stakeholders. We update them --

4 CHAIRMAN MACFARLANE: And who are the local  
5 stakeholders?

6 MR. STODDARD: The state, the localities, the cities  
7 around there, the counties. We meet with them routinely.

8 CHAIRMAN MACFARLANE: You're talking about  
9 the elected officials.

10 MR. STODDARD: We are talking about the elected  
11 officials, and we attend meetings there where the community is  
12 involved, and we have a very positive relationship with the community.  
13 Both leaders and the members of the community there, they have --  
14 they have expressed essentially no concerns about the  
15 decommissioning process. The biggest concern that we hear from the  
16 communities there is related to the tax --

17 CHAIRMAN MACFARLANE: Okay.

18 MR. STODDARD: -- base, and then some with the  
19 loss of jobs.

20 CHAIRMAN MACFARLANE: Thanks. I have limited  
21 time, so I have to rush through my questions here, because I have a  
22 whole lot.

23 But I want to hear from others of you as to whether --  
24 who should establish these community advisory boards and --

25 MR. VICTOR: So ours is licensee-driven. I don't  
26 know what the counterfactual would have been. There have been two

1 big advantages to having this driven by the licensee. One is they own  
2 it, so they know it has to be successful or it should hopefully be  
3 successful. And the second is speed.

4 I think less than a month passed between putting  
5 together most of the members of the Commission and the formal  
6 announcement, and then less than a month passed from the formal  
7 announcement to the first meeting.

8 CHAIRMAN MACFARLANE: It did take a while to get  
9 to that point.

10 MR. VICTOR: So it took a while to get to that point.  
11 But, you know, if you had -- if one had asked some arm=s-length  
12 institution in the community to do that, and put all of this together, my  
13 guess is it would have been a slower process. In any case, that=s an  
14 impression looking back.

15 You asked about whether this should be required.  
16 This seems to be best practice in the industry, although not followed  
17 everywhere. My instinct right now is that requiring this would actually  
18 probably be harmful in the sense that you would then have to write the  
19 rule in some way. And I think each of these different communities  
20 have had a different kind of relationship with these plants, and different  
21 kinds of stakeholders, and so on, size.

22 And I don=t know if we know enough right now to write  
23 the rule. We probably know enough right now to, I would think, make  
24 this best practice in all instances, although I look forward to learning  
25 more about the Kewaunee experience.

26 Last point is on membership. I think a balance in

1 membership is crucially important. Otherwise, you get the folks who  
2 have been most active on these topics dominating these processes.  
3 And I have learned a lot, frankly, from the people who speak less at our  
4 meetings, but are worried about a wider range of topics.

5 It has been very, very important to get people on the  
6 panel who have some experience of working in panels, because  
7 otherwise I can only imagine how inefficient our meetings would be if  
8 we didn't have that kind of practical experience.

9 CHAIRMAN MACFARLANE: Mr. Norton, do you  
10 have a view?

11 MR. NORTON: I agree with everything Mr. Victor  
12 said, and I would add, I think for us certainly my experience, having it  
13 licensee-driven, did create a responsibility and a sense of ownership for  
14 ensuring that this process was efficient and effective. But, again, I do  
15 think one of the -- one of the critical attributes of it, as David indicated,  
16 was having some diversity on the board itself or the panel itself.

17 We did have anti-nuclear activists, we had school  
18 teachers, we had housewives, we had a whole cadre of experience and  
19 knowledge that we took advantage of. I do think it is clearly a lesson  
20 learned and a best practice, from my perspective, but, again, each  
21 community is slightly different. I mean, you see different levels when  
22 you went from Maine to Connecticut to Massachusetts of involvement,  
23 engagement, participation. I had many an advisory panel meeting in  
24 Massachusetts where it was me talking to the CAP. So --

25 CHAIRMAN MACFARLANE: Okay.

26 MR. NORTON: -- it really does depend, I think.



1 CHAIRMAN MACFARLANE: Yeah. It=s an organic  
2 thing.

3 MR. NORTON: It is very much.

4 CHAIRMAN MACFARLANE: Do you have --

5 MR. RECCHIA: Real briefly, I will just add our panel  
6 evolved from a statutorily created panel, and it became still a statutorily  
7 created panel. I think that was necessary in Vermont, to be honest  
8 with you.

9 CHAIRMAN MACFARLANE: But now the licensee  
10 doesn=t have anything to do with this panel.

11 MR. RECCHIA: The licensee has seats on the panel,  
12 and also have committed to supporting the panel, at least technically,  
13 and I=m working on financially. But my department has agreed to  
14 support the panel financially.

15 And I think in Vermont, because of the relationship that  
16 had occurred there, just a purely licensee-generated panel would not  
17 have had the acceptance that this needs to have, and the membership  
18 is defined in statute --

19 CHAIRMAN MACFARLANE: But will the licensee  
20 listen to the panel? I mean, that was what I was impressed by with the  
21 Yankee experience is that the licensee really -- you really listened to  
22 what the panel said. I mean, you made significant changes because of  
23 it.

24 MR. NORTON: Yes. I mean, I think in that regard  
25 we had I think an extremely competent and respected group of  
26 individuals on the panel, and we would have been remiss not to listen to

1           them.

2                           MR. RECCHIA: I think that I expect that they will --  
3           that this is going to be an interactive process where they will listen to the  
4           panel. They recognize --

5                           CHAIRMAN MACFARLANE: What happens if they  
6           form their own panel?

7                           MR. RECCHIA: They are not going to do that. They  
8           have said that they only want one panel, and they participated in the  
9           statutory revisions that were necessary to get this one, so I expect this  
10          is it, and they are supportive of it. And I think that time will tell whether  
11          the panel has effective influence or not.

12                          I mean, I think listening to the panel is really about -- I  
13          think Mr. Victor said this best, which was this is about a conduit of  
14          information to come and go, so that they can hear what the community  
15          is interested in and respond to that. It's not going to be providing  
16          recommendations or, you know, criticisms or, you know, it might  
17          provide some suggestions that hopefully between my department and  
18          the licensee we will be able to work through.

19                          CHAIRMAN MACFARLANE: Well, it sounds like  
20          there is actually a lot of detail here to pull out about, what are the best  
21          practices, how to get information that both sides listen to, et cetera.

22                          MR. RECCHIA: I would agree. And I'd just say, I  
23          agree that requiring it at this point is probably counterproductive, at  
24          least for us at the moment.

25                          CHAIRMAN MACFARLANE: Did you want to say one  
26          more thing?

1 MR. VICTOR: I just want to say very briefly, one of  
2 the things we have learned very quickly is the need to document the  
3 issues as they come up, because a thousand things come up, and part  
4 of demonstrating value from the panel, and also just keeping all of those  
5 things straight and our agenda straight, has been a very clear  
6 documentation of all of the issues that come up, what happens to them,  
7 and then links to papers that show how the licensee has responded.  
8 That seems to have been enormously valuable.

9 CHAIRMAN MACFARLANE: Okay. So my time is  
10 up. Let me see if my fellow Commissioners have further questions.

11 Yes?

12 COMMISSIONER SVINICKI: I just had one question  
13 for Dr. Victor. I, again, really appreciate your responses to my  
14 colleagues. At the end of your remarks in your presentation, you  
15 talked about keeping folks interested for the longer haul, that they are  
16 giving up kind of impressive and astonishing amounts of elective free  
17 time right now. But, of course, you're in kind of early stages.

18 And so not being a decisionmaking body, it seems to  
19 me that it will be -- there will be a diversity of definitions of how these  
20 people will define what was the successful and useful -- "all of this time  
21 I gave up" when they are looking at it in the rearview mirror. So is it --  
22 do you think that coming to a common set of things to advocate for, is  
23 that one of the chief benefits?

24 Or you said you had done some surveying of your 18  
25 members. What have been some preliminary insights from that?

26 MR. VICTOR: Well, so far -- and, again, these are

1 early days -- so far people universally are very happy with how the  
2 process is going, and they feel their time is being well spent. I think a  
3 big part of that is the licensee has been enormously responsive to these  
4 questions that get raised, and that I think has been quite valuable.

5 People are going to view success or failure of the panel  
6 in different ways. I expect that completely. I do think that if we can  
7 continue to document all of the things that have come up, and what we  
8 have done with them, and where the responses have happened -- and  
9 there may be some areas like on choice of casks or on spent fuel  
10 management strategy, where we actually do see big differences in what  
11 the licensee does.

12 I think that will be enough to satisfy enough people that  
13 their time is well spent, but it is -- when you look around the table, it is an  
14 extraordinary amount of time that people are spending as -- completely  
15 as volunteers.

16 MR. NORTON: Yes. I think I would add to that, and I  
17 know Mr. Victor is going to talk to Marge Kilkelly, who was our  
18 longstanding Chair of the Maine Yankee CAP, to get some feedback on  
19 this. But from the licensee perspective, this ties back for me to  
20 establishing the end state and the project objectives up front, engaging  
21 this panel in that. And I think the Maine Yankee CAP took pride and  
22 measured its accomplishments based on the accomplishment of the  
23 project goals in total.

24 Rather than having a separate subset of, you know,  
25 performance metrics, if you will, for a CAP, we were perfectly aligned,  
26 that the safe, efficient decommissioning of the nuclear facility was

1 critical and appropriate, and that was how we all measured ourselves.  
2 And they were part and parcel to that process. We didn't necessarily  
3 carve anything out special. We were all in this together.

4 And we started with alignment of those goals and  
5 those objectives and that mission, and from there we all measured  
6 ourselves.

7 CHAIRMAN MACFARLANE: Commission  
8 Magwood?

9 COMMISSIONER MAGWOOD: Yes. Thank you,  
10 Chairman.

11 Just one thing that Dr. Victor said -- by the way, Dr.  
12 Victor, really appreciate your statement today. I thought it was very  
13 informative, very helpful.

14 But one thing that he mentioned previously was about  
15 whether this was an industry best practice to have organizations like  
16 this. And so I look at NEI, which is supposed to be the place where  
17 these best practices comes together and get disseminated. Are you  
18 doing anything in this area? Are you doing anything with community  
19 engagement?

20 MR. ANDERSEN: Actually, we already did. This  
21 was a major issue in the license termination rulemaking. NRC actually  
22 initially proposed the requirement for CAPs. So this was a unique  
23 situation where the agency actually entirely reversed itself based on  
24 stakeholder input. Everyone agreed it was a good idea, so we actually  
25 formulated a series of workshops on this topic, and actually articulated  
26 this as one of the good practices that is captured in the -- we used EPRI

1 to capture our Tribal knowledge in this area. So that's an integral part  
2 of the EPRI guidance.

3 I believe most of those documents were made publicly  
4 available and are actually in the public document room. But I would -- I  
5 would just point to the fact that, one, there is a rich regulatory history on  
6 the decision that the Commission then actually reached to decide that  
7 for unrestricted release there would not be a requirement for that.  
8 Everyone recognized the value of stakeholder engagement, but trying  
9 to codify it and get it right for all situations, I think the agency  
10 understood that wasn't practical.

11 So, yeah, we have addressed it over and over again as  
12 a best practice and captured it in our literature that all of the plants are  
13 using now. The first thing Kewaunee did was pull up all of the EPRI  
14 documents that document our history, and in that is also our discussion  
15 of basically the good practice for stakeholder engagement.

16 COMMISSIONER MAGWOOD: What is the vintage  
17 of that?

18 MR. ANDERSEN: I beg your pardon?

19 COMMISSIONER MAGWOOD: What is the vintage  
20 of that guidance?

21 MR. ANDERSEN: The vintage is progressively from  
22 about 1999 to about 2004, 2005. And now we will capture -- but what  
23 EPRI has done with this program has gone international, so now we're  
24 capturing international experience and we will also integrate this next  
25 wave of experience there.

26 So we will -- once we've gotten through this process,

1 undoubtedly we will end up with a revised, updated set coming out of  
2 this. But it really is intended to be the cookbook for the person that  
3 wants to shut down and decommission their plant.

4 COMMISSIONER MAGWOOD: Okay. Thank you  
5 very much.

6 Thank you, Chairman.

7 CHAIRMAN MACFARLANE: Okay. So I have three  
8 hopefully quick questions while I have you all here.

9 All right. Mr. Stoddard, you guys at Kewaunee  
10 recently made a decision I believe to complete transfer of your spent  
11 fuel from your pool to dry casks by 2016. Right?

12 MR. STODDARD: That is correct.

13 CHAIRMAN MACFARLANE: Right. So what factors  
14 influenced that decision?

15 MR. STODDARD: The primary factor when we  
16 evaluated that was it's the -- is the reduced cost of getting the fuel out of  
17 the pool and onto the pad.

18 CHAIRMAN MACFARLANE: It's much cheaper.

19 MR. STODDARD: It's much -- it's an economic  
20 decision that we made to get the -- and then it opens up other options  
21 for us down the road to get that -- reduce that risk, reduce the staff, get  
22 the fuel onto dry cask storage.

23 CHAIRMAN MACFARLANE: Okay. So you didn't  
24 worry about exposures, occupational radiation doses to your workers.

25 MR. STODDARD: Well, to say that we didn't worry  
26 about occupational radiation exposures --

1 CHAIRMAN MACFARLANE: I don't mean it like that.

2 MR. STODDARD: -- we always worry about  
3 occupational radiation exposures, but we evaluated that in our decision.

4 CHAIRMAN MACFARLANE: I have a -- the next  
5 question I was going to ask is about SAFSTOR, because the reason  
6 that the category of SAFSTOR -- the option of SAFSTOR exists has  
7 largely been based on the argument that you reduce occupational  
8 doses to workers significantly if you wait 50 years.

9 So I'm wondering if that's really relevant anymore, or if  
10 we have practices now that are much safer and it's -- so it's not such a  
11 relevant issue.

12 MR. STODDARD: We believe it's relevant for the  
13 radiological decommissioning of the plant, because over that time the  
14 dose rates do go down in the plant as you are -- as you would be  
15 decommissioning and dismantling, doing the radiological  
16 decommissioning of the station. Dose rates do go down, so there is an  
17 improvement.

18 CHAIRMAN MACFARLANE: So does that mean that  
19 workers get a much greater dose in decommissioning a plant, from  
20 decommissioning the other bits and not transferring the spent fuel from  
21 the pools to dry cases?

22 MR. STODDARD: Well, the fuel is going to have to be  
23 transferred at some point or another, either -- so --

24 CHAIRMAN MACFARLANE: You wait a little longer;  
25 it gets a little cooler.

26 MR. STODDARD: I think significant -- yeah. There



1 will still be -- we will still get dose when we transfer the fuel at a later  
2 timeframe. There is more dose from -- certainly from the overall  
3 decommissioning of a station than there would be from just moving the  
4 fuel. We have a lot of practice and a lot of experience in moving fuel  
5 now.

6 CHAIRMAN MACFARLANE: So we have numbers  
7 on that?

8 MR. STODDARD: I don't have the numbers available  
9 to me right now.

10 CHAIRMAN MACFARLANE: Maybe NEI has the  
11 numbers on that. Mr. Andersen?

12 MR. ANDERSEN: The numbers are actually in the  
13 underlying NRC analyses that supported the rulemaking that created  
14 SAFSTOR. What might be an effective exercise would be to take a  
15 look at those and update those. At the time, the assumption was that  
16 about 95 percent of the worker dose would be avoided.

17 As far as relevance -- now, the health physicist in me  
18 has to step forward. You know, our focus is at a very, very small level  
19 in terms of the ability to avoid radiation dose. So it is always going to  
20 be relevant, whenever you see --

21 CHAIRMAN MACFARLANE: Right.

22 MR. ANDERSEN: -- a difference between Value A  
23 being bigger than Value B. But what I would say is this. That factors  
24 into an overall decision; it doesn't make the decision.

25 CHAIRMAN MACFARLANE: Right. No, but I think  
26 it's -- you know, I think you're right; it is interesting to update it.

1 Practices are different now than when, you know, the rule was made.

2 MR. ANDERSEN: While that's true, there is a  
3 substantial amount of exposure. We're talking several hundreds of  
4 person-rem. So it's not a trivial amount by any stretch of the  
5 imagination. It's much more than the average plant now receives  
6 during a year of operation.

7 So there are substantive differences despite the  
8 improvements in the technologies. And, obviously, the technologies  
9 will continue to evolve. But it is always fundamental that if you have  
10 ways to reduce the source term, those need to be taken into account as  
11 well. And then, that goes into a larger business decision as to what  
12 makes the most sense.

13 CHAIRMAN MACFARLANE: Might have to look into  
14 that some more.

15 And this brings me to the last question, which is for  
16 both of you. Are merchant plants different? So you brought this up in  
17 your testimony, and Mr. Andersen mentioned it as well, you know,  
18 maybe we should be treating merchant plants differently, and so I just  
19 want to understand how.

20 MR. RECCHIA: Well, I think fundamentally the issue  
21 of the financing of what happens when is, as we are discovering with a  
22 merchant plant that has been merchant for about 10 years, I will say I  
23 don't think we prepared for that adequately, because they -- the  
24 licensee would say there is no funds available other than the  
25 decommissioning trust fund. And I've already explained why that  
26 doesn't work in some cases.

1                   Whereas with Maine Yankee or something like that,  
2 when you've got the ability -- not that you like to go back to ratepayers,  
3 but if they -- if there is a common goal of, look, we want to do this in an  
4 expeditious way, and it's going to cost this amount, are you willing -- do  
5 you need -- you know, is it appropriate to pay that extra amount to get  
6 that work done, it's at least a clear process. So I think that's the  
7 fundamental change that has occurred.

8                   If I could roll back the clock to when I was 11, I would  
9 do that. No, I actually wouldn't, but I would -- I would -- from the time  
10 the plant became merchant, I would have planned for some of these  
11 expenses that occur in this transition that are not decommissioning but  
12 not operational, and figure out how to finance those.

13                  MR. STODDARD: You know, I would just comment  
14 that it is easy to exaggerate the difference between a merchant plant  
15 and a plant that is in the rate base. It is accurate to say that you can't  
16 go back to the ratepayers when you have a merchant plant like you  
17 could if you had a plant that was in the rate base, but you certainly can  
18 go back to the state government, for example, if there was a strong  
19 public desire and a public need to take a different path.

20                  But, for example, our decommissioning trust fund is  
21 fully funded, and all of the decommissioning costs, including spent fuel  
22 management, will come out of the decommissioning trust fund, which is  
23 no different than what we would do for our regulated plants.

24                  CHAIRMAN MACFARLANE: Mr. Andersen, do you  
25 have any views? No?

26                  MR. RECCHIA: Can I just say it's a matter of timing in

1 the sense of, oh, our decommissioning fund is fully funded, too, as you  
2 would interpret it that way, with the fuel sitting there for 50 years and the  
3 --

4 CHAIRMAN MACFARLANE: Right.

5 MR. RECCHIA: -- funds sitting there for 50 years to  
6 grow over that time, which is not acceptable to Vermonters.

7 CHAIRMAN MACFARLANE: Okay. Okay. Well,  
8 thank you very much for the discussion this morning. I really  
9 appreciate you all appearing here this morning and joining in.

10 And we will take a five-minute break to switch panels.

11 (Whereupon, the above-entitled matter went off the  
12 record at 10:45 a.m. and resumed at 10:54 a.m.)

13 CHAIRMAN MACFARLANE: Okay. I think we will  
14 get started. Just a second. When everybody sorts themselves out.  
15 All right. Now we are ready for the staff presentations on  
16 decommissioning. And I will turn things over to Mark Satorius, our  
17 Executive Director of Operations.

18 MR. SATORIUS: Good morning, Chairman. And  
19 good morning, Commissioners. I note that I don't have to swing my  
20 head so far for the Commissioners that we have here today. I need  
21 that exercise. Thank you, Commissioner.

22 Staff is here today to brief you on the status of the  
23 power reactor decommissioning processes at the NRC with a special  
24 focus on the four plants that within the last year or so have opted to  
25 cease operations and move into the decommissioning phase. Next  
26 slide please.

1                   The decommissioning program at the NRC has a long  
2 and successful history. After the 1997 issuance of the license  
3 termination rule and associated reactor decommissioning regulations,  
4 the Staff invested a significant amount of time in the late 1990s and the  
5 early 2000s developing improved guidance for implementing the new  
6 regulations.

7                   The staff's investment produced a more efficient and  
8 effective process for both licensees and the NRC and resulted in  
9 significant increase in the number of license terminations and active  
10 decommissioning work as shown by this slide.

11                   Decommissioning activities involve several NRC  
12 offices. The level of involvement depends on the stage of  
13 decommissioning and decisions made by the licensees regarding the  
14 immediate dismantlement or the entrance into a SAFSTOR mode  
15 where major decommissioning activities are delayed for some period of  
16 time.

17                   The decommissioning process will be more fully  
18 described later during this meeting by my colleagues here at the table.  
19 But efficient interactions among the multiple players during all phases  
20 of decommissioning is important to continued success of the program.

21                   Slide 3. These efficient interactions have never been  
22 more important than now when the staff is being challenged by having  
23 four reactors prematurely shut down in a relatively short period of time.

24                   To address this, the staff has taken several actions to  
25 deal with the current as well as the future potential for additional  
26 shutdowns.

1                   These actions include consolidating the project  
2 management responsibilities for all reactors transitioning to  
3 decommissioning into one branch in the Office of Nuclear Reactor  
4 Regulation before being transferred to the Office of Federal and State  
5 Materials Environmental Management Programs or FSME.

6                   Forming an interoffice decommissioning transition  
7 working group to identify and prioritize current and future challenges as  
8 well as to improve communications across offices and act as a focal  
9 point for decommissioning improvements.

10                  Third, developing interim staff guidance in tandem with  
11 ongoing licensing reviews for security and emergency preparedness  
12 issues. And finally, identifying potential regulatory improvements and  
13 past lessons learned that could be implemented in future ruling activity  
14 or through enhanced guidance documents.

15                  This continuing level of effort by the staff should ensure  
16 that the four prematurely shut down units currently transitioning into  
17 decommissioning will do so successfully, building on the experience of  
18 the past using the tools currently available to make the process as  
19 straight forward and efficient as possible.

20                  Thank you. And I look forward to the remainder of the  
21 meeting as well as from your questions. I now turn it over to Andrew  
22 Persinko to my far right from the office of FSME. He will further  
23 discuss decommissioning processes and improvements implemented  
24 as a result of earlier experience with power reactor decommissioning.  
25 Drew.

26                  MR. PERSINKO: Thank you, Mark. Can I have my

1 first slide please? Okay. Thank you. Good morning, Chairman.  
2 Good morning, Commissioners. As Mark said I'm going to be  
3 discussing this morning the decommissioning process, some process  
4 improvements as a result of earlier reactor decommissionings.

5 And also I will be discussing FSME's role during the  
6 transition from an operating reactor to a decommissioning reactor.  
7 Next slide.

8 This slide shows the decommissioning process  
9 including opportunities for public involvement, which is defined in 10  
10 CFR Part 50. And it's further described in several decommissioning  
11 procedures.

12 The major steps include when the licensee submits two  
13 certifications. One certification is a Cessation of Operations and that  
14 has to be done within 30 days of permanent shutdown. And a  
15 certification that the fuel has been permanently removed from the  
16 reactor vessel when that activity is completed.

17 A Decommissioning Report follows, more formerly  
18 known as the Post Shut Down Decommissioning Activities Report.  
19 And here's where I'm going to use an acronym, PSDAR. It's required  
20 to be submitted within two years following permanent shutdown.

21 As required by regulation, we will have a public  
22 meeting near the site normally within 60 days of receipt. And the  
23 purpose is to discuss the licensee's overall plan for decommissioning.

24 The licensee can commence major decommissioning  
25 activities after 90 days after submitting the PSDAR. And the  
26 decommissioning must be completed within 60 years. At least two

1 years before the planned termination of the license, the licensee must  
2 submit a License Termination Plan.

3 We will then hold a public meeting again as required by  
4 regulations and to offer an opportunity for a hearing. At the completion  
5 of the decontamination, the licensee will conduct final radiological  
6 surveys to verify that the facility meets regulatory requirements for  
7 release.

8 NRC will perform independent verification surveys to  
9 confirm the licensee's results. Finally we will terminate the license at  
10 the completion of the decommissioning process.

11 Staff's levels of effort during the process are influenced  
12 by the licensee's decommissioning approach. With increased  
13 licensing and inspection activities occurring during transition and active  
14 decommissioning as well as when spent fuel is being transferred to dry  
15 cask storage.

16 As already mentioned, the decommissioning process  
17 involves several NRC offices. And the interactions among the offices  
18 is governed by office procedures, which dictate the roles of the various  
19 offices throughout transition and through the decommissioning  
20 process.

21 The decommissioning process also offers  
22 opportunities for public involvement and stakeholder interaction. In  
23 addition to the required public meetings related to the submittal of the  
24 PSDAR and the License Termination Plan, staff has participated in  
25 additional public interactions related to Kewaunee, Crystal River and  
26 SONGS 2 and 3 which will be discussed a little later.



1                   Next slide. The decommissioning process has been  
2 used successfully to decommission seven power reactors since the  
3 implementation of the License Termination Rule in 1997 and ten  
4 reactors overall.

5                   The decommissioning activities at these facilities  
6 included decontamination and dismantlement of radiologically  
7 contaminated components or structures and remediation of the  
8 surrounding site to levels acceptable to NRC.

9                   In some cases, where required, licensees also met  
10 more restrictive state requirements. All of the facilities were released  
11 for unrestricted use according to the License Termination Rule. In  
12 many cases, though not required by NRC, the licensees also removed  
13 structures and equipment at the facility.

14                   Next slide. As of today, staff is managing 17  
15 permanently shut down power reactor units that are in various stages of  
16 decommissioning. Specifically progress is being made at three  
17 reactor units that are actively being decommissioned.

18                   These units are the Zion 1 and 2 and Humboldt Bay.  
19 Ten reactor units are in SAFSTOR, not counting the four units that  
20 recently shut down. And the four units that recently shut down in 2013  
21 that are transitioning to decommissioning are doing so in a physical  
22 configuration as well as through licensing.

23                   Crystal River and Kewaunee plan to enter SAFSTOR  
24 according to their PSDARs while SONGS 2 and 3 is not expected to  
25 submit their PSDAR until later this summer, so their strategy is still  
26 being developed.

1 Vermont Yankee has announced its intention to shut  
2 down by the end of 2014. And Oyster Creek has indicated that it will  
3 shut down in 2019.

4 In addition to these 17 units, additional permanent  
5 shutdowns could be expected over the next five years based on  
6 publically available information, which the staff will then manage as  
7 needed.

8 Thanks to the long history of the decommissioning  
9 program, Staff has implemented several improvements based on  
10 experiences during previous decommissioning activities including  
11 several ongoing guidance document updates and implementation of  
12 the new rule focused on decommissioning planning during operation.

13 Some highlights of the other lessons learned include  
14 operators should work with the stakeholders to establish expectations  
15 for the end state use of the site. Maintain communications throughout  
16 the decommissioning process.

17 Keep records of any spills or other contamination  
18 during operation, which will improve site characterization upon  
19 decommissioning upon cessation of operations. And include flexibility  
20 in the decommissioning plans to allow for changes.

21 These lessons learned have been incorporated into  
22 several guidance documents and will be continued to be integrated  
23 across the decommissioning process.

24 For the four transitioning sites previous industry  
25 lessons learned were leveraged into the creation of some type of  
26 community outreach program to engage locally affected parties

1 throughout the process.

2 The activities range from the formal as we've heard,  
3 the formal community engagement panel at SONGS for the more  
4 informal decommissioning open houses hosted by Crystal River.

5 The interactions seek to keep the public engaged and  
6 informed throughout the process. Next slide.

7 Until the project management function transfers from  
8 NRR to FSME, FSME's main role has been to support communication  
9 among the various stakeholders during the decommissioning transition  
10 process.

11 As mentioned on the previous slide, to date NRC has  
12 sponsored several public meetings including the end of cycle and  
13 annual assessment public meetings at Kewaunee and Vermont  
14 Yankee, PSDAR meetings at Crystal River and Kewaunee, and a public  
15 meeting at SONGS to discuss the decommissioning process.

16 In addition, during the last year the staff has supported  
17 numerous Congressional staff briefings and Senate hearings and has  
18 met with state and local government officials as well as with  
19 non-governmental organizations to discuss decommissioning issues.

20 Our intent is to make sure that all parties have a clear  
21 understanding of the process, are given an opportunity to have their  
22 opinions heard and their questions answered and to insure that a path  
23 forward is well established for successful completion of the  
24 decommissioning.

25 We feel that the goal is achievable thanks to a  
26 decommissioning process that is well defined and has been

1 successfully used in the past, the dedication of the NRC offices  
2 involved in the transition efforts and the ongoing efforts to engage and  
3 interface with the public and other stakeholders throughout the  
4 decommissioning.

5 Thank you. I will now turn it over to Louise Lund from  
6 the Division of Operator Reactor Licensing in NRR who will be  
7 discussing the decommissioning transition process and the potential for  
8 future enhancements.

9 MS. LUND: Okay. Thank you, Drew. And good  
10 morning Chairman and Commissioners. We've heard a lot about the  
11 transition process from the last panel. And as you know, NRR has the  
12 project management lead for the transition process. Slide 13, please.

13 As has been our practice for plans that have previously  
14 decommissioned, staff and NRR processes licensing actions that  
15 transition a licensed plant from one that contains provisions for plant  
16 operations to one that is representative of the decommissioning status  
17 of the plant.

18 As Drew pointed out, this process begins with a  
19 licensee submits its certifications for permanent shut down or removal  
20 of fuel.

21 The current regulations contain few provisions for  
22 automatically removing operating plant requirements that are no longer  
23 necessary in a decommissioning plant after the plant has made its  
24 certification that it has removed the fuel and intends to terminate the  
25 license.

26 Consequently, as you've heard this morning licensees

1 have had to submit licensing actions, namely exemptions and license  
2 amendments to modify the license to reflect their decommissioning  
3 state.

4 It is only after the processing of those actions and the  
5 issue of the decommissioning technical specifications, which take  
6 about two years, that management of the plant's operating license is  
7 transferred to the Division of Waste Management and Environmental  
8 Protection in FSME for the longer term period of decommissioning  
9 activities.

10 It should also be said here that the risk of an off site  
11 radiological release is significantly lower. And the types of possible  
12 accidents are significantly fewer at a nuclear power reactor that has  
13 permanently ceased operations and removed fuel from the reactor  
14 vessel than at an operating power reactor.

15 The license amendments and the exemptions  
16 submitted by the licensee following the decision to decommission  
17 reflect a significant reduction in radiological risk for a power reactor  
18 undergoing decommissioning.

19 Since the last plants that were decommissioned in the  
20 1990s, there have been new and revised regulatory requirements for  
21 operating plants, namely new emergency preparedness and security  
22 rules and recent orders as a result of Fukushima, which also need to be  
23 considered for their applicability in decommissioned plants.

24 As a result, there is a larger number of licensing  
25 actions for the recently shut down plants than for plants previously  
26 decommissioned. The suddenness of having four reactors

1 permanently shutting down in a relatively short period of time with  
2 another expected at the end of the year has added to a heavy existing  
3 licensing workload.

4           However, the staff has provided a higher level of  
5 priority to the decommissioning licensing actions from the routine  
6 licensing actions in recognition that the decommissioning trust funds  
7 are intended to cover decommissioning activities and not operating  
8 plant requirements, and it's generally followed the standard timetable  
9 and processes for licensing actions, some which require environmental  
10 assessments and public comment periods.

11           Despite needing to navigate the changes to the  
12 regulatory requirements since the 1990s and the current heavy  
13 licensing workload, staff has still managed to work the licensing actions  
14 in a timely fashion though not to the very aggressive schedules that  
15 some of the licensees had initially requested and desired.

16           The staff has worked through many issues with the  
17 Kewaunee submittals and is focused on preparing high quality safety  
18 evaluations that can be used as templates as appropriate for other  
19 plants as well.

20           Slide 14 please. The staff has made significant  
21 progress on processing and issuing licensing actions that have already  
22 been submitted, mostly though submitted by Kewaunee and Crystal  
23 River thus far with Kewaunee being the lead plant for working out the  
24 details and most of the reviews.

25           Just to give you an idea of the associated workload,  
26 there have been about 60 licensing actions submitted two days before

1 decommissioning sites including a few from Vermont Yankee and  
2 around ten more could be submitted in the next few months.

3 That's a little bit different than what the speaker note  
4 said because we just updated it. Exemptions from multiple regulations  
5 are counted as one action in the above numbers.

6 To the maximum extent practical the staff used  
7 precedence from the previous decommissioned plant evaluations as a  
8 basis for the current reviews while incorporating additional new and  
9 revised regulatory requirements, mostly new emergency preparedness  
10 and security rules.

11 Additional technical work, like the updated spent fuel  
12 pool studies and new guidance into the reviews. As licensing actions  
13 are issued for the first plant, we have observed that the staff gains  
14 efficiencies for subsequent plant reviews.

15 However, in line with what Commissioner Svinicki  
16 mentioned earlier, the submittals have not all been identical so you  
17 can't exactly use everything as an exact precedent. So let me give you  
18 some examples of recently issued licensing actions.

19 The staff approved certified fuel handler training  
20 programs at Kewaunee and Crystal River and are currently reviewing  
21 the application for San Onofre. The staff issued an amendment for  
22 Kewaunee that supported an upcoming transfer of spent fuel from the  
23 spent fuel pool to dry cask storage.

24 The staff issued an exemption for Kewaunee related to  
25 the disbursement of the decommissioning trust funds. And the staff  
26 rescinded orders issued to Kewaunee and Crystal River following the

1 accident at Fukushima.

2 In addition as the staff performed it's technical review  
3 and asked questions of the licensee regarding proposed changes,  
4 some licensed actions or portions of licensing actions were found not to  
5 be necessary.

6 As a result, these actions have been removed from the  
7 amendment or exemption request or the request was withdrawn in its  
8 entirety. There has been a strong external interest in the exemption  
9 request particularly for emergency preparedness and security.

10 For the emergency preparedness exemptions, the  
11 exemptions still consider what is necessary to achieve the underlying  
12 purpose of the rule.

13 In the case with decommissioning, the exemptions are  
14 requested because the regulations do not provide an automatic way to  
15 reflect the reduced scope present in a decommissioned facility in  
16 comparison to an operating plant.

17 So exemptions are used to modify requirements to  
18 reflect what is necessary to be protective of the public considering a  
19 decommissioned state of the plant.

20 The next speaker, Mark Thaggard, will discuss the  
21 emergency preparedness and security exemptions in more detail. In  
22 the particular case with the emergency preparedness exemptions, the  
23 staff needs the Commission to approve the staff's proposal to grant the  
24 exemptions.

25 The staff has evaluated the Kewaunee emergency  
26 preparedness exemptions on their merits and sent a paper to the



1 Commission with their technical evaluation requesting that the  
2 Commission approve the staff's proposal to grant the exemptions.

3 Slide 15, please. I'd now like to discuss what  
4 improvements have been and could be made to the transition process.  
5 As you have heard already from the external panel and also from the  
6 EDO, the staff's introduced many internal coordination activities to  
7 improve the review process.

8 NRR has centralized the licensing activities into one  
9 program management branch in NRR and NRR and FSME jointly  
10 established an interoffice working group with affected offices to insure  
11 that the short and long term solutions to licensing and inspection  
12 challenges are developed and well-coordinated and also to enhance  
13 communications.

14 This working group makes recommendations for  
15 guidance development, interfaces with external stakeholders and  
16 organizations and has discussed the need for future rulemaking.

17 There was a proposed integrated nuclear power plant  
18 decommissioning rulemaking in the year 2000 that covered emergency  
19 preparedness, insurance, operator staffing and safeguards.

20 SECY-00-0145 described the rulemaking and it was  
21 returned to the staff without the Commission voting pending completion  
22 of a supporting technical analysis, which was published as  
23 NUREG-1738.

24 A subsequent SECY was provided to the Commission,  
25 SECY-01-0100, which provided options and recommendations.  
26 However in the light of the circumstances of 9/11, which happened that

1 year, the EDO at that time sent a memo to the Commission  
2 recommending withdrawal of SECY-01-0100.

3 As a result, the licensees continued to modify their  
4 plant licenses as they transition to decommissioning by using  
5 exemptions and amendments as you have heard from many of the  
6 panelists today.

7 The staff recognizes that the transitioning process  
8 could be improved by relying less on the exemption and licensing  
9 amendment process for changing the license to reflect the plant's  
10 decommissioning state.

11 Recognizing this, the staff has added a place holder on  
12 the Common Prioritization of Rulemaking list for a proposed integrated  
13 nuclear power plant decommissioning rulemaking. The proposed  
14 rulemaking screened as a medium priority.

15 However in the interim, the processing of the licensing  
16 actions for the lead plant has provided a clear roadmap for the other  
17 plants that will be submitting licensing actions for decommissioning as  
18 well as for the staff processing the licensing actions for the other plants  
19 in house.

20 The staff will use lessons learned from these initial  
21 transitions to further improve the process and identify efficiencies for  
22 staff and licensees. I'd now like to turn the presentation over to Mark  
23 Thaggard, who can discuss the emergency preparedness and security  
24 reviews in more detail.

25 MR. THAGGARD: Good morning, Chairman,  
26 Commissioners. Excuse me. As Louise pointed out, the Office of

1 Nuclear Security Incident Response role in review of decommissioning  
2 plants is to look at proposed changes to the licensee's security and  
3 emergency preparedness programs.

4 Can I have the next slide? Excuse me. When a  
5 nuclear power plant is operating under our regulations the licensee is  
6 required to have a security program to protect against threats up to and  
7 including the design basis threat.

8 This is to insure prevention of significant core damage  
9 and also to insure protection against radiological sabotage of the spent  
10 fuel pool. In the area of emergency preparedness we require that the  
11 licensee have both formal on-site and off-site emergency plans in  
12 place.

13 Once the fuel is removed into the, moved into the spent  
14 fuel pool, the scope of the required security can be reduced because  
15 there is not longer a need to prevent significant core damage.

16 However the licensee must continue to demonstrate a  
17 strategy to protect against radiological sabotage of the spent fuel pool.

18 And the threats that the licensee has to protect against  
19 for that spent fuel pool are the same as when the plant is operating.  
20 So the changes that we're looking at in the security area for  
21 decommissioning plants primarily reflect a reduction in the key  
22 components of the facility that need to be protected.

23 In the emergency preparedness area the, both the  
24 licensee and off-site state agencies have emergency plans, which they  
25 use to prepare for accidents at operating plants that could lead to  
26 off-site radiological impact.

1                   But once the fuel has been moved to the spent fuel  
2 pool, the risk is primarily associated with the spent fuel pool. And as  
3 I'm going to discuss later in my presentation, the scope of the  
4 emergency preparedness program can be reduced because there's a  
5 lower risk to the public at that point.

6                   However, the licensee must maintain a formal on-site  
7 emergency plan. Can I have Slide 18? Our regulations actually give  
8 licensees flexibility to make changes to their security program as the  
9 facility transitions from an operating to a decommissioning status.

10                  We received a number of requests for exemptions from  
11 the security requirements as well as license amendments. And there  
12 have been changes that the licensees have made to their security plan  
13 using under 50.54(p).

14                  In terms of the exemption requests, they cover a  
15 number of topics including reducing the security staff, combining the  
16 central alarm station and the secondary alarm station, removing  
17 requirements for suspending security measures during severe weather.

18                  These are just a few examples but as Louise pointed out, the  
19 staff has made significant progress in reviewing these various licensing  
20 activities.

21                  Our overall approach is to consider changes to the  
22 security program in an integrated fashion. As opposed to looking at  
23 things individually we look at it in an integrated fashion with a clear  
24 understanding of the overall protection strategy at the site, considering  
25 things such as scenario response time lines and equipment that may be  
26 needed for successful mitigation.

1 A full understanding of the changes in the security  
2 program is important to insure that whatever changes are being made,  
3 it's not going to affect the security that's needed at the site while it's  
4 going through decommissioning but also the ultimate end state of the  
5 site when it's, you know, when it's finished so we're looking at both of  
6 those.

7 Can I go on to Slide Number 19? The current  
8 emergency preparedness exemption requests that we're looking at  
9 including that for the Kewaunee station, are consistent with those that  
10 have been previously granted.

11 The staff assessment for the Kewaunee exemption  
12 request is in SECY-14-0066, which is currently before the Commission  
13 for consideration. The primary accident scenario that could lead to a  
14 significant radiological release, once the fuel has been off loaded would  
15 be a zirconium fire, which we're had a lot of discussion about.

16 And this would be associated with a beyond design  
17 basically event. But prior research is consistently concluded that the  
18 spent fuel pools are robust structures that are likely to withstand severe  
19 earthquakes and other credible challenges.

20 I'd just like to point out that if there is a loss of cooling in  
21 the spent fuel pool, it's expected to take several days to uncover the  
22 fuel, so we believe that this will give the licensee adequate time to take  
23 appropriate measures.

24 And if there's a leak in the pool, even if we don't  
25 account for the time to drain the pool, there still should be several hours  
26 available for the licensee to implement mitigative measures.

1           One key aspect of the staff assessment of the  
2 exemption request is to carefully consider how long the fuel has been in  
3 the pool and how long it would take for a zirconium fire to occur so that  
4 we can determine whether or not there will be sufficient time for the  
5 licensee to implement appropriate measures if it became necessary.

6           I should also point out that we are going to put as a  
7 license condition that the Licensee have mitigation strategies to be able  
8 to maintain cooling of the spent fuel pool, which is currently required  
9 under 50.54(hh)(2).

10           And in the unlikely situation where it becomes  
11 necessary, we think that there will be adequate time for the state and  
12 local governments to carry out off-site protective measures.

13           They have comprehensive emergency management  
14 plans to cover a number of different types of emergencies. And there's  
15 ample data to show that off-site response organizations can effectively  
16 carry out protective actions even evacuations for a wide range of  
17 severe events.

18           And at the time that the facility, at the time that we  
19 would grant the exemption, the risk associated with the facility would be  
20 significantly less than during operation.

21           So we believe that this will allow a smooth transition to  
22 reliance on the comprehensive emergency management plan. As I  
23 mentioned earlier, the licensee will be required to maintain an on-site  
24 emergency plan.

25           This will include having the ability to coordinate the  
26 response of on-site or off-site organizations, for example, firefighting or

1 getting medical assistance.

2 It would also include having the ability to classify the  
3 emergency and notify designated off-site authorities. Although at this  
4 stage we wouldn't expect the classification to be higher than the alert  
5 level.

6 If there is a release, we don't expect the off-site doses  
7 to exceed the Environmental Protection Agency Protective Action  
8 Guidelines.

9 The last thing I'd like to point out on this slide is that  
10 one key aspect of allowing the removal of the off-site emergency plans,  
11 we are counting on an effective security program being maintained at  
12 the site to prevent the radiological sabotage.

13 And as I noted earlier, you know, the staff is carefully  
14 reviewing any proposed changes to the security program to be sure that  
15 we maintain a high degree of confidence that there will be effective  
16 security at the site.

17 Can I have Slide 20? The Staff is developing interim  
18 Staff guidance for both security and emergency preparedness. These  
19 guidance documents are intended to allow more efficient and  
20 consistent reviews of future exemption requests.

21 The guidance documents are being developed  
22 concurrent with our licensing reviews. I will note that the Emergency  
23 Preparedness Interim Staff Guidance is further along.

24 It's being developed using past precedence from the  
25 prior decommissionings as well as insights from the current reviews.  
26 We published a draft of the document earlier this year and received

1 significant comments which we're currently working to address.

2 One of the common comments that we receive is that  
3 the off-site emergency planning should not be removed until all the  
4 spent fuel has either been put into dry cask storage or removed entirely  
5 from the site.

6 So our current plans are to finalize the Emergency  
7 Preparedness Interim Staff Guidance by the end of the year. The  
8 security Interim Staff Guidance is still in the early stages of  
9 development.

10 Given significant changes to our security requirements  
11 following 9/11 we're somewhat limited in terms of being able to rely on  
12 past precedence.

13 So this guidance document is being developed  
14 primarily based on the current insights that we're getting from the  
15 current reviews. We're going to use the same approach as we use for  
16 the Emergency Preparedness Interim Staff Guidance in terms of  
17 seeking public comments.

18 And our current plans are to publish a draft of the  
19 document by the end of the year. Thank you. I will now turn over the  
20 briefing to Mr. Robert Orlikowski. Bob is the Branch Chief in Region III  
21 with oversight responsibilities for decommissioning. He will discuss  
22 inspection activities.

23 MR. ORLIKOWSKI: Good morning, Chairman and  
24 Commissioners. I'm here to discuss the decommissioning inspection  
25 program. In Region III we have five reactor sites in various states of  
26 decommissioning.



1 Kewaunee is in a transitional phase going towards  
2 SAFSTOR. Zion is undergoing active decommissioning. Fermi 1 and  
3 Dresden 1 are both in SAFSTOR conditions. And La Crosse, is  
4 actively decommissioning, but is transitioning back to a SAFSTOR  
5 condition.

6 Next slide please. The decommissioning power  
7 reactor inspection program outlined in Inspection Manual 2561, is  
8 implemented following the certification date for removal of fuel from the  
9 reactor vessel and continues until the license is terminated.

10 Decommissioning activities may range from relative  
11 inactivity all the way to activities that are complex in nature and would  
12 require very specialized skills.

13 The inspection program provides the flexibility  
14 necessary for the NRC to ensure that the licensee activities,  
15 organizations and controls are effective to provide reasonable  
16 assurance that decommissioning can be conducted safely and in  
17 accordance with regulatory requirements.

18 The program also provides transparency through the  
19 issuance of publically available master inspection plans and inspection  
20 reports. Next slide please. The inspection program is made up of two  
21 major elements, core inspections and discretionary inspections.

22 The core inspections are required to be performed at a  
23 decommissioning site with some defined periodicity. Discretionary  
24 inspections would include initiative inspections or reactive inspections  
25 such as those for follow up on an event.

26 The core inspection requirements vary depending on

1 the amount of activity at the site. The inspection manual chapter  
2 outlines the requirements depending on whether the site is in a  
3 transitional phase, an active decommissioning state, in a SAFSTOR  
4 condition or whether the site's performing final status surveys to verify  
5 that radiological levels are below the limits for release.

6 If there's spent fuel store in the pools, an additional  
7 inspection activity is also required. There are 12 core inspection  
8 procedures listed in the manual chapter. And these inspections review  
9 areas such as operations, maintenance, radiation protection, effluent  
10 and environmental monitoring, security and spent fuel storage.

11 There is also an allowance to inform the core  
12 inspections with additional NRC inspection procedures such as those  
13 used for the reactor oversight process.

14 There is an effort underway to review, revise and  
15 improve the decommissioning inspection procedures. This is a  
16 collaborative effort between FSME and the regional decommissioning  
17 inspectors. Next slide please.

18 After a reactor shuts down, the NRC will typically keep  
19 a resident inspector on site for a period of about 6 to 12 months. If  
20 necessary, the program does allow it to keep a resident on-site for  
21 longer with the appropriate management approval.

22 At Kewaunee we used the site's work activity schedule  
23 to develop a master inspection plan and we kept a resident on site for  
24 approximately seven months.

25 Currently for Kewaunee and Zion, the two sites in  
26 Region III that have the most activity, we aim to send an inspector on

1 site for one week of inspection every month.

2 Our decommissioning inspectors maintain the same  
3 safety focus as our resident inspectors. Even though we may not put  
4 our boots on the ground every day, our inspectors routinely  
5 communicate with the sites to stay apprised of work activities.

6 Our inspectors will receive copies of all corrective  
7 action program documents generated. They also remain cognizant of  
8 license amendment requests, updated final safety analysis report  
9 changes and plant modifications.

10 Inspectors also continue to monitor safety culture at  
11 sites, which is especially important while a site is transitioning from an  
12 operating reactor to a decommissioning reactor.

13 Communications are a vital part of the inspector's job.  
14 Not only do they communicate routinely with the licensee but we also  
15 do outreach to external stakeholders. At SONGS, the lead  
16 decommissioning inspector, Greg Warnick, routinely meets with public  
17 interest groups to maintain an open line of communication.

18 In Region III, our lead inspector for Kewaunee, Rhex  
19 Edwards, our government liaison officer, Harral Logarus, recently met  
20 with local government officials to let them know what the NRC is doing  
21 for oversight at Kewaunee and to also answer their questions.

22 In summary, we do recognize the need to improve the  
23 inspection procedures and that effort is underway. But the  
24 decommissioning inspection program is well defined and provides  
25 appropriate guidance, flexibility and transparency.

26 Finally, the decommissioning inspectors remain

1 engaged and focused on safety. That concludes my remarks. And I'll  
2 turn things back over to Mark.

3 MR. SATORIUS: Thanks, Bob. And thanks for your  
4 presentation and thanks for the presentation of all the panel members.  
5 With that, we're ready for your questions.

6 CHAIRMAN MACFARLANE: Great. Thank you very  
7 much. Commissioner Svinicki.

8 COMMISSIONER SVINICKI: Well, thank you for your  
9 presentation. I'll begin with the topic of the proposed integrated  
10 rulemaking.

11 And, Mark, I'll start with you, I mean, this is basic,  
12 classic management decisionmaking of saying, well, we can proceed  
13 as we're doing now and as we have in the past or depending on what  
14 we might predict about the future, we might decide that a use of  
15 resources to do this integrated rulemaking is new and higher than it was  
16 previously.

17 Now Louise mentioned something that I was aware of  
18 is that the staff has evaluated the integrated rulemaking. It screened  
19 out as a medium and for those unfamiliar with, well, unfamiliar with the  
20 NRC maybe.

21 NRC, when it's going to look at something, it has a  
22 highly sophisticated analytical basis for looking at it. So if you've never  
23 looked at how we prioritize rulemakings, we have an algorithm. We  
24 have factors.

25 We weight those factors. And if I'm describing this at  
26 all accurately you develop a score for each proposed activity and then

1 it's going to bin out based on that score, so it came out as medium as I  
2 understand Louise's presentation.

3 So but, you know, there's other factors here obviously.  
4 If the Commission were to decide that something were a high priority it  
5 would be a high priority.

6 And although it's not appropriate for us to be in the  
7 business of wagering or, you know, trying to figure out what will happen  
8 with premature shutdowns in the future or any kind of shutdowns that  
9 might come in a surge.

10 At the end of the day we need the expertise, the same  
11 expertise to contribute their expertise to the rulemaking as is very busy  
12 right now for the reactors we have.

13 So that's why I say it's that classic management thing  
14 of saying do I want to try to get ahead of the curve or am I running so  
15 fast in place right now that I can't spare it.

16 And as we heard from the previous panel, the four  
17 underway right now, I wasn't really thinking about Oyster, which is  
18 Oyster Creek's out there a little bit in the future, probably isn't worth  
19 doing a rulemaking for one.

20 But then again there's a lot of speculation about what  
21 might happen. Now curiously enough, Mr. Executive Director for  
22 Operations, you and our Chief Financial Officer have recently initiated  
23 an effort to try to look at how the agency has previously planned and  
24 resourced for these point estimates of the future.

25 And we're trying to, in a team that you've asked to be  
26 led by your Deputy who you've assigned temporarily but full time to lead

1 an effort of how we could plan more agile strategies for looking at the  
2 future.

3 This may be a classic example of the type of thing that  
4 Project AIM is thinking about, this and other emblematic things like this  
5 in the past. So, you know, how will the staff, I know you don't have a  
6 recommendation on this, but how would the staff approach thinking  
7 about maybe making this a higher priority?

8 MR. SATORIUS: Well, that's a very provocative  
9 question and it's interesting --

10 COMMISSIONER SVINICKI: Why, thank you.

11 MR. SATORIUS: And I was thinking about that very  
12 matter as I was listening to the previous panel where I think one of the  
13 panel members had an opinion that what you put together back in 2000,  
14 the proposed rule that the EDO pulled back because of 9/11 --

15 COMMISSIONER SVINICKI: I had a question for  
16 Louise on it. It says, what if Staff assesses the relative staleness of  
17 that analysis.

18 MR. SATORIUS: That's exactly where I was going.  
19 Because I think the previous panel member stated that what you had  
20 there was just perfect, you know, just take that thing and run with it.

21 Well, we've got 13 or 14 years of some more  
22 experience. We're gaining the experience of these four prematurely  
23 shut down plants right now that are transitioning into decommission. I  
24 would think we would have to look at it.

25 Well, we'd have to put it back in the rulemaking  
26 process. And then we'd have to decide to build on what we already

1 have and move forward. We still need to do public outreach because  
2 that's 13 years ago. So there's a lot --

3 COMMISSIONER SVINICKI: And we also heard from  
4 the previous panel that they think that would be very valuable right now  
5 is to engage probably build some education but also have some inputs  
6 to any rulemaking processes.

7 MR. SATORIUS: Well, I'm kind of a process person.  
8 I think we're going to have to stick with our rulemaking process. We've  
9 done a good job I think in assessing its prioritization. It is what it is.

10 And I think we would also benefit from maybe the  
11 insights of Project Aim's completion here in five or so months or at least  
12 that piece of Project Aim.

13 Once we get the SRM that tells us what the charter is  
14 exactly.

15 COMMISSIONER SVINICKI: Yes.

16 MR. SATORIUS: But --

17 COMMISSIONER SVINICKI: But this is the type of  
18 thing that the Project Aim outcome should look to inform --

19 MR. SATORIUS: Sure.

20 COMMISSIONER SVINICKI: -- situations just like  
21 that.

22 MR. SATORIUS: Absolutely.

23 COMMISSIONER SVINICKI: Also, I know from  
24 previous information from the staff that we do need, this may not be  
25 obvious.

26 It wasn't obvious to me until I was reading some staff

1 input that we really need NRR expertise as we're looking at these  
2 exemption requests because foundationally what you're doing is you're  
3 taking something that for an operating reactor we certainly insist upon  
4 in saying is this or isn't this appropriate in terms of the stage of  
5 decommissioning.

6 So I had a couple of questions about that. One was  
7 about another interesting thought from the previous panel of every time  
8 we do rulemaking related to Part 50, we ought to have as part of our  
9 process that we've checked a box to make sure that we've kind of  
10 baked in some adaptability for a decommissioning reactor.

11 You heard me express, I did not have a rejection but  
12 some skepticism about that that might be very difficult to do because we  
13 also heard from that same panel and from some of the staff presenters  
14 is that a decommissioning site all you need to do is go to a site that's  
15 undergoing active decommissioning. It's extremely dynamic.

16 MR. SATORIUS: It is.

17 COMMISSIONER SVINICKI: You can visit one  
18 month and six months later you could see certainly a hazard --

19 MR. SATORIUS: Parts of the plant are gone.

20 COMMISSIONER SVINICKI: Yes. Parts of it are  
21 gone. And the hazard is eliminated. New hazards are created  
22 certainly occupational and radiological hazards are created as new  
23 areas are accessible.

24 You almost have to resafety-train people week to week  
25 because the hazard is changing so quickly on the site. But, you know,  
26 I don't know if anyone with a sophisticated rulemaking expertise would



1 want to talk about that.

2 You know, is there some way to be -- this is separate  
3 from the integrated rulemaking, but can we on a going-forward basis be  
4 baking that into Part 50? I'm not sure.

5 MR. SATORIUS: It would be difficult. I'd maybe ask  
6 Louise if she would -- but I want to do -- your point that every month  
7 something different is usually happening in decommissioning.

8 You can talk to Bob Orlikowski. You know, their  
9 focusing now on cask campaigns. So they're focusing on moving fuel  
10 out of the spent fuel pool.

11 So there's limited operations of dismantlement. So  
12 you'll get these surges in certain portions where the dismantlement is  
13 surged back and fuel handling has surged. And then we'll change after  
14 the fuel handling is --

15 COMMISSIONER SVINICKI: Well, we'll say the most  
16 extensively I had to dress out ever for a tour was at Zion because the  
17 decommissioning, you know, you've got accessibility to parts of the  
18 plant previously inaccessible.

19 It depends on, well, they use that term rip and ship --

20 MR. SATORIUS: Yes.

21 COMMISSIONER SVINICKI: -- which maybe isn't the  
22 greatest, most sophisticated term.

23 MR. SATORIUS: Yes.

24 COMMISSIONER SVINICKI: But, you know, when  
25 you're in a rapid dismantlement phase you have a lot of materials --

26 MR. SATORIUS: Air born material.

1                   COMMISSIONER SVINICKI: -- Yes. And things like  
2 that. So you really have to be conscious of that. But that would seem  
3 to me separate and aside from the integrated rulemaking if there were a  
4 way to improve our process that allowed us to at least as we undertake  
5 changes to part 50 to consider this.

6                   Again, I don't -- I'm just being skeptical because I think  
7 it's complicated. I'm not against it. I mean, you know, we need to be  
8 walking and chewing gum at the same time, so if we can be improving  
9 this because I appreciated that I believe it was Mr. Anderson said, you  
10 know, whether or not you have premature shutdowns, your going to  
11 have eventual shutdowns of a lot of reactors in the United States  
12 because we have more operating reactors than any other country.

13                   And just as a final note I wanted to give the staff an  
14 opportunity to respond to Mr. Stoddard from Dominion who had said  
15 that in their experience as they have exemptions before the agency,  
16 now this was what his slide said, precedent has been inconsistently  
17 applied. Now I think that what I heard from the staff's prepared  
18 presentation is that's because some circumstances has changed.  
19 Security and EP were used as an example of that.

20                   But this notion also, the discussion was, well, we were  
21 told -- we thought we didn't need an exemption request. Then we  
22 engaged the NRC staff. We were told we did need one.

23                   We submitted it and then we were told we didn't need  
24 to and it was withdrawn. Would you like to react to that anecdote?

25                   MS. LUND: Yes. Absolutely. And, you know, if you  
26 look at some of the items on that list at, like, for instance, cyber security,

1 you know, back when we did Zion. You know that wasn't a pressing  
2 issue.

3 There have been various issues that we've worked  
4 through and, you know, I think the importance is really the good  
5 communication between us and the licensee.

6 You know, at the outset, you know, and obviously  
7 somebody has to be the first after a long period of not having any  
8 decommissioning activities in front of us. You know, I think our  
9 objective was to try to make sure that we did have a very predictable  
10 process and work through those.

11 But there were changes and we tried to address those.  
12 And some of the concerns ended up in that bin. And some things did  
13 get withdrawn. Some things we did have to work through the specifics  
14 of.

15 COMMISSIONER SVINICKI: I appreciate that. As  
16 he described that I found myself wondering, you know, is this because  
17 Kewaunee has agreed to be kind of the pacer for some of these other  
18 things.

19 And the other thought I had was if I'm sitting here next  
20 to year and, you know, SONGS says the same thing then that may be  
21 when we have some different questions to ask.

22 MS. LUND: Right. And I'm very pleased to say that,  
23 you know, I think there's been tremendous communication amongst the  
24 licensees that are the four, you know, that are in this process together  
25 to learn from. And also to, to the extent possible, I think some of them  
26 have waited to submit something in order to see, you know, what RAIs

1 we send out, you know, in order to figure out how to best streamline,  
2 you know, what the process is at that point.

3 That obviously is optimum. I also wanted to make a  
4 comment about the rulemaking part too. You know, there's a  
5 challenge in doing the interim staff guidance also at the same time that  
6 you're doing the reviews.

7 You know, right now for the emergency preparedness  
8 that's something that you're doing in tandem. And, you know, for the  
9 security we're getting that where the reviews are happening just a little  
10 ahead of the ISG.

11 But I think, you know, when you talk about the  
12 rulemaking, you're talking about scope and you're also talking about  
13 timing.

14 And obviously to the extent that we have some of this  
15 in place, obviously we're better set up for a regulatory basis for  
16 whatever the rule ends up ending up looking like because I don't think it  
17 is a matter of just dusting off the old rule and putting it into place.

18 I think there are, from what I have understood from the  
19 staff that worked on the previous rulemaking, that there was a lot of  
20 area of commonality and that what's the previous rule was focusing on.

21 Obviously, you know, you never get to a point where  
22 everything is 100% the same. So, you know, that in the end result,  
23 even if we've got a very, very good rule, we may end up having an  
24 exemption here, exemption there. You know, I mean, it --

25 COMMISSIONER SVINICKI: Exemptions to our new  
26 rule to avoid having exemptions. That will be --

1 MS. LUND: But --

2 COMMISSIONER SVINICKI: But I'm with you. I  
3 don't take it off the table.

4 MS. LUND: But the objective is certainly to make it as  
5 widely applicable as possible. I just want to throw that out there.

6 COMMISSIONER SVINICKI: Okay. Thank you.  
7 Thank you, Chairman.

8 CHAIRMAN MACFARLANE: Okay. Commissioner  
9 Magwood.

10 COMMISSIONER MAGWOOD: Thank you,  
11 Chairman. And, you know, I appreciate the staff's presentations today.  
12 Welcome to Bob. I saw you last week in Region III. And they warned  
13 me you'd be here. Appreciate your presentation today.

14 Commissioner Svinicki covered a lot of the ground  
15 from the previous panel but one issue that was, a couple issues that  
16 weren't, that she didn't cover I want to try to touch base quickly.

17 One was the comment from Mr. Recchia from Vermont  
18 about the blanket EP exemption. You didn't quite address that. You  
19 laid out the rationale for why we take the approach we take.

20 But I think his thought was why not have come to  
21 phase approach as opposed to just, you know, ending the EP planning  
22 requirements up front. Can you react to that?

23 MR. THAGGARD: Yes. First of all I think one thing  
24 is that it doesn't happen all at once. I mean, you know, there is a delay  
25 in the fact that it takes a while before you can actually allow the  
26 exemption to take place.

1 Like in the case of Kewaunee you're talking about 17  
2 months. But I think Mr. Andersen kind of touched upon the fact that,  
3 you know, what we align is actually the exemptions from the  
4 requirements they have no longer needed.

5 There's still a lot of requirements that still that's going to  
6 be in place. But the things that we're eliminating are things like some  
7 of the early warning systems that you need for addressing like a  
8 catastrophic type of emergency, which you're not going to have in this  
9 case.

10 Things such as sirens or the emergency drills and stuff  
11 of that nature that you have to really prepare to take immediate action,  
12 those are the provisions of the regulation that we are allowing  
13 exemptions on. They're not longer going to be needed in this case.  
14 And so I think Mr. Andersen I think kind of touched upon that.

15 COMMISSIONER MAGWOOD: One thing that  
16 occurs to me about this is we've now integrated the hostile action  
17 element to the emergency preparedness. And one can certainly  
18 imagine a scenario where a plant that still has fuel in the spent fuel pool,  
19 you know, could undergo some kind of aggressor or assault.

20 And we would expect that the licensee would  
21 coordinate with off-site resources to react to that. But if off-site  
22 planning has been terminated, what's the framework to do that now?  
23 What -- how do you -- how does that transition?

24 MR. THAGGARD: Well, the licensee still has to have  
25 the ability to communicate with the off-site. So they could still get local  
26 law enforcement to come in if they need it.

1                   But there's going to be, as I mentioned before, there's  
2 going to be a security force remaining at the site.

3                   The basis behind the hostile action based exercise  
4 requirement is primarily so that you, the licensee is in a position to be  
5 able to carry out the things that they need to shut the plant down while  
6 dealing with a hostile action.

7                   So that situation is not going to happen in the case of  
8 a -- when you no longer have a reactor there.

9                   And so that's one of the reasons that we allow that  
10 exemption is because the theory behind it is that the licensee needs to  
11 be able to demonstrate to us that if somebody got onto the site and they  
12 were trying to address dealing with that type of situation, they can also  
13 carry out what they need to be able to safely shut down the plant.

14                  In terms of, you know, being able to deal with, like, a  
15 hostile action situation, they still have to have their regular security  
16 force on the site to protect the spent fuel pool if they get into the  
17 situation where it becomes beyond what they're capable of, they still  
18 have the ability to be able to contact local law enforcement.

19                  COMMISSIONER MAGWOOD: Yes. But, I mean,  
20 the whole point of integrating this through the EP exercises was to  
21 enable the off-site resources to engage in coordination with the security  
22 force on site in an environment where you might have a potential for  
23 offsite releases, and you still have that potential, right?

24                  MR. THAGGARD: Well, we're not anticipating having  
25 releases such that you, I mean, the releases that we will be looking at  
26 for offsite, you know, there would be nominal doses.

1                   So, but as I indicated, the licensee still has the ability to  
2 interface with local law enforcement and we would encourage them to  
3 invite the local law enforcement to participate in the exercises that  
4 they're still going to have to have onsite.

5                   COMMISSIONER MAGWOOD: I think you're a  
6 lifeline here.

7                   MR. WIGGINS: Yeah, Jim Wiggins. I'm the Director  
8 of NSIR, Nuclear Security Incident Response. Let's draw out the both  
9 of these things together.

10                  When you get to a decommission facilities as Mark has  
11 said several times you really have your concerns all centered around a  
12 spent field pool, both for safety and security. So there is a legitimate  
13 reduction in security that is related to the reduction in the footprint.

14                  That being said, you still have to maintain with high  
15 assurance the security of the pool. Simply said, you've got to protect  
16 all six sides of the structure. So, that will still remain.

17                  There's elements of the security program that remain  
18 that have the external interface. When he talks about local law  
19 enforcement, there's liaison activities, there's ability to call in law  
20 enforcement or to engage the rest of the government to come in to deal  
21 with what's happening at the facility.

22                  From an emergency preparedness point of view on  
23 this, I think it's important to make a distinction of what's happened. As  
24 Mark has said, we are not significantly relaxing, if at all, what's  
25 happening onsite.

26                  Licensees are still required to have a suitable onsite



1 emergency plan to match the risks provided by the pool.

2 The high assurance we have in security with regard to  
3 that pool puts a cap in terms of how bad you have to be thinking when  
4 you're planning this.

5 We're counting on security to essentially null out the  
6 security insult to the pool. We think we can do that. Well, we know  
7 we can.

8 In an EP, it's a subtlety in the language that's  
9 important. What the rule says currently in Part 50, EP Rules either  
10 50.47 or Appendix E, it says, currently we hold the licensee  
11 accountable for the existence and adequacy of offsite plans that are the  
12 part of the state and locals to develop. We use FEMA's input for that,  
13 typically. We use FEMA input for that assessment.

14 We are relaxing that specific piece of the requirement.  
15 We're relaxing an accountability of the site licensee for the state of  
16 affairs in an EP offsite. It doesn't mean that EP vanished. It doesn't  
17 vanish.

18 If there weren't a nuclear power plant there at all, the  
19 states and locals would have to have E Plans. And they do. They  
20 have plans to deal with a lot of disasters.

21 You look in the news. You see railroad accidents and  
22 evacuations because of derailments or things like that. Those things  
23 don't happen ad hoc. They're planned.

24 We're just exempting the hard, the current hard  
25 connection between the state of affairs offsite and the operations of  
26 solely on-sight.

1                   COMMISSIONER MAGWOOD: I appreciate that. I  
2 would make the observation that many state and local jurisdictions use  
3 the radiological emergency preparedness infrastructure --

4                   MR. WIGGINS: Yes.

5                   COMMISSIONER MAGWOOD: -- to respond to a  
6 wide range of incidents.

7                   MR. WIGGINS: Yes.

8                   COMMISSIONER MAGWOOD: Which would no  
9 longer exist once this --

10                  MR. WIGGINS: Not necessarily. They don't vanish  
11 instantaneously. You would have to presume that the plans  
12 evaporated and they don't. The planning offsite doesn't  
13 instantaneously go away. It's still there.

14                  If you're looking at a transition process, you know, they  
15 work on it continuously. They exercise it every two years. There's  
16 still elements of the plan.

17                  Even if it were the case that the licensee doesn't have  
18 a plan separate from the radiological emergency preparedness plan,  
19 that plan is still available. You can question whether it's being  
20 maintained --

21                  COMMISSIONER MAGWOOD: Mm-hmm.

22                  MR. WIGGINS: -- okay, or you can certainly see  
23 whether it is being exercised and things like that. But there is a  
24 framework that there would be the ability to transition to what we're  
25 terming a more comprehensive plan offsite. And that's the transition  
26 we're anticipating.

1 COMMISSIONER MAGWOOD: Probably worthy of  
2 further conversation, but appreciate your intervention, Jim.

3 With the last minute I have, one other issue that was  
4 raised was this issue about merchant plants. You don't have financial  
5 staff at the table, but can you give us some thoughts, or if there's  
6 someone who can react to some of the concerns that were raised, in  
7 the next 45 seconds?

8 MR. DUSANIWSKYJ: There is financial staff. My  
9 name is Michael Dusaniwskyj. I'm with, I am economist in the  
10 Financial Qualifications and International Projects Branch.

11 I think, Commissioner, the only way to really answer  
12 that question is to remember that all the licensees that we currently  
13 have in the fleet were originally licensed to utilities. Utilities have a  
14 certain unique financial qualifications and unique financial resources  
15 that are available to utilities.

16 Those plants that were transferred to a merchant  
17 basically took on the additional risk and/or credit in order to try to take  
18 advantage of a market where the spot price of electricity would be  
19 higher than what would be achieved by a utility.

20 However, the economy has changed in such in a  
21 manner that a lot of these merchant plants are currently suffering what I  
22 would have to call a little bit of financial distress. Whether or not that  
23 will force them to decommission prematurely is really up to time.

24 As far as the risks associated with them, so far, as far  
25 as the decommissioning funding assurance program is concerned, all  
26 100 nuclear power plants currently in operations have achieved

1 decommissioning funding assurance.

2 That process continues not only while they are in  
3 operations through a biannual decommissioning funding report, but  
4 once they go into decommissioning, the decommissioning funds are  
5 again looked at on an annual basis to make sure that there are no  
6 obvious problems that would curtail the possibility of fulfilling the  
7 decommissioning requirements required by the NRC.

8 COMMISSIONER MAGWOOD: Chairman, just as a  
9 follow up to that, just very quickly. One comment that was made in a  
10 previous panel was that the D & D, the decommissioning outcome  
11 which, you know, do you go to SAFSTOR or do you just go to  
12 decommissioning, depend, the concern was that would actually depend  
13 on the ability of a merchant operator to fund particularly the D & D  
14 activity.

15 That was a bit different from my understanding about  
16 how this works. I wanted you to react to that.

17 MR. DUSANIWSKYJ: The only problem with that  
18 type of a question is that literally it has to be done on a case by case  
19 basis, since there are so many possibilities of what a licensee may  
20 choose to do as far as their decommissioning plan.

21 The key document, of course, would be the PSDAR,  
22 which I know we're trying not to use, Post Shutdown Decommission  
23 Activities Report is a key document that really tells the story quite well  
24 whether or not there is reasonable assurance to make sure that there is  
25 sufficient funding to do the activities that are required in the regulations,  
26 including the possibility, but not necessarily exclusively the only way to

1 do it, to take care of things like spent fuel management.

2 The basic reason for that is that in the regulations  
3 under 10 CFR 50.75 for decommissioning funding assurance, the  
4 licensee is required to put away funds, hard cash of some sort, into a  
5 trust. 10 CFR 50.54(bb), which regulates spent fuel management,  
6 requires only that a financial plan be put into place.

7 Usually, that would be executed once they have  
8 submitted the PSDAR, which would then require the staff to check  
9 whether or not there is reasonable assurance to primarily make sure  
10 that the decommissioning activities required by the NRC can be funded.

11 And if, and only if, there are excess funds above and  
12 beyond that, can we acknowledge to the licensee, yes, your plan for  
13 using excess funds for spent fuel management is reasonable.

14 COMMISSIONER MAGWOOD: Okay, I appreciate  
15 that. Thank you, Chairman, thank you.

16 CHAIRMAN MACFARLANE: Thanks. I appreciate  
17 you going forward with that, because that was one of my questions.  
18 So, thanks, Mike.

19 Okay, I have a bunch of questions, so let's see. So,  
20 just going back to Commissioner Svinicki's first question about  
21 rulemaking.

22 You know, the discussion today, especially with the  
23 external panel, it seems we're not in such a great place and I  
24 understand now with your discussion with Commissioner Svinicki that,  
25 you know, there's this process to how you prioritize rulemaking, et  
26 cetera.

1                   But, you know, in 2000 or 2001, whenever it was when  
2 the staff pulled the previous rulemaking, you know, we still need this  
3 piece. And it's easy again to put this on to the back burner. It's the  
4 back end of a fuel cycle. It doesn't happen that much. It's not really  
5 going to be such a big safety or, you know, security significance issue.

6                   We, you know, it seems that the process is set up to  
7 constantly put this off. So, that tells me that maybe the process is not  
8 so healthy in terms of this particular situation.

9                   Maybe the process doesn't really address all possible  
10 situations in terms of thinking about rulemaking. And, so, I would like  
11 to re-enforce Commissioner Svinicki's comment that Project Aim is an  
12 appropriate place to consider this and I do hope that you think about  
13 this carefully.

14                   I think we need to do rulemaking. I think it's 2014,  
15 we're halfway through it, these reactors have been operating for more  
16 than four decades.

17                   What are we doing? Why don't we have a process,  
18 you know, that's clear? Because clearly, there's a lot of confusion and  
19 it's not just on the public's part. It's on the licensee's part. We don't  
20 have a tenable situation here, I would say.

21                   So, other questions. Drew, so the PSDAR, the  
22 decommissioning report let's call it for short. Why does the staff even  
23 bother to review it, because we don't approve it? And, so, if we don't  
24 like it, what do we do?

25                   MR. PERSINKO: We look at it to see that it meets the  
26 requirements of the regulation. It's supposed to contain certain

1 amounts of certain information. Talk about the decommissioning  
2 process that the licensee has planned, the plans, the schedules.

3 It also talks about environmental, to make sure that the  
4 environmental report, the environmental assessment that's in place  
5 envelopes the decommissioning activities. And it also includes the  
6 decommissioning, the site specific decommissioning cost estimates.

7 So, I mean, it has a function, but we review it to see  
8 that it meets the regulations, that sufficient information has been  
9 provided. We have a, it's a Reg Guide, I believe, that talks about what  
10 should be in a PSDAR.

11 So, the purpose is primarily to, excuse me, to inform  
12 the stakeholders about the plans of the licensee. It was put into effect  
13 back in 1996, when this PSDAR license termination plan approach was  
14 put into place.

15 Prior to that, there was a rule in place, put into place in  
16 1988, that did require submittal of a decommissioning plan and that the  
17 NRC would approve the decommissioning plan.

18 But it was found that many of the activities that were  
19 done in decommissioning really don't need, it was felt they really don't  
20 need staff approval. A lot of these kind of activities really could be  
21 done even under an operating plan under 50.59.

22 So, the rule was changed to not require to the PSDAR  
23 license termination plan approach without approval from the NRC of the  
24 PSDAR.

25 CHAIRMAN MACFARLANE: Does the PSDAR  
26 include a plan for managing spent fuel?

1 MR. PERSINKO: That comes in a separate, I think it's  
2 a spent fuel management plan, not the PSDAR.

3 CHAIRMAN MACFARLANE: Okay. And, so, if the  
4 licensee deviates from its PSDAR in what we might think is not a good  
5 direction, we just sit there and not say anything?

6 MR. SATORIUS: If they're not in compliance with our  
7 regulations, we can use the enforcement process to cite them.

8 CHAIRMAN MACFARLANE: Okay.

9 MR. SATORIUS: And they have to respond to that  
10 violation and propose corrective actions.

11 MR. PERSINKO: They would revise their PSDAR if  
12 they plan to do something different than what they previously told us.

13 CHAIRMAN MACFARLANE: Okay. But they have  
14 to formally revise it?

15 MR. PERSINKO: Yes.

16 CHAIRMAN MACFARLANE: Okay. Do you look at  
17 what other countries are doing? What, how do other countries  
18 manage, you know, the decommissioning of power plants?

19 We're certainly not the first ones or the only ones to  
20 have ever decommissioned power plants. The Germans are going  
21 great guns, I imagine, decommissioning power plants. So, how do we  
22 differ?

23 MR. PERSINKO: One thing, from my understanding,  
24 is that our, I mean, if you look at the current rule in 50.82, it's what I  
25 would call, it's a very performance-based rule. It specifies the outcome  
26 that we desire, certain clean up levels.



1 CHAIRMAN MACFARLANE: Mm-hmm.

2 MR. PERSINKO: And it doesn't specify many of the  
3 intermediate points. It's my understanding though that foreign, other  
4 countries, have a more prescriptive approach to decommissioning and  
5 that the intermediate steps actually need approval. That's my  
6 understanding.

7 CHAIRMAN MACFARLANE: Okay. In terms of, let's  
8 be more specific, in terms of emergency planning, emergency  
9 preparedness. Do other countries do what we do, which is allow the  
10 offsite plan to go away after a certain time?

11 MR. THAGGARD: That I don't know. Do you know,  
12 Bob?

13 MR. LEWIS: Good morning. I'm Robert Lewis, the  
14 Director of the Division of Preparedness and Response in NSIR. We  
15 participate mainly through the International Atomic Energy Agency and  
16 the Nuclear Energy Agency, with our international partners on  
17 emergency planning activities.

18 In essence, we all follow the basic standard. The  
19 IAEA issues a standard on emergency planning. We don't identically  
20 follow it, but we are reviewed against it and we're compatible.

21 CHAIRMAN MACFARLANE: Mm-hmm.

22 MR. LEWIS: We've recently had an integrated  
23 regulatory review service mission.

24 CHAIRMAN MACFARLANE: Right.

25 MR. LEWIS: We found we were compatible.

26 CHAIRMAN MACFARLANE: But that was for

1 operating plants. What about decommissioning plants?

2 MR. LEWIS: For operating, our review was specific  
3 for operating plants.

4 CHAIRMAN MACFARLANE: Right.

5 MR. LEWIS: In general, internationally, other  
6 countries have planning offsite for more than operating power plants.  
7 So, when they transition to decommissioning, they would keep a lot of  
8 the planning requirements offsite.

9 And in the materials program, they have offsite  
10 planning as well, that we think we have a commensurate program and  
11 safety through what we do in terms of comprehensive emergency  
12 planning, but we don't have a formal program for materials licensees or  
13 decommissioning licensees ISFSIs.

14 CHAIRMAN MACFARLANE: Okay. I just want to  
15 understand if we're an outlier or not. It would be good to actually get  
16 some specific data on other countries and what they do --

17 MR. LEWIS: Certainly. We can provide that.

18 CHAIRMAN MACFARLANE: -- just to benchmark  
19 ourselves.

20 MR. LEWIS: There was a recent meeting at IAEA  
21 where several countries presented their programs.

22 CHAIRMAN MACFARLANE: Okay, great. Thank  
23 you. All right, let's move on to the SAFSTOR issue.

24 So, we talked about that a little bit with the external  
25 panel. And in thinking about radiological doses to workers, you know,  
26 Mr. Andersen from NEI said maybe we should be rethinking or revisiting

1 numbers that have been calculated, that were calculated a long time  
2 ago which are the basis of the SAFSTOR regulation. What's your view  
3 on that?

4 MR. SATORIUS: We'd have to look at it and I'd want  
5 to know a little bit more, because I don't know a lot right now, Chairman,  
6 to understand when the assessment was performed and what some of  
7 the bases were and assumptions that went in on that.

8 But I would want maybe staff to pursue that. That's  
9 what, that would be my piece. I hear the report was made in the 90's  
10 so that's probably got --

11 CHAIRMAN MACFARLANE: Why don't you get up  
12 there? I'm sort of playing telephone here.

13 MR. WATSON: Bruce Watson. I'm the Chief of the  
14 Reactor Decommissioning Branch in FSME. Most of the studies were  
15 done as part of the decommissioning planning rule and developing it  
16 and why it was good for, you could do 60 years and other things.

17 It was also supplemented for license extension. So,  
18 there was another look at it later.

19 The key foot point I would point out is that, you know,  
20 the cobalt-60 still decays at 5.26 years. It is the half life. So, it really  
21 hasn't changed.

22 CHAIRMAN MACFARLANE: The laws of physics  
23 haven't changed.

24 MR. WATSON: Yeah. So, I'm just saying it's, you  
25 know, physically and scientifically it hasn't changed. So, the dose  
26 rates do go down significantly over time.

1 CHAIRMAN MACFARLANE: Right. I guess what  
2 I've been wondering is if some of the practices in the decommissioning  
3 practices at plants have changed over time since that first set were  
4 decommissioned, you know, 20 years ago.

5 MR. WATSON: I would say that the dismantling  
6 techniques have improved dramatically.

7 CHAIRMAN MACFARLANE: Mm-hmm.

8 MR. WATSON: I think at Maine Yankee they used,  
9 and some of the other ones used, a slurry of grit blasting for cutting  
10 metal under water. That's now a mechanical process that's done  
11 under water. It's what's being done at Zion.

12 CHAIRMAN MACFARLANE: Mm-hmm.

13 MR. WATSON: All these contribute to lowering dose.

14 CHAIRMAN MACFARLANE: Right.

15 MR. WATSON: It doesn't contribute to the  
16 minimization of waste, but it does --

17 CHAIRMAN MACFARLANE: Lower the dose. No --  
18 (Simultaneous speaking)

19 CHAIRMAN MACFARLANE: So, that makes me think  
20 maybe we should be thinking of rethinking these SAFSTOR numbers.

21 MR. WATSON: Well, I would think that --

22 CHAIRMAN MACFARLANE: If they are truly based  
23 on, you know, protecting workers.

24 MR. SATORIUS: I think there's other aspects that  
25 allowing material to decay --

26 CHAIRMAN MACFARLANE: Right.

1 MR SATORIUS: helps, too, because it reduces  
2 expenses for getting rid of material.

3 CHAIRMAN MACFARLANE: Yeah, I'd really be  
4 interested in actual total volumes.

5 MR. SATORIUS: Correct.

6 CHAIRMAN MACFARLANE: And seeing those  
7 numbers. So, I'd be interested in revisiting this a bit. Learning more  
8 about it, so, we can visit about this more.

9 Let me stop and see if anybody else has further  
10 questions. No. I have one more question, or set of questions about  
11 the spent fuel pools. You thought you were going to get away without  
12 that, didn't you? Yeah, well, sorry.

13 Okay, so let's talk about, I hate these numbers,  
14 NUREG-1738, the technical study of spent fuel pool accident risk at  
15 decommissioning nuclear power plants, which has been used to look at  
16 these EP exemptions requests.

17 So, this study was done before 9/11. It was done  
18 before Fukushima. It was done before a number of important events.  
19 In light of that, isn't it necessary now to update this study?

20 MR. THAGGARD: Well, I think, I don't know that the  
21 fact that it was done before 9/11 really plays a lot into it, because it was  
22 a generic assessment and they didn't really consider security aspects,  
23 so.

24 CHAIRMAN MACFARLANE: Well, that's the whole  
25 point, isn't it?

26 MR. THAGGARD: Well, I'm not so sure if they

1 updated it today that they would consider security even today.

2 Typically, from my understanding, most of the spent  
3 fuel studies, they usually don't look at that because there's so many  
4 variables associated with that. And that's one of the reasons that we  
5 don't discount the fact that you still need to maintain security at the site,  
6 simply because it hasn't been --

7 CHAIRMAN MACFARLANE: Right. But, you know, I  
8 know that you're confident that the security prevent attacks and maybe  
9 it'll prevent many, but it may not prevent all. There are some that, you  
10 know, that we just, are just beyond the capability of a security force to  
11 prevent.

12 MS. UHLE: This is Jennifer Uhle. I'm the Deputy  
13 Director of the Office of Nuclear Reactor Regulation and if we go back  
14 to the specific question of whether we need to update NUREG-1738, in  
15 essence we have in the spent fuel pool study that was done by the  
16 Office of Research and we had a previous Commission meeting on that

17 NUREG-1738 has, and as indicated in the document, it  
18 does have a lot of conservative assumptions. It was done to do a  
19 simplified study to determine if emergency planning and also  
20 insurances could be reduced in the decommissioning phase.

21 And so, you know, the overall conclusion from the  
22 staff's review was, yes, they can be although the licensees themselves  
23 have to justify that.

24 And, in fact, if we look at, say, what Kewaunee had  
25 done, is their fuel has been in the pool for quite a while, since, excuse  
26 me, since they had been shut down. When they look at reducing their

1 proposed EP, that it would have been in two years or so when they  
2 project out.

3 So, they did an adiabatic heat up. So, that means all  
4 of the decay heat is going into heating up the fuel.

5 No heat being removed by any means, and then they  
6 showed the amount of time that it would take for the fuel to get to  
7 anywhere near the temperatures needed for a zirconium fire. And,  
8 therefore, that justified in their submittals is that's why they --

9 CHAIRMAN MACFARLANE: Well, this is the  
10 ten-hour criterion that you're referring to?

11 MS. UHLE: Yes, right.

12 CHAIRMAN MACFARLANE: Why is it a ten-hour  
13 criterion? Why isn't it an eight-hour or 24-hour or 72-hour criterion?

14 MS. UHLE: Well, the ten-hour criteria is used to the  
15 idea that, you know, reasonably, that we would expect offsite support to  
16 be provided and, in addition, that emergency planning would have  
17 taken place to get the people in the area to be outside of the plume, if  
18 one were to occur.

19 Although, the calculations that they provided, that very,  
20 very simplistic approach clearly shows that there is not a risk to public  
21 health and safety.

22 So, I would, to answer the question whether 1738, the  
23 spent fuel pool study really is the update. However, the licensees at  
24 this stage in submittals have not opted to use that. They've been  
25 opting to use a very, very conservative approach.

26 CHAIRMAN MACFARLANE: So, let me ask another

1 question. Is there a point after which a spent fuel pool fire is not  
2 possible?

3 MS. UHLE: Yes.

4 CHAIRMAN MACFARLANE: Okay, and where's the  
5 analysis that supports that?

6 MS. UHLE: Well, obviously, the timing of the decay  
7 heat dropping, it's going to be a plant specific analysis that would show  
8 that. It would be a function of the loading pattern of the fuel, but there  
9 is an ignition temperature, if you want to call it that, in which case the  
10 zirconium oxidation rate decreases to the point that it can't sustain itself.  
11 In other words, normal natural heat release is --

12 CHAIRMAN MACFARLANE: Isn't that important to  
13 know? I mean, should either we or the licensees perform that  
14 analysis?

15 MR. UHLE: Well, no, --

16 CHAIRMAN MACFARLANE: So we know what that  
17 point is?

18 MS. UHLE: Well, no one -- again, it's going to be plant  
19 specific.

20 CHAIRMAN MACFARLANE: Right, I know, so, we  
21 can ask the licensees to perform that --

22 (Simultaneous speaking)

23 MS. UHLE: If a licensee were to use that as their  
24 justification for why they believe that, you know, EP could be reduced,  
25 then of course they would have to show that. But at this stage, no  
26 licensee has provided that as their basis.



1 CHAIRMAN MACFARLANE: But I'm asking why  
2 don't we do that calculation or ask the licensees to do that calculation?  
3 Not just to base that EP decision on, but to understand the risks?

4 MS. UHLE: I would say specifically we don't have a  
5 regulatory requirement for that because we believe that would be out of  
6 the justification that they do provide is adequate to provide adequate  
7 assurance of public health and safety.

8 CHAIRMAN MACFARLANE: Okay, okay. All right, I  
9 will stop there. So, no further questions or comments?

10 All right, thank you very much for the discussion. And  
11 thank the, and let me thank the external panel again. And we will now  
12 be adjourned.

13 (Whereupon, the above-entitled matter went off the  
14 record at 12:14 p.m.)

15

16

17

18

19

20

21

22

23

24

25

26