

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Reliability and PRA Subcommittee

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, August 18, 2009

Work Order No.: NRC-3018

Pages 1-243

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S ADVISORY
COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

1 UNITED STATES OF AMERICA

2 + + + + +

3 NUCLEAR REGULATORY COMMISSION

4 + + + + +

5 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

6 + + + + +

7 SUBCOMMITTEE ON RELIABILITY AND PRA

8 + + + + +

9 TUESDAY,

10 AUGUST 18, 2009

11 + + + + +

12 ROCKVILLE, MARYLAND

13 + + + + +

14 The Subcommittee convened at the Nuclear
15 Regulatory Commission, Two White Flint North, Room
16 T2B3, 11545 Rockville Pike, at 1:00 p.m., Dr. George
17 Apostolakis, Chairman, presiding.

18 SUBCOMMITTEE MEMBERS PRESENT:

19 GEORGE APOSTOLAKIS Chairman
20 DENNIS C. BLEY ACRS Member
21 WILLIAM J. SHACK ACRS Member
22 JOHN W. STETKAR ACRS Member
23 SAID ABDEL-KHALIK ACRS Member
24 HAROLD B. RAY ACRS Member
25 JOHN D. SIEBER ACRS Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NRC STAFF PRESENT :

SUNIL WEERAKKODY

STEVEN LAUR

DONNIE HARRISON

HARRY BARRETT

J.S. HYSLOP

STEPHEN DINSMORE

ALSO PRESENT :

LIZ KLEINSORG

BIFF BRADLEY

JOHN BUTLER

KEN CANAVAN

JEFF ERTMAN

STEVE HUTCHINS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A-G-E-N-D-A

<u>AGENDA ITEMS</u>	<u>PAGE</u>
Opening Remarks and Objectives, George Apostolakis	4
Opening Remarks, NRR Management	5
NRC Staff Presentation on Resolution of Public Comments on DG-1218, "Risk- Informed, Performance-Based Fire Protection for Existing Light-Water Nuclear Power Plants," and Proposed SRP Section 9.5.1.2 "Risk-Informed Performance-Based Fire Protection Program", Steven Laur	6
NEI Presentation, Biff Bradley	109
EPRI Presentation, Ken Canavan	172
NRC Staff Remarks, Steven Laur, Stephen Dinsmore	204
General Discussion	224
Adjourn	243

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(1:00 p.m.)

CHAIR APOSTOLAKIS: The meeting will now come to order. This is a meeting of the Advisory Committee on Reactor Safeguards, Subcommittee on Reliability and Risk Assessment.

I am George Apostolakis, Chairman of the Subcommittee. Subcommittee members in attendance are Said Abdel-Khalik, Dennis Bley, Harold Ray, Bill Shack, Jack Sieber, and John Stetkar.

The purpose of this meeting is to discuss the draft final Regulatory Guide 1.205, Risk-Informed, Performance-Based Fire Protection for Existing Light-Water Nuclear Power Plants, and Standard Review Plan Section 9.5.1.2, Risk-Informed Performance-Based Fire Protection Program.

The Subcommittee will gather information, analyze relevant issues and fact, and formulate proposed positions and actions, as appropriate, for the deliberation by the full Committee.

Mr. Girija Shukla is the Designated Federal Official for this meeting.

The rules for participation in today's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 meeting have been announced as part of the notice of
2 meeting previously published in the Federal Register
3 on July 21st, 2009. A transcript of the meeting is
4 being kept and will be made available as stated in the
5 Federal Register notice.

6 It is requested that speakers first
7 identify themselves and speak with sufficient clarity
8 and volume so that they can be readily heard.

9 We have received no written comments or
10 requests for time to make oral statements from members
11 of the public regarding today's meeting.

12 We will now proceed with the meeting and I
13 call upon the NRR management to make introductory
14 remarks.

15 DR. WEERAKKODY: Okay. My name is Sunil
16 Weerakkody. I'm the Deputy Director, Fire Protection,
17 NRR. This meeting is about the draft Reg Guide 1.205.

18 About a month and a half ago, we came in front of
19 this Subcommittee to provide you some information on
20 the Reg Guide -- draft Reg Guide 1.205.

21 At that time, we had just received the
22 stakeholder comments. We had not had time to
23 disposition them. Today we are going to -- in
24 addition to going over the Reg Guide, we will share
25 with the members what type of comments we received and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 how we dispositioned them.

2 Our DG presenter on this topic is Steven
3 Laur. Steven is the Senior Technical Advisor in our
4 division. So he'll make the DG presentation.

5 Sitting next to him is Harry Barrett. He
6 is the Senior Fire Protection Engineer in the Fire
7 Protection Branch.

8 Alex Klein, who is the Branch Chief, could
9 not be here. He's out sharing good words about 805
10 with the international community at Helsinki so he
11 couldn't be here. So Harry is the designated
12 spokesperson for the Fire Protection Branch.

13 And then next to him is Donnie Harrison.
14 He's the Branch Chief of PRA Licensing.

15 With that, I will turn it over to Steve.

16 CHAIR APOSTOLAKIS: So we are not just
17 reviewing your response to public comments. We are
18 reviewing the Regulatory Guide.

19 DR. WEERAKKODY: That is correct.

20 CHAIR APOSTOLAKIS: Okay.

21 MR. LAUR: Okay. Thank you, Sunil.

22 As Sunil said, I'm Steve Laur. I'm going
23 to at least lead the presentation. And if you have
24 very difficult questions, hopefully one of my
25 colleagues will be able to jump in.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The objectives today, we'd like to present
2 the final draft version of Reg Guide 1.205, Revision
3 1. We have received the public comments, as Sunil
4 mentioned. I'd like to cover basically the key flavor
5 or general type of comments we got. And how we
6 resolved those comments. We'd like to obtain your
7 recommendation that the full Committee endorse the Reg
8 Guide 1.205, Revision 1.

9 And we got a little out of sync here with
10 the SRP. The meeting we went through the Standard
11 Review Plan section. I've mentioned they go and
12 glove. They are -- obviously one is the guidance to
13 industry of one acceptable means of meeting our
14 regulations. The other side is how the staff reviews
15 a License Amendment Request to that guidance. And we
16 got out of sync while we were resolving some issues at
17 the last minute.

18 So the Standard Review Plan section will
19 comport with the final Reg Guide. In fact, right now
20 it does 98 percent. But as you are aware, we sent
21 some -- I guess two revised pages last week. That was
22 very late in the game. So we're going to actually
23 cover that in detail later in the presentation.

24 When we came on June 1st, we had what we
25 thought the public comments were going to be. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it's almost an identical slide. I think the second
2 major bullet is different.

3 But basically there were a number of
4 public comments that had to do with the fire PRA, as
5 you can imagine. A number of these had to do with the
6 methods. We had in the draft Guide that the methods
7 for applying the PRA, you know, shall be or should be
8 approved by NRC prior to use.

9 There was some confusion between the
10 methods that are used to construct the base model and
11 the methods for modeling the cause and effect
12 relationship when you apply the model. And
13 furthermore, it turns out the regulation in NFPA 805,
14 which is included by reference in the regulation, does
15 not require approved methods. It requires acceptable
16 to the authority having jurisdiction.

17 The second thing is we proposed, I guess,
18 a new and expanded license condition from what was in
19 the original Reg Guide. And a part of that had to do
20 with some transitional license conditions.

21 For instance if a plant says we're going
22 to do a number of modifications to be fully in
23 compliance however they are going to take place in the
24 next refueling outage or two refueling outages, based
25 on conversations with the Office of General Counsel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with NRR staff, we said those really need to be
2 license conditions, not commitments. So we added
3 those.

4 We also added some other things in there
5 about how you can do self approval during the interim
6 period before you are fully implemented. And the
7 industry had comments having to do with that being too
8 restrictive.

9 But the third major topic had to do with
10 recovery actions which, if you remember from last June
11 we talked about it quite a bit, recovery actions in
12 NFPA 805 are similar to operator manual actions in the
13 existing licensing basis. I say similar.

14 They sound identical but when you look at
15 the definition -- there is a definition of recovery
16 action in 805. It has to do with actions taken to
17 meet the -- or necessary to meet the nuclear safety
18 performance criteria that take place either outside
19 the control room or outside the primary control
20 station for the equipment being operated, including
21 repairs and recovery.

22 But it is an interesting definition
23 because it doesn't match what a typical PRA person
24 would call recovery 100 percent. It doesn't match
25 OMA's from the preceding licensing basis 100 percent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So it is a little different.

2 Anyway, so --

3 CHAIR APOSTOLAKIS: Let me ask a more
4 general question before you jump into the details.

5 You are free to disagree with NFPA 805,
6 aren't you? You can publish a Regulatory Guide that
7 says this part we don't agree with. We're not going
8 to do this.

9 MR. LAUR: No.

10 CHAIR APOSTOLAKIS: No?

11 MR. HARRISON: Not in this situation.

12 CHAIR APOSTOLAKIS: Say again?

13 MR. HARRISON: Not in this situation.

14 NFPA 805 was incorporated by reference so it becomes
15 part of the --

16 CHAIR APOSTOLAKIS: With some exceptions.

17 MR. HARRISON: With some exceptions.

18 CHAIR APOSTOLAKIS: But the Regulatory
19 Guide cannot add to the exceptions.

20 MR. HARRISON: And then the appendices
21 also don't apply, right?

22 MR. LAUR: Right.

23 MR. HARRISON: So -- but the main body of
24 NFPA 805 text comes over as part of the regulation.

25 CHAIR APOSTOLAKIS: So you can -- I mean

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 if there is some confusion about some definition and
2 so on, then you are free to say this is how we --

3 MR. HARRISON: Right. We can clarify but
4 we can't be in conflict with.

5 CHAIR APOSTOLAKIS: But we can still ask
6 you questions on your Regulatory Guide?

7 MR. HARRISON: Yes.

8 CHAIR APOSTOLAKIS: And I believe that has
9 come up before. And I still am amazed that such a
10 thing is there.

11 On page three, it says although a licensee
12 may transition to an NFPA 805-based FPP without a fire
13 probabilistic risk assessment model, the NRC
14 anticipates that the licensees will develop a plant-
15 specific fire PRA. I don't understand that.

16 How can you transition to something that
17 is presumably risk-informed performance-based without
18 having a fire PRA? Now is that something you have to
19 live with? You can't do anything about it? And all
20 you can do is express a wish? Relying on the kindness
21 of strangers? What?

22 MR. LAUR: That is an excellent question.

23 I believe the existing version of the Reg Guide also
24 has --

25 CHAIR APOSTOLAKIS: Yes, I read it from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the existing -- on page three.

2 MR. LAUR: Yes. And in practice, at least
3 two out of two pilot plants are implementing full
4 plant fire PRAs. And in practice, in order to achieve
5 the maximum benefits from implementing 805 such as the
6 self approval, et cetera, a licensee would typically
7 opt to do an entire fire PRA.

8 CHAIR APOSTOLAKIS: But are there any
9 licensees that as far as you know are planning to
10 transition and not do a fire PRA?

11 CHAIR APOSTOLAKIS: No, not as far as I
12 know, no.

13 CHAIR APOSTOLAKIS: No? No? Well, that's
14 good. That's good.

15 And there was another thing. I guess it
16 has been approved now but there is this diagram there
17 in 805 -- a figure that says at some point -- you look
18 at the fire area and you can go the deterministic way
19 or the performance based, which is risk, right? You
20 are familiar -- I'm sure you have read 805 several
21 times.

22 So this is now all in a big box. It gives
23 you options. But then the arrow out of the box says
24 evaluate the risk. For the life of me, how can you
25 evaluate risk if you do the deterministic thing? Is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there a magic there?

2 MR. LAUR: One of the sources of
3 confusion, in my mind at least, and I've come on the
4 scene relatively late in the process, has been between
5 these two aspects of how risk is used in the rule.
6 And in that figure you're talking about, which is 2.2
7 Methodology --

8 CHAIR APOSTOLAKIS: That is correct.

9 MR. LAUR: Okay.

10 CHAIR APOSTOLAKIS: 2-2.

11 MR. LAUR: Excuse me, 2-2 -- I should know
12 that.

13 CHAIR APOSTOLAKIS: Yes, Steve, I caught
14 you.

15 MR. LAUR: But the inner box you are
16 talking about is actually, if you will, a flow chart
17 within a flow chart. That happens on a fire area
18 basis.

19 CHAIR APOSTOLAKIS: Yes.

20 MR. LAUR: Okay. Before you come into
21 that, you are on a plant basis for citing the nuclear
22 safety performance criteria and that sort of thing.
23 When you come out of that, you are looking at what's
24 called the plant change evaluation --

25 CHAIR APOSTOLAKIS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LAUR: -- which is a change to a
2 previously approved fire protection program.

3 CHAIR APOSTOLAKIS: Right.

4 MR. LAUR: Okay. That is not -- even
5 though all the words sound very similar, that's not
6 the same as the -- one of the two performance-based
7 methods that is inside that box, which is fire -- one
8 of them is fire modeling and the other one is fire-
9 risk evaluation.

10 CHAIR APOSTOLAKIS: Yes.

11 MR. LAUR: It's not the same. They point
12 to the same acceptance criteria. They both have to be
13 acceptable to the authority having jurisdiction.
14 They both have to consider defense in depth and safety
15 margins.

16 CHAIR APOSTOLAKIS: Right.

17 MR. LAUR: But it is a different animal.

18 CHAIR APOSTOLAKIS: Steve, when I get out
19 of the big box, I have to do some risk evaluation to
20 compare the risk of the plant as it should be
21 complying with all the regulations and the
22 requirements in an NFPA and subtract that from the
23 risk with the current situation of the plant. And I
24 don't know how you are going to do that if you do the
25 deterministic part.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now if you say that all the utilities are
2 using -- have a PRA, maybe that is a moot point then.
3 It doesn't matter.

4 MR. LAUR: Well --

5 CHAIR APOSTOLAKIS: But otherwise, I am
6 having a hard time figuring out how a deterministic
7 evaluation -- let's say that in one fire area, I don't
8 comply. And I do my equivalency calculations and all
9 that. And I convince you guys that yes, this is good
10 enough. But I still don't comply. So I have to
11 evaluate the risk from that.

12 MR. BARRETT: No, no, actually under 805
13 rules, you would --

14 CHAIR APOSTOLAKIS: You don't?

15 MR. BARRETT: -- you would be performance
16 based and you would comply using performance-based
17 analysis.

18 CHAIR APOSTOLAKIS: For that individual
19 area.

20 MR. BARRETT: For that individual area.

21 CHAIR APOSTOLAKIS: And then I can be risk
22 informed --

23 MR. BARRETT: You would consider that
24 compliant with the code because the code is a
25 performance-based code. And you'd do an analysis that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 shows you meet the performance criteria. So once you
2 show --

3 CHAIR APOSTOLAKIS: But it's all then --

4 MR. BARRETT: It is no longer a non-
5 compliant condition any more. It's now compliant to -
6 -

7 CHAIR APOSTOLAKIS: That in itself is
8 strange.

9 MR. LAUR: But there is another -- I guess
10 from a higher viewpoint, there is a couple ways of
11 interpreting this figure. The one that makes sense to
12 me and it doesn't jive with what the industry guidance
13 exactly says, everyone has latched on to this plant
14 change evaluation as being the risk assessment. And
15 like I say, it's virtually the same thing except for
16 it shows up in two different places.

17 But it is not the same in the following
18 sense. When you first -- if you have an existing
19 licensing basis, that's Appendix R or some other
20 traditional method, and you want to transfer or
21 transition to NFPA 805, what the Commission has said
22 is you can meet GDC-3 by meeting 50.48(a) and (b) or
23 (a) and (c).

24 So the Commission has basically said there
25 are alternative ways of having an acceptable fire

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 protection program. Now we can talk later about are
2 you allowed to mix and match or whatever. But pretty
3 much you have (a) and (b) or (a) and (c).

4 To say I'm going to evaluate using the
5 plant-change evaluation, the plant-change evaluation,
6 the baseline for comparison is your previously
7 approved fire protection program compared to the
8 change you wish to make.

9 The baseline for the one inside the box
10 where you are looking at individual fire areas and say
11 I have three things that don't meet the deterministic
12 requirements, I want to use the fire risk, the
13 baseline is the deterministic compliant configuration.

14 CHAIR APOSTOLAKIS: Yes.

15 MR. LAUR: Okay. That's a different
16 baseline. And in fact, in theory that would never --
17 that baseline would never change. It would always go
18 back to having everything 20 feet or three hours or
19 the right suppression and detection.

20 CHAIR APOSTOLAKIS: No, eventually it may
21 because if you showing using Regulatory Guide 1.174
22 that your deviations are acceptable, then you have a
23 new basis.

24 MR. LAUR: Right. But the way the staff
25 is looking at it now -- and it doesn't make a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 practical difference except for in a couple minor
2 areas -- is that when you want to go from 50.48(a) and
3 (b) to (a) and (c), you don't need to do a plant-
4 change evaluation to assess that risk.

5 That is not technically a risk-informed
6 change because the Commission has already said if you
7 comply with this set or with this set, adequate
8 protection is assured, okay?

9 So in order to comply with this new set,
10 if you don't meet the deterministic requirements, it
11 gives you two performance-based methods. If you don't
12 like those 50.48(c) has an exception which, obviously,
13 is at a higher level than this incorporated by
14 reference, that says you can propose an alternative as
15 long as it meets the same performance goals criteria
16 and whatever and has defense in depth and safety
17 margins. And the staff has to consider that as a
18 license amendment, okay?

19 And so in order to transition, the real
20 important thing are the performance-based methods in
21 that box. Once you have adopted 805 and you want to
22 do this self approval --

23 CHAIR APOSTOLAKIS: Down later, yes.

24 MR. LAUR: Yes. Then now you are in a
25 plant change because if we've approved something at a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 certain level, then 1.174 would say small changes
2 consistent with the Commission's safety policy goal
3 statement, et cetera, that meet the regulation defense
4 in depth, so that's where the plant-change evaluation,
5 in our mind, really comes in.

6 CHAIR APOSTOLAKIS: But the basis there
7 would be the new licensing basis --

8 MR. LAUR: Yes.

9 CHAIR APOSTOLAKIS: -- which may -- or
10 will include previously approved alternatives or
11 alternatives that have not been approved but they were
12 shown with a risk evaluation that they were
13 acceptable. So now we start anew after that.

14 But it is the position that confuses me a
15 little bit but if it is clear to you and the industry,
16 that's fine.

17 MR. LAUR: I missed that. Are you saying
18 if it is clear to the industry or --

19 CHAIR APOSTOLAKIS: If it is clear to you
20 and the industry --

21 MR. LAUR: Oh, okay.

22 CHAIR APOSTOLAKIS: -- then the fact that
23 I am confused is of minor importance.

24 MR. LAUR: I think we'll hear later
25 whether --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: We'll come back to
2 some of these prior approvals later.

3 MR. LAUR: Yes, we will.

4 CHAIR APOSTOLAKIS: Okay.

5 MR. LAUR: Okay, so I mentioned fire PRA
6 methods being one large area. And the way I have
7 arranged the slides, it was too much information if I
8 took two slides. Otherwise it is on the same.

9 But I basically summarized the flavor of
10 the public comment and said whether or not we did
11 anything about it. And in your packages you got
12 almost 30 days ago, hopefully you can see, you know,
13 the red-line strike-out and the detailed resolution of
14 the comment.

15 The first thing was clarify how to meet
16 805 requirement that methods be acceptable to the
17 authority having jurisdiction, which is obviously the
18 NRC, limit the discussion of fire PRA methods to the
19 cause and effect relationship, and do not limit
20 methods to those in topical reports. And that last
21 one -- there is an editorial error on our part and it
22 caused, I guess, some angst on the industry. But that
23 wasn't our intent.

24 Our intent was any generic approval, e.g.,
25 topical reports. But -- so the way we addressed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 these, we made significant changes to the draft guide.

2 And I enumerated a number of the positions here. But
3 basically what we did is we said for methods, for
4 building our base PRA Regulatory Guide 1.200, which
5 endorses with exceptions and clarifications, that the
6 ASME PRA standard is what you do. That's all we've
7 ever wanted.

8 As far as the cause and effect
9 relationship, we backed off on the requirement that we
10 previously approve and we have three bullets here that
11 describe the type of things that we would normally
12 find acceptable.

13 CHAIR APOSTOLAKIS: What does a
14 cause/effect mean relationship?

15 MR. LAUR: In the case of an application
16 of a PRA when you want to consider how the changed or
17 proposed condition can be reflected in the PRA model
18 with some measure of fidelity so that if, for example,
19 this is a fire area. It is an A train fire area. And
20 I have a B train cable that should not have been
21 routed in here.

22 And I say well, I don't want to wrap it.
23 What is the risk? And what I could do is assume --
24 well, the base case would be the cable wasn't in
25 there. So whatever that risk of various fire

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 scenarios in the room would be would be my baseline.

2 And if that particular cable or whatever,
3 since it is actually in there, if I assume it fails
4 with a probability of one, then that would be my risk
5 to compare it to. Well, the cause and effect
6 relationship, in this case, I'm saying the fire has
7 assumed the damage with certainty that cable.

8 CHAIR APOSTOLAKIS: You don't assume that
9 it fails with probability one. I mean when you do the
10 risk evaluation, you will have to have some model that
11 tells you what the thermal environment is in the room.

12 MR. LAUR: Yes, what I was describing was
13 a bounding --

14 CHAIR APOSTOLAKIS: But this is, again,
15 during the transition, right? You will assume a B
16 train is not there. After you approve it, after the
17 transition and it is still there, then it is still
18 there. That is the baseline now.

19 MR. LAUR: Right.

20 CHAIR APOSTOLAKIS: So -- okay. I still
21 don't -- it is not very clear to me what cause/effect
22 is.

23 MR. LAUR: So what we've written in the
24 draft final Reg Guide is that the licensee may model
25 this cause and effect relationship with methods that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have been used in the peer-reviewed baseline PRA,
2 methods that have been endorsed by the NRC through a
3 license amendment, or prior approval of the generic
4 methods, or that have been demonstrated to bound the
5 risk impacts.

6 So in the case -- the example I gave was I
7 guess the third example. If it is too difficult to
8 figure out the thermal hydraulics, the fire modeling,
9 the failure modes and you assume that it fails with
10 certainty and it is still well within our acceptance
11 guidelines, then it would be acceptable.

12 CHAIR APOSTOLAKIS: So peer-reviewed
13 baseline -- so if somebody uses a code like CFAST or
14 something and shows that the probability of both
15 trains failing is very, very low, that's not part of a
16 baseline PRA. When you say baseline, you mean fire
17 PRA?

18 MR. LAUR: I mean the baseline fire PRA.

19 CHAIR APOSTOLAKIS: Oh, okay, okay, okay.
20 Then it is okay. All right.

21 MR. LAUR: Okay. The next set of comments
22 from the public -- by the way, the bulk of our
23 comments were from NEI. We received none from the
24 public at large.

25 CHAIR APOSTOLAKIS: And so this is highly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 unusual is it not?

2 MR. LAUR: Well, I don't know. Okay, so
3 if the public comments could be summarized as provide
4 guidance on the fire PRA model updates and upgrades
5 after transition, provide clear fire PRA submittal
6 guidance, and clarify when plant-change evaluations
7 are required.

8 And the first two have to do with -- I
9 want to say confusion -- I guess we weren't very clear
10 when we wrote this but at least in my mind and I guess
11 some of the minds of us that have done risk
12 assessments using .174, it was very clear what we
13 thought we meant. But when the industry read it, it
14 wasn't clear.

15 So what we have done is once again
16 referred to 1.200 and referred to the ASME standard.
17 If you remember from reading our red-line strike-out
18 version we sent you, Section 4.3, which is the fire
19 PRA section, is almost all red or almost all strike-
20 through anyway. It is basically totally rewritten.

21 And the reason was what was in there
22 before didn't really rely as heavily on Reg Guide
23 1.200 as it could have. And, therefore, it kind of
24 got wrapped around itself in the wording.

25 There was also some things in there --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 when the original Reg Guide was written, there was not
2 a fire PRA standard. Not even the ANS standard was
3 out at that time.

4 So since that time, we've had that
5 standard issued, the combined standard was issued, the
6 Addendum A to that standard was issued, and Reg Guide
7 1.200 revision was issued.

8 And the second half of this is we have
9 tried to further clarify this difference between the
10 fire risk evaluation of NFPA 805, Section 4.2.4.2, as
11 in that figure you are talking about, and the plant
12 change evaluation of Chapter Two.

13 CHAIR APOSTOLAKIS: I still -- provide
14 guidance on five PRA models updates and upgrades after
15 transition. So I have transition. I have my baseline
16 fire PRA model. Isn't that model supposed to comply
17 with Regulatory Guide 1.200?

18 MR. LAUR: Yes.

19 CHAIR APOSTOLAKIS: And then 1.200, I
20 don't remember now, has some guidance as to when to
21 update the PRA?

22 MR. HARRISON: Yes, update and upgrade.

23 MR. LAUR: Yes. In addition, too, the
24 standard has it. But I think the concern -- and like
25 I said, I believe we'll be hearing this later in a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 different presentation -- but I think one concern is
2 that -- I shouldn't say for the first time but I guess
3 for the first major program, a probabilistic risk
4 assessment model is moving into the licensing arena,
5 okay. And NFPA 805 says this model is supposed to
6 reflect the as-built and as-operated- and-maintained
7 plant.

8 Now it sounds like what we've talked about
9 for years, maintenance rule and everything else. But
10 there is a difference that is not necessarily slight.

11 In the maintenance rule guidance and other guidance
12 that I recall, it says reasonably reflect the as-
13 built, as-operated plant. This says shall reflect,
14 okay.

15 So I think the concern is that, you know,
16 a plant may have a model update procedure that says
17 every so many years, let's see if the data needs to be
18 updated. Do we have more plant-specific data? We
19 want to do a Bayesian analysis. That sort of thing.

20 But what we're trying to say is that this
21 is already an agency position. 1.200 and the standard
22 tells you the model update frequency. If you upgrade
23 a model, you have to do peer reviews on the portions
24 that have been upgraded and that sort of thing. And
25 we're not trying to reinvent that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Well, what was the
2 NUREG number of this multi-volume report from EPRI and
3 NRC?

4 MR. LAUR: Yes, 6850?

5 CHAIR APOSTOLAKIS: 6850.

6 MR. LAUR: Or EPRI 101.-989?

7 CHAIR APOSTOLAKIS: Yes. That was a PRA -
8 - I mean fire PRA methodology, was it not?

9 MR. LAUR: Yes.

10 CHAIR APOSTOLAKIS: And last time we had a
11 presentation here, the EPRI representative attacked it
12 as if they had never participated in the development
13 of that.

14 MR. LAUR: Yes.

15 CHAIR APOSTOLAKIS: So I'm doing my
16 transition now. I have my fire PRA. I used the
17 models that are out there now. And three years down
18 the line, the joint EPRI/NRC effort comes up with an
19 updated 5860 that has maybe different models here and
20 there. Does 1.200 tell me what I should do? I mean
21 should I update my models and make them compliant with
22 the new version? And would that create headaches to
23 people? I mean what does this thing --

24 MR. HARRISON: I'll answer the question
25 this way. This is Donnie Harrison of the PRA Branch

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 within DRA. 6850 is guidance.

2 CHAIR APOSTOLAKIS: It is what?

3 MR. HARRISON: It is methodology guidance.

4 The NRC and the EPRI folks worked together on that
5 guidance.

6 A licensee does their fire PRA. If there
7 are things that they need on a plant-specific basis,
8 provide additional analysis to in developing their
9 PRA, that's what they would do. That would go through
10 its own peer review process.

11 And, again, it becomes a case of when the
12 peer reviewers look at it against Reg Guide 1.200 or
13 even when the licensee looks at it against Reg Guide
14 1.200, the issue is is the model, the fire PRA modeled
15 correctly? Is it representing the plant?

16 There is no where where you have to be in
17 compliance or are required to meet 6850 explicitly or
18 that you are even required -- if 6850 updates and you
19 want to leave your PRA model alone, you can. There is
20 not a requirement to update it.

21 CHAIR APOSTOLAKIS: So I'm doing all that
22 now. I pass the peer review.

23 MR. HARRISON: Right.

24 CHAIR APOSTOLAKIS: Three years down the
25 line, a NUREG comes out and says well, you know, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 model uncertainty of CFAST is different now because
2 NIST says so.

3 MR. HARRISON: Right.

4 CHAIR APOSTOLAKIS: Or something else
5 changed. I'm not going to have another PRA review.

6 MR. HARRISON: Unless you choose to.

7 CHAIR APOSTOLAKIS: What?

8 MR. HARRISON: Right. Unless you choose
9 to upgrade.

10 CHAIR APOSTOLAKIS: No, I'm not choosing
11 any.

12 MR. HARRISON: Okay. Then you're not --

13 CHAIR APOSTOLAKIS: I'm happy with what I
14 have so I will keep having that model even though
15 there are better models out there. That's what the
16 first question tells me.

17 MR. HARRISON: Yes, but --

18 CHAIR APOSTOLAKIS: Are you going to force
19 people to go back and update the modeling?

20 MR. BARRETT: I think that would depend on
21 whether or not the new information would change your
22 answer.

23 CHAIR APOSTOLAKIS: Well, how would you
24 know that?

25 MR. BARRETT: Well, you might not without

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 redoing the analysis. That's the unfortunate part
2 about it. But let's say some new piece of information
3 comes out that is vastly different than the
4 assumptions that were used in your PRA --

5 CHAIR APOSTOLAKIS: But do you have a
6 regulatory -- not rule but a way of asking the
7 licensee to at least look?

8 MR. BARRETT: Yes. The NFPA 805 standard
9 requires operating experience to be wrapped into the
10 risk assessment. You have to keep up with whatever is
11 going on --

12 CHAIR APOSTOLAKIS: Operating experience -
13 -

14 MR. BARRETT: -- in the industry.

15 CHAIR APOSTOLAKIS: -- includes modeling
16 experience?

17 MR. BARRETT: Well, any new information
18 that comes out that could change the answer, I believe
19 that's true.

20 MR. HARRISON: Well, yes, you have to be
21 careful. It's a case of if you find something that
22 invalidates a prior model, it would be incumbent upon
23 you to update it when that information comes out. But
24 if it is a bounding to what your condition it, I don't
25 think we would force a licensee to change something

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that actually bounds the answer because we're fine
2 turning or improving methods. That's not a
3 requirement.

4 CHAIR APOSTOLAKIS: Well, it doesn't both
5 me that much but --

6 MR. LAUR: Well, let me --

7 CHAIR APOSTOLAKIS: -- other things --

8 MR. LAUR: Let me add --

9 MR. HARRISON: But that becomes the issue.

10 MR. LAUR: Let me add just a little bit to
11 that. I have two unpopular examples -- well, one --
12 two examples. One is Human Reliability Analysis.
13 There is no -- to my knowledge, unless you guys did
14 something this morning, there is no consensus method.

15 But there are a whole bunch of methods and there is a
16 subset of those -- of that universe of methods that
17 are considered general good practices, I guess, okay?
18 And they will pass a peer review.

19 And so if a much, much better method comes
20 out, there is nothing -- there is no forcing function
21 to require somebody to go back and change their model,
22 okay? The other example that comes to mind is many
23 years ago, there was a NUREG seal LOCA model that many
24 people used.

25 And it fell into disfavor with new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 information and there was a new -- the Rhodes model or
2 the Westinghouse WOG 2000 or whatever -- that became a
3 consensus approach, okay?

4 But that is kind of a preamble to the
5 following. When a licensee comes in after a
6 transition for a license amendment request, and that
7 will happen when they try to do a combined change,
8 which they are not allowed to self approve or they
9 trip the self approval threshold, then the staff will
10 do the typical review of PRA quality to make sure, you
11 know, what they done since that time.

12 And if there are things such as this seal
13 LOCA model or, in our case here, it might be something
14 like the modeling of incipient detection just comes to
15 mind but something that we hadn't solved yet, then a
16 licensee in that application is supposed to identify
17 the key assumptions -- the key assumptions, those
18 assumptions that are driving the answer.

19 And in there will be this modeling thing,
20 whatever it is.

21 CHAIR APOSTOLAKIS: So this is the time
22 then when you can actually encourage the licensee to
23 bring it up to date?

24 MR. LAUR: Yes.

25 CHAIR APOSTOLAKIS: But as long as the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 licensee chooses not to come to you for a change, then
2 the model can stay the way it is, right? That is
3 really the net result of all of this, right?

4 MR. LAUR: Yes, I think that --

5 CHAIR APOSTOLAKIS: Which is fine with me.

6 I mean --

7 MR. LAUR: Well, that will be in the
8 inspection space though.

9 CHAIR APOSTOLAKIS: Okay.

10 MR. LAUR: Okay. Then the final -- the
11 bullet -- we actually had this in this formal review
12 plan, which industry commented on, but we didn't have
13 it in the Reg Guide, so we've explicitly under the
14 section that talks about risk evaluations, we have
15 said there are three places where risk is used or risk
16 analyses are used in 805.

17 There is the plant-change evaluation. And
18 then there is the 4.2.4.2 we talked about. Then there
19 is a more general thing that talks about the risk --
20 the additional risk of recovery actions which can be
21 done one of two ways. So we clarified that as well.

22 Also in the area of models and risk
23 evaluations, the comment was do not evaluate the total
24 change in risk associated with implementation of 805
25 using Reg Guide .174. And there is no valid basis to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 track human risk.

2 And we did not agree with those totally.
3 The first one, which I've partially addressed, but the
4 bottom line is .174 is the guidance we use. It was in
5 the guidance in the existing Reg Guide but we did
6 address it -- we addressed it in the sense that we
7 clarified what we meant by the total risk. How the
8 total risk should be calculated.

9 MEMBER STETKAR: Steven, are you going to
10 elaborate on that particular point later in the
11 presentation?

12 MR. LAUR: Yes.

13 MEMBER STETKAR: Okay. I'll wait until
14 then. Continue.

15 CHAIR APOSTOLAKIS: I think you should
16 clarify as you move on whether you are talking about
17 the transition phase or post-transition because it
18 makes a big difference.

19 MR. LAUR: Okay. For the total change,
20 the risk associated with implementation, that is
21 obviously just the transition. The cumulative risk,
22 it applies in both kinds but we don't care about the
23 cumulative for implementation because that is -- that
24 total risk gives us what that is, okay? So cumulative
25 is after transition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: And this is the
2 cumulative risk resulting from all the changes they
3 have requested over the years?

4 MR. LAUR: After --

5 CHAIR APOSTOLAKIS: After --

6 MR. LAUR: -- starting over --

7 CHAIR APOSTOLAKIS: Yes.

8 MR. LAUR: -- after transition.

9 CHAIR APOSTOLAKIS: As I recall 1.174, it
10 says that it should be taken into account in the
11 decision-making process but it doesn't say how.

12 MR. LAUR: And this refers to .174. It
13 doesn't say how either. The vision -- and I'll ask
14 Steve Dinsmore to chime in here if I don't get this
15 100 percent right -- but the way we have handled this
16 -- I'll give you two examples. One I'm familiar with
17 and one I just heard about.

18 But the first one is integrated leak rate
19 testing, okay, years ago, plants started coming in.
20 They said our licensing basis is once every ten years.
21 We'd like to go once every 15 years. Here is an EPRI
22 report. Here is our delta risk numbers, whatever.

23 And the staff asked an embarrassing
24 question. They said well, we don't care what it is
25 from ten years to 15, we want to know what it is for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 once every -- excuse me -- three times every ten
2 years. In other words, but the way the cumulative was
3 handled was going back to the original licensing basis
4 and looking at the total risk, not letting it be oh,
5 you were granted three times every ten years. Now you
6 are granted once in ten years. Now you want to go to
7 once in 15 years.

8 CHAIR APOSTOLAKIS: But this was on a
9 specific issue that really stretched over the years.

10 MR. LAUR: Right.

11 CHAIR APOSTOLAKIS: But the question here
12 is, at least for me, I have transitioned. And then I
13 want to change something. I come to you. We go back
14 and forth. And you approve.

15 MR. LAUR: Right.

16 CHAIR APOSTOLAKIS: There was a delta CDF
17 there. Three years later, I come back for another
18 issue. Approved. Another delta CDF.

19 Five years down the line, I come back for
20 the third time. And the way I interpret this that not
21 only will you look at the delta CDF for that
22 particular request but somehow the sum of the previous
23 delta CDFs will play a role, the cumulative delta CDF.

24 MR. LAUR: It will play a role but --

25 CHAIR APOSTOLAKIS: In that cumulative --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 1.174 says take it into account period. And I don't
2 know how to do that.

3 MR. LAUR: Right. Well basically -- the
4 analogy I was giving you and let me give it to you on
5 the fires, what we're trying to ensure is that someone
6 doesn't slice a risk increment that would not be
7 acceptable into n smaller increments that individually
8 would be acceptable.

9 So the example would be if this was a fire
10 area and I have an automatic suppression detection --

11 CHAIR APOSTOLAKIS: It's a bundling.

12 MR. LAUR: -- right. Okay. And that's
13 really -- that's how we are going to get at the
14 cumulative risk. So if they do a change in this room
15 and the other fire area and the other fire area, it is
16 problematic, as you know, to try to figure out what
17 this delta five years ago, how that compares with
18 delta day. And we've had beta changes, model changes,
19 method changes, etc.

20 But what we do want to avoid, like I said,
21 is to have someone -- they can take us out on two
22 steps. And each one looks like it's --

23 CHAIR APOSTOLAKIS: I understand that.
24 And that is a very legitimate thing but the deal with
25 cumulative deltas without concerns of this type, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 seems to me that is not appropriate.

2 I remember though when we were approving
3 1.174, that we were told, and I think the Committee
4 agreed, that we don't want a plant that say has a CDF
5 of ten to the minus five now to start changing things
6 and five years later they have a CDF of ten to the
7 minus four, which is a goal.

8 I mean that's something we really don't
9 want. We don't want everybody to move to the goal in
10 other words. And I think that is legitimate.

11 MR. HARRISON: And that's the intent here
12 is to avoid risk creep, if you will.

13 CHAIR APOSTOLAKIS: Yes. But then, you
14 know, having an upper bound of ten to the minus four,
15 it would take a hell of a lot of changes to start
16 approaching, you know, the goal.

17 So there is a lot of judgment that is
18 exercised here. I mean the reviewer has to decide
19 whether these deltas six months ago and eight months
20 ago are really part of the same change, in which case
21 you have to look at the total. Or they are separate,
22 in which case, you know, you don't really look at the
23 total.

24 Yes, John?

25 MEMBER STETKAR: According to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 guidance, the -- once the licensee has made the
2 transition, they can self approve changes so long as
3 the delta CDF is less than 1.000 times ten to the
4 minus seven and the delta LERF is less than 1.000
5 times ten to the minus eight on a per change basis.
6 Is that right?

7 MR. HARRISON: Yes.

8 MEMBER STETKAR: So I can self approve --
9 you know, pick a number -- 200 changes to my plant as
10 long as either change is 9.9999 times ten to the minus
11 eight or 9.999 times ten to the minus nine. And I
12 don't need to report anything. However, when I -- and
13 let's say that goes on for ten years.

14 And now in year number 11, I want to make
15 another change and indeed this one comes out to be
16 1.001 times ten to the minus seven delta CDFs. So I
17 now must go to you for approval of that change. Do I
18 then suddenly report that my total core damage
19 frequency is whatever it is --two times ten to the
20 minus five? Okay.

21 But I don't have to report to you the fact
22 that my total core damage frequency in year ten is two
23 times ten the minus five because up until that point,
24 I've not had to come -- I've not made any single
25 change that has exceeded the individual change

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 criteria.

2 MR. LAUR: Actually, I don't think there
3 is any requirement -- there is no requirement to
4 submit the total core damage frequency unless that
5 change is --

6 MEMBER STETKAR: You have to look at the -
7 - well, the reason I asked it in this context is we
8 are discussing the reporting and -- the writing to
9 report if the cumulative effect of all changes and how
10 that cumulative number might be used in the regulatory
11 review process.

12 And as I understand it, you need to report
13 the cumulative effect of all changes, right?

14 MEMBER BLEY: Even if you didn't have
15 report the individual changes.

16 MEMBER STETKAR: Even if you didn't have
17 to report the individual changes.

18 MR. LAUR: Oh, when you come in for the
19 license, right.

20 MEMBER STETKAR: Well, when I come in, I'm
21 talking about the change process now.

22 MR. LAUR: Okay, right.

23 MEMBER STETKAR: But say we implement NFPA
24 805 in year zero and I then, starting in year zero,
25 start to make several changes to my plant. And each

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 change individually satisfies the acceptance criteria.

2 So I do not need a staff review of any of those
3 changes.

4 But in year number 11, I finally make a
5 change that does not meet that individual change
6 acceptance criteria and I need to then come to the
7 staff for a review and acceptance of that change. At
8 that time, in year number 11, as I understand the Reg
9 Guide, I must indeed report to the staff the
10 cumulative risk of all of the changes that I have made
11 regardless of whether they were self approved or not.

12 Is that correct?

13 And in year number 11, I have to report to
14 you that my total core damage frequency has gone from
15 X in year zero to X plus two times ten to the minus
16 five --

17 MR. LAUR: Right.

18 MEMBER STETKAR: -- plus or minus some
19 very small margin. Okay. But I don't have to report
20 that if I never exceed the individual change criteria.

21 MR. HARRISON: And never make a risk-
22 informed application, right.

23 MEMBER STETKAR: And never make a -- well,
24 yes, a risk-informed request.

25 CHAIR APOSTOLAKIS: Because the threshold

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for the individual change is so low, again coming back
2 to my earlier point, if there is now a new model
3 somewhere that if you use that one you really don't
4 need to ten to the minus seven bound, then what
5 happens? I don't know. I mean there would be all
6 sorts of details that I cannot predict because now
7 according to the new state of knowledge, you really
8 should not self approve it.

9 MR. HARRISON: In other words --

10 CHAIR APOSTOLAKIS: But it is so low, it's
11 so down in the noise there that I'm sure it --

12 MEMBER STETKAR: Well, it comes in with
13 the cumulative effect. Individually you could argue -
14 - unless this change in the methodology --

15 CHAIR APOSTOLAKIS: That's what I'm
16 saying.

17 MEMBER STETKAR: -- uniformly effects
18 every single --

19 CHAIR APOSTOLAKIS: Not every single but
20 even one or two --

21 MEMBER STETKAR: -- change you ever made -
22 -

23 CHAIR APOSTOLAKIS: -- I mean they should
24 not have self approved them. But, again, it is so low
25 that I don't expect any change to take an estimate of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 five ten to the minus eight and make it ten to the
2 minus four. That's ridiculous. So even if it doesn't
3 meet it, it will be small, a small change. So --

4 MEMBER STETKAR: Well, I mean --

5 CHAIR APOSTOLAKIS: -- I mean at some
6 point you have to decide to be reasonable I think.

7 MEMBER STETKAR: Yes, well the presumption
8 is also that there will not be a large number of
9 changes --

10 CHAIR APOSTOLAKIS: Yes.

11 MEMBER STETKAR: -- that are close to the
12 margin.

13 CHAIR APOSTOLAKIS: That's right. That's
14 right.

15 MEMBER STETKAR: But at least not draw
16 attention.

17 MEMBER RAY: I believe --

18 MEMBER STETKAR: Well, no, that are close
19 and just --

20 MEMBER RAY: I understand. Don't repeat
21 that. I understand. I'm just saying you invite a lot
22 of attention if you did 10,000 changes, each one of
23 which was below the threshold.

24 CHAIR APOSTOLAKIS: Ten to the minus four.

25 MEMBER RAY: Somebody would figure it out.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LAUR: Well, at least at the triennial
2 inspection for an NFPA 805 plant, it is being
3 developing or maybe done, the triennial NFPA 805
4 inspection guidance.

5 And so if a plant has let's say it had a
6 thousand rooms, a thousand fire areas and each one
7 they made a made like a one minus seven -- you know,
8 minus epsilon increase in risk, then it probably
9 doesn't matter.

10 But if that was their systematic way of
11 getting rid of -- from automatic to manual to another
12 suppression in one room, it would matter. I think it
13 would be noticed.

14 CHAIR APOSTOLAKIS: If they make such a
15 small change, would the resident inspector know about
16 it?

17 MR. LAUR: Individual change?

18 CHAIR APOSTOLAKIS: Yes.

19 MR. LAUR: If he happened to be looking, I
20 would guess --

21 MEMBER RAY: Well, he could know about it,
22 George. He could.

23 CHAIR APOSTOLAKIS: He could but not
24 necessarily.

25 MEMBER RAY: But he wouldn't necessarily.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 It is certainly visible.

2 MR. HARRISON: There is a document trail
3 that would be there.

4 MEMBER RAY: Yes.

5 CHAIR APOSTOLAKIS: But is he being
6 informed continuously as to at least what is
7 happening? Or --

8 MR. HARRISON: I guess he'd take an
9 initiative to.

10 DR. WEERAKKODY: Let me -- there's a
11 couple of points with respect to inspection. We have
12 already updated the period of time and procedure for
13 805. What we did was we took the deterministic
14 procedure and we added a bullet that talks about
15 during the triennial inspections, the inspectors need
16 to sample a couple of the change evaluations. So that
17 is going to be part of the focus during the triennial.

18 With respect to the residents, typically
19 it is done at a higher level. So clearly we'll have
20 something in the resident inspectors' training and
21 inspection procedures, which they do quarterly, to
22 capture at a high level if somebody is doing too many
23 changes.

24 But one of the other questions that I
25 think the Committee asked, I'm not sure whether we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fully answered, is with respect to the requirement on
2 the model maintenance, even after we give the 805
3 license, the NFPA 805 licensees will use their PRA
4 model to self-approve things to show that things are
5 below ten to the minus seven.

6 They are bound by some configuration
7 management requirements. Now I don't have the exact
8 wording and I'm looking at Harry. And then we can get
9 back to the Committee and confirm this, I believe that
10 if you are doing self approval using the fire PRA
11 model, there is an onus on the licensee to keep that
12 model updated at a particular frequency.

13 Harry, do you have anything specific on
14 that?

15 MR. BARRETT: Well, the standard requires
16 that they end up maintaining both the PRA and the
17 analysis up to date. It has got to be living
18 analysis. So configuration management has to be
19 followed. And they have to maintain it as things
20 change.

21 MR. LAUR: Yes, but for the fire PRA,
22 we're saying -- if you remember in the combined
23 standard, there is a section on PRA model and update -
24 - I guess that's what it is called -- and that is
25 subject to the peer review. So the licensee will have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 procedures in place to say how often we do the data
2 and how often we do this, when do we trigger a peer
3 review? So that is there.

4 CHAIR APOSTOLAKIS: Has anyone
5 transitioned yet?

6 MR. BARRETT: They are in the process.
7 Two pilots are in the process.

8 CHAIR APOSTOLAKIS: Has anybody
9 transitioned yet?

10 MR. BARRETT: No, they are getting closer
11 and closer.

12 CHAIR APOSTOLAKIS: You are learning a
13 lot?

14 MR. BARRETT: Yes, of course. That's an
15 understatement.

16 DR. WEERAKKODY: And -- sorry, this is
17 Sunil Weerakkody again -- one additional thing we are
18 doing for this Committee's information is we have
19 created that draft final inspection procedure. Now we
20 are in the process of developing additional guidance
21 to the inspectors in order to know what to go after in
22 a risk-informed manner.

23 And these types of things will be
24 captured. For example, if somebody is doing too many
25 self approval, obviously that would become, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 something that the inspectors would look at.

2 CHAIR APOSTOLAKIS: I know this is not
3 part of your presentation but we keep hearing that the
4 industry is expending too many resources on fire
5 protection. Do you know why? That methods don't
6 never seem to be finalized and mature? And, you know,
7 it is consuming the industry. And this and that.
8 What's going on? I mean is it because of this? Or
9 this is trying to fix that?

10 MR. BARRETT: This is trying to fix that.

11 DR. WEERAKKODY: This is trying to fix
12 this. This is trying to fix that. But I think we do
13 acknowledge that -- this is -- the pilots have been a
14 learning experience for both sides.

15 But definitely if you look at Rev 0 of the
16 Reg Guide 1.205, and I know, Dr. Apostolakis, you were
17 here raising some of the same concerns at that time, I
18 believe that over the last couple of years, Steve Laur
19 has spent a lot of time talking to different people,
20 trying to make this more predictable.

21 CHAIR APOSTOLAKIS: So when NEI comes up
22 here later today, they are going to say boy, this is
23 great. It's going to save us --

24 DR. WEERAKKODY: We would expect them to
25 say that. But they have not done that in the past.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 CHAIR APOSTOLAKIS: Continue, Steve,
3 unless you are -- yes, go ahead, go ahead.

4 MR. LAUR: Okay, if I'm sitting back there
5 and you hear me fall out of my chair, that will have
6 been what they said.

7 CHAIR APOSTOLAKIS: Well, this seems to be
8 a serious problem though. And I'm trying to
9 understand what is going on. I mean is it the pre-
10 NFPA 805 situation that frustrates the industry? And
11 they feel that there is never any closure in these
12 issues?

13 Or it is this one? And they don't see
14 this as a savior, so to speak? I mean I think that is
15 a question we have to understand -- the answer to
16 which we have to understand. And I don't mean to put
17 you on the spot although I love to do that.

18 (Laughter.)

19 MR. LAUR: But I don't know the answer.

20 CHAIR APOSTOLAKIS: Okay. Well, fine.

21 MR. LAUR: Okay. The comments on the --

22 MEMBER SHACK: It happens, George?

23 CHAIR APOSTOLAKIS: What?

24 MEMBER SHACK: Things happen. You get
25 fires. You get thermal lag. You get spurious

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 actuation. And these things all have to be dealt
2 with.

3 CHAIR APOSTOLAKIS: That's true. Is that
4 the reason? Thermal lag? I mean I don't know. I
5 mean we're going to hear from them I think.

6 I think there was a major complaint on the
7 methods, that they don't seem to know when, by doing
8 something, this is it, that we reached closure. And
9 if these things keep evolving, I mean, you know, after
10 all the licensees are not research organizations.
11 They have some other goal in mind.

12 Okay, Steve.

13 MR. LAUR: Okay. The next set of comments
14 have to do with the sample licensee conditions. And
15 it said the transition license conditions would
16 preclude self approval of changes before full
17 implementation. And that is correct. They would
18 have, as written, we've changed it to basically say
19 that if a change clearly does not increase risk, those
20 changes can be made.

21 And then there is a set of non-risk-
22 informed changes that were added into the draft guide
23 that were not there before as a result of the
24 frequently asked questions process. These had to do
25 with two major categories: sufficient for the hazard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and equivalency --

2 PARTICIPANT: Equivalency.

3 MR. LAUR: Equivalency.

4 PARTICIPANT: Functional equivalency.

5 MR. LAUR: -- which are allowed --
6 equivalency is allowed in the standard directly. So
7 we clarified that yes, you can make things that are
8 equivalent, you can make that change. You don't need
9 our permission.

10 And similarly, the sufficient for the
11 hazard, I guess we had to put some defining words in
12 there. But basically that is something that the
13 plants have been allowed to do in the past that we're
14 saying they can still do.

15 So we clarified -- actually rewrote the
16 license condition to allow those kind of changes even
17 before all the modifications have been installed to be
18 an 805 plant.

19 MEMBER ABDEL-KHALIK: And the equivalency
20 determinations are done by the licensees --

21 MR. LAUR: Yes, right.

22 MEMBER ABDEL-KHALIK: -- without NRC
23 review and approval?

24 MR. LAUR: Yes.

25 Okay, we had some comments on my favorite

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 topic, recovery actions. These are the easy ones
2 here.

3 One set of comments said clarify which
4 recovery actions are needed to be included to plant-
5 change evaluation, limit the scope of recovery actions
6 to only those that are required in the regulation.

7 There was a comment that said you guys
8 have provided a definition of primary control station.

9 If you remember from last time, primary control
10 station is used in the definition of recovery action
11 in the rule. But primary control station itself is
12 not defined.

13 So we have latitude to interpret that.
14 And the comment was they didn't understand why you are
15 doing that.

16 And then previously approved recovery
17 action should be deemed to meet the deterministic
18 requirements of paragraph 4.2.3 of the rule.

19 Now in response to that, the first one, we
20 did clarify when recovery actions had to be using
21 plant change evaluation. And we did limit the scope.

22 But I have to really go back to that confusion I
23 mentioned. When the industry says plant change
24 evaluation, even though they know the different
25 paragraphs obviously better than I do, but when they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 say that, that is a catch-all for all these risk
2 things.

3 And they're saying if we have a recovery
4 action that is in our existing licensing basis and you
5 have approved it, either you have approved it in a
6 safety evaluation report, you were issued an
7 exemption, whatever, then that doesn't go on a plant-
8 change evaluation because nothing changed. And we
9 have always agreed with that.

10 But it is the "but" part that gets them.
11 We say but there is this 4.2.4.2 risk assessment where
12 you are using the performance-based approach for a
13 fire area that doesn't apply. It is a different -- it
14 is used for a different purpose.

15 So yes, we clarified that if it was
16 previously approved it doesn't go in the plant-change
17 evaluation. That doesn't really address the concern.

18 When we get to slide 12, we'll talk about the
19 concern.

20 The skunk portion, to be honest with you,
21 Harry wouldn't have missed this but I missed it when I
22 was reading this paragraph 4.2.3.1, it is talking
23 about recovery actions credited -- or recovery actions
24 to ensure the availability of the equipment and
25 systems that are credited for the safe shutdown.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 That's not all the recovery actions.
2 That's just all the ones that have to have the
3 additional risk assessed. And when I wrote that
4 portion, I missed that. So we changed it in the Reg
5 Guide.

6 MEMBER STETKAR: I guess I got confused by
7 that. I read that and if I think of a fire in this
8 room and I designated a specific set of equipment as
9 the equipment that is required for safe shutdown in
10 this room, and in my analysis of this room I include
11 credit for recovering other equipment, manual actions
12 to mitigate the fire damage to other equipment in this
13 room, does that mean I do not need to quantify the
14 effects of those other --

15 MR. LAUR: Yes.

16 MEMBER STETKAR: -- actions?

17 MR. LAUR: Yes, right. But let me clarify
18 just a little bit.

19 MEMBER STETKAR: What does the result of
20 my risk assessment mean? Do I assume that they are
21 100 percent absolutely perfect? They have zero error
22 rate?

23 MR. LAUR: No, no, no, no. Let me clarify
24 your example just a little bit if I may be so bold. I
25 have a fire area. For fires in this area, I am

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 crediting systems in some other area. That's the
2 ideal design, right? You have three-hour barriers or
3 some sort of --

4 MEMBER STETKAR: Right. But few plants
5 meet that ideal design. So I have many, many systems
6 in this fire area.

7 MR. LAUR: But they may, for a modern
8 plant with maybe RHR, I don't know, but, okay, let's
9 assume we have that, okay? So I have a fire in the B
10 train room. I say well, I'm going to use the A train.

11 I have a fire in the A train room, I'm going to use
12 the B train.

13 Now if I have some -- for some reason
14 there are some control cables from the other train in
15 this room and they could spuriously fail the other --
16 the credited train but I say I can go down there and
17 open a breaker. That manual action, that recovery
18 action, it meets the definition of recovery action and
19 it is to make sure that that credited train works per
20 the deterministic rules.

21 Now I might also say well, you know, for
22 this particular fire scenario in this B train room,
23 all I have to do is flip one switch or open one
24 breaker and the B train will work or some third train,
25 okay? It is the fire-effected train. That, although

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it is a recovery action if it is needed to meet the
2 safety goals -- it may or may not be -- but it is not
3 on the credited train. It is on the fire-effected
4 train or it may be some other train. I don't know.

5 It must make some difference to some
6 plants or industry wouldn't have made the comment.
7 But from a practical standpoint, they can do all the
8 actions they want that are unrelated to that fire --
9 to the credited train. And if they meet the
10 definition of recovery action, they may meet the
11 definition of recovery action as follows --

12 MEMBER STETKAR: But according to the
13 rule, if I take credit for recovery action, I
14 immediately fall into the risk-informed performance-
15 based criteria.

16 MR. LAUR: No, no, no, no. That's the
17 problem.

18 MR. BARRETT: That's the problem. If you
19 read the way 805 was written, 4.2.3.1 states -- and if
20 you pull it up we can -- it actually states that when
21 recovery actions are required to assure the
22 availability of a success path required to meet the
23 nuclear safety performance criteria, that implies use
24 of a performance-based approach, okay?

25 MEMBER STETKAR: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BARRETT: What that is say is it is
2 similar to the discussion we had this morning with
3 green box/orange box. If you use a recovery action to
4 assure that green box stuff so that you have a
5 charging pump to be able to put water in so that you
6 don't end up losing inventory in the RCS, that
7 recovery action, you've got to assess the risk. And
8 it has got to be acceptable to the AHJ.

9 MEMBER STETKAR: I understand that.
10 Suppose I use a -- I will not use the word recovery.
11 Suppose I use an action, a human action, for example,
12 in the flow path that we saw this morning for a person
13 to mitigate the fire damage to the orange valve on the
14 tank --

15 MR. BARRETT: Yes.

16 MEMBER STETKAR: -- is that -- that action
17 is not required to be recovered -- quantified?

18 MR. BARRETT: No. You'd still have to do
19 the action but you wouldn't necessarily have to do the
20 delta risk because that's not differing from the
21 deterministically compliant train. This is all set up
22 to be based on the idea that you have a train you
23 define for your success criteria.

24 And if you are not protecting that train,
25 we want to know the delta risk for why you are not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 doing it that way.

2 MEMBER STETKAR: So if I do an analysis
3 and it says that that value, if it is open, will drain
4 the tank in -- now I'll use the one hour and 15
5 minutes rather than the 45 minutes --

6 MR. BARRETT: Right.

7 MEMBER STETKAR: -- one hour and 15
8 minutes and I do the NUREG 1852 analysis that says
9 that well, indeed, there is one hour and 15 minutes
10 available and the operators can complete this action
11 in one hour and 14 minutes --

12 MR. BARRETT: Then you'd have to protect
13 it.

14 MEMBER STETKAR: -- then I do not need to
15 quantify the likelihood that they can actually perform
16 that action in one hour and 14 minutes --

17 MR. BARRETT: No, in order to meet your --

18 MEMBER STETKAR: -- because I have that
19 one-minute delta. Is that the way it is interpreted?

20 MR. BARRETT: Well, in accordance with
21 805, in addition to doing the risk analysis, you also
22 have to defense in depth and safety margin. In that
23 particular instance, I would say you're not meeting
24 defense in depth or safety margin because you have no
25 margin there, okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER STETKAR: I've got a one-minute
2 margin.

3 MR. BARRETT: You'd still end up having to
4 protect it, okay. You'd still end up having to do the
5 performance assessment to show that you meet the
6 safety goals and criteria which would be that you've
7 got to maintain pressurizer level or essentially
8 you've got to maintain subcooling. You've got
9 inventory pressure, all of those things. You still
10 have to end up showing you can control the plant.

11 The difference is 805 specifically says
12 you've got to tell me the delta risk for not
13 protecting that protected train. That's all that is
14 really saying. And that's all we --

15 MEMBER RAY: The protected train is -- you
16 really mean the safe shutdown train?

17 MR. BARRETT: Yes.

18 MEMBER RAY: Okay. We should try and
19 stick to the same words all the time because I get
20 confused easily.

21 CHAIR APOSTOLAKIS: Isn't the rule a
22 little bit fuzzy here? I mean if I go and you
23 mentioned, both of you, to 3.1, it says previously
24 approved alternatives from the fundamental protection
25 program take precedence over the requirements

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 contained herein.

2 MR. LAUR: No, that is not fuzzy at all.
3 That is the one --

4 CHAIR APOSTOLAKIS: Wait, wait.

5 MR. LAUR: That is the one clear part of
6 this rule.

7 CHAIR APOSTOLAKIS: No, the fuzziness
8 comes next.

9 MR. LAUR: Oh, okay.

10 CHAIR APOSTOLAKIS: Then you move on to
11 4.2.4 where it says now when you consider recovery
12 actions, you have to do the performance-based
13 approach.

14 MR. LAUR: Right.

15 CHAIR APOSTOLAKIS: What is confusing to
16 me is what the NEI says there. If the recovery action
17 is a previously-approved alternative, why on earth do
18 I have to do this?

19 MR. LAUR: Oh, okay.

20 CHAIR APOSTOLAKIS: Then if you believe or
21 the authors of this believe that human reliability
22 evaluations are particularly uncertain, it seems to me
23 that if I, as a previous alternative approval or
24 alternative approach, I have demonstrated to the staff
25 that a particular fire barrier would work, I know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 enough of heat transfer calculations to tell you that
2 that also is very uncertain.

3 So why don't you include that? So in
4 other words, why don't you take all of the previously
5 approved alternatives and throw them into the risk
6 assessment? Why do you single out human recovery
7 actions regardless of whether they have been approved
8 or not in the past? I mean presumably the staff that
9 approved them did a good job.

10 MR. LAUR: Well, we're going to get to
11 that slide. Yes, I think that is probably the next
12 slide. But let me just point out one thing. 3.1
13 where it says previously approved alternatives to the
14 fundamental, okay, Chapter 3 is entitled Fundamental
15 Elements in Design -- fundamental whatever design
16 element, it is talking about Chapter 3. And Chapter 3
17 are the things such as the fire brigade, it's the fire
18 --

19 CHAIR APOSTOLAKIS: It's the fundamental
20 program.

21 MR. LAUR: Right. And that is what 3.1
22 refers to.

23 CHAIR APOSTOLAKIS: Yes.

24 MR. LAUR: Chapter 4 is totally different.
25 And the only thing that is equivalent to that in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Chapter 4 is back in Chapter 2 -- 2.2.7 that says --

2 CHAIR APOSTOLAKIS: Let me --

3 MR. LAUR: -- if you can show using a
4 deterministic approach an equivalent level of fire
5 protection, that shall be acceptable. Okay? So if
6 you have 15 feet of separation and you are supposed to
7 have 20, NRC has granted you an exemption for 15 feet,
8 okay --

9 CHAIR APOSTOLAKIS: Yes.

10 MR. LAUR: -- we are saying -- and the
11 standard says that meets the deterministic
12 requirements in here not directly through 4.2.3 but
13 through paragraph 2.2.7. It says we have already
14 determined that provides an equivalent level of fire
15 protection.

16 CHAIR APOSTOLAKIS: Okay.

17 MR. LAUR: But when you get to that
18 paragraph that Harry quoted from, it says if you have
19 recovery actions that are necessary to maintain the
20 availability of the credited train --

21 MR. BARRETT: Successfully.

22 MR. LAUR: -- that shall imply use of the
23 --

24 CHAIR APOSTOLAKIS: Can we find that
25 paragraph?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LAUR: 4.2.3.1, it's on page --

2 CHAIR APOSTOLAKIS: Yes, I see that.

3 MR. LAUR: -- okay. It's a compound
4 thought here. It says one success path of cables and
5 equipment to achieve/maintain the nuclear safety
6 performance criteria without the use of recovery
7 actions shall be protected by the requirements of the
8 following paragraphs. I left out the things. It is
9 without use of recovery actions shall be protected.

10 And it says use of recovery actions to
11 demonstrate the availability shall automatically --
12 oh, excuse me -- automatically shall imply use of the
13 performance-based approach as outlined in 4.2.4.

14 So the rule itself has -- we can -- when I
15 first read this, I had worries about the 15 feet as
16 well. But somebody walked me through this rule and
17 said no, there is a way out for virtually everything.

18 Until you get to recovery actions, this rule calls
19 them out.

20 Now in 2002 when this was a proposed rule,
21 NEI and Alex Marion sent in a letter for the staff
22 saying this paragraph, we have a comment. Please an
23 italicized exception that says previously docketed
24 recovery actions or human actions shall be deemed to
25 meet the deterministic requirements.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And in our SECY answer to that, we did not
2 incorporate that comment. We incorporated some other
3 ones but we did not incorporate that one.

4 MEMBER RAY: Okay. But could you --
5 you've now explained the difference between recovery
6 actions and other I'll call them exemptions because
7 sometimes we use that word. Do you have any reason
8 that you can give or why are they seemingly treated
9 differently in this respect that we're talking about.

10 MR. LAUR: In the rule, George.

11 MEMBER RAY: Well, yes, I guess. But why
12 should they be for any reason that you can think of?

13 MR. LAUR: I can't answer that.

14 MEMBER RAY: Okay. Well, because I had
15 thought maybe they were different for some reason.
16 That somebody would say that are different because --
17 other than that's the way it is.

18 MR. LAUR: I don't know if I agree with
19 George that a barrier has more or equal uncertainty to
20 an HRA or even getting back to --

21 MEMBER RAY: Okay, now we are getting to
22 what I was going to say. But go ahead.

23 MR. BARRETT: I guess -- let's take your
24 15 feet versus 20 feet example of separation. All
25 right the reason the staff will have found that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 acceptable was because of an evaluation that
2 determined there was no difference in combustibles
3 between the 15-foot and the 20-foot separation.
4 Therefore --

5 MEMBER RAY: The word equivalent appears.

6 MR. BARRETT: Or there was some
7 equivalence that was done to make sure the 15 feet was
8 okay.

9 MEMBER RAY: Yes.

10 MR. BARRETT: Right, that was part of the
11 evaluation.

12 MEMBER RAY: But the word equivalence is
13 never used with the recovery actions -- approved
14 recovery actions are equivalent are --

15 MR. BARRETT: Right, right, right.

16 MEMBER RAY: -- to deterministic. That's
17 the difference that I have seen. But I guess what I
18 was trying to see is has anybody talked about why? I
19 mean we can instinctively --

20 CHAIR APOSTOLAKIS: Or is it -- yes.

21 MR. BARRETT: I think the reason why is
22 because this is really based on Appendix R even though
23 it is not -- it doesn't really refer to Appendix R but
24 the structure and the words in here are very similar.
25 They are not identical but they are very similar to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the III.G.2 section of Appendix R where you pretty
2 much have separation but you might have some cables
3 that crisscross the areas.

4 The basic idea is that you protect those
5 things that go in the opposite area so that you can
6 end up doing all that stuff from the control room,
7 okay? And this was written with the idea all right,
8 we'll let you use manual actions. But you've got to
9 tell us how risky they are. And they ended up having
10 to meet some threshold as far as how risky.

11 MEMBER RAY: Fair enough. But somehow you
12 come to an equivalence determination with regard to
13 separation that you can't reach that same equivalence
14 determination with respect to --

15 CHAIR APOSTOLAKIS: I still --

16 MR. BARRETT: Well, in every case, you may
17 be able to do that with recovery actions. You may
18 have a situation where you have the same room and you
19 end up having it 15 foot. And you are talking about
20 well, there is a recovery action in one of them and we
21 can end up making the same kind of demonstration of
22 that.

23 MEMBER RAY: So that's George's point
24 about it being inconsistent to treat physical
25 separation exemptions differently than recovery

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 actions.

2 CHAIR APOSTOLAKIS: Picking and choosing.

3 I mean this previously-approved alternative is okay
4 because I'm a deterministic guy and I trust those
5 crazy people. But the human reliability I don't
6 trust. So I want you to do a risk analysis.

7 And what I'm saying is if that -- does
8 4.2.3.1 imply that you should forget what we said in
9 3.1, that previously-approved alternatives take
10 precedence and now we want you to do something in
11 recovery actions, it seems to me it is an
12 interpretation issue.

13 I can see you saying well, I look at
14 4.2.3.1. I says recovery actions but the previous one
15 told me about previously-approved alternatives so I
16 will focus on the recovery actions that were not
17 previously approved. That would make perfect sense to
18 me.

19 But right now it seems -- you know don't
20 think it is an easy thing to say you are supposed to
21 have 20 feet but we will approve only ten because they
22 installed a one-hour barrier there. This one-hour
23 barrier is something that comes from a stylized
24 experiment and how the heat is transferred through it
25 is another story.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So if you want -- if you are uncomfortable
2 with the method for calculating human reliability, I
3 would say you should be uncomfortable with the method
4 that calculates the effectiveness of a three-hour or a
5 one-hour fire barrier. And yet the rule doesn't do
6 that.

7 MR. BARRETT: Yes, I think when Steve
8 views the slide 12, you'll see we're not saying that
9 we are questioning the previously-approved recovery
10 action. We're not --

11 CHAIR APOSTOLAKIS: You are negating it.

12 MR. BARRETT: Well, no --

13 CHAIR APOSTOLAKIS: So this doesn't apply
14 to recovery.

15 MR. BARRETT: -- that's not correct.

16 MEMBER RAY: But for purposes of
17 quantification he means.

18 CHAIR APOSTOLAKIS: Yes, that's right.

19 MR. BARRETT: But it is not correct on how
20 our current position is.

21 MEMBER RAY: Okay.

22 MR. BARRETT: Let's go to --

23 MEMBER RAY: You're still going to
24 quantify it, I'll bet you. And that's the issue.

25 MR. LAUR: But I guess the reason I am

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 unable to answer the question is I don't think anybody
2 in this room -- maybe some people in this room were on
3 the original writing committee. Oh, okay, there are
4 some people in this room. But I know members of our
5 staff have contacted other members of the writing
6 committee --

7 CHAIR APOSTOLAKIS: Who are the members of
8 the writing committee?

9 MR. LAUR: It's not clear why that is in
10 there.

11 CHAIR APOSTOLAKIS: Would you care to
12 comment? You have to come here. Please identify
13 yourself.

14 MS. KLEINSORG: Hi, I'm Liz Kleinsorg.
15 The reason we called -- the reason the sentence was
16 written to use the recovery actions implies the use of
17 performance-based approaches is because the writing
18 team felt that operator manual actions at the time are
19 performance based because you had to demonstrate the
20 feasibility.

21 So once you have to go out and demonstrate
22 the feasibility of the action, that is a performance-
23 based task we thought. So that is why that sentence
24 is written there. It has nothing to do with risk. It
25 had everything to do with the fact that demonstrating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 an operator action can occur has to do with timing and
2 looking at the situation and the room. And that's why
3 that sentence got added.

4 CHAIR APOSTOLAKIS: Well, my problem --
5 and I think of some of my colleagues -- is that if
6 that action had been approved at the fire time, then
7 that feasibility was demonstrated then. Why do I have
8 to go back?

9 MS. KLEINSORG: We agree with you.

10 (Laughter.)

11 MS. KLEINSORG: We do.

12 CHAIR APOSTOLAKIS: So where does that
13 leave us now if she agrees with me? First of all, you
14 know, this is just an oral statement of course. We
15 have to go by the letter.

16 But it seems to me you have flexibility
17 here. Between 3.1 and 4.2.4, you have some
18 flexibility. And say previously approved actions are
19 approved, period. So the new ones, that is where I'm
20 coming from. But I'm sure the members will object.

21 MEMBER RAY: Well, George, I think -- we
22 haven't let them get to 12 yet but I think they are
23 going to separate the additional risk from the
24 quantified total risk. And so probably you should
25 express why you wouldn't even quantify this existing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 previously-approved risk.

2 CHAIR APOSTOLAKIS: Yes.

3 MEMBER RAY: It is because it seems
4 inconsistent to do that and not do it for other
5 things.

6 CHAIR APOSTOLAKIS: Exactly.

7 MEMBER RAY: All right. But it doesn't do
8 any harm --

9 CHAIR APOSTOLAKIS: Oh, well --

10 MEMBER RAY: -- in the sense that it
11 transparently reveals what the risk contribution of
12 all recovery actions is. That would be my --

13 CHAIR APOSTOLAKIS: But then you have this
14 other problem, as you know very well, that there is
15 guidance that says here is the risk but don't -- we
16 don't give you any acceptance criteria for a
17 particular part --

18 MEMBER RAY: We just say that --

19 CHAIR APOSTOLAKIS: -- which I think is
20 crazy as well.

21 MEMBER RAY: -- we've quantified the risk
22 that is previously approved. And now we are
23 quantifying the additional risk.

24 At least my first reaction to that is
25 okay, that's okay with me.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: But maybe we'll let
2 Steve cover the next two slides.

3 MEMBER RAY: Oh, why don't we. We're
4 doing such a good job here.

5 MEMBER STETKAR: Before we do that, before
6 we get to 12, the second bullet here still bothers me
7 an awful lot. In our June meeting -- and I'll bring
8 up the example that I brought up in the June -- or
9 whenever we had the meeting -- and elaborate on that
10 example because I want to understand what a recovery
11 action is in the context of this Reg Guide because
12 what the -- I understand what it is kind of in the
13 context of NFPA 805. And that basically says that any
14 action inside the main control room is not a recovery
15 action.

16 Now, I need to define what actions outside
17 of the main control room are recovery actions and
18 which ones are not. So NFPA 805 does not define --
19 just brings into the fray the concept of a primary
20 control station. Now, as I understand it, Reg Guide
21 1.205 tries to tell me what a primary control station
22 is.

23 So I'll bring up the example that I
24 brought up in June and try to help try to elaborate a
25 little further. Suppose I have a motor-operated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 valve. The motor-operated valve has an automatic
2 signal. The valve does not have a control in the main
3 control room. It does not have a control in the main
4 control room.

5 Its control switch is located on a local
6 panel down in the basement of the turbine building.
7 Now the fire destroys the automatic signal for that
8 valve. If the operator must go to the local panel in
9 the basement now and operate the valve from that
10 panel, is that a recovery action? No. Please say no.

11 MR. LAUR: No.

12 MEMBER STETKAR: Thank you.

13 If that valve is physically located two
14 meters outside the door of the main control room and
15 the operator goes outside the control room and opens
16 the valve with the handwheel, is that a recovery
17 action?

18 MR. BARRETT: Well, one thing that we've
19 changed in the Reg Guide --

20 MEMBER STETKAR: I'd like a yes or a no
21 first.

22 MR. BARRETT: I can't tell you that
23 because I need to know why you are using that valve.

24 MEMBER STETKAR: I'm using it for the same
25 reason that I went down in the basement and turned the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 switch. It's the same valve.

2 MR. BARRETT: It's the same valve?

3 MEMBER STETKAR: It's precisely the same
4 valve. The only difference is I'm not going in the
5 basement of the turbine building turning the
6 electrical switch. I am, indeed, walking out of the
7 control room and turning the manual handwheel for said
8 valve. It saves me a long way to walk.

9 MR. BARRETT: Oh, if it is the same valve
10 -- the switch is down there, the valve is right here.

11 MEMBER STETKAR: The valve is right
12 outside the control room door. The switch is in the
13 basement of the turbine building.

14 MR. BARRETT: Is this in a basketball
15 plant or --

16 (Laughter.)

17 MEMBER STETKAR: I mean what -- it is a
18 plant.

19 MR. BARRETT: Well, the other difference
20 is --

21 MEMBER STETKAR: I'm trying to understand
22 the philosophy of defining a local control station.

23 MEMBER SIEBER: Yes, the other difference
24 is --

25 MEMBER STETKAR: Primary control station.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: -- you no longer operate
2 it electrically. You operate it by hand.

3 MEMBER STETKAR: I am going to get to that
4 part in the follow on.

5 CHAIR APOSTOLAKIS: So you said when they
6 had to walk down to the basement, that's not a
7 recovery action?

8 MR. BARRETT: That is not a recovery
9 action.

10 CHAIR APOSTOLAKIS: Then why isn't --

11 MEMBER STETKAR: Because that is the Reg
12 Guide's interpretation of what -- this is now the Reg
13 Guide's interpretation, not the rule.

14 MR. BARRETT: If that is a system -- if
15 that is a component -- let me -- another caveat that
16 is in the Reg Guide -- if that is the only way that is
17 operated, and that you are not going that because you
18 are not protecting an electrically-operated component
19 that would be available from the control room, let's
20 say you are talking about a charging system --

21 MEMBER STETKAR: No, no, I'm not -- don't
22 talk about the charging system. I want to talk about
23 my valve. My valve is a motor-operated valve. It
24 does not have a switch in the main control room.

25 MR. BARRETT: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER STETKAR: It is a motor-operated
2 valve. Its only switch -- the only switch for this
3 valve in the entire world is on a panel in the
4 basement of the turbine building. The only way I can
5 operate that valve electrically is to go to that panel
6 in the turbine building and turn that switch.

7 MR. BARRETT: All right.

8 MEMBER STETKAR: That's the only way I can
9 operate that valve electrically.

10 The valve happens to have an automatic
11 signal also. That doesn't go through the main --

12 MR. BARRETT: That may be here or there.

13 MEMBER STETKAR: But the fire destroys the
14 automatic signal so the valve doesn't open.

15 MR. BARRETT: Okay.

16 MEMBER STETKAR: Now I need to open that
17 valve for my required system to work. That valve must
18 open.

19 MR. BARRETT: Okay.

20 MEMBER STETKAR: So I can go down to the
21 basement of the turbine building and turn the switch.

22 MR. BARRETT: All right.

23 MEMBER STETKAR: And the valve will open.
24 Or I can walk outside of the main control room and
25 turn the handwheel on that valve. The valve will also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 open.

2 MR. BARRETT: Right.

3 MEMBER STETKAR: Either one of those will,
4 in fact, result in an open valve.

5 MR. BARRETT: Right.

6 MEMBER STETKAR: It is my understanding
7 that action number one, going down in the basement,
8 turning the switch on the control panel, is not a
9 recovery action. But action number two is a recovery
10 action.

11 MR. BARRETT: Yes. The way the Reg Guide
12 is written right now --

13 MEMBER STETKAR: Okay.

14 MR. BARRETT: -- your specific example,
15 you are right.

16 MEMBER STETKAR: Okay.

17 MR. LAUR: But actually our definition
18 doesn't cause that. No definition at all would cause
19 that same thing.

20 MEMBER STETKAR: That's all -- I just
21 wanted to understand that part first.

22 I now want to make the fact that this
23 valve, my valve is not an electrically-operated valve.

24 It is strictly a manual valve, mechanical, manual
25 valve, rising stem mechanical valve. It is located

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the same position, two feet outside of the main
2 control room.

3 If I go outside the main control room and
4 operate -- open that valve, is that a recovery action?

5 MR. BARRETT: It depends on why you are
6 opening the valve.

7 MEMBER STETKAR: It's -- I need to open
8 that valve to make my system work. Obviously I'm --

9 MR. BARRETT: Are you opening the valve
10 because a component that is controlled from the
11 control room could be damaged and you are bypassing
12 that component with the manual valve?

13 MEMBER STETKAR: I haven't quite figured
14 out every single fire scenario. I'm trying to
15 understand the fact that I need to open this valve for
16 some reason to satisfy my safe shutdown criteria.

17 MR. LAUR: Before you answer, let me just
18 -- I don't think it is your question, it's the
19 logistics. We've transmitted to this body about 30
20 days ago the new and improved Reg Guide, okay? But
21 then last week we sent you a couple sections that were
22 changed.

23 Now I'm trying to think, was this in the
24 original we sent you? I think this was in what we
25 sent you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER STETKAR: Yes.

2 MR. LAUR: Okay, so in there it talks
3 about -- it talks about what Harry is getting ready to
4 discuss is -- it says in this one slide we added and
5 we took away. If the reason you are having to operate
6 that is because you very cleverly decided that I would
7 draw my flow path and bypass all the motor-operated
8 valves and just go through all the manual bypass
9 valves and say ah-hah, there's no recovery actions.
10 We closed the loophole --

11 MEMBER STETKAR: Right.

12 MR. LAUR: -- in our definition of primary
13 control station.

14 MEMBER STETKAR: No, I wasn't trying to be
15 quite that subtle. I was trying to understand -- it
16 is my understanding and it is in the second bullet
17 under your second bullet there -- it is my
18 understanding that the clarification now says that if
19 a valve can only be located -- operated via its local
20 handwheel, then that local handwheel becomes the
21 primary control station for that valve.

22 MR. LAUR: Right.

23 MEMBER STETKAR: Unless --

24 MR. BARRETT: There's some caveats in the
25 Reg Guide as it is right now. If the reason why you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are using that valve is that you don't want to protect
2 the circuits in the area for the remotely-controlled
3 valve that would normally be used, then yes, that is a
4 recovery action. Because in essence you are saying
5 I'm going to use this local handwheel instead of
6 protecting the cables for that other valve, okay?

7 MR. HARRISON: But to clarify, if the
8 manual valve is the only valve you've got and it is
9 the only valve in the flow path and you have to open
10 it, you have to turn it, then that would not be a
11 recovery action, right?

12 MR. LAUR: Right.

13 MEMBER STETKAR: But where I am trying to
14 get to is that I now have an incentive to cut the
15 cables to that motor-operated valve because now that
16 valve suddenly -- I don't need to quantify any
17 recovery action for that valve. It is a manual
18 mechanical valve. I don't need to quantify it because
19 it doesn't meet the criteria for being a local manual
20 recovery action.

21 I solved my problem in terms of
22 performance-based risk assessment by simply going out
23 and saying poof, I'm not going to make that a motor-
24 operated valve. I will make that a mechanical valve.

25 MR. BARRETT: But no, you still have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 assess the risk in the base PRA. You still have to
2 end up modeling it correctly. We're just not asking
3 for a delta risk on it because you're not calling it a
4 recovery action. But it has to be modeled in the PRA.

5 MR. BARRETT: Every other -- you create
6 other problems that are bigger than the ones you
7 solved. If you fix your fire scenario in the control
8 room, you may have created other area issues.

9 MR. LAUR: You would certainly have to
10 pass 50.59 as well as any other -- plus you are making
11 a change to your fire protection program potentially.

12 I don't know. It is a good thought experiment. I
13 still want to see the plant.

14 MR. BARRETT: I think you can always come
15 up with a hypothetical that will end up making a set
16 of criteria not work particularly well. You can
17 always do that.

18 MEMBER STETKAR: I guess I could have also
19 defined a primary control station outside of the main
20 control room as being restricted only to the
21 designated emergency shutdown panels period. And that
22 any other action shall be deemed recovery action.

23 Now that would clarify my problem because
24 running down to the local panel in the basement of the
25 turbine building would be a recovery action. Cranking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the manual valve open would be a recovery action.
2 Manually cranking open the motor-operated valve would
3 be a recovery action.

4 If I defined -- and in the Reg Guide we
5 have the latitude to clarify what is meant by a
6 primary control station, my sense of NFPA 805 is they
7 were thinking of control room fires and operating
8 equipment from designated emergency control stations.

9 MR. BARRETT: Actually some of the
10 comments we got from people within the NRC were just
11 the opposite of that. And they tended to lean towards
12 the local control. But I understand what you are
13 saying. And we have a variety of people that are
14 commenting on this. And we are trying to address all
15 of their comments.

16 We have some licensees out there that
17 currently have manual valves in their licensing basis
18 because they were allowed. And we are trying to end
19 up addressing that as well. So this is an attempt to
20 -- you know, it is an impossible dream to try to --
21 you can't make everybody happy all the time. So --

22 MR. LAUR: Just very briefly so we don't -
23 - and I'm not trying to delay getting to slide 12 but
24 the first of those two bullets, what we did was we
25 actually made it a little less burdensome in that if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you have a dedicated -- if you use a dedicated or
2 alternative shutdown options of Appendix R and you
3 have a location that meets the same criteria we had in
4 last time, then that is considered primary.

5 In other words, what you have basically
6 done -- the complaint was that there are no plants
7 that have two separate control rooms. Well, actually
8 there are. You've got a main control room and this
9 little very sparse separate area that many plants
10 have, okay?

11 And so if that has the necessary
12 instrumentation and controls, manual controls where
13 most of the control room team goes, for example, we're
14 saying that could be considered primary. And the
15 difference is last time we said the decision to
16 evacuate and all that, well we took all that out.

17 It's just if you are evacuating and going
18 to a dedicated or alternative -- the exception would
19 be a distributed one where everybody goes a different
20 place. We're not calling that primary. But it sounds
21 like you would be in favor of saying --

22 MEMBER STETKAR: But you are calling it
23 primary if those other places are the only locations.

24 MR. LAUR: We are now. But it sounds like
25 you would be in favor -- oh, no, no, we're not. I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sorry.

2 MR. BARRETT: Well, it depends on whether
3 or not you could have protected something. Yes, it
4 depends.

5 MEMBER STETKAR: Anyway, I think we need
6 to get on to --

7 MR. LAUR: Okay.

8 CHAIR APOSTOLAKIS: Can you explain though
9 to me why you have to define some actions as being
10 recovery and others not?

11 MR. LAUR: As opposed to all of them being
12 --

13 CHAIR APOSTOLAKIS: As opposed to treating
14 all human actions the same?

15 MR. LAUR: Because the rule -- or the
16 standard, I should say, asks for the risk of certain
17 recovery actions. So we have got to define what those
18 certain --

19 CHAIR APOSTOLAKIS: Certain recovery
20 actions?

21 MR. LAUR: -- recovery actions --

22 MEMBER STETKAR: The problem is the rule,
23 and I'll read the definition in the rule. The rule
24 says a recovery action. This is 1.6.52. Activities
25 to achieve the nuclear safety performance criteria

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that take place outside of the main control room --

2 CHAIR APOSTOLAKIS: Yes.

3 MEMBER STETKAR: -- or outside of the
4 primary control station(s) for the equipment being
5 operated including the replacement or modification of
6 components. So the rule --

7 CHAIR APOSTOLAKIS: Yes.

8 MEMBER STETKAR: -- says that anything
9 that I do inside the main control room --

10 CHAIR APOSTOLAKIS: Okay, tell me again
11 what the paragraph is.

12 MEMBER STETKAR: It's 1.6.52.

13 CHAIR APOSTOLAKIS: Okay.

14 MEMBER STETKAR: So the rule excludes
15 anything that I do inside the main control room.

16 CHAIR APOSTOLAKIS: Okay.

17 MEMBER STETKAR: And then the question
18 becomes what do I define as a primary control station
19 outside the main control room. So it's -- and the
20 rule says absolutely nothing more about that. So the
21 Reg Guide now needs to provide the interpretation of
22 that other thing.

23 Now it's -- in the human reliability
24 world, there is a question about why do I take full
25 credit of every action inside the main control room.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But the rule says I must.

2 That's why I'm kind of hanging up on what
3 is the definition of a primary control station. And
4 differentiation between mechanically opening a motor-
5 operated valve versus mechanically opening a
6 mechanical valve versus electrically operating a
7 motor-controlled valve from a place that might not
8 necessarily be all that easy to reach.

9 CHAIR APOSTOLAKIS: Okay. How much more
10 time do you need to finish?

11 MR. LAUR: I would like to cover slides 12
12 and 14. Probably about ten minutes.

13 CHAIR APOSTOLAKIS: We have time, yes.

14 MR. LAUR: I mean we could take longer.

15 Okay, previously approved recovery actions
16 -- and in the preceding slides I talk about -- we had
17 comments and here is how we've changed the Reg Guide.
18 What I'm going to walk you through right now is the
19 changes between what we sent you 30 days ago and what
20 we sent you last week based on some internal
21 discussions.

22 The latest version of the Reg Guide, the
23 Reg Guide we'd like to go forward with, says that the
24 additional risk of recovery actions, that's delta CDF
25 and delta LERF, has to be evaluated. That's in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 rule and we're saying it doesn't differentiate between
2 previously approved or not previously approved.

3 However, for the previously approved ones,
4 it says the risk has to be acceptable to the authority
5 having jurisdiction. We're declaring because it was
6 previously approved, that is the acceptance criteria
7 unless it trips the backfit adequate protection or
8 cost-beneficial backfit.

9 So if somebody comes in with a two times
10 E minus four increase in core damage frequency, we say
11 well, that was previously approved. It's okay.
12 However, that additional risk is factored in to the
13 staff's decisions on all the other performance-based
14 parts that are using the fire risk method in that
15 plant.

16 So, for example, if you've used up the
17 entire Reg Guide .174 allowable risk increase, you can
18 have no other increases. No net increases in the
19 plant.

20 MEMBER RAY: Now you've used --

21 MR. LAUR: I'm sorry?

22 MEMBER RAY: You've used the word
23 additional. Could you just elaborate or define the
24 word additional -- the intent of additional in that?

25 MR. LAUR: Yes, 4.2.4.2, which is the part

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that says fire risk evaluations says if you want to
2 not meet performance based -- instead of meeting the
3 4.2.3 deterministic requirements, the additional risk
4 of that alternative compared to those deterministic
5 criteria shall be provided.

6 MEMBER RAY: It's the same. You haven't
7 changed that then? You have changed what additional
8 means?

9 MR. LAUR: No.

10 MEMBER RAY: Okay.

11 MR. LAUR: No. Now the -- well, like I
12 said, that gets factored in so it is easiest to show
13 you on this flow chart here where all the arrows used
14 to be straight.

15 You have to do this for each fire area and
16 then you do it again in total. But it is easiest to
17 talk about a fire area. So if you are in a fire area
18 that is using the fire risk method, the first question
19 you say is is do I have any previously-approved
20 recovery actions. And if so, is there additional risk
21 greater than the acceptance guidelines? Basically,
22 does it put you in Region I of the charts in Reg Guide
23 1.174.

24 And if the answer is yes --

25 MEMBER RAY: You used previously and then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you used additional. Please --

2 MR. HARRISON: Yes.

3 MEMBER RAY: -- just make sure I'm
4 tracking with you.

5 MR. LAUR: Okay.

6 MEMBER RAY: Is there any additional risk
7 associated with the previously approved? Is that what
8 you are saying?

9 MR. LAUR: Previously approved recovery
10 action --

11 MEMBER RAY: Yes, yes.

12 MR. LAUR: -- additional risk compared to
13 the deterministic criteria.

14 MEMBER RAY: Right.

15 MR. LAUR: Sorry.

16 MEMBER RAY: Sometimes people think
17 additional means in addition to previously approved.

18 MR. LAUR: Okay, understand.

19 So if that puts you in Region I, then if
20 you have what are called variances from the
21 deterministic that you want to carry forward in the
22 805 that have some risk component, you would have to
23 do something to reduce risk at least that much to
24 offset the risk because you are in Region I of Reg
25 Guide .174.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now if you go and the answer is no, you
2 have previously-approved recovery actions where the
3 additional risk is within the acceptance guidelines,
4 in other words, you are not in Region I, then you have
5 additional delta risk you can have.

6 So if you have a variance from the
7 deterministic, this cable going through the wrong room
8 or something and it is two E minus eight, you can do
9 that as long as you don't jump into Region I.

10 MEMBER SHACK: Okay, you are still going
11 to add that. I mean if you are at .99, you are
12 looking at the difference between that risk and the
13 Region I-type risk.

14 MR. HARRISON: Right. You've got a .01
15 margin or yes.

16 MEMBER SHACK: Okay, that wasn't clear to
17 me from the --

18 MR. LAUR: No, so what -- it's a dichotomy
19 in the sense that previously approved means it carries
20 forward. You can have it. But it informs the
21 decisions being made on the rest of the transition.
22 So that the cleanest way to transition is the way we
23 put in the original draft guide and say hey, we're not
24 going to carry any of these things forward, we're
25 going to use the risk-informed fire risk analysis for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 all of them.

2 But if you want to, you can carry -- if it
3 is an exemption or previously approved through an SA,
4 you can carry it forward, yes, sir.

5 MEMBER STETKAR: But I've been really
6 struggling with this part of the Reg Guide and trying
7 to understand what it means. And I've come up to -- I
8 need an answer to what I hope is a simple question.

9 NFPA 805 requires a quantification of the
10 change in risk from a deterministic situation versus
11 let me call it the actual situation. Is that right?
12 And that actual situation, you know, accounts for
13 recovery actions whether they have been previously
14 approved or not previously approved.

15 The transition from my current licensing
16 basis to NFPA 805 also requires a quantification of
17 the change in risk from my current risk today compared
18 to the risk after I make the transition. Is that
19 right?

20 MR. LAUR: Not according to our current
21 Reg Guide.

22 MEMBER STETKAR: Under 1.174 it does.

23 MR. LAUR: This is not a risk-informed --
24 well, I may be corrected. This is not a risk-informed
25 transition. It would be presumptuous to say that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Commission allows two sets of alternatives and we have
2 to justify the risk to go to the second one.

3 The Commission has found that meeting
4 50.48(a) and (c) is an acceptable of complying with a
5 GDC 3. And, in fact, this part that says previously
6 approved really is what enables the plant change and
7 self approval and all that going forward. That's
8 after you have transitioned.

9 CHAIR APOSTOLAKIS: So if I --

10 MEMBER STETKAR: I guess that even more
11 confuses me.

12 CHAIR APOSTOLAKIS: If I take all the
13 previously-approved actions and I calculate the delta
14 risk and I violate Regulatory Guide 1.174, then the
15 way that I understand this now I have other places
16 where I don't comply. I evaluate the risk but really
17 it is a no-no. It will not be approved because you
18 already violated 1.174.

19 MR. HARRISON: It means you are going to
20 have to provide some type of risk decrease to offset
21 those other areas, right.

22 CHAIR APOSTOLAKIS: Okay.

23 MR. HARRISON: So you stay neutral
24 essentially after transition.

25 CHAIR APOSTOLAKIS: So I can even go back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to the previously-approved actions and do something
2 there to reduce the risk, right? I'm free to do it
3 anywhere.

4 But the other areas, the previously
5 approved will be approved because it was approved --

6 MR. HARRISON: Right.

7 CHAIR APOSTOLAKIS: -- even though it
8 violates the Guide.

9 MR. HARRISON: And, again --

10 CHAIR APOSTOLAKIS: But nothing else.

11 MR. HARRISON: Right. And the caveat --
12 the caveat there is there is always the adequate
13 protection or the safety-beneficial backfit
14 perspectives. If someone came in and they had a very,
15 very high risk associated with something that was
16 previously approved, we would look at that under our
17 normal processes.

18 CHAIR APOSTOLAKIS: Yes, right.

19 MEMBER SHACK: So the difference between
20 this and the 30-day-old one is that you are now
21 allowing the bundling with the decreases?

22 MR. HARRISON: No, I'd say this is fairly
23 radically different than what we had provided 30 days
24 ago.

25 MEMBER SHACK: Well, no because then you -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

-

MR. LAUR: We've always allowed bundling.

In fact prior to transition, the bundling could be a global change, you know, to subtract from all the fire areas.

MEMBER SHACK: But 30 days ago, you had to evaluate the delta risk.

CHAIR APOSTOLAKIS: Of the bundle.

MEMBER SHACK: And it had to be acceptable. And that's what you've got now.

MR. LAUR: No, the 30-day version carved out the previously-approved recovery action. This one over here said --

MEMBER SHACK: Well, one version I had said -- oh, okay, I guess I'm getting confused with the draft guide. This is basically the same as the draft guide then. How is it different from the draft guide?

MR. LAUR: It's different from the draft guide most significantly on the next slide where this burden of your previously approved actually carries forward after transition.

MR. HARRISON: But not only that though, I think even in the draft guide, that first diamond on the chart here where if it is previously approved, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 carries over.

2 And even if it is in Region I just based
3 on the previously approved, we're not saying you have
4 to reduce that risk. You can stay there with that
5 approval whereas in the draft guide, that would have
6 been an unacceptable situation. And you would have
7 had to reduce that risk.

8 Here we're letting you carry something
9 over. And it is in the Region I.

10 MEMBER SHACK: Oh, okay. So you could
11 stay in Region I if you chose.

12 MR. LAUR: Right.

13 MEMBER SHACK: And that's the difference,
14 okay.

15 MR. LAUR: Right.

16 MEMBER BLEY: Before you leave this one,
17 Steve, would you explain the two boxes you come out of
18 that first diamond, because I thought I understood it
19 and when I look at the diamonds, I'm not sure I
20 understand.

21 At the first diamond, does the delta risk
22 of the previously-approved actions put you up in the
23 bad region? If the answer is no, now you drop down to
24 another diamond.

25 MR. LAUR: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: And explain that diamond to
2 me.

3 MR. LAUR: Okay. The difference is --

4 MEMBER BLEY: Is everything else
5 previously approved? What does this mean? The PB?

6 MR. LAUR: I'm sorry, performance based.

7 MEMBER BLEY: Yes, which ones are they?
8 What are we talking about? New performance-based
9 evaluations?

10 MR. LAUR: Yes, yes.

11 MEMBER BLEY: Oh, okay. If something new
12 comes along --

13 MR. LAUR: And that includes recovery
14 actions and --

15 MEMBER BLEY: And the box it relates doing
16 the same thing? If there are new things --

17 CHAIR APOSTOLAKIS: What do you mean by
18 new? In addition to previously approved?

19 MR. LAUR: Yes.

20 MEMBER BLEY: That is what is going on in
21 this --

22 CHAIR APOSTOLAKIS: This refers to post
23 transition?

24 MR. LAUR: After --

25 CHAIR APOSTOLAKIS: We are looking at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 previously-approved actions and everything else --

2 MR. LAUR: Right.

3 CHAIR APOSTOLAKIS: -- during the
4 transition.

5 MR. LAUR: That's right. And everything
6 else are all the things that you have chosen to use
7 the fire risk evaluation method 4.2.4.2.

8 CHAIR APOSTOLAKIS: Okay.

9 MR. LAUR: So it can be maybe you have 15
10 feet in a room but it wasn't an exemption and you can
11 say here's a fire risk evaluation that shows that is
12 two times ten to the minus eight per year increase
13 over if I had 20 feet, whatever. Okay.

14 MEMBER BLEY: Now, if you do -- and now
15 we're in that box to the right --

16 MR. LAUR: Right.

17 MEMBER BLEY: -- to get out of Region I.

18 MR. LAUR: Yes. But no, no, no, just to
19 fully offset the --

20 MEMBER BLEY: Oh, just fully offset, okay,
21 fully offset. Thank you.

22 MR. LAUR: Yes.

23 MEMBER BLEY: And the second -- the lower
24 diamond, what you are saying is --

25 MR. LAUR: You can stay where you are.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: In the lower diamond what
2 you are saying is I have all these previously-approved
3 recovery actions that have eaten up a certain amount
4 of my -- but I'm not in Region I. I'm in Region Two
5 or Three or whatever --

6 MR. LAUR: Right. And any additional
7 increases from the non-previously-approved recovery
8 actions, all your other variances from deterministic
9 that you are going to say three minus eight and one
10 minus six whatever, anyway, when you add all those up,
11 they can't take more of that margin.

12 MEMBER BLEY: They can't put you into
13 Region I?

14 MR. LAUR: That's right.

15 MEMBER BLEY: Okay. I think I got it.
16 What we need is probably a bar chart and I've got to
17 go back and read the words and make sure I understand.

18 MR. LAUR: No, no, that's very good.

19 CHAIR APOSTOLAKIS: Okay. Let's move on
20 then.

21 MR. LAUR: Okay. And the next -- but the
22 next step is we are going to add them all up and do it
23 for the total plant the same way.

24 MEMBER BLEY: Okay.

25 MR. LAUR: But it is obviously more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 restrictive in a fire area.

2 MEMBER RAY: We struggled to create that
3 chart that you just gave us. Each of us had a
4 different picture.

5 CHAIR APOSTOLAKIS: Good.

6 MR. LAUR: This is a totally new concept
7 but because what we're saying is the way to comply
8 with 805 is to comply with 805. But if we granted you
9 previously-approved recovery actions, we're not going
10 to renege on that previous approval.

11 It just has consequences when you
12 transition. And it, in turn, has consequences after
13 you transition. That is to say the way the draft
14 guide says is after transition, your risk starts over.

15 You get to go up in risk from that point on just like
16 Reg Guide .174, okay.

17 But if you carry previous-approved
18 recovery actions forward, we will still evaluate that
19 as though it is another delta.

20 CHAIR APOSTOLAKIS: I don't understand
21 what it means.

22 MR. LAUR: Let me see if I can clarify it
23 because I know I didn't say that right.

24 If you come in this fire area and say I
25 want to make -- here is a change but it is a combined

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 change. It's small but it is combined so I have to
2 request NRC approval.

3 And we get it and say the net is two times
4 ten to the minus eight increase. And we look on there
5 and we say well that particular room had previously-
6 approved recovery actions that you carried over whose
7 delta risk sticks you in the Region I with this new
8 little change. We're going to say no.

9 MEMBER RAY: You are saying Chart 13
10 continues to apply, aren't you? Isn't that a simpler
11 way to say it than using examples? I mean you just
12 have to live with Chart 13.

13 MR. HARRISON: Going forward.

14 MEMBER RAY: Yes.

15 MR. LAUR: Whereas if you transition
16 without previously approved -- in other words, a plant
17 could elect -- let's say they're all low and they
18 could say well, don't count them as previously
19 approved. Count them as performance based and we meet
20 the metric. Then they are re-baselined as far as --
21 implementation is their starting over point for risk
22 informed for plant-change evaluations.

23 CHAIR APOSTOLAKIS: Yes, so essentially
24 what you are saying is that if in this area the delta
25 risk is greater than 1.174, you are not allowed to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 anything increasing risk in that area forever. You
2 will never be approved.

3 MR. LAUR: The staff would not normally
4 approve that, that's right, risk increases in those
5 rooms, yes.

6 CHAIR APOSTOLAKIS: I mean but what
7 happened to the idea that after you transition, you
8 now have a new licensing basis?

9 MEMBER RAY: That's what he is explaining.
10 They took it away.

11 CHAIR APOSTOLAKIS: They took it away.

12 MEMBER RAY: Yes.

13 CHAIR APOSTOLAKIS: But the rule, I
14 thought, said that.

15 MR. HARRISON: No, the rule doesn't say
16 that.

17 CHAIR APOSTOLAKIS: It doesn't say that?

18 MR. HARRISON: No.

19 MR. LAUR: But the regulatory analysis I
20 think says it.

21 MEMBER BLEY: So this kind of says if you
22 are going to do this, you want to make sure you don't
23 end up in this spot. It just wouldn't make sense.

24 MEMBER RAY: Something that -- it could be
25 that you would do this for the benefit that well, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just have to avoid a net increase in my risk. But I
2 can approve my own changes as long as I don't create a
3 net increase in risk.

4 MR. HARRISON: Right. Going forward you'd
5 have to offset every time you have something in that
6 room. So if you find something in the room, then you
7 --

8 MR. LAUR: And then you'd just submit it
9 to the staff.

10 MR. HARRISON: Right.

11 MEMBER BLEY: So you can't be self
12 approved in that room.

13 MR. LAUR: We didn't say that.

14 MEMBER BLEY: But I thought that was what
15 I just heard you say.

16 MR. HARRISON: We said the staff would not
17 normally approve. We don't normally approve self
18 approvals.

19 MEMBER BLEY: Oh, okay.

20 MR. LAUR: So we're not cutting that out.

21 MEMBER BLEY: Okay. So they could be in
22 Region I and they could still do self approvals.

23 MR. LAUR: Because of the ten to the minus
24 seven argument in favor of the lower threshold.

25 MR. LAUR: I don't know what is going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 come in. All we've seen so far are the two pilot
2 plants, okay. But you could postulate some plant
3 coming in with a -- not a high enough delta to
4 question backfit protection but a high delta that
5 would -- maybe like minus four, I don't know, due to
6 previously-approved recovery actions, I don't think
7 that we would want to be approving additional risk.

8 On the other hand, there's likely to be
9 plants that have much smaller numbers that come in
10 where they could actually chose to either maintain the
11 exemption or the prior approval or they could meet
12 this guideline. Or they would have just smaller
13 margins.

14 CHAIR APOSTOLAKIS: But, I don't know,
15 doesn't this go against the spirit of 1.174? It was
16 made very clear to us years ago when we were
17 discussing the guide that it refers to individual
18 changes.

19 The only time they would look at the
20 cumulative risk changes is, as I said earlier, if you
21 are approaching the goal. I mean, you know, you have
22 made so many changes that now you are ten to the minus
23 four. And the intent was not to use risk-informed
24 methods to push all the plants to the goal.

25 Here, this is a much more restrictive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 interpretation. You are saying the cumulative risk is
2 really what matters. You have reached the limit. You
3 are not allowed to go beyond it for that area.

4 For another area, I'm allowed to do
5 things, right? That's the way I am --

6 MEMBER RAY: George, isn't this -- another
7 way of saying it is that is only true if you
8 transition above --

9 CHAIR APOSTOLAKIS: Yes, you transition --

10 MEMBER RAY: You're already at the point
11 that you said we were assuming you wouldn't reach by
12 just incremental 1.174 changes, Region I. Isn't this
13 analogous to having reached that limit in the case you
14 are talking about?

15 CHAIR APOSTOLAKIS: But if I look at the
16 transition as one individual licensing basis change, I
17 am there. It has been approved. Now I have a new
18 licensing basis. That's the idea of 1.174. So any
19 new deltas will have to be evaluated against this new
20 licensing basis which effects the horizontal position.

21 MEMBER RAY: But that wouldn't be true if
22 you were at the goal in any other respect.

23 CHAIR APOSTOLAKIS: That is if CDF itself
24 reaches a goal, no. That will never happen. I mean
25 you'd have to have a million changes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RAY: Exactly. But all I'm trying
2 to do is make the analogy between the two cases, which
3 seem to me like it applies.

4 CHAIR APOSTOLAKIS: Maybe I'm not
5 understanding what you are saying. I have this area,
6 this room. And this is already above -- it is in
7 Region I.

8 MEMBER RAY: Right.

9 CHAIR APOSTOLAKIS: And it is approved.
10 Then now I am in the NFPA 805 domain. A year from
11 now, I come to you and I say in another area, I want
12 to make this change with this delta CDF. Does that
13 upper right-hand side diamond still apply to me?

14 MR. BARRETT: Yes, that's what we're
15 saying. For every room, regardless.

16 CHAIR APOSTOLAKIS: For every room? Not
17 just this one?

18 MR. HARRISON: Well, again, when you do
19 the total, you may have an offsetting risk somewhere
20 that brings the entire plant risk down. That's
21 acceptable. But that room may still be above the
22 threshold. You can actually have those situations
23 occur.

24 MEMBER SHACK: I don't think, George, that
25 is terribly different from what they do with 1.174

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 whereas once you get into Region I with your total
2 cumulative change, they are very reluctant to approve
3 any further changes, which is --

4 CHAIR APOSTOLAKIS: No.

5 MR. HARRISON: For related changes. For
6 example, when we do reviews where a licensee does a
7 diesel generator AOT and they go from three days to
8 seven days, if that licensee then comes back and goes
9 from seven to 14, we will go back and look at what the
10 change was from three days to 14, not seven to 14
11 because we're wanting to look at both of those changes
12 in toto.

13 CHAIR APOSTOLAKIS: I think the
14 difference, Donnie, is that in 1.174, if I -- the
15 normal changes, if I come into the agency with a delta
16 CDF that violates the guideline, the agency rejects
17 that change.

18 In your case because it was previously
19 approved, you have to live with it. That is a big
20 difference.

21 MR. HARRISON: Right. No, that is a big
22 difference.

23 CHAIR APOSTOLAKIS: The big difference is
24 because you are accepting a change that already
25 violates the guidelines.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HARRISON: Right.

2 CHAIR APOSTOLAKIS: And then you are
3 saying now, no more changes anywhere unless you do
4 things to bring the total down. That is essentially
5 what you are saying. You have already violated the
6 guidelines. I have to live with it because it was
7 previously approved. But don't ask me to approve
8 anything else.

9 MEMBER RAY: But that was for one room.
10 Let me --

11 CHAIR APOSTOLAKIS: No, no, they say for
12 the whole plant.

13 MEMBER RAY: Okay, I've got to clarify.

14 MR. HARRISON: If you had one room that
15 was just barely over the threshold and you have
16 somewhere else where you've had a risk reduction, you
17 could offset the whole total. But it is unlikely that
18 you will be in that unique situation.

19 Usually if one room puts you up into
20 Region I, you are most likely, as a total, going to be
21 up in Region I.

22 MEMBER RAY: Okay. That's something I
23 would --

24 CHAIR APOSTOLAKIS: So no other changes
25 are approved, okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HARRISON: So you are right. There,
2 again, the big change there is we are allowing that
3 situation to exist as opposed to saying --

4 CHAIR APOSTOLAKIS: Whereas in normal
5 applications --

6 MR. HARRISON: Right. The original draft
7 guide would have said that was unacceptable.

8 CHAIR APOSTOLAKIS: You'd have to do
9 something --

10 MR. HARRISON: You'd have to do something
11 to reduce that risk even though it was previously
12 approved. We backed off from that stance.

13 CHAIR APOSTOLAKIS: But you said this is
14 very recent. Has NEI had a chance to comment on this?

15 MR. HARRISON: No.

16 MR. LAUR: Well, they may in a few
17 minutes. But for the record, that was Mr. Bradley
18 speaking.

19 CHAIR APOSTOLAKIS: Can we do it today?

20 MR. BRADLEY: Assuming we ever get up
21 there -- this is Biff Bradley -- we will be happy to
22 address this as soon as we get our time on the --

23 CHAIR APOSTOLAKIS: That is a very good
24 assumption.

25 MEMBER RAY: We need to have a coffee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 break first.

2 CHAIR APOSTOLAKIS: Are you done?

3 MR. LAUR: Yes. I could show you one
4 concluding slide but you can probably read it for
5 yourself.

6 CHAIR APOSTOLAKIS: Yes.

7 MR. LAUR: The only thing I will say --

8 CHAIR APOSTOLAKIS: And you want the NCRS
9 to write a letter in September?

10 MR. LAUR: We'd love for you to.

11 CHAIR APOSTOLAKIS: Regardless of what the
12 letter says?

13 (Laughter.)

14 MR. HARRISON: And maybe we'll have a
15 clean copy of the Reg Guide.

16 CHAIR APOSTOLAKIS: We'll recess for 15
17 minutes and reconvene at 3:10 or whenever I come back.

18 (Whereupon, the foregoing matter went off the record

19 at 2:52 p.m. and went back on

20 the record at 3:11 p.m.)

21 CHAIR APOSTOLAKIS: Okay. We're back to
22 session.

23 Please introduce yourselves.

24 MR. BUTLER: I'll start us off. My name
25 is John Butler. I'm Director of Operations Support at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 NEI. With me at the table is Biff Bradley, who is the
2 Director of Risk Assessment at NEI and Ken Canavan of
3 EPRI with a long PRA background.

4 I'm going to start us off just making some
5 opening remarks on the challenging process of NFPA 805
6 as reflected by the earlier discussion. And then I'm
7 going to turn it over to Biff to go through some of
8 our specific comments on the draft guidance that we've
9 seen.

10 Now we have not had an opportunity to
11 review the latest revision to the draft guidance so
12 we're kind of operating with what we've seen in the
13 past and what we've heard in the prior discussion.
14 But we'll do the best we can.

15 And then Ken will go through some of the
16 expanded discussion on some of the fire PRA challenges
17 we're seeing.

18 CHAIR APOSTOLAKIS: Do we have copies of
19 these slides?

20 PARTICIPANT: Yes. It's not colored like
21 -- it's part of our austerity plan, you know.

22 PARTICIPANT: Where's your stimulus?

23 CHAIR APOSTOLAKIS: The one that says --

24 MR. BUTLER: It starts off 805 transition
25 challenges.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Oh, well, okay. Thank
2 you. No I have to have --

3 PARTICIPANT: A full-sized set?

4 PARTICIPANT: He's getting old.

5 (Laughter.)

6 CHAIR APOSTOLAKIS: I don't have it, John.

7 PARTICIPANT: You flunked your eye test.

8 CHAIR APOSTOLAKIS: Anybody else? Harold,
9 you can make a copy. Please go ahead. I'm sorry.

10 MR. BUTLER: Our primary goal with fire
11 protection is to have a stable, well-defined
12 regulatory process. That especially counts -- well,
13 it counts whether you are doing 805 or sticking with
14 50.48(a) or (b).

15 What we learned this morning or what we
16 saw this morning is we are a lot closer to a well-
17 defined, stable process with circuit failure analysis.

18 I don't see that right now with 805. And one of the
19 challenges we're -- global challenges we are seeing is
20 that the process keeps changing.

21 And that's part of what you would expect
22 with a pilot process. You are piloting things. And
23 where you see things that need to be changed, you
24 adjust.

25 However, the level of the changes, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 significance of the changes, the redirection of
2 resources for some of these changes are very
3 disconcerting this late in the pilot process,
4 especially given that there are a number of, in
5 effect, shadow pilots that are trying to implement 805
6 right along with the pilots because of the schedule
7 pressures that they have to implement 805 effectively
8 six months after the SERs are written on the pilots.

9 So it is very disconcerting to see some of
10 the changes in staff interpretation of the regulation
11 this late in the process. And that's what we're
12 seeing. These are reinterpretations of the
13 regulations.

14 The regulation hasn't changed since the
15 pilots began. The regulations haven't changed since
16 the first revision of 205 was issued. But there is a
17 reinterpretation by the staff of what the regulations
18 intended. And that is causing a lot of difficulty in
19 implementing 805.

20 CHAIR APOSTOLAKIS: You are referring to
21 the last three slides there where how 1.174 is to be
22 applied to this?

23 MR. BUTLER: That's one of the biggest
24 challenges we are seeing with the new interpretations,
25 yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 With that, I'll turn it over to Biff
2 Bradley and let him kind of hit some of the major
3 challenges we're seeing. We're not going through a
4 detailed, point-by-point examination of our comments.

5 We're trying to be a little bit more --

6 CHAIR APOSTOLAKIS: Let me understand
7 this. This is the first time you saw that
8 interpretation? Those three slides?

9 MR. BRADLEY: Yes.

10 CHAIR APOSTOLAKIS: And you are going to
11 comment today?

12 MR. BRADLEY: Yes, we're going to do our
13 best to comment given that we have about two hours of
14 history on this.

15 CHAIR APOSTOLAKIS: But you will -- you
16 plan to go back in the next week or two and write
17 something?

18 MR. BRADLEY: Well, I think we would
19 request ACRS to consider addressing this in whatever
20 letter you write. Whether we -- given that the Reg
21 Guide -- it really is a function of the Reg Guide
22 coming out and what opportunities we have still to
23 effect the final version. It is something we could
24 consider putting additional comments in writing. I
25 don't think we've made that determination yet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BUTLER: The opportunity for public
2 comment period has been closed.

3 CHAIR APOSTOLAKIS: Well, that's why I'm
4 asking these questions. I mean --

5 MR. BUTLER: There is nothing to prevent
6 us from providing additional comments on any draft
7 that is now released. But it hasn't been released
8 yet.

9 There isn't -- it isn't incumbent upon the
10 staff to incorporate our comments because the comment
11 period has closed.

12 MR. BRADLEY: We are in a significant
13 disadvantage, the members of the Committee and the NRC
14 staff have had the opportunity to review the Reg Guide
15 and to review the actual words, which are critical.
16 There is a lot of difference between bullets on a
17 slide and words in the Reg Guide. It is enforceable.

18 We need -- you know there would be great
19 advantage to us having the opportunity to see the
20 proposed final Reg Guide and make comments. There are
21 significant changes coming late in the process.

22 I think the pilots who are here today can
23 tell you that some of the things that are in this Reg
24 Guide, they haven't done. This is above and beyond
25 what the pilot plants have gone through. And they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pretty much believed they were nearing the goal line
2 on this process. So these are significant revisions.

3 CHAIR APOSTOLAKIS: Sunil, when will NEI
4 see the draft guide?

5 DR. WEERAKKODY: I didn't want to say
6 anything because I didn't want to effect the flow.
7 With respect to the changes, it is not fair to say two
8 hours because one week ago I -- as soon as we draft
9 finalized these slides, I set them to Steve Hutchins of
10 NEI and Ken Canavan about one week. So I think it is
11 an exaggeration to say this is like two hours.

12 MR. BRADLEY: You are right, Sunil. I
13 found out about this yesterday. But --

14 DR. WEERAKKODY: Well, that's --

15 MR. BRADLEY: -- it wasn't a PRA. I've
16 been primarily focused on PRA issues. And then we
17 found out there was an additional issue. Personally,
18 I wasn't aware of until

19 DR. WEERAKKODY: Yes because of what
20 happened during the last meeting, we took extra
21 efforts to share our slides with NEI to have a
22 constructive meeting today. So we did that about a
23 week ago.

24 But our point of contact was Steve
25 Hutchins of NEI. So I expected him to share it with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the appropriate people.

2 The second thing I want to clarify is the
3 change you saw today, George, it was -- you know, we
4 don't want to make big changes after we get the public
5 comments.

6 In the staff's understanding, we made the
7 changes in response to a comment made by NEI.
8 Apparently some of the explanations we gave with
9 respect to what those changes may mean appear to have
10 created some concern which we have to consider. So I
11 just don't want to --

12 CHAIR APOSTOLAKIS: But Biff raised, I
13 think, a legitimate point, that they would like to see
14 the actual guide. They have not seen that. Is that
15 the correct thing? When will they see it?

16 DR. WEERAKKODY: We could not made the Reg
17 Guide that we shared with you public because of the
18 pre-decisional considerations. We can only do that
19 after the meeting. Obviously since we are having the
20 meeting today, it will be available to NEI and
21 everyone else today.

22 CHAIR APOSTOLAKIS: Okay. My other
23 question is -- what's that?

24 DR. WEERAKKODY: She was saying only the
25 slides become public. But I talked to the NRRCR staff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I think -- aren't you going to make everything public
2 today? That was my understanding.

3 CHAIR APOSTOLAKIS: We will make it
4 public? That's not our job.

5 DR. WEERAKKODY: Okay.

6 CHAIR APOSTOLAKIS: But the most important
7 question, it seems to me, and that would come to your
8 technical comments is I have this disturbing feeling
9 that perhaps having you guys come to the full
10 Committee in September is premature. There are too
11 many things happening.

12 I mean NEI has not had a chance to digest
13 and comment from these new changes. And, you know,
14 having a meeting with the full Committee --

15 MEMBER SHACK: Well, we won't have
16 official comments on it unless they come in September.
17 They can take our comments today --

18 CHAIR APOSTOLAKIS: Who? Who is they?

19 MEMBER SHACK: The staff.

20 CHAIR APOSTOLAKIS: How about them?

21 MEMBER SHACK: Well --

22 CHAIR APOSTOLAKIS: They haven't even seen
23 the guide. So that bothers me that we are going to
24 have to write a letter on something that is still
25 evolving. So maybe we can discuss this again at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 end of the day's meeting. But this is a bit unusual.

2 I'm not used to this kind of situation where Sunil
3 tried to explain it. But I believe the last three
4 slides were new to a lot of people, including us.

5 MEMBER SHACK: Yes.

6 CHAIR APOSTOLAKIS: Okay. So that kind of
7 thing usually doesn't happen after the public comment
8 period is closed. So I'd like us to be a little
9 sensitive to that fact. And see what kind of wisdom
10 we can have at the end of the meeting.

11 Biff?

12 MR. BRADLEY: Thank you.

13 CHAIR APOSTOLAKIS: The floor is yours.

14 MR. BRADLEY: All right. Well, keeping on
15 the theme that you were just discussing, I did want to
16 speak. I think this has been pretty well discussed
17 already in the staff's presentation and in the
18 questions and answers.

19 But we do believe, and I second your
20 concept that it would be great if we could see the
21 actual changes because I think there is a lot of devil
22 in the details in these types of changes, we do
23 believe that the concept of applying Reg Guide 1.174
24 delta risk guidelines to previously approved changes
25 that are already part of your licensing basis and were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not risk informed, these were deterministically
2 approved, they are part of your plant that you operate
3 today as part of your CLB, to back calculate that risk
4 and use it as an offset against the risk that you are
5 allowed to accumulate under this calculation is a
6 totally new concept to me.

7 I've been involved in a lot of risk-
8 informed applications. My understanding was that
9 1.174 guidelines were to address CLB change. CLB
10 today, I make a change, CLB tomorrow, there's a delta.

11 Now we're saying no, that's not it. It is some
12 hypothetical CLB that you don't have -- that we
13 approved your existing CLB but now you've got to
14 measure against something else.

15 I don't think that is what 1.174 was
16 written to do. And I don't believe the criteria that
17 are in there -- or the guidelines actually, the risk
18 guidelines were written with that in mind. They were
19 written to look at actual CLB changes.

20 So there are some interesting other
21 aspects of this. This is a very HRA-centric question
22 that is being raised here that we've got to now go
23 back-calculate risk of human actions. And we all know
24 that prior HRA is one of the less developed aspects of
25 the method.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So not only are we introducing a new
2 concept, we're doing it, we're going to exacerbate an
3 already existing problem with immature methods by
4 putting a tremendous amount of concentration on the
5 HRA --

6 MEMBER RAY: Biff, in that regard though,
7 your first bullet says evaluation of changes. When
8 you wrote that, perhaps you meant more than HRA. But
9 we're just talking about HRA.

10 MR. BRADLEY: Recovery actions, yes. Yes,
11 and this -- the 805 task force had brought this to our
12 attention because as of this time yesterday or so, we
13 had a presentation that solely concentrated on PRA
14 methods. And so we have added this. I think it is in
15 the context of recovery actions, which we have been
16 talking about.

17 MEMBER RAY: Okay, so changes isn't a good
18 word there maybe --

19 MR. BRADLEY: Yes, you are right.

20 MEMBER RAY: In the sense --

21 MR. BRADLEY: Recovery actions would be a
22 preferred word.

23 MEMBER RAY: Okay.

24 MR. BRADLEY: I'm not clear -- and, again,
25 having not seen the Reg Guide, I don't know whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this means we have to go, you know, set all the A.2.ps
2 to one. I don't know what it means to say calculate
3 the risk of a previously-approved action against a
4 hypothetical-compliant plant. There is a lot of --
5 that's a lot. And how you do that is very, very key
6 if, in fact, we need to do that.

7 So that was basically all I wanted to say
8 about that subject.

9 CHAIR APOSTOLAKIS: So I have a comment.

10 MR. BRADLEY: Yes.

11 CHAIR APOSTOLAKIS: Ideal plant here means
12 this hypothetical plant that complies with all the
13 requirements of 805. Is that what it means? That's
14 the ideal plant because as you said, I mean, the
15 deltas are calculated from that presumed ideal
16 situation.

17 MR. BRADLEY: I think it means a plant
18 that complies with Appendix R of 50.48 without any --
19 without credit for any previously approved recovery
20 actions. So it's --

21 CHAIR APOSTOLAKIS: I thought ideal plant
22 meant an NFPA 805.

23 PARTICIPANT: No.

24 CHAIR APOSTOLAKIS: Well, because all the
25 changes -- I mean you are supposed to calculate the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 delta risk between the actual plant and this ideal
2 plant that complies with all the requirements of the
3 standard unless I've been so wrong from the beginning.

4 Isn't that what it means?

5 DR. WEERAKKODY: An ideal plant in NFPA
6 805, you have to look at the deterministic
7 requirements. There is a section called deterministic
8 requirements in Chapter 4.

9 CHAIR APOSTOLAKIS: The fundamental --
10 what do they call it -- the basic fire protection
11 program.

12 DR. WEERAKKODY: The basic fire protection
13 elements is Chapter 3.

14 CHAIR APOSTOLAKIS: Yes.

15 DR. WEERAKKODY: Chapter 4 has the
16 deterministic requirement that --

17 CHAIR APOSTOLAKIS: Right.

18 DR. WEERAKKODY: -- sets out the
19 characteristics of the ideal plant. So what they say
20 is, you know, 20-foot separation or the three hour --
21 that is the ideal plant. And then some of this stuff
22 is not in the rule but in the documents, the documents
23 leading to the rule.

24 We also talk about in some of the
25 rulemaking documents that the things like ordinary

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 shutdown is not part of the 805. Nevertheless, the
2 primary control station gives us the latitude to
3 create something realistic to accommodate that.

4 CHAIR APOSTOLAKIS: But the point is is
5 that this ideal plant does not exist. Isn't that
6 true?

7 MEMBER BLEY: And neither does a PRA of
8 this ideal plant.

9 CHAIR APOSTOLAKIS: Yes.

10 MEMBER BLEY: So I guess unless somebody
11 does a PRA of this ideal plant, how do you calculate -
12 -

13 MR. BRADLEY: That's my point. We've
14 never done that before.

15 CHAIR APOSTOLAKIS: It does not exist. So
16 I think --

17 MEMBER BLEY: And if you did the plant
18 without these actions --

19 CHAIR APOSTOLAKIS: Why don't we take the
20 general design John suggests?

21 MEMBER STETKAR: I mean, you know, that's
22 an ideal plant.

23 CHAIR APOSTOLAKIS: That's an ideal plant
24 with four trains coming north, east, west, and south.
25 That would be ideal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. WEERAKKODY: If I may, I think the
2 ideal plant does exist. I think even though there's
3 fussiness in 805, there's a method to the madness. An
4 ideal plant, we have a control room and a safe
5 shutdown panel. And its 3D2 areas, we'll rely on
6 passive barriers. That would be an ideal plant.

7 An ideal plant will not have operator
8 manual actions in 3D2 areas. An ideal plant will not
9 have loosely-defined emergency control centers where -
10 - or stations where you rely on operators to run
11 around, operate a bunch of equipment, and then that
12 being an acceptable reaction.

13 So I think -- I tend to -- when you look
14 at the rule and what is leading to the rule, the
15 picture of an ideal plant is pretty clear.

16 CHAIR APOSTOLAKIS: But the truth of the
17 matter, Sunil, is that in all other applications of
18 the Regulatory Guide 1.174, we don't have such a
19 concept. We say this is the way the plant is. This
20 is the baseline CDF and LERF. We've done a PRA. And
21 we calculate the changes.

22 DR. WEERAKKODY: Right.

23 CHAIR APOSTOLAKIS: Here it is a different
24 thing. I'm not saying it's wrong. But it is
25 different.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. WEERAKKODY: Yes.

2 CHAIR APOSTOLAKIS: It is absolutely
3 different.

4 DR. WEERAKKODY: I fully agree that it is
5 different. In fact --

6 CHAIR APOSTOLAKIS: And it implies -- I
7 mean I don't know that the use of ideal is correct
8 here. I mean why is that ideal? Why aren't the
9 German designs ideal? Right?

10 MEMBER RAY: Well, wait a minute. Why
11 isn't it as simple as saying we just want to know what
12 the risk is of the recovery actions? Forget about
13 this ideal plant idea. Do you know what the recovery
14 actions are? Yes. They are these. Can you calculate
15 the risk of them? I can. Then that's the difference
16 between the plant you have and a plant without --

17 CHAIR APOSTOLAKIS: The recovery actions.

18 MEMBER RAY: -- the recovery actions.
19 Don't get hung up on this ideal plant.

20 MEMBER BLEY: Because if I take those
21 recovery actions away, the risk is going to go up.
22 They have been put in place to reduce the risk.

23 MEMBER RAY: Of course, Dennis, you are
24 presuming --

25 MEMBER BLEY: So I'm not sure what is you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are saying or what they are saying.

2 MEMBER RAY: I'll explain it to you. I am
3 presuming without attempting to define that there is a
4 plant that would not, as he said, require recovery
5 actions. And I'm merely quantifying the risks
6 associated with the recovery action.

7 I'm not taking a step to define that ideal
8 plant. Okay?

9 MEMBER BLEY: I don't know how to do that.

10 MEMBER RAY: I think you can do it very
11 straightforward.

12 MEMBER SIEBER: Every recovery action is
13 100 successful.

14 MEMBER RAY: No, I'm just trying to do the
15 arithmetic. I'm saying that this -- to me it is a
16 strong man to say I don't know what an ideal plant is.
17 It is simply a plant that doesn't require the
18 recovery actions that you require.

19 MEMBER STETKAR: The -- as I interpret
20 NFPA 805, I have -- let's not talk in hypothetical
21 situations -- I have my plant. I have a four-loop
22 Westinghouse Pressurized Water Reactor that's rated
23 for 1200 megawatts electric. It has been running for
24 15 years. That's my plant.

25 If my plant complied with every

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 deterministic requirement in NFPA 805, my plant, that
2 would -- if my plant complied with every deterministic
3 requirement in NFPA 805, that, I believe, would be my
4 ideal plant. It's not anybody else's ideal plant.
5 It's my ideal plant.

6 MEMBER RAY: Okay, yes. But you do
7 require the recovery actions.

8 MEMBER STETKAR: No, no, we're first
9 determining what is the ideal plant. That plant has
10 some risk associated with it.

11 MEMBER RAY: Yes.

12 MEMBER STETKAR: I don't know what that
13 is. I've never quantified it. Nobody has ever
14 quantified it. But it has some risk. I could
15 conceivably develop a PRA to quantify the risk from
16 that ideal plant that never has any electrical
17 failures.

18 And I would probably say on the
19 deterministic side but now I really do have a plant
20 today that is not that ideal plant. But I don't need
21 all of the ideal -- all of the deterministic criteria.

22 I've taken credit for manual operator actions.

23 My plant today has some fire risk --
24 today. It's licensed. I'm operating the plant. I've
25 been doing that. I don't know what that risk is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 either. It is different from that ideal plant risk.

2 And then when I transition to NFPA 805, I
3 will have a third measure of the risk of my plant that
4 will account for all of the changes that I make during
5 the transition period, perhaps not taking credit for
6 actions, perhaps taking credit for more actions. I
7 don't know.

8 CHAIR APOSTOLAKIS: If you keep talking,
9 we will have --

10 MEMBER STETKAR: All right, I'll stop
11 because the lights keep going off. The point is that
12 the ideal plant is my plant that complies with all of
13 the deterministic criteria for my plant. But I don't
14 know what the risk for that is nor is it my plant.

15 MR. BRADLEY: I think --

16 MEMBER STETKAR: And I'm not sure why that
17 risk is relevant to anything is what I'm saying.

18 MR. BRADLEY: Exactly.

19 MEMBER STETKAR: My current risk is
20 relevant.

21 MEMBER RAY: Aren't we talking about the
22 additional risk? Isn't that what we're always talking
23 about here?

24 MEMBER STETKAR: It's not the additional
25 risk. My risk today --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RAY: I understand that you don't
2 know the absolute risk. But aren't the words that
3 appear on the screen additional risk? Not on this
4 screen but on the one earlier? It was additional
5 risk. That's all I was trying to say in response to
6 Dennis is aren't we just talking about something
7 called additional risk throughout all of this stuff?

8 MEMBER STETKAR: Additional to what?
9 Compared to what?

10 MEMBER RAY: I asked that question and the
11 answer was compared with a plant -- compared with a --
12 you know, a plant that didn't require --

13 CHAIR APOSTOLAKIS: Let's take an example
14 here. If I have -- if the requirement is in a
15 particular situation of 20-foot separation and they
16 are allowed to have ten feet because of some recovery
17 action, I think what Harold is saying, what is the
18 difference in risk between the plant with 20 feet and
19 the one with ten feet but with a recovery action?
20 That's what you are saying.

21 MEMBER RAY: Well, if the recovery action
22 is caused by the ten feet -- I'm really just saying
23 there is some risk that I, at least as I read this
24 stuff, we can calculate and add up and call additional
25 risk that is associated with a recovery action. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it doesn't require me to define --

2 CHAIR APOSTOLAKIS: If it fails you.

3 MEMBER RAY: -- at my plant --

4 CHAIR APOSTOLAKIS: If the recovery action
5 fails, that's what you mean is the risk

6 MEMBER BLEY: Here's my problem. I can
7 calculate how likely it is that it will fail to carry
8 out the actions. Without the whole damn PRA, I can't
9 tell you what the risk of failing is.

10 CHAIR APOSTOLAKIS: Yes, that's right.

11 MR. CANAVAN: Well, and I also, just as an
12 aside, there's no ideal plant because there is going
13 to be a manual action in some of the plants because
14 you have a control room fire. You've got to go to
15 remote shutdown panel. So there is already a place
16 where you are going to have a -- well, you've got to
17 leave the control room so it is ex control room.

18 So there is going to be a place where you
19 have a manual action. And I liken this to the
20 internal events analysis when you do an application
21 using internal events analysis, you have to use a
22 generator AOT, for example, you don't zero out all the
23 operator actions in that model. Those aren't turned
24 to one to evaluate what the effect of those are.

25 Here you use the fire PRA to transition

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 NFPA 805. Why are we zeroing out the valid operator
2 action such as control room evacuation, which is a
3 design basis accident for the control room fire. Why
4 would we turn that off? Why would we set that to
5 assess that hypothetically?

6 MEMBER RAY: But the term additional risk
7 has been used in this forum for a long time. You've
8 been required to deal with it. Are you saying you
9 don't know how to calculate additional risk?

10 MR. CANAVAN: I'm saying that the
11 additional risk isn't pertinent to the question at
12 hand.

13 MEMBER RAY: All right. But that's a
14 different point. You were implying we don't even know
15 how to do it. It could be calculated.

16 MR. CANAVAN: No, I think we calculate it.

17 MR. BRADLEY: Yes, it is not trivial to
18 calculate it. There is a lot of devil in the details
19 in how you calculate it. We haven't seen the Reg
20 Guide. There's been two hours of discussion on this.
21 It is obviously not a minor issue.

22 MEMBER RAY: If we're going to make use of
23 the time here and the point is --

24 CHAIR APOSTOLAKIS: But I think it is also
25 important though when issues such as this are raised

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to also bear in mind that there is a rule. In other
2 words, we are not now questioning the rule itself are
3 we? Yes what?

4 MR. BRADLEY: I don't know.

5 CHAIR APOSTOLAKIS: We have to be careful,
6 Biff. I mean --

7 MR. BRADLEY: Yes, I don't know what, you
8 know, what the interpretation of the rule is or why --

9 CHAIR APOSTOLAKIS: If it is in the method
10 of interpretation, I agree with you. But if it is a
11 matter of the fundamental assumptions and statements
12 in the rule, then we have a problem.

13 MR. BRADLEY: If it is a fundamental
14 statement of the rule, I don't know why we didn't know
15 about it three years ago when we were starting off to
16 implement. This came up at a very late -- to be a
17 fundamental aspect of the rule --

18 MEMBER RAY: What is this now?

19 MR. BRADLEY: -- the idea that you have to
20 offset your risk of previously-approved recovery
21 actions.

22 MEMBER RAY: Okay. But the idea that you
23 would calculate additional risk associated with
24 certain recovery actions, that's not new.

25 MR. CANAVAN: If they are changed in an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 application.

2 MEMBER RAY: Okay.

3 MR. CANAVAN: If they are changed because
4 we are doing a PRA for the --

5 MEMBER RAY: I just want you to agree that
6 there is nothing about additional risk that is just
7 appearing here today.

8 MR. CANAVAN: No.

9 MEMBER RAY: Okay.

10 MR. BRADLEY: It might be that you could
11 calculate it -- it is one thing to calculate it. It
12 is another thing to calculate it and then use that as
13 an offset against your actual CLB risk.

14 MEMBER RAY: That is a policy question.
15 That is not a do it, okay? I mean we're acting like
16 we don't know how to do something here all of a
17 sudden.

18 MR. CANAVAN: I think we know how to do
19 it. I would -- I'm not sure that it makes -- that it
20 has any validity.

21 MEMBER RAY: Okay. That's an okay point.
22 But don't make it sound like God, I don't know how to
23 do this.

24 MR. BRADLEY: In this industry, saying you
25 know how to do something and then actually doing it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and getting every little aspect of it in agreement
2 with the regulator are two different things. And
3 there are a lot of those little aspects involved in
4 this particular determination.

5 CHAIR APOSTOLAKIS: Maybe the situation
6 would be resolved if we said the plant is running
7 today, right? This is the baseline risk or the
8 current licensing basis. We can calculate that. We
9 need a fire PRA based on what we have today.

10 And then take it from there. And they are
11 saying in the future now, every change will be
12 compared to that.

13 MR. BRADLEY: Yes, I mean just treat it
14 like any other --

15 CHAIR APOSTOLAKIS: Then you have --

16 MR. BRADLEY: 1.174 application. CLB
17 today, CLB tomorrow. There's your --

18 CHAIR APOSTOLAKIS: Right. The only
19 problem might be that maybe I'm doing a few things
20 today that have not been approved. And the staff will
21 be reluctant to make that part of the licensing basis.
22 You have to do something about that.

23 MR. BRADLEY: Well, if it's not approved -
24 -

25 CHAIR APOSTOLAKIS: If it is not approved.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BRADLEY: -- I'm not talking about
2 things that aren't approved.

3 CHAIR APOSTOLAKIS: I understand.

4 MR. BRADLEY: I'm talking about
5 previously-approved actions.

6 CHAIR APOSTOLAKIS: That is my current
7 licensing basis.

8 MR. BRADLEY: Yes.

9 CHAIR APOSTOLAKIS: Do your fire PRA.
10 Tell me what it is today. And all changes should be
11 compared to that.

12 MR. BRADLEY: Yes.

13 CHAIR APOSTOLAKIS: Which is what we do in
14 other --

15 MR. BRADLEY: Yes.

16 MEMBER RAY: And I'm saying unless you get
17 into Region I --

18 MEMBER STETKAR: Well, the other thing is
19 what Harold just mentioned. That if that calculation
20 of your current licensing basis puts you not on the
21 vertical scale in 1.174 but on the horizontal scale in
22 1.174 out in Region I, does that have any
23 implications?

24 CHAIR APOSTOLAKIS: Yes, sure. There's no
25 Region I there. I mean you are violating the goals

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 but there were 18 plants that violated the goals.
2 Remember -- no, no, no, I'm sorry.

3 MEMBER RAY: Were there any implications
4 for those 18 plants, George? Were there any
5 implications of that fact for the 18 plants?

6 CHAIR APOSTOLAKIS: As far as I know, we
7 never asked them to do anything because then people
8 would say oh, there is a difference between the goal
9 and the --

10 MEMBER SHACK: Okay. That's a fair --
11 that's additional risk.

12 CHAIR APOSTOLAKIS: That's fine. I mean
13 if you are way out there, I understand that. But that
14 is consistent with existing regulations.

15 MEMBER SHACK: I mean what is the
16 standard. Can anyone explain to us why they didn't
17 choose that option?

18 CHAIR APOSTOLAKIS: Instead of working
19 with that, what were the horizontal axis?

20 MEMBER SHACK: No, 1.174, 1.174 always
21 requires you to look at the delta and the horizontal.

22 Clearly everybody, I think agrees that if you took
23 the current risk, that would set the horizontal
24 factor.

25 CHAIR APOSTOLAKIS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: That may or may not allow
2 you to have a delta risk. If it puts you out in
3 Region I --

4 CHAIR APOSTOLAKIS: Absolutely.

5 MEMBER RAY: That's what the flowchart
6 shows.

7 MEMBER SHACK: Well, no, no, no, it
8 doesn't. It's different.

9 CHAIR APOSTOLAKIS: It's different.

10 MEMBER RAY: Well --

11 CHAIR APOSTOLAKIS: The flowchart is for
12 the ideal plant.

13 MEMBER SHACK: No, no, the flowchart is
14 for the ideal plant.

15 CHAIR APOSTOLAKIS: The ideal plant,
16 that's a big difference.

17 MEMBER SHACK: Not with the current
18 licensing basis.

19 CHAIR APOSTOLAKIS: Yes.

20 MEMBER SHACK: Well --

21 CHAIR APOSTOLAKIS: But we have --

22 MEMBER RAY: Wait a minute. You are
23 saying this is for an ideal plant?

24 MEMBER SHACK: Yes. The delta there is
25 coming from the ideal plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: The delta is from the
2 ideal plant.

3 MEMBER SHACK: Well, not the ideal plant.
4 It is the non-ideal plant -- the only thing you have
5 to compute the delta on are essentially the recovery
6 actions. All the other deviations are acceptable.

7 CHAIR APOSTOLAKIS: Let me ask the
8 Committee something.

9 MEMBER SHACK: We can compute the risk due
10 to those but only the risk due to the recovery
11 actions. So it is the semi-ideal plant.

12 CHAIR APOSTOLAKIS: The ideal of this
13 particular session was to let the NEI guys speak.

14 MR. BRADLEY: Agreed, agreed. You can see
15 we are struggling with this. But no, I appreciate it.
16 I think it is a good discussion.

17 MEMBER SHACK: I would like to hear the
18 staff's response because, I mean, obviously that's a
19 very logical thing to do is to base it on 1.174 and
20 just go to --

21 CHAIR APOSTOLAKIS: The horizontal.

22 MEMBER SHACK: -- the current licensing
23 basis and compute that risk and use that.

24 MR. BRADLEY: I even have a comment on
25 that if once the staff says their peace, if they want

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to.

2 CHAIR APOSTOLAKIS: Sunil?

3 DR. WEERAKKODY: Well, since you asked the
4 question from the staff let me try to answer. But I
5 would agree that what you just explained is one way of
6 doing it. I could explain as to why we took a
7 different approach.

8 MEMBER SHACK: That is what I'd like to
9 know.

10 DR. WEERAKKODY: Okay. It ties into a
11 question that the Committee previously asked the staff
12 members there which I felt needed more explanation.
13 The question was why are we treating recovery actions
14 as something different than anything else like, you
15 know, 20 feet versus 15 feet.

16 The answer is if you, for a moment, forget
17 1.174 but look at how we have maintained fire safety
18 at plants, one of the things we have rejected
19 consistently whether it is in the deterministic or 805
20 space is that if you have recovery actions in an area
21 that typically calls for passive protection, you've
22 got to know -- I mean you should be discouraged from
23 doing that. We do that in the deterministic area
24 already.

25 So the same thought has been captured into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the 805. And one of the things I personally found
2 out, you know, because this was a big discussion
3 within the staff before we came here, if you read the
4 rule and some of the key documents that led to the
5 rule, we repeat in that dialogue that any time we use
6 recovery actions, the staff must consider or it must
7 be considered as a performance-based approach. And
8 that is reflected in the rule itself.

9 And then when you look at a couple of the
10 key requirements like 4.2.4.2, there is no ambiguity.

11 We clear say that if you use performance-based
12 approach, the staff needs to know the additional risk.

13 So in a way that's why I apologize for the side
14 remark here but when Dr. Apostolakis asked are we
15 changing the rule, you know in a way we are because
16 the words in the rule, if you look at 4.2.4.2, that is
17 very clear.

18 Now what I'm seeing happening here is --
19 and I do agree with Biff when he characterized this --
20 in typical areas when we apply 1.174, we look at the
21 change, okay? And there is something unique in fire
22 protection in that we look at recovery actions as a
23 way of complying only when you have exhausted other
24 options. So, therefore, there is a difference.

25 And I do agree with Biff that in 805

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 space, we are creating in the approach that we have
2 proposed here, we are creating recovery actions in a
3 somewhat differently than we use 1.174.

4 MR. BRADLEY: And you are suggesting
5 though that the 1.174 guidelines still apply even
6 though this is a different application. Those were
7 developed to look at real risk changes, not
8 hypothetical values from an ideal situation.

9 I mean you could question any
10 deterministic decision NRC has ever made. This sets
11 an interesting precedent that anything that has ever
12 been deterministically approved could now be
13 questioned relative to its risk value. And what does
14 that mean? I mean we're mixing apples and oranges
15 here.

16 MEMBER RAY: But, Biff, to be fair and I
17 think it behooves all of to try and do that, nobody is
18 going back and questioning a prior approval, right?
19 It is only a matter that if you trigger the exceedance
20 delta that you then have to offset any further
21 increases with reductions. So it is not quite the
22 same as raising a decision made previously.

23 CHAIR APOSTOLAKIS: But the fundamental
24 change though -- difference, Harold, is that this
25 delta in one case is calculated from an ideal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 situation. In the other case, which was the original
2 intent of 1.174, it is calculated from the current
3 situation.

4 MEMBER RAY: Okay. And --

5 CHAIR APOSTOLAKIS: And that makes a hell
6 of a difference.

7 MEMBER SHACK: Current licensing basis,
8 right?

9 CHAIR APOSTOLAKIS: The licensing basis
10 yes.

11 MEMBER SHACK: You know this is an
12 approved situation. It's not --

13 CHAIR APOSTOLAKIS: Because it -- I mean
14 that is something that has bothered me also when I
15 started reading these documents, I'm beginning to
16 think that NFPA 805 needs a serious revision because,
17 you know, let's not -- I mean we have to put ourselves
18 in the shoes of the staff. And they have to comply
19 with a rule.

20 And if the rule says recovery actions are
21 treated this way, Sunil cannot come back and say well,
22 I disagree. So I --

23 MEMBER SHACK: George?

24 CHAIR APOSTOLAKIS: -- I think we are
25 going beyond interpretation now. It's not just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 interpretation of the rule. It seems to me we are
2 questioning the basic stuff that is there.

3
4 MR. BUTLER: George, the requirement --

5 CHAIR APOSTOLAKIS: And I don't know what
6 to do with it.

7 MR. BUTLER: The rule requirement, the
8 language that says you have to address -- to assess
9 the risk of recovery actions has been the rule from
10 the start. It was -- you know, the guidance was
11 prepared on how you do that. The pilot LARs did that
12 over a year ago with staff involvement and awareness.

13 It's just lately that how you do that has
14 changed. Now you have to use Reg Guide 1.174 criteria
15 to do that evaluation.

16 Perhaps we could get one of the pilots to
17 give us a summary of how they met that --

18 CHAIR APOSTOLAKIS: I think we should do
19 that. Well, maybe not today.

20 MR. BUTLER: -- before --

21 CHAIR APOSTOLAKIS: I mean today we have a
22 problem.

23 MR. BUTLER: -- but it is different, you
24 know.

25 MEMBER RAY: You are realizing the point -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

-

CHAIR APOSTOLAKIS: Yes.

MEMBER RAY: -- that is of interest to us
for sure.

MEMBER STETKAR: Have the pilot
applications calculated the delta between what we're
calling --

MR. BUTLER: My understanding is --

MEMBER STETKAR: -- this ideal --

MR. BUTLER: -- that no, they have not
done that. Not qualitatively but, you know, somehow
the risk of recovery actions was assessed.

MEMBER RAY: You two guys are saying
things that are just slightly enough different. I'd
like you to define it a little better please.

MR. BUTLER: My understanding of the
original -- the LAR applications -- submittals is they
addressed the risk of recovery actions in a
qualitative fashion. But there was not a specific
number that was calculated for the risk of recover
actions.

MEMBER RAY: Okay. And I guess there
would be some people who would say well that never did
comply with 805. So -- but surely people thought that
it did. In what way? How did that satisfy this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requirement that you, yourself, just said was
2 longstanding?

3 MR. BUTLER: I don't know but the language
4 of the rule says you have to quantitatively assess the
5 risk of recovery actions.

6 MEMBER RAY: So it was believed to satisfy
7 the rule?

8 MR. BUTLER: Yes.

9 MEMBER RAY: And we'll get some more
10 detail on it here. But now it has to be done in a
11 different way, that's the words you used a little bit
12 ago.

13 MR. ERTMAN: Right, right. This is Jeff
14 Ertman, Progress Energy, the Project Manager for the
15 805 Project.

16 We did use the original revision of 1.205
17 as guidance for the information that we put in the
18 LAR. For recovery actions, we did provide some -- for
19 the variance from the deterministic that resulted in
20 the operator manual actions, we did provide some risk
21 information on the impact of those. And then we did
22 qualitatively provide information for the control room
23 recovery actions.

24 I mean essentially we understood that we
25 needed to provide the NRC information on the risk and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 recovery actions --

2 MEMBER RAY: Excuse me. You used the word
3 control room recovery actions which I think --

4 MR. ERTMAN: Alternate shutdown.

5 MEMBER RAY: What?

6 MR. ERTMAN: What's that?

7 MEMBER RAY: You used the words control
8 room recovery actions when I think you are talking
9 about --

10 MR. ERTMAN: Okay.

11 MEMBER RAY: -- recovery actions as a
12 defined term here.

13 MR. ERTMAN: Right. The recovery actions
14 when you leave the control room.

15 MEMBER RAY: Right.

16 MR. ERTMAN: Right. I mean basically we
17 used the guidance, the 1.205 and the NEI 04-02 that it
18 references on how to do that.

19 MEMBER RAY: Do you hear that you would
20 now have to do that again differently?

21 MR. ERTMAN: Yes, we do have to go back
22 and decide how to do that. One approach at the pilot
23 plant we were looking at is a bounding approach for
24 the risk in the control room. But we have to go back
25 and rethink that because if you bring a -- if you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a bounding approach and a fairly delta CDF and we have
2 to do this extra step and bring that forward, then
3 that impacts future decisions. You know basically
4 what NEI was discussing.

5 So, you know, we'd have to look at this
6 information and, you know, we've been in contact with
7 the staff that we will be taking a look and working
8 through what can we do now with this interpretation.

9 MEMBER RAY: Well, George, it would be
10 good to see an example. I think that would help us.

11 CHAIR APOSTOLAKIS: Would you be prepared
12 to brief the Subcommittee at some time in the future
13 on more details on this?

14 MR. ERTMAN: We could definitely brief on
15 what we did.

16 CHAIR APOSTOLAKIS: Yes, and what you're
17 doing.

18 MR. ERTMAN: And what we're doing, right.

19 MEMBER BLEY: I got lost on one thing
20 there if I could ask this is I understood the earlier
21 discussion, actions at the alternate shutdown panel,
22 would that be -- that wouldn't be recovery by the new
23 definition.

24 MR. ERTMAN: Right. One thing that is in
25 this interpretation is a change of what is a recovery

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 action.

2 MEMBER BLEY: Yes.

3 MR. ERTMAN: So that is the other piece
4 that we would be going back and looking at because
5 previously we tended to -- if you leave the control
6 room, it is a recovery action. But now with this
7 interpretation in those slides --

8 MEMBER BLEY: It might not be that.

9 MR. ERTMAN: -- it provides some
10 information on what really is a recovery action. And
11 then also going back to what the previous morning
12 session called green box/orange box. I mean that's
13 referenced, too. So there are some other changes that
14 I think would cut down the scope but still it is a
15 change that we would need to go back and evaluate.

16 MEMBER BLEY: Thank you.

17 MR. ERTMAN: All right.

18 CHAIR APOSTOLAKIS: John, I gather from
19 what you said that you could still live with 805 the
20 way it is written but you can interpret it differently
21 from what the staff is doing because my --

22 MR. BUTLER: Yes.

23 CHAIR APOSTOLAKIS: -- original --

24 MR. BUTLER: We have been interpreting it
25 one way.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: So we will --

2 MR. BUTLER: We thought we were in line
3 with the staff's interpretation because we were
4 following .205 Rev 0 --

5 CHAIR APOSTOLAKIS: Because I'm beginning
6 to have, as I said, serious doubts about 805 itself.

7 MR. BUTLER: Well, clearly if it is so
8 easy to change your interpretation, there are some
9 problems.

10 CHAIR APOSTOLAKIS: Changing the rule is a
11 big deal. But Biff said earlier I don't know why we
12 didn't see those three years ago. So I'm beginning to
13 think that you agree with me.

14 There are flaws in the rule itself -- I
15 mean in the standard. It's not the rule, it's not.

16 MR. BUTLER: It is the rule. It is the
17 rule by reference.

18 CHAIR APOSTOLAKIS: Flaws in the standard.

19 MEMBER RAY: In this case.

20 CHAIR APOSTOLAKIS: We have an issue with
21 rules that are flawed.

22 MR. BUTLER: Okay, so moving on --

23 CHAIR APOSTOLAKIS: Let's go on. Let's go
24 on.

25 MEMBER RAY: George, I want to make a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comment.

2 MR. HARRISON: I just wanted to clarify,
3 the staff has asked RAIs regarding this additional
4 risk. And, again, we haven't a response just because
5 I think some of this was wanting to get played out
6 before licensees actually responded.

7 But I think fundamentally the thought of
8 having to calculate an additional risk element that
9 has been there, the question was what the staff was
10 going to use as the acceptance guidelines. So that's
11 --

12 CHAIR APOSTOLAKIS: Well, I'll tell you
13 what --

14 MR. HARRISON: -- that's been the real
15 crux of the issue.

16 CHAIR APOSTOLAKIS: -- I still don't
17 understand what additional risk from recovery actions
18 means. Let's go on. Let's go on.

19 MR. BRADLEY: I'm going to try to
20 transition off this whole subject. I know this is --
21 we've been on this for a while.

22 CHAIR APOSTOLAKIS: So next slide then.

23 MR. BRADLEY: No, I'm still on this slide.

24 CHAIR APOSTOLAKIS: Okay.

25 MR. BRADLEY: Before this cropped up, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 last big thing in 805 space was conservatism of PRA.
2 And as you recall, there was -- Ken's been here
3 before, I've been up here. We've talked about some of
4 the issues that we've had with methodologies for fire
5 PRA.

6 And, again, there was a statement -- at
7 one point the staff said the rule, the language of 805
8 forced them as the AHJ to -- it's very similar to what
9 we are hearing today. There was something in the rule
10 that forced them to have to go beyond Reg Guide 1.200
11 and specifically approve the methods. We heard that
12 at one point.

13 We made substantial comments on the Reg
14 Guide to that effect. We don't know what the outcome
15 of those comments was. So I'm, as I said, flying
16 blind here. The staff may have entirely fixed this
17 problem. And if we had had the Reg Guide, I might not
18 even need to make this presentation.

19 On the other hand, I'm not sure how that
20 final language of AHJ came out or where they stand
21 with specific approval of methods. So I'm going to go
22 ahead and go through this presentation.

23 As you all know from the previous
24 discussions we've had with the Committee, we've had a
25 long interaction with NRC to attempt to come up with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 workable methods. This came out of 6850.

2 We discovered there were improvements that
3 needed to be made. EPRI and NRC, working through an
4 MOU, have had just countless interactions over the
5 last 18 months or so to try to work some of these
6 methods to a more realistic level.

7 Throughout that process, there has been
8 I'd guess I'd call it a natural tendency of NRC staff,
9 many of which are not PRA personnel, to try to impose
10 conservatism and prescription into these methods in a
11 manner that is different from the way we've previously
12 done PRA and that went beyond 1.200.

13 So this has been an issue of concern for
14 us. And it may be resolved. So if you have resolved
15 that and the Reg Guide is clean, that's great. When
16 we see the words, we'll know that for sure.

17 So we believe that 1.200, Rev 2, is
18 sufficient. There doesn't need to be additional
19 requirements on methods for PRA. And it looked like
20 from your slide that you have reached that same
21 conclusion. Again, we need to see the final words.

22 Anyway, that being said, even if we have
23 gotten out of that box and are now able to use methods
24 that have been developed that we believe are more
25 consistent with internal events and realism, we still

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have a -- even with that, we're still not to the goal
2 line yet on fire PRA. We have a long way to go to
3 really reach a level where fire PRA is on the same
4 level as internal events.

5 It is a more difficult problem. You have
6 spatial issues. You have fire growth propagation.
7 You have all kinds of difficult technical issues that
8 you have to address that you don't have to in internal
9 events. So we're really not there yet.

10 We're charging into a very large industry-
11 wide risk-informed application with a PRA that is
12 somewhere, you know, maybe a teenager. It's not an
13 infant but it is certainly not a mature, full-grown
14 PRA such as our internal events PRAs are.

15 As we all know, you can make incorrect
16 decisions on the basis of a PRA. Even putting
17 conservatism in PRA can cause a skewing of results and
18 insights such that it could lead you to make incorrect
19 decisions. So there are some large decisions being
20 made as the result of implementation of 805.

21 We're talking about major plant
22 modifications, very extensive, large-scale, you know,
23 kind of plant mods. Both pilots have committed to
24 that. And I expect many other plants will be in the
25 same boat as they work through 805.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Could you give us an
2 example of a major change?

3 MR. BRADLEY: Sure. Harris is putting on
4 alternate RCP -- it's either cooling or injection.
5 Oconee has a whole new dedicated shutdown path that's
6 partially due to this.

7 So these are large plant mods. We want to
8 make sure that when we do these kinds of mods that
9 they are based on the best state of knowledge, the
10 best information we have.

11 There are also other things -- there are
12 other fallouts from the use of these "immature
13 methods." We're trying to do risk management in the
14 sites. And we have internal events.

15 We have very mature risk management
16 methods for Maintenance Rule A4 and other things. And
17 now we have a fire model sitting there that we know
18 has a different bias. It has a conservative bias. If
19 we're not careful, it could skew the risk management
20 actions we're doing at the plant.

21 We have to correctly look at the results
22 of these models and make determinations as to the
23 correct risk management actions. You could actually
24 dwarf many of your internal events risk management
25 actions if you believe the results of some of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 conservative fire PRAs. It would basically render a
2 lot of things we do now seemingly insignificant.

3 The other problem is just the depiction of
4 the plant risk. We need to be careful in how we
5 depict the plant risk. I mean the one thing the PRA
6 does, it actually tells you a core damage frequency.
7 It actually tells you where you stand with respect to
8 the subsidiary objectives.

9 So we need to make sure that we don't rush
10 out and start using immature and what we believe to be
11 conservative risk values and depicting the actual risk
12 of the plants.

13 We realize 805 is pretty far down the
14 road. This is not -- in my opinion, it is being
15 driven by the Commission. It is being driven by
16 external forces. It is not something that is likely
17 to change.

18 And what we're asking for here is that the
19 process, somewhere in the process for 805 and the
20 licensing, we need to be able to adjust, as we learn
21 more -- and Ken is going to talk about all the work
22 the industry has and NRC and others have underway
23 through testing, methods enhancements, there's a lot
24 on the plate that is going to take several more years
25 to get done -- so we're going to get different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 insights and different results a couple of years from
2 now than we have now.

3 And what we're asking for is some
4 flexibility in the 805 process to allow us to revise
5 what we commit to in a reasonably efficient way as we
6 learn more with these models and refine the models.

7 So we're concerned that with these
8 thousand-page LARs and the complexity of this process
9 that we don't just lock in something today that we
10 know is not the right thing to do a year from now. We
11 need a way to revise that in a reasonable way that
12 doesn't involve another thousand pages of LAR.

13 One of the things that some of the pilots
14 are doing --

15 CHAIR APOSTOLAKIS: As a practical matter,
16 though, how -- I mean I don't know -- how do we do
17 that?

18 MR. BRADLEY: I don't have an answer to
19 that at this point. It is more of a -- I think it is
20 a licensing question really. My perception is though
21 that the complexity and volume of these submittals is
22 going to create a difficult thing to unravel yourself
23 from. And that when you have different or better PRA
24 insights in the future, in the near future hopefully,
25 it is going to be difficult, even with that insight,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to go undo some commitment you've made.

2 Or maybe the staff has already thought
3 this through and there is a mechanism there. I'm just
4 saying we're trying to be constructive here and say
5 look, we're doing everything we can to make these
6 methods better.

7 But it is going to take time. So let's
8 not -- let's not lock in things in the plant that turn
9 out later not to make as much sense as we thought they
10 did. It's just a general observation. I don't have a
11 specific mechanism as to how we would do that.

12 To give you an example of this, one of the
13 areas we really struggle with in fire PRA is on fire
14 growth heat release rates. And we end up assuming
15 rapid growth to large heat release rates that
16 typically is not what we have observed in most of the
17 fires we've seen in the plants.

18 A good way to offset this when you model
19 it is to put in incipient detection. Now one of the
20 pilots has done that in these types of cases.

21 Now maybe in a few years when we have
22 better models, better understanding of heat release
23 rates, you'll find out that it was really an artifact
24 of the model that drove what you did. It wasn't a
25 real fire safety issue in the plant. It was just the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 way you were -- you had to model it led you to believe
2 there was a higher risk.

3 Incipient detection is a good way to deal
4 with that at least, if nothing else, as an interim
5 method, you know, as opposed to, say, putting in a
6 large full-blown plant modification that a year from
7 now you find out well, I probably didn't really need
8 to do that. So incipient at least is a fairly, you
9 know, in the scheme of things, a minor modification to
10 the plant that does provide, in our opinion, a lot of
11 risk benefit and --

12 MEMBER BLEY: Is there anything in the
13 rule or the Reg Guide that tells you what you need to
14 do with respect to calculation of a high risk from
15 fire? It doesn't give you the option you were just
16 describing?

17 MR. BRADLEY: Well, I haven't seen the
18 final Reg Guide. But --

19 MEMBER BLEY: In any of the drafts you've
20 seen?

21 MR. BRADLEY: Yes, that would -- say it
22 again so I make sure I understand you.

23 MEMBER BLEY: Well, you are talking about
24 alternative solutions to --

25 MR. BRADLEY: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: -- a calculation of high
2 risk.

3 MR. BRADLEY: Yes.

4 MEMBER BLEY: I'm asking is there any
5 guidance you've seen from NRC that mandates the fixes
6 you must put in place if the risk --

7 MR. BRADLEY: No.

8 MEMBER BLEY: -- turns out to look high?

9 MR. BRADLEY: I understand your question.
10 I don't think there is specific guidance on that. But
11 we have had a lot of interaction with the staff
12 relative to the amount of credit you should be able to
13 get for incipient detection. And I think the tendency
14 of the staff has been to try to limit that.

15 And that dialogue is still going on. And
16 what I'm trying to tee up here is, in my opinion, it
17 would be useful to provide reasonable credit for
18 incipient detection and not to, you know, overly limit
19 it if for no other reasons than in many cases where
20 we're trying to use it is addressing an artifact of
21 the modeling more so than a real plant situation.

22 So my limiting that, the staff is de facto
23 driving you to do more significant modifications. And
24 we're not asking for carte blanche to throw in
25 incipient detection. We know there are limits on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 technology. We've done extensive looking at the data.

2 But I'm just saying that this is one of
3 the elements that would be greatly beneficial to us in
4 being able to go forward in this context of changing
5 models and changing insights.

6 Another area I wanted to bring up, which
7 is another favorite subject of ACRS, is aggregation of
8 risk from different initiators. As I mentioned, we
9 have internal events that has been very mature. We'll
10 probably have 20- to 25-years experience with internal
11 events.

12 And we have five PRA that we are rapidly
13 developing for 805 that is not as mature and has what
14 many believe to be a conservative bias. So there's
15 going to be a natural tendency to take those two
16 numbers and just add them, sum them. And we believe
17 that in this case, given the apparent biases that are
18 there, that's probably going to lead to misleading
19 information.

20 We understand that you do need to
21 represent the total risk of a plant. And we're not
22 saying we would disregard the risk. But what we're
23 trying to say is we need to be careful in how we
24 aggregate these risks.

25 And there is existing guidance out there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 NUREG-1855, which is the uncertainty report, touches
2 on this. Also, there is a companion EPRI report and
3 there is an additional EPRI report specifically on --
4 that's the number 68, right, that's the one that
5 specifically addresses aggregation.

6 We would recommend that the staff look at
7 those reports, be cognizant of them, and we would
8 recommend that extreme care needs to be used in simply
9 summing the immature fire PRA result we get today with
10 internal events and stating that that is a depiction
11 of the overall plant risk. We don't believe it is
12 that simple.

13 There are already indications that some of
14 the staff is trying to do that. They are approaching
15 the pilots, suggesting they need to sum the fire risk
16 with the internal events risks for all their risk-
17 informed decision-making. And there are a lot of
18 reasons that that is probably not the right thing --
19 right way to go at this point. So just a caution
20 there, possibly something ACRS might want to consider
21 in their letter.

22 In conclusion -- we have one more slide
23 after this but --

24 MEMBER BLEY: Biff, let me ask you a
25 question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BRADLEY: Yes?

2 MEMBER BLEY: One thing you haven't
3 touched on and I don't think it is coming, in these
4 areas where there seems to be a consensus of people
5 doing the work that their models are conservative in
6 specific aspects of modeling. Has anybody approached
7 this with the treatment of uncertainty to try to
8 address that in any of the work that you have been
9 involved in?

10 MR. BRADLEY: Most of -- and Ken may be
11 able to speak to more detail than I can -- most of our
12 work on uncertainty was focused on internal events
13 because the ASME standard in 1.200 elevated the
14 treatment of uncertainty significantly.

15 So EPRI and the NRC staff, working
16 together, put together this -- it is a pretty
17 elaborate, pretty lengthy guidance on addressing that.
18 What happens is we got overtaken by events.

19 And now the fire thing has hit and there
20 is a tremendous pressure to move forward the fire PRA.

21 And we really haven't evolved that lengthy document
22 to address all the elements of fire modeling -- model
23 -- model uncertainty, not fire modeling but model
24 uncertainty for fire PRA.

25 So I think the short answer to your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 question is no, we haven't been able -- I know it is
2 required, as part of the LAR, you do have to -- and as
3 part of the PRA standard, you have to do that.

4 But to be honest, we really haven't,
5 because the time of this is just going so rapidly, we
6 haven't had a chance to do that thoroughly.

7 MR. CANAVAN: Yes, a short answer is
8 NUREG-1855 and the EPRI 1016737 together, those
9 reports taken together, address uncertainty for
10 internal events. And the process that is there can be
11 applied to fires.

12 What isn't done is the generic cases and
13 the plant-specific way you would treat and identify
14 those uncertainties. So that work is planned.
15 Planned but not scheduled so we have a plan to move
16 forward and no schedule, as of yet, although we were
17 hoping for fall to start. It will probably take a
18 little bit of time.

19 MEMBER BLEY: It just seems to me some of
20 the issues you are raising are probably appropriately
21 dealt with by uncertainties --

22 MR. BRADLEY: Yes.

23 MR. CANAVAN: Yes.

24 MEMBER BLEY: -- because some of these
25 modeling assumptions probably are true some of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 time but not all of the time.

2 MR. BRADLEY: Exactly. And I think if we
3 did have mature guidance on treat of uncertainty, we
4 would be a lot further along. But unfortunately, that
5 just doesn't fit in with the schedule for 805.

6 CHAIR APOSTOLAKIS: So you are saying we
7 are rushing?

8 MR. BRADLEY: Yes. As you see on my next
9 slide --

10 CHAIR APOSTOLAKIS: How -- what would you
11 recommend we do?

12 MR. BRADLEY: Okay, well let me speak to
13 that. I mean there is a lot of external pressure
14 coming down on the staff. I mean the Commission,
15 external forces are all at work to move the industry
16 to 805. There is a checkered history of fire
17 protection. There are a lot of exemptions on the
18 books --

19 CHAIR APOSTOLAKIS: True.

20 MR. BRADLEY: -- valid exemptions that
21 fully met all the criteria at the time but somehow
22 seem to have some taint to them now. And so there is
23 a lot of external pressure to move this to resolution
24 fast.

25 And in the midst of this, we're dealing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with some pretty thorny issues with fire PRA. We're
2 trying to evolve methods, you know, in order of
3 magnitude faster that we did with internal events. We
4 had a lot more time to do that right.

5 We don't believe these issues are trivial.

6 And we can't just dismiss them in the face of we've
7 got to do this on a certain schedule. So the best
8 answer I have is to put flexibility in the process to
9 let us fix this once we have better answers.

10 If we have to implement 805 on the
11 schedule we're on and my sense is we're sort of on
12 that schedule because of all of the pressure, at least
13 put something into place that we can fix as we get
14 better.

15 So I'd like to do this once, at least, and
16 try to do it right with some adjustment rather than
17 coming back and reinventing the wheel here in a few
18 more years.

19 We're trying to -- fire protection has
20 been difficult. And it always has been. It is just a
21 difficult issue. And we are going to fix it once and
22 for all. Let's really try to fix it once and for all.

23 CHAIR APOSTOLAKIS: It looks like the
24 reason why we had so many exemptions to Appendix R, it
25 was because Appendix R itself was rushed into.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BRADLEY: Well, it was a -- yes, I
2 mean it was a backfit.

3 CHAIR APOSTOLAKIS: We aren't giving
4 people an opportunity to really reflect. Right?

5 MR. BRADLEY: Right. I would agree.

6 Many of the older plants were built before
7 this regulation came to be. I mean it wasn't a design
8 issue for these plants. They were already designed
9 and built. So it is a difficult problem.

10 CHAIR APOSTOLAKIS: Yes, so you are saying
11 it would be wise to slow down?

12 MR. BRADLEY: It would be wise to slow
13 down.

14 CHAIR APOSTOLAKIS: But how would we do
15 that? I mean delay, for example, the issuance of
16 1.205? And think about it?

17 MR. BRADLEY: My sense is from sitting in
18 Commission briefings and everything else that we can't
19 slow down. That there is -- but all we can do is try
20 to provide that flexibility to implement this. But at
21 the same time allow us to revisit and fix things as we
22 learn even post-implementation.

23 Or to have some way to, you know -- I mean
24 in a perfect world, I'd say we need several more years
25 to do this right. But I don't think, given the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 history and the Commission attention to this, that
2 we're going to get several more years to do this
3 right. So absent that, the best we can do is make it
4 so it is fixable.

5 CHAIR APOSTOLAKIS: If we end up with
6 another thousand exemptions to 805, it seems to me we
7 will have failed miserably.

8 MR. BRADLEY: Why don't you go to the next
9 slide? And this is the last slide.

10 CHAIR APOSTOLAKIS: Ken has a whole
11 presentation I see here, right?

12 MR. BRADLEY: Yes, he does.

13 CHAIR APOSTOLAKIS: Okay.

14 MR. BRADLEY: This is just specific
15 proposals we have. I think we've talked about all of
16 these. One is to go back to the way we originally did
17 risk of recovery actions, as John discussed, to do it
18 qualitatively with the rules that we understood at the
19 time and not to go to a totally new method of doing
20 that using Reg Guide 1.174.

21 CHAIR APOSTOLAKIS: John is not Mr.
22 Stetkar, right? It's the other John?

23 MR. BRADLEY: John, Mr. Butler.

24 CHAIR APOSTOLAKIS: Oh, his John, okay.

25 MR. BRADLEY: And, again, we should

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 compare the baseline for the change evaluations to be
2 the existing CLB and not a hypothetical plant that is
3 fully compliant.

4 We had a lot of comments on 1.205. We
5 haven't seen the revision. We don't know if they were
6 addressed sufficiently to, you know -- and I'm not
7 saying we expect every comment to be addressed to our
8 satisfaction. But it would certainly be nice to see,
9 given the importance of this, where this ended up.
10 And possibly to have another shot at looking at some
11 of these comments based on what we've heard today.

12 Again, you know, we mentioned a scheduler
13 component of this is difficult. There is a sense out
14 there that we have been noncompliant although I think
15 that is debatable. And because of that we have
16 enforcement discretion that expires and tremendous
17 incentive for plants to get out this box. So --

18 MEMBER SIEBER: Well, that brings up the
19 question how does this whole process fit into the
20 enforcement discretion for associated circuits? And
21 how does that lead to resolution? What is going to
22 happen?

23 MR. BRADLEY: Yes, and that's out of my
24 school. But John --

25 MEMBER SIEBER: Yes, but it is not out of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mine.

2 MR. BRADLEY: Yes, that's a good question.

3 MEMBER SIEBER: And I think that is a big
4 issue the way I see it because it determines what the
5 baseline is unless you ignore the fact that
6 enforcement discretion is really there. And it is not
7 obvious how, in amongst all this jumble of stuff,
8 you've put that in there, too, to make it another
9 power of ten more difficult.

10 So if somebody could answer it, that would
11 be okay. If not --

12 MR. BRADLEY: I'm just the PRA guy here.
13 We have experts on that aspect of it that may want to
14 speak to that. I don't know.

15 MR. BUTLER: Are you referring 805 pilot
16 plants or 805 plants utilizing the circuit failure
17 methods 00-01? A non-805 plant utilizing those
18 methods can proceed forward. They are the ones who
19 need to get that accomplished within 36 months.

20 The schedule for accomplishing those
21 analyses within an 805 schedule are probably very
22 challenging. But --

23 MEMBER SIEBER: I think that --

24 MR. BUTLER: -- I'd have to kind of refer
25 to the -- those who have a little bit more experience.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Jack, would you repeat
2 what the issue is?

3 MEMBER SIEBER: The issue is -- the way I
4 look at it is your current licensing basis is the
5 approved and, in some ideal sense, sets the baseline
6 for the risk. On the other hand, current licensing
7 basis has some flaws in it. And those flaws are
8 exemplified by the fact that the staff is granted
9 enforcement inspection over associated circuits
10 issues.

11 MEMBER RAY: And discretion, enforcement
12 discretion.

13 MEMBER SIEBER: Right. I used the wrong
14 word but perhaps that expresses the meaning. And to
15 me that clouds what the baseline is.

16 CHAIR APOSTOLAKIS: I see.

17 MEMBER SIEBER: And I'm curious. I think
18 that has to be resolved some place in this thing. And
19 I don't see how you can move past that point until you
20 have that resolution in hand.

21 MR. BRADLEY: Well, yes, I mean to the
22 extent we're dealing with previously-approved actions,
23 I mean the question is are you compliant or not. What
24 is your CLB? And those are more licensing-type
25 questions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes, but the compliance
2 with the rule is a licensing kind of thing, you know.

3 MR. HUTCHINS: If I could make a comment -
4 - Steve Hutchins from NEI -- there are two distinct
5 different enforcement discretions. 805 has its own
6 enforcement discretion which expires six months after
7 the second SER is issued. Non-805 plants are under
8 the EGM, which is the second enforcement discretion
9 for mobile spurious. So they are two distinct things.

10 Right now the 805 plants are using NEI 00-
11 01, Rev 1, to do their mobile spurious review, not Rev
12 2. So there are two distinct discretions.

13 MEMBER SIEBER: Well, it seems like we are
14 preparing lifetimes of work for young people.

15 (Laughter.)

16 MR. BRADLEY: Yes, we are. We're doing
17 some good.

18 My final bullet, and I'd probably like to
19 correct this bullet on the basis of today's
20 discussion, I'd like a little stronger bullet there
21 that says we should have another opportunity to see
22 1.205 before it is issued even for trial use.

23 Certainly I don't think it is ready to be
24 issued final. And this bullet was actually written
25 before the additional issue came up on previously-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 approved manual actions.

2 So, John, unless you have something
3 further to add, I'm going to turn it over to Ken.

4 MEMBER BLEY: But before you turn it over
5 --

6 MR. BRADLEY: Yes?

7 MEMBER BLEY: -- I just want to clear up a
8 little bit back on your fourth slide, you don't have
9 to pull it up --

10 MR. BRADLEY: I don't mind.

11 MEMBER BLEY: -- you talked about the
12 immature state of fire PRA and the drive to
13 modifications that might not be justified. On the one
14 hand, fire PRAs have been around for almost 30 years
15 now. Maybe they didn't move as fast as we wanted
16 because many people didn't do them, which is where you
17 learn a lot.

18 But we had that major effort between NRC
19 and EPRI. And now we've applied that approach to fire
20 PRA.

21 When you do that and you get a result that
22 looks high, what is the prudent thing to do?

23 MR. CANAVAN: Well, if it's -- I mean my
24 presentation is going to go mostly to that.

25 MEMBER BLEY: I'll be happy to wait.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CANAVAN: So if you could indulge me
2 for a few minutes --

3 MEMBER BLEY: I don't forget.

4 MR. CANAVAN: -- and I hope you don't.

5 MR. BRADLEY: There are cases where we're
6 going to find fire risk is a real contributor.
7 Certainly we're going to find. I mean for no other
8 reason than you only have one train of protection
9 versus two for most of the other things we look at.
10 So I'm not sitting here telling you it is always going
11 to be insignificant even once we fix these models.

12 MEMBER BLEY: And if it is, you ought to
13 be able to make a good case for that I would think.
14 But go ahead.

15 MR. CANAVAN: Okay.

16 George?

17 CHAIR APOSTOLAKIS: Yes, sir.

18 MR. CANAVAN: Always a pleasure to speak
19 before the Subcommittee.

20 CHAIR APOSTOLAKIS: Come on.

21 MR. CANAVAN: Last time I was here, our
22 time was short so I sort of started a presentation in
23 the middle, having assumed that you had heard a lot
24 about our efforts in the area of fire PRA methods
25 development.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And I think I was remiss in starting in
2 the middle because we left out all the good parts.
3 And hopefully I'll have the opportunity to spend a
4 little bit more time today -- not crazy time but a
5 little bit of time to clarify the record in a few key
6 areas.

7 So my first slide, I just started with
8 some slides that we gave to the Commission back in May
9 or June of last year. And that is a little bit on the
10 EPRI PRA fire PRA philosophy, which I'll go through
11 these relatively quickly but we are consistent with
12 that policy statement.

13 And we are committed to that risk-informed
14 performance-based approach to fire protection. That
15 includes our realistic inputs and realistic methods
16 and a way to monitor our feedback. And I'm going to
17 keep stressing that because when I say monitoring
18 feedback, I don't necessarily mean just data. That's
19 one way of monitoring feedback. The other monitoring
20 feedback is to improve the methods.

21 Next slide. Consistent with this, EPRI
22 and NRC developed the 6850 or EPRI 1011989 -- thanks
23 for remembering that this morning, Steve -- in a
24 collaborative effort. And that piece of work was a
25 significant improvement over existing methods in fire

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 PRA research. And pieces of that were piloted at a
2 variety of units. And it was not until we piloted our
3 first two what I'd call integrated pilots, Oconee and
4 Harris, did we come to some newer conclusions that we
5 had long suspected and that were not unexpected. And
6 I stress not unexpected.

7 This is the first time out of the box for
8 these methods being applied in an integrated fashion.

9 And we expected to see extremely large core damage
10 frequencies and we expected those to be conservative
11 as a result of all the individual minor to moderate
12 conservatisms that were made along the way. None of
13 this was a surprise.

14 What was a surprise was that our first
15 risk-informed initiative would be NFPA 805, almost a
16 risk-based application of a method that is under trial
17 development. So we didn't have the 15 years or 20
18 years that the IPE has gradually worked their way into
19 PRAs and gradually became applied in varying degrees
20 of necessary rigor coming from the PRA and coming from
21 deterministic blends. We jumped right to using an
22 untried method in a full-blown regulatory application.

23 And what you see here is not a result of
24 the people who developed the methods not being
25 fastidious. It is a result of the people who

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 developed those methods with purpose are into the
2 conservative area of the method and moving on and
3 deciding that if the application of that part of the
4 methodology was determined to be too conservative or
5 impact the result, it would be refined.

6 The problem then becomes the first risk-
7 informed application has a time limit. That time
8 limit creates a situation in which as the methodology
9 begins to improve, we need to handle issues on a very
10 rapid basis.

11 And the initial first-identified several
12 issues are not small items. They actually range from
13 -- actually we picked a spectrum. It was a couple of
14 small ones but some pretty big ones here like how do
15 you handle fire ignition frequencies, credit for some
16 incipient detection or new methods, and treatment of
17 large oil fires, et cetera. All these entered what
18 was called a frequently asked question process.

19 That frequently asked question process
20 involved members of NRC RES, NRC NRR, EPRI, EPRI
21 contractors, and vendors, as well as the owners groups
22 in trying to get interim solutions on all these
23 issues. And those several issue that you see have
24 been solved. The top three were documented in EPRI
25 1016737. And all of them were documented in the FAQ

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 process in a public way.

2 The reason why 1016737 was published was
3 there was difficulty reaching consensus at the time.
4 And time pressure and the thought of involving others
5 was the basis for publication of that document.

6 CHAIR APOSTOLAKIS: It is interesting
7 though that we're still talking about fire ignition
8 frequencies.

9 MR. CANAVAN: There you go.

10 CHAIR APOSTOLAKIS: The first paper was
11 published in 1981.

12 MR. CANAVAN: It's been revised in --

13 CHAIR APOSTOLAKIS: More than ten years
14 ago.

15 MR. CANAVAN: -- '84 or '85 time frame.
16 Yes. It's been revised several times. I think we're
17 still there. If you go to the next bullet --

18 CHAIR APOSTOLAKIS: What is the
19 difficulty, Ken? Why can't we say, you know, for this
20 room, for this thing, here is the reasonable
21 distribution of the frequency. I mean --

22 MR. CANAVAN: I think there are two
23 difficulties. One is the fact that engineers never
24 throw anything out. And that's something that we need
25 to do in the fire ignition frequencies. We need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 throw events out.

2 You know there are events in the database
3 which we like to keep and we like to retain because
4 they provide some level of information. On the other
5 hand, they are not real fire events. They are events
6 that on paper look like fire events.

7 And I think there are a few other
8 problems. Our penchant for being a little
9 conservative because we are in nuclear power creeps up
10 on us here and we tend to try and keep those events
11 because we figure okay, well something could have
12 happened. It did not but it could have. So we'd like
13 to retain it.

14 The problem is when the time comes to
15 screen it out from the couldn't, you know didn't
16 develop, we have a problem with that, too. So I'll
17 get to a timeline that explains it a little bit more
18 in a minute. And I will talk about information
19 quality. We do suffer from the fact that the older
20 fire records are certainly incomplete.

21 And that people were asked to make
22 judgments on events without full description. They
23 did a decent job.

24 The other part --

25 MEMBER BLEY: Can I take you back to what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 George said?

2 MR. CANAVAN: Sure.

3 MEMBER BLEY: And I don't remember what
4 came out in those reports. Did those groups come up
5 with distributions for the ignition frequencies? Or
6 did they try to make a single estimate that would be
7 applied?

8 MR. CANAVAN: Our emphasis was on a point
9 estimate.

10 MEMBER BLEY: See I think if one brings in
11 that uncertainty approach, you can still give credit
12 to those -- some credit to those things that are
13 uncertain of their actual applicability but get much
14 better estimates.

15 CHAIR APOSTOLAKIS: More it is certainly
16 more defensible.

17 MR. HYSLOP: 6850 produced distributions,
18 not point estimates.

19 CHAIR APOSTOLAKIS: Who are you?

20 MR. HYSLOP: My name is J.S. Hyslop from
21 Research. And 6850 produced distributions.

22 CHAIR APOSTOLAKIS: Say your name again.

23 MR. HYSLOP: J.S. Hyslop of Research.

24 CHAIR APOSTOLAKIS: And now what is your
25 point?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HYSLOP: That -- I think there was a
2 comment about 6850 to produce point estimates or
3 distributions. At least that's what I thought I
4 heard.

5 MR. CANAVAN: Yes.

6 MR. HYSLOP: And so I'm responding that it
7 produced distributions for fire frequency.

8 MR. CANAVAN: Yes. The estimates --

9 CHAIR APOSTOLAKIS: Why then are these
10 distributions still debatable?

11 MR. CANAVAN: Because the -- you can
12 develop a distribution but if the input data is
13 suspect or not representative of or conservatively
14 classified --

15 CHAIR APOSTOLAKIS: From Day One, which
16 goes back to the Indian Point fire PRA back in 1980,
17 one of the most controversial parts was if normally
18 there are no combustibles in that room, can you assume
19 that there will be some human error or something and
20 there will be some combustibles?

21 And there were three or four incidents at
22 the time when they found oil where it is not supposed
23 to be and so on. And that was very controversial.
24 You know I remember arguing with the guys from New
25 York.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So I mean that is something that probably
2 cannot be resolved definitively.

3 MR. CANAVAN: I agree completely that
4 there might be events that are, quote, borderline.

5 CHAIR APOSTOLAKIS: But you can't rely on
6 statistical evidence of actual fires. I mean there
7 are other things.

8 MR. CANAVAN: Well, actually the database
9 contains 2700 or 2900 events or so through just 2000.
10 And when you look at some of those events, you would
11 conclude that they -- I think you can conclude they
12 have been conservatively classified. But they were
13 not actually fires.

14 For example, if a relay smoked and didn't
15 --

16 MEMBER BLEY: All that effort didn't purge
17 those from --

18 MR. CANAVAN: Again, conservatively
19 classified because when they contribute -- again, I
20 believe that they were conservatively classified
21 because when it was felt that something contributed,
22 we could remove them at a later date. We could
23 address them.

24 MR. HYSLOP: There was a category -- J.S.
25 Hyslop again -- there was a category called

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 undetermined. And for some of these cases where there
2 was little information provided, it was placed in that
3 category. And those related half of the amount of the
4 potentially-challenging fires. So there was a
5 gradation in an attempt to recognize that some fires
6 have more evidence than others. And some are
7 definitely potentially challenging where others don't
8 have that same amount of evidence.

9 CHAIR APOSTOLAKIS: John?

10 MEMBER STETKAR: I think the problem --
11 and there has been some work done on this -- is that
12 the fire database that is used to support NUREG/CR-
13 6850 includes all fires back from 1968 through 2000.

14 Having done quite a bit of looking at the
15 records in the '60s and '70s, even the early '80s, you
16 do find many, many records where if you just do a word
17 search on an LAR, something is called relay smoked and
18 there is no further elaborations. No more
19 information.

20 And an engineer who reads that says well,
21 I don't know whether this was a fire or not. So I
22 will count it as a fire. Or if I assign a weight,
23 maybe I will assign it a 30-percent weight that it was
24 a fire. If I have three of those, suddenly I have a
25 fire.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What you find is that beginning in the
2 early 1980s where reporting requirements A, became
3 much more stringent, and B, you know, it was the early
4 1980s, so it was after the Browns Ferry Fire. People
5 were paying a lot more attention to the oh, the word
6 fire in their reports.

7 You find a lot more useful information in
8 the reports to support your ability to screen those
9 events whether they were an actual fire, the extent of
10 the fire, and so forth. So the data -- your ability
11 to use the information after the early to mid-1980s is
12 substantially better than your ability to use the
13 information pre-1980s.

14 Now what does that mean in practice?
15 Well, what it means in practice is that someone needs
16 to make a decision about some cutoff date prior to
17 which you basically don't use the information for a
18 variety of reasons.

19 It is pre-Browns Ferry fire experience so
20 the plants were not applying the same level of
21 vigilance to fires, they weren't reporting the fires
22 in the same amount of detail, and the amount of
23 information in the raw data that you have is just not
24 there.

25 So I think that there is some merit to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 argument that the data that is used in NUREG/CR-6850
2 may have an element of conservatism in it despite the
3 fact that indeed there are uncertainty distributions,
4 which is certainly good.

5 On the other hand, subsequent analyses
6 that don't account for the uncertainties are flawed
7 worse than the NUREG/CR-6850 analyses because, indeed,
8 there are huge uncertainties in the fire frequencies.

9 Just saying that well, if I look at the data from
10 1985 through 2005 and here is a point estimate of ten
11 to the minus four fire frequency for a particular type
12 of fire --

13 MR. CANAVAN: Right.

14 MEMBER STETKAR: -- doesn't solve that
15 problem.

16 MR. CANAVAN: Well, and I'll take the
17 issue. In handling the FAQ, which is listed in our
18 bullet there, there was a report and then a subsequent
19 NRC EPRI MOU meeting where this was discussed and we
20 did work out a cutoff date that eliminated -- I think
21 it was 1991 -- 1990 that we agreed to. And all the
22 events prior to 1990 were removed from the database.

23 However, I'll still note that even within
24 the database, there are conservatively-classed
25 information that I do not believe personally represent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a significant or challenging fire. And the
2 information is there to determine whether or not it
3 is. And in your backup material under ignition
4 example, I included two of those events under the
5 electrical cabinet fire example.

6 So just two events that I chose --

7 MEMBER STETKAR: I think we also have to
8 be careful of cutting it off at 1990 because there
9 were a lot of valid fires in the '80s that were quite
10 well known.

11 MR. CANAVAN: Well, we did statistical --

12 CHAIR APOSTOLAKIS: I don't like the idea
13 of cutting off based on a year. I can understand the
14 problems that you are guys are mentioning and maybe do
15 it on an incident-by-incident basis.

16 MR. CANAVAN: It was done on a statistical
17 basis where there was an inflection in the curve.

18 CHAIR APOSTOLAKIS: It doesn't say
19 everything --

20 MR. CANAVAN: Sorry?

21 CHAIR APOSTOLAKIS: But again, the issue
22 you are raising though, I mean is there going to be
23 resolution of any kind?

24 MR. CANAVAN: Yes. I'll get to the
25 resolutions at the end. I realize there are a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 questions.

2 But what, George?

3 CHAIR APOSTOLAKIS: Why didn't that happen
4 in 6850?

5 MR. CANAVAN: Again, we were -- we just
6 had our two pilots. So they are not even done yet as
7 far as I can tell. And so the pilots aren't done.
8 The two pilots are Ocone and Harris being done for
9 805. And they used this database. And the point of
10 the pilot is to get information to revise the pilots.
11 And we're off doing that.

12 MR. HYSLOP: Yes. I think, you know, as a
13 part of this -- I don't mean to take over too much of
14 your presentation, Ken, but --

15 MR. CANAVAN: That's okay.

16 MR. HYSLOP: -- as a part of this EPRI
17 research program, we're collecting additional data
18 beyond 2001. We're going to be folding that in.

19 I think the pre-1990 data in your
20 presentation went into the development of a prior
21 distribution --

22 MR. CANAVAN: Yes, we used it as a prior.

23 MR. HYSLOP: -- rather than being thrown
24 away. So, you know, that's part of the program to
25 collect more recent data. This is data that we have.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We'll have more fidelity. We will be able to follow
2 up on it. We will be able to do the types of things
3 that you were talking about in terms of, you know,
4 getting better information and having more confidence
5 in classifying them.

6 MR. CANAVAN: Yes. And I probably
7 shouldn't rush. I probably should take the necessary
8 time to explain that if you look at EPRI 1016735 and
9 the frequently asked question resolution to the fire
10 ignition frequency FAQ, which is 080046 or 48, one or
11 the other, in that there is a full description of how
12 it was resolved.

13 Basically, statistically the ignition
14 frequencies were looked at and the inflection point
15 was found in the data, statistical tests applied, and
16 the data prior to 1990 was used to form a prior, which
17 was updated with the data after that. And I believe
18 distributions were developed for all of that.

19 CHAIR APOSTOLAKIS: It seems to me that
20 some of the issues that you have there in the
21 continuing work will just refine the distributions if
22 you have them. It will bring more recent data into
23 it.

24 MR. HYSLOP: Right.

25 CHAIR APOSTOLAKIS: But I don't see a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 revolution happening there.

2 MR. CANAVAN: This is an evolution.

3 CHAIR APOSTOLAKIS: Evolution.

4 MR. CANAVAN: This is an evolution.

5 CHAIR APOSTOLAKIS: When it comes to hot
6 shorts, maybe in suppression and so on, I think there
7 you might argue, hmm, you'll have a better argument
8 that you may be very conservative. In other words,
9 the fire frequency --

10 MR. CANAVAN: Factors of three.

11 CHAIR APOSTOLAKIS: -- how much can it
12 change? That's my point that --

13 MR. CANAVAN: Three to five.

14 CHAIR APOSTOLAKIS: What?

15 MR. CANAVAN: Factors of three to five.

16 CHAIR APOSTOLAKIS: Oh, even that, I think
17 --

18 MR. BRADLEY: It is the compound effect of
19 these that really has the impact individually.

20 CHAIR APOSTOLAKIS: We have to have a
21 closure at some point.

22 MR. BRADLEY: Okay.

23 CHAIR APOSTOLAKIS: And they're saying
24 we've been working on frequencies now for 28 years.

25 MR. BRADLEY: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: And I don't know. I
2 mean if we do what J.S. just described --

3 MR. CANAVAN: We are doing that.

4 CHAIR APOSTOLAKIS: -- are we going to be
5 --

6 MR. CANAVAN: We are doing what J.S.
7 described.

8 CHAIR APOSTOLAKIS: And when will that be
9 closed? We'll say now we have a good set of
10 distributions of fire frequency.

11 MR. CANAVAN: That's a really good
12 question. We're looking at the first half of 2010 to
13 have a new version of that.

14 CHAIR APOSTOLAKIS: So in five, six
15 months, seven months, eight months.

16 MR. CANAVAN: Okay, yes, months.

17 CHAIR APOSTOLAKIS: Not 28 years.

18 MR. CANAVAN: Months, not 28 years.

19 CHAIR APOSTOLAKIS: Okay.

20 MR. CANAVAN: And, you know, everybody
21 says we've been working on this but I'm not aware of
22 how much work we've doing over the last many years. I
23 think we were doing a little bit of work.

24 And along came 805 and now we're doing a
25 lot of work. And we're doing a lot of work in a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 really short period of time.

2 And along with these initial issues which,
3 as George points out I think correctly, a lot of these
4 are sort of evolutionary. We're evolving the method.

5 We're not -- there's no revolution here. But there
6 are a few revolutions coming.

7 And some of emerging issues that are
8 listed here are quite significant. And they have been
9 around even longer than 28 years. Fire growth and
10 propagation, heat release rates are some of the
11 issues. Fire modeling will be some more of the issues
12 that we'll probably see as we go down the road.

13 CHAIR APOSTOLAKIS: So what is the
14 probability of a hot short?

15 MR. CANAVAN: Well, there would be another
16 revolution. AC or DC circuit? Because there could be
17 a difference.

18 CHAIR APOSTOLAKIS: Yes, it was .2? Okay.
19 So this is a blank slide. That's good.

20 MR. CANAVAN: Okay, we'll I'm taking you
21 back. And I'm not sure how comfortable I am taking
22 you back to June but I guess the example that was
23 began back there, I took the liberty of taking that
24 example and flushing out some of the details and
25 making myself another target for some of the thoughts

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 but showing you some of the areas I think that need to
2 be continued and improved.

3 And what we did here was we pulled
4 together a quick timeline and the timeline looks from
5 the adverse condition to the fully-developed fire.
6 And if you look at the -- when the adverse condition
7 occurs, that can be something like a relay starting to
8 overheat. So the relay becomes hot.

9 And over a period of -- over some period,
10 that relay begins to become damaged. And so over some
11 period of time, we have minimal damage occurring to
12 the surrounding area but perhaps some damage occurring
13 to the relay.

14 During this period of time, there's no
15 other components that are damaged. And this is the
16 incipient indications. And those indications are
17 heat. Maybe there is pre-pyralisis products given
18 off, in other words the pre-combustion products can be
19 given off.

20 And then eventually that heating relay
21 starts to smoke and smolder. And that is when the
22 "event" occurs. And in that particular case, the
23 component usually starts to become damaged. At this
24 particular point in time, it also becomes possible for
25 people to start smelling or seeing the fire.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 If the fire should grow and propagate
2 beyond the component, we then see that the component -
3 - the panel that the component is in can then become
4 damaged or lost. And should the fire continue from
5 there, we might get some targets that are damaged,
6 potentially cables, for example, on the further side
7 of the room may become enveloped in a hot gas fire.

8 The timeline looks sort of like this.
9 Adverse condition can be days or weeks. Sometimes
10 even months before we get to where smoking and
11 smoldering occurs and component damage from that onset
12 is usually in terms of hours.

13 And then potentially-challenging fires can
14 be tens of minutes from that smoking. And then when
15 we look at fully-developed fires, typically that is on
16 the order of sort of minutes. And this is just to
17 give you an order of magnitude time scale.

18 MEMBER BLEY: I mean this kind of makes
19 sense. And most of us have seen equipment in various
20 changes along here.

21 MR. CANAVAN: Right.

22 MEMBER BLEY: Do you have a set of
23 experiments that have watched this? Or is this just
24 some guy sitting around saying I think this is what
25 happens? I thin it is tens of minutes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CANAVAN: We have -- don't have any --
2 we have experiments that we've done for many other
3 purposes where we have actually had trouble getting it
4 to change through these various damages of fire.

5 MEMBER BLEY: This is such a nice smooth
6 continuum. I'm not at all convinced that this is the
7 way --

8 MR. CANAVAN: Well, that's why we left it
9 sort of fuzzy at the ends and overlapping.

10 MR. BRADLEY: This isn't a high energy
11 kind of fault.

12 MR. CANAVAN: Yes. This is an electrical
13 fire, a cabinet --

14 MR. BRADLEY: Right.

15 MR. CANAVAN: -- progression, not a high-
16 energy fault. So this is one of --

17 MEMBER BLEY: This is not -- it looks
18 nice. It's just not at all clear to me this is the
19 way the real world --

20 MR. CANAVAN: I actually wrote in panel
21 here because it is specific to an electrical panel,
22 not a high energy arcing fault or other energetic
23 electrical problems.

24 And I don't believe it is as smooth as
25 this. I believe that minimal damage can be anywhere

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 from hours and days and weeks to something that
2 transitions. And component damage can be on the order
3 of hours to minutes, depending. So these are all
4 overlapping.

5 MEMBER BLEY: We found relays, you know,
6 completely charred. And there was never a fire.

7 MR. CANAVAN: Yes. Well, I guess that was
8 my point with putting should the fire progress as I
9 was speaking. And one of the things of showing this
10 is I wanted to show that in the database, when you
11 look at the database, going back to that, when we look
12 at the minimal damage and the component damage areas,
13 90-plus percent of the events that are in the database
14 are in that area of this curve.

15 As a matter of fact, none of the
16 electrical panels proceed to target damage. We don't
17 have a fire that goes to target damage in the
18 database. All those fires are somewhere in between
19 component damage and panel function loss with very few
20 becoming panel function loss.

21 So when we look at the data that created
22 the prior that is used -- that created the prior and
23 the frequency for the fire electrical panel, what we
24 find is that there are actually very few events that
25 went there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But yet the ignition frequency is used
2 exactly as that, it is used as an event that went to
3 target damage. Because when we model in the PRA, and
4 it starts the ignition, it is assumed to be capable of
5 going to target damage.

6 And then what we use is the database to
7 figure out well, when was that event -- sorry -- when
8 was that event detected? When was it suppressed? So
9 we start looking at okay, here is the plant response.

10 They detected it at some place hours or minutes
11 before the event or around the event.

12 And the reason why it goes before the
13 event is perhaps you can smell the fire. And then
14 that smoldering occurs and then -- and perhaps it is
15 visually detected or perhaps it is detected with smoke
16 detectors. And then there is some point in time after
17 detection that operators can then respond in a brigade
18 response.

19 And then we look at the brigade response
20 window and this flowchart was largely made to describe
21 incipient detection and how it can be useful extending
22 the response window into the time at which incipient
23 indications are available. So that's why you see --

24 CHAIR APOSTOLAKIS: So you are proposing
25 then that we do more of a time-dependent modeling of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fire incident, which I think, you know, time was
2 always embedded in these evaluations. But this is
3 more explicit.

4 MR. CANAVAN: Well, what I think I'd like
5 --

6 CHAIR APOSTOLAKIS: And also where in the
7 data. I think you made the point that at one phase,
8 we have data but we've never seen the actual target
9 damage --

10 MR. CANAVAN: Right.

11 CHAIR APOSTOLAKIS: -- which may have
12 implications in the way we do calculations.

13 MR. CANAVAN: I think -- yes, I think the
14 answer is yes. I think what is missing from the
15 current PRA studies is we do a database that results
16 in our getting the ignition frequencies. That
17 database also supplies the suppression probabilities.

18 And then that database that supplies the
19 suppression probabilities then also supplies -- that
20 is assumed to result if the fire is not suppressed.
21 It is presumed to grow and propagate with a 1.0.

22 So that -- every event that appears in
23 that database, that smoldering relay, for example,
24 that may or may not have turned into a fire, is
25 assumed to have to be suppressed over some period of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time. So let's say the relay -- let's say somebody
2 opened the cabinet, that the relay was smoking, and
3 they stood there and they watched it smolder for an
4 hour. And they declared the fire out an hour later.

5 That hour is used as the suppression time.

6 That's how long it took to suppress that fire.
7 That's what is in the database. And if you look, you
8 can find events like this. I'm not saying every event
9 is like this. Some events are.

10 But then that event just models in the PRA
11 as not being suppressed for an entire hour. And then
12 that event is modeled with a peak heat release rate
13 assumed one foot underneath the top of the cabinet.
14 And then hot gas layers are modeled in the fire model,
15 that damaged to target.

16 So the smoking relay that never became a
17 fire, that didn't really require an hour to be
18 suppressed, eventually becomes the raging inferno that
19 fails the other cabinets.

20 And so what are we doing? We need to
21 interdict this event sequence somewhere along the
22 line. Can we include all the smoking relays in the
23 fire ignition frequency? The answer is yes as long as
24 you take them out appropriately in the suppression.

25 But we've erred a little bit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 conservatively in each one of those steps. And so
2 while each step individually is probably not all that
3 bad, some of them need to be fixed but they might not
4 be terrible by themselves. Collectively, they turn
5 the smoking relay into the raging inferno that damages
6 Division Two cables.

7 Now this isn't always the case. If you go
8 in the database, you can find real events that really
9 did burn up. They really did cause a fire in a
10 cabinet. They may or may not have propagated. That's
11 the rarity not -- that's the exception, not the rule.

12 And our conservatism has made it more the
13 rule by us calling fires that may or may not be
14 challenging, challenging. Us calling fires that
15 lasted for 60 minutes that were controlled, calling
16 them unsuppressed because they were controlled.

17 CHAIR APOSTOLAKIS: Yes, that was a point
18 that was made with Browns Ferry, too. I mean if you
19 look at the actual time they put out the fire, it is
20 more than seven hours from the beginning.

21 MR. CANAVAN: Yes.

22 CHAIR APOSTOLAKIS: But for, I don't know,
23 six-and-a-half hours, they knew that no more damage
24 would --

25 MR. CANAVAN: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: -- occur. So it is
2 not really a fair thing to say seven hours.

3 MR. CANAVAN: Right.

4 CHAIR APOSTOLAKIS: I notice you don't
5 have any recovery actions in the diagram. But that's
6 --

7 MR. CANAVAN: There's no such thing.

8 CHAIR APOSTOLAKIS: Can you speed it up,
9 Ken?

10 MR. CANAVAN: I'm almost done.

11 CHAIR APOSTOLAKIS: You're almost done?

12 MR. CANAVAN: I am almost done.

13 CHAIR APOSTOLAKIS: So you are going to
14 skip some of these other slides?

15 MR. CANAVAN: I think Biff has made a
16 really good point on many of these. And I spoke to
17 these.

18 CHAIR APOSTOLAKIS: Okay. We agree with
19 the methods and all that. That point has been made.

20 MR. CANAVAN: But I do want to be very
21 careful here because the one thing I want to caveat is
22 I gave you an example of a smoking relay. And in the
23 backup slides, there are some database examples of
24 what is really in the database.

25 But I want to point out there are also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 real fires in the database. We shouldn't -- you can't
2 -- we just need to be a little bit less conservative
3 than we were the first time through. And a little bit
4 more conscious about what our classifications do to
5 effect this.

6 And we need to add additional information
7 to the database. We need to add more current and more
8 detailed information so that we can appropriately map
9 our PRA -- our events to our PRA.

10 And one -- just to mention one other
11 thing, one of the pilots mentioned to me that one of
12 the things that we should do when we are done with our
13 PRA, at least one thing that should happen is we
14 should be able to see the past in our study as being
15 screened out and going to an appropriate -- we should
16 be able to map all those events and those events
17 shouldn't go to core damage. They should fall out
18 where they would if we would have mapped them and
19 modeled them in an appropriate sequence.

20 And, again, we're getting there. And
21 that's why I want to bring us to our efforts to date.

22 I want to say that EPRI and NRC specifically RES have
23 been expending considerable resources to address all
24 these issues and improve the methods.

25 There are members of the national lab,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 members of various consulting organizations who are
2 participating this effort. And over the last 18
3 months, we've made some recent advances in closing out
4 some of these FAQs, including the interim solution on
5 the ignition frequencies.

6 Consensus is always hard to get. We
7 always have that issue. I think that that is
8 specifically challenging in this case because this is
9 a regulatory initiative. And the tendency to be
10 conservative in a regulatory environment is understood
11 and expected. The problem is --

12 CHAIR APOSTOLAKIS: In other words, you
13 don't have a tendency to be optimistic, do you?

14 MR. CANAVAN: Well, certainly not if you
15 might find out later that it wasn't the situation that
16 you perceived. But I would argue --

17 CHAIR APOSTOLAKIS: Let's not accuse
18 conservatism all the time. I mean --

19 MR. CANAVAN: Right.

20 CHAIR APOSTOLAKIS: -- it is a problem
21 that is reached eventually.

22 MR. CANAVAN: Well, I think in the case of
23 the PRA, what we should shoot for is we should shoot
24 for realistic.

25 CHAIR APOSTOLAKIS: The presentation of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the current state of knowledge.

2 MR. CANAVAN: Of the current state of
3 knowledge.

4 CHAIR APOSTOLAKIS: I agree.

5 MR. CANAVAN: And the rest should fall
6 into our area of our uncertainty and our sensitivity
7 studies.

8 CHAIR APOSTOLAKIS: Sure.

9 MR. CANAVAN: And that we should allow the
10 regulation to be conservative such as self approval at
11 1E to the minus seven, which is a pretty small number.

12 CHAIR APOSTOLAKIS: Of course I don't know
13 what your last bullet means in terms of NFPA 805. I
14 mean Biff referred to the urgency that is coming from
15 above.

16 MR. CANAVAN: Oh, I understand the urgency
17 there. But I'm trying to do PRA methods. And we'll
18 make them happen as quick as we can.

19 CHAIR APOSTOLAKIS: Okay.

20 MR. CANAVAN: And hopefully they will be
21 supported.

22 CHAIR APOSTOLAKIS: Very good. So you are
23 complete then, sir?

24 MR. CANAVAN: My last part is --

25 CHAIR APOSTOLAKIS: As stated before, Ken,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 could you move on?

2 MR. CANAVAN: -- our future activities.

3 CHAIR APOSTOLAKIS: Because I have two
4 guys waiting to speak.

5 MR. CANAVAN: Yes.

6 CHAIR APOSTOLAKIS: And we're already
7 late. Do you have anything to say that has not been
8 said before?

9 MR. CANAVAN: Well, one other item.

10 CHAIR APOSTOLAKIS: Sure.

11 MR. CANAVAN: We're involving the owners
12 groups in all these activities. I want to make sure -
13 -

14 CHAIR APOSTOLAKIS: I'm sorry. What was
15 that?

16 MR. CANAVAN: We're involving the owners
17 groups in these activities as well.

18 MR. BRADLEY: I just wanted to note there
19 is a lot of work planned here, as you can see.

20 CHAIR APOSTOLAKIS: Yes.

21 MR. BRADLEY: We're not -- we recognize
22 the issues with taking action to try to get better
23 models. We're not just sitting back and complaining
24 about them. We're trying to make this result better.

25 CHAIR APOSTOLAKIS: We appreciate that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 yes.

2 MR. CANAVAN: And more data in March. I
3 gave you a better date on the slide. And the
4 conclusions we've been through.

5 CHAIR APOSTOLAKIS: Very good.

6 MR. CANAVAN: That concludes my remarks.

7 CHAIR APOSTOLAKIS: Mr. Dinsmore and Mr.
8 Laur are here. Do you mind if we take a five-minute
9 break?

10 MR. LAUR: Not at all.

11 CHAIR APOSTOLAKIS: Steve?

12 MR. DINSMORE: Okay.

13 CHAIR APOSTOLAKIS: Okay. All right.
14 We'll take a five-minute break.

15 (Whereupon, the foregoing matter went off the record
16 at 4:53 p.m. and went back on
17 the record at 5:05 p.m.)

18 CHAIR APOSTOLAKIS: We are back in
19 session. We'll hear from Mr. Laur and Mr. Dinsmore on
20 a few comments they want to make.

21 MR. LAUR: Yes, thank you.

22 CHAIR APOSTOLAKIS: Who wants to go first?

23 MR. LAUR: Me. That way I can be first
24 out the door.

25 CHAIR APOSTOLAKIS: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LAUR: Okay. Steve Laur still.
2 Senior Level Advisor in the Division of Risk
3 Assessment, NRR.

4 I'm here basically to talk about a
5 differing professional opinion that I submitted per
6 Management Directive 10.159. And the reason for that
7 has to do with I guess intensive and continuing
8 discussions within the staff pretty much regarding how
9 to handle the additional risk of recovery actions that
10 are previously approved.

11 I fully supported what we issued as a
12 draft Reg Guide in February. In discussions since
13 that time and the public comments and with the Office
14 of General Counsel, we've had several iterations.

15 The version that we sent to the ACRS on
16 the 30th of -- I'm sorry, excuse me, 30 days prior to
17 this meeting --

18 CHAIR APOSTOLAKIS: Thereabouts.

19 MR. LAUR: Thereabouts, yes, we were a
20 little bit late -- had some issues with it. Actually
21 I believe Steve's slide will cover that because the
22 issues were virtually the same.

23 So what I want to take my time to do is to
24 basically step back and look from a higher level and
25 make some comments on, I guess, lessons learned not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just from the DPL but from this -- from this -- at
2 least from my involvement in this entire rule. And
3 I'd like to look at alternative rules in general.

4 An example could be 10 CFR 50.69 for
5 special treatment. Another example could be the
6 alternative source term. And one example, of course,
7 is the risk-informed, performance-based fire
8 protection.

9 It is not clear to me -- one of the
10 fundamental things that I've been trying to strive for
11 in my short involvement with this is to have a clear
12 set of requirements such that if I look at something,
13 if an inspector looks at something, if a licensee
14 looks at something, or the general public looks at
15 something, there is a common understanding that
16 compliance has been achieved.

17 And this thing about carrying over from
18 one set of requirements to another, it's not clear to
19 me that mixing and matching these individual
20 requirements always is guaranteed to assure adequate
21 protection.

22 And I've got the two sub-bullets there. I
23 won't read them but the bottom line is a hybrid
24 approach could hit all the necessary elements in one
25 case and other necessary elements in another but they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 may not, by picking and choosing, still cover all the
2 bases.

3 The statement of considerations of this
4 rule goes through a great deal of effort to say these
5 two are different however it is okay to use 805
6 because -- and it goes through all the points of how a
7 GDC3 and 10 CFR 4048(a) would be met by a risk-
8 informed common space plant.

9 CHAIR APOSTOLAKIS: But are you -- I mean,
10 the plants are licensed to operate. Some of the
11 recovery actions have been approved. What do you mean
12 by mixing? I mean are you saying that these should
13 not be carried over to the new licensing basis? Is
14 that what you are saying?

15 MR. LAUR: Yes. Although I fully support
16 --

17 CHAIR APOSTOLAKIS: But they have been
18 approved.

19 MR. LAUR: -- the position we put out
20 today as well. But it is kind of kludgy.

21 CHAIR APOSTOLAKIS: But they have been
22 approved, Steve. I mean this agency has been accused
23 many times that it is not -- that there is no
24 regulatory stability. Now we're going to start taking
25 things we approved and say well, no, we don't like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 them anymore.

2 Don't you get some -- I don't know, I mean
3 that is an issue, isn't it? We can't just drop things
4 we have approved and say well, there is this new
5 standard now.

6 MR. LAUR: But that's not what we're
7 doing.

8 CHAIR APOSTOLAKIS: I'm trying to
9 understand that.

10 MR. LAUR: That's not what we're doing.

11 CHAIR APOSTOLAKIS: Okay.

12 MR. LAUR: What we're doing is offering
13 two alternative rules, either one of which the
14 Commission has decided affords adequate protection.

15 CHAIR APOSTOLAKIS: Okay.

16 MR. LAUR: Okay? And in this particular
17 case, they are very similar. The deterministic
18 requirements of Appendix R and the deterministic
19 requirements here are identical if you talk to some
20 people.

21 But there are obviously differences when
22 you get down to the details that I don't understand.
23 But they look the same -- 20 feet, three-hour
24 barriers, that kind of stuff. So it gets a little
25 confusing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But just conceptually saying that this set
2 of rules is okay and this set of rules is okay does
3 not mean that one from Column A and one from Column B
4 is okay. And so that if I have a voluntary choice of
5 complying with these, my current licensing basis, or
6 this new alternative rule, then I, as the licensee, am
7 the one that actually decided to reevaluate.

8 And this particular rule, in the case of
9 the previously-approved recovery actions, that
10 paragraph we keep talking about, the additional risk
11 of recovery actions, that's how you demonstrate
12 compliance with this rule.

13 It says meet the deterministic
14 requirements or show us that the risk of not meeting
15 them, of your alternative, is acceptable to the
16 authority having jurisdiction. That's the issue. And
17 it doesn't say previously approved. It doesn't say --
18 it just says recovery actions have to go that route.

19 So that when an inspector comes into the
20 room and says how does this comply, they're going to
21 say well, it used to comply under Appendix R. He's
22 going to look at your license and say but you don't
23 have an Appendix R license. Your license condition
24 says NFPA 805.

25 And that type of thing happened back when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we transitioned from Appendix A to Appendix R where
2 inspectors actually questioned exemptions, if I
3 recall.

4 So -- but this is my opinion. So I guess
5 I have to preface that.

6 The other thing is one thing that led us
7 down this path is a phrase called safe today, safe
8 tomorrow. You can almost say that is a goal. That is
9 to say we want the plants to be safe when they are
10 conceived and safe when they are operated and safe up
11 until they are decommissioned.

12 But it is not a philosophy, as I've heard
13 it called. If it were a philosophy, we'd never have a
14 generic safety issue. We'd never have a legitimate
15 backfit. We'd never have new information about
16 spurious actuations.

17 So -- but that is the key thing that
18 people point to that says well, you've been approved
19 today under this set of rules. And that's a check
20 valve. That's a preexisting thing to which I can add
21 additional changes.

22 Now I'm looking at it from a compliance
23 standpoint. But the safety aspect comes in as
24 follows. If I'm the reviewer for an exemption request
25 under Appendix R and somebody says can I have a manual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 action instead of protecting the circuit and I look at
2 it and I say it is feasible and it somehow provides
3 enough public safety, okay, that's acceptable.

4 Now maybe we'd make that same
5 determination under the new rule but the new rule
6 requires core damage frequency delta, delta LERF, and
7 acceptable to the authority. Well, that wasn't done
8 that way, okay?

9 But the other thing that is missing is
10 most of these plants that are transitioning have
11 significant numbers of variances from their current
12 licensing basis. They don't meet their current
13 licensing basis.

14 So this fire area that has one approved
15 exemption for a recovery action may have three other
16 exemptions -- excuse me -- three other non-approved
17 recovery actions that if you don't factor it in
18 holistically, you get a pass on this one that might be
19 the biggest of the three and you get these little
20 small increments on the other ones and we say oh, you
21 meet the rule.

22 So it is not clear to me that it has been
23 evaluated previously in light of what they are going
24 to be allowed to carry over under NFPA 805.

25 And then the final bullet -- I'm not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 trying to cut off a question -- I'm trying to be
2 mindful of the time here -- the final bullet is I
3 think we need to be careful in setting precedent. The
4 biggest argument that we've had internally and with
5 OGC has been just what you said. The staff granted
6 this, therefore adequate protection is assured. And
7 that's true as far as just looking at the one event
8 but not as a whole.

9 The problem is it leads to possible a
10 precedent in other areas. And an example recently, a
11 licensee came in with -- or wants to come in with a
12 alternate source term request. Okay, they have an
13 existing exemption to a requirement under that rule
14 that they said they want to carry forward.

15 Now since that time, it looks like they
16 are going to voluntarily fix this. But the discussion
17 we had internally was well, we can't make them comply
18 with this new rule. It is a totally different part of
19 10 CFR 50.

20 But this idea of cherry-picking, like I
21 say, it is not clear to me that unless it was
22 explicitly thought out when the rule was developed,
23 it's not clear to me that you have full coverage of
24 all the aspects that were thought about when the
25 Commission issued this to assure public health and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 safety.

2 That's it.

3 CHAIR APOSTOLAKIS: I would say that
4 perhaps a lot of these concerns would go away if we
5 asked the licensee who wants to transition to do a
6 fire risk assessment of the plant as it is today and
7 we then look at that and decide whether it is
8 acceptable or not -- the risk is acceptable or not.
9 And forget about deltas from ideal plants.

10 I don't know why I would have to single
11 out recovery actions and not look at other things that
12 have been previously approved as I said earlier today.

13 The installation of a fire barrier, I don't know how
14 that was approved. I'd like to see a risk assessment.

15 So that would make much more sense to me.

16 You use the word cherry-picking. It seems to me you
17 are doing that by singling out the recovery actions
18 and finding the risk of those. But everything else,
19 because it is hardware-related, I will accept as being
20 good enough. And I have difficulty with that.

21 By the way, your written exposition was
22 much clearer than what you just said. But I
23 understand the pressure of time. It made much more
24 sense to me when I read it. You assume too much. You
25 assume that we know too much in your presentation. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was trying to catch up with you all the time.

2 Shall we move on to Steve and then maybe -
3 - no, you don't have unless you want to leave.

4 MR. LAUR: I was going to pull his
5 presentation up is all.

6 MR. DINSMORE: Okay. This is Steve
7 Dinsmore from the PRA Branch in NRR as well. Just to
8 segue a little bit, when you said, Dr. Apostolakis,
9 that maybe we should just look at the total risk of
10 the plant, that wouldn't be a bad idea. But we don't
11 have any guidance on how to do that. I mean it is a
12 big, complicated process. And that cuts the basis of
13 --

14 CHAIR APOSTOLAKIS: I noticed that today,
15 Steve and Steve. We are mixing technical arguments
16 with process arguments, you know.

17 MR. LAUR: Right.

18 CHAIR APOSTOLAKIS: There was a question
19 earlier to Sunil and he said well, but that's what the
20 rule says essentially. The question though was more
21 of a technical nature. So here again the same thing.

22 It would be nice to do it from the
23 technical point of view but the rule says something
24 else. And I'm really beginning to think that the
25 standard has significant flaws but I don't know what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that means and -- well, I know what it means but in
2 terms of regulatory process, I think that would open
3 up all sorts of problems.

4 So both of you are taking, as a starting
5 point, the existing standard. And you are
6 interpreting what the standard says. And you reach
7 your conclusions. So let's make that clear.

8 MR. DINSMORE: Yes, the existing standard
9 in the existing framework that we are working within.

10 CHAIR APOSTOLAKIS: Fine.

11 MEMBER SIEBER: Well, just a quick
12 question. During that process, is this evolving? Or
13 are you developing a focus? Because I get the feeling
14 that there has been changes in interpretation as time
15 went on as to what to do and what it means, what the
16 baseline is, and in the deterministic world, we're
17 further along than that.

18 MR. DINSMORE: Well Steve mentioned
19 earlier, there was a comment a long time ago from NEI
20 about this phrase. So this phrase has been on the
21 table since --

22 MR. LAUR: 2002.

23 MR. DINSMORE: -- 2002. And the possible
24 difficulty of plucking out a special subset of stuff
25 and treating it special.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Yes.

2 MR. DINSMORE: And at that time, it was
3 kind of just -- it wasn't very well gotten rid of.
4 The SECY just said something that we chose not to
5 change.

6 But as far as my personal experience in
7 this, which is where I was going to come from with
8 this presentation, is I'm the APLA reviewer for
9 Ocone. And as soon as Ocone came in with their
10 pilot application, I was going through their submittal
11 to see what was in there and comparing it what is in
12 the rule.

13 And it popped out immediately that this
14 number, which the rule says they should submit, was
15 not in the application. So the first thing we did was
16 went back and said well, where is this number.

17 So this has been on the table for probably
18 at least -- it was either last October or the October
19 before that. I'm not sure.

20 CHAIR APOSTOLAKIS: Anyway, coming back to
21 your slide now, your first bullet there refers to I
22 think a different issue. You are talking about --

23 MR. DINSMORE: No, he skipped to the
24 second. I'm still setting up.

25 MR. LAUR: Oh, did you want to stay on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 first slide? I'm sorry.

2 MR. DINSMORE: I'm sorry. Okay.

3 CHAIR APOSTOLAKIS: So what questions can
4 we have here? Is your name really Dinsmore?

5 MR. DINSMORE: Yes.

6 MR. LAUR: And it is misspelled.

7 MR. DINSMORE: Okay. So this issue came
8 up a long time ago when we were trying to compare the
9 submittal to the rule. So it really came into force
10 at that point in time. The staff said hey, look, this
11 number is missing.

12 And then the draft Reg Guide that Steve
13 was talking about, it was put into the draft Reg Guide
14 you need to do this calculation and the result will be
15 summed and compared to 1.174.

16 CHAIR APOSTOLAKIS: Which calculation are
17 you referring to?

18 MR. DINSMORE: The additional risk from
19 recovery from previously-approved recovery actions
20 that protect the success path. It is a small subset
21 of recovery actions. I'm not quite sure how big it is
22 but it is a set of these actions.

23 And we said well, the rule says that you
24 need to calculate it. So if you are going to have to
25 calculate it and give it to us, we're going to have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 accept it. So the draft Reg Guide said we're just
2 going to add it together and accept it based on the
3 change in risk from 1.174.

4 The Reg Guide that came over here not
5 quite 30 days ago had been changed to simply say well,
6 you'll do this calculation and you'll give us this
7 number effectively. And so the DPO which I found was
8 that is not enough.

9 And we can go to the second slide. And it
10 is not enough because when we write a Safety
11 Evaluation for this application, somewhere in that
12 Safety Evaluation it's going to have to say well, the
13 staff received this number and it is acceptable
14 because.

15 And I don't know quite what to put for
16 that because. If it is a small number, it would be
17 easy. It's just well, that's a very small number.
18 It's below this and that. But it could well be a
19 pretty large number. And the indications are it might
20 be a pretty large number.

21 So then each -- the reviewer is faced with
22 well, okay, I have a fairly large number here. We'll
23 have to discuss it. I have to either find it
24 acceptable -- if I don't find it acceptable, I have to
25 somehow go back through management and try to deal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with that.

2 CHAIR APOSTOLAKIS: That's because the
3 guidance says calculate it? So there is no guidance
4 as to what is acceptable.

5 MR. DINSMORE: That's right. That's one
6 major issue.

7 CHAIR APOSTOLAKIS: You would like to see
8 that guidance.

9 MR. DINSMORE: Yes, I think that that
10 guidance should be provided in some form or format.
11 But it needs to be provided.

12 CHAIR APOSTOLAKIS: Actually what it says
13 now -- or at least from what we have heard today -- no
14 matter what it is, it is declared acceptable because
15 the recovery action has been approved.

16 MR. DINSMORE: Right. That's a new
17 addition.

18 CHAIR APOSTOLAKIS: You are saying if I
19 see something that is five times ten to the minus
20 five, I'm not sure I would agree that that is
21 acceptable.

22 MR. DINSMORE: Well, no, I'm saying that
23 if I see something that is five times ten to the minus
24 five, the SE would need to say well, five times ten to
25 the minus five is acceptable because according to Reg

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Guide 1.205, all such previously approved -- or the
2 risk from all such previously --

3 CHAIR APOSTOLAKIS: Yes, okay, okay, I
4 understand.

5 MR. DINSMORE: So it has to be very --

6 MEMBER RAY: I don't think it is just
7 acceptable. It may be acceptable but in Region I,
8 which puts you out the other side of the decision.

9 CHAIR APOSTOLAKIS: That's right. From
10 the point of view of 1.174, it may not be. But right
11 now it says because it is an approved thing, that's
12 it.

13 MEMBER STETKAR: But I think we're talking
14 about horizontal and vertical axes in 1.174. Right
15 now, you are looking for acceptance criteria basically
16 on the vertical axis, on a delta risk calculation and
17 artificial starting point, that being that so-called
18 ideal plant --

19 MR. DINSMORE: Well, I'm not sure --

20 MEMBER STETKAR: -- whereas there could
21 also -- rather than thinking about it as an acceptance
22 criteria and on that artificial delta, you could say
23 well, they are required to calculate that delta. The
24 rule is clear.

25 On the other hand, that that delta might

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 be acceptable if they meet 1.174 criteria on the
2 horizontal axis as long as their overall plant risk is
3 less than, you know, not Region I.

4 CHAIR APOSTOLAKIS: His argument is don't
5 ask -- don't give me a number without telling me
6 whether it is acceptable or not.

7 MEMBER STETKAR: That's right. I
8 understand. I was just curious whether acceptability
9 has to be welded to the vertical axis.

10 CHAIR APOSTOLAKIS: That is what the
11 purpose is, I think.

12 MR. DINSMORE: It could be a total. It
13 could be a total but we have no total.

14 CHAIR APOSTOLAKIS: Yes, the total. You
15 are right.

16 MEMBER SIEBER: In order to find out where
17 you are, you need to have them give you two numbers.
18 You would have to have two numbers.

19 CHAIR APOSTOLAKIS: That's correct.
20 That's another flaw actually. But anyway, keep going.

21 MR. DINSMORE: The only other two things I
22 just wanted to briefly mention was that if we use
23 acceptance guidelines for this additional risk, we
24 actually might require changes that reduce risk beyond
25 the more traditional risk-informed tradeoff of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 identifying changes that reduce risk in order to
2 implement other changes that increase risk.

3 In other words, built into this rule is --
4 it looks to me like there was some question about --
5 some people at least had questions about the --
6 whether these operator actions were really the best
7 thing to let them do. And I wanted to revisit the
8 risk associated with those actions. And perhaps get
9 them to change.

10 And without any acceptance criteria on
11 this subset, we probably are not going to get them to
12 change. It would simply be well, we'd have to accept
13 it.

14 And that last one is a little bit what
15 Steve was talking about where if we get them to give
16 us this number and we don't really do anything with
17 it, these numbers are going to be -- kind of establish
18 some type of new acceptance criteria that if some
19 similar situation comes up in the future, licensees
20 will simply say well, you've been accepting numbers
21 like this for the last ten years.

22 So there is a lot of difficulties involved
23 unless we get some type of acceptance --

24 MEMBER RAY: When you say you don't do
25 anything with it, do you include the flowchart that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 saw earlier which said if it is Region I, I now
2 require all future changes to be -- is that not doing
3 anything with it?

4 MR. DINSMORE: No, that's completely new.

5 MEMBER RAY: Got it. Thank you.

6 CHAIR APOSTOLAKIS: So even you had not
7 seen that?

8 MR. DINSMORE: I hadn't seen the write up.
9 I'd heard the discussions, yes.

10 MR. LAUR: The DPOs were written on the
11 version we sent you almost 30 days ago. This new
12 position is, like I say, I can support it. I think it
13 is kludgy. I think it is pretty obvious if anybody
14 reads what it says, they'll want to transition the way
15 we originally had it laid out so it encourages people
16 to do it cleanly. But it does allow the carryover.

17 I didn't mean to interrupt your time.
18 Sorry.

19 MR. DINSMORE: But that's -- I would agree
20 with it, too. But it is just a matter of NEI wants to
21 see it written down and finalized. And so do we.

22 CHAIR APOSTOLAKIS: Oh, so let me
23 understand this. With these three slides we saw
24 today, you would be happy?

25 MR. DINSMORE: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: They meet your --

2 MR. DINSMORE: They provide clear
3 acceptance guidelines that we can use.

4 CHAIR APOSTOLAKIS: Okay.

5 MR. DINSMORE: Sure.

6 MR. LAUR: So it is resolved.

7 CHAIR APOSTOLAKIS: So it is resolved.

8 MR. DINSMORE: Right.

9 CHAIR APOSTOLAKIS: Does anyone want to
10 make a comment on what we heard? Staff first.

11 DR. WEERAKKODY: If you have any specific
12 questions --

13 CHAIR APOSTOLAKIS: On what the two
14 gentlemen presented. Presumably you are the
15 management they disagreed with.

16 DR. WEERAKKODY: Yes, sir, we are.

17 CHAIR APOSTOLAKIS: So --

18 (Laughter.)

19 DR. WEERAKKODY: No.

20 CHAIR APOSTOLAKIS: Okay, that's fine.

21 Members? I'm sorry. I assumed you guys
22 would jump in without --

23 MEMBER BLEY: I've got a couple of
24 questions --

25 CHAIR APOSTOLAKIS: Sure, sure, sure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: -- that I want to just slip
2 in.

3 One goes -- and I'd like to do them both -
4 - one goes back to where George started. If you
5 forget about the letter of 805 and you think
6 conceptually about how you would have liked to have
7 seen it, would you have applied the same logic that
8 you have argued for for the other already-approved
9 exceptions to Appendix R that you would have applied
10 to the previously-approved human actions?

11 MR. LAUR: Well, actually we did. In one
12 of our earlier drafts, not the public one, but
13 actually some people will remember at public meetings
14 I expressed that sentiment.

15 But it turns out there is written in 805 -
16 - Harry had to show me where it was -- but back in
17 Chapter Two, there is an equivalency thing for the
18 deterministic criteria of Chapter Four. And so it is
19 easy to say that if you had an exemption for 15 feet
20 that the NRC has already determined that is an
21 equivalent level of fire protection, which means you
22 now meet, through this equivalency argument, the rule.

23 But the problem is, as I stated during the
24 main presentation --

25 MEMBER BLEY: I was trying to ask you to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 step away from the legal language of the rule and
2 think conceptually about --

3 MR. LAUR: If I were to --

4 MEMBER BLEY: -- the two things.

5 MR. LAUR: -- this is naive but I believe
6 that if it was up to me, I would say take your
7 compliance with Appendix R through a Reg Guide 1.74
8 risk-informed change and that would be the new rule.
9 I mean you wouldn't have all these strange
10 permutations or gyrations.

11 MEMBER BLEY: I'm a little curious and I
12 address my second question to the staff. Now I can
13 read 4.2.3.1, which refers you over to 4.2.4.2 for how
14 you do the performance-based approach. And that gives
15 you criteria, which flips you back to 2.4.4.1, which
16 says changes needed to be evaluated this way. Does
17 anyone argue that since these aren't changes to the
18 previous condition that that excludes it? And did the
19 legal folks say on this -- now I'm thinking of the
20 legal side.

21 MR. LAUR: Yes, that was argued quite
22 vehemently. 2.4.4.1 has two major paragraphs on the
23 report. That's the acceptance criteria. It says the
24 additional risk of public health or whatever from any
25 change shall whatever.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And then the second paragraph says, when
2 more than one change is contemplated, additional
3 requirements shall apply. It talks about bundling.

4 MEMBER BLEY: Right, right, right.

5 MR. LAUR: Okay. So you could read most
6 of that to say that we're talking about changes. In
7 fact the whole thing is in the plant-change evaluation
8 section.

9 But when you get to 4.2.4.2, it says the
10 acceptance criteria for this delta risk you just did
11 shall be the stuff back there. The acceptance
12 criteria is you shall use --

13 MEMBER BLEY: I got that as your
14 interpretation. I was just asking --

15 MR. LAUR: That is my interpretation.

16 MEMBER BLEY: -- if folks had argued the
17 other side of that. And if OGC had weighed in on this
18 thing. They aren't here today. No?

19 Okay. That's all I wanted to ask about.

20 CHAIR APOSTOLAKIS: Okay.

21 Yes, sir?

22 MEMBER RAY: The argument that this is a
23 voluntary move to 805 or to the rule seems like a
24 strong and persuasive argument for well, this is what
25 is required. You don't have to do it. So nobody is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 imposing on you some new onerous obligation.

2 But I do notice that there is a staff
3 requirements memorandum, I believe, saying that the
4 agency should encourage licensees to adopt 805. Why?

5 In other words, what is the reason that we would look
6 for some way to make it --

7 CHAIR APOSTOLAKIS: Attractive.

8 MEMBER RAY: -- well, attractive is maybe
9 a stronger term than I would use but at least make it
10 not objectionable for people and attractive, I won't
11 object to that -- that's almost what the Commission
12 has said -- to do this?

13 And that element doesn't seem to me to be
14 part of your consideration here. Like I say, I can
15 fully appreciate this is a voluntary thing. You don't
16 have to do it. This is the right way to do it. End
17 of story.

18 But how do you respond to this apparent
19 injunction that we ought to be trying to get people to
20 do this?

21 MR. LAUR: I really don't --

22 MEMBER RAY: No answer?

23 MR. LAUR: I have no --

24 MEMBER RAY: Well, somebody somewhere
25 ought to have a response, it seems to me, to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Commission saying that. Perhaps that is not your role
2 but --

3 MR. LAUR: Well, I will say this. In the
4 fall of last year, I drafted a SECY, I guess,
5 Commission decision paper that had two options. And I
6 didn't even recommend an option. But it was basically
7 a rule change to clarify this issue.

8 And the first option was to add in 10 CFR
9 50.48(c)(2), which is the exceptions, and make a new
10 one, (2)(8) that said notwithstanding this
11 prohibition, whatever, these recovery actions do count
12 if they are previously approved and the other option,
13 which was clarify that they don't, okay?

14 But it is an arduous process to go through
15 a rulemaking. And it looked like at that point in
16 time that we could avoid rulemaking by basically
17 sticking with what we thought was the letter of the
18 rule.

19 MEMBER RAY: Yes, I did come to that
20 conclusion after studying the issue. Okay --

21 MR. DINSMORE: It is also not clear to me
22 that this is the make-or-break. I mean I don't quite
23 -- I know that industry has indicated -- and I'm sure
24 they'll indicate again -- that if we require this and
25 that they have to do it, many of them will withdraw

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 although I haven't really seen that written down.

2 But I'm not quite sure that it is so
3 intimately connected as you seem to be implying, that
4 you think that nobody will do this if we --

5 MEMBER RAY: I'm only implying it maybe
6 because I'm asking you this question at the same time
7 we were talking about the other matter. I'm just
8 asking you why is it that the Commission wants people
9 to sign up for 805?

10 CHAIR APOSTOLAKIS: They may --

11 MEMBER RAY: I think you may find --

12 CHAIR APOSTOLAKIS: -- think it is better
13 than Appendix R.

14 MR. DINSMORE: Yes, they might -- it is
15 supposed to be easier in the long term.

16 MEMBER RAY: Well, okay, if you want
17 somebody to do something because it is better, I guess
18 --

19 CHAIR APOSTOLAKIS: Then you will, you
20 know, you will not have to have so many exemptions, so
21 many of this --

22 MEMBER RAY: Well, that's why it would be
23 attractive, I think, to both sides to find a way to
24 implement this. On the other hand, I appreciate the
25 points that these gentlemen have made.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Okay. Are the members

2 --

3 MEMBER BLEY: Done for the day? Or just -

4 -

5 CHAIR APOSTOLAKIS: No, no, just these two

6 gentlemen.

7 MEMBER SIEBER: Wishful thinking.

8 CHAIR APOSTOLAKIS: Well, thank you very

9 much.

10 MR. DINSMORE: Thank you for your time.

11 CHAIR APOSTOLAKIS: And we come to this

12 happy hour now where each member will tell me what

13 they think. In particular, I think we have a question

14 in front of us whether we want to have this full

15 Committee briefing in September, which means we have

16 to write a letter, or postpone it. So I really would

17 like to know what you think.

18 So who wants to go first? Jack or Dennis?

19 Are you ready?

20 MEMBER BLEY: Okay.

21 CHAIR APOSTOLAKIS: Whoever is ready.

22 Okay. Okay.

23 MEMBER BLEY: Yes, I'd like to see us

24 postpone it. I'd like to see another Subcommittee

25 meeting, a substantial one. I'd really like to hear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 from the pilot studies and hear how that's going, hear
2 how this effects you.

3 I look forward to seeing the revised Reg
4 Guide. If you keep it in the vein of those notorious
5 three slides now, I'd love to see the flowchart make
6 it in and I'd like to see this ideal plant somehow
7 defined and tell people how to do that calculation.

8 I'd like an awful lot of what I saw today.

9 I especially like the way Ken Canavan began because I
10 think this idea of piloting, in fact, implied things
11 aren't going to go great the first time and we're
12 going to have to learn from it and clean things up.

13 And I think that's really appropriate. I
14 like the idea of going at the fires from the ignition
15 point of view and the pre-ignition. And kind of
16 clearing that end of the fire analysis up, which is
17 probably long overdue.

18 And so my side comment, I think, a real
19 treatment of the uncertainty on these crucial issues
20 in the fire PRA probably gets rid of the the supposed
21 problems we've been hearing about.

22 CHAIR APOSTOLAKIS: John?

23 MEMBER STETKAR: Yes. I think I'd echo
24 Dennis' conclusion that we ought to have another
25 Subcommittee meeting on it. Specific concerns, mine,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on the Reg Guide itself, are its interpretation of
2 what is a primary control station, which is key to
3 defining these things that we are calling actions,
4 which seem to be a real sticking point.

5 The second is the whole issue that we were
6 just discussing is how do the criteria -- the risk-
7 acceptance criteria of Reg Guide 1.174 relate to what
8 an interpretation of the rule requiring it for
9 computing some sort of delta risk.

10 And the third is a simple thing that Jack
11 brought up. And I hope I don't steal your thunder,
12 Jack. Is that we're now in a situation today -- we've
13 had presentations in the morning and the afternoon on
14 two Reg Guides related to fire protection. 1.189, in
15 particular, endorses Rev 2 of Reg Guide -- I'm sorry,
16 of NEI 00-01 --

17 MEMBER SIEBER: Well, it doesn't quite but
18 --

19 MEMBER STETKAR: Well, it endorses a lot
20 of it. The multiple spurious action stuff, circuit
21 analysis type stuff, this Reg Guide, which I would
22 characterize as a more progressive theoretically Reg
23 Guide focused toward a performance-based assessment,
24 endorses Rev 1 of that NEI document, which is a step
25 back from the evaluation of multiple spurious

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 actuactions compared to Rev 2 of NEI.

2 MEMBER SIEBER: Yes.

3 MEMBER STETKAR: So now we have Reg Guide
4 1.205 endorsing an out-of-date version and something
5 that is deterministic --

6 MEMBER SIEBER: The deterministic guys are
7 always ahead.

8 MEMBER STETKAR: What?

9 MEMBER SIEBER: You know that.

10 MEMBER STETKAR: So that's perhaps
11 programmatic but it is kind of an indication of where
12 we are in 1.205 space.

13 CHAIR APOSTOLAKIS: Okay.

14 MEMBER BLEY: Can I --

15 CHAIR APOSTOLAKIS: Yes.

16 MEMBER BLEY: -- John just triggered in my
17 mind -- I would be real interested in hearing, and
18 maybe the pilot plants are the place to tell me, with
19 this definition of recovery action that excludes
20 actions in primary control stations, I'm real curious
21 as to how many of these previously-approved human
22 actions really are recovery actions. Is it a lot? Or
23 is it just a couple of them? Because I think most of
24 them were analyzed out of things that might well be
25 called primary control stations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER STETKAR: I think that's true
2 because I think they were using a previous version,
3 weren't they --

4 MEMBER SIEBER: Well, yes, okay.

5 MEMBER STETKAR: -- that said anything
6 outside the control is considered a recovery action.

7 MEMBER SIEBER: But that gets to your
8 question.

9 MEMBER STETKAR: It gets to my question,
10 yes.

11 MR. ERTMAN: Can I make couple comments?
12 You know we are going to have to evaluate -- oh, Jeff
13 Ertman, Progress Energy -- we are going to have to
14 take a look at, with this definition, what is the
15 impact. And it would be expected that our scope of
16 recovery actions definitely would change.

17 I don't have a sense right now if it is
18 less or not. We'll have to further clarify with the
19 staff exactly what the definition is.

20 As far as the old 00-01 and 805 using Rev
21 1, the 805 transition, it uses the deterministic part
22 of it, which really did not change. You know that's -
23 - so --

24 MEMBER STETKAR: But the probabilistic
25 would.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ERTMAN: Right. But the probabilistic
2 uses, under 805, you know, full PRA and some
3 additional guidance in NEI 04-02. So there's more
4 current in the FAQ and other things, there is more
5 current.

6 MEMBER STETKAR: But 04-02 endorses a
7 different -- an intermediate circuit analysis
8 approach, for example.

9 MR. ERTMAN: Well, for the circuit
10 analysis, both methods take the input from the owners
11 groups' list of issues. But the process on how you
12 analyzed that, you know the 805 uses the full PRA,
13 which has that advantage that maybe the others don't.

14 So I think it's -- there is a reason for
15 it, you know, but we can definitely explain that later
16 if you want the pilots to explain more of what they
17 did. So --

18 CHAIR APOSTOLAKIS: Would a month from now
19 be good enough for you guys? Or is it too soon?

20 MR. ERTMAN: No, I think that would be
21 good. We can give the status of where we're at
22 whenever the next meeting is. You know we are going
23 through the RAIs now. But that process is ongoing.

24 MR. HUTCHINS: Just a point of
25 clarification -- Steve Hutchins from NEI -- the 00-01

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Rev 2 of the document basically blatantly stole the
2 fact process, the methodology, the expert panel review
3 process, and the generic list from the 805. So they
4 do sync somehow.

5 There was a FAQ 4 for 805 --

6 MEMBER STETKAR: Rev 2 does.

7 MR. HUTCHINS: Rev 2 does, right.

8 MEMBER STETKAR: Not Rev 1 though.

9 MR. HUTCHINS: Rev 1 does not.

10 MEMBER STETKAR: Okay.

11 MR. HUTCHINS: But there is a FAQ in the
12 04-02 that basically uses the expert panel.

13 CHAIR APOSTOLAKIS: Okay? Harold?

14 MEMBER RAY: George, you weren't here for
15 Jack's meeting this morning but amazingly, it was as
16 difficult to summarize as this one is.

17 I guess I would -- in fact everybody said
18 I've got to think about this before I say anything,
19 right, Jack? I would say if we had to write a letter
20 in September -- and I'm not eliminating the
21 possibility that we are going to be told we have to
22 because of certain considerations we haven't dealt
23 with yet -- but anyway, I don't think anybody would
24 like it.

25 And I really crave -- members know that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the first comment I had when I saw this coming up is
2 we need more time to explore the issues and certainly
3 to have a chance to talk with the pilot plants I think
4 would be very, very helpful.

5 The problem of reaching a decision, I
6 think here, is sufficient that it should justify
7 another meeting, in my opinion.

8 Mr. Bradley's comments about needing more
9 flexibility because of the uncertainty that exists
10 presently, I think would be difficult to accommodate.

11 But I certainly agree with the premise that there is
12 a lot of uncertainty in terms of how to go forward
13 here.

14 We're stuck between a rock and a hard
15 place, I think. Trying to find the best solution is
16 not going to be easy. As usual, I crave the
17 participation of more of the Committee than we have
18 sitting here right at the moment. And we've got to
19 get that, I think, in another Subcommittee meeting.
20 And appeal to people to come and work with us to try
21 and find a solution.

22 Because otherwise, if we take it to the
23 full Committee and like I say, nobody is going to like
24 it. Not us. Not the staff. And certainly not the
25 industry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Even if we don't write
2 a letter, we can use the time that has been already
3 given to a presentation on this subjection at the full
4 Committee meeting to brief the Committee. And we --
5 the present members here can express their views on
6 what we heard and why we decided that it is preferable
7 to postpone is.

8 So we'll try to bring up the other members
9 up to speed although I do agree, I mean if you are not
10 present during the Subcommittee deliberations, you are
11 at a disadvantage.

12 But the Committee will be briefed one way
13 or another, either by us or by the staff. The way
14 things are going, I think it will be by us.

15 Are you done Harold?

16 MEMBER RAY: I am.

17 CHAIR APOSTOLAKIS: Jack?

18 MEMBER SIEBER: Yes, I usually work on the
19 deterministic side of fire protection and so this
20 isn't new to me. On the other hand, it is very
21 enlightening. I agree with everybody that if we were
22 to write a letter in September, it would not be a good
23 letter.

24 And my feeling is is that there is areas
25 where there is not a consensus between the staff --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 what the staff is now proposing what the rules are and
2 what the industry is doing. And until we get closer
3 to heading in the same direction, I think there will
4 be perhaps wasted motion on the part of the industry
5 in trying to adjust itself to whatever the rules are
6 going to be.

7 And so I think that there needs to be more
8 interaction, greater specificity in what the
9 requirements really are, and I would like to see a
10 closer connection between the philosophy of the rule
11 and the practicality of the analysis that licensees
12 have to do.

13 To be brief, I feel uncomfortable after
14 what I've heard today -- this afternoon.

15 CHAIR APOSTOLAKIS: Do you want to come
16 back to your issue of enforcement discretion? Or you
17 can bring it up at the full Committee as long as you
18 remember.

19 MEMBER SIEBER: Yes, the enforcement
20 discretion is one of the issues. The definition of
21 how one treats an existing plant that was approved
22 under deterministic situations, and how you evaluate
23 the current risk, for example, I see a concept where
24 if the plant was acceptable today, it is acceptable
25 tomorrow.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But the risk profile of tomorrow's plant
2 once it becomes evaluated, may be troublesome. And
3 perhaps things would need to be done to bring it into
4 line.

5 And I also agree that better defining what
6 operator actions are, what control stations are
7 because it is not clear to me that we aren't masking
8 some effects by the definitions that we've used.

9 CHAIR APOSTOLAKIS: Well, I agree with all
10 of the comments that have been made. And one thing
11 that is not clear to me is whether the rule or the
12 standard and the rule are okay. And the only issue is
13 interpretation. Or whether there are actually flaws
14 in the standard itself --

15 MEMBER SIEBER: That's a good question.

16 CHAIR APOSTOLAKIS: -- which would raise
17 all sorts of other issues now because, you know, it
18 has been approved in the rule by reference. And
19 changing the rule is something that is really a long
20 process which, by the way, would be consistent with
21 the argument from the industry that the methods are
22 evolving and we need time.

23 So that is something that is not clear to
24 me yet whether it is a matter of interpretation or
25 there is actually some flow in the way the rule is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 stated -- the standards is stated.

2 So it looks like there is unanimous
3 conclusion that we do need another Subcommittee
4 meeting, a longer meeting with additional
5 presentations from the pilots and also, you know, NEI
6 can come back with the benefit of having digested what
7 the latest changes to the Regulatory Guide are.

8 NEI, do you want to make any comments
9 before we adjourn?

10 (No response.)

11 CHAIR APOSTOLAKIS: Are we there?

12 (No response.)

13 CHAIR APOSTOLAKIS: The staff?

14 DR. WEERAKKODY: No, the only thing I
15 wanted to say was -- oh, Sunil Weerakkody -- the only
16 thing I wanted to say was that we will work through
17 our process to release the Reg Guide. And work with
18 the staff to come back here and make another
19 presentation.

20 And in the mean time, we will have a
21 meeting with the public stakeholders to provide
22 clarifications on the changes we made.

23 CHAIR APOSTOLAKIS: Very good. NEI?

24 (No response.)

25 CHAIR APOSTOLAKIS: EPRI?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (No response.)

2 CHAIR APOSTOLAKIS: The public?

3 (No response.)

4 CHAIR APOSTOLAKIS: Well, thank you all.
5 This has been very useful. And we'll set up another
6 meeting in the reasonably near future when everybody
7 will be ready.

8 Thank you.

9 (Whereupon, the above-entitled meeting was
10 concluded at 5:51 p.m.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



Stephen Dinsmore

Senior Reliability and Risk Analyst

Division of Risk Assessment

Office of Nuclear Reactor Regulation

Acceptance Guidelines for previously approved
recovery actions

ACRS PRA Subcommittee

August 18, 2009

Quantitative acceptance guidelines on additional risk from previously approved recovery actions are needed

- Without acceptance guidelines – each NRC staff reviewer must decide and justify the acceptability of the additional risk
 - Simple if small additional risk, very problematic for “not small”
- Acceptance guidelines could require changes to reduce risk
- Not using RG 1.174 acceptance guidelines would establish a new category of “acceptable” additional risk values



EPRI

ELECTRIC POWER
RESEARCH INSTITUTE

Fire PRA and NFPA 805



ACRS Meeting
August 2009

Ken Canavan
Senior Program Manager
Risk and Safety Management



EPRI Fire PRA Philosophy

- Consistent with the PRA Policy Statement
 - “Use of the PRA technology should be increased in all regulatory matters to the extent supported by the state of the art ...”
- Committed to risk-informed, performance based approach to fire protection
 - Realistic methods
 - Realistic input
 - Monitoring and feedback process


Fire PRA Methodology Development

- NUREG/CR-6850 is guidance for developing a Fire PRA
 - NRC–RES / EPRI collaboration (EPRI 1011989)
 - Significant improvement in methods
 - Only pieces piloted (initially)
- Two Fire PRA Pilots (Oconee and Harris)
 - Initial results are conservative
 - Not unexpected
 - Result of individual minor to moderate conservatisms

Fire PRA Methodology Issues

- Several issues handled under FAQ program
 - Fire Ignition Frequencies
 - Credit for Incipient Detection
 - Treatment of Large Oil Fires
 - Credit for Fire Suppression
 - Hot Short Susceptibility, Probability and Duration
 - High Energy Arcing Faults
- Some initial resolutions will need to be revisited
- Some emerging issues –
 - Fire growth and propagation
 - Peak Heat Release Rates

Electrical Fire Progression



An Example ... the result

- Numerical Impact
 - Frequency of occurrence – overestimated
 - Probability of suppression – underestimated
- Phenomenological Impact
 - Fire Growth – Peak heat release rate – overestimated
 - Propagation assumed
 - Impacts – overestimated
- **The example provided is illustrative**
 - **Individual conservatisms can be significant**
 - **Combined effects can be extreme**

Fire PRA Methods

- Elements of the current fire PRA methods
 - Are in need of refinement for intensive applications
 - Are evolving quickly with changes in the state of knowledge
 - Are likely to continue to evolve
- Extreme care should be exercised concerning
 - **Application** to other risk informed applications
 - **Comparison** results with other hazard groups
 - **Conclusions** reached – if comparison necessary

Efforts to Date

- NRC and EPRI expending considerable resources to address issues and improve methods
- Over 18 months of continuous interactions to discuss methods with NRC staff through EPRI/NRC MOU
 - Some recent advances
 - Consensus and cultural issues are difficult
- Very far to go for completely realistic Fire PRA methods

Industry Activities

- Industry efforts being increased to address known conservatisms and method issues
 - Summary of Fire PRA Method Enhancements (Oct)
 - Revision on the Fire Events Database
 - More recent and more complete data (March 2010)
 - Component based transition in (late 2010)
 - Re-Analysis of Heat Release Rate test data
 - Review and analysis of test data (2009)
 - Additional test program (if warranted – 2010)
 - DC Circuit Testing (NRC RES & EPRI)
 - Consideration of “Fire Severity Factor”
 - New efforts planned by PWR and BWR Owners Groups

Conclusions

- Realistic Fire PRA methods required
- EPRI and industry have accelerated efforts to improve Fire PRA methods
 - Advance the state of knowledge
 - Develop new infrastructure
- Need to continue to encourage rapid improvement – flexibility in methods and specifically RG 1.205 needed
- Care should be exercised in using early results as these will have limitations (i.e., are conservative)

Backup Slides

An Example – Ignition Frequency

- Electrical Cabinet Ignition Frequency (6850 Prediction)
 - Generic ignition frequency for electrical cabinets - $4.5E-02/\text{yr}$
 - Equivalent to ~5 fires per year across industry
- EPRI Fire Events Database includes some events that are conservatively classified as significant, such as:
 - Short in light bulb. No fire equipment used. Equipment was deenergized (Event No. 1213)
 - Light socket on the 2A diesel generator control panel arched while changing the light bulb. 8 fire brigade members responded to the event. The fire was discovered at 0922 and reported extinguished at 0922 (Event No. 2269)
- Fire Event Database Issues
 - Conservatively classified events
 - Information quality

An Example – Fire Detection and Suppression


- Detection and suppression curves based on the fire events in the database.
- Some of these events are conservatively classified:
 - Fire watch was on routine patrol when an unusual odor was noticed. Control room was notified immediately. Due to their rapid response, major equipment damage to the electrical bus was prevented (Event No. 642) – Duration 50 minutes
 - While performing routine rounds, an equipment operator observed smoke emitting from the 2C Reactor Feed Pump (RFP) discharge piping. As it was initially suspected an oil leak was causing the smoke. The fire was extinguished using fire extinguishers and fire water (Event No. 662) – Duration 60 minutes (Oil Fire)
- Fire Event Database Issues include:
 - Information quality
 - Fire control versus suppression

An Example – Fire Growth and Propagation

- For electrical cabinets, fires are assumed to grow to peak Heat Release Rate (HRR) in 12 minutes
 - Probability of non-suppression prior to 12 minutes = ~0.8 (assuming 10 minute brigade response)
 - ~4 fully developed electrical cabinet fires are predicted per year
 - ***Does not comport with experience (~ 0 per year fully developed electrical cabinet fires – all are suppressed)***
- Electrical Cabinet Peak HRR Perspective:
 - 75th% = 211 kW (roughly equivalent to 1 sq ft of gasoline)
 - 98th% = 702 kW (roughly equivalent to 2 ft pool of gasoline)
- Fire Growth and Propagation Issues include:
 - Assumed cubicle to cubicle propagation
 - Assumed 100% fire growth
 - Conservative interpretation of experimental data

Vertical Cabinet Test Results (NUREG/CR-4527)

(Qualified Cable)





Steven Laur

Senior Level Advisor

Division of Risk Assessment

Office of Nuclear Reactor Regulation

Concern – Setting a Precedent in how the “Risk of Recovery Actions” Issue is Resolved

ACRS PRA Subcommittee

August 18, 2009

Existing Licensing Basis versus Compliance with an Alternate Rule

- It is not clear that “mixing and matching” individual requirements between two alternative rules always provides adequate protection
 - Licensee’s election to adopt advantageous requirements in an alternative rule should allow re-visiting of any relevant parts of the existing licensing basis
 - Hybrid approach may create real safety concerns
- Phrases such as “safe today, safe tomorrow” should not be elevated to the status of an NRC position or philosophy
- NRC staff should be careful not to set a precedent by saying “whatever the risk, elements of the licensing basis previously approved under a different rule transfer to the alternative rule”
 - Unconstrained “carry over” of parts of an existing licensing basis in lieu of meeting the requirements of an alternative rule should not be encouraged

NFPA 805 Transition Challenges

ACRS

Reliability & PRA Subcommittee

August 18, 2009

Industry Concerns with DG-1218

Draft Revision to RG 1.205

- **Significant changes in Implementation Guidelines**
 - Evaluation of changes against “Ideal Plant” vs. current approved Plant (Safe Today / Safe Tomorrow)
 - Misapplication of RG 1.174 criteria
- **Use of immature / conservative Fire PRA methods could lead to incorrect decision making for NFPA 805 and other PRA applications**

Fire PRA Methods

- **Elements of current methods are currently immature and additional industry and NRC work will be required to achieve realism**
 - **NRC staff tendency has been to impose conservatism and prescription into methods**
 - **RG 1.205 should endorse RG 1.200 as necessary and sufficient for PRA technical adequacy**
 - **Industry has not had opportunity to review final RG in this regard**

Fire PRA Methods

- **Use of immature and conservative methods could lead to incorrect decision making for NFPA 805 and other PRA applications**
 - **Plant modifications to reduce perceived fire risk**
 - **Risk management actions, especially with respect to more realistic internal events scenarios when compared to fire**
 - **Incorrect depiction of total plant risk through simple summing of risk metrics**

Fire PRA Methods

- **NFPA 805 process needs to recognize these issues and allow for adjustments as models are refined**
 - **“Locking in” initial FPRA as part of licensing basis is problematic**
 - **Proposed plant modifications should be capable of being re-assessed and adjusted through reasonable regulatory process as method improvements are developed and implemented into plant models**

Plant Modifications

- **Advanced detection systems are one practical solution to the conservative fire growth and heat release rates that must be assumed in the PRA**
- **However, in many cases this modification is addressing the conservative methods, not a real fire safety issue**
- **Absent reasonable treatment of this solution, major plant modifications that are not risk informed could result**

Fire PRA Methods

- **Aggregation of risk results should be approached with caution**
 - Large disparity in level of conservatism between internal events and fire at this point in time
 - NUREG 1855 and EPRI reports 1016737 and 1010068 provide information regarding aggregation of models with different biases
 - Simple summing of risk results is not appropriate in this case

Conclusion

- **Transition to NFPA 805 is driven by Commission, and there is a rush to “fix” the fire protection issue once and for all**
 - **However, there are difficult technical issues that must be faced irrespective of schedule pressure**
 - **FPRA issues are not trivial and will have impact on plant safety and operations**
 - **Process must allow flexibility to address future method improvements**
- **In the push to transition, we need to do it right**

Proposed Solutions

- **Allow treatment of “risk of recovery actions” to be treated as proposed in Pilot Plant LARs**
- **Pre-transition licensing basis should be baseline for NFPA 805 change evaluations**
- **NRC comments on NEI 04-02 should be resolved prior to issuance of RG 1.205, Rev. 1 to improve regulatory stability.**
- **Provide schedule relief to Non-Pilot Plants to allow establishment of stable LAR template.**
- **Issue revision to RG 1.205 for “Trial Use”**