DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards 565th Meeting

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Friday, September 11, 2009

Work Order No.: NRC-3076

Pages 1-94

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1323 Rhode Island Avenue, N.W. Washington, D.C. 20005 (202) 234-4433

	1
1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + + +
4	565TH MEETING
5	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
6	(ACRS)
7	+ + + +
8	FRIDAY,
9	SEPTEMBER 11, 2009
10	+ + + +
11	ROCKVILLE, MARYLAND
12	+ + + +
13	The Advisory Committee convened at 8:30
14	a.m. at the Nuclear Regulatory Commission, One White
15	Flint North, Commissioner's Conference Room, 11555
16	Rockville Pike, Dr. Mario V. Bonaca, Chairman,
17	presiding.
18	COMMITTEE MEMBERS:
19	MARIO V. BONACA, Chairman
20	SAID ABDEL-KHALIK, Vice Chairman
21	GEORGE E. APOSTOLAKIS, Member
22	J. SAM ARMIJO, Member-at-Large
23	SANJOY BANERJEE, Member
24	DENNIS C. BLEY, Member
25	CHARLES H. BROWN, Member
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1		
2	COMMITTEE MEMBERS (CONT.)	
3	MICHAEL L. CORRADINI, Member	
4	OTTO L. MAYNARD, Member	
5	DANA A. POWERS, Member	
6	HAROLD B. RAY, Member	
7	MICHAEL T. RYAN, Member	
8	WILLIAM J. SHACK, Member	
9	JOHN D. SIEBER, Member	
10	JOHN W. STETKAR, Member	
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701	www.nealrgross.com

Í		3
1		
2	AGENDA	
3	OPENING REMARKS BY THE ACRS CHAIRMAN 4	Ł
4	UPDATED INFORMATION RELATED TO THE LICENSE	
5	RENEWAL APPLICATION AND SUPPLEMENTAL	
6	SER FOR THE BEAVER VALLEY POWER STATION 5	>
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		
	NEAL R. GROSS	
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.con	n

(8:30 a.m.)

3 CHAIRMAN BONACA: Good morning. The 4 meeting will now come to order. This is the second day of the 565th Meeting of the Advisory Committee on 5 Reactor Safequards. During today's meeting, the 6 Committee will consider 7 the following, updated 8 information related to the license renewal application 9 and supplemental SER for the Beaver Valley Power Station, Subcommittee reports, future ACRS activities, 10 report of the Planning and Procedure Subcommittee, 11 reconciliation of ACRS comments and recommendations, 12 preparation of ACRS reports. 13

This meeting is being conducted in 14 accordance with the provisions of the Federal Advisory 15 Committee Act. Mr. Tony Santos is the Designated 16 Federal Official for the initial portion of 17 the We have received no written comment from meeting. 18 19 members of the public regarding today's session.

20 Region I Staff and several personnel will 21 be on the phone bridge line to listen to the 22 discussion regarding Beaver Valley. We have received 23 a request from Mr. Paul Gunter, Beyond Nuclear, for 24 time to make oral statements regarding Beaver Valley 25 license renewal application.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

2

5 A transcript of a portion of the meeting 1 2 is being kept, and it is requested that the speakers use the microphones, identify themselves and speak 3 4 with sufficient clarity and volume so that they can be 5 readily heard. Before we proceed with the first item on 6 7 the agenda, I would like to remind you that all of you 8 have been provided with copies of the papers for the 9 meeting in Japan, Working Group. There are five 10 papers, and you are welcome to provide comments to the authors, as soon as possible, I would say, because 11 12 they have to be finalized by the middle of the month. We are almost there. And I'm sure that both Charlie 13 and Dana will be anxiously waiting for those papers. 14 15 MEMBER BROWN: We will entertain no comments, also. 16 CHAIRMAN BONACA: All right. With that -17 MEMBER SHACK: Can the ACRS Staff send us 18 19 an electronic version of those? CHAIRMAN BONACA: They could do that. 20 (Off the record comments.) 21 With that, we will move 22 CHAIRMAN BONACA:

to the first item on the agenda, and that's the updated information related to the license renewal application and supplemental SER for the Beaver Valley

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

Power Station. And Dr. Bley will take us through the presentation.

MEMBER BLEY: Thank you, Mr. Chairman. The Committee met with First Energy and with the NRC Staff on the subject of license renewal application for Beaver Valley Power Station Units 1 and 2, and the Staff's Safety Evaluation Report on that application during our last meeting on July 8th of this year.

9 I will not reiterate the specifics of the 10 plant designs, or the issues discussed, except to say that one issue of significant concern was through-wall 11 12 corrosion of the Unit 1 containment liner that was discovered in April of 2009. Following the meeting, 13 and before our report was finalized, the applicant 14 submitted new information clarifying and expanding the 15 documentation of its plans for the supplemental 16 17 volumetric examinations of the Valley Beaver containment liners. 18

The Committee agreed to hold the release of our letter until after this briefing to allow us to address factual changes that we might want to reflect in our letter. At this point, I'll turn it over to Mr. Brian Holian of the NRR Staff.

24 MR. HOLIAN: Good morning, ACRS and 25 Chairman. Thank you. My name is Brian Holian. I'm

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

www.nealrgross.com

the Director of the Division of License Renewal. The agenda for today has me doing brief introductions, opening statement, and then turn it over to licensee for their presentation, followed by the NRC Staff presentation. I'll hold off on the NRC Staff presentations until they take their turn at the table after the licensee.

8 few brief do Just а comments. We 9 appreciate the opportunity to revisit this issue 10 following the last meeting. I think there some good 11 questions raised at the last meeting, various 12 questions on the timing of UT inspections. There was a question about the randomness of the UT inspections, 13 smart sampling. 14

On that point, in particular, I'd like to 15 interested stakeholder group that 16 credit an had 17 written the ACRS a letter right prior to that meeting, and they had been following Staff discussions that are 18 19 with the licensee on that aspect. And just shortly on that, and we'll get into it more later, the Staff was 20 looking at the importance of random samples for the 95 21 percent confidence that we'll discuss more today, both 22 23 the Applicant and us, but also smart samples for what is the root cause, and could there be other areas that 24 25 are more prevalent for that?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

www.nealrgross.com

So, we appreciate the opportunity to straighten out both of those examples that we think are important, to have samples of both.

4 There were other questions raised that 5 both the Applicant and the Staff will discuss today, Appendix J testing, how that relates, what confidence 6 that gives you. And we've used the time wisely since 7 8 the last meeting, also, to clarify with the Applicant via a couple of letters, the criteria that they'll 9 have in place for when they do the UT samples, what 10 their failure criteria will be as they take those 11 12 samples, to kind of smartly look at our trend what the condition of the liner is, or confirm its condition. 13

One other item that's been brought up, and 14 the Staff still has several letters to respond to for 15 the interested stakeholder group. One other aspect 16 17 you'll hear part of today in the Staff's presentation is, is a sub-atmospheric containment more prevalent 18 19 for maybe moisture to be brought in from the outside through porous concrete towards the liner? You'll see 20 today, both from the Applicant and the Staff, the 21 operating experience is centered around construction 22 23 material that appears to have been left, the cases that we have where the liner has gone through-wall. 24 25 That's the major issue that we've seen. It doesn't

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

2

3

www.nealrgross.com

mean we are necessarily ruling out any other potential cause. As a matter of fact, we're looking at having Research ourself with the NRC Staff do some confirmatory look at kind of the different containment designs, and we're still finalizing that.

One last item on my introductory comments. 6 7 In the licensee's letters, and I know at least one 8 member of the ACRS Staff asked me before the meeting, 9 when their letters come in, they talk about regulatory commitments, and you will see that they revised some 10 commitments from the last meeting, which is good. 11 We 12 continue to work with them. It solidifies the SER, and makes those public. 13

Somebody asked me about a sentence in the 14 15 cover letter about regulatory commitments, there are no regulatory commitments in this letter. That's more 16 17 of a legal term, since some of the commitments aren't legally enforced until the period of 18 extended 19 operation starts. But the commitments were placed in 20 the SER, and Commitment Table by the Applicant, and I wanted to straighten that point out. 21

22 With that, I'll turn it over to the Vice 23 President of Beaver Valley Station, Mr. Peter Sena.

24 MR. SENA: Thank you, Brian. Mr. 25 Chairman, members of the ACRS, again, good morning.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

I'm Pete Sena, Site Vice President, Beaver Valley. Again, we do appreciate the opportunity this morning to discuss with you our issues with respect to the Unit 1 containment liner, and the associated corrosion that we identified.

Again, as you know, our liner is part of 6 7 integrated containment system which undergoes an 8 vigorous testing in accordance with industry codes and 9 standards. It is through that inspection plan that we did identify corrosion of our liner, absolutely. 10 We found a problem. As you know, this is a localized 11 12 pitting corrosion due to foreign material. This foreign material that we identified was from initial 13 construction. This is verv similar to corrosion 14 identified at other nuclear facilities throughout the 15 industry. 16

We at Beaver Valley take very seriously 17 our responsibility towards safe and reliable operation 18 19 of the units. Currently, there are four plants in the United States with an INPO Index of 100. 20 Beaver Valley Unit 1 is one of those four plants. But even 21 though our performance has been very good, we just 22 guard against complacency. It's too easy to say it's 23 good enough. 24

As we went through our decisionmaking, and

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

1 our actions with respect to the containment liner, and 2 our going forward inspection plans, we would always go back and reference this document. It is something I 3 4 carry around with me at all times. It's very worn, 5 dog-eared; it's the INPO document on the principles 6 for a strong nuclear safety culture. Principle Number 7 Five states, nuclear technology is recognized as 8 special and unique. The special characteristics of 9 nuclear technology are taken into account in all decisions and actions. Specific attribute discusses, 10 11 and Ι quote, special attention is placed on maintaining fission product barriers and defense-in-12 depth. We absolutely agree; we need to do more. 13 That is not an issue. 14

We believe that the actions we've taken with working through the NRC, and looking at industry OE, that our actions are prudent, and proactive in insuring that our containment liner maintained in a reasonable state of operability throughout the period of extended operation.

This morning, our discussion will focus on the safety significance of the corrosion, we'll discuss our dose assessments, our safety analysis, and we will provide detail on our future examination plans, and the timeliness of such actions. With that,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

I'd like to turn it over to Cliff Custer.

1

2

3

4

5

6

7

8

9

MR. CUSTER: Good morning. Thank you, You've already heard from Peter, Site Vice Pete. President. With me today to my right is Mark Manoleras, the Site Engineering Director. Along with him to the right is David Grabski, the ISI program I have several site subject matter experts, owner. and members of the LRA core team with me today. Ι will take a moment just for the record to introduce 10 them.

11 Carmen Mancuso, who is the Manager of 12 Design Engineering, Dave Price, Design Engineering Supervisor for Mechanical Structural, Ken Frederick, 13 Lead Safety Analysis Engineer, Tom Westbrook, Staff 14 Engineer Structural Design Engineer, Bill Etzel, our 15 lead PRA Engineer, Jack Patterson, Containment System 16 17 Engineer, David Jenkins, our FENOC Legal Counsel, 18 Kathryn Sutton from Morgan Lewis representing FENOC, 19 Gary Harlow, Chair of Mechanical Engineering Dr. Department at Lehigh University, representing FENOC, 20 21 Larry Core from Westinghouse helping us Dr. in FENOC, Clark Mickhoff, 22 representing also from 23 Those are the members that we brought Westinghouse. with us today in order to address any questions that 24 25 the Committee may have.

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

Our agenda today I want to go through is go through the history of the containment liner at Beaver Valley. We'll review the safety significance. We'll hear from Ken Frederick. We'll review our examination plan, and we'll finish -- Mark will finish in reviewing the conclusions.

7 As discussed in the prior ACRS meetings, 8 our Unit 1 containment liner history in 2006, we 9 identified degradation on the concrete side of the 10 liner during the steam generator replacement project. 11 Three areas of general pitting corrosion were identified. These were localized areas roughly one 12 foot in size. Two of the three areas were replaced. 13 The third area was evaluated and monitoring continues. 1415 At this time, we basically see no change in that Hydro demolition during preparation for the 16 area. destroyed the definitive evidence of the 17 area corrosion source. 18

Based on the defect characteristics, it could have been FME. We searched through the debris pile, and could not definitively find the FME.

22 MEMBER POWERS: What is FME? 23 MR. CUSTER: I'm sorry. Foreign Material. 24 In 2009 -- thank you. Let me correct -- rather than 25 use the acronym, Foreign Material. In 2009 at Unit 1,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

14 1 one indication was noted during the scheduled IWE 2 visual inspection. It was noted as an in-tact paint 3 blister. By our procedure at the time, that required 4 further examination by VT-3 qualified individual. 5 That examination then led to a volumetric examination Subsequent cleaning identified a one-6 of the area. 7 inch by three-eights inch through-liner defect, the 8 root cause of which was determined to be wood, low pH, 9 the wood contained low pH, and had high moisture It was a two-by-four roughly six inches 10 content. 11 long. At that time, we repaired the defect, and performed a baseline volumetric examination. 12 this time, I'd like to have 13 At Ken Frederick talk little bit about 14 а the safety 15 significance. MEMBER ARMIJO: Before you do that, could 16 17 you tell me what the deepest pits that you found in the 2006 examination, the three areas of pitting 18 19 corrosion, how deep were those pits in comparison to the wall thickness of the liner? 20 MR. CUSTER: Yes. What I'd like to do, 21 I'd like to have Dave Grabski, our ISI program owner, 22 talk to that. 23 MEMBER BANERJEE: Also, do you have sort 24 25 of a picture of what this looked like, and where the **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	15
1	wood block was relative to it, just behind it, in
2	contact with it?
3	MR. GRABSKI: Yes, I can speak to that.
4	This is Dave Grabski, the ISI program owner. First of
5	all, the deepest pits found in 2006, one area had
6	small pitting as low as .151 wall that was remaining.
7	MEMBER POWERS: I have no idea what that
8	meant.
9	MR. GRABSKI: Excuse me?
10	MEMBER POWERS: .151 of wall, what does
11	that mean?
12	MR. GRABSKI: 0.151 inches left, the
13	nominal is 375 wall, three-eighths inch. One thickness
14	that we found is a pit of 0.151.
15	MEMBER ARMIJO: That's minimum thickness.
16	I asked pit depth, so I subtract that from -
17	MR. GRABSKI: That's the remaining wall.
18	MEMBER ARMIJO: That's remaining wall,
19	.151.
20	MR. SENA: Take that off of .37.
21	MEMBER ARMIJO: So, the pits were two-
22	tenths of an inch out of .375. Is that correct?
23	MR. GRABSKI: That's the amount that was
24	lost, if you subtract 151 from .375. And that was a
25	very localized pit. The second area was at 0.225
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

16 1 measured thickness. That would be a loss of .150. 2 Third area generally was at nominal thickness of the 3 liner. However, there was a pit found at .330. These 4 areas -- the area of corrosion was bounded by 5 approximately one foot by one foot area on the liner itself. 6 MEMBER ARMIJO: And you left one area 7 8 unrepaired, so you could monitor it. Have you 9 actually done any measurement since that time? 10 MR. GRABSKI: Yes, we have. We committed 11 to look at it once every 40 months for the next 10 And we've done one examination on that, and we 12 years. found, essentially, it had not changed. 13 MEMBER ARMIJO: Changed in 14 one exam. 15 Okay. MEMBER BANERJEE: So, these pits were on 16 the side in contact with the -17 MR. GRABSKI: These pits were in contact 18 19 on the side of the liner that comes in contact with the concrete. 20 MEMBER BANERJEE: It would nice to be able 21 to see what it looked -- is it possible? 22 MEMBER BLEY: We have a set of pictures we 23 24 had at the last meeting, so we have them on file. 25 MEMBER ARMIJO: That was a picture of the **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

ĺ	17
1	wood, where the wood was in contact.
2	MEMBER BANERJEE: Contact with the
3	concrete.
4	MEMBER BLEY: This isn't the place where
5	the wood was.
6	MEMBER BANERJEE: This somewhere else.
7	MEMBER SHACK: Yes. Think of two sort of
8	mechanisms of corrosion. One, this patchy kind of
9	area of pitting, and then the localized through-wall
10	with the wood.
11	MEMBER BLEY: Which was found this year,
12	Sanjoy.
13	MR. SENA: Right. So, again, for clarity,
14	the data that Mr. Grabski just presented were the
15	three areas of pitting corrosion identified from the
16	steam generator replacement outage from the 20 by 20
17	foot section of liner that was removed.
18	MEMBER BROWN: When you got this exposed
19	to show the cross-section, is that where you ground
20	away until you got down to the source? Is that how
21	you came up with that?
22	MR. CUSTER: I believe the picture that
23	you gentlemen are looking at is a 2009 event.
24	MEMBER BROWN: Yes.
25	MR. CUSTER: Okay. Dave, do you want to
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

talk about after we discovered it, how we pursued it with cleaning and so on?

Sure. Dave Grabski, again. MR. GRABSKI: Again, the paint blister was found during our IWE examination earlier this year in our outage procedure, that any time we have anomaly on our paints, we require an ASME 11 Code qualified examiner to go do a visual examination before they clean it. After that examination, we cleaned the paint off and found, 10 basically, what you saw in that photo.

11 At that point, we took UT thickness measurements around the through-wall to determine how 12 extensive the thinning was. We found that there was 13 an area about approximately two by five around the 14 15 hole that had degradation below nominal, so once you got out of that two by five area, it went right back 16 17 to normal.

Basically, what we did after that is make 18 19 the repair, and we cut out the portion of the liner. We saw behind this area, a two by four block of wood. 20 We removed some of the concrete to get the entire 21 piece of wood out. We found it was approximately six 22 inch in length. 23

MEMBER BLEY: I would like to interrupt 24 25 this at this point. We've only got about 15 more

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

minutes for this presentation, and we haven't gotten to the new material. I think we need to move into that, not reiterating what we went through last time.

CHAIRMAN BONACA: Take the time that it takes.

MR. CUSTER: Okay. In the discussion that 6 7 David just provided you, he said that the area of 8 general degradation was two by five of the wall 9 thinning. Keep in mind what we found from the foreign material was actually a piece of two by four, about 10 That's what we found behind the 11 six inches long. 12 liner. And we are talking inches, two inches by five inches, not two feet by five feet, very important to 13 clarify that for the record. 14

Okay. With that, moving forward. Ken, would you like to talk about our assessment of safety significance, please?

MR. FREDERICK: Good morning. My name is Ken Frederick. I'm a Lead Safety Analysis Engineer at Beaver Valley, and what we want to talk about now is the assessment of the significance of the liner defect in terms of the impact on possible dose results postaccident.

We did an assessment using some data that we obtained from another plant, which had a similar

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

1 defect, and they actually did a pressure test to 2 determine what the leakage through that defect would We took that data, and it was actually scaled 3 be. based on the ratio of the defect areas between our 4 5 plant and that other plant, and it was roughly a factor of seven difference in the areas. 6 So, even 7 though the leakage through that clearly is limited by 8 the concrete, which is on the other side of the liner, 9 we increased that leakage rate by that factor of seven 10 as a conservative measure. Again, that leak rate was 11 measured at the peak accident pressure.

12 We took that number for our plant and added it to our previous integrated leak rate test 13 results to determine what the projected total leakage 14 15 might have been, and compared that to our allowable limit of .1 percent per day. We found out that the 16 17 projected leak rate was less than what was the limit, which basically meant that our bounding dose analysis 18 19 were still current. In other words, the leakage did not exceed what we assumed in that dose analysis. 20

21 MEMBER RAY: Excuse me. How would you 22 adjust, if at all, for a design-basis event affecting 23 the leak rate?

24 MR. FREDERICK: Well, there is -- in terms 25 of the measurement -

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

RAY: MEMBER No, I just mean take a 1 2 seismic event, or something that -- the leak rate 3 you're measuring, of course, doesn't represent 4 accident conditions, it's just a leak rate measurement 5 you're extrapolating from another plant. But the question is, in this case, it's easy enough I think 6 7 for me and everybody else to say well, it wouldn't be 8 -- the leak wouldn't be increased under accident 9 conditions, like a seismic event, for example, because the corrosion is localized. I'm putting words in your 10 11 mouth now. I'm trying to get you to say it. You 12 conclude that the design-basis event wouldn't increase the leak rate. Is that correct? 13 MR. FREDERICK: That's correct. Yes. 14 15 MEMBER RAY: All right. But there are some circumstances that might not be the case. Would 16 that be a fair statement? 17 MR. FREDERICK: I can't imagine anything 18 19 that would change. I mean, we pressurize to the peak accident pressure when we do that leak rate test. 20 MEMBER RAY: But you don't -- you're not 21 loading it with seismic forces, for example. 22 MR. FREDERICK: Correct. Yes, I wouldn't 23 believe that -- the building is, obviously, designed 24 25 to be seismic qualified, and post accident qualified **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

for whatever pressure and temperature conditions exist.

3 MEMBER RAY: Okay. But, my only point, I 4 guess we're in agreement that you can't -- without 5 analysis, you would have to show that some the corrosion, or the degradation, whatever it is, isn't 6 7 going to change the behavior of the structure under 8 design-basis conditions. And, in this case, it's 9 pretty easy to do, I would surmise, by inspection. But, nevertheless, that's something you have to add to 10 just measuring the leak rate, isn't it? 11

12 MR. FREDERICK: If there was some known 13 mechanism where it would increase under those 14 conditions, yes, we would need to add that.

MEMBER RAY: Okay.

MEMBER ARMIJO: Well, the liner could tear. You've got a hole in it, a seismic event, how can you conclude that it's impossible for it to tear open more and leak more?

20 MR. MANOLERAS: This is Mark Manoleras. 21 Ken may be able to show the margins that are available 22 associated with the analysis, and then can also have 23 some of our structural folks come up and talk about 24 how we believe that would or would not propagate.

MEMBER ARMIJO: Okay.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

15

25

www.nealrgross.com

MR. MANOLERAS: So, that may be most appropriate at this time, is for Ken to go through 2 some of the analyses. 3

4 MEMBER SIEBER: I think you also have to 5 keep in mind that a static leak rate test measurement is a conservative measure, because Beaver Valley, 6 7 along with other sub-atmospheric containments has 8 containment sprays, the containments and sprays 9 actuate the pressure declines. In the original design 10 Beaver Valley, it was designed to return of to 11 atmospheric pressure inside containment on a design-12 basis accident within one hour, so any static leak 13 rate test measurement that you make is highly conservative with respect to estimating your approach 14 to Part 100 limits. 15

MR. FREDERICK: This is Ken Frederick. 16 17 Very good lead-in, Mr. Sieber. Next slide, please.

18 MEMBER POWERS: But this is just а 19 plausibility argument. The flow resistance is embodied in the concrete, which is not the concrete of 20 this plant; it's the concrete of some unnamed but 21 22 similar plant. Am I correct on that?

The plant that we 23 MR. FREDERICK: Yes. from has virtually identical 24 got the test data 25 containment in terms of the thickness of the walls.

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

24 MEMBER POWERS: Ι mean, it is not 2 transparently obvious to me that the leakage does 3 exist identical, because the leakage is some random 4 defect in the concrete. 5 MR. FREDERICK: Right. And we recognize that there is some uncertainty in the application of 6 7 data, and that's why -This is just a scoping 8 MEMBER POWERS: 9 analysis to find out if I'm in big trouble now or not, 10 and you're not. Okay? Right. And this slide 11 MR. FREDERICK: kind of points to that. If you look at -12 VICE CHAIRMAN ABDEL-KHALIK: Let me just 13 ask you. Does your accident analysis keep track of 14 15 the pressure in the annular gap between the liner and the concrete? 16 17 MR. FREDERICK: No, because, normally, there would be no path for that to pressurize. 18 19 VICE CHAIRMAN ABDEL-KHALIK: So, there is intimate contact. There is no sort of gap downstream, 20 21 or on the outside surface. MR. FREDERICK: Go ahead, Mark. 22 23 VICE CHAIRMAN ABDEL-KHALIK: Is that always the case? 24 25 This is Mark Manoleras. MR. MANOLERAS: **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

If you would, if we can let Ken please present the margins associated with the safety analysis, I believe that question will be answered, and then we can revisit that.

5 MR. FREDERICK: Okay. What this slide 6 shows, basically, is the margin between what is the 7 leakage value assumed in the dose analysis versus what 8 we would actually expect under a normal post-accident 9 pressure transient. If you look at the red line 10 there, by regulation, Reg Guide 1.183, we're required to assume that for one day after the accident the leak 11 12 rate is at the tech spec limit. And then for the following 29 days, it's one-half of that. So, if you 13 look at the blue line, that's what we actually would 14 15 expect it should look like based on -- essentially, this was generated by calculating the area associated 16 17 with the leakage that we saw, or would project, and that into our containment analysis, 18 putting and 19 running a 30-day transient.

20 MEMBER CORRADINI: So, can you just repeat 21 that? I didn't -- I got the red. What's the blue? 22 MR. FREDERICK: To get the blue, what I 23 did was take the area associated with the leakage 24 projection that we had, which was the ILRT plus the 25 defect leak.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

www.nealrgross.com

	26
1	MEMBER CORRADINI: Oh, okay.
2	MR. FREDERICK: Take that area and put in
3	our containment model, and run a pressure transient.
4	MEMBER CORRADINI: Okay. So, not to make
5	matters worse, but I guess I want to make sure I
6	separate the extrapolation from the whole if I had
7	the liner with no concrete, where would that line lie?
8	MR. FREDERICK: The blue line?
9	MEMBER CORRADINI: No. Take your concrete
10	take your extrapolation from some other
11	containment, whatever its behavior, and if it was just
12	a liner with that hole, where would it lie?
13	MR. FREDERICK: With no concrete.
14	MEMBER BANERJEE: With and without the
15	hole.
16	MEMBER CORRADINI: With and without the
17	hole.
18	MEMBER SHACK: Yes, you want to drill a
19	hole all the way through the concrete equal to the
20	area of the liner hole.
21	MEMBER CORRADINI: Forget the concrete.
22	MEMBER SHACK: It's a big hole.
23	MEMBER CORRADINI: Okay. That's what
24	okay, fine. That's what I thought, I just want to
25	make sure. This is, primarily, the resistance in the
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W.
1	1 (202) 237-7433 WW3111001 ON, D.C. 2000-3701 WWW.118d1191055.6011

	27
1	concrete.
2	MR. FREDERICK: That's correct.
3	MEMBER CORRADINI: Thank you.
4	MR. FREDERICK: Roughly, the dose results
5	are proportional to the integrated leak rate over 30
6	days. And if you look at what the integrated value is
7	for this leakage over that time period, it's about a
8	factor of eight different, so even if there is some
9	variability, or uncertainty in the application of this
10	test data, there is a lot of margin between what we
11	would actually expect, and what the dose analysis -
12	MEMBER BANERJEE: Just going back to
13	Mike's question. Is most of this resistance coming
14	from the concrete, or is it just close to the hole?
15	MR. FREDERICK: Most of the resistance is
16	coming from the concrete.
17	MEMBER BANERJEE: So, if the concrete, for
18	whatever reason, actually by this resistance, what
19	would the flow rate be?
20	MR. FREDERICK: We did a calculation, just
21	what that flow area would provide at the peak accident
22	pressure, and the difference is about a factor of 100,
23	so it's pretty substantial.
24	MEMBER BANERJEE: That hole would allow
25	large flow to go through. Concrete is -
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealraross.com

28 MR. FREDERICK: Right. If there's no 1 2 concrete, you would get a much higher flow rate. 3 VICE CHAIRMAN ABDEL-KHALIK: Well, let me 4 go back to the question I raised earlier. This is a 5 sub-atmospheric container, at least initially it operated at sub-atmospheric conditions. During that 6 period, some buckling of the liner occurred, and, 7 8 therefore, a gap was created between the liner and the 9 concrete. Is that correct? MR. MANOLERAS: What we'll do is, we'll 10 11 have Tom Westbrook come up and talk -VICE CHAIRMAN ABDEL-KHALIK: Let me just 12 follow the logic. Okay? 13 14 MR. MANOLERAS: Okay. I'm sorry. 15 VICE CHAIRMAN ABDEL-KHALIK: So, is that 16 correct? MR. MANOLERAS: Our liner is attached to 17 the concrete with Nelson studs. 18 19 VICE CHAIRMAN ABDEL-KHALIK: Yes, Ι understand. Nevertheless, the liner buckled in during 20 that period. And, therefore, one would assume that 21 22 there was a gap between the two somewhere. I'll invite Tom 23 MR. MANOLERAS: Yes. 24 Westbrook to come up and speak to the design of the 25 containment liner. **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

29 MR. WESTBROOK: This is Tom Westbrook. 2 I'm the Lead Civil Structural Engineer in Beaver Your description is not accurate. 3 Valley. The liner 4 is designed with Nelson studs on the back, which 5 attach it to the concrete structure. Part of the design criteria was to make sure that that liner is 6 anchored to the concrete structure during 7 sub-8 atmospheric operation. So, no, there was no separation 9 or gap created between the liner and the concrete. 10 VICE CHAIRMAN ABDEL-KHALIK: Okay. Let me -- it's anchored at discrete points corresponding to 11 12 the studs. Is that correct? MR. WESTBROOK: That is correct. 13 VICE CHAIRMAN ABDEL-KHALIK: Okay. 14 The design is such that --15 MR. WESTBROOK: the spacing of the studs were such that the strength 16 of the liner was such that it would not pull away 17 during sub-atmospheric operation. 18 19 VICE CHAIRMAN ABDEL-KHALIK: So, it didn't deform at all, if I have the studs on some kind of 20 square lattice. It didn't deform at all between four 21 22 neighboring studs. Is that what you're telling me? 23 MR. WESTBROOK: That's correct. Yes. 24 MR. SENA: And, again, for clarity, the 25 spacing of the Nelson studs, it's one foot center. **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

	30
1	Correct, Tom?
2	MR. WESTBROOK: They are one foot on
3	center diamond pattern.
4	VICE CHAIRMAN ABDEL-KHALIK: Okay. All
5	right. Thank you.
6	MEMBER ARMIJO: I'm sorry. I
7	misunderstood you. What's the spacing now?
8	MR. WESTBROOK: One foot.
9	MEMBER ARMIJO: One foot. Thank you.
10	MEMBER MAYNARD: I'd like to suggest we
11	get into what are the actions can we take. I think we
12	could debate all day long the safety significance and
13	go over a lot of this stuff. I'm not sure to me,
14	what seems to be more important is, is what
15	inspections, what's going to be done to insure that
16	the integrity of the liner going into the period of
17	extended operation, and we haven't really got into the
18	monitoring program yet. To me, that seems to be more
19	important for what we're here today to discuss.
20	VICE CHAIRMAN ABDEL-KHALIK: But,
21	nevertheless, the case is being made based on this
22	estimated leakage rate, and the question is, are there
23	other conditions that exist that would cause this to
24	be under-estimated? And that's what we're trying to
25	find out.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

MEMBER BANERJEE: I guess there are two questions. One is that -- the second is, is this actually progressing, or is it simply something that has happened, and has become sort of idealized? So, if it's an aging-related issue, where these corrosions that you are seeing can be getting worse, then I think we need to address that issue. I'm not assured that we have found that this is not, in some way, agingrelated.

Well, 10 CHAIRMAN BONACA: Ι think that Otto's point is well taken, let's hear from them what 11 12 they have done differently from what they presented to us before, and that may raise questions that you're 13 suggesting here. I think that will be fair, but for 14 the benefit of time, let's move on to -15

MR. CUSTER: Okay, if we can continue, 16 17 Details of the examination plan are as follows. then. IWE visual examinations. You'll see that we'll be 18 19 doing additional IWE visual exams. Non-random 20 examinations, looking at those areas that we think are possibly susceptible. Random sample examinations 21 22 using statistical random sampling to determine additional details, and give us some idea of 23 the remaining condition, this type of condition within the 24 25 liner.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

www.nealrgross.com

Our IWE visual inspections are performed in addition to the Code requirements, so we're looking to establish the condition of the interior liner surface at the time of the inspection. And that will tell us right then and there where we are with things. Additional IWE visual inspections will be performed at both Unit 1 and Unit 2, as defined by the ASME Code. And I'll provide an overall schedule for each unit, as we go through this.

examinations. 10 Non-random Those are volumetric examinations using ultrasonic testing to 11 12 the liner. We'll be looking at a minimum of eight locations at each unit. We'll be using site-specific 13 and industry operating experience to identify these 14 15 areas with potential characteristics for this type of corrosion to exist. 16

Unit 1 we will commence -

18 MEMBER SHACK: What kind of corrosion are 19 you intending to detect by this examination?

20 MR. CUSTER: We are specifically looking 21 for the type of corrosion that would be affiliated 22 with foreign material, that would be a pitting-type of 23 corrosion, pitting that has some defined shape with 24 it, and a breadth of pits.

MEMBER ARMIJO: Do you have any

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

2

3

4

5

6

7

8

9

17

25

www.nealrgross.com

information from the period of construction, photographs of how the rebar was positioned, where wood might have been used as spacers? Do you have drawings? Have you interviewed people who actually did that work to help guide this non-random?

MR. CUSTER: We have photographs. Wood 6 7 was used to offset the non-structural rebar from which the structural rebar was provided. 8 There was а 9 quality assurance procedure provide to general 10 inspection to insure that the wood was removed. However, our review of the details of that procedure 11 12 did not specifically -- we did not specifically find sign-offs from an inspector for each area of wood. 13

MEMBER ARMIJO: And, obviously, one wasn't removed, a six inch piece was left there. So, you would know roughly about what the spacing would be, and what elevations these wood blocks would be, and that will help guide your non-random. Is that your thought?

20 MR. CUSTER: That is correct. You will 21 see in the following slide, I'll talk about some of 22 the areas that we've chosen. Right? But we would 23 look -- specifically, we're going to look where the 24 2009 event was.

Now, keep in mind, we feel as though this

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

www.nealrgross.com

34 1 was, essentially, limited non-compliance to a general 2 procedure. We don't think the procedure overall 3 failed. We think this is a limited case. 4 MEMBER SHACK: And how large are these 5 areas? MR. CUSTER: The spacing typical wood 6 7 looks like it would be a two by four roughly six 8 inches or one foot long, roughly. 9 The area of inspection. MR. SENA: 10 MEMBER SHACK: Area of inspection. 11 MR. SENA: One foot. MEMBER SHACK: Okay. So, we're talking 12 about five extra patches of one foot by one foot, and 13 three extra patches. 14 15 MR. CUSTER: Eight at each unit. MEMBER SHACK: Eight. 16 MR. CUSTER: And I'll qualify that in the 17 next slide. 18 19 MEMBER ARMIJO: But you know the spacing between these wood blocks according to your drawings 20 or pictures, so at least you have a pretty good chance 21 of finding it, if it was there. 22 Well, I think if you look 23 MEMBER SHACK: at their next slide, they give their criteria on how 24 25 they choose these locations. Is that correct? **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com
35 MR. CUSTER: That's correct. I'll talk to 2 that here just in a second. Let me clarify the final bullet, that Unit 1 will commence while we're on line. 3 These inspections within the current fuel cycle for 4 non-random and complete them by December 31st, 2010, 5 the end of our next outage at Unit 1. Okay? 6 So, based on the OE, and review of our 7 8 containment design at Unit 1, we're going to look at 9 these typical areas. Now, as I said, we'll do a 10 minimum of eight at each area. Right? 11 MEMBER BLEY: How did you come up with 12 eight? Why eight? Is there a basis for that? Do you think it covers things? 13 MR. CUSTER: We think that eiqht 14 is 15 representative of the type of irregularities that we would see, and it's representative of areas that, 16 17 maybe, potentially, have this condition. MEMBER BLEY: So, from each of these eight 18 19 things on this slide, you took one location. 20 MR. CUSTER: I'm sorry. Can you say that again? 21 MEMBER BLEY: No, never mind. I'm just -22 Okay. We're looking at eight 23 MR. CUSTER: for each unit. In other words, although we've picked 24 25 five areas, we'll look at a minimum of eight. This is **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

basically an extension of the cause. Right? And if we find something from that, then we'll consider what we need to do from there. So, we're going to interrogate the areas that were painted more than once. We've had a couple of cases where the top coat at Unit 1 has come off. The primer coat was tight, but we're going to take a look. We never UTed behind those.

1

2

3

4

5

6

7

8

(202) 234-4433

9 VICE CHAIRMAN ABDEL-KHALIK: Now, what do 10 you mean by "irregular contour"?

11 MR. CUSTER: Irregular contour, and I 12 think that in earlier discussion, possibly we had some beginning of that. Irregular contour is an area where 13 the surface did not stay with the same radius, where 14 15 there is some degree of bowing. We believe that that had occurred during original construction. 16 We've monitored these areas at Unit 1 since 1980. They have 17 not changed. 18

19 VICE CHAIRMAN ABDEL-KHALIK: So, again, 20 back to the question. This irregular contour you 21 think happened during the concrete pour? 22 MR. CUSTER: Yes.

VICE CHAIRMAN ABDEL-KHALIK: Or after the
 concrete pour?
 MR. CUSTER: During the concrete pour,

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

	37
1	even possibly before.
2	VICE CHAIRMAN ABDEL-KHALIK: So, how would
3	it have happened before?
4	MR. CUSTER: Potentially bowing, as you
5	build the tank. There was a specification for a
6	general radius. There was a specification to allow
7	some irregularity.
8	VICE CHAIRMAN ABDEL-KHALIK: Okay. So,
9	again, you would the hypothesis is that most of
10	this happened during the concrete pour, so the liner
11	and the concrete remained in intimate contact.
12	MR. CUSTER: We believe them to be in
13	intimate contact. That's correct.
14	VICE CHAIRMAN ABDEL-KHALIK: There is no
15	annular there's no gap anywhere where gas can
16	actually be present.
17	MR. CUSTER: That's what we believe to be
18	the case.
19	MEMBER ARMIJO: Gas will always be present
20	in that interface. There's no way that those things
21	could be leak tight. Water may be a different case,
22	but gas is going to be there.
23	MEMBER SHACK: But he's talking about a
24	macroscopic gap.
25	MEMBER ARMIJO: Right. Yes.
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

VICE CHAIRMAN ABDEL-KHALIK: I'm trying to 1 2 find out what the velocity through that hole will be 3 during hypothetical accident, where the pressure in 4 the containment may be greater than twice the pressure 5 in whatever gas gap may be present. And if it is in the velocity through that hole will be equal to the 6 7 speed of sound, and then if you have gas going at the speed of sound through a hole, how does that affect 8 9 the containment? That's the line of questioning that 10 I'm trying to get to. 11 MR. CUSTER: Give us а moment. Ken 12 our Senior Design Analyst, will talk to Frederick, 13 that.

FREDERICK: to clarify 14 MR. Just your 15 question. This is Ken Frederick. You question is, what effect would gas flowing through the gap between 16 the liner and the concrete, would that have on the 17 concrete, or the liner? 18

19 VICE CHAIRMAN ABDEL-KHALIK: Well, if I have a gap in-between, imagine, if you will, and if 20 the pressure in that gap doesn't keep up with the 21 rapid rise in pressure inside the containment, so that 22 23 you have roughly а factor of two of pressure difference between inside the containment, and in that 24 25 gap, the velocity of the gas going out through that

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	39
1	hole will be equal to the speed of sound. So, it is
2	important that you convince me, at least, that there
3	is no gas gap in-between.
4	MEMBER BANERJEE: Is your concern, Said,
5	that the flow in this gas gap, which has an extremely
6	large area, will find some part of the concrete?
7	VICE CHAIRMAN ABDEL-KHALIK: No, I'm just
8	now would be if that scenario is true, then I
9	would be concerned about a gas jet moving at the speed
10	of sound that directly impacts the concrete.
11	MR. CUSTER: This would not this is
12	Cliff Custer. We're not talking about an infinitely
13	large area here, where the -
14	VICE CHAIRMAN ABDEL-KHALIK: That's why
15	we're asking.
16	MR. CUSTER: We're really not talking
17	about an infinitely large area. I would ask maybe
18	Jack Paterson to come and qualify the size of these
19	areas. Jack is the Containment System Engineer. He
20	can probably help us out with that.
21	MR. PATERSON: Good morning. I'm Jack
22	Paterson. I'm the Containment System Engineer. These
23	irregularities, there were a number at Unit 1. And,
24	as Cliff stated, we did monitor those for a number of
25	years to see if they were growing. They did not grow.
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

40 We felt that they could have been growing because we were sub-atmospheric. There was a concern about that. They did not grow. We didn't see them change in any way, so we do feel that they are in tact with the concrete.

We also did the inspections at Unit 2 prior to -- during construction, prior to pulling vacuum on the containment. Those irregularities were there prior to pulling vacuum, so that they weren't caused from the vacuum. Again, we also feel that they are in tact with the concrete.

I agree that there is probably a small gap between that concrete and the containment liner. I would think that the pressure test, though, would tend to push the liner, because it has no structural strength, to the concrete and close that gap up during a design-basis accident.

VICE CHAIRMAN ABDEL-KHALIK: 18 Thank you. MR. WESTBROOK: This is Tom Westbrook, 19 I was present when we removed the section of 20 again. the liner that was corroded this year, and discovered 21 the wood behind it. The concrete was in direct 22 contact with the liner, and on the edges of the cuts 23 you could not slide a piece of paper against it. And, 24 25 as Jack stated, under design pressure, the pressure is

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

	41
1	outward, so if there was a very, very small gap there,
2	it would tend to close off.
3	VICE CHAIRMAN ABDEL-KHALIK: Thank you.
4	MEMBER ARMIJO: Well, don't forget about
5	thermal expansion. Steel will expand more when it's
6	hot than the concrete, so there's going to be some
7	gap, but it's not going to be a big gap.
8	CHAIRMAN BONACA: Okay. Let's move on to-
9	MEMBER SIEBER: Well, the calculation on
10	supersonic flow is an easy one to make, a theoretical
11	standpoint. It's just an orifice flow. I don't see
12	any volunteers here ready to sit down and do it, but
13	that's something that probably most of us could
14	produce.
15	MEMBER MAYNARD: Well, if there is a gap,
16	the pressure is going to either equalize quickly, or
17	else, if it continues, it means you've already got a
18	breach in the containment anyway, the concrete.
19	MR. CUSTER: Okay. If we can move on now.
20	The random sample examinations now. The random
21	samples, we're talking about a minimum of 75 sample
22	locations selected to conform with statistical
23	guidance traditionally from an EPRI document, and
24	NUREG 1475.
25	For that sample, we're looking at a one
	NFAL R GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON D.C. 20005-3701 www.peakaross.com

foot by one foot random sample location chosen randomly to do ultrasonic testing on those portions of the accessible liner surface. That's similar size to what industry OE tells us. If you look at one by one foot area, you should find it.

6 Now, what I'd like to say is that the 7 final bullet here, and then we'll go back to the 8 bullet on failure, that the sample plan is designed to 9 provide 95 percent confidence, that 95 percent of the 10 accessible unexamined areas are similar to the data 11 obtained through random sampling.

12 would define a statistical We sample failure, one that would cause us to re-look at our 13 sample plan, and determine what to do statistically, 14 15 is an area following engineering evaluation that was greater than 10 percent material loss due to active 16 17 pitting corrosion, not attributed to fabrication or erection practices. That's what we would consider a 18 19 statistical failure, and that would affect _ _ encourage us to take a look at another lot or so. 20

MEMBER BLEY: Let me ask you -

MEMBER SHACK: Now, if you find a pit that's 20 percent deep, how are you going to determine whether that's an active process or not?

MR. CUSTER: If it's 20 percent deep, we

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

21

25

www.nealrgross.com

	43
1	would say it's active.
2	MEMBER SHACK: Okay. So, what you really
3	mean is if you're going to find things greater than 10
4	percent, that's a failure.
5	MR. CUSTER: That's correct.
6	MEMBER SHACK: Okay.
7	MR. CUSTER: That's correct. Anything
8	greater than 10 percent that has localized pitting and
9	looks like this condition, we would consider a
10	statistical failure.
11	MEMBER BLEY: Now, let me sneak this one
12	in. As I understand the way you're going to test,
13	you're doing 100 percent visual before you do the UTs.
14	Right?
15	MR. CUSTER: We're going to do an
16	additional IWE visual before we do the UTs. That's
17	correct.
18	MEMBER BLEY: The one you found, you found
19	through a visual.
20	MR. CUSTER: That's correct.
21	MEMBER BLEY: And since that's repaired,
22	you're not counting that as a failure. If you find
23	more through the visual, what this sample plan is
24	going to do is see if the UT finds something visual
25	doesn't find, and evaluate whether your sampling has -
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

ĺ	44
1	- whether you find anything that way that you didn't
2	find visually, so it's after the visual is all done.
3	MR. CUSTER: That's correct. And it
4	complements, if you will, it complements the visual
5	inspection.
6	MEMBER BLEY: Thanks. Said.
7	VICE CHAIRMAN ABDEL-KHALIK: How do you
8	sort of confirm the second clause in the third bullet
9	of Slide 12?
10	MR. CUSTER: Yes.
11	VICE CHAIRMAN ABDEL-KHALIK: That it is
12	not attributed to fabrication/erection practices?
13	MR. CUSTER: Yes. During fabrication,
14	keep in mind this was a large tank outside that took a
15	couple of years to build. Right? There were wind
16	braces that were placed on and then ground off.
17	Right? So -
18	VICE CHAIRMAN ABDEL-KHALIK: I don't think
19	you understand my question.
20	MR. CUSTER: Okay. Could you restate it,
21	please?
22	VICE CHAIRMAN ABDEL-KHALIK: Okay. One of
23	those random samples will show greater than 10 percent
24	material loss. How would you say that that is not
25	attributed to fabrication/erection practices?
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

MR. CUSTER: Number one, if we determine 1 2 that it was not a pitting attack similar that would 3 have shape like our FME has shown, that we may have 4 something else going on. We would have to consider 5 what we would do about that. Right? The first thing we would do, if it was not 6 traditional, if it did not indicate like traditional 7 8 foreign material corrosion would, which is a localized 9 area of corrosion with some pitting attack that had a shape to it, we would have to take a look at it. 10 We'd have to characterize that flaw, evaluate and consider 11 12 what we'd do. It may be something new that we'd have to look at. Keep in mind, the general liner surface 13 has never been exposed to overall ultrasonic testing. 14I'm really confused. 15 MEMBER ARMIJO: the 2006 examination, you found pits far greater than 16 17 10 percent deep. And somewhere in the SER, or in your submittals, you attributed that to corrosion that 18 19 probably occurred during construction. You couldn't 20 say for sure, but you did. That's what I remember reading. 21 So, now if you find with this new exam, if 22 you find pits greater than 10 percent of the wall, 23 you're going to say that's due to current or active 24 25 corrosion? I don't understand. **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

45

In

MR. CUSTER: Keep in mind, the foreign material would have introduced itself during construction. Right? So, if we find pitting attack, we would recognize that as foreign material that was left behind from construction. We would consider it random failure.

7 The two areas that we identified, if they 8 were a random sample plan, the two areas that were 9 replaced in 2006 would be considered a random sample 10 failure, if we were under the same sample plan.

MEMBER ARMIJO: See, that's what I was --11 12 I thought that's what you were doing, that the random sampling was to address pitting, not related 13 to foreign material, just pitting. 14 And that you're 15 guided or non-random was to look for these locations where these wood blocks might have been left behind 16 17 after construction. And I can understand your logic that way, but 10 percent of the wall is a pretty small 18 19 number, and your conclusion will be that it's not due to construction corrosion, but it's due to active 20 corrosion going on right now. 21

22 MR. MANOLERAS: Yes, we did pick a very 23 conservative number for potential statistical failure 24 criteria. That 10 percent loss of material we would 25 consider to be a statistical failure, unless there was

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

	47
1	a way that we could determine it from the fabrication
2	or erection process, that it was, as Cliff mentioned,
3	grinding off one of these wind braces.
4	MEMBER ARMIJO: Okay. I understand.
5	MR. MANOLERAS: Or taking one of these
6	Nelson studs and having to re-weld that, or rework
7	that. If we can't determine it to be that, we would
8	consider it to be a statistical failure -
9	MEMBER ARMIJO: Okay. I understand what
10	you're doing.
11	MEMBER BLEY: I'm still not completely
12	clear. Is this, I'll call it an exclusion of things
13	attributed to fabrication/erection practices. Are the
14	things you're excluding there, the things where you
15	think whatever you find occurred at that time of
16	construction, and nothing has happened since then?
17	MR. CUSTER: Let me offer, for instance,
18	during fabrication or erection, if an arc strike were
19	to have occurred on the wall, as we all know, those
20	get blended. There would be some pattern to it. We
21	would need to assess whether we thought that was an
22	arc strike, or if it was localized pitting attack,
23	rather than just a general surface. If we could
24	discriminate that, we would determine it to be just
25	that, an erection-type practice.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

MEMBER BLEY: Okay. So, it's not a --1 2 it's something that wouldn't have been a corrosion -3 MR. CUSTER: Something not attributed to 4 corrosion. 5 MEMBER BLEY: Okay. Thank you. MEMBER CORRADINI: So, just to be clear, 6 7 we've been gabbing privately. So, everything that's 8 greater than 10 percent is in until you determine, 9 based on some thinking process, that it now falls back 10 out. 11 MR. CUSTER: That is correct. MEMBER CORRADINI: Got it. Thank you. 12 Can I ask a question, 13 MEMBER BROWN: please? The unexamined area that you talked about, 95 14 15 percent confidence at 95 percent of the unexamined the unexamined include 16 does area the area, inaccessible part of the liner, or just the accessible 17 part of the liner? 18 19 MR. CUSTER: The area for UT would be the UT accessible area. Keep in mind -20 MEMBER BROWN: I understand that part, but 21 you're doing your statistics based on the unexamined 22 23 areas. Is that -MR. CUSTER: It would be based on the 24 25 accessible section of the liner. **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

49 MEMBER BROWN: So, all of the unaccessible 1 is not included in the statistical evaluation. 2 That is correct. 3 MR. CUSTER: What we 4 would use is, we would use the information, the data 5 that we got from the random sample plan to gain the insight. We would then need to apply some statistical 6 analysis to that to determine what we would think 7 8 about the inaccessible portion. 9 MEMBER BROWN: How much of the total 10 containment liner, percentage-wise, is inaccessible? 11 MR. CUSTER: Dave, do you want to talk to 12 that? MR. GRABSKI: Yes, Dave Grabski. 13 MEMBER BROWN: It probably would just be a 14 15 number. MR. GRABSKI: Yes, it's actually less than 16 the portion of 17 percent of that part of the 6 containment liner that is susceptible to this -18 MEMBER BROWN: I'm talking about the whole 19 liner, the whole liner. 20 MR. GRABSKI: Yes, the wall and the dome. 21 22 MEMBER BROWN: Yes. And you say only 6 percent is inaccessible. 23 GRABSKI: Right. 24 MR. Things like the 25 elevator shaft, and also the floor. There's two foot **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	50
1	of floor that covers -
2	MEMBER BROWN: The lower portion.
3	MR. GRABSKI: Right. We have, also, we
4	have overlay.
5	MEMBER BROWN: So, that's the 6 percent
6	that you're talking about. That's all part of the 6
7	percent?
8	MR. GRABSKI: That is correct.
9	MEMBER BROWN: Thank you.
10	MR. CUSTER: Okay. Continuing on, let's
11	take a look at the examination plan summary then.
12	That would be Slide 13, for Unit 1.
13	For Unit 1, we'll be doing additional
14	visual inspection in the year 2010. That's 100
15	percent IWE visual inspection. In 2012, that's our
16	normal scheduled IWE visual inspection that will be
17	done, as well. Non-random examination schedule, we'll
18	begin the non-random examination schedule in this
19	current fuel cycle. All eight of the non-random exams
20	will be completed by December 31 st , 2010. With respect
21	to the random examination schedule, the initial sample
22	consisting of a minimum of 75 will be complete by the
23	end of the next three refueling outages.
24	After we gather the data, we will evaluate
25	if a statistical method to analyze the data, so that
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

we can gain additional insight for the general liner condition can be applied. We will document a summary of the examination plan results, and the entire random sample plan will be completed prior to entering the period of extended operation.

At Unit 2, similar to Unit 1, we will 6 7 complete an additional IWE visual inspection. Α 8 visual inspection will occur in this 2009 outage 9 upcoming for Unit 2, and the normal scheduled IWE 10 examination will be completed in 2011 during that refueling outage. The non-random examination schedule 11 12 will be completed prior to entering the period of extended operation, and the random sample examination 13 schedule will consist of a minimum of 75 random 14 15 samples.

We will commence that random sampling by 16 the end of the refueling outage in 2011. As we gain 17 data, we will evaluate if a statistical method to 18 19 analyze the data and gain additional insight for the general liner condition can be used. We'll document a 20 summary of the inspection plan results, and the entire 21 random sample plan will complete prior to entering the 22 period of extended operation. 23

What that, I'd like Mark Manoleras to -MEMBER STETKAR: Can I ask you a question?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

24

25

1

2

3

4

5

MR. CUSTER: Yes.

2

3

4

5

6

7

8

MEMBER STETKAR: If your non-random examination process is what I'd call kind of an informed sampling process, where you're checking in areas where you have somewhat suspicion that there might be a problem, why are you deferring that nonrandom examination on Unit 2 until sometime before 2027, rather than doing that now?

9 MR. CUSTER: We simply haven't seen the problem at Unit 2. We've done some additional look at 10 the construction practices used at Unit 2. We believe 11 12 the use of wood was very limited at Unit 2. Instead of the, for instance, and this is recent discovery, it 13 looks as though the liner rather than use wood 14 15 spacers, actually used welded angle wire as а standoff. So, that's one of the reasons why -16

MEMBER STETKAR: Well, that might be different criteria for selecting locations that you check on Unit 2, but I guess I still don't quite understand the rationale of why not check those perhaps different locations sooner than later?

CHAIRMAN BONACA: Let me ask you maybe in a different way. You have three outages in which you would perform 75 UTs. What happens if in the first batch of 25, you have findings, are you going to

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

accelerate the number of UTs? I mean, are you going to change these groups of 25?

MR. CUSTER: 3 What we would have to do is, 4 we would have to address them in statistical fashion 5 so that we maintain that confidence level, yes. We would have to take a look and see, based on the 6 7 information that we gain, would there be further 8 insight? How do we adjust the plan? We would have to 9 the plan to maintain a statistical adjust 95-95 10 confidence level, yes.

11 CHAIRMAN BONACA: You will adjust the plan 12 both in terms of how many are going to inspect, as 13 well as the timing?

MR. CUSTER: We would have to look at it to extend the cause, number one. If we gain more information, look at locations that would be similar, for instance. And we would have to adjust the sample plan. That's correct.

19 SENA: Again, if I can clarify, if MR. 20 through the non-random inspections we find an item that would exceed the statistical failure criteria 21 resulting in an increased population, we did commit 22 that that entire random sample plan, even if we have 23 to increase the population, would be complete before 24 25 the period of extended operation.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

Now, one of the things that we believe is very important is that that initial 75 -- minimum 75 samples be complete within the next three outages. What that then affords is the staff to come in during their 71003 inspection, and assess those results, opportunity to inspect, assess, evaluate what we've done in our corrective action program before the period of extended operation.

9 RYAN: You know, I'm a little MEMBER 10 confused. You're talking about random sampling and biased sampling all in the same sentence, and the 11 12 statistical criteria that you quote. It's a little confusing the way you're talking about it. You've got 13 75 random samples -14

MR. SENA: Correct.

MEMBER RYAN: -- from which you can get a 16 17 percentage of positives versus negatives, and do the 18 usual statistics. How do you deal with that random 19 separate from, let me call it а biased program 20 sampling program, where you're going where you think you're really going to find something, and it's not a 21 random selected location? 22

The reason I'm asking this is, it's very important to sort out what your rates of positives are, that is, finding the corrosion on a random basis

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

15

versus fixing the things you know that are already present, and I would call a biased location where you're more likely to expect that. So, all of that has to be kind of carefully laid out, so that you can potential failure in interpret rates of other locations in the future, both in time, and in location. So, help me out.

8 MR. MANOLERAS: This is Yes. Mark 9 Manoleras, again. You bring up a good point. And 10 there are many questions, and many combinations of failures, so let me try to provide some clarity. 11 Our 12 random sample plan will be taking a look at the liner to insure that we have a 95 percent probability, 95 13 percent confidence level that the accessible portions 14 of the liner don't have signs of degradation beyond 15 the liner that we talked about, so that's extremely 16 17 important. So, our sample plan would be adjusted -

MEMBER RYAN: What's the assumption behind that result? I mean, because the distribution of the pitting locations allows you to determine that. I still don't know the basis for your test criteria.

22 MR. MANOLERAS: Okay, yes. This is one 23 portion of the test that we're talking about here. 24 We're talking about the random portion of that. We 25 also then have the non-random portion, where we're

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

www.nealrgross.com

basically taking a look at areas for cause, where we're going out and we're saying hey, there's a very good opportunity that similar conditions may exist. So, we're taking a look at this from a non-random perspective, and we're not -- we do not take a nonrandom failure into the 95-95 percent random equation.

7 MEMBER RYAN: I want to go back to the 8 random. Ι understand the biased. It's the at 9 interface. It's where something happened before. 10 It's at a bolt, whatever it is. That's fine. Ι 11 appreciate that. But I don't understand how you can 12 say 95 percent confidence interval. What's the basis for the number of samples being 75? How did you get 13 to that 75 is the right number to meet that criteria? 14 MR. SENA: We understand. 15

16 MR. CUSTER: Yes. Let me just quickly 17 describe 75. If we need to talk further details, I'll 18 ask Dr. Harlow to speak to it.

MEMBER RYAN: If you have a statistical sampling plan in which this is laid out, that would be just fine. I'd like to see that.

22 MR. CUSTER: That's basically where we 23 are. We chose the number 75, we felt as though it's 24 actually bounded by NUREG 1475, so we chose that as --25 a minimum of 75 as an area to start.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

www.nealrgross.com

	57
1	MEMBER RYAN: That's different. Then
2	that's based on a statistical test criteria. So, I'm
3	just trying to understand, if you're starting with 75,
4	because that seems like a good place to start, okay.
5	But it doesn't tell you what your ultimate statistical
6	results -
7	MEMBER STETKAR: No, that's how you get to
8	the 75, is from the 95-95.
9	MEMBER RYAN: But I haven't seen how you
10	get there yet.
11	MEMBER POWERS: Yes. It's just an
12	independent, identically distributed occurrences of
13	corrosion. Seventy-five is pretty close to a 95-95
14	I mean, plus or minus one.
15	MR. MANOLERAS: It would be supported by
16	analyses; the number 75 is supported by analyses.
17	MEMBER RYAN: Again, if you have a written
18	plan, it would be helpful to read it.
19	MEMBER POWERS: And this is a fairly
20	unusual sampling. It's not like a production process.
21	One failure causes massive rethinking of this whole
22	thing.
23	MEMBER RYAN: Bingo.
24	MEMBER POWERS: They've got to come up
25	with zero indications, or -
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	58
1	MR. MANOLERAS: Our sampling plan -
2	MEMBER POWERS: zero unexplainable
3	indications. And then you walk away.
4	MEMBER BLEY: And from they pointed us
5	to a methodology document last time around. Now, let
6	me just ask a judgment question -
7	MEMBER RYAN: The methodology document is
8	different -
9	MEMBER BLEY: that follows up on what
10	Dana said.
11	MEMBER RYAN: Dr. Bley, a methodology
12	document isn't necessarily the same as -
13	MEMBER SHACK: This is a truly simple-
14	minded argument. This is simply a binomial sampling:
15	red balls, white balls, 95-95, you come up with the
16	number.
17	CHAIRMAN BONACA: Let just say I would
18	like to say one thing following my line of thinking
19	before. You're tying together the three inspections
20	to license renewal, because you're saying that they
21	are going to complete it during this before the period
22	of extended operation.
23	MR. CUSTER: That is correct.
24	CHAIRMAN BONACA: So that seems to justify
25	a pace that is pretty slow, in so far as the way you
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrqross.com

59 1 do the inspection, which presumes that you're not 2 going to have many problems there. Assume that you have the first set of 25, and you find some problems, 3 4 I would view that it would be important not any more 5 to key your objection on the license renewal. It seems to me that they would become more and more of a 6 7 current license period problem. Would you -- I'm 8 trying to understand how aggressively you would change 9 your inspections to reflect that kind of conditions. Again, this is Pete Sena. 10 MR. SENA: So, 11 the plan currently, the minimum of 75 to do within the 12 three outages at Unit 1, that was picked next specifically, such that it was done before the NRC's 13 71003 inspection. 14 If we find a problem, let's say at the 15 next outage, we do our first sampling of 25, we find a 16 problem, it has to be entered into our corrective 17 action process. We have to evaluate that, expand its 18 19 scope, and go through a timeliness evaluation to pull up and do an accelerated schedule. All right? 20 So, again, I can go under hypothetical 21 scenarios, but the bottom line is, what we find, we 22 have to evaluate, characterize, put into corrective 23 action, assess and correct in a timely manner. 24 Ιf

that would then entail accelerating it, that may just

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

60 1 be the case. 2 CHAIRMAN BONACA: Let me ask you one last question. Your judgment, I mean, you live there, you 3 4 have inspected there, you have looked, is your 5 expectation that you'll find defects or not? MR. SENA: No. 6 MR. CUSTER: Our expectation is we would 7 find no defects. 8 9 CHAIRMAN BONACA: No defects. MR. CUSTER: That's our expectation going 10 11 in. That's his statistical 12 MEMBER SHACK: hypothesis. 13 CHAIRMAN BONACA: But I wanted to hear 14 15 that, because, again, I mean, there is -MEMBER SHACK: You can have some side 16 17 bets. MEMBER BLEY: It also follows their 100 18 19 percent visual inspection. I don't know if that answers the same way, if you ask him that question. 20 21 VICE CHAIRMAN ABDEL-KHALIK: Ι still haven't heard the answer to Mr. Stetkar's question, as 22 23 to the logic for delaying the non-random examination for Unit 2, if it is expected to inform the random 24 25 examinations for Unit 1. The non-random examinations **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701

for Unit 1 are expected to inform the random examinations for that unit. And the question is, if that is the case, why are you delaying the non-random examinations for Unit 2?

5 So, on Unit 2, we have not MR. SENA: corrosion 6 identified any of concern. We have 7 continued to perform our visual inspections, Type A inspections. However, but, we do need to do UT exams. 8 9 We agree with you. Now, timeliness of those UT 10 exams, all we are saying here is that they will be completed prior to the period of extended operation. 11 12 And we have not yet laid out the time line for the Unit 2 examinations. No known issues, but our first 13 course of action, the priority is Unit 1 on the non-14 15 randoms. We do the non-randoms on Unit 1 by 2010, essentially within the next 13-14 months. If we find 16 17 these non-random inspections, extended issues on condition would then dictate an increased time line on 18 19 Unit 2, as well.

20 21 22

1

2

3

4

VICE CHAIRMAN ABDEL-KHALIK: Right.

21 MR. SENA: A narrower time line, a quicker 22 time line. So, again, our inspections are OE-based. 23 What else do we find? We do not expect to find 24 anything, have not found anything. Construction 25 practices were different at Unit 2, so if there is a

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

need to, we certainly would. Right now, the only formal docketed commitment is that we would do it before the period of extended operation.

4 MEMBER STETKAR: I guess I still don't 5 understand the rationale for Unit 2. You're saying that because you have not had any problems with Unit 6 7 2, you don't expect to have any problems with Unit 2. 8 Therefore, you don't need to go look for any problems 9 with Unit 2. Wouldn't -- let me turn it around and say, as a confidence builder, wouldn't it be good to 10 go look at the areas of Unit 2 early, to further 11 12 reinforce your confidence that, indeed, you don't have any problems with Unit 2, and, indeed, the two units 13 are very different, for whatever reason. 14

15 MR. SENA: All right. So, again, yes, we 16 have not found anything. Do I expect to find 17 something? No, I don't, but we are going to go do 18 non-random samples. Now -

MEMBER STETKAR: But if I don't do those until 2027 -

21 MR. SENA: That's not what we're saying. 22 We are not saying we're going to delay it until 2027. 23 All right?

24 MEMBER STETKAR: Well, you're not saying 25 you're going to do it in 2012, either.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

www.nealrgross.com

	63
1	MR. SENA: And that's what we're looking
2	at from our timeliness aspect.
3	MEMBER STETKAR: Okay.
4	MR. SENA: Will it be done before the
5	period of extended operation? Absolutely. Could it
6	be done by 2015? Certainly. Could it be done by
7	2014? Certainly. We have not laid out that time
8	line, as of yet.
9	MEMBER ARMIJO: What's your you may not
10	have a detailed time line, but what is your intention?
11	Do you want to get this thing out of the way, and out
12	of your hair quick, or do you want to just let it go
13	until it's convenient?
14	MR. SENA: So, again, so we go back to my
15	discussion about the INPO principles. All right. We
16	certainly want to get this out of the way and done.
17	All right? We need to look at our outage scope, our
18	outage inspection plans.
19	MEMBER ARMIJO: Okay.
20	MR. SENA: Non-destructive examination
21	resources, other activities within scope, and simply
22	get this done, and get it behind us. What would be
23	most beneficial to us, all right, again, at Beaver
24	Valley, is to complete the non-random in addition to
25	the completion of Unit 1 before the 71003 inspection.
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON D.C. 20005-3701 WAMM Dealerross com
1	

	64
1	Our goal, our ultimate goal is to have all the
2	information available to the NRC before the 71003
3	inspection. That, to us, is our critical juncture.
4	MEMBER ARMIJO: Okay.
5	MEMBER BLEY: Have you finished with your
6	presentation?
7	MR. CUSTER: Yes.
8	MEMBER BLEY: Thank you very much, and I
9	would like -
10	MEMBER POWERS: Dennis, I would like to -
11	MEMBER BLEY: Yes, Dennis.
12	MEMBER POWERS: I would like to come to
13	your last slide. I don't think he had a chance,
14	actually, to walk through it.
15	MR. MANOLERAS: Okay, yes. Pete's already
16	talked a little bit about the first bullet, but let me
17	follow-through there. Again, this is Mark Manoleras.
18	The liner through-wall defect is consistent, we
19	believe, with other industry limited OE on the
20	subject. We believe our examination plan will
21	incorporate that recent OE, and also provides
22	reasonable assurance of the liner condition prior to
23	the period of extended operation.
24	The important thing is, also, the results
25	of the examination plan will be shared with the
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

industry, and the results of the inspections, or the examinations, will be docketed following their completion.

4 MEMBER POWERS: What I would like to 5 explore just a little bit with you is, we're asked to reach a conclusion of reasonable assurance at this 6 particular structure, which is an important element of 7 8 defense-in-depth can be managed, with reasonable 9 assurance it can be managed in the period of extended operation. And, unfortunately, we're being asked to 10 come to that conclusion today, and not at the end of 11 12 your inspection. And I wondered how you thought we would come to that conclusion? How do I reach this 13 conclusion of reasonable assurance today? 14

15 MR. CUSTER: Let me respond to that. We've laid out an examination plan, we've laid out the 16 process by which we will further identify, either 17 verify, or determine if it does not exist in our 18 We've described to you what our 19 containment liner. actions would be. We've described to you what our 20 21 timeliness would be. As we said, as we find things, we will characterize what we find, we'll evaluate 22 23 them, and readjust our plan to provide the confidence level that this condition does not exist in our liner. 24 25 MEMBER POWERS: But we should focus in our

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

deliberations on whether we have reasonable assurance 1 2 or not on, first, the quality of your plan, and the 3 criterion by which you declare defect. Now, what 4 constitutes a defect? You've taken a reasonably 5 10 percent pitting that conservative, you can't otherwise explain is considered a defect. And it's on 6 that basis that you think, plus all the other stuff 7 8 which you've submitted, and you've submitted quite a 9 lot of stuff, but that's the key thing that we should focus on in arriving at a conclusion of reasonable 10 11 assurance. That's your position, or your 12 recommendation to us. MR. SENA: Well, again, in addition with 13 what we've done to-date. So, it's the Type A test, 14 recognize that we did on Unit 1 complete the visual 15 exam of 100 percent of the accessible liner, found no 16

17 other issues with the rest of the liner. Our next
18 outage, we will do another 100 percent visual
19 inspection of the liner.

20 MEMBER POWERS: When is your next 21 integrated leak rate test scheduled for?

22 MR. CUSTER: I'd ask Jack Paterson, our 23 system engineer, looking that up right now.

24 MEMBER POWERS: Jack, you can give me a 25 round number. I don't need a specific date.

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

	67
1	MEMBER SIEBER: Time and date.
2	MR. PATERSON: We completed our last Type
3	A leak test 2006, spring 2006. It will be 10 years
4	from that, roughly 2016.
5	MR. SENA: And, if I can, Jack is the
6	engineer who identified this paint blister. Jack is
7	the engineer that's done this year in/year out, and
8	has done the 100 percent visual inspections. Jack, do
9	you want to maybe comment on the health of the liner,
10	what you've seen?
11	MR. PATERSON: I take pride in the liner,
12	and the containment buildings, both units. I think
13	they're in excellent condition, both units. We
14	maintain our liners. With the new containment sump
15	issues that have in the industry, we've really gone
16	over our liners, particularly looking for any paint
17	defects, and repairing them. I feel very confident
18	with both our liners.
19	MEMBER ARMIJO: Thank you.
20	MEMBER POWERS: That is helpful, by the
21	way. I mean, you understand what our problem is. We
22	don't have the benefit of waiting for your sampling
23	results. We have to arrive at a conclusion now, and
24	I'm struggling a little bit with the what I hang my
25	hat on to arrive at that. And what you've said is
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

68 very helpful. 1 2 MEMBER BANERJEE: I think it would be helpful for me -3 4 MEMBER POWERS: And Mr. -- your liner 5 engineer is -MR. SENA: Mr. Paterson. 6 MEMBER POWERS: Mr. Paterson 7 is 8 confidence-inspiring. It would be helpful for 9 MEMBER BANERJEE: 10 me if you would, perhaps you've said it already, 11 explain how assured that these things are not 12 progressive. In other words, will there be sort of a repeat check to see that, indeed, whatever you find 13 happened earlier, and nothing is going on now, which 14 continue to sort of age and diverse during this period 15 of extended operation? Just make it sort of a summary 16 17 statement as to how you give us that assurance. MR. CUSTER: We don't believe we have an 18 19 issue that we're going to find. However, if we find an issue, we're going to look at it. We're going to 20 21 characterize it, evaluate it. We'll consider what we need to do in our sample plan to look further. We'll 22 23 put it in our corrective action plan. Pete has addressed how we would look at the timeliness issue. 24 25 That's how we would handle it, as we go forward. **NEAL R. GROSS**

> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

69 MEMBER BANERJEE: But how will you identify that issue? through the MR. SENA: So, we go UT inspections, speculate we find an area of concern. We can speculate and say it's 8 percent degradation. Eight percent, we evaluate, we characterize, we do not walk away. We have to make then a decision, we would then continue to monitor that exact same location to identify if the corrosion mechanism is still

9 identify if the corrosion mechanism is still 10 occurring, and still active, or do we evaluate and say 11 at 8 percent, that's unacceptable. Let's cut it out, 12 remove it, and do an analysis of that plate that we 13 removed, and identify what's behind it.

Well, that's what you're MEMBER ARMIJO: 14 doing with the defect you found in 2006. 15 You're continuing to monitor to see if it's an 16 active patching 17 corrosion, rather than it, just and forgetting about it. 18

MR. SENA: That is correct.

20 MEMBER BANERJEE: Okay. So, what you're 21 saying is that if you don't cut it out and fix it, 22 then you will continue to monitor it.

MR. SENA: Absolutely.

24 MEMBER BANERJEE: And if you then see 25 deterioration, then there is some mechanism operating,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

19

23

70 1 which is related to aging, or maybe aging. I don't 2 know. I'm not sort of getting a clear picture of how 3 you will know that there are no progressive aging-4 related effects. What are you going to do to address 5 that issue? Okay. So, you find something, you cut it 6 There's no way to know what's going on. Right? out. 7 CHAIRMAN BONACA: No, they will assess 8 where it's coming from. If it is an original defect, 9 if it is, in fact, progressive, and monitor progress 10 in case of doubt there is concern with progress 11 currently. 12 MEMBER BANERJEE: I agree, but now they remove this piece for this area, they found these 13 things on the liner. At that point, they say they 14 don't know what caused this, whether this is something 15 related to -- and there's no real 16 root cause identified. In fact, if you look at their slides, they 17 leave it open. Right? Wherever this is. 18 They don't 19 know. They say, three areas of corrosion were 20 identified on the liner plate. The lab analysis has not identified the cause for the corrosion. 21 That's 22 the statement. Right? 23 MR. CUSTER: Ιf Ι may address that In 2006, that evidence was destroyed by 24 question. 25 hydro demolition. We took the removed areas, did

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433
1 analysis on those removed areas. Tt. was non-2 conclusive. But as you look at those areas, those areas had roughly a one foot by one foot area. 3 There 4 was something localized going on. There was localized 5 pitting attack. It's true, that a direct cause, the exact material could not be identified and found, but 6 7 it is quite apparent to me that it was due to foreign 8 material. We found in 2009 that the direct cause of 9 the corrosion was, in fact, foreign material, a piece of wood, a piece of two by four. It had a very low 10 11 pН, and it had a high moisture content, which 12 accelerated that corrosion rate. And we would perform an analysis of areas removed similar to what we just 13 did in 2009. 14

MR. SENA: And in all cases going forward, as we've done in the past, if we find an area of concern, an area of degradation, this cannot be a fix and forget. It has to go through, you characterize, you evaluate, and determine the right course of action, dependent upon what we see.

CHAIRMAN BONACA: Okay. We're well beyond schedule. I mean, almost an hour. So, let's move on to the other two presentations.

24 MEMBER BLEY: Okay. It's time to move to 25 the Staff. And maybe you can address a few of these

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

72 1 last questions from the Staff's point of view. 2 (Off the record comments.) 3 MR. HOLIAN: Ready to resume? 4 CHAIRMAN BONACA: Let's resume the 5 presentation. This is Brian Holian, 6 MR. HOLIAN: Okay. 7 Director of the Division of License Renewal, just 8 resuming with the Staff's presentation. I'll make 9 introductions right now. We will speed up the Staff's 10 presentation, and particularly concentrate on questions on the slides, especially the first four or 11 12 five slides, or six are somewhat duplicative of what the Licensee has provided. So, we'll quickly step 13 through those, but please pause and 14 ask us any 15 questions on any of that material. At the middle of the Staff table is Kent 16 17 He's Project Manager for Beaver Valley. То Howard. his left and right are Hans Ashar and Abdul Sheikh, 18 19 two Senior Technical Structural Reviewers on the 20 Staff. In the audience are many members that I won't 21 introduce at this time, Dr. Sam Lee, Dr. Raj Auluck. Sam is a Deputy in the Division of License Renewal, 22 23 the branch Raj Auluck has got involved with structural, and mechanical pieces. We also have two 24 25 senior-level advisors from NRR Staff, Kamal Manoly,

> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

NEAL R. GROSS

(202) 234-4433

and Allen Hiser, two senior-level, and several branch chief and staff members. This issue does cross both the License Renewal Division, of course, and the Technical Structural Divisions in NRR. And we've worked together on this issue during the license renewal, and in the time period from the last meeting.

With that, I'll it over to Kent.

MR. HOWARD: Good morning. As Brian stated in the introduction, my name is Kent Howard. I am the Project Manager for the Beaver Valley license 10 renewal application. 11

Since our last meeting on July the 8^{th} , the 12 Staff has been aggressively pursuing a resolution to 13 the containment liner issue. Since that time, we have 14had a total of eight conference calls. 15 There have been four amendments to the LRA. We're still working 16 on it. As a result, there are revised UT commitments. 17 Also, there have been new commitments added for non-18 19 random, submitting the results of the UTs to the 20 Staff, and, also, looking at alternate statistical analysis. The volumetric examination sampling plan, 21 acceptance criteria, 22 the timing and have been clarified, and will be addressed in our presentation. 23 So, we'll get the next slide, go through it a brief 24 25 time.

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

www.nealrgross.com

74 This slide highlights some of the 1 2 information on the Beaver Valley Units 1 and 2 3 containments, the concrete containments are steel lined reinforced concrete. The concrete shield is 54 4 inches thick. The liner plate is three-eight inches 5 thick. The containments were originally designed to 6 sub-atmospheric, but were converted to atmospheric 7 8 containments in 2006. Next slide. For the remainder of our presentation, I 9 will now turn it over to be Abdul Sheikh. 10 So, this slide is just a 11 MR. SHEIKH: 12 repetition of whatever the Applicant has presented. The only item of interest is I have put some numbers 13 on the pH value of 3.7, on the piece of wood which was 14 found, and the moisture content of the wood was 13 15 percent, just to give you an idea. 16 MEMBER POWERS: Why is the pH so low? 17 MR. SHEIKH: The wood pH is low, as far as 18 19 we can figure out, is during the concreting operation 20 the water from the concrete was absorbed by the wood, and it stayed there. 21 MEMBER POWERS: Water from concrete would 22 ordinarily have a pH of what, 10.8? Why did the wood 23 become acidic? 24 25 MR. ASHAR: Normal calcium iron oxide pH **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

	75
1	will be 12.5 with concrete, but as the wood pieces,
2	like two by four, they start absorbing more and more
3	of carbon, they being organic in nature, they must be
4	having acidic characteristic to pitting to the I'm
5	not a causal engineer. I can't talk more about it,
6	but the pH value that was found by the applicant was
7	3.5. That is what they told us, 3.7.
8	MEMBER POWERS: I just wonder why.
9	MR. ASHAR: Please?
10	MEMBER POWERS: Why?
11	MR. ASHAR: Why it happened?
12	MEMBER POWERS: Why did it become acidic?
13	MR. DAVIS: Dana, can I answer that? If
14	you have ferrous hydroxide, the pH will be about 1.1,
15	so if you have active corrosion occurring, you would
16	expect a low pH. Jim Davis, from the Staff.
17	MEMBER POWERS: I guess I didn't
18	understand the answer.
19	MR. DAVIS: Okay. If you have active
20	corrosion occurring, you're going to produce ferrous
21	hydroxide, which has a pH of about 1.1, so it's in the
22	vicinity of the concrete, so a pH of 3.7 is not
23	unreasonable, if you have active corrosion occurring.
24	MEMBER POWERS: But this is a chicken and
25	an egg problem here.
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	76
1	(Laughter.)
2	MR. DAVIS: Not what you asked.
3	MEMBER SHACK: He's starting with a pH of
4	say 10, and wondering how he's going to get corrosion.
5	Now, if you get corrosion -
6	MEMBER POWERS: I get a low pH.
7	MEMBER SHACK: But how do you get the
8	process started with a pH of 10?
9	(Simultaneous speakers.)
10	MR. DAVIS: with the steel. And once
11	you start getting corrosion, the pH drops very
12	rapidly.
13	MEMBER POWERS: What you're saying is
14	then, that the corrosion caused the wood to become
15	acidic. The wood didn't become acidic and cause the
16	corrosion.
17	MR. DAVIS: Say that again.
18	(Laughter.)
19	MEMBER RAY: Dana, I think he's saying the
20	wood doesn't protect the steel from corrosion the way
21	the concrete would have done.
22	MEMBER POWERS: Well, then the question
23	becomes what caused the corrosion?
24	MR. DAVIS: The wood caused the corrosion.
25	MEMBER RAY: Well, I guess I thought that
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W.
	المركزي (2022) 204-4400 WASHINGTON, D.C. 2000-5701 Www.neal/gross.com

	77
1	if you don't protect the steel, it will corrode in the
2	presence of moisture. And then -
3	MEMBER POWERS: Any kind of moisture
4	coming in there was going to be roughly equilibrated
5	with the concrete, and it's going to be exceptionally
6	basic. And basic solutions do not attack mild steel.
7	MEMBER RAY: Okay. But that's the
8	hypothesis.
9	MEMBER BANERJEE: Need a little CO2.
10	MEMBER RAY: That's the response, I think.
11	MEMBER BANERJEE: Typically, in pipelines,
12	if you have water and CO2, you get pitting corrosion.
13	MEMBER POWERS: Yes. I mean, there you're
14	running a pH of what, 6, something like that?
15	MEMBER BLEY: And something very local,
16	undoubtedly, gets it started. Huh?
17	MR. CUSTER: This is Cliff Custer from the
18	utility. I'm the Project Manager. It was customary in
19	the late `60s and early `70s, prior to use of
20	wolmanized wood, to treat two by fours with borated,
21	boric acid, basically, to keep the bugs out.
22	MEMBER POWERS: Yes. Okay.
23	MR. CUSTER: And that's where we believe
24	that the pH became -
25	MEMBER POWERS: That's the answer I
	NEAL R. GROSS
	1323 RHODE ISLAND AVE., N.W.
1	(202) 234-4433 WASHINGTON, D.C. 2005-3701 www.nealrgross.com

needed.

1

2

3

4

5

6

7

MR. SHEIKH: Okay. The next slide just, I tabulated the industrial operating experience. And, as you can see, there were three plants, the Brunswick, which is atmospheric containment BWR, and North Anna, which is a PWR sub-atmospheric, and DC Cook, which is a PWR atmospheric containment.

8 As you can see in all these cases, I have 9 tabulated they were all -- the root cause was identified as a foreign object found behind the liner 10 when the hole was discovered. There was another case 11 12 in which the pieces of wood were found at the Surrey Unit 2 external surface, but it was not related to 13 through-wall corrosion. The pieces of wood were found 14 surface, outside surface, and 15 on the they were removed, and there was no impact on the liner. 16 Next 17 slide.

18 just summarized the Here Ι have 19 degradation cause. Industry has operating root experience, as has been mentioned before. 20 The root 21 cause is identified as foreign objects behind the Beaver Valley has also concluded that 22 liner. the 23 construction imperfections of the wood behind the liner has created the corrosion. And the Staff also 24 25 believes that the foreign objects are the root cause

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

of the through-wall corrosion. However, additional visual and volumetric examinations planned by the applicant will provide additional insight regarding the potential corrosion mechanism in the liner.

5 MEMBER RAY: Okay. Excuse me. Now, this is kind of a generic conclusion, which I think is 6 7 very, very helpful to me, at least. Yesterday, we 8 were looking at a different containment design, one 9 that had a very -- cork they called it. I don't 10 really know what it was, but, anyway, the liner was 11 protected by a very extensive cork layer, so there was 12 no concrete in contact with the steel. Yet, on the other hand, it's protected against moisture intrusion 13 by a moisture barrier. Is the conclusion that you 1415 would draw here that that moisture barrier is important to keep the moisture out of the cork, and, 16 17 thereby, not in contact with the steel? I'm trying to differentiate now. I realize I've gone off, not 18 19 talking about Beaver Valley now.

20MR. ASHAR: I was present in yesterday's21presentation.

22 MEMBER RAY: I understand, but yes? 23 MR. ASHAR: I was present in yesterday's 24 presentation, and I understand the discussion that 25 went on with the SEIS. And there are -- most of the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

www.nealrgross.com

80 1 concrete plants, I mean, reinforced concrete as well 2 as simple concrete, the moisture barrier as between 3 the liner and the concrete, fill concrete, as they 4 call it. And the -5 MEMBER RAY: He's agreeing with you. MR. ASHAR: Yes. I thought it was some 6 7 problem with hearing me, what I was saying. 8 MEMBER RAY: I don't want to take too much 9 time on this. 10 MR. ASHAR: No, no. 11 MEMBER RAY: This was a generic issue 12 here. Go ahead. MR. ASHAR: This has happened in 13 Yes. number of plants, the corrosion of liner 14 at the interface between the liner and the concrete 15 has happened in number of other plants. All have some 16 type of a cork material underneath that moisture 17 barrier. Moisture barrier has been found 18 Okay. 19 effective. Now, there are new formulation of moisture barriers, which are much better than the old one, 20 which do not degrade with time as badly as today's 21 moisture barriers. And they found in each case that I 22 23 looked at, they found the corrosion only in the area where the moisture barrier was degraded, so it came 24 25 out of pieces cracked up, and then the water went in.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

81 1 And they also inspected the area underneath that, 2 where the cork is there, and they don't find corrosion 3 in that area. 4 MEMBER RAY: Okay. Like I say, I've taken 5 us off on a tangent. I apologize. MR. SHEIKH: Yes, so the mechanism I have 6 7 on the slide is where the through-wall only put 8 corrosion took place. The other corrosion which are like the cork material, I didn't put in this slide. 9 10 MR. HOLIAN: Yes. This is Brian Holian, 11 Director of License Renewal. So, we're talking 12 degradation from water on the inside with the moisture barrier that we saw yesterday, and then on 13 the outside. One thing I will add, though, is - and even 14 TMI was ready yesterday to address that, should that 15 have come up, on their containment design, are they --16 17 would they be more prevalent for wood, or foreign material to be in there because of the location of 18 19 rebar And they do not believe -- certain even. containment designs do not believe that they're as 20 prevalent as where the rebar is right close to the 21 liner, in the case of Beaver Valley. So, that's one 22 I don't know if that's 23 point I want to bring up. exactly what you were getting at, but that's one issue 24 25 that even the Staff is continuing to look at.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

Okay. You know, this slide MR. SHEIKH: 1 2 is a repeat of the applicant sampling plan. The only item that I want to point out is how the 75 samples 3 4 were selected. It's based on, as we address in the 5 last meeting, on the EPRI report, and if the -- and 6 there was some discussion, what happens if there's a 7 failure, so there is a simple equation with which you 8 can increase the number size, number of samples. For 9 instance, if you have a failure of one sample, the 10 size goes to 110. If you have two, it goes to about 11 142, and then you can continue on. So, that is the 12 only part on this slide. The other is just a repeat of the applicant. 13

what This slide just tabulates 14 the 15 applicant explained. Basically, there are two types of findings of the UT examination. One, there is 100 16 percent loss -- 10 percent loss of liner thickness. 17 What will happen? And the first part, the first thing 18 19 we're going to do is to perform, as we understand, there will be an engineering evaluation to determine 20 whether there is a statistical failure, which the 21 applicant went through detail. 22 in What is а 23 statistical failure? And if this is a statistical failure, then it will be entered into the corrective 24 25 action program, and it might -- this will increase the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

sample size. And there was some questions; what will happen afterwards? So, that same point will be reexamined during the next outage, to see a trend in the degradation. If the loss in thickness is less than 10 percent, you go through the same process as a loss more than 10 percent, only difference is the sample size will not increase.

8 CHAIRMAN BONACA: The schedule we already 9 heard.

10 MR. SHEIKH: They already heard the 11 schedule, so we have gone over it.

12 The next slide, I just listed, we just listed the generic implications of this finding in 13 2009 at Beaver Valley. The Staff is evaluating the 14 15 need to issue a supplement to the information notice, which was issued in 2004, to tell the other licensees 16 to look at their plant, and see if there's 17 any applicable actions are required. NRC Office of NRR is 18 19 going to issue a user need to the NRC Office of Research to investigate the corrosion mechanism in 20 more detail. A new agenda item has been included by 21 and other industry members 22 the NRC in the ASME Subsection IWE meeting to see how we can identify 23 corrosion, and early detection of the corrosion in the 24 25 liner plate. And changes are being made to the NRC

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

www.nealrgross.com

refueling and outage activities baseline inspection procedures to provide additional guidance to inspector concerning containment walkdowns.

4 MR. HOLIAN: This is Brian Holian, 5 Director of License Renewal, just to add to that 6 slide. I mean, it shows what some of the questions 7 from the ACRS members are also posing. This is a Part 8 50 issue, and a Part 54 issue. The Staff realizes 9 We work together with the Part 50 divisions on that. 10 this. That's some of the items that you'll see In particular, highlighting the 11 highlighted there. 12 ongoing inspection. We have Region I on line now listening. The inspector who was here during the last 13 outage is here in the audience, but it's that extra 14 15 piece that we don't always summarize so well for the Committee, that gives an added assurance, Dr. 16 as 17 going, that ongoing activities, Powers was and inspection and enforcement aspects. We'll be looking 18 19 their corrective action system. Keep going.

20 MR. SHEIKH: So, that takes us to the last 21 slide, that we -- the Staff has concluded that there 22 is a reasonable assurance that the requirements of 10 23 CFR 5429 has been met, and the Beaver Valley Units 1 24 and 2 containment liner plate will comply with the 25 current licensing basis during the period of extended

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

www.nealrgross.com

85 operation. That completes our presentation. 1 2 MEMBER POWERS: You've reached а 3 conclusion of reasonable assurance without the benefit 4 of this inspection program that's -- and I wondered 5 how you reached that conclusion? We reached that conclusion, MR. SHEIKH: 6 7 as we discussed before, the applicant stated on the basis of his inspection plan. 8 9 MEMBER POWERS: So, you have focused in 10 and said okay, the inspection plan, the criterion by which it declares defect, the strategy it has for 11 12 responding to any findings in that, leads you to conclusion of reasonable assurance. 13 MR. SHEIKH: Correct. 14 15 MEMBER ARMIJO: Doesn't the understanding of the root cause of the problem contribute to your 16 conclusion of reasonable assurance? 17 MR. 18 SHEIKH: That's part of our 19 evaluation, that we found that the industry operating experience, as well as the applicant's finding, it 20 seems every time there is corrosion, through-wall 21 corrosion, a foreign object was found at the back of 22 Whether is sub-atmospheric 23 the liner. this containment, or atmospheric containment, or a BWR 24 25 containment, in each case, it was the foreign object, **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

which was there to do the -- have the pitting at the back of the liner.

MEMBER ARMIJO: Right. 3 And I don't 4 disagree with that. Those are facts, observations. 5 The thing that's still -- I'm struggling with is, the moisture issue, where did that water come from? You 6 can have a block of wood. I don't care what the pH 7 8 is, sitting on a piece of steel for ages, unless you 9 liquid water somewhere, there won't be have any So, for this wood to retain that much 10 corrosion. water for such a long time is puzzling to me, and I 11 wonder if the Staff, or the Applicant can explain 12 where that water came from? Is it -- I've heard a 13 good explanation from Dr. Powers. I'd like to know if 14 15 the Staff -- so, I think I -- I have an explanation, but I wonder if the Staff or the Applicant have an 16 17 explanation for that water?

18 MR. ASHAR: Yes. Earlier in one of the 19 slides, we did mention 13 percent moisture in the wood 20 piece that was given to us by the Applicant.

21MEMBERARMIJO:Sure.That's a22measurement.

23 MR. ASHAR: And where it comes from, the 24 way I would understand is that even in the hardened 25 concrete, there is a water-cement ratio. Now, it

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

87 1 starts with a water-cement ratio of .5 to .55, which 2 is very large amount of water. Then, as it dries out, 3 it still has chemically combined water in it, which is 4 estimated as close to .17 or so, water-cement ratio of 5 .17. There is normal moisture still available in hardened concrete, which is separate, and only during 6 7 the very high temperature cases, or radiation effect, 8 or something like that. But that water-cement ratio 9 stays there, so there's always water there. 10 MEMBER ARMIJO: So, your belief: it's 11 water from the concrete that is exchanged, or concentrated in the wood -12 MR. ASHAR: In the wood, or -13 MEMBER ARMIJO: -- over a period of time, 14 15 and is constantly available to provide corrosion. MR. ASHAR: That's correct. 16 17 MEMBER ARMIJO: Okay. CHAIRMAN BONACA: We need to move on. 18 19 MEMBER BANERJEE: This is going through the wood. Right? I mean, water -- concrete in 20 contact with steel does not cause corrosion. 21 So, is it postulated that this foreign object exchanges water 22 it 23 with the concrete and makes available for 24 corrosion? I mean, is there some such mechanism 25 proven? **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

	88
1	MEMBER SIEBER: And lowers the pH.
2	MEMBER ARMIJO: I've never seen the proof,
3	but it's a Dr. Powers has an explanation.
4	MEMBER POWERS: I would suspect, without
5	knowing for sure, that what happens is, you turn this
6	plant off every once in a while, and the liner cools
7	down quickly. The concrete is still hot, the water
8	migrates up through the wood, saturates it. Then you
9	start the plant up again, and it progressively dries
10	the pushes the water back out, and you get a
11	cycling operation there, where the wood is just being
12	delayed in drying out, because it has a certain
13	absorptive capacity, has a certain ion exchange
14	capability that's probably enhanced as explained by
15	treating it with boric acid so it doesn't corrode.
16	So, it brings this water in, precipitates out, the
17	calcium out of the solution makes it replaces it
18	with boric acid, makes it acidic. It does a little
19	corrosion action for a while, then dries back out.
20	MEMBER BANERJEE: So, the mechanism you
21	are postulating is a continuing one.
22	MEMBER POWERS: Oh, yes. Yes.
23	MEMBER BANERJEE: If you've got a piece of
24	wood, it's going to continue to corrode.
25	MEMBER POWERS: Yes.
	1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	89
1	MEMBER BANERJEE: And it's a progressive -
2	
3	MEMBER POWERS: Just cycling the pour
4	water of the concrete back and forth.
5	MEMBER ARMIJO: Which makes finding these
6	foreign objects important.
7	MEMBER BANERJEE: So it will get more
8	corroded after 40 years, and 60 years, and 30 years.
9	So it's an aging mechanism. Right? In some sense.
10	MEMBER RAY: I'm sorry. I missed the very
11	first part of what you said, but were you referring to
12	borated water?
13	MEMBER SIEBER: Or wolmanized wood. When
14	they I mean, the suggestion -
15	MEMBER RAY: But not borated because it
16	was on the inside.
17	MEMBER POWERS: No, no, no, no. It, as
18	the speaker from Beaver Valley pointed out, it's not -
19	- it was not uncommon in the past to treat
20	construction wood with a little boric acid -
21	MEMBER RAY: Absolutely.
22	MEMBER POWERS: so the ants and
23	termites didn't chew on it. And that was common.
24	MEMBER RAY: I thought maybe you were
25	referring to boric acid, which is another non-Beaver
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	90
1	Valley issue that we're -
2	MEMBER POWERS: No.
3	(Simultaneous speakers.)
4	MEMBER POWERS: The BWR people try to
5	straighten them on that, but it didn't work. It
6	didn't take.
7	CHAIRMAN BONACA: Okay. I think we have -
8	VICE CHAIRMAN ABDEL-KHALIK: I'm just
9	wondering about the verb "will" in the second bullet.
10	Isn't that a little presumptuous, without knowing the
11	outcome of these inspections?
12	CHAIRMAN BONACA: I think that they will
13	do whatever they have to do in order to comply. They
14	have to.
15	MR. HOLIAN: The conclusion - this is
16	Brian Holian, License Renewal. The conclusion
17	includes the 43 commitments in the license renewal SER
18	that they abide by. Part of that is to do those
19	inspections, and the corrective actions for them. It
20	got talked about a little bit by the Licensee just
21	under their normal corrective action process that goes
22	on for any plant, but the correction action program is
23	built into these aging management programs and reviews
24	as a commitment on them to do what they said they were
25	going to do, which is, we find another error, we fix

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

	91
1	and correct it in accordance with a timely process.
2	So, that's the program is the will.
3	CHAIRMAN BONACA: Dennis, you have to
4	begin to control this meeting. We really have gone
5	out of control.
6	MEMBER RAY: Only one sentence, Mr.
7	Chairman, if I may. I want to thank you for
8	addressing generic implications here. That's very
9	welcome, from my standpoint. I think we'll need to
10	talk more about that in a different context than
11	Beaver Valley, is my view. And that's all I wanted to
12	say, Mr. Chairman.
13	MEMBER BLEY: I think at this point, it's
14	time to move on to public comments. And is Mr. Gunter
15	here? You may take the podium. Mr. Gunter is from
16	Beyond Nuclear.
17	MR. GUNTER: My name is Paul Gunter. I'm
18	with Beyond Nuclear. We're here in Tacoma Park,
19	Maryland, and I want to thank you for your for
20	sharing this time with me. I will cut to the chase.
21	We've been conferring with groups like
22	Citizens Power, and others who share concern,
23	particularly with regard to the containment corrosion
24	problem. And what we find is that there is no
25	reasonable assurance right now, particularly relying
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1 on visual inspections, which we believe are not going 2 to give you a reliable, and reasonable assurance of the aging of the containment liner, because it doesn't 3 4 look at the exterior. It's quite simple, and I know 5 that's been raised to the attention of the Board before, but we're also concerned about the sample size 6 of the UT. We believe that it's way too small for 7 8 this particular containment. I think we're talking 9 100,000 square feet, and we're looking at 75 samples of one square foot. 10

But, more particularly, with regard to new 11 12 information, we wanted to bring to your attention, basically, a document that was provided to the NRC on 13 July 28th, 2009. This is the supplemental information 14 for review of Beaver Valley Station Units 1 and 2 15 license renewal application, and it's Amendment Number 16 I draw to your attention on page 4 of 5, there's 39. 17 commitment, which, basically, 18 а speak so the 19 supplement volumetric examinations to be performed at Unit 2 containment liner prior to the period of 20 extended operation. Seventy-five one foot square 21 randomly selected, as described in the FENOC letter, 22 sample locations will be examined. If 23 L09205 degradation is identified, what is deleted here, "the 24 25 degraded evaluated follow-up areas will be and

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

examinations will be performed to insure the continued reliability of the containment liner", and it's replaced with, "it will be addressed through the corrective action program."

5 The amendment, I think, highlights what 6 the concern is, is that it highlights that there is no 7 commitment to any age management program for the 8 containment liner, particularly with regard to 9 volumetric UT for the period of extended operation. And we do not share confidence that a patch-as-you-go 10 11 for the 20-year extension should provide this Committee, or the public, with any confidence that 12 this particular mechanism is being reasonably managed. 13 Thank you for your time. 14

CHAIRMAN BONACA: Thank you.

16 MEMBER BLEY: Thank you, Mr. Gunter. Any 17 other comments from the public? I think we had no one 18 else on the agenda.

19 CHAIRMAN BONACA: We will -- on the 20 schedule here, we have the time for discussion. I 21 think we'll discuss it in the afternoon.

22 MEMBER BLEY: In the afternoon? That's 23 fine. Then only a half-hour late I return it to you, 24 Mr. Chairman. I thought it was going to be a lot more 25 than that.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

15

	94
1	CHAIRMAN BONACA: I think we need a break.
2	I know some of you already had it, but we need it.
3	So, let's take a break now until quarter of 11.
4	(Whereupon, the above-entitled matter went
5	off the record at 10:32 a.m.)
6	
7	
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

BEAVER VALLEY POWER STATION License Renewal Application



FENOC Presentation to ACRS September 11, 2009

Introductions

- Pete Sena, Site Vice-President
- Mark Manoleras, Site Engineering Director
- Cliff Custer, License Renewal Project Manager
- David Grabski, ISI Program Owner
- Site Subject Matter Experts and members of the LRA core team

AGENDA

- BVPS Containment Liner History
- Safety Significance
- Examination Plan
- Conclusion

BVPS Containment Liner History

- 2006 BVPS-1
 - Degradation of concrete side of liner
 - 3 areas of general pitting corrosion
 - 2/3 areas replaced; 3rd area evaluated and monitoring continues
 - Hydro-demolition destroyed definitive evidence of corrosion source

BVPS Containment Liner History

- 2009 BVPS-1
 - One indication noted by IWE visual inspection as an intact paint blister
 - By procedure, required further VT-3 visual examination; which led to volumetric evaluation (UT)
 - Identified 1"X 3/8" thru liner defect
 - Repaired defect and performed baseline volumetric evaluation (UT)

Assessment of Safety Significance

- Assessment of BVPS-1 shows allowable leakage (La) was not exceeded with identified defect; therefore current Dose Analyses remain bounding
- Significant margin exists between actual post DBA leakage and Dose Analysis assumptions due to containment pressure transient
- Margin also exists between Dose Analysis results and regulatory limits
- If a liner defect exists, leakage is limited by concrete
- Safety significance of liner defect is low due to effect of concrete limiting release and conservative assumptions in dose analyses.

Containment Leakage vs. Dose Analysis Assumptions



Examination Plan

- IWE Visual Inspections
- Non-random Examinations
- Random Sample Examinations

IWE Visual Inspections

- Establish condition of the interior liner surface at time of inspection
- Additional IWE visual inspections at BV-1 and BV-2 as defined by ASME code

Non-random Examinations

- Volumetric examination (UT) of liner
- Minimum of 8 locations at each unit.
- Site specific/Industry OE used to identify areas
- BV-1 Five areas; BV-2 three areas
- BV-1 to commence on-line, within the current fuel cycle and completed by December 31, 2010

Non-random Examinations

- BV-1 Areas
 - Repainted more than once
 - Irregular contour
 - 5 feet below the 2006 construction opening
 - At final site grade level
 - Adjacent to 2009 location
- BV-2 Areas
 - Repainted more than once
 - Irregular contour
 - At final site grade level

Random Sample Examinations

- Minimum of 75 random sample locations
- 1' X1' sample area of UT accessible liner surface
- Statistical sample failure defined as: >10% material loss due to active pitting corrosion not attributed to fabrication/erection practices.
- Sample plan designed to provide 95% confidence that 95% of the unexamined area are similar
Examination Plan Summary BVPS Unit 1

- IWE Visual Inspection Schedule
 - 2010 Refueling Outage (Additional)
 - 2012 Refueling Outage (Normal Schedule)
- Non-Random Examination Schedule
 - Begin in Current fuel cycle
 - All exams completed by December 31, 2010
- Random Sample Examination Schedule
 - Initial sample consisting of a minimum of 75
 - Initial sample complete by the end of the next 3 refueling outages
 - Evaluate a statistical method to analyze the data to gain additional insight for the general liner condition
 - Document summary of examination plan results
 - Entire random sample plan to be completed prior to PEO

Examination Plan Summary BVPS Unit 2

- IWE Visual Inspection Schedule
 - 2009 Refueling Outage (Additional)
 - 2011 Refueling Outage (Normal Schedule)
- <u>Non-Random Examination Schedule</u>
 Complete prior to PEO
- <u>Random Sample Examination Schedule</u>
 - Sample consisting of a minimum of 75
 - Commence by end of refueling outage in 2011
 - Evaluate a statistical method to analyze the data to gain additional insight for the general liner condition
 - Document summary of inspection plan results
 - Random sample plan to complete prior to PEO

Conclusions

- Examinations completed prior to PEO and results available for NRC 71003 Inspection
- Liner thru wall defect is consistent with other industry limited OE
- Examination Plan incorporates recent OE
- Examination Plan provides reasonable assurance of liner condition prior to the PEO
- Results of Examination Plan will be shared with the industry.



Advisory Committee on Reactor Safeguards (ACRS) License Renewal Full Committee

Beaver Valley Power Station, Units 1 and 2 Safety Evaluation Report

September 11, 2009 Kent Howard, Project Manager Hansraj G. Ashar, Technical Reviewer Abdul H. Sheikh, Technical Reviewer Office of Nuclear Reactor Regulation



Beaver Valley Units 1 and 2 Containments

- Steel lined reinforced concrete containment
- Diameter: 126 feet
- Concrete shell: 54 inches thick with 8 layers of rebars
- Liner plate
 - 3/8 inch thick
 - Continuous leak tight membrane
 - Anchored to the concrete shell
 - Not designed as a structural component
- Containment originally designed as sub-atmospheric (5.8 psig)
- Converted to atmospheric containment in 2006





Unit 1 Liner Plate Degradation

- Unit 1 steam generator replacement outage in 2006
 - Corrosion degradation of liner found at 3 areas
 - Two areas replaced
 - One area with minimal loss left in place
 - One area being monitored
- Unit 1 ASME XI IWE inspection in April 2009
 - Paint blister discovered
 - Further investigation revealed a 3/8" by 1" hole in the liner plate
 - 2"x 4"X 6" piece of wood trapped behind the liner plate
 - Non-structural spacer rebar also located behind the hole
- Laboratory Analysis of Wood
 - pH: 3.7- aggressive to carbon steel
 - Moisture content: 13%



Industry Operating Experience

- Brunswick Unit 2 May 1999
 - BWR atmospheric containment
 - 3 holes
 - Leather glove behind one hole
 - Pieces of wood behind two holes
- North Anna Unit 2 October 1999
 - PWR sub-atmospheric containment
 - ¼ inch diameter hole
 - Piece of 4"x4"X6' wood behind the liner
- DC Cook Unit 2 November 1999
 - PWR atmospheric containment
 - 3/16 inch diameter hole
 - Wire brush with wooden handle behind liner



Degradation Root Cause

- Industry Operating Experience
 - Construction imperfections and foreign objects root cause of through wall corrosion of containment liner at North Anna 2, DC Cook 2, and Brunswick Unit 2 plants.
- Beaver Valley Applicant's Finding
 - Piece of wood in contact with liner plate
 - Oxygen replenished thru concrete
 - Low pH of wood in contact with liner plate for 37 years root cause of corrosion.
- Staff Assessment
 - Wood with low pH,13% moisture content, and intermittent supply of oxygen can cause localized pitting and corrosion
 - Occurrence of through wall corrosion is likely due to foreign object (wood) trapped in the concrete against the liner
 - Additional visual and volumetric examinations planned by the applicant will provide additional insight regarding potential corrosion mechanism in the liner



Beaver Valley Commitments

Commitments

- Volumetric (UT) examination
 - Minimum of 75 locations selected randomly for each Unit 1 and 2
 - Minimum of 8 non-random locations selected based on operating experience
 - Use of appropriate/applicable statistical methods to determine general state of the liner
- Visual Examination
 - 100% of accessible area during the next scheduled outages

Staff Assessment

- Random sample size conform with NUREG 1475 and EPRI guidance for 95/95 confidence
- Increase in sample size in case degradation is detected
- Non-random locations will be selected based on the applicant's site specific experience
- Visual examination will supplement UT examination



UT Examination Criteria

- More than 10% loss of liner thickness on concrete side of the liner
 - Perform engineering evaluation for statistical failure
 - If statistical failure, enter into corrective action program
 - Increase sample size to demonstrate 95/95 percent confidence
 - Reexamination during the subsequent refueling outages
- Less than 10% loss in liner thickness on concrete side of the liner
 - Perform engineering evaluation
 - Enter into corrective action program
 - Reexamination during the subsequent refueling outages



Liner Examination Schedule

Unit 1

- October 2010: 100% visual examination
- December 2010: On-line UT of non-random samples
- April 2012: Scheduled IWE examination
- January 2016: Complete UT of randomly selected samples during next three refueling outages starting in October 2010

Unit 2

- October 2009: 100% visual examination
- April 2011: Scheduled IWE examination
- May 2027: Complete UT of random and non-random samples
- Applicant will provide a summary of the UT testing results as docketed information to the NRC after each outage



Generic Implications

- Staff evaluating the need for issuing a supplement to Information Notice (IN) 2004-09 to holders of operating licenses or construction permits to review the Beaver Valley Unit 1 operating experience for applicability to their facilities and consider actions, as appropriate.
- NRC's Office of Nuclear Reactor Regulation to submit a User need to NRC's Office of Research to investigate the corrosion mechanism.
- A new agenda item was included by NRC and other industry members in the last ASME Subsection IWE meeting to identify early detection methods for liner plate degradation/corrosion.
- Changes are being made to the NRC's Refueling and Outage Activities Baseline Inspection Procedure to provide additional guidance to inspectors concerning containment walkdowns.





- On the basis of its review, the staff determines that the requirements of 10 CFR 54.29(a) have been met.
- The Beaver Valley Units 1 and 2 containment liner plate will comply with the current licensing basis during period of extended operation.



Containment Leakage

Applicant's Assessment

- North Anna Unit 2 and Beaver Valley Unit 1 containment design similar.
- Liner plate hole diameter:
 - North Anna Unit 2: 0.25 inch diameter
 - Beaver Valley Unit 1: 0.69 inch (equivalent diameter)
- Local leak rate test at North Anna 2 hole: 21 SCFH @45 psi
- ILRT performed previously at North Anna Unit 2 with 0.25 inch diameter hole. Leakage within technical specification requirements (<0.1% leakage/day)
- Leakage rate from North Anna Unit 2 extrapolated for Beaver Valley Unit1.
- Beaver Valley Unit 1 leakage rate within plant technical specifications requirements (<0.1% leakage/day)



Staff Assessment of Leakage

10 CFR Part 100/50.67 Compliance

- Applicant's extrapolated leakage for Beaver Valley Unit 1 from North Anna Unit 2 is acceptable because:
 - Leakage limit of 0.10 percent per day is for the containment system
 - Beaver Valley 1 and North Anna 2 plants have identical configuration and design
 - 54 inch thick concrete is a part of the containment system and provides significant resistance to leakage
 - Total leakage thru the hole when added to the previous leakage determined during ILRT in 2006 less than 0.10 percent per day.
 - Local leak rate test at the hole could have buckled the liner and adversely affected the integrity of the containment.
- Beaver Valley Unit 1 remained in compliance with current licensing basis with 0.69 inch equivalent diameter hole in the liner.



Staff Assessment of Leakage

ECCS NPSH

• No significant effect

Large Early Release Frequency (LERF) Assessment

- NUREG-1765 Guidelines for LERF
 - Leakage Volume: 100% of containment volume per day screening criteria
 - Hole size for Large Dry containments: 2.5-3.0 inch with unobstructive flow thru the liner/steel