

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Open Session

Docket Number: N/A

Location: Rockville, MD

Date: February 4, 2010

Work Order No.: NRC-45

Pages 1-122

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
569th MEETING
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
(ACRS)

+ + + + +
OPEN SESSION

+ + + + +

THURSDAY

FEBRUARY 4, 2010

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B1, 11545 Rockville Pike, Rockville, Maryland, at 8:30 a.m., Dr. Said Abdel-Khalik, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

SAID ABDEL-KHALIK, Chairman

J. SAM ARMIJO, Vice Chairman

JOHN W. STETKAR, Member-at-Large

GEORGE APOSTOLAKIS

SANJOY BANERJEE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

COMMITTEE MEMBERS PRESENT: (cont'd)

DENNIS C. BLEY

MARIO V. BONACA

CHARLES H. BROWN

MICHAEL CORRADINI

DANA A. POWERS

HAROLD B. RAY

MICHAEL T. RYAN

WILLIAM J. SHACK

JOHN D. SIEBER

NRC STAFF PRESENT:

HOSSEIN NOURBAKSH, Designated Federal Official

KHOI NGUYEN

JOHN RIDGELY

CHRISTINA ANTONESCU

GENE EAGLE

RICHARD STATTEL

MICHAEL TSCHILTZ

DENNIS DAMON

CINTHYA ROMAN

JONATHAN DE JESUS

REX WESCOTT

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

TABLE OF CONTENTS

	<u>PAGE</u>
1	
2	
3	4
4	--
5	
6	9
7	
8	
9	15
10	
11	
12	64
13	
14	
15	
16	122

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m.)

CHAIRMAN ABDEL-KHALIK: The meeting will now come to order.

This is the first day of the 569th meeting of the Advisory Committee on Reactor Safeguards. During today's meeting the Committee will consider the following: number 1, draft ACRS report on the NRC safety research program; 2) draft final Regulatory Guide 1.217, "Guidance for the Assessment of Beyond-Design-Basis Aircraft Impacts"; 3) draft final Revision 1 to Regulatory Guide 1.69, "Manual Initiation of Protective Actions"; 4) proposed revisions to NUREG-1520, standard review plan for review of a license application for a fuel cycle facility; 5) status of rulemaking for disposal of depleted uranium and other unique waste streams; and, finally, 6) preparation of ACRS reports.

Portions of the session related to draft final Regulatory Guide 1.217 may be closed to protect unclassified safeguards information.

The meeting is being conducted in accordance with the provisions of the Federal Advisory Act. Dr. Hossein Nourbaksh is the Designated Federal Official for the initial portion of the meeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We have received no written comments or
2 requests for time to make oral statements from members
3 of the public regarding today's sessions.

4 There will be several people from GEH on
5 the phone bridgeline to listen to the discussion
6 regarding draft final Revision 1 to Regulatory
7 Guide 1.62. To preclude interruption of the meeting,
8 the phone will be placed in a listen-in mode during
9 the presentations and Committee discussion.

10 A transcript of portions of the meeting is
11 being kept, and it is requested that the speakers use
12 one of the microphones, identify themselves, and speak
13 with sufficient clarity and volume so that they can be
14 readily heard.

15 I will begin with some items of current
16 interest. Sam Duraiswamy, who was with the ACRS for
17 more than 32 years, has retired at the end of
18 December 2009. Mr. Duraiswamy's history with the ACRS
19 is truly remarkable. Sam attended each full Committee
20 meeting since the 210th meeting held on October 6,
21 1977. That is 459 consecutive meetings.

22 During his long tenure with the ACRS, he
23 provided outstanding technical and management support
24 to the ACRS. Sam was a key factor in assuring that
25 the ACRS letter reports were of high quality,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 accurate, and could stand the test of time. He was
2 instrumental in the early reviews of numerous
3 regulatory guides and also provided outstanding
4 support for the ACRS review of standard plant designs
5 like the ABWR.

6 His dedication, hard work,
7 professionalism, attention to details, knowledge of
8 the NRC regulation and regulatory processes, and
9 exceptional technical support to the Committee, are
10 very much appreciated. We thank him for his
11 contributions and wish him the best of luck in his
12 future endeavors.

13 (Applause.)

14 Steven Alferink is on rotation to the ACRS
15 staff from Region IV. As a reactor inspector in
16 Region IV, Steven performed a variety of engineering
17 inspections with a focus on fire protection. He also
18 held temporary positions as a senior inspector and as
19 a resident inspection at the Palo Verde Nuclear
20 Generating Station. Prior to moving to Region IV,
21 Steve was a reliability and risk engineer in the
22 Office of Nuclear Regulatory Research.

23 Steve graduated with a master's degree in
24 nuclear engineering and applied mathematics from the
25 University of Missouri-Rolla. He is a Ph.D. candidate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in applied mathematics with an emphasis on statistics
2 at the Missouri University of Science and Technology.

3 Steve is completing a dissertation on prediction
4 bounds in accelerated degradation testing.

5 Kent Howard is on rotation to the ACRS
6 staff from the Office of Nuclear Reactor Regulation.
7 He has a bachelor's degree in aerospace engineering
8 from Tuskegee University. Kent has worked as a lead
9 project manager in the Division of License Renewal for
10 over three years. He has over 19 years of experience
11 working in both the public and private sectors. Prior
12 employment included Ingersoll-Rand in Augusta,
13 Georgia, as a plant supervisor; Westinghouse Savannah
14 River Company in Aiken, South Carolina, as a senior
15 engineer; and Norfolk Naval Shipyard in Portsmouth,
16 Virginia, as a nuclear engineer.

17 He also holds a master's degree in
18 administration from Central Michigan University.

19 And, finally, Avinash Jaigobind, also
20 known as A.J., recently joined the ACRS staff as a
21 support services specialist in January 2010. He
22 received his undergraduate degree in business
23 administration from the University of Maryland.

24 Prior to joining the NRC, he has worked
25 for several financial institutions in the private

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sector. He is currently working on his master's in
2 accounting and financial management at the University
3 of Maryland. A.J. will be working with Theron Brown
4 managing the conference room activities and
5 collaborating with the PNDA staff on special projects.

6 Welcome, all, to ACRS.

7 (Applause.)

8 Before we get started, I would like to
9 make a comment. We are cognizant of the weather
10 announcements forecasting a major winter storm for the
11 Washington, D.C. metro area beginning tomorrow. We
12 are monitoring this situation and recognize that we
13 might need to make adjustments to the Friday and
14 Saturday ACRS agendas consistent with the potential
15 storm impact on the operating status of NRC
16 headquarters and local transportation systems.

17 We will reach a decision regarding any
18 changes to the ACRS agenda for Friday and Saturday by
19 1:00 p.m. today.

20 The first item on the agenda is the draft
21 ACRS report on the NRC safety research program.
22 Before we get to that item, I think we are going to go
23 off the record at this time.

24 (Whereupon, the proceedings in the foregoing matter
25 went off the record at 8:37 a.m. and went

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 back on the record at 10:15 a.m.)

2 CHAIRMAN ABDEL-KHALIK: At this time, we
3 will reconvene.

4 At this time, we will consider draft
5 Regulatory Guide 1.217, Guidance for the Assessment of
6 Beyond-Design-Basis Aircraft Impacts. And Dr. Bonaca
7 will lead us through that discussion.

8 MEMBER BONACA: Thank you, Mr. Chairman.
9 I am Mario Bonaca, the Chairman of the ACRS
10 Subcommittee on Safeguards and Security.

11 Ms. Maitri Banerjee is the Designated
12 Federal Official for this part of the meeting.

13 This is an open-closed meeting under the
14 provisions of the Sunshine Act to allow a discussion
15 of sensitive unclassified and safeguards material. We
16 will go into the closed session after my opening
17 remarks.

18 Participation in the closed portion of the
19 meeting is restricted based on a list prepared by the
20 DFO. Any personnel not on that list, and who will not
21 have the proper level of clearance and the need-to-
22 know, will have to leave the room once the closed
23 portion of the meeting starts. O ask the staff to
24 verify.

25 Also, please make sure that any electronic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 devices, like the cell phones that could be used for
2 recording and transmission, be left outside this
3 conference room. This is already provided as an
4 information from the Chairman before.

5 The purpose of this meeting is to hear a
6 presentation from the staff regarding draft final
7 Regulatory Guide 1.217, "Guidance for the Assessment
8 of Beyond-Design-Basis Aircraft Impacts." This
9 regulatory guide was issued for public comments as the
10 draft guide DG-1176. This guide has been prepared to
11 provide implementation guidance for the new rule or
12 the consideration of the aircraft impact for the new
13 nuclear power reactors.

14 The Safeguards and Security Subcommittee
15 of the ACRS received a presentation from the staff and
16 the industry on this draft guide during December last
17 year. In 2007, the Committee had to review the staff
18 assessment of various new light water reactor designs
19 to aircraft attack. We were provided a copy of the
20 draft final regulatory guide before the December
21 subcommittee meeting. It was going through the NRC
22 management concurrence review at that time.

23 Hence, I ask the staff to confirm that no
24 substantive changes were made to the guide after it
25 was provided to the ACRS.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. JAIN: We confirm.

2 MEMBER BONACA: Okay. In various meetings
3 since 2003, the Committee has reviewed the staff
4 assessment of nuclear powerplant vulnerability to
5 aircraft attacks initiated after September 11, 2001,
6 terrorist strike. This included various staff studies
7 and requirements to be imposed on the operating
8 reactor related to this subject.

9 In the April 2006 letter report to the
10 Commission, the Committee recommended that the pilot
11 studies performed for existing plants be extended to
12 examine the potential for increasing the robustness of
13 the new plants for security events and for including
14 security considerations in the design certification
15 process.

16 In the April 24, 2007 SRM, the Commission
17 directed the staff to include, in Part 52, a
18 requirement for new reactor designs to perform an
19 aircraft impact assessment and incorporate measures to
20 avoid or mitigate such impact at the early stage of
21 the design process, followed by a February 17, 2009
22 SRM in which the Commission prescribed the specific
23 requirements of the rule.

24 Additionally, the Commission, in an SRM
25 dated December 17, 2008, stated that the staff will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have the ACRS review the implementation guidance for
2 the portions of the security rulemaking within the
3 Committee scope.

4 At the December subcommittee meeting, the
5 ACRS members provided some comments to the staff, and
6 I bring them up here because I think the presenters
7 should probably address them. The members felt that
8 the regulatory guide should be revised to address how
9 the uncertainties involved in the decisionmaking are
10 managed, and that the potential for shock
11 amplification in water-filled tanks should be
12 addressed in the guide.

13 Members also noted that the methodology of
14 NEI 07-13 may underestimate the shock damage
15 footprint, and the guide should note this portion, so
16 that the analyst can assess and address this
17 possibility.

18 While there is no uniqueness, and the
19 aircraft model introduces some uncertainty, it is
20 probably small compared with the other certainties
21 associated with such analysis. But the presenters may
22 want to address this issue and give your perspective.

23 As this meeting is being transcribed, I
24 request that participants in this meeting use the same
25 microphones located throughout the meeting room when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 addressing the subcommittee. Participants should
2 first identify themselves and speak with sufficient
3 clarity and volume so that they can be readily heard.

4 And I am asking Mr. Jain of NRO to begin
5 the staff presentation. And I apologize for the
6 length of this reading, but it was all necessary.

7 With that, Mr. Jain?

8 MR. JAIN: Thank you. Good morning. My
9 name is B.P. Jain. I'm with the Office of --

10 CHAIRMAN ABDEL-KHALIK: Mr. Jain, do you
11 have an open part, an open introductory remark?

12 MR. JAIN: Yes.

13 CHAIRMAN ABDEL-KHALIK: Before the meeting
14 is to be closed?

15 MR. JAIN: No. No, not really. I mean,
16 we are here to start and address the Committee's --

17 CHAIRMAN ABDEL-KHALIK: I would like to
18 get an indication as to when the meeting should be
19 closed.

20 MEMBER BONACA: I think we should close it
21 now.

22 CHAIRMAN ABDEL-KHALIK: Okay. The meeting
23 is now closed, and we should verify that everyone in
24 this room is approved to attend and has the need to
25 attend. Would the staff do that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Whereupon, at 10:21 a.m., the Committee went into
2 closed session.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

A F T E R N O O N S E S S I O N

1:30 P.M.

CHAIR ABDEL-KHALIK: We will reconvene the meeting at this time.

The item that we will look at on the agenda is Draft Final Rev. 1 to Regulatory Guide 1.62, Manual Initiation of Protective Actions and Mr. Brown will lead us through this.

MEMBER BROWN: Okay, this particular Reg Guide was discussed briefly in a subcommittee meeting and since we have some time constraints, I was going to limit the discussion of that. We had a few comments and discussions. They've addressed them and I'm not saying we agree or not. They were addressing them in their presentation and I will now turn it on over to Khoi to complete the presentation.

MR. NGUYEN: Good afternoon. My name is Khoi Nguyen, Office of Nuclear Regulatory Research. With me here today is Russ Sydnor, Office of Research, Gene Eagle from NRO and Barry Marcus from NRR.

With that, I'd like to present you proposed Revision 1 to Reg Guide 1.62, Manual Initiation of Protective Actions.

The current reg guide has not been updated since October 1973 and in the current revision it does

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reference IEEE Standard 279-1971. And the latest
2 standard endorsed by the NRC in 10 CFR 50.55a(h) is
3 IEEE Standard 603-1991. And the current reg guide
4 does not address the diverse manual initiation.

5 I will summarize the changes, the proposed
6 change in the reg guide. We would like to update the
7 reference IEEE 603-1991 in addition to IEEE 279-1971.

8 And we also want to expand the scope to incorporate
9 the guidance for diversity and defense-in-depth in
10 digital computer-based I&C systems with respect to
11 manual initiation of protective actions.

12 We want also to expand the scope to
13 provide the applicant or licensee an option to pursue
14 either safety-related or nonsafety manual initiations
15 separately or a single safety manual initiation.

16 Here are the proposed changes to the
17 regulatory position. In Position 1 we change system
18 level to division level. Same thing for Position 2.
19 In Position 3 we changed system level to division
20 level and we also incorporate information display
21 requirements from IEEE 603-1991. In Position 4 we
22 remove minimum-common-equipment guidance and D3
23 guidance is now covered under new Position 7.

24 There's no changes in Position 5.
25 Position 6, we update the reference to IEEE 603.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Position 7 is a new one and in this position we
2 incorporate diversity guidance for manual initiation
3 of protective actions. This guidance is from BTP 7-
4 19.

5 Position 8 is also a new one. In this new
6 position, we offer an optional manual initiation that
7 satisfies both requirements of IEEE 603 and guidance
8 from BTP 7-19.

9 CHAIR ABDEL-KHALIK: Could you expand on
10 the implications of the changes in Positions and 1 and
11 2 from system level to division level?

12 MR. NGUYEN: Well, in IEEE 279, the scope
13 of the IEEE cover manual initiation for protective
14 action at the system level, when IEEE replaced 279, it
15 changed system level to be division level. The
16 definition of the system level, I mean division level
17 in IEEE 603 which covers system level that satisfies
18 independent and single-failure criteria. So by saying
19 division level which includes the equipment or system
20 that satisfies criteria of single-failure and
21 independents. So it's just a broader cover of the
22 system level. And division level eventually is the
23 system level with more safety requirements in
24 independent and single-failure criteria.

25 MEMBER BROWN: Let me clarify. Let me try

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to summarize that slightly different. If you look at
2 the difference between the original reg guide and the
3 new one and then you go from the original criteria for
4 instrumentation control which IEEE 279-1971, I
5 believe, those both spoke in the words, system level,
6 if you will both of those.

7 When IEEE 603 was issued, they changed the
8 words from system level to division level throughout
9 for things that they talked about on protective
10 actions. So from 1991 until now, there's been a
11 divergence -- an inconsistency between the two -- one
12 is a requirement, 603 is, but the reg guide in its
13 guidance still used the word system. So the thrust of
14 this and the way I took it was to make the documents
15 consistent, so the new reg guide brought all the words
16 system, changed them to division to be consistent with
17 IEEE 603.

18 The other thing you started talking about,
19 this independence and things like that, those are
20 covered in other words, but the fundamentals were to
21 make the two documents consistent. And there was
22 considerable discussion on this issue of system versus
23 division level, but that is a comment that they
24 address later, but I wanted to cover that just from
25 that aspect before we went any further.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 VICE CHAIR ARMIJO: Charlie, the hierarchy
2 is division level, it's a higher --

3 MEMBER BROWN: No, the system --

4 VICE CHAIR ARMIJO: -- is broader than
5 division --

6 MEMBER BROWN: Well, that's going to be
7 part of the discussion later.

8 VICE CHAIR ARMIJO: Okay, I'll wait.

9 MEMBER BROWN: System was more broadly
10 interpreted in the past, in the past, as the overall
11 system. For instance, I'll just phrase this in my
12 thought process. If you have four divisions, that's
13 all part of an overall protective system.

14 VICE CHAIR ARMIJO: That's what I thought.
15 Sounds like it's changing.

16 MEMBER BROWN: Well, IEEE 603, if you want
17 to do manual actions, you should perform those at the
18 division level, in other words, if you want to trigger
19 protective actions manually. Forget the reasons for
20 it, but just trigger it. You did it at the division
21 level.

22 If you went back and used the older words,
23 previously, you could have said well, we can do
24 something which initiates all four trains as long as -
25 - because you still have the other independence issue

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in single-failure criteria that you had to meet. So
2 you can't get away with just one switch and one
3 contact to initiate all four divisions. You had to
4 cover all the other requirements of IEEE 279 which
5 you've got to have independent single failure.

6 So I would like to save this discussion on
7 system versus division until we get to that point and
8 take care of any other questions on the base changes
9 in the positions, if we could.

10 MR. NGUYEN: Thank you, Charlie. Any
11 other questions on this subject?

12 MEMBER BROWN: I would make one other
13 observation, if I can. The minimum common equipment
14 was taken out of -- that's Position 4. If you look at
15 the old reg guide, it said when you initiated manual
16 action you had to utilize, correct me if I phrase this
17 -- the minimum amount of common equipment. That has
18 really been kind of subsumed into the new position
19 under this defense-in-depth diversity and it works
20 from that standpoint.

21 One of my concerns is we lost the thought
22 process of minimum stuff, because if you look at where
23 is the digital I&C actuation, you have to go past the
24 software, where is that embodied? I forgot right now.
25 I don't want to go look it up. It says if -- in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 digital systems --

2 MR. NGUYEN: Downstream of the --

3 MEMBER BROWN: If you're going to initiate
4 digital systems manually, you have to do it downstream
5 of the software. Bypass that which says oh, okay,
6 that is certainly minimizing common equipment. So
7 there's other guidance that effectively accomplish the
8 minimum common equipment aspect.

9 MR. NGUYEN: We took -- considered options
10 before we decided to remove Position 4. We did a
11 search and we couldn't find any design basis to make
12 this regulatory position, but we thought that at the
13 time this somehow provides from the defense-in-depth
14 guidance for digital equipment, but now the defense-
15 in-depth guidance are being covered both analog and
16 digital equipment now are covered under new Position
17 7. So we think that's common sense to remove Position
18 4 and put it into the new position to cover both
19 analog and digital equipment.

20 Any other questions?

21 MEMBER BROWN: Let me make one other
22 point. If you read Position 5 which they say there
23 were no changes, that has an interesting set of words
24 in it because it says, manual initiation should depend
25 on the operation of a minimum amount, not minimum

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 common, but minimum amount equipment. And that has
2 not changed. So in other words, it's making it as
3 simple as possible to perform the manual operations.
4 So that part hasn't changed. So when they say no
5 changes, that's literally what that means.

6 The rest of them were roughly -- this was
7 a fairly straight-forward change to a reg guide with
8 two exceptions. One was the system-to-division issue.

9 Three exceptions, let me change that. The second was
10 the two new positions which were really trying to pick
11 up Branch Technical Position 7-19 and reflected in the
12 reg guide relative to manual actuations and diversity
13 and defense-in-depth.

14 The last one on the Position 8 was to give
15 them the -- if you go through the reg guide in detail,
16 it will talk about safety and nonsafety-related
17 equipment. Both of them can be part of the manual
18 actuation sequence and so you could perform the manual
19 actuations by either initiating the safety systems as
20 one set of initiations and the nonsafety systems,
21 safety-related systems as a second set. Or they
22 introduce the thought process you could do it one set
23 of actuations that covered both as long as you met all
24 the safety system requirements independent, single-
25 failure, etcetera, etcetera. And there was a bit of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 discussion on that, but that one kind of washed out.

2 The two areas where we had -- the one
3 other, the third item that was new, which is an area
4 we discussed on that. We had considerable discussion
5 on was and it's on the consistency of the reg guide on
6 manual operations relative to the guidance we provided
7 in ISG 5, Section 3, relative to time available and
8 time required for manual operator actions. They
9 introduced that concept in the version of the reg
10 guide that we reviewed during the subcommittee
11 meeting. That was the November version, November
12 2009.

13 As we talked about that, the other words
14 that they had that they introduced in that paragraph
15 and I wish I had it on the screen because it would be
16 easier for me to show you, were protective actions can
17 be initiated automatically or in certain cases can be
18 accomplished solely, key word, S-O-L-E-Y, if I can
19 find my place again, solely by manual controls. In
20 other words, you may have circumstances which require
21 either reactive protective or safeguards actuations
22 where you don't have an automatic means in place to do
23 it. It can be accomplished by manual means.

24 They then went on to say that that was
25 then okay, as long as you met considerations of time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 available, plant conditions were defined within which
2 the boundaries, within which you could do that, range
3 of conditions over which they're expected to effect
4 and you had adequate displays to tell the operators
5 what to do.

6 Those last three items, not the time-
7 available, time-required issues, were also encompassed
8 in IEEE 603, Section 4.5.2, I believe. It's in that
9 section anyway. The thing that's not covered in IEEE
10 603 is the time-available, time-required point. And
11 so the differences here are kind of small. They sound
12 small in words, but if you go back and look at IEEE
13 279, the first successor to 603, doesn't talk about
14 manual actions solely for taking care of protective
15 actions. IEEE 603 actually says in the words or
16 implies, if you read the words, if you take them, then
17 here are some conditions you meet, but it doesn't
18 cover the time-required points. So we went back and
19 forth on that issue.

20 One of the comments was to have the staff
21 go back and look at that again and determine whether
22 any clarifications were required to the reg guide to
23 make it consistent with ISG 3 and 4. That's what
24 Comment 1 is all about and the one he was about to
25 address. So that's a little background on that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comment, if that helps.

2 Do you want to go on?

3 MR. NGUYEN: Yes, thank you. What Charlie
4 just said, we went back to review the scope of the reg
5 guide review IEEE 603 and ISG 5, ISG 2, and we had
6 concluded the scope of this reg guide, the purpose of
7 this reg guide provide these guidance and installation
8 guidance for manual initiation of protective actions.

9 We should not include operating guidance like HFE or
10 any other methods, guidance in there.

11 So any timed response which we, the staff,
12 believe that belongs to HFE guidance should be removed
13 from this reg guide. So as a result of that
14 conclusion, we would like to remove the whole
15 paragraph that contains the time response agreement in
16 there from the reg guide.

17 And the question that you may have and so
18 now time response will be addressed somewhere else and
19 that would be in ISG 5, until Appendix A of Chapter 18
20 of the SRP approved. Right now it's out for comments,
21 but until it's approved, it will cover the time
22 response with --

23 MEMBER SHACK: You're not going to just
24 remove the 30 minutes, you're going to remove the
25 whole consideration of time, that whole bullet 1 that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lists 1, 2, 3, 4?

2 MR. NGUYEN: Yes, that whole paragraph
3 out. That's talking about time response and time
4 available which we believe that belongs to operating
5 and not design, the hardware design.

6 VICE CHAIR ARMIJO: If the system is
7 designed so that you can do these manual actions,
8 there's an expectation that you'll be given credit for
9 it for being able to do it kind of independent of the
10 time required time. I mean why would you put
11 equipment in if you don't have enough time to --

12 MEMBER BLEY: It feels like this lets us
13 approve a design that can't be realized operationally.
14 I mean --

15 MEMBER SHACK: Remember, too, you asked
16 them to make feasible and reliable manual actions when
17 they were substituting.

18 VICE CHAIR ARMIJO: Yes.

19 MEMBER BLEY: That would be better. You
20 say you have to send it to the human factors people to
21 --

22 MR. NGUYEN: 603 has the statement that
23 manual initiation must be provided in a timely manner
24 and that's --

25 MEMBER SHACK: You've got the minimum of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 equipment sort of thing, but I mean I would go for a
2 stronger statement that it should be feasible and
3 reliable, if it's going to be credited solely.

4 MEMBER BROWN: We took that out.

5 MEMBER SHACK: I know.

6 MEMBER BROWN: The whole issue of
7 crediting it --

8 MEMBER SHACK: Well, but then you have to
9 have a minimum amount of equipment, five or six, which
10 is sort of getting back to that the reason we want to
11 do that is to make sure that you can do it. So you
12 haven't gotten rid of all of the HFE considerations.
13 I don't know.

14 MR. NGUYEN: Well, to keep the --

15 MEMBER SHACK: I can see it being 30
16 minutes.

17 MR. NGUYEN: To keep the manual initiation
18 --

19 MEMBER BROWN: Thirty minutes is not in
20 here. Thirty minutes was not in here at any point.
21 It only talked about --

22 MEMBER SHACK: It was in the draft reg
23 guide. If you go through all the public comments,
24 there was a great pushback on that just like there was
25 on ISG 2, I guess it was, where that was initially

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 introduced. And then it was taken out in ISG 5,
2 Section 3. I guess the issue I had was once I saw the
3 solely, the solely was kind of a key point of interest
4 to me and so I went back and looked at 279, 603. I
5 went back and looked at the ISG 5, Section 3. And
6 there's no reference in there to solely. It's just if
7 you're going to use manual actions, here's how you do
8 the analyses. Here's how you come up with the --

9 MEMBER STETKAR: The ISG was developed
10 pretty much for DAS stuff.

11 MEMBER BROWN: Exactly.

12 MEMBER STETKAR: You know. It wasn't
13 anticipating a pure manual initiation of all
14 protection functions.

15 MEMBER BROWN: But if you read, if you go
16 look at 603, it says the following minimum criteria
17 for each action identified for which you have to
18 perform a protective action whose operation may be
19 controlled by manual means initially or subsequent to
20 initiation says the justification for permitting
21 initiation or control subsequent to initiation solely
22 by manual means must be justified, whether you
23 initiate or whether you're going to -- so that says
24 you can do it solely. But yet, if you go through all
25 the rest of the documents --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER STETKAR: It also says it has to be
2 justified.

3 MEMBER BROWN: It has to be justified, but
4 it doesn't -- there's no clue as to criteria other
5 than you've got to have displays and/or alarms, and
6 you have to controls and you have to have the guy not
7 dying in an environment where he can't breathe or
8 something like that. So when I was looking at this,
9 my thought process was do we really want to eliminate
10 the concept of manual controls solely since this is a
11 manual initiation reg guide and no place else do you
12 really talk about all the considerations including the
13 time available, time required, other than in the
14 standard review.

15 ISG, by the way, is encompassed in this
16 Appendix A now in the SRP. So once the SRP gets
17 revised, it will be brought to the Committee, by the
18 way. We will review that before. I read them both
19 side by side and I don't think they changed more than
20 15 words in the whole thing. It's pretty much --
21 unless they get public comment on it. But that's --
22 the idea is that where you put something --

23 MEMBER STETKAR: Yes, I guess the basic
24 question is is the purpose of this reg guide to
25 provide guidance on the design and installation of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hardware that's used for manual initiation of
2 equipment regardless of the context under which that
3 hardware would be used in terms of human factors. If
4 that's the case, then that's fine. If it's guidance
5 on how to implement manual initiation of functions,
6 then the guidance on human factors belongs in there.
7 So if the reg guide is simply limited to guidance on
8 hardware design, then it's incumbent on the people who
9 proposed that design to justify that it can be used.

10 MEMBER SIEBER: The difficulty is the
11 design, to some extent, is dependent on the human
12 factors aspect of it.

13 MEMBER STETKAR: Sure, but on the other
14 hand, you know, that's the basic question is that the
15 fundamental scope of this --

16 MEMBER SIEBER: You may up-scope design
17 because the human factors part of the manual actuation
18 does not meet the criteria. And if you don't know
19 that here, where do you know it?

20 MEMBER STETKAR: Okay.

21 MEMBER SIEBER: You end up winding through
22 a bunch of other regulations. I would prefer to see
23 it here.

24 VICE CHAIR ARMIJO: It seems to me that
25 makes sense. It isn't just a piece of the puzzle

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 here.

2 MEMBER BLEY: And the way it encourages
3 the old way of giving the operator something and
4 telling him to figure out how to deal with it.

5 MEMBER STETKAR: Without including it in
6 here.

7 MEMBER BLEY: That's right. And fighting
8 for a long time.

9 MEMBER BROWN: that was the point I wanted
10 to make sure we discussed. The points 2, 3, and 4 in
11 here are really kind of restatements in a way of IEEE
12 603.1, was an abbreviated version. That has to be
13 fixed a little bit if we're going to go down that
14 path, because it talks about time available in the
15 wrong context as opposed to the way we had it defined
16 in ISG 5, Section 3 or the SRP. That's the point that
17 we need to come across.

18 MEMBER STETKAR: I couldn't attend the
19 subcommittee meeting, but was the sense of the
20 discussion at the subcommittee meeting that the reg
21 guide should retain that information, but it needed
22 clarification? The response was well, instead of
23 providing clarification, we'll just remove it.

24 MEMBER BLEY: My expectation was when you
25 guys went back to reconsider it, and integrate it, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 make it consistent --

2 MEMBER STETKAR: Rather than just taking
3 it out.

4 MEMBER BLEY: That was my expectation, but
5 --

6 MEMBER BROWN: That was my expectation as
7 well.

8 MEMBER SIEBER: And mine. But the staff -
9 -

10 MEMBER BROWN: I'm sorry, go ahead.

11 MEMBER SIEBER: Yes, the staff typically
12 does not like to put the same requirement in two
13 different documents because if you revise one,
14 automatically you've got a --

15 MEMBER BROWN: The way -- I'm not saying -
16 - the only way to me -- I agree. Probably, I agree.
17 You don't want to have detailed, detailed requirements
18 specified in multiple documents. It just gets too
19 hard to manage.

20 MEMBER SIEBER: Right.

21 MEMBER BROWN: But when they put this in,
22 is relative to saying hey, we've got two criteria for
23 time, time required and time available. Time required
24 for the operator to take actions and time available
25 for -- I might even have it reversed now. I have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 go back and read the words. The analysis that says
2 how much time you have as opposed, and the evaluation
3 of the human factors part just says you have to have
4 those two factors evaluated. It doesn't give you a
5 limit. It doesn't say what's 30 minutes or five
6 minutes, no criteria. That would be done via the SRP.

7 VICE CHAIR ARMIJO: And they point to the
8 SRP.

9 MEMBER BROWN: Well, we talked about that
10 -- thank you. One of the comments was should we
11 reference the document, whether it be SRP, Chapter 18,
12 Appendix A. At that point, we talked about it, but we
13 didn't resolve that either. It was, in other words,
14 that was the point of that right there. Part of the
15 comment that we made was it was left out of that when
16 we wrote it down and it's in the transcript, should it
17 be referenced.

18 MR. NGUYEN: I remember during the
19 subcommittee meeting there was a question that if the
20 industry was aware of any of this information out
21 there to see -- are they aware of the SRP, cover the
22 response time and I think we answered yes, the SRP --
23 we expect the industry to look at the SRP during their
24 design phase. And they're aware of what we expect
25 from the industry so -- by -- to go back to your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 solely, key word, solely, we discussed about this and
2 we said we don't want to duplicate what the ISG and
3 SRP cover for HFE equipment because in the ISG, after
4 -- if we -- after the evaluation or analysis, if we
5 decided that manual initiation is the only way to go
6 or acceptable and this needs to be followed, and go
7 back to the reg guide, we use solely manual
8 initiation, something similar to ISG that covers the
9 time response requirements and all the criteria.

10 So removing the time respond discussion
11 from the reg guide is not like we don't cover anywhere
12 else. We have the ISG and SRP covered. That's the
13 thought process that led us to decide to remove it
14 from the reg guide.

15 MEMBER BROWN: Well, yes, except the ties
16 are spread out.

17 Go ahead, John.

18 MEMBER STETKAR: But I was just going to
19 say, I'm just trying to think of new plant designers
20 who are coming in with diverse actuation systems.
21 We've had this discussion with a couple of the new
22 plant reviews and some of the comments that have been
23 made this afternoon kind of relate to that because
24 they well, okay, we're going to put in this manual
25 switch and we should be given credit for that because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we think we have enough time. But they've designed
2 the switch in, according to all of the hardware design
3 criteria and things like that and then they're trying
4 to later justify why that design is okay based on
5 other things outside of that hardware context.

6 Putting some warning or caution or
7 something in the reg guide to say that before you can
8 acceptably implement a particular design, you need to
9 make sure that it can be justified from these other
10 criteria, seems to make sense.

11 MEMBER SHACK: I like the paragraph they
12 have in the red line strike out version with the 30
13 minutes gone.

14 MEMBER BROWN: Item 1 has to be fixed.
15 That's not exactly --

16 VICE CHAIR ARMIJO: How does it read?

17 MEMBER BROWN: We need to fix the first
18 item.

19 MEMBER STETKAR: How in the interim
20 doesn't make any difference, it's whatever they have
21 today.

22 MR. NGUYEN: So your recommendation is to
23 retain that paragraph?

24 MEMBER BROWN: Well, right now, we're
25 discussing it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: We don't have a conclusion.

2 MEMBER BROWN: But the idea is to retain
3 the paragraph and then fix up Item 1 just a little bit
4 to include both the time available/time required in
5 their proper context as they're reflected in the SRP.

6 Or another option would be in Item 1 to say one of
7 the considerations is a human factors response as
8 articulated in the SRP Chapter 18, Appendix A,
9 something like that.

10 VICE CHAIR ARMIJO: Then you will have it.

11 MEMBER BROWN: And that captures -- it
12 covers both the diverse, because we've got the BTP
13 stuff in there and it covers the solely, when you're
14 doing it as a primary mode of protection as opposed to
15 a backup.

16 MEMBER STETKAR: And it points a designer
17 and a reviewer to a place to go to think about those
18 considerations.

19 MR. NGUYEN: To your suggestion to
20 reference SRP --

21 MEMBER BROWN: It is not approved yet.

22 MR. NGUYEN: Yes, it's not approved, so
23 it's hard for me to reference something.

24 MEMBER BROWN: I don't know how we do
25 that. ISG 5, Section 3 is out.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. NGUYEN: Right.

2 MEMBER BROWN: But you don't want to
3 reference something that's an interim guide either.
4 That's why that was part of the thought process of
5 just taking the time available, time required
6 definition is the way we had them in our letter from
7 back last year and put them in in place of Item 1 to
8 make it clear.

9 Go ahead.

10 MR. RIDGELY: John Ridgely from the Office
11 of Research, Regulatory Guide Development Branch.

12 As a matter of process, the way we look at
13 it is that you have the regulations. Then under that
14 you have the regulatory guides which provide guidance
15 on how to meet the regulations. And then there's a
16 Standard Review Plan which tells the staff how to
17 review the application. And as a matter of course, we
18 don't want to reference down. We don't want to
19 reference the reg guide down --

20 MEMBER BROWN: Good point. Okay. I got
21 that. That further strengthens the thought process of
22 putting the time available, time required --

23 MEMBER STETKAR: At least some notion of
24 that.

25 MEMBER BROWN: That's what you want to go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 look for.

2 VICE CHAIR ARMIJO: That is part of your
3 design process.

4 MS. ANTONESCU: That's what the staff
5 referenced.

6 MEMBER BROWN: Pardon?

7 MS. ANTONESCU: That's what the staff
8 referenced under Comment 1. They referenced Appendix
9 A of Chapter 18.

10 MEMBER BROWN: Oh, yes. But that was just
11 for explanation for us that it's covered somewhere.
12 They're not referencing it. They weren't proposing to
13 reference it. They were deleted totally.

14 Are there any other questions on this
15 particular item? Dennis, Mike? Okay.

16 The other -- go on to your next one.

17 MR. EAGLE: Mr. Brown?

18 MEMBER BROWN: Go ahead, I'm sorry.

19 MR. EAGLE: Gene Eagle, I&C. Mr. Stetkar,
20 I think you had a really good point. This reg.
21 guidance is aimed a lot at man-machine interface. It
22 does point a lot toward instrumentation and the actual
23 equipment that's going to be done and more than any
24 kind of details as far as the human factors part of
25 it. So I think you had a really good point about that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in here.

2 MEMBER STETKAR: That's part of it, but I
3 think as Dennis mentioned, we've lived in a world
4 where the hardware designers design things according
5 to the hardware rules and then later hope that the
6 people who write procedures and train operators make
7 them perfect to use that hardware. And we're trying
8 to get away from that a bit, so that if there isn't
9 referenceable guidance in terms of an existing reg
10 guide or a rule, something that's higher or parallel
11 that can be used to point people towards some guidance
12 for the integrated human hardware stuff, it seems like
13 at least this reg guide should somehow point to that.

14 Perhaps not give the detailed guidance about how to
15 do the human factors analysis, you know, but at least
16 point to the fact that one ought not to --

17 MEMBER SHACK: Not all manual actions are
18 not created equal.

19 MEMBER STETKAR: All manual actions are
20 not created equal. You have to satisfy certain
21 hardware criteria, but don't even go think about
22 trying to satisfy those criteria until you can justify
23 that you can actually use said hardware.

24 MEMBER BROWN: Any other? Okay. Go ahead
25 to your next one, I'm sorry, I lost the bubble there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. NGUYEN: The next comment by the ACRS
2 subcommittee member was could there be manual actions
3 for systems classified as regulatory treatment for
4 nonsafety systems, RTNSS, in the new passive reactor
5 designs. The second question was does any guidance
6 exist to help people deal with RTNSS?

7 To answer the first comment, we reviewed
8 Reg guide 1.206 and there's a statement in there
9 saying systems classified as RTNSS may be required
10 after 72 hours of an initiating event and may have
11 automatic as well as manual controls. However, the
12 revision of Reg guide 1.62 applies to manual
13 initiation of protective actions, which are required
14 within 72 hours of an initiating event. So RTNSS will
15 not be part of the reg guide scope, but that's another
16 question of the Committee members.

17 MEMBER BROWN: Dennis asked this question
18 on the RTNSS. I had it, he just beat me to it.

19 MR. NGUYEN: Right, and you said that, but
20 RTNSS has any manual action requirement, depends on
21 the design of the particular passive reactors, but we
22 think the manual and automatic controls are associated
23 with RTNSS, but it is not part of this reg guide.

24 Another question you ask is there any
25 guidance out there to help the industry deal with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 RTNSS. The answer is yes. Reg guide 1.62 --

2 MEMBER BLEY: Yes, I don't know. I have
3 to look at that. I don't recall if that says anything
4 about human actions. I have to go look again.

5 MR. NGUYEN: I think that's Part 4 of the
6 reg guide. That's called RTNSS and you do the --
7 there's a processor to analyze all the active systems
8 to decide it is going to the RTNSS criteria and you
9 have to follow some of the guidance.

10 MR. EAGLE: The DCD also has very strong
11 RTNSS, answering the RTNSS, going through and making
12 an analysis of five criteria on RTNSS systems, and
13 then the COLs can follow that if they accept it by
14 IBR.

15 MEMBER STETKAR: That's to identify what's
16 in RTNSS. I think our concern is what do you do after
17 you have that list and how do the reg guides and
18 review criteria address that list. There's guidance
19 on how to create that list, but we're looking at a reg
20 guide now that's going to be released in 2010 and
21 applied, maybe for another 30 years. So it's a
22 question of should this reg guide items that are in
23 that RTNSS list or is there other equivalent guidance
24 available to address the stuff that's on that list.

25 MR. NGUYEN: So right now, Reg guide 1.62

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is, I believe, the only reg guide that provides RTNSS
2 guidance.

3 MEMBER BROWN: Did it use the word RTNSS
4 in there? I've got a section called an I&C section,
5 1.206.

6 MR. NGUYEN: 1.206 --

7 MEMBER BROWN: CI 7.7 says control systems
8 not required for safety. I have no idea what that
9 means.

10 MEMBER BLEY: I don't know, it's been a
11 while.

12 MEMBER SHACK: I has Chapter 12.

13 MEMBER BROWN: That's all I've got on it.

14 MR. NGUYEN: Did you go to Tab 4 of that
15 reg guide?

16 MEMBER BROWN: I don't know. Chapter 12?

17 MR. NGUYEN: I have a copy here.

18 MEMBER BROWN: I don't have that. All
19 I've got is Section 7.

20 MR. NGUYEN: C49.

21 (Off the record comments.)

22 MEMBER STETKAR: We can look at that
23 later. It's just that right now the staff is saying
24 that the scope of this reg guide only covers --

25 MR. NGUYEN: Manual initiation --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER STETKAR: Equipment for a new plant
2 would be considered safety related.

3 MEMBER BROWN: Safety related. And it
4 says that in the lead-in. Any more on that one?

5 MR. NGUYEN: Okay, this one is the wording
6 comments and is resolved with the member who had the
7 concern of the wording. I don't know if you want me to
8 cover this?

9 MEMBER STETKAR: You said you were going
10 to fix the wordsmithing that was suggested, so --

11 MR. NGUYEN: Right, but after consulting
12 the Reg guide Branch, we have to get clarification on
13 that statement. That's not the intent of the
14 statement to change the word or to -- we will retain
15 that statement in the reg guide.

16 MEMBER BROWN: I just lost you.

17 MR. NGUYEN: We have John Ridgely here,
18 we'll ask him more clearly to --

19 MR. RIDGELY: John Ridgely again, the
20 wording there is meant to be -- it's approve by OGC
21 for one thing, and so we have to go back to them to
22 get it changed. This is intended to allow people to
23 use what's in the guide, propose something different
24 or use something else that's already been accepted.
25 And so the wording here, maybe the confusing part is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the fact that you're equating proposed and used, when
2 it should be proposed versus use a previously
3 established accepted --

4 MEMBER BROWN: The exact words that were
5 referred to is under implementation. It says in some
6 cases applicants or licensees may propose or use a
7 previously established acceptable alternative method.

8 MEMBER BLEY: This fixed it.

9 VICE CHAIR ARMIJO: This fixed it, yes, I
10 see what they're saying.

11 MEMBER BLEY: Propose an alternative or
12 use previously.

13 MEMBER BROWN: Okay, I am happy with that.
14 I heard you say that we couldn't change it because it
15 was mandated by somebody else.

16 MR. RIDGELY: No, I'm just saying the
17 words came from OGC, so they'll have to go back there
18 to be approved again.

19 MEMBER BROWN: Before you do anything,
20 you've got to get their concurrence with this.
21 And this generic language goes in all the regulations.

22 MEMBER POWERS: This is very generic.

23 MEMBER BROWN: Okay.

24 MR. NGUYEN: Do you have any questions on
25 this?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: Okay, read to go to 4?

2 MR. NGUYEN: On the second part of this is
3 public comments and resolution. One of the public
4 comments was to suggest revision of Rev. 1 to include
5 the statement that allow manual initiation as a system
6 level that meets single failure criteria and
7 independence requirement.

8 We went back to review, take a look at the
9 reg guide and we found a statement in the reg guide
10 which also integrates the IEEE 603 Division definition
11 Division definition in both IEEE and the Revision 1 of
12 the reg guide, it says division as the designation
13 applied to a given system or set of components that
14 enables the establishment and maintenance of physical,
15 electrical and functional independence from other
16 redundant sets of components. So by saying this, we
17 already have a system that satisfies independence and
18 single failure criteria, so we don't need to revise
19 the reg guide to include the statement as the industry
20 suggested.

21 CHAIR ABDEL-KHALIK: If you are to insert
22 the word system there --

23 MR. NGUYEN: I highlight it for you to
24 see. That is right now currently in the proposed Rev.
25 1 Reg guide. It's already in there. And this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 statement, we took it out from IEEE 603. We didn't
2 make it up.

3 VICE CHAIR ARMIJO: I guess I'm confused.

4 MEMBER BROWN: Let me walk you through.
5 If you go back to IEEE 279 which says system, the
6 first Reg guide 1.62, both have the word system in
7 them. 603 changed system to division. It actually
8 defined a division as these words in IEEE 603.

9 VICE CHAIR ARMIJO: So division is a
10 hierarchy?

11 MEMBER BROWN: No. Division is still a
12 part of the system. Okay? Let me finish the whole --
13 this is a shaggy-dog story.

14 So for years, you had this inconsistency
15 between the manual initiation actuation reg guide and
16 IEEE 603. The industry, as part of their comments,
17 suggested, said hey look, this gives us -- they pushed
18 back on this. The reason they did that was because
19 their thought process on how you do division and how
20 you do system stuff, you've got to need single-failure
21 independence anyway and it gave them more flexibility
22 in the design. So the inconsistency helped them. So
23 they could play both ends against the middle.

24 Now we come along and we change the reg
25 guide to say division and they say ooh, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 constrains us. Now we have only one way. Now we have
2 to argue whether we're complying with the rules when -
3 - since IEEE 603 is actuated at the rules, but they
4 had another guidance that said you could, if we wanted
5 to do something at a higher level. But met all the
6 other requirements of 603.

7 So after 40 pages of discussion in the
8 transcript, their final thing was really, they wanted
9 to have the words system-level actuation included in
10 the Reg guide 1.62.

11 And the staff did not accept that comment
12 during their preparation of the last revision, after
13 they received all the public comments. So what we
14 asked them to do was go back instead of trying to
15 resolve it in the subcommittee meeting, correct me if
16 I'm wrong, Dennis, was to go evaluate that again and
17 when they came back and they said well, just a minute,
18 we've incorporated already the words out of IEEE 603
19 which define a division and the definition of division
20 -- and Terry Jackson made this statement I think in
21 the transcript -- really covers the broader allowance
22 to use systems.

23 When I looked at the words down here which
24 says which define functional independence from other
25 redundant sets, that doesn't compute very well. I've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 now said a division is equal to a system.

2 MEMBER STETKAR: Let me ask the staff who
3 wrote the reg guide a simple question. Suppose I have
4 a high-pressure injection system in my plant. It
5 consists of four trains of equipment. Each train of
6 equipment is actuated from a separate division of
7 electrical power and automatic signal logic.

8 Does the reg guide allow me to manually
9 start all four trains of that high-pressure injection
10 system via a single switch? Yes or no?

11 MR. EAGLE: That would be one
12 interpretation --

13 MEMBER STETKAR: Does it? Does the reg
14 guide allow me to start all four trains of that system
15 via a single switch? That's a yes or no question.

16 MR. EAGLE: It would still have to meet,
17 as long as it met all the other criteria, the
18 independence --

19 VICE CHAIR ARMIJO: It couldn't be
20 redundant.

21 MR. EAGLE: Probably just a switch could
22 do that and meet the other criteria.

23 MEMBER BROWN: If you have a multi-deck
24 switch.

25 MEMBER STETKAR: You have a multi-deck

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 switch with four trains on it.

2 MEMBER BROWN: Or a mechanical shaft,
3 okay, but a multi-deck switch which is commonly used
4 to do

5 -- maintain independence under many circumstances,
6 this going to division, their argument would be that
7 you have now prohibited them from a simple quick --
8 I'm just saying that's what they are --

9 MEMBER STETKAR: I want them to answer yes
10 or no.

11 VICE CHAIR ARMIJO: Plead the Fifth.

12 MEMBER STETKAR: I am not going to design
13 that switch. They have to meet all the design
14 criteria. I am not going to design the switch. I'm
15 just asking does the reg guide allow me to initiate
16 that system with a single switch? I'm an operator. I
17 walk up to the board and manipulate a single button,
18 turn handle, something or other and all four divisions
19 start.

20 MR. EAGLE: I think, if you say operate at
21 the system level, then it's permitted. If you change
22 it to division level, then you may need something more
23 than that. But you still have to -- as long as you're
24 meeting the independence and other criteria, the old
25 plants you may have cases where you do have something

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 very similar to that.

2 MR. NGUYEN: Well --

3 MEMBER STETKAR: I didn't say an old plant
4 or a new plant. I have a four-train system with four
5 pumps in it, four divisions of electric power.

6 MR. NGUYEN: Are they independent to each
7 other?

8 MEMBER STETKAR: Yes, they are.

9 MR. NGUYEN: Okay.

10 MEMBER STETKAR: The electric power
11 supplies are independent.

12 MR. NGUYEN: Redundant.

13 MEMBER STETKAR: They're redundant. Any
14 one of the four pumps can save the day. They have
15 four independent divisions of displays to the
16 operator, except that I'm the operator and I want
17 instead of pushing a button in train one and another
18 button in train two and a third button in train three
19 and a fourth button in train four, to get all four of
20 those pumps running, does the reg guide allow me to
21 push one button?

22 MR. NGUYEN: I believe the answer is yes,
23 if it meet the independence and single-failure
24 criteria. If it meets those requirements and --

25 MEMBER STETKAR: And perhaps I have two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 buttons, that both initiate all four trains, so I can
2 meet a single failure of the mechanical shaft. But as
3 I said, I'm not going to design these buttons.

4 MEMBER SHACK: But as I read this, the
5 division has to have -- there has to be something else
6 that's got redundant components.

7 MEMBER STETKAR: That's right. That's why
8 this -- the highlighted word in there only confuses
9 the situation, because I interpret this as you can't
10 do that. I would have interpreted that and I think
11 the industry interpreted that that you can't do that.

12 That's why I'm asking what the intent was, what the
13 intent is.

14 CHAIR ABDEL-KHALIK: If the intent is to
15 allow them to do that, why not explicitly state it?
16 Why bury it in a definition?

17 MEMBER STETKAR: See, they spent a lot of
18 time going to the division level and the intent of the
19 division is that I must have four push buttons in my
20 example.

21 CHAIR ABDEL-KHALIK: But you can if the
22 intent is to allow them to do it on a system level
23 with a single push button, just state it explicitly.

24 MEMBER BROWN: In the meeting --

25 CHAIR ABDEL-KHALIK: -- provided that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 meet the constraints that you specified.

2 MR. NGUYEN: the problem is that
3 throughout the IEEE 603, this use of division level as
4 the requirement and it's in the rules and --

5 MEMBER STETKAR: See, the common
6 interpretation of the word division level would be
7 four push buttons and everybody understands that.
8 What I'm hearing you say is no, no, because of that
9 highlighted word in this sentence here, we really mean
10 it's at the system level. So that's why I'm trying to
11 understand what you really mean and how that's
12 consistent with the IEEE standard.

13 MR. NGUYEN: Well, the highlighted system
14 word in here is not -- we don't want to tell you that
15 division level is a system level. We're not trying to
16 compare that. But --

17 VICE CHAIR ARMIJO: That's what your
18 definition says. I'm confused because there's
19 apparently more than one definition of system. Maybe
20 system with a capital S and system with a small S. I
21 don't know.

22 MR. NGUYEN: The standard defines the
23 division given to a set of components, a few
24 components or a system. It doesn't have to be the
25 whole system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 VICE CHAIR ARMIJO: Subsystem, I could
2 understand that.

3 MR. NGUYEN: Right, that satisfies
4 independent and single failure criteria.

5 MR. EAGLE: Charlie Brown has pointed out
6 here quite well is when they had the word system in
7 there, it was left to an interpretation on both sides.

8 If you put division in here, now you're getting to
9 the point of looking at four switches.

10 MEMBER STETKAR: That's right.

11 MR. EAGLE: Or something --

12 MEMBER BROWN: Industry's position or
13 comments were that this increased the number of
14 actions potentially in order to initiate critical
15 protective or safeguards functions when you may not
16 have -- if you think about it, how hard is it to turn
17 four switches? It depends on far separated those
18 switches are and where they are located on the panels,
19 whether he sucked in his last breath before he hits
20 the last button, what else is going on.

21 MEMBER BLEY: What else is going on.

22 MEMBER BROWN: He thinks he hit all four,
23 but he didn't. And so their idea was if you could
24 allow as part of the reg guide the thought that this
25 is what IEEE says, whatever is in there, all those are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there, but we would accept for manual operation
2 something that meets the switch level if it meets
3 failure, single failure and independence criteria.
4 That's what their question was to us when we left. So
5 we threw the dog onto the bus and shipped it off to
6 the staff to evaluate this. But we're going to have
7 to resolve this at some point.

8 MEMBER STETKAR: Certainly, if the actual
9 intent of the reg guide is to allow that single
10 button, we'll call it that, or I'll give you two
11 buttons to take care of the mechanical failure of the
12 shaft or whatever, but with appropriate separation of
13 the contacts and things like that, but to allow, in
14 principle, a single button to start all four trains,
15 it seems that at least the explanatory material and
16 the definition in the reg guide needs to be clarified
17 so that designs know that that's something that is
18 acceptable, because a simple reference to the --

19 MEMBER BLEY: And reviewers.

20 MEMBER STETKAR: And reviewers -- well,
21 yes.

22 MEMBER BROWN: The staff actually made the
23 comment in response to the industry's discussion on
24 that issue stating that yes, system level actuation
25 that meets those requirements would be acceptable.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: All John is saying is I
2 can't get that --

3 MEMBER BROWN: I agree. And your point
4 was that's not evident from the words as proposed.
5 And so that's why we tossed it in and said hey, go
6 think about it some more and we would resolve it in
7 our full Committee meeting once we had a good
8 discussion on it. Are there any other questions on
9 this one?

10 I apologize. I'm sorry.

11 MR. STATTEL: I'm sorry. My name is
12 Richard Stattel. I'm a technical reviewer on the
13 Oconee project. And I'd just like to point out
14 because that's really our most current application of
15 this. For the Oconee, there were really two divisions
16 of actuation and they had two push buttons. That's
17 how they designed the system.

18 MEMBER BROWN: Oconee is a funny-looking
19 system with half voters here and half voters there.

20 MR. STATTEL: It's actually not all that
21 uncommon.

22 MR. EAGLE: A lot of the current plants
23 you have two trains that do work, so in a way you can
24 have the two different buttons. The next level of
25 plant, the newer plants, they're starting to get four

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 trains. So everything is very divisionalized.
2 Everything is very, very independent.

3 MEMBER BROWN: Good point, and the biggest
4 part of the discussion on that came from the AREVA and
5 Mitsubishi. I guess it was the US APWR, whoever, the
6 gentleman Scarola who was US APWR. Thank you. So
7 that's where the biggest interchange. We spent quite
8 a bit of time on that. So it's the new plants.

9 MEMBER STETKAR: Well, it's new plants
10 because they're very highly divisionalized and more
11 equipment than the older plants, more trains in a
12 system.

13 MR. EAGLE: Also because we've gone to
14 more and more digital electronics, there's more and
15 more concern about common cause failure and therefore
16 the division, the separation is also a bigger, more
17 important area because when you start combining -- you
18 may have an old mechanical switch, but now all of a
19 sudden you have an electronic switch. In fact, we
20 have this very interesting case right now with Toyota
21 and it's a gas pedal which they're relating to their
22 computer that used to be a mechanical arm and now it's
23 being done by an electronic computer system and it may
24 be part of the problem.

25 MEMBER BROWN: Okay, I will ask again, can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we go on to the next public comment? Are we finished
2 with this one?

3 Okay, Khoi?

4 MR. NGUYEN: The second comment from the
5 public was how to accomplish Position 8, optional
6 single safety manual initiation that satisfies IEEE
7 603 and BTP 7-19?

8 Well, there are some new reactor designs
9 that have been done to accomplish this Position 8.
10 One of them was in the U.S. EPR, the one reactor trip
11 -- I mean the reactor trip buttons in the main control
12 room are hardwired. That means pressing one manual
13 reactor trip button sends a signal directly to all
14 individual -- divisional reactor trip breaks and opens
15 the breaks for that division. This design meets the
16 safety-related requirements of IEEE 603 and since it
17 is hardwired, it's not a computer program. There's no
18 common-cause failures so that meets Position 4 BTP 7-
19 19. That's the one example.

20 Another example is the design of the
21 Oconee Reactor Protection/Engineered Safety Features
22 Actuation System Features. These are safety-related
23 manual initiations, so it meets IEEE 603 requirements.

24 And the manual initiation connects to the downstream
25 of the system puts which satisfies BTP 7-19

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requirements.

2 In Figure 1, shown here, we have four
3 trains of the ESFAS, Engineered Safety Features
4 Actuation System and reactor protection system here.
5 And they are safety-related and the manual initiation
6 connected to the downstream of the system outputs
7 here. They're not connected upstream or before the
8 voters. So this will satisfy BTP 719.

9 So those are two examples that illustrates
10 how to accomplish Position 8 which the industry
11 concern was having to combine one unknown safety-
12 related design and safety-related design to one and
13 these two examples are not the only ones, but showing
14 how to do it.

15 MEMBER BROWN: Do you have anything on
16 this, Dennis? We discussed this a bunch, but I came
17 to the same conclusion. We agree to that.

18 MR. NGUYEN: So that will end my
19 presentation. Any further questions?

20 MEMBER BROWN: Anybody? Additional
21 comments, questions.

22 MR. EAGLE: Just the big thing in this
23 item 2 here, the big thing was, of course, was to
24 emphasize -- more of an emphasis that there are two
25 requirements for manual activation, but they can be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 brought to one under proper conditions.

2 MEMBER BROWN: If they satisfy --

3 MR. EAGLE: If they satisfy --

4 MEMBER BROWN: Diversity requirement and
5 the IEEE 603 requirement.

6 MR. EAGLE: Correct.

7 MR. NGUYEN: We just show it is possible
8 to do it, but industry says it's impossible. That's
9 one of the concerns; one safety-related and one not
10 safety-related, how can you do it from bottom up and
11 these examples show that's possible to do that. But
12 we don't want to tell how to design.

13 MEMBER BROWN: No, that's right.

14 VICE CHAIR ARMIJO: But is it also
15 practical or is there any downside of trying to do it
16 this way?

17 MR. NGUYEN: Actually, the up side, it
18 saved industry a lot of money to design two
19 individual, one is safety related and one is not
20 safety related manual initiation. If you combine it
21 to one in the initial phase of the design, you save a
22 lot of money.

23 VICE CHAIR ARMIJO: That is really up
24 side, rather than down side.

25 MEMBER STETKAR: I think all of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 diverse actuation systems we've looked at employ
2 something like that. They're nonsafety systems that
3 come in downstream from the safety signals.

4 MEMBER BROWN: I guess that wraps it up,
5 Mr. Chairman.

6 CHAIR ABDEL-KHALIK: Thank you.

7 MEMBER BROWN: I'll pass it back to you.
8 We're ahead of schedule.

9 CHAIR ABDEL-KHALIK: Great, thank you.

10 MEMBER BROWN: We're back on schedule, I
11 should say.

12 CHAIR ABDEL-KHALIK: At this time, we'll
13 take a break and we'll reconvene at 3 o'clock to
14 consider the Standard Review Plan for review of a
15 license application for a fuel cycle facility.

16 (Whereupon, the above-entitled matter went
17 off the record at 2:39 p.m., and resumed at 2:58 p.m.)

18 CHAIR ABDEL-KHALIK: We have a quorum, so
19 we can start. The next item on the agenda is the
20 proposed revisions to NUREG-1520 Standard Review Plan
21 for review of a license application for a fuel cycle
22 facility. And Dr. Ryan will lead us through this.

23 MEMBER RYAN: Thank you, Mr. Chairman, and
24 good afternoon, ladies and gentlemen. We had an
25 excellent subcommittee briefing several weeks, maybe a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 month or more ago, and we're going to have a summary
2 of that briefing and on the Revision 1 of the Standard
3 Review Plan for the review of a license application
4 for a fuel cycle facility.

5 And Michael, I guess, you're going to lead
6 us off, please?

7 MR. TSCHILTZ: Yes, good afternoon. My
8 name is Mike Tschiltz. I'm a Deputy Director
9 responsible for fuel cycle facility licensing in the
10 Division of Fuel Cycle Safety and Safeguards in NMSS.

11 I appreciate the opportunity to come before the ACRS
12 and discuss the planned revision to NUREG-1520. This
13 has been a long effort for us.

14 The initial NUREG was issued in 2002.
15 Since that time we've licensed several new facilities,
16 one of which, LES, is getting ready to commence
17 initial operations. During the course of those
18 activities, we utilize the Standard Review Plan and we
19 gained experience with it. During the course of those
20 licensing reviews there were a number of Interim Staff
21 Guidance positions that were issued to basically
22 provide additional details in the Standard Review Plan
23 where it was lacking in some areas. And it was
24 determined that we were at a good point in time to go
25 and revise it and update the guidance based upon where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we were and what we learned.

2 We started this effort over a year ago.
3 We formed a multi-discipline team to look at the
4 different areas. We interacted with members of the
5 staff and each of those different technical areas to
6 obtain input on things that should be revised in the
7 Standard Review Plan.

8 We published a draft for public comment
9 and interacted with public stakeholders in the
10 industry on it and we got specific comments, after
11 publishing a Federal Register notice. We've gone
12 through a process of resolving those comments. After
13 we resolved those comments we made another version of
14 the draft revision to the NUREG available to the
15 public. Since that point in time I think we have --
16 we are expecting a letter from NEI to raise several
17 issues. I'm told the letter was written and issued
18 Monday, but we don't have a copy of it, so I can't
19 speak specifically to the letter. But NEI has
20 provided some comments on the revised draft revision
21 that we made public in early January.

22 So that's, I guess, what I would like to
23 go through as far as opening remarks. And on the next
24 slide, the specific items that are highlighted on this
25 overview of changes slide are the specific areas that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we intend to discuss during our presentation. I think
2 those are the areas where we think the most
3 significant changes to the Standard Review Plan were
4 made. And so that's the focus of our presentation.

5 Next slide.

6 MR. DAMON: My name is Dennis Damon. I'm
7 a senior level advisor for risk assessment for NMS,
8 but I'm in the Division of Fuel Cycle Safety and
9 Safeguards. And my other background is that I
10 participated in the rulemaking that established 10 CFR
11 Subpart H that required that integrated safety
12 analyses be done and that generated the Standard
13 Review Plan. So I wrote the original ISA chapter of
14 this Standard Review Plan and I've been involved with
15 the process over the years. So that's why I'm doing
16 the background here.

17 Let me make a remark about the tenor of
18 the presentation we're about to make here. It really
19 is just an overview of the changes. We made a more
20 detailed presentation to the Subcommittee on the
21 details of what these are, so this is an overview and
22 it's going to focus on the response to the comments
23 because that was something that was not presented to
24 the Subcommittee, so that's the general tenor of this
25 presentation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The background is that there was a process
2 that went forward. It started about 1992-93 through
3 2000 that resulted in a revision to 10 CFR 70 that
4 added Subpart H and that was completed in September of
5 2000. And this regulation required a thing called
6 integrated safety analyses be done by the licensees
7 and they had until October of 2004 to complete these
8 and then to submit a summary of these integrated
9 safety analyses to the staff for review and approval.

10 Upon approval, the full content of Subpart
11 H would be implemented which defines a full, over-
12 arching safety program consisting of a number of
13 elements. The contents of Subpart H include defining
14 consequence criteria. It defines three levels of
15 consequences using two boundaries. One is a boundary
16 between intermediate and less-than-intermediate
17 consequences. Intermediate consequences, for example,
18 for a worker are, for example, in the dose area. It's
19 25 rem, an accident that would expose a worker to 25
20 rem, whereas the next boundary up is high consequences
21 and that's greater than 100 rem to a worker. So
22 Subpart H defines these levels, both for radiological
23 consequences, and for criticality consequences and
24 then it also has language defining a criticality
25 accident as being something that also has to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 addressed.

2 Dr. Ryan asked me to address what example
3 is an integrated safety analysis as compared to a PRA.

4 An integrated safety analysis is, has a very similar
5 structure to a PRA, but a different purpose. It
6 starts with what's called a process hazard analysis
7 which is, the purpose of which is to identify accident
8 sequences that could occur. So this is very analogous
9 to the fault trees and event trees that are produced
10 in the PRA, where you're identifying what can go wrong
11 qualitatively.

12 Then the next phase is to identify, once
13 the accident sequences are identified is to categorize
14 them as either intermediate, less-than-intermediate or
15 high-consequence accidents, using the criteria that
16 are defined in the regulation. As opposed to a PRA
17 which actually, if you do a Level 3 PRA, you're going
18 to quantify the actual numerical value of the
19 consequences in detail. Well, you don't necessarily
20 have to do that for an ISA, you just have to get them
21 in the right bid. They're either high-consequence,
22 intermediate, or less-than.

23 The next stage is to assess the likelihood
24 of the accident sequence. And unlike a PRA, the
25 regulation does not require that this be a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 quantitative determination that's left to the licensee
2 to have the flexibility that they could actually
3 define purely qualitative criteria for what
4 constitutes a highly unlikely accident sequence. And so
5 that's the final difference. But, in fact, most
6 licensees do the likelihood quantification part with
7 some degree of quantitative evaluation to it. And
8 some are fully quantitative.

9 Then you have to recognize what the
10 purpose is. The output of an ISA is a list of
11 accident sequences, categorized as low, medium, or
12 high, and a list of items relied on for safety that
13 were identified as those things that are going to
14 either prevent or mitigate that accident sequence.
15 That language, items relied on for safety is in the
16 regulation. Once those are identified, they become
17 part of what's called an integrated safety analysis
18 summary which is submitted to the NRC. So now we here
19 at headquarters have a document that tells us all the
20 items relied on for safety to achieve, make accidents,
21 like for example, one requirement is a high
22 consequence of this must be a highly unlikely. And
23 the highly unlikely is not defined quantitative in the
24 rule. That flexibility again, was with the licensees,
25 although there is guidance in the Standard Review Plan

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 as to what we think highly unlikely is.

2 Then the output, as I say, is this list.
3 And the items relied on for safety then are tied into
4 other requirements in Subpart H. The management
5 measures are required to be applied to them, to make
6 them highly reliable and available to meet this highly
7 unlikely criterion and there are other constraints.
8 So the purpose and output of an ISA is this
9 identification of IROFS and tying it to the regulatory
10 requirements as opposed to a PRA where you get a
11 quantitative risk profile as an output which you do
12 not get with an ISA. You have individual accident
13 sequences and there's no summation of quantitative
14 information adding up all the accident sequences.
15 They're all individual. So that's the difference.

16 So now here we are ten years after the
17 regulation went into effect, and actually the original
18 draft of the Standard Review Plan actually was in
19 final form at the time the regulation was promulgated.

20 So it's been ten years since the document has been
21 updated. And so now -- and at that time when the
22 first one was issued, of course, the integrated safety
23 analyses had not actually been done. And
24 consequently, as a result of the industry performing
25 these analyses, and staff reviewing them and then once

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they're approved the licensees have been operating
2 under these plans for now on the order of four, five
3 years, there are lessons that we've learned. And so
4 that's the purpose of updating the Standard Review
5 Plan. Incorporate the lessons we've learned from this
6 ten-year process, improve the linkage of the review
7 content to the regulatory requirements. And over
8 these years, as the ISAs were being done, issues
9 arose, questions, and problems. And so there were a
10 sequence of workshops held between the industry and
11 the staff to clarify these issues and how they might
12 be resolved. And the staff issued Interim Staff
13 Guidance documents over the years and so actually the
14 biggest bulk of what's changed, is going to be changed
15 in this Standard Review Plan is to incorporate these
16 Interim Staff Guidance documents into the Standard
17 Review Plan.

18 Then there was a new subsection on review
19 interfaces to clarify that. These reviews are
20 actually quite complicated to do. The analyses are as
21 well. The analyses are done by teams. The integrated
22 part here in ISA means that you're doing a review, an
23 accident identification process in which you have a
24 team that consists of chemical, fire, and criticality
25 and radiological safety people simultaneously on each

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 process. And the integrated part is important because
2 what we found is that some of the safety controls that
3 are applied for one type of problem like fire, has an
4 adverse effect on criticality safety. And so you have
5 to do this simultaneously and jointly.

6 And then on the review side, the reviews
7 are complicated because you're doing not only the
8 interdisciplinary thing, you're also doing a
9 simultaneously a programmatic review and you're also
10 reviewing individual processes and you have the multi-
11 discipline, you have multiple people involved. So
12 this thing clarifies how that process will unfold.

13 The NUREG has been reformatted to fit the
14 standard NUREG format and there's been additional
15 clarification in references for meeting regulatory
16 requirements. We got quite a few comments, both from
17 the staff reviewers and from the industry as to issues
18 that needed to be clarified in the language of the
19 Standard Review Plan, so that was an important thing.

20 And then we removed the redundant and vague guidance
21 and things that really were not requirements, just to
22 really tighten this thing up and not say anything more
23 that really needed to be said.

24 I hand it back now to Mike Tschiltz.

25 MR. TSCHILTZ: Right. One of the issues

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that I think that led us to the initiate the change
2 was one that came up during the design reviews for
3 applications for the new facilities and that was
4 concerning the completeness of the facility design.
5 If you look at specifically in the regulations, the
6 regulations don't require that a final design be
7 submitted for the staff to review, but it does require
8 or the regulations do require that the design be at a
9 stage where all the credible high- and intermediate-
10 consequence scenarios or events are identified and the
11 items relied on for safety that the licensee will use
12 in their processes are identified as well to either
13 prevent or mitigate the consequences of those
14 sequences

15 So there was some controversy during the
16 course of these reviews. A Differing Professional
17 Opinion was written on this concerning a level of
18 detail and as a result, one of the things we're trying
19 to clarify is exactly what's required by the
20 regulation and not require anything more in the
21 Standard Review Plan.

22 I think when the Standard Review Plan was
23 initially written, it was written with the idea that
24 the facility was already built and existed and it led
25 the reviewer to believe that there was maybe more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 required for a submittal for a license amendment than
2 what the regulation specifically required. So we've
3 been very careful to go out and take anything that
4 would imply that we would need a specific line diagram
5 of a system showing electrical schematics specifically
6 of a specific item relied on for safety. That is
7 something that's actually verified at a separate stage
8 of the process. For fuel cycle enrichment facilities
9 facility, we're required to do a verification that the
10 facility was built as licensed prior to allowing them
11 to operate. We also conduct operational readiness
12 reviews, to make sure that the processes stay
13 committed to in their licenses in the program that
14 they've committed to in their license have been
15 implemented so that we think that they can safely
16 operate the facilities. So there's two separate parts
17 of the process before the facility actually operates
18 where we can verify the details that weren't
19 necessarily specifically submitted in their
20 application.

21 MEMBER STETKAR: Michael, during the
22 review process if you don't have that design
23 information, even in simple terms like one-line
24 diagrams, how does the staff address the issue of
25 completeness in terms of that list of accident

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sequences. In other words, how do you independently
2 check whether the list of sequences that the applicant
3 provides in the ISA is reasonably complete, that they
4 haven't omitted something because they've overlooked a
5 feature of the design?

6 MR. TSCHILTZ: Right. I think, and I'll
7 allow Dennis to answer this too, as well, but I think
8 for certain features where it's very important say
9 for criticality safety, the licensee or the applicant
10 would have to supply the detail necessary for the
11 safety reviewer to make his determination. But
12 certain other areas where there's a general process
13 description, in some cases that's adequate, but the
14 regulations, basically allow that to be kind of as a
15 case-by-case basis for the specific system or control
16 that's required.

17 So in many cases there are details, but
18 say, for example, a pressure trip on a system, you
19 wouldn't have to submit a line diagram showing where
20 the pressure sensor was and how that was connected,
21 but just the general description that there would be a
22 high pressure trip on the system would be adequate for
23 our review.

24 MEMBER STETKAR: Thanks.

25 CHAIR ABDEL-KHALIK: I still find the word

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 all to be troubling, because without knowing it, you
2 can't tell that you have identified all.

3 MR. TSCHILTZ: Right, well, I think the
4 key point there is the design has to be complete to
5 the point where you can identify the accident
6 sequences. And the specific aspect, say for example,
7 of whether this pressure gauge was located in the
8 correct location to actually sense the pressure that
9 could be something that could be verified in during a
10 construction inspection or operational readiness
11 review. So there isn't that just one check during a
12 license review. There's these other steps in the
13 process before they operate that gives us confidence
14 that the system is designed and constructed in a
15 safety way.

16 MEMBER STETKAR: Do they typically go back
17 after the design is more final or let's say final and
18 reevaluate the ISA to see whether they've missed
19 anything during the original one or that any specific
20 features of the design have introduced new sequences
21 that they had thought about before or didn't exist
22 before because at some point in the design evolution
23 changes were made?

24 MR. TSCHILTZ: They are responsible for
25 making sure the ISA is up to date and complete and so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I don't know if they have any specific process that
2 would lead them to do that, but they are accountable
3 and responsible for making sure that all the sequences
4 are identified.

5 MEMBER POWERS: That is Part 22 or
6 something like that makes them responsible for that if
7 it comes up the design process.

8 MR. DAMON: They are required -- the
9 regulation requires them to do an annual update of the
10 ISA --

11 MEMBER STETKAR: Okay.

12 MR. DAMON: -- and submit an ISA summary
13 to us annually, every year. So as a result of that,
14 as Mike says, that has to be --

15 MEMBER STETKAR: Thanks. I wasn't aware
16 of that.

17 MR. DAMON: -- a document.

18 MEMBER STETKAR: Thanks.

19 MEMBER RYAN: If I remember, we talked a
20 little bit about the fact that would be the basis then
21 for the next set of on-going inspection activities,
22 that update, that would focus you on things that have
23 changed that you might want to look at when the
24 inspection comes.

25 MR. TSCHILTZ: Yes, that as well as on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reactor side there's a process where licensees can
2 make changes to the facility without prior NRC
3 approval. We look at those changes. We're focused on
4 the ones that affect the items relied on for safety.
5 Those components, those changes that had any impact on
6 items relied on for safety are the principal focus of
7 our reviews in those areas.

8 The ISA summary is actually what is
9 submitted to the staff, not the ISA itself and all the
10 credible sequences are required to be identified as
11 well as the items relied on for safety associated with
12 those sequences, and I guess the point to make is that
13 the sequences that screen out as low consequence are
14 not required to be included in the ISA.

15 The changes made to the standard review
16 plan were intended to clarify these issues,
17 specifically for the staff and for the information of
18 the applicants, so that's principally the changes that
19 were made in the introduction.

20 MEMBER STETKAR: Is there any -- in the
21 details, is there any guidance about the definition of
22 the term credible? When I think of credible I
23 immediately start thinking about frequency.

24 MR. DAMON: Yes. There was -- the
25 regulation itself does not. The regulation requires

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that the applicant define it and what we did is in the
2 Standard Review Plan there's a little section that
3 defines what the staff thinks and that section says
4 there's three things, three criteria by which
5 something could be screened is not credible. One
6 would be an external event with a frequency -- but the
7 accident was initiated by an external event with
8 frequency less than 10^{-6} per year.

9 Or (b) the action sequence is not
10 physically possible.

11 MEMBER BLEY: I like that one.

12 (Laughter.)

13 MR. DAMON: But you know, you thought of a
14 sequence and then later you analyzed it and said well,
15 yes, that can't happen.

16 And the third one is a sequence of human
17 actions for which there is no reason or motive. What
18 I was thinking of when I wrote those words is that
19 always some human being can get in his head I'm going
20 to make an accident happen. He can run around and do
21 anything he wants. We don't need to see accident
22 sequences like that.

23 MEMBER BLEY: I think I probably brought
24 it up during the subcommittee meeting, but that's a
25 tricky one because there are situations that can be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 invoked by the design of the human interface, by a
2 design of the procedures people use in their training
3 that actually set them up to do things that on the
4 surface you would say there's no reason for this. We
5 get to see them all the time by reviewing event
6 reports at facilities. So finding a way to
7 systematically look to find that sort of thing so
8 you're not dismissing very important scenarios out of
9 hand I think is something you guys ought to be
10 thinking about in the future because when you first
11 see those events you think nobody could do that and
12 then when you see how it happened you understand yes,
13 the whole system set them up to do what looks
14 incomprehensible at first blush. And people have
15 worked on that for the last ten years quite a bit.

16 MR. TSCHILTZ: Next slide, please.

17 Another issue we thought would be beneficial to
18 include in the Standard Review Plan was a definition
19 of IROFS Boundary Packages, items relied on for safety
20 boundary packages. Actually, this turned out to be
21 somewhat controversial with licensees. Our intent of
22 including this in the Standard Review Plan was purely
23 to be helpful to them; as far as staff had written in
24 license conditions for applicants that had completed
25 their license application and we've approved their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 license that prior to the operational readiness review
2 that they needed to have a complete listing of these
3 items that were to be included in the boundary
4 packages and it's seen as one method or one acceptable
5 method for demonstrating that they -- the IROFS can
6 perform their intended function, that they're going to
7 be available and reliable.

8 And I think it's very helpful for the
9 staff when they go out in conducting their inspection
10 activities for the initial licensing to be able to see
11 all of what's included that's going to be relied on
12 within this boundary for either admin. controls, the
13 training associated, the procedures, or if it is
14 hardware, the maintenance that's done on that, the
15 controls, the surveillances that are done and other
16 supporting equipment that's needed for the item relied
17 on for safety be reliable and available when it's
18 needed.

19 So this was purely intended to provide a
20 description of that. It's in a footnote in the
21 introduction. But this is one issue that the industry
22 has taken exception with and particularly, they want
23 to see it in the Standard Review Plan. This doesn't
24 impose any new requirements. It's just one acceptable
25 means of demonstrating that their IROFS are going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 be available and reliable and so it's meant to be
2 helpful to both the staff and to the licensees and
3 applicants for how they can demonstrate that. So
4 that's why we pointed out to you in somewhat an issue
5 of controversy. I'm not exactly sure why, but that's
6 the issue.

7 MR. DAMON: One thing I thought -- it just
8 occurred to me I should mention about the process of
9 doing an ISA review. An ISA is intended to be
10 complete in the sense that all areas of the plant that
11 have potential hazards are addressed and all items
12 relied on for safety are identified. However, the
13 staff does not review every single process in the
14 plant and approve the design of each and every process
15 in the plant.

16 What they do is they're making a
17 determination that the licensee has an effective ISA
18 program and that the licensee has done this. So they
19 do what we call a horizontal slice look to see if a
20 licensee has covered everything in the plant. They
21 review the programmatic elements of the ISA and the
22 methodologies and then they review a small selected
23 subset of individual processes in detail and they try
24 to cover -- it's called a vertical slice. And you're
25 trying to cover the different, qualitatively different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 types of things in the plants and focusing on the
2 high-risk areas. So it's a very limited review and
3 the staff does not approve every single process
4 design.

5 Consequently, once a program is in effect,
6 and a licensee is operating to it, inspectors will go
7 out and they may look at processes that have never
8 been looked at before and they may find interesting
9 things. So that's the tenor of the process.

10 MEMBER BLEY: I know in the reactor side
11 in all the regions, they now have people who have been
12 trained back here on PRA and can do PRA analysis. Are
13 the inspectors all trained on how to, in this area,
14 trained on how to look at the ISAs and understand them
15 and use them?

16 MR. DAMON: They are. However, they're
17 not trained like senior risk analysts. They're not
18 PRA trained.

19 MEMBER BLEY: They're not trained to do
20 the analysis, but they're trained to understand it?

21 MR. DAMON: Well, there's a training
22 course on ISA methodologies that reviewers go through.
23 There's also a NUREG-1513 which is an ISA guidance
24 document which describes methodologies involved in
25 doing integrated safety analyses. So the inspector is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 supposed to be familiar with the methodologies and
2 with the licensees, of course, describe the methods in
3 their ISA summary which is submitted. So that's
4 available for inspectors to study before they go and
5 if they don't understand it, they can come to me and
6 ask. But --

7 MEMBER BLEY: I guess what I'm asking is I
8 know the other guys come for three months or a year
9 here and learn the details. Is their level of
10 understanding such that they can -- as they look
11 around the facility, look back at it to see that
12 things they found and might be interested in are
13 actually covered in the analysis, maybe looking for
14 completeness or looking for the scenarios they think
15 might be important within the structure of the ISA?

16 MR. DAMON: Like I say, they're not --
17 inspectors are not trained like senior risk analysts.
18 And so they, themselves, are not like an experienced
19 fault-tree guy or an experienced person doing what
20 they call HazOp analyses. But they've read a lot of
21 them. They've seen a lot of them. They're more
22 familiar with the plants than say than a typical
23 license reviewer. Inspectors visit the plants all the
24 time. So they're pretty good, actually, at
25 identifying things. I mean I can remember one of our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reviewers went to the plant and said here's this line
2 that comes from this process and goes to this room,
3 and I don't see in the ISA summary, I don't see where
4 you've got a leak in this line as one of your action
5 sequences and you don't have a detector in the room to
6 detect the leak. And they said oh, well, yes, that
7 was an oversight. We'll fix that.

8 Six months later, that actual line leaked
9 and caused an exposure. So the inspectors are not too
10 bad, actually, considering that they aren't trained as
11 fault-tree analysts. But I mean it is something that
12 we've sort of identified that it's one of those areas
13 that we could improve on. We're embarked on a program
14 to -- or we're about to suggest to the Commission that
15 we embark on a program to do a revisal fuel-cycle
16 oversight program. Well, part of that will be
17 addressing the exact issue you're talking about, who
18 needs to be trained to what level in these techniques.

19 MEMBER STETKAR: I was going to say even
20 at the regional level, I don't know how the
21 organization is set up, but it seems that you might be
22 able to take advantage of the expertise even in the
23 regional offices, although the machines are different,
24 the technology is different and perhaps the guys on
25 the operating reactor side wouldn't know what that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pipe contains. They do have the experience to kind of
2 think about completeness issues, the generic kind of
3 questions to ask without even necessarily bringing
4 some of your inspectors back here for formal training.

5 MR. DAMON: Yes, that's what we're
6 identifying as part of this attempt to revise the
7 fuel-cycle oversight program is that we have this
8 thing. We've got SRAs at the region. We've got
9 inspectors at the region. We've got a different type
10 of inspectors at headquarters. They've got me at
11 headquarters. Okay, maybe that isn't -- how do we
12 revise this situation and put in place people in the
13 right places with the right skills. That's what we're
14 going through right now is trying to figure that out.

15 MR. TSCHILTZ: I think we've recognized
16 the need, as we move forward, to have something
17 equivalent to what would be a Senior Reactor Analyst
18 in the fuel-cycle world. Dennis kind of fulfills that
19 function for us right now. But we realize it could be
20 a benefit to have in --

21 MEMBER BLEY: How many facilities are
22 there? We've got a lot of reactors. We don't have so
23 many --

24 MR. DAMON: It's about 12, I think.

25 MR. TSCHILTZ: Twelve, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 VICE CHAIR ARMIJO: Now , this doesn't
2 cover conversion facilities, enrichment facilities?

3 MR. DAMON: Yes, I mean fuel-cycle
4 facilities. This Standard Review Plan addresses all
5 fuel-cycle facilities except MOx and GDP. The GDPs
6 were certificated under a different regulation, Part
7 76.

8 MR. TSCHILTZ: Right, Part 40 is not
9 covered as well which is the conversion facility.

10 MR. DAMON: Right, they're not covered.

11 MR. TSCHILTZ: The Honeywell conversion
12 facility is covered under Part 40 which does not have
13 a requirement for ISA. So these are the facilities
14 that have ISA requirements, right, Part 70 licensees,
15 basically.

16 VICE CHAIR ARMIJO: Okay.

17 MR. DAMON: So this slide here is just
18 referring to the fact that one of the significant
19 changes that was made was to address this issue of
20 human factors engineering. It wasn't -- these words,
21 the words human factors engineering are not explicitly
22 mentioned in the regulation, but it's by implication
23 that there are procedures that need to be specified
24 and we call them administrative controls. And of
25 course, the way these things are -- and not only that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 but even the hardware controls, all the hardware is
2 often operated manually. It's not fully automatic.
3 There's some operator there taking actions to operate,
4 so the human factors engineering has to be applied in
5 order to make -- avoid accidents. They need to
6 engineer them for human factors. So it turns out the
7 other Standard Review Plan that we use for MOx
8 facilities had a section on this subject and so this
9 was brought in and incorporated into the Standard
10 Review Plan for the other facilities.

11 Next slide.

12 One of the issues that came up based on a
13 comment from the industry was that in the Chapter 5 on
14 criticality safety there was discussion of operating
15 limits. It could have been read to have implied that
16 it's required to submit operating limits to the NRC
17 which is not true. It's not a requirement. It's not
18 normally done. So this was rewritten to clarify that
19 it's not -- there's no requirement to submit
20 criticality operating limits or safety limits to the
21 NRC. What the requirement is is that they exist, that
22 they be done by the licensee and so it was described
23 as there must be procedures described for establishing
24 operating limits.

25 Chapter 5 was reformatted to create a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 clear distinction between review of the license
2 application, the NCS program and the safety program
3 review. And these are all somewhat separate things.
4 The license application typically contains a high-
5 level description and various commitments to the
6 contents of how they conduct, how the licensee
7 conducts a nuclear criticality safety program.

8 The nuclear criticality safety program
9 itself has much more detail to it, contained in
10 procedures at the facility, and the Chapter 5 is
11 reviewing that program. It's providing guidance to
12 the reviewer to review that program, that nuclear
13 criticality safety program, but then in addition the
14 reviewer is going to review the ISA and look at the
15 criticality action sequences in the ISA and the ISA
16 program and that ties them into the whole safety
17 program that's described in Subpart H, so it was
18 rewritten to clarify that he's really doing two
19 different kind of reviews here. He's doing a
20 programmatic review of the nuclear criticality safety
21 program, but he's doing a programmatic review and
22 review of certain of the ISA and ISA sequences from a
23 criticality safety perspective.

24 CHAIR ABDEL-KHALIK: On the first bullet,
25 how are these procedures for establishing operating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 limits reviewed?

2 MR. DAMON: Partially, like I say, they're
3 described in the license application. There will be a
4 section in the license application on nuclear
5 criticality safety program and the subject of
6 establishing limits involves saying okay, I'm going to
7 control mass in this process and limit the mass to a
8 value such that it will remain sub-critical under all
9 credible conditions. But they need to determine what
10 that mass is. That's the limit that they're
11 interested in. We typically call that a safety limit.

12 And then they often have an operating limit where
13 they're actually, the amount of mass that normally
14 would be in the process is less than that and they
15 might set some control to limit the normal amounts
16 that would ever be in the process. But they need to
17 determine what that safety limit is, so they do
18 criticality calculations.

19 They're using neutronics codes to
20 determine how much mass under optimal, usually what
21 they do is say you're controlling mass. You set a
22 limit by assuming the most conservative, most reactor
23 condition of all other parameters. Optimal
24 moderation, optimal geometry or heterogeneity,
25 reflection, all these other parameters are set to a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 maximal value and then they determine a mass that even
2 with everything else that is worse case, you're still
3 subcritical and then they set that limit. So that's
4 the limit that we're talking about here.

5 CHAIR ABDEL-KHALIK: But it's not just
6 calculational based. I mean they must have
7 instrumentation in criticality alarms that would allow
8 them to -- so how do you review, for example, not just
9 the calculations that go into that, but also the
10 alarms and the set points, etcetera, for those alarms?

11 MR. DAMON: Typically, criticality
12 controls are pretty simple. Like if you're limiting
13 mass, often what you do is you limit the size of the
14 vessel or container so that it only can hold that
15 much. So it's very simply use a three-gallon bucket
16 and that's it. And keep anything other than these
17 three-gallon buckets out of this room. So that's
18 typical criticality control or geometry is much more
19 obvious. There have been calculations
20 done, pre-calculations and there are ANSI, ANS
21 standards establishing which diameters of pipe are
22 going to be subcritical under what conditions. And so
23 you say okay, I'm going to use a safe geography pipe
24 in this process and that's it. They don't even have
25 to do a calculation. It's all been done for them up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 front. So most criticality controls are of that
2 nature. They're not really active controls. They're
3 very simple concepts. They're either an
4 administrative concept saying don't do this, do that.
5 Use this bucket. And then geometry, geometry
6 control. Some of them are more subtle, things like
7 moderation. You've got to make
8 measurements of the moisture content of UO₂ powder and
9 things like that. But typically, there are relatively
10 few active engineered controls involved with
11 criticality safety.

12 Now chem safety is a whole other subject.
13 It's quite different. So that's the end of my stuff.
14 I'm going to hand it off to Cinthya.

15 MEMBER STETKAR: Mike, be careful when you
16 turn the page and hit the mike.

17 MEMBER RYAN: The reporter gets a sonic
18 boom in his ears when you hit the microphone.

19 (Off the record comments.)

20 MS. ROMAN: Good afternoon. My name is
21 Cinthya Roman. I am chemical engineer for the MOx
22 branch. I am also the project manager for the
23 revision of 1520.

24 We received a comment from NEI from the
25 industry for Chapter 6 which is chemical safety. They

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 want us to add a definition to hazardous chemicals in
2 the SRP, but they want a definition that is in Part
3 70.4. And we added the definition basically that the
4 definition says that substances having licensed
5 materials as a precursor or substances that physically
6 or chemically interact with licensed material are
7 considered hazards chemicals for this for this
8 licensed material, but do not include substances prior
9 to process addition or after process separation.

10 However, we also make a distinction that
11 the MOU between NRC and OSHA says that hazardous
12 chemicals that are not produced from licensed
13 material, but that could create a condition that may
14 affect the safety of the licensed materials and
15 present an increased radiation risk to workers are
16 also considered by NRC.

17 MEMBER RYAN: Just as an example, Cinthya,
18 there's a large tank of acid that could somehow be
19 disrupted and interact with licensed material. That's
20 something of interest to the NRC.

21 MS. ROMAN: Yes.

22 MEMBER SIEBER: But a large tank of acid
23 by itself that doesn't involve licensed material does
24 not fall under NRC jurisdiction. Is that correct?

25 MS. ROMAN: Yes, that would be OSHA. If a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 person can receive an occupational dose and that would
2 be OSHA. But let's say the two chemicals can react
3 and create an explosion and release some nuclear
4 material, we care about that.

5 MEMBER RYAN: Just a question and it's a
6 de minimis question. How do you separate processed
7 chemicals from licensed materials and say the
8 processed materials are clean and don't have any
9 licensed material in them? That's a tough one.

10 MS. ROMAN: Well, they will have to
11 explain that in the ISA and justify it.

12 MEMBER RYAN: I see. Residual
13 contamination and acid or some processed fluid still
14 means it's licensed material for all practical
15 purposes.

16 MEMBER BLEY: I'm trying to remember, on
17 the Subcommittee, one of you talked about the
18 Memorandum of Understanding with OSHA and how things
19 were divvied up. Is this just the day it is or is
20 there something a little more complicated to it?

21 MR. DAMON: No, I think Cinthya said it,
22 pretty much she was quoting the criteria in the
23 Memorandum of Understanding. I am not intimately
24 familiar -- it's licensed -- if you've got uranium,
25 uranium is a licensed material or plutonium, so if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you've got a compound that's got uranium in it, that's
2 covered. And if that compound has toxic properties
3 like UF₆ does, the toxic effect of an accident is
4 something we cover.

5 MEMBER BLEY: So you cover the toxic site
6 even though it's the chemical toxicity.

7 MR. DAMON: If it's chemical toxicity,
8 yes.

9 MEMBER RYAN: Uranium is driven by
10 chemical toxicity, not radiotype toxicity.

11 CHAIR ABDEL-KHALIK: So red oil explosions
12 would be covered by this.

13 MR. DAMON: Yes, because they're
14 processing, you're processing the licensed material in
15 the solvent extraction -- in those processes. And
16 then as Cinthya said very correctly, precursor
17 materials, in other words, I've got something here
18 that's going to reactor with your licensed material.
19 That reaction is covered. That causes, for example,
20 if you uranium oxide, one of the first steps in the
21 processing might be to dissolve it in nitric acid. If
22 you do that wrong, you can produce a lot of nitrous
23 oxides which are toxic. That action sequence is
24 covered because it involved a reaction with the
25 licensed material leading to a release of toxic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 material.

2 Just the pure nitric acid or -- these
3 processes end up often producing a byproduct HF, you
4 know. And that gets stored some place. As she said,
5 very precisely, once it's separated from the process
6 and goes to storage, if that storage tank ruptures,
7 that's not our problem. That's HF, has no uranium in
8 it.

9 VICE CHAIR ARMIJO: That is part of their
10 industrial safety program.

11 MEMBER RYAN: One of the logistics things,
12 I would imagine in most of these plants, there is an
13 area that's marked chemicals only, no radiological
14 material or something like that, to help people keep
15 all this straight or separate materials or not?

16 MR. DAMON: I wouldn't know the answer to
17 that.

18 VICE CHAIR ARMIJO: It's plant specific.

19 MEMBER RYAN: Yes, probably.

20 MEMBER RYAN: Thank you.

21 MEMBER SIEBER: And that is just licensed
22 quantities of radioactive material, not residuals,
23 right?

24 MR. TSCHILTZ: Well, once it's introduced
25 into the system, it has to be separated from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 isotopes to be considered not a --

2 MEMBER BLEY: I guess back to Mike's
3 question, that's a tough thing. When does it get
4 signed off as no longer having licensed material in
5 it. Is it a test? You guys sign off on the process
6 and after this point, the process can upset and all of
7 a sudden you've got material where you didn't expect
8 it.

9 MEMBER SIEBER: There is a point below
10 which, a concentration below which is no longer
11 licensed.

12 MEMBER BLEY: By rule? Or usually that
13 seems to change as we get better at detecting.

14 MR. DE JESUS: I'm Jonathan De Jesus. I'm
15 a chemical engineer in the Fuel Cycle Division. And I
16 know for Part 40, there's a regulation that says if
17 it's below, I think it's .05 percent, it's not
18 considered -- it's except from Part 40. And it's in
19 Part 44. Part 70, I'm not aware there are such things
20 as certain concentration below this concentration of
21 special nuclear material. There's no --

22 MEMBER RYAN: It's .05 percent, by the way
23 you're writing it, right?

24 MR. DE JESUS: Yes, source material,
25 that's Part 40.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: And the interesting part is
2 that has absolutely nothing to do with anything that's
3 a risk-based definition. It's strictly --

4 MEMBER STETKAR: It's something you can
5 measure.

6 MEMBER SIEBER: Once it's below ten miles
7 an hour, you can call the sheriff.

8 (Laughter.)

9 MS. ROMAN: Before I go to the second
10 comment from NEI, I would like to first talk a little
11 bit about performance requirements related to chemical
12 exposure, so you can better understand the comment
13 from the industry.

14 As Dennis mentioned before, the risk of
15 each high or intermediate consequence event should be
16 limited by using IROFS. Specifically, here is a table
17 that I copied from Chapter 3A from the SRP. It says,
18 for example, high consequence events should be limited
19 so that it is highly unlikely so the risk is
20 acceptable. Or intermediate consequence events should
21 be unlikely.

22 When we talk about chemical exposure
23 consequences, we say a high consequence event would be
24 one that endangered the life of a worker, or it could
25 lead to irreversible or other long-lasting effect to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the public or in the immediate site of the controlled
2 area. An intermediate consequence event is one that
3 could lead to irreversible or long-lasting effect to a
4 worker or could mild transient health effects to a
5 member of the public.

6 CHAIR ABDEL-KHALIK: Could you sort of
7 just help us with a probability number that would be
8 associated with both ends of this spectrum, the highly
9 unlikely and the not likely.

10 MS. ROMAN: Highly unlikely --

11 MEMBER POWERS: Ten to the minus to ten to
12 the minus sixth; ten to the minus two; ten to the
13 minus four, ten to the minus two.

14 MR. DAMON: Well, like I said before, the
15 credible number we use is ten to the minus sixth for a
16 year. That screens things out entirely.

17 CHAIR ABDEL-KHALIK: Completely.

18 MR. DAMON: The licensees are free to
19 submit their suggestion to us as to how to define
20 highly unlikely. Typically, when they've done it
21 quantitatively, it's ten to the minus four per year is
22 the boundary of highly unlikely. And ten to the minus
23 three --

24 MEMBER BROWN: You said boundary, you mean
25 the lower boundary?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. DAMON: Yes, the lower. In other
2 words, if you're -- if you're above ten to the minus
3 four, you're not highly unlikely.

4 CHAIR ABDEL-KHALIK: So would there be
5 hundreds of these scenarios?

6 MR. DAMON: Yes. Typically, most of them
7 -- there's a few chemical scenarios that will get you
8 -- and there's just lots of -- everywhere there's
9 fissile material, there's a possibility of a
10 criticality usually, and so there's criticality
11 sequences all over the place.

12 CHAIR ABDEL-KHALIK: If the boundary of
13 the highly unlikely is ten to the minus four and the
14 boundary of the unlikely was say ten to the minus two,
15 the lower boundary, and you have hundreds or thousands
16 of these, is this something that people just sort of
17 expect to happen?

18 MR. DAMON: No. What's really true --
19 first off, one has to look at it from individual risk,
20 first, for worker. Criticality is almost entirely of
21 concern to the workers. Beyond a couple hundred yards
22 doses to public are manageable. And so you're really
23 concerned about giving a worker a fatal dose is really
24 the whole game.

25 And really, the fatal radius for a typical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 criticality is only about ten feet. And so really
2 what you're looking at is only the sequences occurring
3 in the process that the worker is standing right in
4 front of. So it's not the whole plant. A criticality
5 happens anywhere and he's dead. No, it's just the few
6 sequences that occur in the one process that he's
7 operating is the typical thing.

8 Now for a big chemical accident, like a
9 rupture of a big cylinder, there may be some
10 facilities that have public close enough that would be
11 affected by that and then that, of course, it could be
12 a rupture of any cylinder, but typically, the only
13 cylinders that are at risk from that are those where
14 the UF₆ is actually in a liquid condition at the time
15 and that usually is a very limited number, you know,
16 one, two, three, four, those kind of numbers.

17 So the number of places at which you have
18 this ten to minute four risk is very limited.

19 MEMBER SIEBER: But in a criticality
20 accident, I presume that the assumption is once it
21 occurs it dismembers itself and becomes self-critical?

22 MR. DAMON: Most of the time. There have
23 been criticality accidents. Tokai Mura was one of
24 them. There was one in the Idaho Reprocessing Plant
25 which went on for a protracted period, but it requires

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 special conditions for that. Usually what you said it
2 rue. Usually, the thing disperses itself in a way
3 with the initial pulse, but sometimes they go on. At
4 Tokai Mura, I forget the length of time, my memory --
5 it was either 18 hours or 2 days or something before
6 they figured out how to get the thing shut down.

7 MEMBER POWERS: There was one in Africa
8 that went on for a couple million years.

9 (Laughter.)

10 Why do you think we have giraffes, you
11 know?

12 MEMBER SIEBER: How do you deal with
13 something like that where you can't predict that it
14 will shut itself down? Should there be some safety
15 measure in place in the event something like that
16 would occur?

17 MR. DAMON: To my knowledge, there's never
18 been any kind of attempt to impose requirements to
19 deal with shutting the processes down. What is in
20 place is Section 70.24 that specifies the preparations
21 and things you have to have in place to react to a
22 criticality event. And then we have to have
23 criticality alarms that go off and warn people. Staff
24 has to be trained to evacuate when the alarms occur
25 and there have to be preparations in place to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 medical treatment of people that get exposed as a
2 result of the event. And then there's emergency
3 plans.

4 MEMBER SIEBER: You don't have a dump
5 valve or something that would change the geometry.

6 MR. DAMON: Well, this is all up to the
7 licensee and it's an individual design issue, you
8 know, how they're going to design the thing. And if
9 something goes wrong, how they would set it up so they
10 could react to it. And like I say, most of the time,
11 these things they're self-terminating, but you know
12 the Tokai Mura one was quite well contained. It had a
13 cooling jacket around it that reflected it. It had
14 all kind of characteristics that allowed it to sustain
15 itself.

16 MEMBER SIEBER: But you don't require them
17 to have a way to -- for example, if you had too-high
18 enrichment in a vessel, you don't have a requirement
19 that would impose either an absorber or change the
20 geometry. You'd just say --

21 MS. ROMAN: They are required to have
22 IROFS in place to prevent criticality.

23 MEMBER SIEBER: Right.

24 MS. ROMAN: So they are required to have
25 these twin dependent IROFS to prevent criticality.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 They can choose which one they would like to use. It
2 is geometry.

3 MR. TSCHILTZ: Also, all criticality
4 sequences are considered to be high consequence
5 sequences so that in itself requires that they have
6 additional measures to prevent it from making it
7 highly unlikely. So you have another order of
8 magnitude of protection with requiring it be a highly
9 unlikely.

10 MEMBER SIEBER: Okay.

11 MS. ROMAN: 10 CFR 70.61(b)(4) and (c)(4)
12 says that if an applicant possesses or plans to
13 possess quantities of material capable to chemical
14 exposures, that could be high consequences were
15 intermediate, they need to propose appropriate
16 quantitative standards to assess the consequences.
17 Also, Part 70.65 requires that they provide that
18 information in the ISA summary.

19 The quantitative standards are not limited
20 to inhalation exposures. Actually, in the regulations
21 of Part 70, we don't say if we are talking about
22 dermal exposure or if we are talking about inhalation
23 exposure. So it's really not as specific.

24 The industry does not agree with NRC's
25 interpretation of the rule. Specifically, they don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 think that they have to develop standards for dermal
2 exposure to the workers, especially for example,
3 liquid HF exposures or other chemicals that could
4 cause skin exposure that could endanger the life of
5 the worker. The industry had several discussions with
6 NRC. We had a meeting on November 12th.

7 The industry stated that basically NRC
8 staff implicitly agreed with their interpretation and
9 we approved past ISA Summaries.

10 MEMBER BLEY: Say that again.

11 MS. ROMAN: I'm sorry.

12 MR. TSCHILTZ: Basically, they're saying
13 since we didn't include or they didn't include dermal
14 exposure sequences in their ISA summaries and we did a
15 vertical and horizontal review of the ISA summary and
16 issued a letter saying it was acceptable, that that in
17 effect tacitly approved their not addressing that.
18 It's currently an issue that we're having discussions
19 with and meetings with the industry on our
20 interpretation of the regulations is that they
21 specifically require that you address exposures in
22 inhalation and it doesn't exclude dermal exposure.

23 MEMBER RYAN: They agree to the Part 20
24 requirements for radiation protection. They have to
25 agree with skin exposure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. TSCHILTZ: Yes, we're talking about
2 chemical dermal exposure to chemicals.

3 MEMBER RYAN: Oh, just the chemical --

4 MR. TSCHILTZ: Yes.

5 VICE CHAIR ARMIJO: Could you give an
6 example of a thermal exposure?

7 MEMBER BROWN: Thermal or dermal?

8 VICE CHAIR ARMIJO: Okay, I kept hearing
9 thermal. Dermal, okay.

10 MS. ROMAN: If a worker gets exposed to
11 liquid HF that could be another exposure of a
12 chemical.

13 VICE CHAIR ARMIJO: Is that covered by
14 their industrial safety program, acid burns, stuff
15 like that?

16 MEMBER SIEBER: Which is, unless it's
17 licensed material.

18 MS. ROMAN: Yes. We looked at previously
19 approved ISA summaries and we looked at some examples
20 that they did address the liquid HF spill.

21 VICE CHAIR ARMIJO: Nitric acid, all the
22 laboratory acids?

23 MS. ROMAN: Yes, also, they also talk
24 about exposures to nitric acid and they also talk
25 about events that could result in spills with HF, so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we did consider this in other ISA summaries. So
2 actually, we issued a letter to the industry on June
3 12th and we did consider this in previous ISA
4 summaries and we are going to keep our position.

5 MEMBER BROWN: Can I -- I just want to try
6 to understand the argument. Effectively, you're all
7 saying that your rules or your regulations require
8 this inclusion of this evaluation, whatever it was.
9 And they're saying because you approved the document
10 that didn't explicitly say that, therefore, they're
11 okay and they didn't have to do anything else.

12 MR. TSCHILTZ: Right.

13 MEMBER BROWN: Did I get that kind of --

14 MR. TSCHILTZ: Yes, but as Cinthya pointed
15 out, we found specific examples where dermal exposures
16 were addressed in the ISA summaries.

17 MEMBER BROWN: I'm just curious, you had
18 open public meetings on these areas, I assume, as you
19 were going through the development. Did unions
20 participate in those public meetings? I've done some
21 work with the railroads and they're actively involved
22 in everything dealing with safety, but I didn't see it
23 in nuclear business.

24 MR. TSCHILTZ: One of the challenges is
25 the regulations require that you address situations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 where there could be long-lasting health effects. And
2 for dermal exposure to HF that's kind of a special
3 science, I believe, and there aren't standards that
4 specifically address that. So the industry would have
5 to out and develop specific standards for dermal
6 exposure to HF.

7 In situations where that has been
8 addressed, there's been specific studies that have
9 been cited by certain applicants that we approved as
10 something that was acceptable for establishing a
11 standard for their specific instance.

12 MS. ROMAN: So as a result of that
13 comment, we revised the SRP just to improve clarity,
14 but we didn't think that we were interpreting the
15 regulation so there is no change in our position. And
16 the applicant's ISA should evaluate the degree of
17 hazard and routes of entry of the hazardous chemicals,
18 and then submit to NRC that information.

19 VICE CHAIR ARMIJO: So since you don't
20 think you have to change your position or you don't --
21 you aren't changing your position and someone comes in
22 with an application that doesn't address dermal
23 exposure of these chemicals, you would reject it?

24 MR. TSCHILTZ: We would ask if there was
25 credible sequences that involved dermal exposure, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would require that they address it, yes. It's an
2 issue that we're currently having meetings with the
3 industry on to try to see if we can gain a path
4 forward on this. If we do decide to change the staff
5 position, we will issue an Interim Staff Guidance on
6 this to clarify. But the words currently in the NUREG
7 are consistent with what we consider our position to
8 be at this point.

9 MEMBER RYAN: Okay.

10 MS. ROMAN: Chapter 7 is fire safety. NEI
11 had a comment for the new section that we add Section
12 7.4.3.2, Deviation from NFPA Codes. Basically, they
13 said that they have a conflict -- the section
14 conflicts with some of the authority granted to local
15 and state authorities. Therefore, the staff update of
16 the section to grant -- to reflect the authority
17 granted to local and state officials in regard to
18 design of the fire safety and code compliance for fuel
19 cycle facilities.

20 The revision establishes that NRC is the
21 authority having jurisdiction for IROFS relative to
22 their nuclear safety and designates the Director of
23 the NMSS as the person having jurisdiction on these
24 issues.

25 MR. TSCHILTZ: So an example of this would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 be if the licensee has a sprinkler system that isn't
2 credited as an IROFS in their safety analysis, they
3 have other measures that they're crediting to make
4 fire sequences highly unlikely. If the local
5 inspector that was coming in and doing an occupancy
6 inspection for the building had a problem with the
7 sprinkler system, we would not have a specific say.
8 He would be the adjudicatory authority on this. So
9 they would have the final say because it's not a
10 matter that directly impacts the safety of the
11 facility.

12 MEMBER STETKAR: Do you, then, have
13 agreements in place at each facility between the
14 Agency and the local fire department that --

15 MR. TSCHILTZ: No, no. It's dictated by
16 the ISA. What are the items relied on for safety? If
17 it's an item relied on for safety that's a fire
18 control, that would be the authority.

19 MEMBER STETKAR: I understand that.

20 MEMBER SIEBER: And it's the building code
21 inspector that has all the other functions.

22 MR. TSCHILTZ: Right.

23 MEMBER STETKAR: All I'm concerned about
24 is do they know, do they understand that? Do they
25 understand that they need to be looking at this thing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 even though it's in an area that they think has
2 something to do with nuclear safety, do they
3 understand that you're not looking at it because it's
4 not included in the ISA.

5 MR. TSCHILTZ: Our experience is they have
6 their requirements that they need to meet. They make
7 sure that they meet their requirements, kind of
8 obvious to what we're doing. And if there's an
9 intersection between the two where there's a conflict,
10 the NRC is the authority that has the jurisdiction for
11 the ones that involve --

12 MEMBER STETKAR: What I'm hearing you say
13 is they do their inspections facility-wide regardless.

14 MR. TSCHILTZ: Right.

15 MEMBER SIEBER: It's the same as a power
16 plant. You have state inspectors in there doing
17 elevators and air receivers and chlorine tanks and all
18 kind of stuff. And they are separate from the NRC
19 function.

20 MR. WESCOTT: Hi, my name is Rex Wescott.
21 I'm a senior fire safety reviewer and I'd like to say
22 that our experience with the local jurisdictions has
23 been quite positive. I mean they understand what the
24 problems. They interface with us well. Sometimes the
25 codes may require sprinklers and the licensee will say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 well, no, there's a criticality concern there and so
2 they'll give them an exception having sprinklers
3 there. We haven't run into problems where they say
4 no, you have to do this. We say no, you can't. I
5 mean they're familiar -- a lot of them are familiar
6 with our reg guides and guidance. I mean it's been a
7 pretty positive experience. We just had to put this
8 in to make sure that we recognize that they do have
9 certain authority and certain responsibilities and we
10 have certain authorities and certain responsibilities
11 and we wanted to lay that out.

12 MEMBER BROWN: Are there Memorandums of
13 Understanding or is this just an understanding?

14 MR. WESCOTT: There is only -- no. In
15 reactors, these Memorandums of Understanding have
16 normally been fire departments and the plant or mutual
17 assistance. I don't believe we have any that I'm
18 aware of like that.

19 MEMBER BROWN: So it's just a working
20 relationship.

21 MR. WESCOTT: It's a working relationship,
22 but also it's a recognition of each other's authority
23 and who has to grant what. I mean we don't grant
24 occupancy permits, local authorities do. But they
25 don't allow them to give them a license to operate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 either. We do that. So we don't give recognition of
2 each other's recognition or authority.

3 MEMBER SIEBER: Sometimes a state
4 inspector, a building code inspector will also be the
5 fire insurance inspector, and you will perform a dual
6 role. So if they don't you one way, they will get you
7 the other way.

8 I've never heard of a conflict between NRC
9 inspectors and insurance inspectors or building code
10 inspectors.

11 MEMBER POWERS: I can't speak to the issue
12 of the NRC. I can say that we have within the DOE
13 complex run into conflicts between security inspectors
14 and safety inspectors. And particularly with respect
15 to criticality evacuation routes.

16 MEMBER SIEBER: Right.

17 MEMBER POWERS: Chaining doors shut so
18 people couldn't come in and consequently that
19 evacuation route was lost from the criticality
20 evacuation pattern.

21 Now one question that comes up, of course,
22 is that we see a variety of local authorities now
23 under substantial budgetary pressure and the impact
24 that that's likely to have on them carrying out their
25 particular functions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: I am not too sure if there
2 are any facilities that are Agreement-State-licensed
3 as opposed to directly with the NRC in this area, but
4 you'll see a lot of collaboration among state agencies
5 on the Agreement States side for licensed activity for
6 their other types of inspection requirements or state
7 inspection requirements. In South Carolina, there's
8 even some cross-training inspectors to help keep it
9 coordinated and well organized.

10 MS. ROMAN: The comment -- this is a
11 comment that came up during our presentation to the
12 Subcommittee. I don't remember who asked, but
13 somebody asked about the safety-security interface, if
14 we are addressing that in the SRP.

15 We don't address anything related to
16 security in our SRP. We have several SRPs that are
17 for security. These are done by NSIR. Here I put a
18 list of the ones that we use for fuel-cycle
19 facilities.

20 I was talking to people in NSIR and they
21 told me that for nuclear power plants they have a
22 specific requirements that request them to address the
23 safety-security interface, but for fuel-cycle
24 facilities, we don't have a requirement.

25 MR. TSCHILTZ: Let me just expound on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that. We actually, after we got the comment from the
2 Subcommittee went and looked at where we could put
3 that guidance in because I think it's a good idea.
4 But we were stopped from doing that by OGC because
5 there is no specific legal requirement in the
6 regulations. But I should say that we are -- NSIR is
7 undertaking a Part 73 rulemaking for fuel-cycle
8 facilities and we intend to include that in there to
9 give us the regulatory authority to mention the
10 safety-security interface in this. So it will be
11 addressed. We just can't address it in this revision
12 to the reg guide, the SRP.

13 MEMBER BLEY: We were hoping you would
14 look into it in the future. I've got to go back and
15 look. I'm not -- I don't recall that the SRM that
16 said integrate them specifically was narrowed to
17 reactors. It sounds like you're saying OGC says it
18 is. But I'll go back and look.

19 MR. TSCHILTZ: The regulations
20 specifically address reactors right now don't address
21 fuel-cycle facilities.

22 MEMBER BLEY: But the Commission gave
23 direction to begin to pull them together and I don't
24 recall that that was pinned to reactors.

25 MEMBER POWERS: The SRM specifically said

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 all and it was highlighted.

2 MEMBER BLEY: Did it? Okay, I thought it
3 did.

4 MEMBER POWERS: And that was underlined
5 and bolded.

6 MEMBER BLEY: There is an SRM that is
7 pushing everybody in that direction and I think you
8 guys as well.

9 MR. TSCHILTZ: Right, and there is a Part
10 17 rulemaking that's on the plants.

11 MEMBER BLEY: When is that coming up?

12 MR. TSCHILTZ: I don't know the exact
13 schedule. I can get back to you with that. We
14 discussed it during a recent budget so it's not too
15 far off.

16 MEMBER BLEY: As I recall at the
17 Subcommittee, we weren't figuring you could get it in
18 here at this time, but we wanted --

19 MEMBER RYAN: Down the line, we'd
20 appreciate hearing more about that.

21 MS. ROMAN: Just the summary. In general,
22 the industry supports the incorporation of the ISG.
23 Also NEI supports the effort to remove vague guidance
24 and language that is not based on the existing
25 regulations. The general comments of the industry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 had were chemical standards for the workers and the
2 public, operating versus safety limits in Chapter 5.
3 And they were also concerned about the addition of
4 IROFS Boundary Packages as Mike mentioned before.

5 We don't have any new technical positions,
6 no new staff positions. We just provide better
7 linkage between regulations and sections of the
8 regulations.

9 Right now, we are planning to start a
10 concurrence process. OGC is reviewing the document.
11 We are planning to get Division approval by March and
12 then Office approval by April and then publish the
13 final SRP in May 2010.

14 MEMBER RYAN: Thank you. Any other
15 questions?

16 VICE CHAIR ARMIJO: What is the likelihood
17 of significant changes during these reviews and
18 concurrences?

19 MR. TSCHILTZ: OGC has already done a
20 review of our draft that we put out for public
21 comment. That's where we got the legal position that
22 there were no new technical positions provided by the
23 staff. I don't think the -- what we've changed since
24 then will result in a change in that determination.

25 MS. ROMAN: Actually, they contacted me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 today and they don't have significant changes, just
2 minor wordings, OGC at least.

3 MEMBER RYAN: Have you receive any
4 industry comments at this point, any other comments?

5 MR. TSCHILTZ: As I mentioned, at the
6 outset of the meeting, NEI has sent us a letter that
7 raises some concerns that we have yet to see. I think
8 they're just reiterating some of the points that they
9 made in their initial letter that we didn't accept or
10 we had a different opinion when we addressed the
11 public comments.

12 MEMBER STETKAR: One of the items you
13 mentioned and you might have mentioned it earlier in
14 the presentation is industry comments on the IROFS
15 Boundary Packages. Is NEI reluctant to do that?

16 MR. TSCHILTZ: On this specific letter
17 here --

18 MEMBER STETKAR: I'm curious why --

19 MR. TSCHILTZ: -- I can they've said in
20 the letter.

21 MEMBER STETKAR: That would be helpful.

22 MR. TSCHILTZ: It says, finally, we are
23 troubled by the inclusion of a new term not defined by
24 Part 70. Specifically, the draft NUREG includes the
25 term IROFS boundary package. The term is not based on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a regulatory requirement or any apparent safety basis
2 requiring the development and submittal of such
3 information by the licensee or applicant in
4 preparation for an NRC Operational Readiness Review.
5 All industry appreciates the need for well-informed
6 inspectors during an ORR. We respectfully suggest
7 that the NRC access the vast array of relevant
8 operations information available on site since the
9 cost to the industry of preparing such a package far
10 outweighs the potential additional NRC inspection time
11 and associated costs to both the NRC and its
12 licensees. That's the comment on the IROFS Boundary
13 Package.

14 VICE CHAIR ARMIJO: So this is a new
15 document, a new compilation of new information that
16 you would want them to prepare that they haven't
17 prepared in the past?

18 MR. TSCHILTZ: Yes. And we've
19 specifically written in license conditions that
20 require before we conduct the operational readiness
21 review that they prepare these and it came up in
22 discussions with potential applicants of what they
23 should be preparing during the licensing process and
24 that this is both helpful to the staff and I think to
25 the licensee through the applicants as well for them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to organize their safety program.

2 It's a significant challenge for an
3 inspector to go on site in one week and then pull this
4 all together, so I think in the end it will benefit
5 both parties. And it was intended to be that way.

6 VICE CHAIR ARMIJO: But these things
7 exist, the parts exist.

8 MR. TSCHILTZ: The parts exist.

9 VICE CHAIR ARMIJO: You're not asking them
10 to assemble them into these boundary packages which
11 they haven't done before.

12 MR. TSCHILTZ: Right.

13 MEMBER BLEY: But if I understood what
14 they were, the thing that bothered me -- I've never
15 worked my way through ISA, but from the way it was
16 described, it's a very large catalog without much
17 structure and this sounds like it would begin to add
18 some structure so you could help find your way through
19 it. Am I reading that right or --

20 MR. TSCHILTZ: I would say yes, that is
21 helpful. It isn't a requirement. It's one acceptable
22 means for them to demonstrate that the IROFS will be
23 available and reliable as it's claimed in their
24 analysis. So it's one of the ways we can help them
25 verify it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 VICE CHAIR ARMIJO: So if they didn't
2 prepare it, they could still provide the information
3 as they have it.

4 MR. TSCHILTZ: Right. I think we intend
5 to write license conditions for all new facilities to
6 require that they submit it before or have it
7 available before the operational readiness review, but
8 for existing facilities, they don't have them in all
9 cases. We don't require them. It's a different story
10 for existing facilities than it is for new facilities.

11 It was meant to be helpful in the clarification.

12 MEMBER RYAN: I would agree with you,
13 Dennis, it would be helpful and offer some structure.

14 MEMBER BROWN: We're going to be reviewing
15 an Interim Staff Guidance for digital instrumentation
16 and control for fuel facilities here in another month
17 and when looking through the SRP chapters I didn't see
18 anything that related to controls or safety protection
19 controls of the electronic stuff. Is that included in
20 here somewhere?

21 MR. TSCHILTZ: No, it's not.

22 MEMBER BROWN: I guess the point of my
23 question is when you all do a Standard Review Plan, it
24 is included for power reactors. There's a chapter to
25 address protection, so it's not part of the review

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 plan for licensing a new facility.

2 MR. TSCHILTZ: It would be included in the
3 revision, the next revision Standard Review Plan. We
4 were developing that guidance kind of in parallel with
5 this. It goes through the Interim Staff Guidance, as
6 you're well aware, goes through its own public vetting
7 process and that was a separate effort from this.
8 There are other areas that the Standard Review Plan
9 doesn't specifically address what we're looking at
10 including as well in future revisions.

11 VICE CHAIR ARMIJO: Well, there's a lot of
12 IROFS in that area.

13 MEMBER BROWN: Well, it talked about the
14 IROFS that were associated with it and we had
15 questions at that time relative to the redundancies
16 and independence and the whole world was different.

17 MEMBER RYAN: You still have the Interim
18 Staff Guidance mechanism.

19 MEMBER BROWN: Yes, we have that. I
20 didn't see any basis thing that was covered previously
21 like there was for some of the other ones in the power
22 reactor world. So that's to come is what you're
23 saying.

24 I view this like you've got this other
25 piece coming and some time it will have to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 incorporated in here.

2 MR. TSCHILTZ: Yes, I think that's what we
3 intend. The Interim Staff Guidance is out there and
4 it will be incorporated in the next revision to the
5 Standard Review Plan.

6 MR. DAMON: I thought it might be helpful
7 for the Members -- have I mentioned -- to sort of
8 describe what the nature of the facilities are with
9 respect to the documentation, the documents we're
10 talking about that there's quite a variation among
11 facilities for one thing. For example, the number of
12 items relied on for safety in a plant varies between
13 60 and about 2,000. Some plants have a huge number.
14 Others have a very small number.

15 VICE CHAIR ARMIJO: That tells you
16 something, doesn't it?

17 MR. DAMON: Yes. Different plants -- an
18 ISA summary may be two three-ring binders. That's
19 what gets sent to the NRC. The ISA documentation, the
20 Subpart H requires not only documenting the ISA
21 itself, but what's called process safety information.

22 So anything about the processes that needs to be
23 described to deal with safety, that might be a whole
24 room full of filing cabinets, so that's the scale of
25 things we're talking about in terms of documentation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and the variability of it, among licensees.

2 VICE CHAIR ARMIJO: I would hope it was
3 electronic format.

4 MR. DAMON: I know BWXT, for one, their
5 whole thing, they were the first ones to do this.
6 They had whole things on computers, you know.

7 VICE CHAIR ARMIJO: So assembling
8 compilation would be --

9 MR. DAMON: If they had it organized
10 right, they could pull it together electronically.

11 MEMBER RYAN: All right, any other
12 questions or comments?

13 Well, ladies and gentlemen, thank you
14 again for a nice briefing for the Full Committee and I
15 appreciate the depth you went into for the
16 Subcommittee. It was very, very helpful and you've
17 done some good work, we think. So thank you very
18 much.

19 Mr. Chairman?

20 CHAIR ABDEL-KHALIK: Thank you. We will
21 take a break at this time. We'll take a 15-minute
22 break until a quarter to 5.

23 Before we go off, however, the schedule
24 has changed. The Agency has allowed all staff, if
25 they wish, to stay home tomorrow, and therefore the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 people who were supposed to make a presentation to us
2 in the morning have opted not to do so.

3 (Laughter.)

4 Therefore, our agenda has now changed. We
5 will stay tonight until 9 p.m. with the aim of
6 producing as many of the three letters that we heard
7 discussions of as possible. We'll start with the
8 highest priority which is the aircraft impact rule and
9 then we'll decide on which of the other two to take
10 second and then third, if there is time.

11 Tomorrow, there will be no presentation
12 and therefore, the meeting will adjourn at 9 p.m.
13 tonight. We are off the record.

14 (Whereupon, the above-entitled matter went
15 off the record at 4:28 p.m.)

16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



Revision of RG 1.62

“Manual Initiation of Protective Actions”

Khoi Nguyen
Division of Engineering
Office of Nuclear Regulatory Research

Revision of RG 1.62
“Manual Initiation of Protective Actions”

- Background
- Summary of Changes
- Proposed Changes to Regulatory Positions
- ACRS Subcommittee Comments and Resolutions
- Public Comments and Resolutions

Background

- Current regulatory guide – Has not been updated since October 1973
- Current standard referenced – IEEE Std 279-1971
- Latest standard endorsed by NRC (10 CFR 50.55a(h))– IEEE Std 603-1991
- Current regulatory guide does not address diverse manual initiation

Summary of Changes

- Updated to reference IEEE Std 603-1991 in addition to IEEE Std 279-1971
- Expanded the scope to:
 - Incorporate guidance for diversity and defense-in-depth (D3) in digital computer-based I&C systems (BTP 7-19) with respect to manual initiation of protective actions
 - Provide the applicant/licensee an option to pursue either safety-related and nonsafety manual initiations separately or a single safety manual initiation

Proposed Changes to Regulatory Positions

- **Position 1:** Changes “system level” to “division level”
- **Position 2:** Changes “system level” to “division level”
- **Position 3:**
 - Changes “system level” to “division level”
 - Incorporates information display requirements from IEEE Std 603-1991
- **Position 4:** Removes minimum-common-equipment guidance (D3 guidance is now covered under new Regulatory Position 7)

Proposed Changes to Regulatory Positions (Cont.)

- Position 5: No changes
- Position 6: Updates reference to IEEE Std 603-1991
- Position 7 (New): Incorporates diversity guidance for manual initiation of protective actions (BTP 7-19)
- Position 8 (New): Allows an optional manual initiation that satisfies both requirements of IEEE Std 603-1991 and BTP 7-19 guidance.

ACRS Subcommittee Comments and Resolutions

1. Comment: Clarify the scope of the RG with regard to response time (time available and time required)
Resolution: the staff agrees. Response time is an HFE factor and should not be part of the scope of the RG, which provides guidance on design and installation for manual initiation of protective actions. The paragraph that contains response time will be removed from the RG. The SRP (Chapter 18¹) will provide guidance on response time.

¹ Until Appendix A of Chapter 18 is approved, ISG 5 provides the response time guidance.

2. Comment: Could there be manual actions for systems classified as regulatory treatment of nonsafety systems (RTNSS) in new passive reactors? Does any guidance exist to help people deal with RTNSS?

Resolution:

- Systems classified as RTNSS may be required after 72 hours of an initiating event and may have automatic as well as manual controls. However, the revision of RG 1.62 applies to manual initiation of protective actions, which are required within 72 hours of an initiating event.
- Regulatory Guide 1.206, “Combined License Applications for Nuclear Power Plants,” provides guidance to handle the RTNSS in passive advanced light-water reactors.

3. Comment: the second word “or” in second paragraph of the Implementation section should be changed to “to”.

Resolution: The staff agrees that the current language in the mentioned section is not clear and should be revised to read:

*“In some cases, applicants or licensees may propose **an alternative** or use a previously established acceptable alternative method for complying with specified portions of the NRC’s regulations.”*

1. Comment: A suggestion to revise the final Rev. 1 of RG 1.62 to include text that allows system level manual actuation that meets single failure criteria and independence requirement.

Resolution: Section A (page 2, 4th paragraph) of the RG states "*Finally, the standard defines a “division” as “the designation applied to a given **system** or set of components that enables the establishment and maintenance of physical, electrical, and functional independence from other redundant sets of components.”*

Public Comments and Resolutions (Cont.)

Thus, the RG already covers the designs in which system level manual initiation that meet independence and single failure criteria are acceptable. A revision to the Final Rev. 1 of RG 1.62 is not necessary.

Public Comments and Resolutions (Cont.)

2. Comment: How to accomplish Position 8 (single safety manual initiation that satisfies IEEE 603 and BTP 7-19)?

Resolution: There are some new reactor designs that satisfy this position. For example, in the U.S. EPR, the reactor trip buttons in the main control room are hardwired. Pressing one manual reactor trip button sends a signal directly to its divisional reactor trip breakers and opens the breakers for that division. The manual reactor trip is safety-related and meets all the requirements of IEEE Std. 603. Since it is not programmable technology, there is no potential for a software CCF. Therefore, it also meets Position 4 of BTP 7-19 by providing system-level manual actuation for the diverse actuation system reactor trip functions.

As another example, the design of the Oconee Reactor Protection / Engineered Safety Features Actuation System features safety-related manual initiations (meeting IEEE Std 603 requirements) connected to the downstream of the system outputs (satisfying BTP 7-19) as shown in Figure 1.

Public Comments and Resolutions (Cont.)

New ESPS Channel Interconnections





Figure 1

End of the Presentation

Revision 1 to the Standard Review Plan for the Review of a License Application for a Fuel Cycle Facility (NUREG-1520)

February 4, 2010



Agenda

- ACRS Opening Remarks
- FCSS Opening Remarks
- Overview of changes to NUREG-1520
- Public comments and disposition
- Summary
- Questions/Comments

Overview of Changes

- **Introduction**

Chapter 1, General Information

Chapter 2, Organization and Administration

Chapter 3, ISA & ISA Summary

Chapter 4, Radiation Protection

Chapter 5, Nuclear Criticality Safety

Chapter 6, Chemical Safety

Chapter 7, Fire Safety

Chapter 8, Emergency Management

Chapter 9, Environmental Protection

Chapter 10, Decommissioning

Chapter 11, Management Measures

Background

- The Commission promulgated a major amendment to Part 70 on September 18, 2000 (65 FR 56211).
- The amendment, which primarily involved the addition of subpart H to 10 CFR part 70,
 - identifies appropriate consequence criteria and the level of protection needed to prevent or mitigate accidents that equal or exceed these criteria;
 - requires affected licensees to perform and maintain an integrated safety analysis (ISA) to identify potential accidents at the facility and the items relied on for safety necessary to prevent these potential accidents and/or mitigate their consequences;
 - requires the implementation of management measures to ensure that the items relied on for safety are available and reliable to perform their function when needed; requires the inclusion of the safety bases, including a summary of the ISA, with the license application; and
 - allows for licensees to make certain changes to their safety program and facilities without prior NRC approval.
- On March 2002, NRC staff published NUREG-1520 to address the new requirements of the revised Part 70..

Background (cont'd)

- Ten years after the addition of Subpart H, the staff has updated the SRP to:
 - incorporate lessons learned from licensing experience and provide technical clarifications;
 - improve linkage of review content to regulatory requirements;
 - incorporate Interim Staff Guidance positions and update references;
 - add a new subsection: “Review Interfaces”;
 - reformat the chapters for consistency with NUREG format;
 - add additional guidance, clarification, and references for meeting regulatory requirements;
 - remove redundant and vague guidance, non-requirements and commitments to follow the regulations

Introduction

ISA Completeness

- 10 CFR 70 does not require a final facility design.
- The facility design must be to the point that enables identification of all
 - credible accident sequences that could exceed the performance requirements in 10 CFR 70.61 and
 - items relied on for safety used to reduce the likelihood of a credible accident sequence with high or intermediate consequences.
- All credible accident sequences and the items relied on for safety must be identified in the ISA Summary.
- Accident sequences that result in consequences below the performance requirements of 10 CFR 70.61 should be evaluated by the applicant; however, the applicant is not required to provide this information in the ISA Summary.
- The introduction was updated to clarify these points.

Introduction

IROFS Boundary Packages

- Regulations in 10 CFR 70 do not explicitly require the licensee to provide an “IROFS Boundary Package”. However, the licensee’s safety program must ensure that each IROFS will be available and reliable to perform its intended function when needed (10 CFR 70.61(e)).
- Staff believes that in order to evaluate the availability and reliability of an IROFS through inspection, the support systems that are essential to the IROFS performing its safety function (i.e. within the boundary of the IROFS) need to be specified.
- Support systems that could prevent the IROFS from performing the intended function should be considered in the licensee’s safety analysis and provided for Staff review.
- The development of IROFS boundary packages is an acceptable means to provide the information needed to determine that the IROFS will be available and reliable to perform its safety function consistent with the assumptions made in the analyses.

Chapter 3, ISA & ISA Summary

- Addition of Appendix 3E: Human Factors Engineering for Personnel Activities.

Chapter 5, Criticality

- There is no specific requirement to commit to operating limits therefore the phrase “NCS operating limits for controls” has been removed and replaced by “and procedures for establishing operating limits”.
- Chapter 5 was reformatted to create a clearer distinction between the review of the license application, the NCS program and the safety program review.

Chapter 6: Chemical Safety

- Hazardous Chemical Definition:
 - Substances that are toxic, explosive, flammable, corrosive, or reactive to the extent that they can endanger life or health if not adequately controlled.
- Hazardous chemicals produced from licensed materials (§70.4):
 - Substances having licensed material as precursor compound (s) (e.g. include substances such as hydrogen fluoride that is produced by the reaction of uranium hexafluoride and water) or
 - Substances that physically or chemically interact with licensed materials;
 - Do not include substances prior to process addition to licensed material or after process separation from licensed material.
- Hazardous chemicals that are not produced from licensed material, but that could create a condition that might affect the safety of licensed materials and thus present an increased radiation risk to workers are also considered by NRC (NRC-OSHA MOU, 1988).

Chapter 6: Chemical Safety (cont'd)

- Performance requirements related to chemical exposures (10 CFR 70.61)
 - The risk of each credible high or intermediate consequence event should be limited.
 - IROFS shall be applied to the extent needed to reduce the likelihood of occurrence of the event or its consequences are less severe.

Chapter 6: Chemical Safety (cont'd)

Risk Matrix Based on 10 CFR 70.61

Severity of Consequences	Likelihood of Occurrence		
	Highly Unlikely	Unlikely	Not Unlikely
High Consequences	Acceptable Risk	Unacceptable Risk	Unacceptable Risk
Intermediate Consequences	Acceptable Risk	Acceptable Risk	Unacceptable Risk
Low Consequences	Acceptable Risk	Acceptable Risk	Acceptable Risk

Chemical Exposure Consequence Severity Categories

	Workers	Public	References
High Consequences	Endanger life of a worker	Could lead to Irreversible or other serious, long-lasting health effects to any individual located outside the controlled area.	70.61(b)(4)(i) 70.61(b)(4)(ii)
Intermediate Consequences	Could lead to Irreversible or other serious, long-lasting health effects to any individual located outside the controlled area.	Could cause mild transient health effects to any individual located outside the controlled area.	70.61(c)(4)(i) 70.61(c)(4)(ii)

Chapter 6: Chemical Safety (cont'd)

- 10 CFR 70.61(b)(4) and 10 CFR 70.61 (c)(4):
 - "...If an applicant possesses or plans to possess quantities of material capable of such chemical exposure, then the applicant shall propose appropriate quantitative standards for these health effects, as part of the information submitted pursuant to 70.65 of this subpart."
- 10CFR70.65(b)(7) requires:
 - "A description of the proposed quantitative standards used to assess the consequences to an individual from acute chemical exposures to licensed material or chemicals produced, from licensed material...70.61(b)(4) and (c)(4)."
 - The requirement in 70.65(b)(7) clearly applies to both high consequence events[70.61(b)(4)] and intermediate consequence events [70.61(c)(4)], and **does not distinguish between workers (i) and member of the public (ii)**.
 - **These quantitative standards are not limited to inhalation exposures.**

Chapter 6: Chemical Safety (cont'd)

- Quantitative Standards for Chemical Exposures
 - Industry doesn't agree with NRC's interpretation of the rule [1, 2].
 - Specifically, that 10 CFR Parts 70.61 and 70.65 require licensees to develop quantitative standards for dermal exposures of workers exposed to liquid hydrofluoric acid or other chemicals that could cause a skin exposure which could either endanger the life of a worker or lead to irreversible or other serious long-lasting health effects.
 - Industry discussed topic with NRC during a public meeting (November 12, 2009) [3].
 - The industry stated that the NRC staff implicitly agreed with the industry's interpretation (i.e., that the Commission's regulation only require the evaluation of internal chemical exposures) when staff approved past site-specific ISA Summaries.[2]

REFERENCES:

[1] LETTER, NEI TO NRC SEPTEMBER 8, 2008; ADAMS ACCESSION NUMBER ML083360632

[2] LETTER, NEI TO NRC, FEBRUARY 24, 2009; ADAMS ACCESSION NUMBER ML090690732

[3] MEETING SUMMARY OF NOVEMBER 12, 2009 MEETING WITH INDUSTRY TO DISCUSS DERMAL EXPOSURE ISSUES; ADAMS ACCESSION NUMBER ML093200082



Chapter 6: Chemical Safety (cont'd)

- The NRC staff has examined several prior approved ISA Summaries, and has determined that a number of these summaries address both internal and external chemical exposures, and some make specific reference to hydrofluoric acid spills and/or dermal exposures [4].
- For example, licensee ISAs or ISA Summaries have been noted to:
 - address liquid hydrofluoric acid (HF) spills and include "...personnel exposure to liquid HF ..." Items Relied On For Safety (IROFSs) include piping integrity and HF detectors, which would alarm due to HF evaporating from the spill. Other scenarios include HF and uranium hexafluoride (UF₆) releases, and IROFS include first aid and safety showers;
 - discuss exposures to wet nitric acid and HF;
 - recognize that a large spill of HF could result in serious injury to a worker from both inhalation (respiratory) and contact (skin) exposure; and
 - address large liquid HF spills; associated IROFSs include both HF and Hydrogen detectors.

REFERENCE:

[4] LETTER, NRC TO NEI, JUNE 12, 2009; ADAMS
ACCESSION NUMBER ML090920296

Chapter 6: Chemical Safety (cont'd)

- There has been no new interpretation of existing Part 70 requirements.
- Staff revised the SRP to improve clarity, however our position regarding chemical exposures remained unchanged.
- The applicant's ISA should evaluate the degree of hazard and routes of entry of the hazardous chemicals.

Chapter 7: Fire Safety

- Deviation from NFPA Codes
 - Section 7.4.3.2 was updated to reflect the authority granted to local and state officials in regard to design for fire safety and code compliance for fuel cycle facilities.
 - The revision establishes that NRC is the authority having jurisdiction (AHJ) for IROFS relative to their nuclear safety and designates the Director of the Office of Nuclear Material Safety and Safeguards as the AHJ on such issues.

Additional comments

Safety Security Interface

- Security reviews are conducted by NSIR utilizing
 - Category I:
 - **NUREG-1322**, Physical Security Plan Acceptance Criteria
 - **NUREG-6668**, Training and Qualification Plan Standard Review Plan
 - **NUREG 6667**, Safeguards Contingency Response Standard Review Plan
 - **Regulatory Guide 5.70**, Guidance for the Application of the Theft and Diversion of Category I Special Nuclear Material Design Basis Threat in the Design, Development, and Implementation of a Physical Security Program that meets 10 CFR 73.45 and 73.46 Requirements (U) (Confidential)
 - Category II/III:
 - **Regulatory Guide 5.59**, Standard Content and Format for Physical Protection of SNM of Low and Moderate Strategic Significance
 - Category I/II/III:
 - **NUREG-1615**, Physical Protection requirements for Category I/II/III Fuel Cycle Facilities
- No specific regulatory requirement for consideration of safety/security interface for Part 70 licensees.
- Required by 10 CFR Part 73 for nuclear power plants.
- For fuel cycle facilities this is currently not specifically required. Staff will evaluate adding this consideration during an upcoming Part 73 rulemaking.

Summary

- Industry supports the incorporation of the previously established interim staff guidance documents
- NEI supports the effort to remove vague guidance and language that is not based on the existing rule
- The industry had comments about the following topics:
 - Chemical standards for workers and public
 - Operating versus safety limits
 - Concerned about the addition of IROFS Boundary Packages definition

References:

Letter from Janet R. Schlueter, Senior Project Manager, NEI to provide industry comments on NUREG-1520 (October 23, 2009).

Staff Response to Comments Received on Draft, NUREG-1520, Revision 1 (



Summary (cont'd)

- No new technical positions
- No new staff positions
- Better linkage between review sections and the regulations

Schedule

- ACRS Presentation—February 4, 2010
- Concurrence
 - OGC Review—February 2010
 - Division Approval—March 2010
 - Office Approval—April 2010
- FRN and Manuscript Publication—May 2010

References

- Federal Register Notice: Proposed Revisions to NUREG-1520 (ML091470567)
- Memo to E. Hackett re: Transmittal of the Proposed Revision to NUREG-1520 to the ACRS (ML091610106)
- Memo to J. E. Lyons re: Transmittal of the proposed revision to NUREG-1520 to the CRGR (ML091610661)
- Draft Proposed Revision to NUREG-1520, Standard Review Plan for the Review of a License Application for a Fuel Cycle Facility (ML091670528)
- Federal Register Notice NUREG-1520, Rev. 1 - Comment Period Time Extension (ML092220186)
- Summary of Public Meeting with NEI to Discuss Revision 1 to NUREG-1520, "Standard Review Plan for the Review of License Application for a Fuel Cycle Facility." (ML092880360)
- Resolution of Comments Received on Draft NUREG-1520, Rev 01 (ML093451424)

WebPages

- Web pages
 - Proposed revision available in the Agencywide Documents Access and Management System (ADAMS):
<http://www.nrc.gov/reading-rm/adams.html>
 - Draft is available in the Public Website “Draft NUREG-Series Publications for Comments” <http://www.nrc.gov/reading-rm/doc-collections/nuregs/docs4comment.html>
 - NUREG1520 Website: <http://www.nrc.gov/reading-rm/doc-collections/nuregs/staff/sr1520/>



Questions are welcome!