

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
573rd Meeting

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Wednesday, June 9, 2010

Work Order No.: NRC-298

Pages 1-116

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 573RD MEETING

5 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

6 + + + + +

7 WEDNESDAY,

8 JUNE 9, 2010

9 + + + + +

10 ROCKVILLE, MARYLAND

11 + + + + +

12 The Advisory Committee convened in Room
13 T2B1 at the Nuclear Regulatory Commission, Two White
14 Flint North, 11545 Rockville Pike, at 8:30 a.m., DR.
15 SAID ABDEL-KHALIK, Chairman, presiding.

16 MEMBERS PRESENT:

17 SAID ABDEL-KHALIK, Chair

18 J. SAM ARMIJO, Vice Chair

19 DENNIS C. BLEY

20 MARIO V. BONACA

21 MICHAEL CORRADINI

22 DANA A. POWERS

23 HAROLD B. RAY

24 MICHAEL T. RYAN

25 WILLIAM J. SHACK

26 **NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MEMBERS PRESENT (Continued):

JOHN D. SIEBER

JOHN W. STETKAR

NRC STAFF PRESENT:

ROBERT ROCHE-RIVERA

JOSE PIRES

SYED ALI

DON DUBE

GOUTAM BAGCHI

GARY COMFORT

ANDREW CARRERA

ALSO PRESENT:

JOSEPH BRAVERMAN

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

TABLE OF CONTENTS

AGENDA ITEM	PAGE
1) Opening Remarks by the ACRS Chairman	4
1.1) Opening statement	4
1.2) Items of current interest	5
2) Draft Final Regulatory Guide (RG) 1.216, "Containment Structural Integrity Evaluation for Internal Pressure Loadings Above Design-Basis Pressure"	6
2.1) Remarks by the Subcommittee Chairman	6
2.2) Briefing by and discussions with representatives of the NRC staff	8
5) Proposed Rulemaking on Distribution of Source Materials to Exempt Persons and to General Licensees and Revision of General License and Exemptions	51
5.1) Remarks by the Subcommittee Chairman	51
5.2) Briefing by and discussions with representatives of the NRC staff	52

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:27 a.m.)

1) OPENING REMARKS BY THE ACRS CHAIRMAN

1.1) OPENING STATEMENT

CHAIR ABDEL-KHALIK: The meeting will now come to order. This is the first day of the 573rd meeting of the Advisory Committee on Reactor Safeguards.

During today's meeting, the Committee will consider the following: draft final regulatory guide 1.216, "Containment Structural Integrity Evaluation for Internal Pressure Loadings Above Design-Basis Pressure; two, discussion of topics for a meeting with the Commission; three, meeting with the Commission; four, proposed rulemaking on distribution of source materials to exempt persons and to general licensees and revision of general license and exemptions; five, preparation of ACRS reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Ms. Zana Abdullahi is the designated federal official for the initial portion of the meeting.

We have received no written comments or requests for time to make oral statements from members

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of the public regarding today's sessions. There will
2 be a phone bridge line. To preclude interruption of
3 the meeting, the phone will be placed in a listen-in
4 mode during the presentations and Committee
5 discussions.

6 A transcript of portions of the meeting is
7 being kept. And it is requested that the speakers use
8 one of the microphones, identify themselves, and speak
9 with sufficient clarity and volume so that they can be
10 readily heard.

11 1.2) ITEMS OF CURRENT INTEREST

12 CHAIR ABDEL-KHALIK: I will begin with
13 some items of current interest. Duncan White joined
14 the ACRS staff for a three-month rotational assignment
15 as Branch Chief for Reactor Safety Branch B on May
16 24th, 2010.

17 He has been with the NRC since 1991.
18 Prior to joining the ACRS staff, Mr. White worked as a
19 senior materials and decommissioning inspector and
20 license reviewer and regional states agreement officer
21 in region I and most recently as Branch Chief for the
22 Agreement State Programs Branch in FSME.

23 Mr. White received a Bachelor's degree in
24 environmental science from Cook College, a Master's
25 degree in radiation science from Rutgers University,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and is a certified health physicist.

2 Christopher Mehrvarzi recently joined the
3 ACRS as a student engineer and summer intern. Mr.
4 Mehrvarzi is a junior at Virginia Tech, where he is
5 pursuing a Bachelor's degree in mechanical
6 engineering.

7 He will be working with ACRS senior
8 technical adviser Dr. Hossein Nourbaksh on developing
9 an historical perspective on ACRS review of the PWR
10 sump performance issue.

11 Welcome aboard.

12 (Applause.)

13 2) DRAFT FINAL REGULATORY GUIDE 1.216

14 CHAIR ABDEL-KHALIK: At this time we will
15 go to item number 2 on the agenda, "Draft Final Reg
16 Guide 1.216, 'Containment Structural Integrity
17 Evaluation for Internal Pressure Loadings Above
18 Design-Basis Pressure." Dr. Shack will lead us
19 through that discussion.

20 Dr. Shack?

21 2.1) REMARKS BY THE SUBCOMMITTEE CHAIRMAN

22 MEMBER SHACK: Okay. Our Subcommittee for
23 Regulatory Policies and Practices met on May 19th. We
24 heard a presentation from the staff on the draft final
25 reg guide 1.216.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 This is a new regulatory guide that's
2 intended to be applied to new light water reactor
3 designs to demonstrate containment structural
4 integrity as it relates to predictions of the ultimate
5 pressure, internal pressure, capacity, the capacity to
6 withstand a hydrogen burn associated with severe
7 accidents, and Commission expectations for containment
8 performance during severe accidents.

9 It references and relies on other reg
10 guides that specify acceptable approaches for ensuring
11 containment integrity for design-basis conditions, a
12 familiar analysis.

13 During that May 19th meeting, the staff
14 presented some of its responses to questions and
15 comments that they had received from our consultant:
16 Bozidar Stojadinovic. And these are primarily
17 directed at clarifications in the language.

18 The staff's response to that guidance
19 contained some changes they had proposed to make in
20 the reg guide that would address the comments. And we
21 expect the final version of the reg guide would
22 contain these changes.

23 I'll call upon NRC staff, Robert
24 Roche-Rivera of the Office of Research, to begin.

25 MR. ROCHE-RIVERA: Thank you, Dr. Shack.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 2.2) BRIEFING BY AND DISCUSSIONS WITH
2 REPRESENTATIVES OF THE NRC STAFF

3 MR. ROCHE-RIVERA: Good morning. My name
4 is Robert Roche-Rivera. And today I will be
5 presenting on reg guide 216, 1.216, on containment
6 structural integrity evaluation for internal pressure
7 loading above the scientific pressure.

8 Here with me is Jose Pires and Joseph
9 Braverman. Jose and I are from the Office of
10 Research. And Joseph Braverman is our contractor from
11 BNL for this effort.

12 The agenda for this presentation today
13 includes background, objective, and description of
14 regulatory guide 1.216.

15 In regards to the background of this
16 regulatory guide, this new regulatory guide, as Dr.
17 Shack mentioned, is intended to ensure appropriate and
18 consistent implementation of regulatory criteria
19 related to structural integrity of the containment for
20 beyond design-basis pressure loadings. The guidance
21 in this regulatory guide is deterministic in nature
22 and is intended to be applicable for new light water
23 reactors.

24 Part of the motivation for this regulatory
25 guide was to complement and consolidate guidance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pertaining to containment structural integrity
2 evaluation for internal pressure loadings above
3 design-basis pressure.

4 Specific aspects addressed in this
5 guidance include the prediction of the internal
6 pressure capacity above design-basis accident
7 pressures of containment structures, containment
8 structural integrity evaluation elated to combustible
9 gas control, and also containment structural integrity
10 evaluation related to the prevention and mitigation of
11 severe accidents.

12 Additional motivation for this regulatory
13 guide was based on the issues identified during
14 licensing reviews. Some examples of these issues
15 identified during licensing reviews includes that some
16 of the applicants were using internal pressure loading
17 for the combustible gas generation inside containment
18 equal to 45 psig, without the consideration of
19 pressures generated by a 100 percent fuel
20 cladding-water reaction.

21 Also, we received questions regarding what
22 were the severe accidents and what criteria should be
23 considered for the evaluations of containment
24 structure and integrity in order to address the
25 containment performance goals, Commission's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 performance goals, identified in SECY-93-087.

2 Here for your reference, we're just
3 showing the time line for this reg guide. Things that
4 I would like to highlight from this time line, we
5 received the public comments on February 2009 and we
6 conducted a public meeting on October 2009. During
7 this time frame, we formed the working group to
8 address these public comments and the evaluation of
9 the public comments and also taking into consideration
10 some of the recommendations from the staff consulted,
11 of course, in the preparation of the draft guide.

12 Today we are having this meeting here for
13 the full Committee. And the expectation with regards
14 to having this regulatory guide publicly available is
15 to have it by July 200.

16 So this regulatory guide includes three
17 regulatory positions. The objective is to provide
18 guidance on methods acceptable to the NRC staff on
19 predicting the internal pressure capacity for
20 containment structures above the design-basis accident
21 pressures, demonstrating containment structural
22 integrity related to combustible gas control, and
23 demonstrating containment structural integrity for an
24 analysis that addresses the Commission's performance
25 goals for the prevention and mitigation of severe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 accidents.

2 Going over regulatory position 1, this is
3 prediction of containment internal pressure capacity
4 above the design-basis pressure. The purpose of this
5 regulatory position is to provide an acceptable method
6 for predicting the internal pressure capacity for
7 containment structures above the internal pressure for
8 the design-basis LOCA.

9 Now, this pressure capacity is one at
10 which the structural integrity is retained and the
11 failure leading to a significant release of fission
12 products does not occur.

13 This regulatory position is intended to be
14 consistent with sections of the SRP. The pertinent
15 sections are listed here for your reference: 3.8.1
16 and 3.8.2.

17 Some of the aspects addressed by this
18 regulatory position include staff expectations
19 regarding the use of a nonlinear finite element
20 analysis to evaluate the containment response. And
21 also the staff expectations regarding the use of a
22 simplified method include strain limits for the
23 evaluation and concrete failure modes near
24 discontinuities.

25 Regarding the simplified evaluation,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 again, the regulatory position is intended to be
2 consistent with SRP sections with the only difference
3 of validation and clarification listed here for your
4 reference; that is, your position regarding the
5 verification of concrete shear and axial compression
6 failures and also clarification for the people who
7 strain includes the strains associated with initial
8 prestressing and the strains associated, plus the
9 strains associated, with pressurization. We're also
10 defining the global free field hoop strains for the
11 prestressed containment.

12 Information in regulation to regulatory
13 position 1 of this regulatory guide should be reported
14 on section 3.8 of the FSAR.

15 Regulatory position number 2 is
16 combustible gas control inside containment. The
17 purpose of this regulatory position is to provide an
18 acceptable method to evaluate containment structural
19 integrity to pressure loadings associated with
20 hydrogen generation due to the reaction between fuel
21 cladding and the water coolant.

22 This position is where we are addressing
23 one of the issues, sample issues, mentioned before in
24 discussing the reaction where some of the applicants
25 were using 45 psig without the consideration of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fuel cladding-water reaction. And basically we're
2 also complementing regulatory 1.7, which provides
3 acceptance criteria.

4 Acceptance criteria is at service level C
5 and factor low cladding water requirements of the ASME
6 code for steel and concrete containment, respectively.

7 It's unacceptable where it establishes the limit for
8 this evaluation. It's considered acceptable by the
9 staff.

10 The clarification regarding the load is
11 that the load that should be used for this evaluation
12 consists of that load plus the higher of the two cases
13 listed here for your reference, which is pressure
14 arising from fuel cladding-water reaction; hydrogen
15 burning; and post-accident inerting, if applicable; or
16 45 psig. For this evaluation, we reference the method
17 indicated in regulatory position 1 as acceptable for
18 conducting the evaluation, of course, taking some
19 exceptions as indicated in the regulatory guide.

20 VICE CHAIR ARMIJO: What is the reason for
21 picking the higher of those two pressures? If you
22 calculate the 100 percent fuel cladding-water reaction
23 and get a pressure from that and it's less than 45
24 psig --

25 MR. ROCHE-RIVERA: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR ARMIJO: -- you still require
2 that they use the 45 psig. And I was wondering why.

3 MR. ROCHE-RIVERA: This is the criteria
4 that has been considered acceptable by the NRC staff.
5 And it was also included in the regulations,
6 actually.

7 MEMBER SHACK: I think that is one thing
8 to point out here, that in this case the acceptance
9 criteria are set somewhere else, both this case --

10 VICE CHAIR ARMIJO: That is in a rule
11 somewhere?

12 MEMBER SHACK: Yes. You know, in this
13 case it's the rule. In the next one, it's Commission
14 policy SRMs. And so this is really telling you how to
15 address that guidance.

16 MR. BRAVERMAN: This is Joe Braverman from
17 BNL.

18 I think that the concern was that you are
19 supposed to use the hydrogen pressurization itself,
20 but the concern was if the applicant develops
21 pressurization that's too low, that I guess the
22 Commission and staff --

23 MEMBER SHACK: They want it to be higher.

24 MR. BRAVERMAN: -- found value not to go
25 lower. Also, this specific guidance is in reg guide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 1.7. So we're just being consistent with what is in
2 there now.

3 VICE CHAIR ARMIJO: So this is just a
4 straight conservatism?

5 MR. BRAVERMAN: Yes. The problem --

6 VICE CHAIR ARMIJO: The highest pressure
7 you can get is whether it's calculated or given to
8 you.

9 MR. BRAVERMAN: Well, it's calculated, but
10 you make sure if that calculated number is too low,
11 that the applicant utilizes at least 45 because in one
12 of the applicants for design certification, they
13 misinterpreted reg guide 1.7. And they just went to
14 45 psi directly. So this reg guide --

15 VICE CHAIR ARMIJO: That was in error.
16 But let's say they did the calculation properly and
17 they came up with 30 psig, --

18 MR. BRAVERMAN: Right.

19 VICE CHAIR ARMIJO: -- they reacted to all
20 the cladding possible. I still don't understand the
21 logic of forcing them to use 45 when the number
22 assuming it was done correctly was 30. And you're
23 just saying it's a given.

24 MR. BRAVERMAN: That's right.

25 VICE CHAIR ARMIJO: Okay. A deterministic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 --

2 MEMBER SHACK: It's not the concern of
3 this reg guide.

4 MEMBER CORRADINI: Well, can I just get a
5 clarification, though, Bill, or from some of the
6 staff? I don't understand. Is it that the rule
7 states 45 or that you simply want to be consistent
8 with other reg guides? Because I am kind of with Sam
9 on this.

10 If I have a new design and by the way of
11 the design, there is no way based on this as the
12 reason to get to some pressure, there's no way to get
13 to that pressure, why have that as a lower bound?

14 MEMBER SHACK: Well, right now --

15 MEMBER CORRADINI: Why can't the lower
16 bound be 100 percent metal-water reaction with
17 hydrogen burning?

18 MEMBER SHACK: Yes.

19 MEMBER CORRADINI: I guess that was kind
20 of Sam's question.

21 MEMBER SHACK: Yes.

22 MEMBER CORRADINI: But I guess I don't
23 appreciate how the interplay of this is with other reg
24 guides and the rule. So can you kind of explain that
25 to me.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BRAVERMAN: Go ahead.

2 MR. ROCHE-RIVERA: I mean, the one thing,
3 as he mentioned, yes, we want to be consistent with
4 regulatory guide 1.7. But I must say that this limit
5 was also incorporated in the rule at some point.

6 MEMBER CORRADINI: So the rule states 45?

7 MR. ROCHE-RIVERA: Yes, specifically
8 applicable to operating reactors.

9 MEMBER CORRADINI: Okay. Okay. But I
10 thought this was for --

11 MR. ROCHE-RIVERA: Yes. For new reactors,
12 the rule states an exemption. Again, the staff still
13 considers that 45 psig to be an acceptance criteria
14 for this evaluation.

15 CHAIR ABDEL-KHALIK: Why is that?

16 VICE CHAIR ARMIJO: I just don't
17 understand that, you know. It's just arbitrary.

18 MEMBER BLEY: To be acceptable is
19 different than this is the opposite that says you
20 manage to allow us to be acceptable. Maybe there is
21 another way to be acceptable.

22 MR. PIRES: If I may say, the main
23 clarification here was not that people were,
24 applicants were, going below 45 psig. The main issue
25 here that was being clarified was that the applicants

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 were just using 45 psig when 100 percent fuel
2 cladding-water reaction was actually higher than 45.
3 And they thought that by using 45, that it would be
4 sufficient. That was the issue that arose during
5 refuels.

6 MEMBER CORRADINI: Okay. But let me just
7 postulate. So I want to make sure I understand this
8 because let's say somebody comes up with a new design
9 that we have yet to see in some sort of certification
10 and they come up with a containment design that given
11 their core size, given their --

12 MEMBER SHACK: The containment is not
13 steel-clad.

14 MEMBER CORRADINI: Or something, yes.

15 MEMBER SHACK: Something, right.

16 MEMBER CORRADINI: Then 45 becomes a
17 problem because it has no basis. So that's why I
18 guess Sam's question --

19 MR. PIRES: Yes. I understand the
20 question. And I get probably we need -- that's why I
21 mentioned what you said before. It probably needs
22 clarification. Our concern, what we were trying, the
23 loophole that we were trying to close was when the
24 fuel clad interaction was actually higher than 45
25 psig.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Right.

2 MR. PIRES: And it was started to use only
3 45. But I think we have to take into consideration
4 this recommendation that when it is demonstrated, that
5 it is less.

6 VICE CHAIR ARMIJO: It may be that it
7 never can be less. Maybe 45 was never conservative
8 enough.

9 MEMBER BLEY: I just took a look at the
10 rule, though. The rule has the 100 percent reaction.
11 It doesn't have anything about the --

12 MR. PIRES: Yes. The rule was it was in
13 the rule under part 50, but part 52 makes an exception
14 for new reactors of the 45 psig as being required. So
15 I think when we tried to clarify the point, we
16 probably went into this territory that was not
17 intended.

18 VICE CHAIR ARMIJO: Yes. If this reg
19 guide didn't even mention the 45 psig and just stuck
20 with a properly calculated pressure, assuming 100
21 percent reaction, that should be clear to everybody
22 and technically correct.

23 MR. BRAVERMAN: But right now there is a
24 reg guide that discusses the 45 psig and --

25 VICE CHAIR ARMIJO: For operating reactors

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I thought.

2 MR. BRAVERMAN: The rule is not operating
3 reactors. The 1.7 is applied to --

4 MR. ROCHE-RIVERA: It's applied to --

5 MR. BRAVERMAN: -- to all. The 1.7
6 applies to all.

7 MEMBER CORRADINI: Then you ought to
8 change 1.7.

9 VICE CHAIR ARMIJO: Yes, change 1.7. It
10 just seems arbitrary. And it may be that it has no
11 practical significance because maybe the actual
12 pressures are higher than 45 all of the time. So why
13 mess around with 45?

14 MR. PIRES: And that was the motivation,
15 but we understand your point.

16 MEMBER SHACK: Okay. But I look at it a
17 different way. I mean, obviously they put that in as
18 a kind of a backstop for a kind of a minimum
19 defense-in-depth thing that you are going to do this
20 calculation of the post-accident inerting, the
21 hydrogen burning.

22 There are always uncertainties associated
23 with those calculations. You want a certain minimal
24 containment capacity, 45 psig. So, I mean, look at it
25 as a defense-in-depth measure that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RAY: Strange words coming from
2 you, Bill.

3 (Laughter.)

4 VICE CHAIR ARMIJO: I think it is a way of
5 putting conservatism in that's not really very
6 enlightening. I think you could say calculate the
7 pressure and put 10 percent margin on top of that or
8 20 percent.

9 MEMBER SHACK: Well, until you actually
10 assure yourself that you understand the uncertainties,
11 all of those are arbitrary, as is the 45 psig.

12 CHAIR ABDEL-KHALIK: But it may prevent
13 innovation in a sense. If you put this hard limit, it
14 may prevent people from coming up with innovative
15 designs that would limit the peak pressure.

16 MR. PIRES: Or maybe we could leave as it
17 isn't done right, another except and if you can
18 demonstrate with a small uncertainty that you can be
19 below the 45 psig and demonstrating, including
20 uncertainties, to your knowledge, is that you would be
21 below 45 psig.

22 VICE CHAIR ARMIJO: Yes. They have to
23 calculate this pressure to be acceptable. So once
24 they calculate that pressure and you know what it is
25 and it happens to be lower than 45, why would you make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 them 35?

2 I'm not talking about where they're close.

3 I'm talking about saying it with a big difference. I
4 just don't understand it.

5 MEMBER POWERS: I don't understand it. It
6 seems to me that the attraction of going directly to
7 the 45 is calculation. The pressurized due to the
8 hydrogen produced by fuel cladding is a difficult
9 calculation to perform and to come away confident that
10 you have gotten a reasonable bound on the system.

11 VICE CHAIR ARMIJO: If you don't have
12 confidence in the calculation, why bother people with
13 doing it? Pick the number: 45 or some number.

14 MEMBER BLEY: You must use it if it's
15 higher. I mean, that's --

16 MR. BRAVERMAN: I think from my
17 experience, most of the cases I recollect, it's always
18 higher. But there may be --

19 MEMBER CORRADINI: I think you're right.
20 For operating reactors, I think that's true.

21 MR. BRAVERMAN: And as far as innovation,
22 the regulatory guide is an acceptable approach.
23 They're always allowed to provide alternatives with
24 sufficient justification, I suppose.

25 MEMBER CORRADINI: But, I mean, just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 historically once you put a hard and fast number in
2 there, with all due respect to the staff, innovation
3 is not highly valued, then, right? If I can come up
4 with a way -- I guess my only thought is if the rule
5 says 100 percent cladding-water reaction, then the 45
6 strikes me as unusual. That's all.

7 MR. PIRES: The 45 was in part 50 and
8 still is in part 50 but not part 52, does not have
9 that. And probably the motivation was a similar plant
10 because being a new reactor, there will probably be
11 some room for innovation.

12 It seems to us that possibly leaving it as
13 adding a statement that, to your knowledge, the
14 confidence on the calculated number, if it is less
15 than 45, it --

16 VICE CHAIR ARMIJO: I just think it is
17 unnecessary, but that's just my opinion.

18 MEMBER POWERS: Let me ask you this
19 question. If you're going to get rid of the 45,
20 you're going to tell me how to do the calculation?

21 VICE CHAIR ARMIJO: Well, I'm assuming,
22 yes, that they have --

23 MEMBER POWERS: I don't know how to do
24 this calculation.

25 VICE CHAIR ARMIJO: If you don't know how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to do it, how do you expect licensees to come to do
2 it? And why make them do it? Just specify a number
3 and say, "Use that number." I mean, I don't
4 understand it. You can't have it both ways.

5 MEMBER POWERS: Well, you can specify how
6 to do the calculation. You can tell me to take the
7 peak pressure, ignore steam inerting, and take
8 thermodynamic limit. And I can do that calculation.
9 And I guarantee for most containments, it will be over
10 45 psig.

11 VICE CHAIR ARMIJO: Yes.

12 MEMBER POWERS: If you tell me to do it in
13 a realistic fashion, in which I say, "Okay. The steam
14 pressure drops down to the combustible burning limit,"
15 and then you tell me I have to take a complete
16 combustion, 100 percent complete combustion, and I can
17 or cannot at your whim account for radiation heat
18 transfer, I can also do that calculation.

19 But you've got to tell me something here
20 or it becomes a very difficult calculation for me to
21 do and, similarly, very difficult to read, to review.

22 I mean, it can get very hairy. You can make that
23 calculation extremely difficult to do.

24 MR. PIRES: It is possible that if a
25 design is innovative to the point in which that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pressure would be less than 45 psig, that exception
2 will be treated as a special case and come up via a
3 regular review. So the staff would pay particular
4 attention to that number. I think they would be
5 called from that point of view --

6 MEMBER CORRADINI: I guess my reason, the
7 only justification I can come up with to rationalize
8 the 45, is what Dr. Shack suggested, which is I'm
9 going to have a bottom floor that's
10 defense-in-depth-related that is mechanistically
11 uncoupled to anything.

12 So there might be something out there that
13 I haven't thought of. And I want to make sure I've
14 got some multiplier on design pressure. That's the
15 only logic for having a floor that I can imagine.

16 MEMBER SHACK: Well, I mean to address --
17 as Dana said, you can make the pressure calculation,
18 address all of the uncertainties, and address it that
19 way or --

20 VICE CHAIR ARMIJO: But the way I read it
21 is that even if they did it the way Dana said and did
22 a really good job with uncertainties, and they came up
23 with a number less than 45, this reg guide would say,
24 "Use 45."

25 MR. PIRES: Well, I guess the reg guide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would say that, but Joe said if they can demonstrate
2 that there is another approach to do, to take into
3 account these issues, that can be accepted.

4 The reg guide is not a requirement. It is
5 a guidance of one acceptable approach. And I would
6 think that using innovative design, that will go below
7 that threshold. That will be handled with special
8 considerations.

9 CHAIR ABDEL-KHALIK: But back to the point
10 that Dr. Powers raised regarding the difficulty of
11 performing such analysis, where do applicants get
12 clear guidance on what acceptable assumptions they can
13 make in performing such analyses?

14 MR. ROCHE-RIVERA: For analyzing the
15 cladding-water reaction, you mean?

16 MR. PIRES: Reg Guide 1.7 is the
17 regulatory guide that addresses combustible gas
18 controls. And that aspect of this issue, the
19 combustible gas control, is addressed probably on
20 regulatory guide 1.7. It's not in the scope of this
21 regulatory guide, but 1.7 is a comprehensive
22 regulatory guide and is related to combustible gas
23 controls. That will be the guidance.

24 MR. BRAVERMAN: Yes. This reg guide is
25 primarily for the structural evaluation once these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pressures are defined. So it was not supposed to
2 cover that.

3 CHAIR ABDEL-KHALIK: I understand that is
4 the concern, but the point was made earlier that if
5 that analysis is to be done and if appropriate
6 accounting for uncertainties was to be made and if
7 that is to show that the final pressure is less than
8 45, then perhaps you would allow that in the
9 structural analysis.

10 My question is the opposite. If you were
11 to do the analysis, do you also require them to
12 account for uncertainties prior to performing these
13 structural analyses if the pressure was higher than
14 45?

15 MR. PIRES: In principle, you would do
16 that analysis according to the guidance in 1.7 and the
17 criteria in the regulatory guide. We would expect the
18 ten-year analysis presented, that assessment of the
19 uncertainty that is involved.

20 MR. ALI: May I? This is Syed Ali from
21 the Office of Research. May I add something?

22 I think we have structural people here.
23 We are not in a position to answer your question --

24 CHAIR ABDEL-KHALIK: Thank you.

25 MR. ALI: -- as to how the hydrogen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 combustion analysis is done. It is just not our area.

2 I think what we can get from this instance, to go
3 back and again check to make sure that 45 psi is not
4 in the rule. And if it's in the rule, it's only for
5 the operating reactors and not for the new reactors.

6 And if that is the case, if you can
7 confirm that, then give some option for the licensees
8 to do an appropriate analysis for the hydrogen
9 combustion considering all of the uncertainties. And
10 if they can show that that is less than 45 psi, then
11 they can use it. It's probably justified. I think
12 that's what we can take from this.

13 VICE CHAIR ARMIJO: Yes. It just seems
14 like it's --

15 MEMBER SHACK: Well, I think we can wait
16 for a report from the ACRS.

17 VICE CHAIR ARMIJO: I am just saying --

18 MEMBER SHACK: There are various opinions.

19 VICE CHAIR ARMIJO: I am just telling you
20 it just seems like we're asking them to do something
21 that apparently is very difficult to do, do this
22 calculation, go through all the steps. And when
23 you're finished and if you get an answer that is less
24 than 45, well, you just waited a lot of time. Use 45.

25 So what is the purpose of the calculation?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 If we don't have confidence in the calculation, then
2 we shouldn't ask them to do it. Pick a number.

3 MR. PIRES: If they don't feel that -- we
4 can put it a little bit the other way around. That
5 is, if they don't feel that they are sure of their
6 calculations, certain of their calculations, they have
7 the 45 psig to solve where it came to.

8 And essentially the tie-in to 1.7 is for
9 the load definition. It is essentially for this. And
10 that is where the 45 psig comes from.

11 CHAIR ABDEL-KHALIK: I think a lot of
12 views have been expressed about this. We discussed
13 this long enough. Let's move on.

14 MR. PIRES: Okay.

15 CHAIR ABDEL-KHALIK: Thank you.

16 MR. ROCHE-RIVERA: So the information
17 related to this regulatory position in the context of
18 this regulatory guide should be presented in section
19 3.8.

20 Regulatory position number 3. This is
21 Commission's severe accident performance goal. This
22 guidance associated with the regulations are listed
23 here in Commission's performance goals in SECY-98-087.

24 This guidance basically focused on the acceptance
25 criteria when evaluating severe accidents. Regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 guide 1.206 endorses the SECY paper and respective
2 SRM. And it specifically says in regulatory 1.206
3 that "The review associated with meeting the
4 regulations listed above should specifically address
5 the issues identified in SECY-90-016 and SECY-93-087."

6 The purpose of this regulatory position is
7 to provide an acceptable method for an analysis that
8 specifically addresses the performance goals
9 identified in SECY-90-016 and SECY-93-087 and related
10 SRMs for containment structures in nuclear power
11 plants under severe accident conditions.

12 So if a reference is the text from the
13 SECY and including the text is the identification of
14 two time frames, there are 24 hours following the
15 onset of core damage and just the time frame after
16 that initial 24 hours. The SECY identifies what
17 should be the role of the containment, really, for the
18 two time periods. That is that for the initial 24
19 hours, the containment should maintain its role as a
20 reliable, leak-tight barrier. And then following
21 those initial 24 hours, it should continue to provide
22 a barrier against the uncontrolled release of fission
23 products.

24 The SECY also identifies the acceptance
25 criteria for the initial 24 hours. And that is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 containment maintains its role. So the containment
2 maintains its role with a tight barrier by ensuring
3 the containment stresses do not exceed ASME service
4 level ceiling limits for metal containments or factor
5 load category for concrete containments.

6 regulatory guide also provides acceptance
7 criteria for the period following the initial 24
8 hours, as we will discuss in the coming slides.

9 CHAIR ABDEL-KHALIK: Now, the definition
10 of failure in this particular bullet is that the
11 containment is no longer a leak-type barrier.

12 MR. ROCHE-RIVERA: Yes.

13 CHAIR ABDEL-KHALIK: Is that definition
14 consistent with ASME service level C, limits for metal
15 containment, or the factored load category for
16 containments as well? Is there a one-to-one
17 correspondence between failure to be leak-tight in
18 meeting these requirements or is that a conservative
19 limit that assures that the containment will remain
20 leak-tight?

21 MR. ROCHE-RIVERA: It is conservative, and
22 it is expected that the leakage, if any, at this point
23 will be extremely low. But yes, it is conservative.

24 MR. PIRES: But it is a good correlation.
25 There is no containment test. Some of these limits

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are yielding of the liner. At that stage, you are at
2 the transition between leak-tight and not leak-tight.

3 So it is a good limit. It is a good correlation.

4 MEMBER SHACK: Yes. I think it is a
5 conservative one that you have got very low limits.
6 But as they point out in the containment testing
7 program, it's very difficult to get a good
8 correlation.

9 You know, the only way you can really
10 address the uncertainties is to take a slightly
11 conservative approach. It becomes very difficult to
12 actually have something that predicts the leakage
13 through these structures as you really do begin to
14 load up in any mechanistic way.

15 And so you address uncertainty in the way
16 you frequently do in engineering problems, which is to
17 take essentially a conservative limit.

18 MR. ROCHE-RIVERA: So in this relative
19 position --

20 MEMBER POWERS: To be precise, Dr. Shack,
21 it's a limit that you think is conservative.

22 MEMBER SHACK: The limit that you think is
23 conservative.

24 MR. ROCHE-RIVERA: So with the key items
25 addressed in these regulatory positions, also there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are some staff recommendations and comments from the
2 public are the identification of the more likely
3 severe accident challenges, which is a phrase that
4 comes from the SECY paper and also the criteria for
5 the evaluation related to the time frame of the
6 initial 24 hours following the onset of core damage.

7 So the text in the reg guide for getting
8 identification of the accident sequence is related to
9 more likely severe accident challenges is that "The
10 applicant provides the technical basis for the
11 identification of the more likely severe accident
12 challenges to be reviewed by the staff on a
13 case-by-case basis. An example of an acceptable way
14 to identify the more likely severe accident challenges
15 is to consider the sequences or plant damage states,
16 which when ordered by percent contribution represent
17 90 percent or more of the core damage frequency."

18 MEMBER POWERS: Have you done that for a
19 plant?

20 MR. ROCHE-RIVERA: The criteria was based
21 on previous experience. I mean --

22 MEMBER POWERS: It just seems to me that
23 when I look at the contributors to a plant, I usually
24 can get the first 73-75 percent, something like that.

25 And then there are a bunch of things that are down in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the noise that make up the rest of them.

2 To get to 90 percent, really, it's not
3 uncommon for me to really plunge down into the grass,
4 as we call it, and whatnot. I mean, to get to 90
5 percent in some cases, I mean, I can find plants for
6 you. It's all station blackout, and it really doesn't
7 matter. But I could find cases for you where getting
8 the 90 percent would really get you down into the
9 grass.

10 Joe is smiling there. I think he knows
11 this is -- he's seen this. I mean, sometimes in my
12 summation, it's hard to get to 90 percent.

13 MR. DUBE: This is Don Dube in the Office
14 of New Reactors.

15 Yes. This is the first time we attempted
16 to put a number to what the Commission through the
17 policy statement said, use the term "more likely." So
18 the 90 percent, then, really wasn't picked out of the
19 air.

20 We looked at two designs that are
21 undergoing certification. One of them used 90 percent
22 when they defined more likely and another one 95
23 percent. So we feel comfortable that 90 percent is a
24 reasonable value.

25 Moreover, it's consistent with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Commission's goal for new reactors of a conditional
2 containment failure probability of ten percent or less
3 if you look at the complement of that. So from those
4 two perspectives, we feel it's a reasonable approach.

5 MR. ROCHE-RIVERA: So from the selected
6 sequences, then we select the pressure and temperature
7 for analysis in this regulatory position. And in the
8 reg guide, we also make -- we highlight that for
9 concrete containment specifically, it is generally
10 acceptable to analyze the containment for the sequence
11 or damage state with the highest pressure load and its
12 coexisting temperature loading.

13 CHAIR ABDEL-KHALIK: What do you mean by
14 "physically reasonable"?

15 MR. ROCHE-RIVERA: Meaning that from the
16 severe accident sequence is selected. I mean, an
17 applicant could choose to select the sequence with the
18 highest pressure and then seek from the order of the
19 sequences the highest temperature. And then we're
20 making that comparison of the pressure and
21 temperature. They have to evaluate if that condition
22 is possible, if physically they can coexist together.

23 CHAIR ABDEL-KHALIK: So are you still sort
24 of asking them to evaluate consistently a specific
25 scenario, either one with the highest pressure or one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with the highest temperature, or are you asking them
2 to evaluate sort of the hypothetical envelope of
3 pressure-temperature envelope that covers all of these
4 events that contribute to 90 percent of core damage
5 frequency?

6 MR. PIRES: Essentially what we are asking
7 is essentially that they choose the pressure, an
8 enveloping pressure demand -- in most cases, that will
9 be the controlling -- choose an enveloping pressure,
10 pressure demand, and attend the temperature that is
11 supposed to be that pressure that modified that
12 sequence.

13 That will be for the most part the
14 controlling event, particularly for the post-concrete
15 containments or pretest. First year containment may
16 be some other considerations, maybe 40 to take in the
17 pressure temperatures that are chosen and are not
18 incompatible physically.

19 MR. BAGCHI: May I interject? My name is
20 Goutam Bagchi. I'm with the Office of New Reactors.

21 The structure and challenge for a
22 containment design is really the pressure. It is
23 always going to produce a limiting condition. And the
24 associated temperature that goes with it is what
25 physically exists hand in hand. But higher

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 temperature should be looked at only in case that some
2 kind of constrained loading, like liner putting some
3 exertion of pressure comes on.

4 Those pressures are really not
5 structurally primary loads. They're secondary loads.

6 And those kinds of pressures can be accommodated by
7 liners bulging out inside and some of the other
8 inelastic strains. So highest pressure is always
9 going to govern the design load for the containment.

10 CHAIR ABDEL-KHALIK: My question really
11 was just to add specificity to the term "select
12 physically reasonable."

13 MR. BAGCHI: Well, where does it show up,
14 "physically reasonable"?

15 MR. ROCHE-RIVERA: It is there in the
16 presentation.

17 MR. ALI: This is Syed Ali. If I may add?
18 I think what this statement does is kind of remove
19 the conservatism. And somebody might assume taking
20 the highest pressure, the highest temperature, which
21 may not exist physically together.

22 So if that is the case, this guidance
23 tells them not to do that, only if they are reasonably
24 coexistent to consider. Otherwise, like Mr. Bagchi
25 said, for containment design, it is reasonable to take

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just the highest pressure and the coexisting
2 temperature.

3 CHAIR ABDEL-KHALIK: Thank you.

4 MEMBER CORRADINI: So can I just ask a
5 broader question just to go back? So not to go back
6 in slides but your guidance number position 1 really
7 was providing the analysts a way to define failure
8 that didn't need leakage. It just was a free field
9 analysis that set away from all penetrations and
10 strange geometries. You shouldn't go above some
11 strain limit. That was one.

12 Two was you are going to define failure as
13 a pressure either due to hydrogen production and
14 burning or some lower limit. And in this one, this in
15 the first time you have actually gotten specific about
16 how the load is to be calculated.

17 The other ones, every time we asked them,
18 we said, "Well, there is another reg guide." So is
19 there no reg guide that provides this before? Is this
20 the first time the applicant is going to see a
21 methodology to do some computation?

22 MR. ROCHE-RIVERA: Yes.

23 MEMBER CORRADINI: So I haven't read the
24 reg guide. I have to admit this. So is there more
25 specificity than this? Because now we go back to from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a calculational standpoint, are all gloves off, as
2 inventive as they can be, to compute the pressure and
3 temperature pairs for the reasonably likely sequences?

4 Do you understand my question?

5 MR. ROCHE-RIVERA: The statements in the
6 reg guide are actually very similar to what we have in
7 this presentation.

8 MEMBER CORRADINI: So they can be
9 realistic, conservative, or somewhere in between? And
10 you would evaluate on a case-by-case basis?

11 MR. ROCHE-RIVERA: Yes.

12 MEMBER CORRADINI: Okay.

13 MR. BRAVERMAN: Excuse me. This is Joe
14 Braverman from BNL. I just want to clarify something.
15 The regulation position 1, it's a choice. You could
16 do a nonlinear 3D finite element analysis or the
17 simplified --

18 MEMBER CORRADINI: Yes. I'm sorry. I
19 meant to say -- I just guessed that most people would
20 go for simplified to begin with. So okay. Thank you.

21 MR. ROCHE-RIVERA: So for the period
22 following the initial 24 hours after the onset of core
23 damage, the criteria from the SECY paper is that the
24 containment should continue to provide a barrier
25 against the uncontrolled release of fission products.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The criteria presented in this regulatory
2 guide 1.216 is as follows. The first two sub-bullets
3 basically refer to the containment being a barrier as
4 strong as for the initial 24 hours. And if this is
5 not met, then the alternative is that the calculated
6 release for the more likely severe accident challenges
7 following the initial 24-hour period meets
8 site-specific design criteria for fission product
9 released from the containment in accordance with the
10 requirements of 10 CFR 100.21 and 10 CFR 50.34.

11 And also if this is not met, then always
12 the applicant has the option of submitting an
13 alternative method. And then the staff will evaluate
14 on a case-by-case basis.

15 The regulatory position also references
16 regulatory position 1 in terms of the method of
17 analysis to be performed and take some exceptions to
18 it. And the information related to this regulatory
19 position should be reported in chapter 19 of the FSAR.

20 MEMBER CORRADINI: And the three options
21 besides the alternative method to be justified, the
22 three options, it's not clear which is more limiting.

23 I guess I just assumed the first one was most
24 limiting, but I -- so are these progressively, shall I
25 say, a bit more flexible?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ROCHE-RIVERA: Yes.

2 MEMBER CORRADINI: Okay.

3 MR. ROCHE-RIVERA: Yes, they are.

4 On this slide, basically for your
5 reference, we're just including a categorization of
6 the public comments received. This categorization is
7 consistent with the letter received from NEI. Again,
8 it's just here for reference. This one provides our
9 categorization, which is based on the regulatory
10 positions.

11 One thing we could take from this slide is
12 that it does mention RP 4, which is regulatory
13 position 4. The draft guide used to have a regulatory
14 position related to containment fragility. And it was
15 taken out based on staff recommendations based on
16 public comments.

17 We're going to discuss in the next slides
18 these major revisions. So the major revisions include
19 that the reg guide scope for new light water reactor
20 designs. Also we clarified the regulatory purpose and
21 its relationship to regulations. Apparently there was
22 some confusion in the public in that regard.

23 Also, in terms of the severe accident
24 performance goals, we concluded this criteria for the
25 identification of the more likely severe accident

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 challenges and also included acceptance criteria from
2 the period following the 24 hours after the onset of
3 core damage.

4 And here, as I had mentioned earlier, we
5 removed this regulatory position 4 from the draft
6 guide, which was containment fragility on the pressure
7 loads. And basically the logic behind it is that this
8 item may require further development of technical
9 bases and subsequent validation maybe in the report
10 and also that this reg guide actually is really
11 intended to focus on deterministic methods. And the
12 subsequent research provides the technical basis for
13 risk-informed performance-based regulatory guidelines.

14 With this, I conclude this presentation.
15 I would be glad to take any additional questions.

16 MEMBER RAY: Well, your position 2 says,
17 "dead load and pressure." I assume this reference to
18 fragility, if it were somehow addressed, would take
19 into account, say, an aftershock in a seismic setting.

20 MR. ROCHE-RIVERA: This one is basically
21 focused on pressure, not really, internal pressure,
22 internal pressure.

23 MEMBER RAY: Fine. It's not intended to
24 do that or it wouldn't do that if it were satisfied.

25 What about the event is initiated by an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 earthquake and then this is obviously sometime
2 afterward? There's no dynamic loading considered here
3 anywhere. What is the staff's thinking about that?

4 MR. PIRES: The pressurization will come
5 after the aspect is already started.

6 MEMBER RAY: Yes, but I was thinking of
7 the earthquake in Chile. You had aftershocks every
8 few hours for days.

9 MR. PIRES: Yes, but what the aspect would
10 do if it was a very severe earthquake would be that it
11 would cause some initial damage to the containment and
12 whether that initial damage -- it would be very
13 unlikely that they will be simultaneous, the dynamic
14 shock and the pressurization, but there could be an
15 initial damage to the containment.

16 MEMBER RAY: Let me just assume that the
17 --

18 MR. BAGCHI: May I interject one point?
19 My name is Goutam Bagchi again.

20 If you're talking for seismic loads,
21 that's quasi-static. Pressure load is more dynamic
22 than that, but, leaving all of that aside, this really
23 is targeted towards the internal pressure and internal
24 events going on inside the containment after a severe
25 accident.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now, earthquake could presumably cause a
2 severe accident. Could the aftershock effects be more
3 limiting? They might throw in five seismic
4 interactions. Load could impede the structural
5 integrity of the wall. There are just too many
6 complications to go into. This fragility is related
7 to pressure integrity of the containment.

8 MR. BRAVERMAN: I would like to also add
9 something. Of the three regulatory positions, source
10 1 looking at calculated ultimate pressure capacity of
11 the containment, that was not intended to be placed in
12 a load combination. It was just to determine the
13 pressure capacity, like the accident that happened at
14 TMI, to see how much margin we had.

15 The second regulatory position
16 specifically addresses 10 CFR 50.44, hydrogen
17 pressurization loading. And, as we discussed before,
18 there is another reg guide, 1.7, where previously the
19 determination was made that only dead load is needed
20 along with the hydrogen pressurization load.

21 And in this third category, regulatory
22 position 3, my thoughts on that is for the design of
23 the containment, there are load combinations. You're
24 correct that at seismic, they have dead, live, and
25 local pressure, but this regulatory position 3 is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a design load combination. It's specifically geared
2 towards the SECY-93-087, which talks about the severe
3 accidents, which I believe don't have to be added with
4 other loadings.

5 VICE CHAIR ARMIJO: Once you get the
6 internal pressure capacity through this process, what
7 do you do with that information? What is an
8 acceptance? What is the acceptance criteria or
9 criterion?

10 MR. ROCHE-RIVERA: In terms of which
11 regulatory --

12 MEMBER SHACK: Regulatory position 1.

13 MR. ROCHE-RIVERA: Yes.

14 MEMBER SHACK: There is no acceptance
15 criteria.

16 VICE CHAIR ARMIJO: This is just for
17 information.

18 MR. BRAVERMAN: Regulatory position 2.
19 Well, the --

20 MR. ROCHE-RIVERA: Okay. Yes, as Dr.
21 Shack mentioned, there is no pass or fail criteria for
22 regulatory position 1. There is the value that is
23 obtained from this evaluation presented in regulatory
24 position 1. It is intended to represent the best
25 estimate of the capacity of the containment. With

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this best estimate of the capacity of the containment,
2 we are able to assess the margin of the containment
3 against the design-basis pressure.

4 And also in the context of this regulatory
5 guide, we are able to assess the margin against the
6 combustible gas control and the severe accident cases.

7 So it is on the -- it is a valuable number to have.

8 VICE CHAIR ARMIJO: Well, I think so, but
9 if someone is designing a new plant and he goes
10 through the process and calculates what the capacity
11 is for this containment, he doesn't have to meet --
12 does he have to meet some value, some minimum value,
13 or does he have to redesign in case the capacity isn't
14 great?

15 I guess I'm trying to find out, what do
16 you do with this information: Either redesign or say
17 the design is acceptable or what?

18 MR. BRAVERMAN: Of the regulatory
19 positions, I wanted to clarify only position 1 deals
20 with ultimate pressure capacity. Regulatory position
21 2 already has the kind of limits you're referring to.

22 You have to meet ASME service level C.

23 VICE CHAIR ARMIJO: Yes. I understand
24 those.

25 MR. BRAVERMAN: So 2 and 3 really don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 apply. I think you're focusing maybe on the
2 regulatory position 1. And, as Robert was trying to
3 imply, there is no absolute right or wrong answer.
4 The staff would like to see that there is sufficient
5 or substantial margin beyond the design basis loading.

6 So there is no right or wrong answer. It's to show
7 how much margin there is.

8 Now, the staff does know from past
9 experience reviewing other applications what kind of
10 factors above the design-basis are expected. I
11 suppose if it's extremely low, then the staff could --

12 VICE CHAIR ARMIJO: Something is wrong
13 with the design. You know, that's a --

14 MR. PIRES: It provides the reviewer
15 essentially the full range of the pressure capacity of
16 the containment from the design-basis to the
17 combustible gases to the severe accident, very severe
18 accident, per SECY-93-087. So the reviewer has that
19 other information to help with the assessments.

20 MEMBER CORRADINI: Is there an expectation
21 of where these all -- I mean, when we had the
22 subcommittee meeting, I asked this. And I got the
23 impression you guys had it in your mind but you felt
24 it was too uncertain to put it down, which is if I
25 were to think of a plot of leakage versus pressure,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 where these various things lay out relative to the
2 design pressure. If the design pressure is 30 psig,
3 just to pick a number, something, how all of these
4 things lay out in some progression --

5 MR. PIRES: We do have plots like that.
6 We could actually show one, but the ultimate tends to
7 be -- for instance, for reinforced concrete
8 containments, it's about three and a half times the
9 design pressure; pre-stressed concrete containment
10 similarly. For steel containments, I don't recall the
11 number, but these also -- there is a large margin --

12 MEMBER CORRADINI: So that calculation in
13 regulatory position 1 bounds what you expect to be the
14 other calculation, what you expect to be the other
15 analyses from regulatory position 2 and 3 based on
16 service load C?

17 MR. PIRES: It's the limit of that curve.
18 If you plot the curve, you would find that there is
19 the axis as the pressure. You would have the design
20 pressure. And you are there for the combustible gas
21 control limits; then if necessary for them to be
22 invoked for the other severe accidents; then, finally,
23 the ultimate pressure capacity.

24 And there would be a vertical axis with
25 leakage rates, but there is much --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Of course, of course.

2 But that --

3 MR. PIRES: Like a straight line on the
4 log plot.

5 MR. BAGCHI: My name is Goutam Bagchi
6 again.

7 A little bit of historic perspective might
8 be helpful here. I am not trying to defend why
9 regulatory position 1 does not provide an acceptance
10 criterion. It must need this, that, and the other.

11 During TMI accident, it turned out that
12 people wanted to know what the ultimate capacity is
13 going to be so that public protection could be
14 continued by relieving the containment of some of the
15 excess pressure. So at what point could the
16 containment valves be exercised?

17 That was the underlying thought behind it.

18 That's why during the standard review plan 3.8
19 revision this provision of ultimate capacity went in.

20 And we have never put down any particular set of
21 numbers to that. It will be plant-specific,
22 design-specific.

23 VICE CHAIR ARMIJO: Would this number be
24 used in your severe accident management --

25 MR. BAGCHI: Potentially it could be.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 VICE CHAIR ARMIJO: -- plans or something?
2 You know, it may be a very useful number. I'm just
3 trying to find out what use is there for it.

4 MR. BAGCHI: In my mind, historically that
5 was the concept behind it.

6 VICE CHAIR ARMIJO: Okay. That's helpful.
7 Thank you.

8 MEMBER SHACK: If there are no further
9 questions, turn it back to you, Mr. Chairman.

10 CHAIR ABDEL-KHALIK: Thank you. We are
11 way ahead of schedule. Fortunately, we have plenty to
12 do. So thank you very much.

13 We will continue with item 3 on the
14 agenda, and we are off the record.

15 (Whereupon, the foregoing matter went into
16 closed session at 9:27 a.m. and went back on the
17 record in open session as follows.)

18

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 activity is moving forward.

2 So, without further ado, Gary, I will
3 start with you.

4 5.2) BRIEFING BY AND DISCUSSIONS WITH
5 REPRESENTATIVES OF THE NRC STAFF

6 MR. COMFORT: Okay. Good afternoon,
7 everybody. We appreciate your having us here today.
8 My name, as stated before, is Gary Comfort. I'm a
9 senior project manager in the Office of Federal and
10 State Materials Environmental Management Programs, a
11 mouthful by itself. And I'm in the Division of
12 Intergovernmental Liaison and Rulemaking. We are
13 known as DILAR.

14 We are here today to talk to you about our
15 efforts on a proposed rulemaking on the distribution
16 of source material, as stated, to exempt persons and
17 to general licensees as well as that rulemaking has
18 certain revisions to the general license for small
19 quantities in 40.22 and certain exemptions.

20 Andrew Carrera is a project manager who is
21 in our staff who is going to give the presentation.

22 MR. CARRERA: Thank you, Gary.

23 MR. CARRERA: Good afternoon, Mr.
24 Chairman, ACRS members, and staff. Good afternoon,
25 members of the public. My name is Andrew Carrera. As

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Gary said, I work in the Office of Federal and State
2 Material Environment Management Program.

3 I am here to brief you on our efforts to
4 develop proposed rulemaking on distribution of source
5 material to exempt persons and to general licensees as
6 well as proposed revision to general license for small
7 quantities of source material and some proposed
8 changes to certain product exemptions in 10 CFR part
9 40.

10 Joining me is Mr. Gary Comfort. He will
11 be here to help me answer your questions.

12 During this discussion, I will attempt to
13 cover a number of topics. First, I will briefly
14 discuss 10 CFR part 40 in general. I will follow this
15 a with a brief discussion on the history of this
16 particular rulemaking. And I will discuss why we
17 believe the rulemaking is necessary by describing the
18 problems we see in the current part 40 rule and how we
19 propose to resolve those issues for the proposed
20 rulemaking. Finally, I will introduce specific
21 questions that we plan to solicit from the public.

22 First let's talk about 10 CFR part 40 and
23 what it applies to. As this slide indicates, the
24 purpose of part 40 is to establish regulations for the
25 use and possession of source material and byproduct

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 material. This proposed rule, however, only deals
2 with source material.

3 Source material is defined as uranium or
4 thorium or ores containing greater than 05 percent by
5 weight of uranium or thorium. Source material does
6 not include anything that will be considered special
7 nuclear material; in other words, enriched uranium.

8 Source material can be generated without a
9 person realizing it because it comes under NRC's
10 jurisdiction after the uranium or thorium is removed
11 from its place in nature.

12 Next slide, please. NRC source material
13 under part 40 in three primary fashions: under
14 specific license, under general license, or through
15 the issuance of exemption for products; listed a few
16 examples of activities with products that would fall
17 under each category.

18 This proposed rulemaking will primarily
19 affect activities associated with exemptions and
20 general license. Most materials and products that are
21 provided in the exemption are determined to present an
22 insignificant impact to public health and safety
23 without further regulations. Normally they have no
24 additional requirements for safe use to be used by the
25 general public. And they are allowed to be disposed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of without restriction.

2 The NRC does not generally know who
3 possessed radioactive material under the exemption and
4 in the case of source material does not know how much
5 material is distributed for possession and under an
6 exemption.

7 MEMBER SHACK: Do you have a definition of
8 when depleted uranium is depleted?

9 MR. COMFORT: There is no -- I mean,
10 specific definition in the regulations as to where it
11 is, no.

12 MEMBER RYAN: Bill, my experience is it's
13 basically an operational definition to them. It's no
14 longer viable to try and extract any more --

15 MEMBER POWERS: The trouble is that the
16 tails vary according to the economic climate. And
17 right now depleted is running .3 percent; whereas,
18 it's naturally .7. You know what I mean? It's hardly
19 at all.

20 MR. CARRERA: General License falls in a
21 space between specific licensing and exemptions.
22 Whereas, a specific license requires an application to
23 the NRC to become a licensee, a general license is
24 granted to any person who fills out an application to
25 the NRC as long as they meet the underlying operating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 condition.

2 Not all general licenses currently have
3 reporting requirements. And so the NRC may not be
4 directly aware of all persons who possess radioactive
5 materials under a general license.

6 Slide number 7, please. One of the areas
7 that the staff is proposing to revise in our
8 rulemaking is the general license from small
9 quantities of source material in section 40.22.
10 Section 40.22 currently provides a general license for
11 the use and transfer of not more than 15 pounds of
12 source material at any one time and no more than 150
13 pounds total in any one calendar year for the
14 operational purposes.

15 A person operating under this general
16 license is exempt from requirements in parts 19, 20,
17 and 21, which basically cover training and
18 notification, health and safety, and reporting of
19 defects and non-compliance.

20 This general license includes no reporting
21 or registration requirements. And so the NRC has no
22 easy way to identify persons operating under this
23 general license.

24 CHAIR ABDEL-KHALIK: Where do these
25 quantities come from?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COMFORT: Basically, the history of it
2 is back in 1960s, the general license that we're using
3 was limited to three pounds. And it was primarily for
4 the use of -- actually, I've got it specifically here,
5 but it was for medical use by physicians and
6 pharmacists is where it really was.

7 In 1961, when we basically revised part 40
8 in its entirety, they expanded that exemption to
9 include other efforts, including commercial use, and
10 raised the limits to 15 pounds. One of the big
11 differences, though, that we have is that we have
12 found that when they did that expansion of what they
13 were looking at when they included commercial uses,
14 that they didn't really do an evaluation of the
15 potential impacts of it at that time or later.

16 MEMBER RYAN: Medical use for contrast in
17 certain X-rays, Thorotrast. You might remember those
18 patients. And there was a uranium analogue. So that
19 was the origin of the --

20 VICE CHAIR ARMIJO: Just to make sure I
21 understand, if you have 15 pounds of a material and it
22 contains .05 percent uranium in it, you're at the
23 limit?

24 MR. COMFORT: If you have --

25 VICE CHAIR ARMIJO: Is that correct?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COMFORT: Well, if you have 15 pounds
2 of uranium itself within the material, so if it's .05
3 --

4 VICE CHAIR ARMIJO: Okay. So you can have
5 your --

6 MR. COMFORT: -- 30 tons basically.

7 VICE CHAIR ARMIJO: Okay. So the limit is
8 on the uranium?

9 MR. COMFORT: It's on the uranium. Well,
10 the definition is 15 pounds of source material. Now,
11 source material is uranium and thorium or ores
12 containing. So once it goes past that ore stage, then
13 you're talking with some material containing the
14 uranium and thorium, you can have up to the 15 pounds
15 of the uranium and thorium itself.

16 VICE CHAIR ARMIJO: Okay. So that means
17 --

18 MR. COMFORT: A lot of material.

19 VICE CHAIR ARMIJO: Could potentially be a
20 lot of material.

21 MR. COMFORT: Well, volume-wise, yes.

22 VICE CHAIR ARMIJO: If you needed it --

23 MR. COMFORT: Right.

24 VICE CHAIR ARMIJO: -- in a more dilute
25 form. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CARRERA: Slide number 8, please.
2 Exemptions for licensing are found in section 40.13
3 and are known as unimportant quantities. Persons
4 receiving these products are exempt from requirements
5 to obtain a license.

6 There are three major categories of
7 exemptions in part 40, which are listed on a slide.
8 This rulemaking, however, deals primarily with section
9 40.13(c).

10 Now I will briefly discuss the history of
11 this rulemaking.

12 Slide number 10, please. In 1999, the
13 staff proposed multiple activities associated with
14 part 40 to the Commission as part of a SECY paper.
15 One of the activities that the staff recommended was
16 to develop a rulemaking plan for possible changes to
17 the section 40.22 general license.

18 In 2000, the Commission agreed with the
19 staff's recommendation and directed staff to move
20 forward on developing the rulemaking plan. The staff
21 submitted a rulemaking plan to the Commission in April
22 of 2001.

23 In 2003, the Commission returned a staff
24 requirement memorandum, SRM, on part 40 rulemaking
25 plan, which directed staff not to make any changes to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 section 40.13 or 40.22 at this time but to, instead,
2 try to collect more data to support the rulemaking.

3 So from 2004 to 2006, the staff collected
4 data about the general licensees by reviewing
5 historical records and received data from the only
6 known distributor of source material to general
7 licensees.

8 In addition, the staff obtained the
9 services of the Pacific Northwest Laboratory, or PNNL,
10 to try to identify general licensees and how source
11 material was used. PNNL --

12 MEMBER RYAN: Andrew, just one question,
13 if I may, while you're at it on the inventory. If I
14 understand the industry right, it has a decreasing
15 collective amount that's under general license as time
16 has gone on. Is that right?

17 MR. COMFORT: Well, I mean, we have never
18 had a real good hold of how many people are actually
19 possessing under general license, but the number of
20 distributors that we know that send material --

21 MEMBER RYAN: "Look at our license" for
22 sure.

23 MR. COMFORT: Yes, that are specifically
24 licensed in the past. Back in 1986, we had done
25 basically a request for information from those folks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And we had identified, if I remember correctly, five
2 distributors.

3 When we went to do the same thing in 2005
4 time period, we could only identify one left. Most of
5 them, the other ones, we had seen decommission and
6 shut down.

7 MEMBER RYAN: Do you know if that one is
8 still in business?

9 MR. COMFORT: Yes, as far as we are aware,
10 they are still in business.

11 MEMBER RYAN: But you are not positive?

12 MR. COMFORT: No. I'm pretty sure they
13 are still.

14 MEMBER RYAN: Oh, okay. All right.

15 MR. COMFORT: Yes.

16 MEMBER RYAN: Thanks.

17 MR. CARRERA: PNNL's data indicated that
18 the major use of source materials in the manufacture
19 of thorium-coated lenses and proceeded to contact nine
20 manufacturers to evaluate their practices.

21 PNNL provided a final report of the
22 finding in 2007. At around the same time that PNNL
23 was doing the evaluation, the staff also developed and
24 submitted a SECY paper on tracking and providing
25 enhanced controls for category 3 sources to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Commission.

2 As part of the SECY paper, the staff
3 recommended that the rulemaking envisioned in the 2001
4 rulemaking plan be restarted to address any potential
5 concern that quantities of source material could be
6 possessed under the section 40.22 general license. In
7 their SRM, the Commission approved the staff's
8 recommendation to restart the rulemaking. These
9 efforts culminated in the staff's providing the
10 proposed rule package that we are now discussing to
11 the Commission in late December of 2009.

12 Slide number 12, please. Now that I have
13 provided you with a basic understanding of what part
14 40 encompasses and a little bit of history behind this
15 rulemaking, let's look at the concerns that the staff
16 has with the current requirements in part 40 and how
17 we propose to resolve them through the proposed rule.

18 The staff's general concerns with the
19 current part 40 are listed on this slide. There are
20 four of them. In the next few slides, I will discuss
21 each of these issues and how this rulemaking will
22 resolve each of the issues.

23 Let's look at our first issue: the
24 current health and safety impacts in section 40.22 in
25 greater details.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Slide number 15, please. The staff's
2 first concern is that the current regulatory structure
3 in part 40 may be inconsistent with the current
4 radiation safety requirement in part 20. The
5 regulations for source material in part 40 have not
6 been significantly revised since 1961. Although the
7 health and safety regulations in part 20 were
8 significantly revised in 1990, the impacts of these
9 revisions to part 40 were never fully evaluated.

10 And in the next two slides, I will discuss
11 examples of how part 40 may not be consistent with the
12 current health and safety requirements in part 20.
13 First, I will discuss the PRM-40-27, which is a
14 petition for rulemaking submitted by the State of
15 Colorado and the agreement states in 1999. And then
16 I'll discuss the 2007 PNNL dose assessment report.

17 In PRM-40-27, the Colorado Radiation
18 Control Program identified a site where a general
19 licensee had abandoned operations and leaving
20 significant contamination. According to the
21 petitioners, further investigation found the licensee
22 ensured that its procurement did not exceed the
23 150-pound-per-year limit, as specified in 10 CFR
24 40.22(a), and had left the building with thorium
25 contamination level calculated at 734 millirem per

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 year, which is well above both current release limits
2 and occupational and public dose limits.

3 As a result of these findings, the
4 petitioners requested in PRM-40-27 that section 40.22
5 be modified to remove the exemption in 10 CFR
6 40.22(b), which is to parts 19, 20, and 21, so that
7 this and all other general licensees who use similar
8 quantities of source material would have to meet the
9 same health and safety requirements for specific
10 licensees.

11 MEMBER RYAN: Andrew, I think this is the
12 place where I would like to understand the details
13 here. The 734 millirem is --

14 VICE CHAIR ARMIJO: Per year.

15 MEMBER RYAN: -- per year is a pretty
16 precise number. You know, I really have -- and I
17 learned by going through a lot of the background
18 materials that these are based on stylized
19 calculations. They're really not measurements.

20 MR. CARRERA: It was the code that we
21 used.

22 MR. COMFORT: Correct. I mean, they had
23 direct measurements for the 4.9 millirems per hour on
24 the dumpster. But they basically stayed at Colorado,
25 went out to the site where the material had come from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that set off the alarms at this dump, and basically
2 they did do sampling of the building that was
3 abandoned. They ran the numbers that they had through
4 the D&D revision 1 code at the time. I'm not specific
5 of what numbers they put in there and all that other
6 stuff. That's why I expect they came out with a
7 number to be so specific as they were using a code
8 that gave them something like that.

9 They also did go through and found the
10 actual licensee who had abandoned the site, they had
11 actually moved operations. And, a gain, they did
12 measurements there and did estimates that the workers
13 were potentially receiving up to a rem. Again, they
14 make it clear it's estimates. You know, we didn't
15 look at the details of that calculation at that time.

16 VICE CHAIR ARMIJO: Well, is this licensee
17 or whoever had this stuff taken to task? Was he
18 fined? Was he put out of business? I mean --

19 MR. COMFORT: Well, that is the problem.

20 MEMBER SIEBER: Was he exempt from
21 everything?

22 VICE CHAIR ARMIJO: Because he's exempt
23 from all of these things, it just doesn't matter?

24 MR. COMFORT: Well, it was basically the
25 State of Colorado went through and decided o their own

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to go and make sure the site that they abandoned was
2 cleaned up.

3 I didn't follow up on what they did with
4 the licensee at the new site and the way that they
5 tried to introduce any type of controls that should
6 have been in place on that site.

7 VICE CHAIR ARMIJO: I guess I don't
8 understand how these agreement states work. There's a
9 regulatory limit and nobody's --

10 MR. COMFORT: Well, there is no regulatory
11 limit. That's the problem, is because they're exempt
12 from the part 20 limit. So there is no restriction on
13 the exposures that they're providing, the same thing
14 with there are no requirements because there the
15 workers are getting above 100 millirem per year
16 potentially that have training requirements.

17 VICE CHAIR ARMIJO: So the regulatory
18 limit is for people who are not exempt --

19 MR. COMFORT: Correct.

20 VICE CHAIR ARMIJO: -- or for other --

21 MR. COMFORT: They are specifically, under
22 40.22 the general licensee is specifically, exempted
23 from the requirements in part 20, which include
24 decommissioning limits and exposure limits for health
25 and safety.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: I think that that is part of
2 the -- we need to go into this in more depth, Sam, is
3 that it's not clear to me that this is a real dose.
4 This is a calculation.

5 MR. COMFORT: Right.

6 MEMBER RYAN: And I really don't
7 understand how close that is. That could be 70 or
8 that could be 1,000. I have no idea.

9 MEMBER SIEBER: The problem is, even in
10 the statement there, 734 millirems a year is not a
11 contamination level, so many microcuries or so many
12 counts per so many square inches. And so you need to
13 know, you know, is this guy laying on it all year or
14 --

15 MEMBER RYAN: Yes. I mean, so if it is a
16 highly stylized calculation and he's at 24/7/365, it
17 doesn't mean anything.

18 MEMBER SIEBER: Right. No, it doesn't.

19 MEMBER RYAN: So we close up the room, and
20 he is inhaling all of the radon. And there is no
21 ventilation whatsoever.

22 MEMBER SIEBER: Maybe the guy is living in
23 the dumpster. Maybe that would do it.

24 MEMBER RYAN: But so I think in going
25 through this, like I said, some of the background

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 information, it's these bases as the reason for moving
2 forward that I am really focused on challenging.

3 VICE CHAIR ARMIJO: So the petition had
4 some documentation that justified the petition from
5 the State of Colorado and they provided --

6 MR. COMFORT: They just provided the
7 information on. Now, I mean, we are going to get into
8 the PNNL report, where we did do some of our own
9 calculations or we had our contractor do some
10 calculations.

11 VICE CHAIR ARMIJO: Did you look over the
12 State of Colorado submittal and say it made sense and
13 it was done properly and you could revise --

14 MR. COMFORT: Since most of this is from
15 thorium, you know, where there's a little bit higher
16 external exposure limit, the sites that I have looked
17 at with quantities of thorium have gotten some
18 relatively high hourly dose limits that you can get
19 from the contamination.

20 Where this is, no, we didn't look at it
21 that detailed.

22 MEMBER RYAN: Let me pick on that.
23 Looking at the contamination on the surface and
24 getting a dose rate, say, here on this contaminated
25 page is a whole lot difference than what the dose is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to each person in the room.

2 So the time, distance, and shielding of
3 all of this needs to be accounted for carefully.

4 MEMBER SIEBER: Yes.

5 MEMBER RYAN: And the only way to do that
6 that I know of is either fixed monitoring TLDs or some
7 other dosimetry device in the area where people are
8 generally occupied. God forbid let's pin one on the
9 individuals and get a dose of that badge with that
10 person around. So we don't have that data.

11 MR. COMFORT: Right.

12 MEMBER RYAN: So I am really nervous about
13 interpreting/submitting the dose rates into a dose in
14 the person. I think that is a risky thing to do.

15 Now, I will quickly add that I understand
16 state regulation well. I mean, I was regulated under
17 five licenses at once by state regulators. And I
18 understand the mindset. And we're going to highball
19 it so we know what the upper limit is and make sure
20 they're protecting at this high upper limit level so
21 we never make the mistake of having an exposure we
22 don't like.

23 MR. COMFORT: Correct.

24 MEMBER RYAN: So I appreciate that, but I
25 think we have got to recognize that in this case, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 basis for your moving forward is more of the kind of
2 the regulatory mindset. Again, I offer that not
3 criticizing it but just trying to recognize what it
4 is, as opposed to saying realistic kinds of
5 measurements of what actually a person is achieving.

6 MR. COMFORT: Yes.

7 MEMBER RYAN: Is that a fair summary?

8 MR. COMFORT: Well, I understand what
9 you're saying.

10 MEMBER RYAN: You see what I'm saying?

11 MR. COMFORT: Yes.

12 MEMBER RYAN: Okay. All right.

13 CHAIR ABDEL-KHALIK: I am just trying to
14 understand the meaning of this number. When this
15 building was vacated or when this estimate was made,
16 how much source material was still left in the
17 building?

18 MEMBER RYAN: I mean, it's basically -- my
19 understanding because it's thorium operation, it was
20 likely somebody like a lens manufacturer who basically
21 a lot of them are putting the material in a -- you
22 know, basically dispersing it in the air to coat
23 lenses effectively. So there's a lot of ground
24 contamination.

25 It's all in the soil or the surfaces that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are in the facility. If I'm reading the report from
2 Colorado, it was all over the surfaces everywhere
3 basically in a layer they threw out. They didn't do
4 any type of housekeeping cleanup, you know, sweeping,
5 that type of thing, as far as I could tell from what I
6 have read on the report, you know, the information
7 that was provided.

8 MEMBER RYAN: You know, I have done an
9 awful lot of FUSRAP surveys in the eastern United
10 States, 17 to be precise, anything from thorium to
11 uranium and Mallinckrodt Chemical Works in St. Louis
12 and all sorts of places.

13 I mean, we would go into facilities and
14 "Oh, yeah. We'll move this cabinet" and find a small
15 bitty U-308 and things like that. But we never
16 measured airborne radioactivity because we had samples
17 running all the time and our occupational analyses
18 were pretty low. Yet, we would find materials like
19 you're describing.

20 MR. COMFORT: Right.

21 MEMBER RYAN: So I'm trying to gibe up
22 those experiences that are firsthand from the
23 interpretation we have here. So, again, I'm sharing
24 that, really, not to be critical of what you're
25 offering but just to say I think we need to get to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 how do we get to the realism for these cases as we
2 would if we were out doing a decommissioning project,
3 for example?

4 MR. COMFORT: But the one big point you
5 need to -- I mean, that needs to be made, it's persons
6 operating under these general licenses basically may
7 have absolutely no radiological background at all or
8 health physics at all and stuff. So that's one of the
9 reasons why --

10 MEMBER RYAN: Absolutely. Well, I
11 appreciate that.

12 MR. COMFORT: -- looking at the, doing the
13 more conservative look at what the potential is versus
14 what may actually be happening in all cases. And in
15 reality, I expect most of them are going to be well
16 below these types of limits.

17 MR. CARRERA: Slide Number 17, please.
18 PNNL dose assessment study designated as PNNL-16148
19 report. I mentioned earlier that the staff obtain the
20 services of PNNL to try to identify general licensees
21 and how source material was used.

22 As part of their report, PNNL developed
23 scenarios for selected specific uses. Calculations
24 were made with appropriate computer codes to
25 standardize the data for a larger number of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 radionuclides or variants of exposures. Radiation
2 dose commitment from inhalation or ingestion were
3 estimated using dose coefficients from the ICRP
4 publications 68 and 72.

5 Taken from the report and summarized on
6 this slide, the study reported that the committed
7 effective dose to unprotected workers during routine
8 use accidents and manufacturing of thin-film optical
9 coatings could approach about 800 millirem for the
10 case of a single worker processing up to 150 pounds
11 per year of thorium with progeny via inhalation and
12 ingestion pathways.

13 MEMBER RYAN: This assumes I'm guessing --
14 from what I have read, I think it is right -- no
15 respiratory protection?

16 MR. COMFORT: Correct. Yes.

17 MEMBER RYAN: No contamination control and
18 countermeasures in an operation that involves heat
19 because these optical lens are coated on the thermal,
20 high-temperature kinds of sputtering. So it's --

21 MR. COMFORT: They are usually
22 electroplated.

23 MEMBER RYAN: Electroplated, yes. So
24 there's lots of mechanical stuff in there. There's a
25 holder of the lens. So, again, I challenge just from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 my own experience that that stylized calculation
2 doesn't recognize things like industrial hygiene
3 requirements, even for a dust mask or other things.
4 So I am struggling with --

5 MEMBER SIEBER: You can make up a scenario
6 to get any number you want.

7 VICE CHAIR ARMIJO: Well, is it really
8 electroplated or is it a vacuum deposition kind of
9 process because thorium is not an easy thing to
10 electroplate in its aqueous form? I have heard of
11 lens coating and possibly people put them in a vacuum
12 and they heat up the thorium source and it deposits
13 uniformly in very thin films, very precise.

14 MR. COMFORT: Okay. Maybe that's --

15 VICE CHAIR ARMIJO: It's not
16 electroplating --

17 MR. COMFORT: Maybe that's what I
18 misunderstood on it when I was told before.

19 VICE CHAIR ARMIJO: So, you know, I don't
20 know what of process PNNL --

21 MR. COMFORT: Hot cell and stuff also.

22 VICE CHAIR ARMIJO: Yes. And if they did
23 it in a hot cell, that even provides some --

24 MR. COMFORT: Well, most of the -- I mean,
25 the exposure coming from the hot cell scenario is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 basically you do literally have somebody going in
2 there and sweeping it all up to collect it and deposit
3 it somewhere else. That's where your biggest dose is
4 going to be coming from.

5 VICE CHAIR ARMIJO: Probably more like a
6 big glove box, rather than a hot cell, because there's
7 not that much reach.

8 MEMBER POWERS: Yes. It would be a
9 glorified glove box.

10 VICE CHAIR ARMIJO: Yes, yes, yes.

11 MEMBER POWERS: You wouldn't use a hot
12 cell.

13 VICE CHAIR ARMIJO: PNNL in order to do
14 this --

15 MR. COMFORT: Plus, you'd have lots of hot
16 cells to burn.

17 MEMBER POWERS: Can you imagine holding a
18 lens with a manipulator?

19 VICE CHAIR ARMIJO: But PNNL apparently
20 took some sort of this facility and modeled it and
21 came up with these kinds of doses.

22 MR. COMFORT: Correct. And they also
23 looked at another scenario trying to be even more -- I
24 won't say bounding but other conditions, I mean, that
25 we're aware of people could be using the material.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 One of them is things like a glaze. You know, they'll
2 use the powder in a glaze and all.

3 So we're trying to look at the guy doing
4 that and licking his fingers and all that kind of
5 thing, which, again, is allowable under this general
6 license. So those are the kinds of conditions that
7 we're trying to limit somewhat.

8 As a matter of fact, when we were doing
9 this research, I got a call from an individual who had
10 run out of his material for glazing and all and was
11 looking for a new source. And it was actually
12 interesting because when I talked to the distributor,
13 they were like they won't touch that type of process
14 anymore. They will not provide it to them because it
15 is considered frivolous.

16 So even those types of scenarios are
17 probably being somewhat limited because nobody can get
18 the material anymore.

19 MEMBER SIEBER: Isn't that the case with a
20 lot of these situations, the usage is declining?

21 MR. COMFORT: Certainly.

22 MEMBER SIEBER: By the time you get
23 through publishing your rule, nobody would be in
24 business?

25 MR. COMFORT: Nobody to use it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Okay.

2 MR. CARRERA: Slide Number 18, please. To
3 resolve concerns with the current section 40.22 being
4 not in alignment with health and safety standards, the
5 staff is proposing to make significant revision to
6 section 40.22.

7 First, based upon evaluations of the PNNL
8 report and PRM-40-27 that we discussed earlier, the
9 staff found that the biggest health impact from the
10 processing of dispersible source material is primarily
11 because of the ingestion and inhalation pathways.
12 Although it is expected that most general licensees
13 may implement procedures, such as hot cells, to
14 maintain doses well below levels of concern. The
15 staff believes that reducing the possession limit for
16 source material would best ensure that the use of
17 these materials will not generally exceed current
18 public dose limits in part 20 and to account for the
19 exemption to training requirements in part 19.

20 CHAIR ABDEL-KHALIK: Tell me about the
21 possession limit per calendar year. Is that the
22 amount that they can buy from these distributors per
23 calendar year or the amount that they can --

24 MR. COMFORT: It is basically they can
25 possess at one time on this case what we're proposing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to go to the 1.5 kilograms at one time. They take
2 that material. They process it, ship it off to
3 somebody else. And then they can receive more, up to
4 a total of the 7 kilograms per year.

5 CHAIR ABDEL-KHALIK: So at any instant in
6 time during the year, they can't have more than one
7 and a half kilograms?

8 MR. COMFORT: Correct. It parallels what
9 we currently have, which is the 15 pounds.

10 CHAIR ABDEL-KHALIK: Fifteen-pound? Okay.

11 MR. COMFORT: A hundred and fifty pounds.

12 MEMBER RYAN: And you are proposing the
13 150 limit goes away? They can do 3.3 pounds at a time
14 up to the --

15 MR. COMFORT: To the 15 pounds.

16 MEMBER RYAN: To 15 pounds per year?

17 MR. COMFORT: Yes. That's for dispersible
18 material. If they happen to possess it in solid
19 forms, you know that they're using it for
20 demonstration, whatever, the limit stays the same at
21 the 15 pounds per year, 150 pounds. I mean all 15
22 pounds at one time, 150 pounds per year.

23 And, similarly, we are also specifically
24 not changing the removal of uranium from drinking
25 water, where they may be accumulating it on resins,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that, again, we're limiting that at the current limit
2 at 15 pounds at one time, 150 pounds per year.

3 MEMBER RYAN: That could be 350 cubic foot
4 liners of resin with lots and lots of uranium on it.

5 MR. COMFORT: Yes.

6 MEMBER SIEBER: That sort of confuses me a
7 little bit, too. If you're processing, let's say
8 you're running a water treatment plant and you've got
9 demineralizers there and you're processing to remove
10 uranium or thorium from the drinking water, which is
11 to compile the drinking water standard, what do you do
12 when you reach this limit, you know, the annual limit?

13 Do you shut down your water treating plant or use a
14 demineralizer or what do you do?

15 VICE CHAIR ARMIJO: Well, don't you
16 regenerate the resins and flush them out and
17 concentrate something in the --

18 MR. COMFORT: That is usually what they
19 will do is they will regenerate the resins and then
20 ship off the --

21 MEMBER SIEBER: So that is out of their
22 license jurisdiction once they ship it away?

23 MR. COMFORT: Right.

24 MEMBER SIEBER: Hopefully they will.

25 MR. COMFORT: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: And who do they ship it
2 to?

3 MR. COMFORT: I've heard a variety. I
4 mean, under the current regulation, a lot of people it
5 is my understanding are potentially just diluting
6 their product and sending it down the POTW.

7 And it's not clear that the 40.22
8 regulations prohibit that. That is one of the things
9 we will be talking about on it. Otherwise, you know
10 --

11 MEMBER SIEBER: It ends up in a landfill.

12 VICE CHAIR ARMIJO: In a drain.

13 MR. COMFORT: Right.

14 MEMBER RAY: It goes right back into your
15 water treatment plant or into the river or --

16 MEMBER SIEBER: Right. That's --

17 MEMBER RAY: It goes downstream basically
18 for the next plant to pick up.

19 MR. COMFORT: Effectively.

20 CHAIR ABDEL-KHALIK: Is there a
21 calculation that shows that if you comply with these
22 one and a half-kilogram and seven-kilogram limits that
23 you are automatically in alignment with current
24 standards?

25 MR. COMFORT: Well, we're basing it on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 calculations that PNNL did that were effectively
2 saying if you're taking a fifth of the material --
3 they were looking at the full limit at that point, you
4 know, the 15 pounds at one time, 150 pounds per year.

5 And so we're basically taking a factor of that came
6 out to around the 700-millirem per year. We're
7 dividing it down to something close to the
8 100-millirem.

9 Again, we felt, like Mike, that there are
10 relatively conservative calculations. So we're trying
11 to limit that down the --

12 MEMBER RYAN: And that is where I am
13 struggling. I don't know how relatively conservative
14 they are. They could be orders of magnitude off.

15 MEMBER SIEBER: Yes, either way.

16 MEMBER RYAN: I bet they're not off on the
17 upper end.

18 CHAIR ABDEL-KHALIK: No.

19 MEMBER RYAN: I'll bet these are --

20 CHAIR ABDEL-KHALIK: On the conservative
21 end, right.

22 MEMBER RYAN: Yes, right.

23 MR. CARRERA: As a result, the staff is
24 proposing to reduce possession limit of source
25 material to 3.3 pounds at any one time down from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 current 15 pounds and receive up to 15.4 pounds down
2 from the current 150 pounds per calendar year.

3 However, if the source material is
4 possessed in a solid, non-dispersible form or
5 accumulated from the treatment of drinking water, the
6 licensee could continue to possess up to a total of 15
7 pounds at one time and receive up to 150 pounds per
8 year.

9 The staff believes that these uses have
10 been sufficiently evaluated to reduce the likelihood
11 that excessive doses would occur to workers or the
12 public from these latter forms or uses. General
13 licenses would continue to remain exempt from the
14 requirements in parts 19, 20, and 21.

15 This may result in some general licensees
16 requiring specific licenses. It is expected that the
17 majority of larger users are likely distributors of
18 exempt products which would, therefore, be required to
19 obtain a specific license under the proposed new
20 distributor requirements that I'll address shortly.
21 They would be able to reduce possession limits to
22 within the new limit.

23 The staff is also proposing to require the
24 general licensee to minimize contamination during and
25 at the end of their operation. When a section 40.22

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 general licensee ceases operations, if they identify
2 that there is a potential for significant
3 contamination, the general licensee would notify the
4 NRC or the agreement state to determine what cleanup
5 actions are necessary.

6 Currently because of the exemption to part
7 20, a general licensee may decide that they have no
8 obligation to clean up their facility and, instead,
9 abandon it in place, such as that identified in
10 PRM-40-27.

11 So these two changes are expected to bring
12 possession of source material in greater alignment
13 with existing part 20 requirements.

14 Next slide, please. Next I'll talk to the
15 issue regarding the lack of reporting requirements
16 associated with section 40.22 general license.

17 MEMBER RAY: Has any of this been subject
18 to public comment as yet?

19 MR. COMFORT: Not yet. I mean, we're
20 waiting for final SRM to publish it, which should be
21 forthcoming.

22 MR. CARRERA: Slide number 20, please.
23 Currently there are no regulatory mechanisms for the
24 NRC to ensure that products and source materials
25 distributed for use are maintained within the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 applicable constraints of the requirements.
2 Therefore, the staff cannot fully evaluate the
3 resultant risks to public health and safety.

4 This is inconsistent with how we handle
5 part 30 byproduct material where we have requirements
6 for distributors to be specifically licensed by the
7 NRC.

8 MEMBER RYAN: But part 30 covers such a
9 wide range of -- not covered here, correct?

10 MR. COMFORT: Correct.

11 MEMBER RYAN: So why should it be? Why
12 should that analogy be comforting or not comforting?

13 MR. COMFORT: Well, primarily it's more of
14 the identification of we've got licensees, we don't
15 know who they are, don't we think we should know who
16 they are.

17 MEMBER RYAN: I mean, I'm back to the risk
18 space. I mean, part 30 and part 40 are completely
19 different animals. What might be good for part 30
20 doesn't translate to the other one real easily I don't
21 think.

22 MR. COMFORT: But, I mean, what I stated
23 wasn't specific to part 30. It's we have a licensee.
24 We probably ought to know who we are regulating and
25 that we're within limits if there are limits

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 associated with it.

2 MEMBER RYAN: Okay.

3 MR. COMFORT: And that's really where that
4 is coming from, is, you know, in addition, because we
5 don't know what the potential impacts -- I mean, how
6 do you go out and do studies if you don't know who you
7 are supposed to be studying?

8 MEMBER RYAN: The analogy that Andrew
9 mentioned was --

10 MR. COMFORT: That also comes out of
11 historically part 30 and part 40 were kind of locked
12 in step together for a long time. It's basically they
13 did major revisions to part 30 that part 40 never did
14 since it hasn't been revised since '61. We're trying
15 to get it also more in alignment with --

16 VICE CHAIR ARMIJO: The general licensee,
17 let's say this thorium-coated lens manufacturer. Who
18 actually gives them the license? Is it the state that
19 they're in or is it --

20 MR. COMFORT: Well, if it is in an NRC
21 jurisdiction, I mean, NRC grants the general license.
22 If it's a state, the state would be granting it under
23 their authority.

24 VICE CHAIR ARMIJO: And you don't have
25 records of who they are?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COMFORT: No. It's just a general
2 grant. If you have this material under this
3 condition, you are granted the --

4 VICE CHAIR ARMIJO: I don't understand
5 general licenses.

6 MR. COMFORT: Yes. That's the difficulty.
7 General licenses are basically --

8 MEMBER RYAN: It is a piece of paper that
9 says you can own small quantities of source material.
10 That's it. And there's no restriction.

11 MEMBER BLEY: And "you" is not defined.

12 VICE CHAIR ARMIJO: Right. And who gives
13 it to you?

14 MR. COMFORT: It is yours. You were
15 granted.

16 MEMBER RYAN: Run it through the
17 regulation.

18 MR. COMFORT: You don't have to apply for
19 it or anything.

20 VICE CHAIR ARMIJO: It is your right by
21 birth.

22 MEMBER BLEY: All right. So general
23 license, it is not --

24 PARTICIPANT: Sam, it is not a license.

25 MEMBER POWERS: It is more like --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 VICE CHAIR ARMIJO: Right.

2 MEMBER RYAN: It is a permission. In
3 regulation, that is exactly what it is. It's a
4 permission in regulation that needs no further
5 explanation.

6 VICE CHAIR ARMIJO: Okay. Got it.

7 MEMBER RYAN: Just go over the limit.

8 VICE CHAIR ARMIJO: That's the problem I
9 have.

10 MR. COMFORT: This general license is
11 pretty unique in a lot of ways that it has all of
12 these exemptions to the existing. It doesn't have any
13 type of reporting requirements. A lot of our general
14 licenses have reporting requirements.

15 In part 30, you have for sources --
16 there's a tracking system that you are required to
17 apply to. Under 40.25, which is for concentrations of
18 uranium, you have to basically tell us when you're
19 moving it from place to place and that you have
20 received it. So there are different types of general
21 licenses that have other conditions that do allow us
22 to know who they are, even though they're actually not
23 applying for it.

24 MEMBER BLEY: The odd thing to me with
25 what the use is, it's possible you could have this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 stuff and not know there is a general license that
2 applies to you.

3 MR. COMFORT: That's exactly the -- that's
4 a good point. And we often get calls, you know, "Do I
5 need a license or a general license?" from people who
6 find out on the buy side. And you can imagine how
7 many people who should be having them that probably
8 don't under existing parts.

9 Now, I mean, we do have another action
10 going on that we have been working on for the last
11 decade, which is to basically look at should we even
12 have jurisdiction over a lot of these activities for
13 source material or that are under currently source
14 material for uranium and thorium. And that is an
15 ongoing action trying to determine if we should. And
16 if we shouldn't, how do we change that jurisdiction
17 because we acknowledge that is a big problem?

18 MEMBER BLEY: And penalties accrue to
19 someone who doesn't know it's a general license?

20 MR. COMFORT: Can what?

21 MEMBER BLEY: Penalties are going to
22 accrue to someone who doesn't know they're subject to
23 a general license.

24 MR. COMFORT: I can't speak on enforcement
25 on how that does, but generally when we found people,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you know, that have been remiss, we basically advised
2 them that they need to do whatever the condition is of
3 the license.

4 MEMBER POWERS: The rule generally is
5 ignorance is no excuse. On the other hand, unless it
6 is willful ignorance, there's --

7 VICE CHAIR ARMIJO: I am really confused.
8 This is a license that has some --

9 MEMBER SIEBER: These are rules. It's not
10 like a driver's license --

11 VICE CHAIR ARMIJO: -- obligations, I
12 guess.

13 MEMBER SIEBER: -- to run a car. You get
14 no piece of paper. And you don't know --

15 VICE CHAIR ARMIJO: Even though you don't
16 ask for it? A general license has no obligations?

17 MEMBER POWERS: That is right.

18 MEMBER SIEBER: You don't have to apply.
19 They don't know who you are.

20 MR. COMFORT: That is the specific general
21 license. Many of the other ones do have requirements
22 that you have to notify NRC that you possess the
23 material or that you have transferred it to somebody
24 else.

25 MEMBER SHACK: We are only talking about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this general license.

2 MR. COMFORT: This specific one does not.
3 That's what we're trying to fix, that problem.

4 MEMBER SHACK: That's what you're trying
5 to fix, that problem.

6 MR. COMFORT: Yes. And that's what we're
7 talking about here.

8 MEMBER SHACK: As bad as you think, Sam.

9 MR. COMFORT: Yes.

10 VICE CHAIR ARMIJO: I am just trying to
11 figure out is there a problem, you know.

12 MEMBER SIEBER: Your problem is you don't
13 know it.

14 VICE CHAIR ARMIJO: Well, I am the
15 licensee. And any one of us who chooses to go out and
16 get some of this stuff from somebody, there's no
17 prohibition.

18 MR. COMFORT: Unless it is an exempt
19 product, but it --

20 MEMBER RYAN: If it's uranium, you are a
21 general licensee, Sam.

22 VICE CHAIR ARMIJO: I am a mineral
23 collector. I probably have more thorium --

24 (Laughter.)

25 MR. COMFORT: As unprocessed minerals, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 get an exemption under 40.13(b). So you're okay
2 there.

3 MEMBER POWERS: Yes, but you can put it in
4 a box for processing. I think we ought to put some --

5 VICE CHAIR ARMIJO: Okay. I am reading.

6 MEMBER RYAN: Let's go ahead.

7 MR. CARRERA: Slide number 21, please. To
8 resolve the issue with lacking of complete and timely
9 information on the types and quantities of source
10 material distributed for use either under exemption or
11 by general licensees, the staff is proposing two new
12 specific licenses for the initial distribution of
13 source material: one for the initial distributors of
14 source material to exempt persons under the newly
15 proposed section 40.52; and the second is for the
16 initial distributors of source materials to general
17 licensees in a newly proposed section 40.54.

18 Slide number 21 lists some of the major
19 components associated with the proposed new specific
20 license for the initial distribution of source
21 material to exempt persons. One other key thing to
22 note is that this type of license may only be issued
23 by the NRC and not the agreement state.

24 The category of initial distributor could
25 include manufacturers or importers of exempt products

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 containing source material. Both importers and
2 persons located in agreement states would be exempt
3 from requiring requirements in part 19 and 20,
4 although it is expected that the agreement state who
5 would ultimately be responsible for protecting public
6 health and safety in the state would likely require
7 such initial distributors to obtain specific licenses
8 for possession and use from the agreement state.

9 It should be noted that these new
10 requirements may force some person manufacturing
11 exempt products under section 40.22 general license,
12 such as thorium-coated lens manufacturers, to become
13 specific licensees.

14 Next slide, please. Similarly, the
15 initial distribution of source material to general
16 licensees would also require a specific license,
17 issued either by the NRC or by the agreement state.
18 The general requirements associated with this proposed
19 new distributor license are listed on slide number 22.

20 In addition, prior to or with the first
21 shipment of source material to a general licensee, the
22 distributor would be required to include information
23 that notifies the recipient about the requirements of
24 the general license and appropriate safety precautions
25 for handling, use, storage, and disposal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The NRC staff has concerns that some
2 persons receiving source material may not even be
3 aware that they are operating under a general license.

4 So this would help alleviate those concerns.

5 And, as stated earlier, NRC is currently
6 aware of only one initial distributor of source
7 material. It is expected that these requirements will
8 only have a small impact to any distributor since they
9 would already be specifically licensed.

10 Slide number 23, please. Under the next
11 issue, the staff determined that the original use of
12 certain products possessed under the exemptions in 10
13 CFR 40.13(c) have changed over time. As a result, the
14 staff is proposing to revise certain exemptions to
15 address those changes.

16 Next slide. In 2001, the staff issued
17 NUREG-1717, which is an evaluation of the exemption in
18 parts 30 and 40. NUREG-1717 identifies certain
19 products containing source material allowed under
20 exemptions that are no longer being manufactured or
21 used. As a result, the staff believes it is warranted
22 to modify or delete those exemptions as appropriate.

23 In addition, the staff has identified
24 confusions related to thorium-coated lenses because of
25 the changes in manufacturing practices such that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 staff determined it was worthwhile to expand the
2 exemption to more clearly account for such new
3 practices.

4 Next slide, please. To be more specific,
5 first, the staff is proposing to remove the exemption
6 for uranium smoke detectors. The staff is unaware of
7 any product that has ever been distributed under this
8 exemption and believes there is no reason to continue
9 to allow it.

10 Second, the staff would prohibit further
11 distribution of glazed ceramic tableware. The staff
12 is unaware of any products currently being newly
13 distributed. Product already distributed would
14 continue to be exempt.

15 Next, the staff would reduce the allowable
16 concentration of source material in glassware from ten
17 percent by weight to two percent by weight. These
18 would include things such as glass figurines or other
19 show pieces.

20 The staff is unaware of products currently
21 being distributed above this new limit. And
22 previously distributed product would continue to be
23 exempt.

24 MEMBER SIEBER: The glazed ceramic
25 tableware, that's like Fiestaware?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COMFORT: That exemption was removed
2 many years ago. I mean, the existing is still exempt,
3 but we don't allow production of it anymore.

4 MEMBER SIEBER: Okay. Yes because we used
5 to use it as a source check for our --

6 MR. COMFORT: Right.

7 MEMBER SIEBER: -- Geiger counters. It
8 was pretty accurate.

9 (Laughter.)

10 MEMBER RYAN: The green-colored glass.

11 MR. COMFORT: That is what we're talking
12 about in the glassware. Your green-colored glass
13 lights up under the ultraviolet lights.

14 MEMBER RYAN: Probably decorative kind of
15 stuff.

16 MR. COMFORT: Right.

17 MEMBER RYAN: It's like maybe not used for
18 --

19 MR. COMFORT: We're reducing it from ten
20 percent, which is allowed now, down to two percent
21 basically because we've looked at the market and
22 haven't really identified anything that's above it.
23 So we don't think it will be a big impact while at the
24 same time it will help restrict further doses or
25 potential.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: Right.

2 MR. CARRERA: And the biggest revision is
3 proposed for the product exemption in section
4 40.13(c)(7). This exemption currently applies to
5 thorium contained in lens up to 30 percent by weight.

6 Industry practices have changed from
7 homogeneously incorporating the thorium into the lens
8 to, instead, coating the lens with thorium. This has
9 led to numerous question about the applicability of
10 the current exemption to thorium-coated lenses. The
11 staff --

12 MEMBER SIEBER: Does that coating come
13 off?

14 MR. COMFORT: No. As far as we have been
15 able to identify, I mean, it stays very firm there. I
16 mean, you can't scrape it off easily or anything to
17 that sort. You basically have to sandblast it.

18 VICE CHAIR ARMIJO: Are these lenses for
19 like photographic --

20 MR. COMFORT: They cannot be optical
21 pieces up against your eye. They can be like the end
22 of a television camera lens. Usually they're going to
23 be laser lenses, that kind of thing, that you're
24 manipulating.

25 MEMBER RYAN: Generally, they are either

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 big, as I understand it, big lenses or a specialty
2 use. And there's some optical aspect to it.

3 MEMBER POWERS: They are just looking for
4 the index of refraction on the material.

5 MR. COMFORT: That's where the thorium is.
6 I think so.

7 MEMBER RYAN: Yes, and maybe

8 MR. CARRERA: The staff's evaluation of
9 thorium-coated lenses found that significantly less
10 thorium is applied in a lens coating than when
11 incorporated homogeneously throughout the lens and,
12 thus, resulting in an even lower potential dose.
13 Therefore, the staff is proposing to expand the
14 exemption to specifically apply to thorium-coated
15 lenses.

16 The staff also has found that such
17 coatings are also applied to mirrors and believes that
18 it is appropriate to allow such use under the
19 exemption. The staff learned that uranium may also
20 sometimes be used as part of the coating. And so the
21 staff proposes to expand the exemption to include
22 uranium.

23 Finally, the staff found that the current
24 practices generally maintain the concentration of
25 source material on lenses to less than ten percent by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 weight. And so the staff is proposing to reduce the
2 concentration limit for lenses to this lower limit.
3 Again, previously distributed products would remain
4 exempt.

5 Slide number 26, please. Issue number 4,
6 over time the staff has learned that there are few
7 issues that aren't particularly clear in how they
8 should be addressed in section 40.22.

9 Next slide, please. The item we've seen a
10 lot of confusion with is the waste disposal
11 requirement, if any, under section 40.22 general
12 license. Because a general licensee is exempt from
13 part 20, which contains NRC requirement for disposal
14 of source material, many general licensees have
15 concluded that they can dispose of their wastes or
16 abandon them without further consideration. However,
17 this leads to the recipient of such waste unknowingly
18 being in possession of the source material such that
19 they eventually could become required to obtain a
20 specific license. This, of course, creates a problem.

21 In reality, when a general licensee is
22 exempt from parts 19, 20, and 21, they are not exempt
23 from the remaining requirement in part 40. For
24 example, the transport provision in section 40.51
25 applies to all licensees and limits the transfer of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 source material to someone who is authorized to
2 receive it.

3 As a general licensee cannot know how much
4 material a recipient has, they should not arbitrarily
5 be disposing of its material as the recipient may
6 exceed its general license condition and not be able
7 to legally receive additional source material without
8 obtaining additional specific license.

9 There are also a few other sections in
10 part 40 that general licensees may not normally be
11 aware of if they focus their attention on the text in
12 section 40.22 alone. This is because section 40.22
13 does not currently alert them to other requirements in
14 part 40 that may apply to them.

15 Slide number 28, please. To resolve the
16 concerns in the area of source material waste disposal
17 requirement, the staff proposes to implement new
18 requirements for disposal to ensure that contamination
19 and abandonment of source material become less of a
20 concern. The staff is proposing revision in section
21 40.22 to clarify certain activities, including
22 specific requirements that the general licensee may
23 not abandon its source material and to properly
24 dispose of it.

25 The staff is allowing a general license to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 transfer up to .5 kilograms per year for permanent
2 disposal in a solid, non-disposable form and would
3 exempt the recipient from requiring a license.

4 Disposal of source material above this
5 level would have to be consistent with the
6 requirements for disposal in part 20.

7 VICE CHAIR ARMIJO: What kind of
8 documentation is required in this disposal process?
9 I've got .5 kilograms of stuff that I want to get rid
10 of.

11 MR. COMFORT: Right.

12 VICE CHAIR ARMIJO: Who do I have to go to
13 to get permission? And what kind of documentation and
14 what kind of packaging and what kind of regulations do
15 I have to comply with?

16 MR. COMFORT: Basically right now the way
17 it is envisioned is it is just granted as a general
18 provision that says that if you put it in a solid form
19 and you send it to the landfill under .05 pounds, the
20 landfill can receive it as an exempt material. And
21 that's all you have to do.

22 VICE CHAIR ARMIJO: You don't have to
23 inform them of anything?

24 MEMBER SIEBER: No.

25 MR. COMFORT: No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: You just put it in your
2 garbage.

3 MR. COMFORT: Right.

4 MEMBER RYAN: Here is the problem with
5 that. And, again, I've been helping on the receiving
6 end of these materials. I'll tell you how it works in
7 a landfill. They all have Exploranium detectors, --

8 MR. COMFORT: Right.

9 MEMBER RYAN: -- all of them. If that
10 thing goes off, they don't care what's in the truck.
11 Out you go.

12 MR. COMFORT: Sure. And we do have a
13 caveat.

14 MEMBER RYAN: They don't care what it is.
15 They don't care if it's a diaper with some
16 radiopharmaceuticals in it or source material or --

17 MR. COMFORT: Bananas, right.

18 MEMBER RYAN: -- anything else. They're
19 going to reject the load.

20 MR. COMFORT: And basically we state that,
21 in the statements of consideration at least, that
22 there is no requirement for them to accept it and all.

23 MEMBER RYAN: But the reality is the
24 practice is such that landfills almost everywhere that
25 I know of, at least the ones in the big cities and so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 forth, they reject anything that sets off the meter,
2 period. They don't care what it is.

3 MEMBER BLEY: So you've got to go dump it
4 somewhere.

5 MEMBER RYAN: That is somebody passing it
6 in a dumpster at Dunkin Donuts or something. You
7 know, I don't know. It doesn't recognize the reality
8 of the circumstance that you're saying it's okay to
9 throw away .5 kilograms per year for permanent
10 disposal when a lot of places have methods in place to
11 prevent it.

12 MR. COMFORT: Now, for example, though, I
13 mean, I've got a local incinerator up here in
14 Montgomery County that I've gone and visited. And
15 they basically throw everything on a track that goes
16 up. And when it sets off the alarm, they stop the
17 system, see what it is.

18 And specific to your example of diapers or
19 cat litter or things like that, if they see what it
20 is, they'll let it go.

21 MEMBER RYAN: And the cat litter is
22 radioactive because of the thorium?

23 MR. COMFORT: Right, yes.

24 VICE CHAIR ARMIJO: Is that because of the
25 minerals that they dig up?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: No. That would be a fairly
2 uncommon one. I mean, most landfills and recycling
3 centers, for example, just -- they just say get all
4 the --

5 MR. COMFORT: With this small quantity, I
6 mean, with thorium, you might set it off. With
7 uranium, you probably are not going to.

8 MEMBER RYAN: That's right, yes.

9 MR. COMFORT: So we're trying to look at a
10 variation on it and all. The key thing is what we're
11 trying to look at is because we now there are things
12 like educational institutions that may have like
13 urinal acetate that they're holding under the general
14 license right now. We have run into this situation
15 before. What do we do with it?

16 You know, if I am going to have to send
17 this as low-level waste somewhere, this small vial, it
18 is going to cost me 10,000 bucks. I'm going to put it
19 into a certain waste form package and all and stuff
20 like that. So we're trying to --

21 MEMBER SIEBER: That dumpster in the park.

22 MEMBER RYAN: You end up with a lot of
23 that. Well, never mind. We made the point. Go
24 ahead. Sorry.

25 MR. CARRERA: As Gary just mentioned,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 these requirements will allow small users, such as
2 educational institutions, to safely and economically
3 dispose of the source material.

4 The staff is also proposing to include
5 direct citation in section 40.22 to other applicable
6 sections in part 40 to make sure that general
7 licensees are better aware of general regulations that
8 have always been applicable to a general licensee
9 under part 40.

10 MR. COMFORT: Basically provide them a
11 roadmap to the rest of the regulations that apply to
12 them.

13 MR. CARRERA: During the rulemaking, staff
14 identified certain areas that we believe public
15 insight will be very helpful in directing the future
16 course of action in this rulemaking.

17 Slide number 30, please. As part of the
18 Federal Register notice requesting comments on a
19 proposed rule, the staff is soliciting comments on
20 certain open issues. Many of these issues are listed
21 on the slide.

22 Next slide, please. In conclusion, I
23 would like to summarize a few points. First, the
24 staff is aware that the proposed revision related to
25 distributor requirements and reduction in possession

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 limits will require a number of persons currently
2 operating under a general license to become specific
3 licensees. The staff expects most of these persons
4 impacted will be manufacturers and initial
5 distributors of products to exempt persons.

6 A second but smaller categories expected
7 to be persons impacted by the reduced possession
8 limits. However, since we expect that most of the
9 larger users are likely producers of exempt products,
10 the group who cannot reduce their quantities below the
11 reduced limits is expected to be small.

12 Because of the lack of available
13 information, we hope to get a better indication of the
14 impacts during the public comment period. The
15 proposed rule changes are expected to increase health
16 and safety for workers and the general public through
17 the reduction of the limits allowed under section
18 40.22 general license and through providing
19 clarification for the waste disposal and through the
20 limiting contamination and through making general
21 licensees more aware of other requirements that apply
22 to them.

23 The new distribution licenses will allow
24 NRC to better understand and react to the use of
25 source material under exemption and general license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and to better refine our regulation to adapt to
2 changing situations by both reducing our activities or
3 expanding them as we better learn how source material
4 has been used.

5 So overall because of a lack of available
6 information, we look forward to hear and receive
7 comments on the proposed rule from the industry as
8 well as from the general public.

9 And, with that, I am open to any other
10 questions.

11 MEMBER RYAN: Andrew, what is your public
12 comment period schedule?

13 MR. COMFORT: When is it coming or how
14 long is it?

15 MEMBER RYAN: Both.

16 MR. COMFORT: Well, right now we're at a
17 point that we have gotten a draft SRM from the
18 Commission. We're waiting for the final SRM later
19 this week probably is what the --

20 MEMBER RYAN: And then you'll go out for
21 public comment?

22 MR. COMFORT: Then we'll go out for public
23 comment. Now --

24 MEMBER RYAN: Right. The --

25 MR. COMFORT: The public comment period

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 currently is 75 days. One of the potential directions
2 from the Commission may be to expand that to 120 days
3 that we're seeing.

4 MEMBER RYAN: Okay.

5 MR. COMFORT: The other big thing that we
6 are planning to do on the public comment is we're
7 going to be making a full-out effort to identify
8 anybody that we can that is going to be impacted
9 through this, you know, both from the records we
10 already have, through trade journals and other sources
11 of people that we know that know general licensees, et
12 cetera.

13 And the Commission, one of the other
14 directions that was actually currently in the SRM is
15 that we're going to have to identify how we did do
16 this public outreach because they are concerned that
17 we get everybody who is going to be impacted and allow
18 them to realize it and comment appropriately.

19 MEMBER RYAN: Is there any attempt or
20 effort -- just a second, Jack. Is there any attempt
21 or effort to gather real radiation exposure-type data,
22 whether it is air sampling or badges or anything?

23 MR. COMFORT: At this point, no, there is
24 not. The hope would be that if industry is concerned
25 that we're doing something to that, they would provide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 such data as part of their evidence as to why we
2 shouldn't change those possession and all that stuff.

3 MEMBER RYAN: And they are part of the
4 outreach that you are going to make in your -- general
5 licensees, all the -- you're going to say, "And if you
6 have specific data regarding, we would be happy to
7 have it"?

8 MR. COMFORT: Right now the plan wasn't to
9 do that, but that is something that we could certainly
10 consider. I mean, the expectation is that they're
11 going to provide comment that something is
12 inappropriate or that --

13 MEMBER RYAN: I think it is helpful if you
14 maybe request that that information were better
15 informed because that could end up in you changing
16 your mind about 3 and 15.

17 MR. COMFORT: Yes.

18 MEMBER RYAN: I think it behooves you to
19 ask for it.

20 MR. COMFORT: There's a bunch of things
21 that we're hoping because, again, we don't have the
22 information because we don't know who they are. You
23 know, are we making assessments incorrectly that the
24 number of people who are going to be impacted are
25 under the distribution, you know, become specific

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 licenses and all that stuff? You know, is that going
2 to be a tremendous impact, things like that?

3 Things like importers right now who bring
4 the material in is "Hey, I'm bringing in some
5 frivolous stuff." They have to now pay for a big,
6 expensive license. They may not want to do that. So
7 you may see some concerns about that or there may be
8 consolidation that you're going to have an initial
9 distributor that distributes to a lot of people that
10 formally did it independently.

11 MEMBER SIEBER: Or you could have a lot of
12 contraband.

13 MR. COMFORT: That is true, too.

14 MEMBER RYAN: Is there a trade
15 organization for this industry segment that you can
16 work with?

17 MR. COMFORT: Well, portions of it, I
18 mean, the ceramics industry, that kind of thing.

19 MEMBER RYAN: Are you going to seek their
20 --

21 MR. COMFORT: Oh, certainly.

22 MEMBER RYAN: Okay. And, again, I think
23 it's very important, if not the top item, to find out
24 what really is the workplace exposure situation for
25 these materials.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: That gets to my question.
2 You have slides 16 and 17, which put out some pretty
3 high numbers for what otherwise seem to be some mild
4 situations. Are these specific examples driving the
5 change in this rule or do you have more in-depth
6 studies that are more realistic?

7 For example, I think 734 millirems for the
8 general licensee that had the 4.9 mr dumpster is --
9 you know, that seems like a lot to me. So I am
10 wondering if a few instances are driving the change in
11 the rule or do you have a more comprehensive set of
12 studies and data that are more realistic than the two
13 that you have cited here.

14 MR. COMFORT: It is basically the studies
15 that we have done that are presented there that are
16 driving the drop in possession on it.

17 Now, the other changes, such as the
18 distributor requirements, changes to specific
19 exemptions and all, are independent to that?

20 MEMBER SIEBER: The slide 17 looks to me
21 like it's linked to changing the quantities from 15 to
22 3.

23 MR. COMFORT: Right. That is exactly
24 where the relation is coming from.

25 MEMBER SIEBER: That's in the lens

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 business.

2 MR. COMFORT: Right.

3 MEMBER SIEBER: But that is just one
4 example of where source material --

5 MR. COMFORT: Well, there is a wide
6 variety of activities that are undergoing. I mean,
7 many of them truthfully are operating or have the
8 material in forms that you are not going to see a
9 significant impact. And, yet, they're still going to
10 be impacted by the reduction potentially.

11 There is a wide variety of scenarios that
12 result in potential for higher doses. Whether you are
13 using respiratory protection or other means to provide
14 protection that could be reducing it, there is no
15 requirement to do that. And so we're basically using
16 what can you do versus always what is done.

17 MEMBER SIEBER: These two examples are the
18 primary motivation for this. I think that the numbers
19 that you present are very high compared to my vision
20 of what the situation really is because I've been to
21 the Fiestaware place. And it's not the world's
22 cleanest place. I wouldn't want to eat my lunch there.

23 MR. COMFORT: Oh, yes, yes.

24 MEMBER RYAN: The other big segment is
25 Vaseline glass, that green clear glass that also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fluoresces, and that was at one time a fairly robust
2 industry. Go on eBay. You'll find all sorts of them
3 at very high prices.

4 MEMBER SIEBER: Strangely enough, the 734
5 millirem per year compares pretty closely to the new
6 estimate of medical.

7 MEMBER RYAN: That's back on 620,
8 including medical, now. So that's, you know --

9 MEMBER CORRADINI: It's about the same.

10 MEMBER RYAN: About the same. So I think,
11 I mean, the message I am getting from all of the
12 members here is that we would really like to see some
13 justification that that number for the doses and, in
14 turn, the reduction in limits is justified by real
15 information.

16 I just think a stylized calculation
17 certainly doesn't satisfy me as a health physicist
18 that it's absolutely acceptable as a method for
19 determining the national program without any data.

20 And, again, in no way am I criticizing the
21 folks that wrote it. I understand how they did it and
22 what they did and don't, you know -- I mean, I
23 understand what they calculated. And I know that that
24 is no tie of that to reality.

25 MEMBER SHACK: But if they go out for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 public comment and nobody complains --

2 MEMBER RYAN: Well, then that's not so
3 much, but --

4 VICE CHAIR ARMIJO: You know, I don't see
5 a health and safety issue. I'm still trying to see.

6 MEMBER RYAN: Well --

7 VICE CHAIR ARMIJO: Is there really a
8 health and safety issue? It just seems like it's kind
9 of an arbitrary decision to cut back on how much is
10 being distributed and put in more documentation
11 requirements, more stuff on a --

12 MEMBER RYAN: Well --

13 VICE CHAIR ARMIJO: -- minuscule little
14 industry.

15 MEMBER SIEBER: Part 20 restricts
16 potentially pregnant women to 500 millirems a year.
17 And if these numbers are correct, then there is an
18 issue.

19 VICE CHAIR ARMIJO: If those numbers are
20 correct, but they sound like they haven't had much of
21 a --

22 MEMBER SIEBER: That's what we're saying.
23 Tell us if those are good numbers, instead of some
24 stylized, pumped-up case.

25 MEMBER RYAN: That is one root issue here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is that the dose numbers that are the basis for this
2 change need to be justified. That is one point.

3 MEMBER SIEBER: The dose numbers, as I
4 understand it, are controlling the quantities --

5 MEMBER RYAN: That's right.

6 MEMBER SIEBER: -- that are in the rule.
7 You may end up with a rule but different quantities --

8 MEMBER RYAN: Yes. That's okay.

9 MEMBER SIEBER: -- when you refine this
10 calculation.

11 MEMBER RYAN: You've got a rule now with
12 different quantities. If that number is, say, 10,
13 instead of 768, it's a whole different world. If it's
14 30, well, 30 and 10, not so far apart. If it gets up
15 to 150-200, then maybe it's not 3 pounds but 7 pounds.

16 There's got to be some tie of the amount that's going
17 to be less than --

18 MEMBER SHACK: You know, if you look at --
19 you know, they would have to go through a whole range
20 of scenarios. How could this stuff get out and be
21 used?

22 MEMBER RYAN: Bill, I would be happy with
23 one measurement. How do you know that is bounding? I
24 mean, you know, we have no clue. We're in the fog
25 right now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: We will do a risk study.

2 MEMBER RYAN: Mr. Chairman, I think that
3 closes the presentation, yes?

4 MR. COMFORT: Yes.

5 MEMBER RYAN: Okay.

6 CHAIR ABDEL-KHALIK: Are there any other
7 questions for the presenters?

8 MEMBER SIEBER: No.

9 CHAIR ABDEL-KHALIK: None? Okay.

10 MEMBER RYAN: I think the path forward, if
11 I may, just to --

12 CHAIR ABDEL-KHALIK: Yes, sir?

13 MEMBER RYAN: -- get concurrence before we
14 leave this, is that -- first of all, let me thank Gary
15 and Andrew for coming back again and giving the full
16 Committee this briefing. Again, you did a really good
17 job and a very thorough job of explaining your path
18 forward and what you have prepared and what your next
19 steps are.

20 Given that public comment is going to be
21 solicited very soon, my recommendation is that we have
22 a subcommittee meeting to get the follow-up from the
23 staff on what they learned through the public comment
24 process and then revisit our concern to see if it has
25 been addressed or it can be addressed with what they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 gather and then come back to the full Committee after
2 we have worked it out in a follow-up subcommittee
3 meeting. Does that --

4 CHAIR ABDEL-KHALIK: Sounds reasonable.

5 MEMBER SIEBER: Without a letter?

6 MEMBER RYAN: Without a letter today
7 because I think that they have got a path forward.
8 The public comment period is eminent. So let's let
9 that happen and work with the staff when we come back.

10 I think having the full Committee understand the
11 range of the discussion was very helpful today.

12 MR. COMFORT: Good. Thank you very much.

13 MR. CARRERA: Would it make you happy if
14 Gary goes out to one of these facilities for one and
15 wear the --

16 (Laughter.)

17 PARTICIPANT: Volunteer Sam.

18 MEMBER RYAN: The emphasis of our concern
19 for real data and real drive in this. So we will ask
20 you to take that to your public comment process.

21 CHAIR ABDEL-KHALIK: Thank you. We are
22 off the record. Thanks very much.

23 (Whereupon, the foregoing open session was
24 recessed at 4:56 p.m., to be reconvened on Thursday,
25 June 10, 2010, at 8:30 a.m.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



RG 1.216 on Containment Structural Integrity Evaluation for Internal Pressure Loadings Above Design-Basis Pressure (For New Reactors)

Prepared by: Robert Roche and Jose Pires, NRC/RES/DE/SGSEB
Joseph Braverman and Richard Morante, BNL

ACRS Briefing
June 9, 2010
Rockville, MD



Outline:

- Background
- Objective
- Description



U.S. NRC Background:

- This RG is intended to ensure appropriate and consistent implementation of regulatory criteria related to structural integrity of the containment for beyond design-basis pressure loadings.
 - The RG will provide detailed and up-to-date guidance on deterministic methods to evaluate containment structural integrity under pressure loads above design-basis pressures for new light water reactors design.
- Motivation:
 - Complement and consolidate guidance pertaining to containment structural integrity evaluation for internal pressure loadings above design-basis pressure (i.e. RG 1.136, 1.57, 1.7 and 1.206)
 - Issues identified during licensing reviews



U.S. NRC Background (Cont.):

- Example of issues identified during licensing reviews:
 - Use of internal pressure loading for the combustible gas generation inside containment equal to 45 psig, without consideration of pressures generated by a 100% fuel cladding-water reaction.
 - Questions regarding what severe accidents and acceptable structural integrity criteria should be considered for an analysis that addresses NRC's deterministic containment performance goals in SECY-90-16, SECY-93-087, and corresponding SRMs.



Background (Cont.):

Timeline:

- Dec 2008 – Issued for public comments
- Feb 2009 – Received public comments
- DG revision with staff working group and BNL
- Oct 2009 – Category 2 public meeting
- June 2010 – Interoffice concurrence
- May/June 2010 – ACRS briefing
- July 2010 –RG publication



Objective:

- To provide guidance on methods acceptable to the NRC staff for:
 - predicting the internal pressure capacity for containment structures above the design-basis accident pressure
 - 10 CFR 50, Appendix A, GDC 50
 - demonstrating containment structural integrity related to combustible gas control
 - 10 CFR 52.47(a)(12), 52.79(a)(8), 50.44(c)5
 - demonstrating containment structural integrity for an analysis that addresses Commission's performance goals for the prevention and mitigation of severe accidents.
 - 10 CFR 52.47(a)(23), 52.79(a)(38).



Regulatory Position 1: Prediction of Containment Internal Pressure Capacity above Design-Basis Pressure

- 10 CFR 50, GDC 50:“Containment design basis. containment heat removal system shall be designed so that the containment structure and its internal compartments can accommodate, without exceeding the design leakage rate and with sufficient margin, the calculated pressure and temperature conditions resulting from any loss-of-coolant accident...”
- **Purpose:** to provide an acceptable method for predicting the internal pressure capacity for containment structures above the internal pressure for the design-basis LOCA.
 - Internal pressure capacity at which the structural integrity is retained and a failure leading to a significant release of fission products does not occur.



- **Related SRP sections**
 - 3.8.1 and 3.8.2, SRP Acceptance Criteria 4.K and 4.D, respectively.
- **Items Addressed:**
 - Staff expectations regarding the use of a nonlinear finite element analysis to evaluate the containment response
 - Staff expectations regarding the use of a “Simplified Method”
 - Strain limits specified for the evaluation
 - Concrete failure modes near discontinuities



Regulatory Position 1: (Cont.)

- Staff expectations regarding the use of a “Simplified Method” (Cont.)
 - The positions are consistent with criteria in SRP sections 3.8.1 and 3.8.2 with addition and clarification such as:
 - new position regarding verification of concrete shear and axial compression failures.
 - limits for the free-field hoop strain in the prestressing tendons apply to the total strain which is the strain from initial prestressing plus the strain from pressurization.
 - Defines global free field hoop strains limits for prestressed concrete containments
 - Information to be submitted in the FSAR and in which sections of the FSAR (i.e. Section 3.8).



Regulatory Position 2: **Combustible Gas Control Inside Containment**

- 52.47(a)(12) and 52.79(a)(8) for DC and COL applications respectively, require an analysis and description of the equipment and systems for combustible gas control as required by 10 CFR 50.44
- 50.44(c)(5)
 - “Structural analysis. An applicant must perform an analysis that demonstrates containment structural integrity... The analysis must address an accident that releases hydrogen generated from 100 percent fuel clad-coolant reaction accompanied by hydrogen burning...”
- **Purpose:** to provide an acceptable method to evaluate containment structural integrity to pressure loadings associated with hydrogen generation due to the reaction between fuel cladding and the water coolant.



Regulatory Position 2: (Cont.)

- This RG complements the guidance in RP 5 in RG 1.7
- In agreement with RP 5 in RG 1.7 it provides acceptance criteria to meet requirement in 10 CFR 50.44(c)(5).
 - Service Level C and Factored Load Category requirements of the ASME Code for steel and concrete containments respectively.
 - Load combination consisting of dead load and the higher of the following:
 - Pressure arising from fuel cladding-water reaction, hydrogen burning, and post accident inerting (if applicable), or
 - 45 psig.
- Additionally, it references the finite element model described in RP 1 of this RG, with some limitations, as an acceptable method to evaluate the containment structural integrity.
- Information to be submitted in the FSAR should be reported in section 3.8.



Regulatory Position 3: Commission's Severe Accident Performance Goal

- 52.47(a)(23) and 52.79(a)(38) for DC and COL applications respectively, require a description and analysis of design features for the prevention and mitigation of severe accidents.
- Section C.I.19.8 of RG 1.206 provides the following guidance:
 - “The applicant should provide a description and analysis of the design features to prevent and mitigate severe accidents, in accordance with the requirements in 10 CFR 52.47(23) or 10 CFR 52.79(a)(38), for a DC or a COL application, respectively. This review should specifically address the issues identified in SECY-90-016 and SECY-93-087, which the Commission approved in related SRMs dated June 26, 1990, and July 21, 1993, respectively, for prevention (...) and mitigation (...).”



Regulatory Position 3: **Commission's Severe Accident Performance Goal (cont.)**

- **Purpose:** to provide an acceptable method for an analysis that specifically addresses the performance goals identified in SECY-90-016 and SECY-93-087 and related SRMs for containment structures in nuclear power plants under severe accident conditions.
- SRM (July 21, 1993) to SECY-93-087 states:
 - “The containment should maintain its role as a reliable, leak-tight barrier (for example, by ensuring that containment stresses do not exceed ASME Service Level C limits for metal containments, or Factored Load Category for concrete containments) for approximately 24 hours following the onset of core damage under the more likely severe accident challenges and, following this period, the containment should continue to provide a barrier against the uncontrolled release of fission products.”



Regulatory Position 3: Commission's Severe Accident Performance Goal (cont.)

- Key items:
 - Identification of more likely severe accident challenges
 - Criteria for structural integrity evaluation of the containment for the period after the initial 24 hours following the onset of core damage as it relates to the ability of the containment to continue to provide a barrier against the uncontrolled release of fission products.



More Likely Severe Accident Challenges

- Selection of accident sequences for consideration:
 - “The applicant provides the technical basis for the identification of the more likely severe accident challenges to be reviewed by the staff on a case-by-case basis. An example of an acceptable way to identify the more likely severe accident challenges is, to consider the sequences or plant damage states, which, when ordered by % contribution, represent 90% or more of the core damage frequency.”
- Pressure-temperature demands
 - Select physically reasonable enveloping pressure-temperature demands from the identified sequences.
 - These demands define the deterministic loads for the structural analysis.
 - For concrete, it is generally acceptable to analyze the containment for the sequence or damage state with the highest pressure load and its co-existing temperature loading



Period Following Initial 24 hours after the Onset of Core Damage:

- “...the containment should continue to provide a barrier against the uncontrolled release of fission products.”
- Acceptable ways for meeting the performance goal:
 - The maximum pressure/temperature demands following the initial 24-hour period is enveloped by the maximum pressure/temperature demands during the initial 24-hour period; or
 - The containment response under the maximum pressure/temperature following the initial 24-hour period meets applicable Level C or Factored Load acceptance criteria (as in the case of the first 24 hour period); or
 - The calculated release for the more likely severe accident challenges, following the initial 24 hour period, meets site-specific design criteria for fission product released from the containment, in accordance with the requirements of 10 CFR 100.21 and 10 CFR 50.34; or
 - Another alternative method if adequate justification is provided.
- For the evaluations to be conducted for the two time periods under consideration, the RG recommends using a finite element model such as that described in Regulatory Position 1.
- Information to be submitted in the FSAR should be reported in Section 19.



Public Comments

- Public comment period: December 9, 2008 to February 9, 2009.
 - 38 comments received by February 9, 2009.
- Comments by category as per NEI submittal:

Purpose	6
Applicability	11
Methodology	3
Acceptable Analysis Codes	2
Definitions	1
Limitations	10
Criteria	5



Public Comments (Cont.):

- Comments by Regulatory Position:

RP 1	4
RP 2	1
RP 3	7
RP 4	12
RP 1 and RP 3	2
RP 1 and RP 4	2
RP 3 and RP 4	1
Other	9

- Staff formed a working group for the resolution of the public comments that resulted in major revisions to the DG.



Public Comments (Cont.):

Major revisions include:

- The RG scope is for new light water reactor designs
- Clarification of the RG purpose and relation to existing requirements and guidance documents.
- Severe accident performance goals (SECY 93-087/SRM)
 - Approach to identify the more likely severe accident challenges.
 - Additional criteria for the period following the initial 24 hours after the onset of core damage.



Public Comments (Cont.):

Major revisions include:

- Removal of Regulatory Position (RP) 4, “Containment Fragility under Pressure Loads”
 - Item may require further development of technical bases and subsequent publication in a NUREG report or a standard.
 - This RG should focus on deterministic methods until subsequent research provides the technical bases for risk-informed performance-based regulatory guidelines.

Proposed Rulemaking on Distribution of Source Material to Exempt Persons and to General Licensees and Revision of General License and Exemptions

Andrew Carrera, Health Physicist
Rulemaking Branch A
Division of Intergovernmental Liaison and Rulemaking
FSME

June 9, 2010

Topics



- Background on Part 40 and current general license and exemption conditions
- History of rulemaking.
- Part 40 current issues and proposed resolution through rulemaking
- Requesting public input

Background on current Part 40 general license and exemptions conditions

What does 10 CFR Part 40 cover?



40.1 Purpose

Establish procedures and criteria for the issuance of licenses to receive title to, receive, possess, use, transfer, or deliver source material and byproduct materials, as defined in this part, and establish and provide for the terms and conditions upon which the Commission will issue such licenses.

What is Source Material?



Source Material is defined as:

- (1) Uranium or thorium, or any combination thereof, in any physical or chemical form, or
- (2) Ores which contain by weight one-twentieth of one percent (0.05%) or more of: (i) uranium, (ii) thorium or (iii) any combination thereof.

Source material does not include special nuclear material.

* *Uranium and thorium are found naturally throughout the environment*

Regulation of Source Material

- Specific License
 - Yellow cake processors
 - Uranium conversion facilities
 - Mineral extractors
 - Uranium Mills (byproduct material)

- General License
 - Thorium-coated lens manufacturers
 - Water treatment facilities
- Exemption
 - Thorium lantern mantles
 - Thorium welding rods
 - Depleted Uranium Counterweights

“Small quantities” general license



- Section 40.22 provides a general license for “small quantities of source material”
 - Less than 15 pounds at any one time
 - Less than 150 pounds per calendar year
- Exempts licensee from Parts 19, 20, and 21
 - Exemption does not apply to Part 40 specific licensees

Exemptions



- Section 40.13(a) exempts source material in concentrations less than 0.05 percent by weight
- Section 40.13(b) exempts “unprocessed” source material
- Section 40.13(c) provides exemptions for use of certain products

History of section 40.22 rulemaking

What is the history of the rulemaking?



- 1999 Staff proposed multiple activities associated with Part 40 to the Commission in SECY-99-259
- 2000 Commission directed staff to move forward with developing rulemaking plan
- 2001 SECY-01-0072, “Draft Rulemaking Plan: Distribution of Source Material to Exempt Persons and to General Licensees and Revision of 10 CFR 40.22 General License”

What is the history of the rulemaking? (cont)



2003 SRM to SECY-01-0072

2004 - Data Collection
2006

2006 SECY-06-0094, “Tracking or Providing Enhanced Controls for Category 3 Sources”/ SRM to SECY-06-0094

2007 PNNL-16148, Rev. 1, “Dose Assessments for Current and Projected Uses of Source Material under U.S. NRC General License and Exemption Criteria”

What are the issues with the current Part 40
and how do we resolve them through the
proposed rulemaking?

Current identified issues with 10 CFR Part 40



1. Health and safety impacts in § 40.22 are not in alignment with current standards.
2. Lacking complete and timely information regarding distribution of source materials.
3. Changes in how some products are used under exemption.
4. Lacking clarity in certain requirements in § 40.22.

1) Health and safety impacts in § 40.22 are not in alignment with current standards

Health and safety requirements in § 40.22 are not in alignment with current standards



- Issues:
 - Part 40 not significantly revised since 1961.
 - PRM 40-27.
 - PNNL-16148, Rev.1 “Dose Assessment for Current and Projected Uses of Source Material Under a U.S NRC General License and Exemption Criteria”

Health and safety requirements in § 40.22 are not in alignment with current standards



PRM-40-27

- In January, 1999, Colorado Radiation Control Program was notified of activated radiation alarm at a landfill by dumpster used by a source material general licensee.
- 4.9 mR/hr (1.3 uCi/kg-hr) was measured on the exterior of the dumpster and initiated an investigation.
- General licensee vacated building with contamination level of 734 mrem/year (regulatory limit is 25 mrem/year).

Health and safety requirements in § 40.22 are not in alignment with current standards



Radiation Dose Assessment for Routine Use, Accidents, and Manufacturing Involving Thorium + Progeny Thin-Film Optical Coatings. (PNNL-16148, Rev. 1)

Scenario	Annual Scenario Dose (mrem)		
	Ingestion	Inhalation	Effective*
Routine Use (TV Camera Operator)			4.0 E-3
Accidents	8.2 E-4	6.4 E-2	6.5 E-2
Manufacturing	206	562	768

* Contribution from external dose considered negligible (except in routine use scenario where external dose predominates)

Health and safety requirements in § 40.22 are not in alignment with current standards



Resolution:

- Would make changes in possession limits.
 - Only in natural isotopic concentration or as depleted uranium.
 - Limited to 1.5 kg (3.3 lb) at once or 7 kg (15.4 lb) per calendar year if processed or in dispersible form.
 - No effective change in possession limit for non-dispersible materials or when removing uranium from drinking water.
- Would require contamination to be addressed when activities completed.

2) Lacking complete and timely information regarding distribution of source materials

Lacking complete and timely information regarding distribution of source materials



Issue:

- No method to allow understanding of amounts of source material distributed to exempt persons and general licensees.
- Difficulties in identifying general licensees.

Lacking complete and timely information regarding distribution of source materials



Resolution:

- New specific licenses for initial distribution of source material to exempt persons (§ 40.52) .
 - Would require specific license by NRC only.
 - Certain health and safety requirements would not apply to persons in Agreement States (AS) or importers.
 - Would require annual reporting of product types, quantities of products, and source material content of products.
 - May result in certain general licensees manufacturing exempt products to become specific licensees

Lacking complete and timely information regarding distribution of source materials



Resolution:

- New specific licenses for initial distribution of source material to general licensees (§ 40.54)
 - Would require specific license for distribution (issued by either NRC or an AS)
 - Would require labeling and quality control
 - Would require recipients to be notified of § 40.22 (or equivalent AS) requirements and appropriate safety precautions for handling, use, storage, and disposal
 - Would require annual reporting to NRC or AS where source material is distributed including to whom and how much to allow identification of general licensees

3) Changes in how some products are used under exemption

Changes in how some products are used under exemption



Issue:

- Changes in industry practices
 - Exempt products no longer being manufactured (i.e. uranium smoke detectors and glazed ceramic tablewares)
 - Reduced the concentration of source material used in the manufacturing practice (i.e. glasswares)
 - More prevalent use of thorium coated lenses

Changes in how some products are used under exemption



Resolution:

- Revision of certain exemptions.
 - Would remove exemption for uranium smoke detectors [§ 40.13(d)].
 - Would allow no new distributions of glazed ceramic tableware [§ 40.13(c)(2)(i)].
 - Would reduce allowable concentration of source material in glassware [§ 40.13(c)(2)(iii)].
 - Would expand exemption for thorium lenses [§ 40.13(c)(7)] to include coatings, but reduce allowable concentrations.

4) Lacking clarity in certain requirements in § 40.22

Lacking clarity in certain requirements in § 40.22



Issue:

- Waste disposal requirements
- Lack of direct citations to other applicable sections in Part 40

Lacking clarity in certain requirements in § 40.22



Resolution:

- Would clarify disposal and transfer requirements.
 - May not abandon.
 - May dispose of up to 0.5 kg per year for permanent disposal.
 - Disposal of other material must be consistent with § 20.2001.
- Direct citations to other applicable sections of Part 40 for general licensees.

Specific Questions to the Public

Questions to solicit public input



- Use of concentration limit for coatings
- Use of activity limits in possession limits in § 40.22
- Should surveys be required when § 40.22 licensees cease activities?
- Should § 40.22 be expanded to cover 11e.(2) byproduct material from mills?
- Should provisions be added to include source material and special nuclear material in items in the sealed source and device registry?
- Should § 40.25 and § 40.34 be revised to make them more useful?

Conclusion



- New specific licensees
- Providing additional health and safety
- Minimizing impacts

Questions?