

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title:                   Advisory Committee on Reactor Safeguards  
                          AP 1000 Reactor Subcommittee: Open Session

Docket Number:     (n/a)

Location:             Rockville, Maryland

Date:                 Thursday, December 16, 2010

Work Order No.:     NRC-603

Pages 1-182

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION  
3 + + + + +  
4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS  
5 (ACRS)  
6 AP1000 REACTOR SUBCOMMITTEE MEETING  
7 OPEN SESSION  
8 + + + + +  
9 THURSDAY  
10 DECEMBER 16, 2010  
11 + + + + +  
12 ROCKVILLE, MARYLAND  
13 + + + + +  
14

15 The Advisory Committee met at the Nuclear  
16 Regulatory Commission, Two White Flint North,  
17 Room T2B1, 11545 Rockville Pike, at 8:30 a.m., Harold  
18 B. Ray, Chairman, presiding.

19 COMMITTEE MEMBERS:

20 HAROLD B. RAY, Chairman

21 J. SAM ARMIJO, Member

22 SANJOY BANERJEE, Member

23 DENNIS C. BLEY, Member

24 MARIO V. BONACA, Member

25 CHARLES H. BROWN, JR., Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

COMMITTEE MEMBERS: (cont'd)

MICHAEL T. RYAN, Member

WILLIAM J. SHACK, Member

ACRS CONSULTANTS PRESENT:

THOMAS S. KRESS

GRAHAM B. WALLIS

NRC STAFF PRESENT:

FRANK AKSTULEWICZ, NRO/DNRL

WAYNE CHALK, NSIR

JOE DONOGHUE, NRO/DSRA/SRSB

CRAIG ERLANGER, NSIR/DSP

DONALD HABIB, NRO/DNRC/NWEI

MICHELLE HART, NRO/DSER/RSAC

RAVINDRA JOSHI, NRO/DNRL

TANIA MARTINEZ NAVEDO

DENISE McGOVERN, NRO/DNRL

EILEEN McKENNA, NRO/DNRC

TONY NAKANISHI, NRR

ROBERT PRATO, NRO/DCIP

JOHN RYCYN, NSIR/DSP/ISCPB

TIM SHAW, NSIR/DSP/ISCPB

TANYA SIMMS, NRO

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 BRET TEGELER, NRO/DE/SEB1

2

3 NRC STAFF PRESENT: (cont'd)

4 LARRY WHEELER, NRO/DSRA/SBP

5 WEIDONG WANG, Designated Federal Official

6

7 ALSO PRESENT:

8 TED AMUNDSON, Southern Nuclear Company

9 AMY AUGHTMAN, Southern Nuclear Company

10 GARY BECKER, Southern Nuclear Company

11 DWAYNE BROCK, Southern Nuclear Company\*

12 CHUCK BROCKHOFF, Westinghouse

13 CHRIS CUMMINS, Westinghouse\*

14 ED CUMMINS, Westinghouse

15 MARK DEMAGLIO, Westinghouse\*

16 MATTHEW EVANS, Westinghouse

17 JAMES FLOWERS, Southern Nuclear Company

18 EDDIE GRANT, NuStart

19 NEIL HAGGERTY, NuStart

20 BOB HIRMANPOUR, NuStart

21 BOBBY JONES, Southern Nuclear Company\*

22 DON LINDGREN, Westinghouse

23 THOMAS RAY, Westinghouse

24 JASON REDD, Southern Nuclear Company

25 TOM SIMS, Southern Nuclear Company\*

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MIKE SNYDERMAN, Westinghouse

WES SPARKMAN, Southern Nuclear Company

ALSO PRESENT: (cont'd)

LEE TUNON-SANJUR, Westinghouse\*

RON WESSEL, Westinghouse

\*Present via telephone

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

TABLE OF CONTENTS

	<u>PAGE</u>
1. Opening Remarks and Objectives	6
2. Applicant - Chapter 13	[previously]
3. Staff - Chapter 13 (cont'd)	8
4. Applicant - Chapter 8	56
5. Staff - Chapter 8	74
6. Applicant - Chapter 9	86
7. Staff - Chapter 9	92
8. Applicant - Chapter 15	36
9. Staff - Chapter 15	47
10. Resolution of ACRS Action Items	176
11. Upcoming ACRS Interactions	180

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

P-R-O-C-E-E-D-I-N-G-S

(8:32 a.m.)

CHAIRMAN RAY: This meeting will now come to order. This is the second day of a meeting of the AP1000 Reactor Subcommittee, a standing committee of the Advisory Committee on Reactor Safeguards.

I am Harold Ray, Chairman of the Subcommittee. ACRS members in attendance are Sanjoy Banerjee, Sam Armijo, Dennis Bley, Bill Shack, Charles Brown. And we expect some other members may join us here shortly. Tom Kress and Graham Wallis, consultants to the ACRS, are also present.

We will continue the review that we began yesterday. There is an agenda for the meeting that I will comment on in a minute available to everybody in the room.

And I will forego some of the rhetoric that I went through yesterday morning as unnecessary.

We will have a closed session this -- what I expect to be this afternoon, although you never know. It could be sooner.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 We are joined by Member Ryan.

2 And there is a transcript of the meeting  
3 that is being kept and will be made available as  
4 stated in the Federal Register Notice. Therefore, we  
5 request participants in this meeting use the  
6 microphones located throughout the meeting room. When  
7 addressing the Subcommittee, participants should first  
8 identify themselves and speak with sufficient clarity  
9 and volume, so that they may be readily heard.

10 We will proceed with the meeting after I  
11 make comment that we will start as shown on the agenda  
12 made available yesterday, and I assume still available  
13 in the back. We will begin with the completion of the  
14 staff presentation on Chapter 13.

15 And then, to try and manage the time and  
16 the work in an optimal way, we will proceed -- if it  
17 is suitable to Vogtle, we will proceed with the  
18 Chapter 15 rather than Chapter 8 as shown. And we  
19 will do that, likely then we'll have a break and  
20 proceed in accordance with the agenda with Chapters 8  
21 and 9. So we would be just moving Chapter 15 forward.

22 Is that all right, Ed, with you guys?

23 MR. ED CUMMINS: Yes.

24 CHAIRMAN RAY: Okay. Then, we will have  
25 resolution of action items and a discussion of further

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 interactions with the ACRS in this -- regard to this  
2 application. And then, finally, we will have a closed  
3 discussion on the subject of aircraft impact. And we  
4 will proceed as promptly as we can, but make full use  
5 of the time that is available to us here now.

6 That having been said, Eileen, is there  
7 anything you want to say?

8 MS. McKENNA: No. Again, just -- it's  
9 Eileen McKenna. I am sitting in this morning until  
10 Jeff Cruz arrives shortly and will replace me, and  
11 then I will be back later, of course, for the aircraft  
12 impact discussion with Westinghouse.

13 CHAIRMAN RAY: All right.

14 MS. McKENNA: We will turn it over to the  
15 staff for Chapter 13 now.

16 CHAIRMAN RAY: Thank you. So we will ask  
17 the staff to come forward, and we will basically  
18 continue the discussion of Chapter 13 that we had part  
19 of yesterday.

20 (Pause)

21 MS. McGOVERN: Good morning.

22 CHAIRMAN RAY: Good morning.

23 MS. McGOVERN: Again, my name is Denise  
24 McGovern. I'm the Chapter 13 project manager for  
25 AP1000 COLs. To my right is Wayne Chalk. He will be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 briefing you on fitness for duty. This is a first-of-  
2 a-kind review. All of the other COL applicants have  
3 followed suit, so you probably won't be briefed on  
4 this same exact material again.

5 Then, we will go to cyber security. We've  
6 got John Rycyna, who is the lead tech reviewer, and  
7 Tim Shaw, who is a support contractor.

8 Go ahead.

9 MR. CHALK: Good morning. I'm Wayne Chalk  
10 from the Office of Nuclear Security and Incident  
11 Response, and I'm the lead technical reviewer for  
12 fitness for duty.

13 Next slide, please.

14 I would just also like to mention that  
15 Paul Harris is our senior program manager.

16 This morning I would like to discuss the  
17 background information, the application standards, the  
18 technical review, and, finally, the conclusion that we  
19 came to during our review.

20 Background information. Fitness for duty  
21 is governed by 10 CFR Part 26, which is entitled  
22 Fitness for Duty Programs. The publication date of  
23 the rule is fairly recent. It was March 31st of 2008.

24 The effective date of the rule was April 30, 2008.  
25 The purpose of Part 26 is to strengthen licensees' FFD

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 programs, enhance consistency with the access  
2 authorization program, which is found in 10 CFR 73.56,  
3 to ensure against worker fatigue, and to ensure  
4 workers are fit for duty, trustworthy, and reliable.

5 Another important feature of Part 26 is  
6 that it provides reasonable assurance that individuals  
7 are not under the influence of any substance, legal or  
8 illegal, or mentally or physically impaired from any  
9 cause which in any way may adversely affect their  
10 ability to safely and competently perform their  
11 duties.

12 There are two phases at a construction  
13 site -- operations and construction. The full  
14 program, otherwise known as the operations phase,  
15 applies to select personnel prior to the start of  
16 construction and runs in parallel with the  
17 construction program. Personnel that fall into that  
18 select group are fitness for duty and access  
19 authorization personnel, management and oversight  
20 personnel, security, QA, QC, and ITAAC personnel.

21 The full program, which is governed by 10  
22 CFR Part 26 A through H, and in O, is implemented upon  
23 the establishment of a protected area, upon the  
24 completion of a 52.103(g) finding, or before the  
25 arrival of fuel assemblies onsite -- a little bit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 different than some other security rules that say it  
2 applies when fuel comes into the protected area.  
3 Part 26 says that it is just onsite whenever it is  
4 onsite.

5 The construction phase begins prior to the  
6 beginning of construction. The construction  
7 activities are defined as any task for the building  
8 and construction of a nuclear powerplant on the  
9 location where it is being built. It applies to any  
10 individual who works or directs the construction of  
11 any safety and security-related SSCs. And they are  
12 subject to a program governed by 10 CFR Part 26,  
13 Subpart K.

14 Next, slide, please.

15 Our application stands. The acceptance  
16 criteria for fitness for duty is found in 10 CFR  
17 Part 26. For the full operational program, again, it  
18 is in Subparts A through H, and in O. For  
19 construction it is Subpart K.

20 Additionally, 10 CFR 52.79(a)(44) calls  
21 for a description of the FFD program required by  
22 10 CFR Part 26 and its implementation. The  
23 requirements and the areas of review for fitness for  
24 duty, as listed in Part 26, are administrative  
25 provisions, program elements, granting and maintaining

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 authorization, management actions and sanctions,  
2 collecting specimens for testing, licensee testing  
3 facilities, labs certified by the Department of Health  
4 and Human Services, recordkeeping and reporting  
5 requirements, and inspections violations and  
6 penalties.

7 The reference that I have listed is a  
8 guidance document that the licensee -- that, I'm  
9 sorry, the applicants have been referencing, and that  
10 is NEI 06-06, Revision 5, published in August 2009.  
11 And it is entitled Fitness for Duty Program for New  
12 Nuclear Powerplant Construction Sites.

13 Its purpose is to establish program-level  
14 consistency in FFD programs for new plant  
15 construction. And it is also to further define  
16 implementation criteria for new plant construction  
17 throughout the nuclear power industry and the  
18 implementation of 10 CFR Part 26, Subpart K.

19 The applicant has stated their  
20 construction program is consistent with NEI 06-06,  
21 Revision 5.

22 Next slide, please.

23 The technical review consisted of the  
24 areas covered, which were construction and operations,  
25 as I had stated before. The applicant's milestones

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 consist of program elements, requirement sources,  
2 implementation milestones, which are events, and  
3 implementation requirements.

4 There is one license condition which is a  
5 post-license activity, and that is that the licensee  
6 shall develop a schedule, support planning for, and  
7 conduct of NRC inspections of the operational program.

8 The schedule must be available to the NRC staff no  
9 later than 12 months after the issuance of the COL.

10 Next slide, please.

11 The conclusion of our FFD review was that  
12 there are no outstanding items or information. There  
13 was one confirmatory item, as I stated before, which  
14 is the implementation of the schedule that supports  
15 planning for and conduct of NRC inspections of the  
16 operational programs. We have found that the FSAR is  
17 acceptable and it conforms to regulatory requirements.

18 That concludes my presentation. Thank you  
19 very much for your time.

20 CHAIRMAN RAY: Thank you. Any questions,  
21 fitness for duty?

22 (No response)

23 All right. Thank you.

24 MR. CHALK: Thank you very much.

25 MS. McKENNA: John?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. RYCYN: Good morning. My name is  
2 John Rycyna. I'm the lead reviewer for cyber security  
3 plans for new reactors on the NSIR cyber security  
4 team. I am accompanied by Tim Shaw, and I am a  
5 contractor consultant to the NRC. A lot of experience  
6 in industrial process control and cyber security.

7 Specific topics we thought would be of  
8 interest to the Committee are that the Vogtle cyber  
9 security plan is based on the template from Reg  
10 Guide 5.71, which you reviewed and approved last  
11 autumn. It commits to follow the reg guide with minor  
12 site-specific modifications that the staff found  
13 acceptable. The defensive architecture in the cyber  
14 security plan follows the guidance in the reg guide.

15 Next slide, please.

16 Other elements of the CSP do follow the  
17 reg guide guidance and commit to elements described in  
18 the reg guide, including establishing a cyber security  
19 team, identifying critical digital assets, application  
20 of security controls, which are contained in the reg  
21 guide appendices, that include configuration  
22 management processes and include an ongoing assessment  
23 of security measures for effectiveness.

24 DR. WALLIS: Do you have some sort of  
25 response to things that go wrong like accident

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 analysis in this process?

2 MR. RYCYNNA: Yes. There is a --

3 DR. WALLIS: But do you have sort of  
4 things that are specified as design basis events or  
5 anything like that --

6 MR. RYCYNNA: No, we don't have --

7 DR. WALLIS: -- could go wrong? Nothing  
8 can go wrong with this system?

9 MR. RYCYNNA: No, that's not what I'm  
10 saying. We don't have design basis events per se.

11 DR. WALLIS: So then it would seem that  
12 you could have some awareness of how you respond when  
13 something happens that --

14 MR. RYCYNNA: There is an incident response  
15 process described in the cyber security plan.

16 DR. WALLIS: And this looks at things that  
17 are likely or possible or --

18 MR. RYCYNNA: No. It provides --

19 DR. WALLIS: -- conceivable or --

20 MR. RYCYNNA: It describes actions that the  
21 plant staff would take in the event of a cyber attack.

22 MR. ERLANGER: Good morning, sir. My name  
23 is Craig Erlanger. I'm the branch chief responsible  
24 for cyber security. I think fundamental to your  
25 question is how we approach the problem for the entire

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 NRC. The scope of what we looked at was from Part 73,  
2 what a malicious actor was capable of. The digital  
3 I&C and the safety analysis, that type of stuff, we  
4 did not look at at all.

5 What Mr. Rycyna is referring to up on that  
6 side, those are the programmatic elements that we  
7 looked at in the scope of our review. There is not --  
8 we don't look at design sequences. We don't look at  
9 analyses for individual -- in the licensing it is the  
10 commitments they are going to make to address these  
11 following things.

12 DR. WALLIS: I just don't want them to be  
13 helpless when something goes wrong.

14 MR. ERLANGER: Not at all. And what you  
15 will see in the document is that there are three  
16 families of security controls -- technical,  
17 operational, and management. A lot of the -- to use  
18 your words -- "to be helpless" are taken care of in  
19 the policies, procedures, and procedures that will be  
20 developed onsite to address those. And those were not  
21 looked at in the scope of this review.

22 MR. RYCYN: Next slide, please.

23 MEMBER BROWN: Can I ask a question before  
24 we leave?

25 MR. RYCYN: Certainly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: When I went and looked at  
2 -- is there anything in the FSAR for this? I looked  
3 for a Section 3.8 on cyber security similar to what  
4 this was, and there is no section in the FSAR for  
5 Section --

6 MR. RYCINA: There is no section in the  
7 FSAR for it. There is --

8 MEMBER BROWN: Well, so you say -- I mean,  
9 you've commented in here that you reviewed their  
10 program. I was trying to figure out where to go look  
11 at the program.

12 MS. McGOVERN: It was submitted -- Part  
13 11?

14 MR. JOSHI: This is Ravi Joshi. Whether  
15 or not it is in the FSAR, it is still a part of -- I  
16 think it is Part 11. And then, because of the  
17 security information it goes in a better information  
18 section. I believe it's Part 9 or 7? 9, Part 9. If  
19 you go to Part 9 of the application, you will see the  
20 entire program.

21 MEMBER BROWN: Okay.

22 MR. JOSHI: Okay?

23 MEMBER BROWN: No wonder I couldn't find  
24 it.

25 MEMBER BLEY: Well, 13.6 in the FSAR.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. McGOVERN: It's incorporated by  
2 reference for an action item 13.6.5, I believe.

3 MEMBER BROWN: I totally missed that.

4 MR. JOSHI: But I think you -- if you  
5 don't have a copy of the application, let us know.

6 MEMBER BROWN: No, I've got the  
7 application. I just couldn't find it. So I  
8 couldn't --

9 MS. McGOVERN: There is no  
10 corresponding --

11 MEMBER BROWN: -- so I haven't looked at  
12 the -- I haven't had a chance to look at what they've  
13 done and try to get an idea of what it looked like  
14 relative to the 5.71, which we did approve about a  
15 year ago. So, I mean, I -- and there was a question  
16 raised yesterday, I mean, how far out in terms of the  
17 architecture approach do you look? Is it just within  
18 the plant?

19 Or, I mean, we talked about the technical  
20 support facility, the TSC yesterday, and it turns out  
21 that the way they -- at least the way it was stated  
22 they processed data from when they have four plants  
23 eventually. All of it goes onto the business network  
24 before it goes to the TSC, which is not in -- if  
25 you'll look at the way the business network appears,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that is outside the boundaries of all the layers that  
2 we talked about, at least from my memory, in RG 5.71.

3 So I was trying to relate that part of the  
4 communications when you have an emergency situation or  
5 a casualty situation, yet I have got a network that is  
6 a business network with all kinds of stuff on it, and  
7 all kinds of access, which seems to fall outside. So  
8 I -- that was where my question was going to be, but I  
9 was unable to find anything. So --

10 MR. RYCINA: The business network would be  
11 in one of the lower levels of the defensive  
12 architecture.

13 MEMBER BROWN: By "lower," do you mean not  
14 well protected?

15 MR. RYCINA: Not as well protected as --

16 MEMBER BROWN: Now, and that's the  
17 concern. We've got all this plant data, you know,  
18 coming through that business network, and now into the  
19 technical support building.

20 MR. ERLANGER: And, sir, what I would  
21 offer is, again, where the scope of the rulemaking is  
22 to protect safety, security, EP functions that will  
23 lead to a design basis threat in 73.1, a cyber attack,  
24 radiological sabotage. So there is reasons why the  
25 architecture was approved that if that can take us to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 core damage in a rad sab scenario, it would have been  
2 in a different part of the architecture. So it is the  
3 scope of the rulemaking and what we looked at from a  
4 malicious actor standpoint.

5 MEMBER BROWN: Okay. So if the malicious  
6 actor totally obliterates all your data in the  
7 technical support facility --

8 MEMBER BLEY: Or corrupts it.

9 MEMBER BROWN: -- or corrupts it all, then  
10 that is not of interest?

11 MR. ERLANGER: It is very much of  
12 interest, and the architecture, it allows -- we are  
13 not saying it is not protected. There are different  
14 -- there is deterministic and non-deterministic  
15 devices put in place to ensure data flow. So  
16 depending where it falls there is a rationale and a  
17 reasoning, depending on where it takes you and the  
18 significance. And we did look at the architecture and  
19 how they set it up.

20 MEMBER BROWN: For the business network?

21 MR. ERLANGER: No, sir. It is, again, not  
22 in the scope of -- we are not looking at business  
23 networks.

24 MEMBER BROWN: Where all of this data is  
25 coming from.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ERLANGER: To lead us to radiological  
2 sabotage.

3 MEMBER BROWN: Well, I'm not sure -- I  
4 guess I don't understand why that couldn't result in a  
5 problem if it led to actions or corrupted information  
6 that resulted in the wrong type of information being  
7 passed on to operators.

8 MR. ERLANGER: And I'm not saying that it  
9 can't. There is a defense in depth architecture.  
10 This isn't one layer of defense. There is other --  
11 all of the security controls, when you look at them in  
12 the aggregate, give you that level of protection that  
13 the staff found was adequate. And that's the premise  
14 of what the reg guide is built on.

15 Tim, is there anything you can add from  
16 your --

17 MR. SHAW: Yes. I mean, I think it's  
18 important to note that at this point in time in the  
19 review they have committed to follow the dictates of  
20 the reg guide, and that says that when it comes to  
21 actual implementation, if there is a network, for  
22 example, portions of the corporate network, that are  
23 going to be involved in any kind of information that  
24 is necessary for safety, security, emergency  
25 preparedness functions, they are obliged by complying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to the reg guide to protect those portions of the  
2 network.

3 So whether that means that they have got  
4 to make a separate isolated subsection within their  
5 corporate network, or do whatever is necessary to  
6 isolate it to meet the requirements of the reg guide,  
7 they are going to have to do that.

8 So, to address your point, if there is  
9 information traversing the corporate network, they are  
10 going to have to make some changes where it won't  
11 actually meet what the requirements are. So come  
12 inspection time, it wouldn't be considered acceptable.

13 MEMBER RYAN: And that's one of the  
14 requirements in the reg guide, is that what you said?

15 MR. SHAW: Well, the reg guide follows the  
16 rule, and the rule says that if you've got computer  
17 systems or networks, right, that are required for a  
18 safety, security, or emergency preparedness functions,  
19 they have to be protected at a high level of  
20 assurance.

21 And, you know, just to say, "Well, we are  
22 going to drop that information onto a generic  
23 corporate network," let it traverse, not worry about  
24 what other bad actors could be on the networks, would  
25 not be acceptable and would not actually pass muster

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 against the reg guide.

2 So the reg guide actually calls out a  
3 requirement for them to secure such networks. And so  
4 I don't know what the meeting yesterday was all about.

5 I can say that in the review of their plan the  
6 details didn't get down to that level, but the plan  
7 basically was acceptable to us, because they made a  
8 commitment to meet the statements of the reg guide.  
9 And in the reg guide you can't have a network portion  
10 that is part of SSEP functionality that is not  
11 adequately protected. Period.

12 CHAIRMAN RAY: Charlie, it sounds to me  
13 like this may be something we ought to take note of.

14 MEMBER BROWN: Yes, I just -- I'm not  
15 going to -- we've got the answer we're going to get.  
16 It is different than what we looked at. In my memory,  
17 when we looked at the reg guide and were approving it,  
18 we really focused primarily -- and, Dennis, correct  
19 me. I think you were there. Correct me if I'm wrong.

20 But we focused more on the plant layers and the  
21 ability to get into the plant systems. We did not  
22 really think about the technical support center and  
23 the support facility there.

24 MEMBER BLEY: And the breadth of threats  
25 we talked about. It just seems, from what we heard

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 yesterday, that this is an area where the moving of  
2 the tech support center was looked at in some ways but  
3 maybe not in this way. And I think you're right,  
4 we've got to --

5 CHAIRMAN RAY: I don't that it has to do  
6 with the moving of it so much as my guess is that it  
7 would be not a universally agreed-upon requirement,  
8 what we just heard Tim state. And, therefore, I guess  
9 I'm motivated to say that does reflect the staff  
10 position. Is that correct?

11 MR. ERLANGER: Yes, sir.

12 CHAIRMAN RAY: Say something.

13 MR. ERLANGER: Yes, sir, it does.

14 CHAIRMAN RAY: Thank you. So given that,  
15 probably we just want to note that that was stated to  
16 be the staff position. I must say -- and I'm not  
17 expert in this -- but it -- I'm a little surprised by  
18 it, but, anyway, that's fine with me.

19 MEMBER BLEY: I suspect -- and it would be  
20 nice to hear later at some point -- that the tech  
21 support center isn't considered -- you know, because  
22 it's -- it's considered outside the scope somehow, and  
23 maybe that's something we'd want to talk about.

24 CHAIRMAN RAY: Well, the issue is whether  
25 or not corrupted information in the tech support

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 center is a site safety --

2 MEMBER BLEY: Yes.

3 CHAIRMAN RAY: -- affects safety. That's  
4 the issue.

5 MEMBER BROWN: Fundamentally, yes.

6 CHAIRMAN RAY: And, you know, what we've  
7 heard is that it could, and the rule requires that it  
8 be protected. That's what we've heard. All right?  
9 And that's -- I just think we should take note of that  
10 and probably move on in the sense that, as you say,  
11 Charlie, we are not going to get any more information.

12 MEMBER BROWN: Well, we're not going to  
13 get any more now. I just -- after our discussion  
14 yesterday -- and I think Southern Nuclear maybe would  
15 like to say something. I see her up at the  
16 microphone, so --

17 CHAIRMAN RAY: Okay. Amy?

18 MS. AUGHTMAN: Yes. I just wanted to ask,  
19 Mr. Chairman -- this is Amy from Southern -- whether  
20 we could either provide some input at this point, or  
21 if you'd like to wait and we can discuss it with both  
22 our EP and our cyber security --

23 CHAIRMAN RAY: Yes, I think that would be  
24 wise. We have time, either later today or we do have  
25 another Subcommittee meeting before the January full

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Committee meeting, at which we can take information  
2 and process it. So it probably would be best, given  
3 the circumstances, if you wanted to just clarify  
4 something, I would be glad to do it, but after these  
5 guys are done.

6 MS. AUGHTMAN: Okay.

7 MEMBER BROWN: Could I make a suggestion,  
8 Harold?

9 CHAIRMAN RAY: Sure.

10 MEMBER BROWN: It would really be nice,  
11 instead of having an off the cuff, if we -- at the  
12 next -- we've got some more meetings. Don't we have  
13 another meeting in January?

14 CHAIRMAN RAY: We do, but I'm not sure --  
15 I think Southern would like to finish today if they  
16 can.

17 (Laughter)

18 MEMBER BROWN: Well, I --

19 CHAIRMAN RAY: I take that for granted.

20 MEMBER BROWN: I was just interested to  
21 hear a little bit more depth on what the ideas are and  
22 what --

23 CHAIRMAN RAY: Right.

24 MEMBER BROWN: -- the approach, because  
25 there is no -- it's not like the -- you know, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 digital I&C and everything else where you get this  
2 nice functional diagram.

3 CHAIRMAN RAY: They will be motivated to  
4 talk to us later today, I'm sure, but whether that  
5 will finish it or not I don't know.

6 MR. RYCYNNA: I think it's important to  
7 note that there is boundary devices between the levels  
8 that control the flow of traffic either in one  
9 direction or both directions, and also look at the  
10 attributes of the traffic going through.

11 CHAIRMAN RAY: Yes. Well, you're over my  
12 head at this point, but --

13 MEMBER BROWN: Well, the business network,  
14 I mean, what -- you've got stuff coming in from all  
15 the plants, and you've got information going out. So  
16 you're back and forth. So I understand the boundary  
17 discussions.

18 MR. RYCYNNA: Well, there's back and forth  
19 communication into the plant and out of the plant at  
20 the business network level. However, boundary devices  
21 between that and the next higher level prevent the  
22 incoming traffic from advancing higher into the --

23 CHAIRMAN RAY: John, let's -- the issue is  
24 whether corrupted information in the tech support  
25 center -- forget about the plant -- is a safety issue

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and whether there are rules that apply to that. Okay?

2 That's the issue. It's not a question of it could  
3 get from there into the plant and cause the plant to  
4 do something bad. I mean, I think it's well  
5 understood that is not the case.

6 MEMBER BROWN: At least we hope that's the  
7 case.

8 CHAIRMAN RAY: I take it for granted that  
9 that's the case.

10 MEMBER BROWN: I never take anything from  
11 granted --

12 CHAIRMAN RAY: I do.

13 MEMBER BROWN: -- at this point.

14 CHAIRMAN RAY: Sir?

15 MR. RYCINA: Corruption or failure of  
16 safety components in the digital I&C equipment is  
17 within the scope of the review in Chapter 7 and is not  
18 within the items considered in the cyber security plan  
19 or program.

20 CHAIRMAN RAY: I don't know that we're  
21 communicating.

22 MEMBER ARMIJO: That's not comforting.

23 CHAIRMAN RAY: All I was trying to point  
24 out was that the information displayed in the tech  
25 support center -- I believe is what we're talking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about -- take for granted that you guys protect  
2 against things that would come from there and affect  
3 the plant or from any other outside source and affect  
4 the plant.

5 The only issue is I think what is the  
6 integrity of the data within the -- that is delivered  
7 to and used in the tech support center.

8 MR. RYCYN: That's a function of the  
9 performance of the safety-related components, is it  
10 not?

11 CHAIRMAN RAY: Not to my knowledge, but I  
12 may be wrong. I don't think it's got anything to do  
13 with anything other than what is the integrity of the  
14 data that is delivered to and used by the tech support  
15 center. And that's what we were talking about a few  
16 minutes ago.

17 MR. RYCYN: If the equipment at the tech  
18 support center has been designated as important to  
19 safety, or one of the SSEP functions, then that  
20 equipment and the communication connectivity data  
21 equipment under the terms of the reg guide and the  
22 rule, and it has to be given adequate assurance as a  
23 protection.

24 So, as I said earlier, you know, a network  
25 connection from the plant out to a site like that that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is carrying that kind of information would have to be  
2 considered to be, you know, as the reg guide would  
3 call it, a Level 4 level of assurance. And that  
4 says --

5 MEMBER BROWN: I'm not worried about plant  
6 going in -- plant data coming out. That's  
7 backstopped. I understand that relative to your  
8 Level 4 and 3, etcetera, etcetera.

9 MR. RYCINA: No, I'm not even talking  
10 about going back to the plant. I'm saying that if  
11 those systems have to communicate, and both of those  
12 systems are declared as Level 4 systems, then the  
13 communication network that ties them has to be treated  
14 as a Level 4 and has to be basically -- it can't just  
15 be the general corporate network in that case. It has  
16 to have higher levels of assurance.

17 MEMBER BROWN: Okay. But if the  
18 information coming from any place coming in there gets  
19 corrupted, if the folks in the technical support  
20 center draw some conclusions that may be different  
21 from what the actual circumstances are, they pass that  
22 on orally, verbally, whatever their support function  
23 is.

24 Now actions get taken which aren't  
25 consistent with taking action, with whatever

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 circumstance or situation is going on in the plant.  
2 Now you could start something that you didn't intend  
3 to start, if the information is not valid.

4 CHAIRMAN RAY: Well, Charlie, I'm not sure  
5 whether you're disagreeing with the Level 4 or not.

6 MEMBER BROWN: No, no, I'm not. I'm  
7 saying if the information they get via these networks,  
8 the business network, is not -- is corrupted, now they  
9 draw conclusion that the --

10 CHAIRMAN RAY: No, I --

11 MEMBER BROWN: -- this is outside the  
12 plant. Now, they talk to people --

13 CHAIRMAN RAY: No, no. We understand  
14 that. We understand that.

15 MEMBER BROWN: That's all I'm talking  
16 about.

17 CHAIRMAN RAY: Okay. I think he's trying  
18 to make a point, then, that we're not hearing.

19 MR. SHAW: Yes, or maybe a  
20 misunderstanding. If the question is source of  
21 corruption, that is one point. If the question is  
22 that data in transition across a network can be  
23 corrupted because a network itself is insecure, that's  
24 a different issue. I am addressing the -- they have  
25 to provide a protected connection between these sites.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: I'm not -- between the  
2 plant and the place that's a protected connection.

3 MR. SHAW: Now, the corruption that occurs  
4 at the site, bad information goes out for control  
5 decisions, you know, somebody sees a number that is  
6 wrong, and, therefore, decides to press a button or do  
7 something, then the question is, how did the  
8 corruption get into the data initially? And that is a  
9 matter of protections placed on those actual systems  
10 themselves.

11 MEMBER BROWN: In the support center.

12 MR. SHAW: Yes. Well, in the support  
13 center, but also --

14 MEMBER BROWN: Network or whatever.

15 MR. SHAW: -- from where the data is  
16 coming from, the plant computer or whatever is  
17 supplying that information. Again, the reg guide  
18 calls out a great number of controls and protections.

19 MEMBER BROWN: Whatever is back in the  
20 plant, draw a barrier.

21 CHAIRMAN RAY: We're not communicating  
22 here.

23 MR. SHAW: You're concerned that the  
24 transition --

25 MEMBER BROWN: No, I'm not worried about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the data coming from the plant there. It gets  
2 corrupted when it gets there via the business network,  
3 because that's how it is getting in there.

4 MR. SHAW: And that's what I'm saying.  
5 see, you're saying that as the information transitions  
6 across the corporate network it is modified.

7 MEMBER BROWN: Somehow.

8 MR. SHAW: Okay. And that is why my  
9 earlier point was that if that communication  
10 connection between those two, if you've got a CDA at  
11 this end and a CDA at that end, just the rule alone  
12 says that the networks that are connecting these  
13 things have to be adequately protected.

14 So, you know, the requirement would be  
15 that that network connectivity be given a Level 4  
16 level of assurance, which says it is not just a matter  
17 of encryption, you've got to have authentication, you  
18 may have reliability issues. It may be that they  
19 can't just use the corporate network and, in fact,  
20 meet the requirements they have complied to by  
21 accepting the reg guide.

22 MEMBER BROWN: That's what it sounded like  
23 yesterday. So we can wait for them -- wait for the  
24 Southern Nuclear to say something.

25 CHAIRMAN RAY: Okay. All right. Have we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 confused you enough? Are you done? Do you want to  
2 say something more?

3 MS. McGOVERN: Can I ask a clarifying  
4 question? Do I need to have the EP people come back?  
5 Because I'm not sure that the moving of the TSC --

6 CHAIRMAN RAY: This has got nothing to do  
7 with moving the TSC.

8 MS. McGOVERN: Okay. I just wanted to  
9 make sure I heard -- I heard something said about EP  
10 people, so I just wanted to make sure I didn't need to  
11 get them back in the room.

12 CHAIRMAN RAY: It could be on the moon, it  
13 could be in the room next to the control room. It  
14 doesn't matter. That issue is --

15 MS. McGOVERN: I just wanted to make sure  
16 that you didn't want to talk to the EP people. Okay.

17 CHAIRMAN RAY: So any further questions  
18 for the -- Dennis, are you satisfied?

19 MEMBER BLEY: Pretty well. You said there  
20 were minor exceptions --

21 CHAIRMAN RAY: Oh, yes.

22 MEMBER BLEY: -- in applying the reg  
23 guide. Are they truly really minor, like clerical  
24 things, or something that you really had to evaluate  
25 and --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. RYCYN: Some of them were clerical.  
2 Some of them required significant evaluation and  
3 analysis.

4 MEMBER BLEY: Do you say anything about  
5 them in here, about the ones that required some  
6 careful looking? What led you to -- what they were  
7 and what led you to accept them as is?

8 MR. RYCYN: Yes. There were a number  
9 that took an exception to specific guidance in the reg  
10 guide. We analyzed those and found that while they  
11 didn't do things exactly as the reg guide guidance  
12 suggested they be done, that they did accomplish some  
13 same goals as was intended by the --

14 MEMBER BLEY: Through another approach,  
15 okay. Thanks.

16 CHAIRMAN RAY: To get any further depth, I  
17 guess we would have to have a closed --

18 MEMBER BLEY: Yes, and I don't think  
19 that's necessary.

20 CHAIRMAN RAY: All right. Okay. Thank  
21 you very much.

22 All right. Now, as I said earlier, we'll  
23 proceed with Chapter 15. However, let me ask, before  
24 you guys -- Denise, before your guys leave the room,  
25 maybe this would be a good time, if you guys are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ready, Amy, to have your discussion in response to  
2 what you have heard, we can do it. If you're not  
3 ready, that's fine.

4 MS. AUGHTMAN: Yes, I think we'd like just  
5 a few minutes.

6 CHAIRMAN RAY: All right. Okay, fine.  
7 Let's go ahead, then, with -- sorry, I thought maybe  
8 you'd get to hear what they had to say with Chapter 15  
9 from Southern Nuclear.

10 MR. GRANT: Good morning, gentlemen. We  
11 appreciate the opportunity again to be in front of  
12 you. Certainly, Amy Aughtman with Southern is here,  
13 as well as myself, Eddie Grant, with NuStart, and we  
14 have Matt Evans somewhere in the audience with  
15 Westinghouse, who can help support us as the subject  
16 matter expert.

17 Chapter 15 covers seven different  
18 sections, basically the accident analysis across the  
19 board. We have a couple of open items that we are  
20 going to address related to 15.0, the accident  
21 analysis in general, and 15.4. We covered the  
22 previous information or the rest of the information in  
23 previous presentations.

24 One of the items is related to  
25 documentation of plant calorimetric uncertainty

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 methodology, and the second item is related to Generic  
2 Letter 85-05, inadvertent boron dilution events, and  
3 some of the emergency procedures activities related to  
4 that.

5 The major open item certainly is the one  
6 on documentation of calorimetric uncertainty. We  
7 discussed this briefly at the previous meeting, only  
8 at that time to identify that it -- or to note that it  
9 had been identified. WEC had -- or Westinghouse had  
10 identified an additional COL information item. They  
11 did that via an RAI response on the DCD review.

12 And it included a statement that basically  
13 indicated that the applicant then would address in our  
14 -- would address the documentation of the calorimetric  
15 uncertainty methodology, and that we would be using an  
16 NRC acceptable method and confirm that the safety  
17 analysis, primarily power calorimetric uncertainty,  
18 was bounded by the calculated values in the accident  
19 analysis done by Westinghouse and shown in Chapter 15.

20 DR. WALLIS: But they're not going to test  
21 this measurement. They are going to rely on testing  
22 presumably at some other location, because it would --  
23 you can't test accuracy of something which is more  
24 accurate than the other things you have to check it  
25 with.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MR. GRANT: That's correct. This is all  
2 calculations and based on methodology and --

3 DR. WALLIS: What we can do is check that  
4 it's installed properly.

5 MR. GRANT: Yes.

6 MEMBER BANERJEE: Where is it installed?

7 MR. GRANT: Oh, that I will have to ask  
8 my --

9 MEMBER BANERJEE: Because one of the  
10 greatest uncertainties of course in these is that the  
11 velocity profile is complex after any bends, which  
12 makes these methods very difficult to calibrate,  
13 unless you have calibrated them exactly in that --

14 MR. GRANT: All right. Let me call on  
15 Matt Evans with Westinghouse to help with that.

16 MR. EVANS: This is Matt Evans with  
17 Westinghouse. The location of the instruments in the  
18 plant are in the turbine building. They're in the  
19 main feedwater headers in the turbine building, one  
20 per main feed line to each steam generator. As far as  
21 the velocity profile concerns, the units are  
22 calibrated in hydrodynamically or hydraulically  
23 similar geometries in calibration facilities, in  
24 accordance with the assumptions made in the SERs.

25 MEMBER BANERJEE: So are they near bends?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 MR. EVANS: In this case, they are located  
2 downstream of a header, so it's a T intersection, it's  
3 not a bend.

4 MEMBER BANERJEE: So you are going to  
5 calibrate them or have them calibrated in that  
6 situation?

7 MR. EVANS: That's correct.

8 MEMBER BANERJEE: And how are you going to  
9 calibrate them?

10 MR. EVANS: They are calibrated at a  
11 certified laboratory, in this case similar to -- an  
12 example would be the Alden Laboratories using a weight  
13 tank method.

14 MEMBER BANERJEE: And within -- you  
15 calibrate them over a range of flows and things like  
16 this?

17 MR. EVANS: The details on the calibration  
18 process and how the calibration is certified in place  
19 are -- can be argued in the SER. So specifically the  
20 technology of Cameron has made those arguments in  
21 their SER as far as --

22 MEMBER BANERJEE: One percent uncertainty  
23 is quite a low uncertainty on an ultrasonic flow  
24 meter.

25 MR. EVANS: Well, actually, the device

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that is being chosen for Vogtle actually has a  
2 published accuracy of I believe four-tenths of a  
3 percent. The AP1000 standard design is actually only  
4 using one percent in our application at this point.

5 MEMBER BANERJEE: And it is insensitive to  
6 velocity profile?

7 MR. EVANS: Not to say it's insensitive to  
8 velocity profile, but, once again, the effects of  
9 velocity profile are specific to the technology and  
10 are an important part of the technical argument  
11 supporting the use of that --

12 MEMBER BANERJEE: I wonder what the magic  
13 here is. I would like to see this report. Has NRC --  
14 I know that they were doing some CFD analysis and  
15 things of these flow meters, and they had very, very  
16 mixed opinions of such --

17 MR. GRANT: If I might jump in here, one  
18 of the reasons that we have chosen the Caldon  
19 CheckPlus Leading Edge flow meter and are going to use  
20 it is that it has been reviewed by the NRC quite  
21 extensively, and they have -- he mentioned the SER on  
22 that particular instrument. Not only that, but they  
23 have recently provided a supplemental SER on it to  
24 review some additional items that they had identified  
25 on that. So it has been thoroughly reviewed by the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 staff.

2 DR. WALLIS: ACRS reviewed it perhaps  
3 before your time.

4 MEMBER BANERJEE: With Caldon?

5 DR. WALLIS: Yes, I think so.

6 MR. GRANT: Yes, it's been used in a  
7 number of power uprate amendments, and I would be  
8 surprised if you guys hadn't seen at least some of  
9 those.

10 MR. DONOGHUE: Yes, this is Joe Donoghue  
11 of the staff. The same instrument by the same  
12 manufacturer has been the basis for measurement  
13 uncertainty uprates that have been approved for I  
14 think about a decade or so.

15 MEMBER BANERJEE: With a one percent  
16 uncertainty.

17 MR. DONOGHUE: Yes.

18 MR. EVANS: It is actually considerably  
19 higher in some applications. Also, there is  
20 experience with more than one percent.

21 MR. DONOGHUE: So the discussion you are  
22 going to hear from the staff --

23 MEMBER BANERJEE: So if the ACRS has  
24 approved it, I guess it has been --

25 DR. WALLIS: So the real question is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 whether or not it is installed exactly as it was  
2 calibrated. So that's the check, I think, that the  
3 instrument is --

4 MR. GRANT: That's correct. And as you  
5 see towards the bottom, we have an ITAAC to confirm  
6 that we have done the --

7 DR. WALLIS: Changes in the piping can  
8 make a big difference, so you get it installed exactly  
9 right.

10 MR. GRANT: That's correct.

11 DR. WALLIS: That's the important thing.

12 MR. GRANT: Part of the ITAAC is to  
13 confirm that we have met the methodology that has been  
14 approved.

15 MEMBER BANERJEE: Okay. If it has been  
16 blessed, it has been blessed. I am very suspicious of  
17 one percent uncertainty in any measurement, but --

18 MR. GRANT: Well, and, in fact, that was  
19 -- the basis for the entire COL item was to confirm  
20 how you are going to make sure that you get this one  
21 percent. And the way that we are going to do that is  
22 we are going to use something that has already been  
23 reviewed and approved as being able to meet that one  
24 percent. We are going to use the Caldon meters that  
25 do have SERs that the staff has looked at already.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Our option was to go out and do our own  
2 methodology. And it might take a while to get that  
3 approved, so we opted not to do that.

4 MEMBER BANERJEE: There is no in situ way  
5 of calibrating this, like time of flight or any other  
6 way.

7 MR. GRANT: I am not a calibration expert.  
8 Matt, can you --

9 MR. EVANS: I can only say that the  
10 details of in situ calibration and how it is  
11 calibrated and compare it from the laboratory  
12 calibration to the field installation was included in  
13 and has been reviewed in the SER for this specific  
14 technology. It is one of the aspects that has been  
15 reviewed for that technology.

16 MR. GRANT: And it certainly is part of  
17 our as-built to verify that we are meeting the  
18 installation criteria and the methodology.

19 MEMBER BANERJEE: So, Graham, this was  
20 reviewed before my time and --

21 DR. WALLIS: I think so, yes.

22 MEMBER BANERJEE: -- and you passed it?

23 DR. WALLIS: You can always --

24 (Laughter)

25 You can always get your Committee to look

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at it again.

2 MR. GRANT: We certainly can get you the  
3 references for these SERs on the LEFM, and I'd be glad  
4 to provide you those references.

5 MEMBER BANERJEE: I trust my illustrious  
6 predecessors.

7 (Laughter)

8 MR. GRANT: Well, actually, the SERs  
9 written by the staff did have a number of action items  
10 in them to confirm that you are going to do a list of  
11 things in order to be able to use these instruments.  
12 And we did address each one of those in responses to  
13 staff RAIs when we indicated we were going to use the  
14 Caldon.

15 And they have reviewed those, found those  
16 to be acceptable. Part of that, again, was an ITAAC  
17 to confirm that we have installed the instrument, that  
18 we have done the as-built calculation, and then the  
19 final confirmation that indeed our final calorimetric  
20 uncertainty is within the one percent that we have  
21 assumed.

22 As Matt indicated, since the instrument is  
23 capable of much better, we certainly don't expect that  
24 to be a problem.

25 MEMBER BANERJEE: Please, don't go there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(Laughter)

MR. GRANT: We've just got to meet the one percent.

MEMBER BANERJEE: Yes, right.

MR. GRANT: And we will do that.

MEMBER BANERJEE: Okay.

MR. GRANT: All right? The second open item, I would consider this basically an administrative open item. Generic Letter 85-05 on inadvertent boron dilution events makes reference to procedures. And the staff asked that we provide a cross-reference in our Chapter 1. We have a table that addresses all generic communications that are applicable to our plant.

Generic Letter 85-05 wasn't listed in that table, but we did of course have some information in 13.5 on procedures with regard to emergency procedures. So they asked us to list that generic letter and provide that cross-reference as an administrative item. We put that in the table, and the staff found that to be acceptable at that point.

I was reminded by looking at the staff slides that we also had one Vogtle COL item, a Vogtle-specific COL item, that is not in our slides. That item was basically to confirm that the chi over qs

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 atmospheric dispersion coefficients that were used by  
2 Westinghouse in their accident analyses for offsite  
3 doses were bounding with regard to the site-specific  
4 accident analyses.

5 We did that. We actually provided that  
6 information in Chapter 2 and had just a simple cross-  
7 reference in our Chapter 15. And they were bounded.  
8 You'll hear from -- more about that from the staff.

9 And that's it for Chapter 15. Thank you  
10 very much.

11 CHAIRMAN RAY: Thank you.

12 (Pause)

13 MR. HABIB: Good morning. My name is Don  
14 Habib. This is a presentation from the staff on  
15 Chapter 15, accident analysis. And with me today from  
16 the technical staff is Tony Nakanishi from the Reactor  
17 Systems Nuclear Performance and Code Review Branch,  
18 and Michelle Hart from the Siting and Accident  
19 Consequences Branch.

20 Next slide.

21 This is an overview of the SER. It  
22 identifies particular sections and which sections are  
23 standard, which ones are IBR, and which ones have  
24 plant-specific information in them. We are going to  
25 cover three items, the same ones that the applicant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 covered, and so I will turn it over for the first item  
2 to Tony Nakanishi.

3 MR. NAKANISHI: Good morning. My name is  
4 Tony Nakanishi, and I'm with the Reactor Systems  
5 Nuclear Performance and Code Review Branch. I will be  
6 discussing the COL information, Item 15.0-1, on plant  
7 calorimetric methodology.

8 I wanted to start with a little  
9 background. Some of this was discussed in the  
10 applicant's presentation, but the Rev 15 of the design  
11 control document had assumed a two percent uncertainty  
12 throughout the Chapter 15 analysis. And when the  
13 staff was reviewing the DCD, Rev 17, staff noted that  
14 for large break LOCA and containment mass and energy  
15 release analyses, one percent power uncertainty was  
16 assumed.

17 So in terms -- in addressing that  
18 particular item, the applicant chose to include a COL  
19 information item, and that is obviously the purpose of  
20 this discussion. So, really, the purpose of the staff  
21 review was to find reasonable assurance that the  
22 applicant will be able to meet the one percent  
23 calorimetric uncertainty that is assumed in the  
24 analysis.

25 And based on a review of the applicant's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 response, we find that the approach is basically  
2 consistent with what the staff has been approving in  
3 the NRR side. You know, a lot of this -- some of  
4 these points were already made. There were -- I don't  
5 have the exact number, but there is a slew of MUR  
6 uprates that have credited this approach.

7 And I will note that, you know, the  
8 applicant is pursuing a one percent uncertainty in  
9 this case, but NRR has been seeing, actually,  
10 uncertainties as low as .3 percent for MUR uprate of  
11 -- 1.7 percent power uprate.

12 So from that standpoint, the applicant  
13 isn't pushing as further -- as we have seen. And in  
14 terms of --

15 DR. WALLIS: Excuse me. You have actually  
16 accepted .3 percent in --

17 MR. NAKANISHI: I believe --

18 DR. WALLIS: -- uncertainty in that power  
19 uprate?

20 MR. NAKANISHI: I believe -- I think  
21 Vogtle Units 3 and 4 -- or Units 1 and 2, actually,  
22 correct me if I'm wrong, but have been approved for  
23 1.7 percent.

24 DR. WALLIS: Is that down from two percent  
25 to .3?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. NAKANISHI: And, again, the approach  
2 is based on the Caldon Cameron methodology that the  
3 applicant is proposing here. It is based on these two  
4 main topical reports, ER-80P and ER-157P. As the  
5 applicant noted, there is some conditions as part of  
6 the approval of those topical reports, and the staff  
7 finds that the applicant has addressed those  
8 acceptably.

9 They were primarily around properly  
10 describing the calibration procedures, some  
11 contingency when these things go out of service,  
12 maintenance issues, those kinds of things. And, you  
13 know, we were discussing earlier about the -- you  
14 know, the testing aspect, what we have seen in the  
15 past, and what we expect here is testing at a  
16 certified facility. Alden Labs has been used in the  
17 past, and they are consistent with the NIST --

18 MEMBER BANERJEE: This is full scale?

19 MR. NAKANISHI: I believe so. It is  
20 basically, you know, the test has to be set up such  
21 that it is -- it is obviously, you know,  
22 representative or actually really, you know, the  
23 matching configuration to the actual configuration.

24 MEMBER ARMIJO: Could you tell me what the  
25 backup is to this system? Let's assume that it was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 drifting. At what -- what other instruments would  
2 detect that instead of being one percent it is two  
3 percent?

4 MR. NAKANISHI: Right. It's --

5 MEMBER ARMIJO: Where do you start  
6 depicting it in the rest of the plant?

7 MR. NAKANISHI: It's typically -- you  
8 would I guess -- if you declared this inoperable, you  
9 would be backing up to a -- say a Venturi type of flow  
10 meter, and --

11 MEMBER ARMIJO: No, I'm just saying, let's  
12 say you didn't declare it. You thought it was running  
13 just fine, but, in fact, it wasn't. Where else would  
14 you detect that it is -- something was wrong?

15 MR. NAKANISHI: Right. And I personally  
16 wasn't involved in the specific -- you know, the  
17 technology, but my understanding is there is some  
18 mechanism where it allows for some real-time feedback  
19 that allows you to detect those deviations, if you  
20 will.

21 MR. DONOGHUE: Tony, this is Joe Donoghue  
22 again, with staff. What I recall is the topical  
23 report that describes the instrument includes a  
24 discussion of the systems in the software itself that  
25 are used to self-check. There is a self-check

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 feature. As Tony said, it is real time, so that there  
2 will be indications if it's having problems. But,  
3 again, this is, you know, used for calorimetric.

4 And, again, the SER I think itself has a  
5 discussion about if the -- to clear out a service -- I  
6 know that's not your question, but --

7 MEMBER ARMIJO: Yes. I'm just saying, you  
8 know, some other --

9 MR. DONOGHUE: -- you're sure it's going  
10 operational.

11 MEMBER ARMIJO: A coarser plant diagnostic  
12 or symptom that says, "Hey, you know, we think it's --  
13 we are relying on this system, but it -- if it wasn't  
14 working right, you know, what it -- when would we  
15 detect it?" And that's really --

16 MR. NAKANISHI: Right.

17 MEMBER ARMIJO: I'm not familiar at all  
18 with this kind of stuff, so --

19 MR. NAKANISHI: Right, right. My  
20 understanding is the operators would detect that right  
21 away, if there is some deviation in this.

22 MEMBER BANERJEE: So this is calibrated at  
23 the temperature full scale? I'd like to see these  
24 topical reports.

25 MR. NAKANISHI: I can't get into the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 details. We'll be happy to provide that to you.

2 MEMBER BANERJEE: I'm trying to understand  
3 this. It seems really -- I mean, in the lab I can't  
4 get that accuracy, and I'm pretty good at this stuff.  
5 This is quite a surprise.

6 DR. WALLIS: Maybe it's an illusion.

7 (Laughter)

8 MEMBER BANERJEE: I'm just surprised that  
9 you can correct for temperature and velocity profile.  
10 But we'll take a look at this.

11 MR. NAKANISHI: I would be happy to  
12 provide that information.

13 So moving forward, you know, this is  
14 something that is going to be -- there is some  
15 information that the staff needs to confirm, and we  
16 have put in place a couple of mechanisms to accomplish  
17 that. ITAAC is one, for example, to ensure that the  
18 applicant has indeed installed the approved device and  
19 has implemented the methodology that will support  
20 overall power uncertainty of one percent or less.

21 And, finally, a license condition is also  
22 in place that will inform the staff when some of this  
23 documentation information is available or which will  
24 allow the staff to go and inspect their process.

25 So, in conclusion, based on these points,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the staff finds that the applicant has acceptably  
2 addressed the open item. And that concludes my piece.

3 If there is any questions?

4 (No response)

5 CHAIRMAN RAY: Thank you. Hearing none,  
6 no further.

7 This next item was brought up by the  
8 applicant, mostly an administrative item, Generic  
9 Letter 85-05 involving the boron dilution and  
10 protection against that. That was actually resolved  
11 in the DCD through a COL information item. It was DCD  
12 Rev 15.

13 And the applicant complied with that, and  
14 all we were looking for was that this was identified  
15 in Chapter 1 on a list of bulletins and generic  
16 letters. They provided that change, and that is now a  
17 confirmatory item. That's strictly administrative.

18 MS. HART: My name is Michelle Hart. I'm  
19 with the Siting and Accident Consequences Branch. And  
20 Vogtle does have an ESP, but instead of relying on the  
21 previous analysis done for that they said, "Well, we  
22 will compare this to the DCD for the AP1000." And  
23 there was a permit condition, actually, in the ESP  
24 saying that that was an acceptable way to do things,  
25 if you were going to refer to a certified design.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           And so the issue here is they -- in  
2 Chapter 15 they incorporate the AP1000 analyses by  
3 reference for the DBA dose analysis, and so we just  
4 needed to verify that they did in fact incorporate  
5 those by reference correctly, and thereby show  
6 compliance with the offsite dose criteria and the  
7 control room dose criteria in GDC 19.

8           As you heard yesterday, there was a site-  
9 specific technical support center, so that is not  
10 discussed in Chapter 15 of the SER. It is discussed  
11 in Chapter 13.

12           As the applicant has said, in Chapter 2 of  
13 their FSAR they had shown that their site  
14 characteristic short-term atmospheric dispersion  
15 factors are bounded by the values used by Westinghouse  
16 in the AP1000 DCD as site parameters. And since those  
17 are the only values that are related to the site,  
18 everything else in the dose analysis is the same and  
19 is related to the design.

20           And since the Vogtle chi over qs were less  
21 than the AP1000 chi over qs, therefore, the doses are  
22 less than the AP1000 doses, which met the criteria  
23 that -- the siting criteria offsite and for the  
24 control room. So, therefore, Vogtle has shown that  
25 they meet the applicable siting criteria and control

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 room habitability criteria.

2 Do you have any questions?

3 (No response)

4 CHAIRMAN RAY: Hearing none, thank you,  
5 Michelle.

6 MS. HART: And that's it for us.

7 MR. HABIB: That concludes our  
8 presentation.

9 CHAIRMAN RAY: Fine. Thank you.

10 All right. So you guys got done before  
11 lunch. That's a good thing.

12 (Laughter)

13 We have Chapter 8 part of Vogtle next, and  
14 I think we will go ahead and take that before we take  
15 our morning break. And maybe we'll do the staff as  
16 well. So Chapter 8.

17 (Pause)

18 MS. AUGHTMAN: Okay. While we are getting  
19 the -- we had to make some adjustments to our slides.

20 While we're waiting for those to come up, I did want  
21 to let the people in the control room know that we are  
22 expecting people on the phone, and we may need them to  
23 help address questions.

24 CHAIRMAN RAY: All right. Is the line  
25 open, Weidong?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MS. AUGHTMAN: The phone is on. I just  
2 want to make sure they are able to speak if called  
3 upon.

4 CHAIRMAN RAY: Yes. Well, that was --

5 (Pause)

6 MS. AUGHTMAN: Okay. Amy Aughtman, again,  
7 from Southern with Bob Hirmanpour, NuStart; Gary  
8 Becker from Southern; and on the phone we have Dwayne  
9 Brock from Southern, as well as Tom Sims and Bobby  
10 Jones. And I believe we should also have Mark  
11 Demaglio from Westinghouse on the line. And we also  
12 have Mike Snyderman from Bechtel.

13 So for Chapter 8 this is the contents, and  
14 we wanted to give just a little bit of an overview for  
15 what was in Chapter 8. I don't believe we have  
16 presented this material before.

17 The DCD is incorporated by reference.  
18 There is one standard departure that has been taken.  
19 There are four COL information items that are  
20 addressed. The SER with open items that was issued  
21 did not have any open items that were standard, and so  
22 there is -- there were none that we -- Vogtle needed  
23 to address for the R-COLA.

24 We have also got some supplemental  
25 information that will give an overview on some of our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 site-specific aspects.

2 CHAIRMAN RAY: Okay. Now, Amy just -- no  
3 standard open items that you have to address for the  
4 R-COLA. What other open items are there?

5 MS. AUGHTMAN: I believe Bellafonte did  
6 have one site-specific open item.

7 CHAIRMAN RAY: I see.

8 MS. AUGHTMAN: So the first information  
9 item is on offsite electrical power, and those were --  
10 we described our design of the power transmission  
11 system and the testing and inspection plans. We do  
12 have three switchyard areas for Units 1, 2, and 3.  
13 Those share a 230 and 500 kV switchyard. Unit 4 goes  
14 into the 500 kV switchyard. And then, there's a  
15 230 kV switchyard that has the reserve auxiliary  
16 transformer for Units 3 and 4.

17 For the testing and inspection plans that  
18 includes maintenance, testing, calibration, inspection  
19 practices that comply with the NERC reliability  
20 standards.

21 The next item --

22 CHAIRMAN RAY: Who operates the  
23 transmission system?

24 MS. AUGHTMAN: Southern Company  
25 Transmission.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So then the next COL item is technical  
2 interfaces, and that is where there is an interface  
3 with the DCD that we needed to demonstrate from an  
4 offsite perspective, the analysis that shows that we  
5 meet the protective devices of the plant.

6           So we performed a grid stability analysis  
7 to show that with no system failures the grid would  
8 remain stable, and the RCP bus voltage would remain  
9 above the voltage required to maintain the flow  
10 assumed in Chapter 15 for a minimum of three seconds  
11 following a turbine trip. And so our Southern Company  
12 Transmission planning group performed that analysis.

13           Next is grounding and lightning  
14 protection. We added a description of the grounding  
15 system grid, or, excuse me, grid system. The ground  
16 grid conductor size was determined using the  
17 methodology outlined in IEEE 80. A grid configuration  
18 for the site was created and modeled in conjunction  
19 with the soil model. The resulting step and touch  
20 potentials are within acceptable limits.

21           Then, in accordance with IEEE 665, a  
22 lightning protection risk assessment for the buildings  
23 was performed based on the methodology of NFPA 780.  
24 And the tolerable lightning frequency for each of the  
25 buildings was determined to be less than the expected

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 lightning frequency. Therefore, we did determine  
2 lightning protection is required.

3 Did we miss one? Yes, so then the next  
4 COL item, and the last one, is on the onsite  
5 electrical powerplant procedures. We provided a  
6 description of the procedures that implement periodic  
7 testing of protective devices that provide penetration  
8 overcurrent protection.

9 And we also gave a description of the  
10 procedures for inspection and maintenance of the Class  
11 1E and non-Class 1E batteries. And those are  
12 maintenance -- those are maintained and tested in  
13 conformance with -- and I do believe we have a typo on  
14 this slide. That's per Reg Guide 1.129, which is  
15 maintenance testing and replacement of lead acid  
16 batteries.

17 So then we have some supplemental  
18 information. We provided site-specific information  
19 describing the transformer area located to the turbine  
20 building -- located next to the turbine building, and  
21 which contains the generator step-up transformer, the  
22 unit auxiliary transformer, and the reserve auxiliary  
23 transformer.

24 Did I get something out of order? Okay.

25 Okay. And so then along with that we have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 also provided a description regarding the Southern  
2 Company transmission responsibility for maintaining  
3 our system reliably and conducting planning studies on  
4 an ongoing basis, and demonstrating that our protocols  
5 remain cognizant of grid vulnerabilities in order to  
6 make informed decisions regarding maintenance  
7 activities that are critical to the electric system.

8 We also demonstrate site-specific  
9 conditions are bounded by the standard conditions in  
10 the DCD for rating the diesel generator. We have  
11 implementation -- or we have provided a discussion on  
12 implementation of procedures for periodic verification  
13 out of the capability for automatic and manual  
14 transfer from the preferred power supply to  
15 maintenance power supply, and vice versa, to satisfy  
16 GDC 18. There are no site-specific non-Class 1E DC  
17 loads connected to the Class 1E DC system.

18 Okay. So, then, the next two items are  
19 the ones that I guess we have had more recent  
20 interactions with the staff on. We received an RAI  
21 asking for some more information in the FSAR as it  
22 relates to Generic Letter 2007-01, which is on a  
23 submerged and inaccessible electrical cable.

24 And the text that is shown here is what we  
25 added to the FSAR in Section 17.6, which is where we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 describe maintenance rule program. So what we're  
2 saying is that that program would be treated as part  
3 of the maintenance rule.

4 And, finally, Westinghouse did have a --  
5 it was a revised COL information item for periodic  
6 testing of the battery chargers and voltage-regulating  
7 transformers. So we added some more information to  
8 address that, to include establishment of procedures  
9 for periodic testing of the Class 1E battery chargers  
10 and voltage-regulating transformers in accordance with  
11 manufacturer recommendations.

12 Those procedures will include circuit  
13 breaker testing, fuse and fuse holder inspection, and  
14 verifying current-limiting characteristic of Class 1E  
15 battery chargers. And this is where the departure is  
16 that we had to take since the regulating transformers  
17 don't -- do not have current-limiting capability.

18 And then -- I'm sorry, I forgot -- we do  
19 have one more slide that just lets you know that we  
20 did have an ITAAC.

21 CHAIRMAN RAY: Well, can someone expand on  
22 this departure a little bit?

23 MS. AUGHTMAN: All right. Gary, can you  
24 do that?

25 MR. BECKER: Well, the DCD has a statement

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in it that the battery chargers and the voltage-  
2 regulating transformers have current-limiting devices.

3 And when we were asked to include in our FSAR that we  
4 would test those capabilities, we determined from  
5 Westinghouse that the voltage-regulating transformers  
6 are basically a passive device. And the only current-  
7 limiting capability is the impedance of the  
8 transformer.

9 So it was basically, if you will, a  
10 misstatement in the DCD in that the transformers  
11 themselves don't have active current-limiting devices.

12 So we discussed the -- our options that were  
13 available. There is going to be fuses and breakers  
14 that can limit the current through that electrical  
15 flow path, but the transformers themselves don't have  
16 that capability built in within them.

17 So we had to correct that language in the  
18 DCD, and the way to do that we chose was a departure  
19 from that language.

20 CHAIRMAN RAY: Okay. I guess I  
21 understand. It seems awkward that you would be doing  
22 that simultaneous with submitting a revision to the  
23 DCD, but --

24 MS. AUGHTMAN: It was a function of timing  
25 for when this came up.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1           And so, then, the last item was just to  
2 note that we do have an ITAAC associated with the  
3 offsite power system, and that includes the minimum  
4 number of transmission lines, their capacity, fault  
5 protection, and the ability to power the reactor  
6 coolant pumps for a minimum of three seconds following  
7 a turbine trip.

8           MEMBER BLEY: Mr. Chairman, since Electric  
9 Power is here, this is probably a good time for me to  
10 just take a second, a minute --

11           CHAIRMAN RAY: Go ahead.

12           MEMBER BLEY: -- to talk about the  
13 discussion we had yesterday about the COL PRA. And  
14 staff has provided me with a number of pointers to  
15 documents we have and to documents we haven't seen,  
16 and the bottom line is I am pretty happy with regard  
17 to all the things I raised yesterday. But I will take  
18 a minute to say why.

19           One thing I hadn't quite noticed is in the  
20 DCD, Chapter 19, in the tables of results, there is  
21 kind of words in there that say, "Don't do a COL PRA,"  
22 but for good reason. Westinghouse has asked all of  
23 the COLs -- well, not asked them, they have provided  
24 them with detailed information about what are the key  
25 things, site-specific, they need to worry about and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 asked them to respond and identify that, indeed, they  
2 know what they have to do to make these systems  
3 appropriate, and they will do that.

4 And almost many other aspects of the site-  
5 specific PRA can't be done until much later in this  
6 process. So the COL PRA itself wouldn't add much  
7 utility, and I think I agree with that. So I think  
8 they have covered their bases pretty well.

9 CHAIRMAN RAY: You are differentiating a  
10 COL PRA from a site-specific PRA?

11 MEMBER BLEY: Yes, I am. The COL PRA was  
12 intended to update -- to make the PRA a little more  
13 site-specific with the information available at COL  
14 time. That is a small part of the site-specific  
15 information. Most of that will be available over the  
16 next couple of years and will be included in the real  
17 site-specific PRA that will be done before startup.  
18 And I think that is the key one.

19 The only other thing I'd say is, as a PRA  
20 guy, I really like the approach Westinghouse took to  
21 use in the PRA to help in the design and design-out of  
22 the things that appear to be important contributors  
23 from existing PRAs.

24 But they add in passive systems that have  
25 some delicacy to them. They have identified and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 discussed those in the PRA, but as we mentioned a  
2 couple of things yesterday, they haven't really yet  
3 worked into the PRA the chance that some of these  
4 things don't happen the way they are assumed to  
5 happen.

6 We have administrative controls on debris-  
7 producing material going into containment, but no  
8 chance that that is exceeded built into the model. I  
9 think some of that would be nice to see in that final  
10 PRA, but it's not there.

11 That said, I think the things I raised  
12 yesterday have been addressed in a reasonable way, and  
13 I would have to say also that staff had asked  
14 questions about most of those and did receive answers,  
15 some of which we hadn't seen until now.

16 CHAIRMAN RAY: Well, if it were thought  
17 important by the ACRS for, just to use an example, for  
18 debris uncertainty to be included in their site-  
19 specific PRA, setting aside the COL PRA, where would  
20 we strive to see that achieved if not in the COL, at  
21 the time of the COL I mean?

22 MEMBER BLEY: We would have strived to see  
23 it back when the actual PRA was done and submitted as  
24 part of the design cert, but we didn't --

25 CHAIRMAN RAY: No, I mean, the -- what I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 asking is, can it -- is it foreseeable that we could  
2 get it into the site-specific PRA?

3 MEMBER BLEY: I think yes.

4 CHAIRMAN RAY: You're answering, I think,  
5 well, if you were going to put it in a site-specific  
6 PRA, it would have had to be in the DCD PRA as well.  
7 Is that what you --

8 MEMBER BLEY: No, that's not what I'm  
9 saying. I think we're asking when we should have  
10 raised that issue. I think it was back then.

11 CHAIRMAN RAY: Well, I'm going to do that  
12 now. I'm going to do that next, though. Since we  
13 didn't do it before, then, when is the right time,  
14 given that it is -- I mean, hypothesize it is an issue  
15 that we would like to see addressed, when would you do  
16 it, if not now?

17 MEMBER BLEY: Well, I think you would do  
18 it with the PRA that is completed before startup,  
19 because that is the point in time when the PRA is  
20 supposed to be completely plant-specific and include  
21 all of the uncertainties, and some of the  
22 uncertainties haven't been fully addressed as yet  
23 either.

24 CHAIRMAN RAY: Absolutely.

25 MEMBER BLEY: Unless it is a matter of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1     uncertainty, really. They have done a good job of  
2     showing why all these things ought to work, but I  
3     don't think there is anything in the models to account  
4     for the chances that they might not or the mechanisms  
5     by which they might not.

6             CHAIRMAN RAY: I want to try it this way.

7     Do you think there is anything we should do to try  
8     and ensure that it is addressed in the site-specific  
9     PRA?

10            MEMBER BLEY: Yes. I think we ought to  
11     write into our letter that there is --

12            CHAIRMAN RAY: This letter.

13            MEMBER BLEY: This letter that when staff  
14     reviews the -- or when the site-specific PRA is done  
15     that it include those things.

16            CHAIRMAN RAY: That's all I'm trying to  
17     get at.

18            MEMBER BLEY: Yes. I'd like to put that  
19     in.

20            CHAIRMAN RAY: So you have volunteered to  
21     write me something.

22            MEMBER BLEY: Yes.

23            CHAIRMAN RAY: All right.

24            MR. HIRMANPOUR: May I interject?

25            CHAIRMAN RAY: Of course.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HIRMANPOUR: This is Bob Hirmanpour.  
2 As you mentioned, we are going to do an as-built PRA,  
3 which is site-specific, and that it mentioned the  
4 FSAR, also license condition. And for the purpose of  
5 the design changes we actually went back and revised  
6 the wording and included the design work -- the design  
7 changes and departures in there.

8 So the as-built one was just based on the  
9 walkdowns. You may possibly have to go back with that  
10 every design change that was made since last PRA and  
11 make sure all of those get in there. So it is  
12 important --

13 CHAIRMAN RAY: That seems straightforward  
14 enough. What I'm sensing, though, is that there may  
15 be categories of things not included within the  
16 uncertainties addressed, not design changes but things  
17 like debris, and that they ought to be included in the  
18 site-specific PRA.

19 DR. WALLIS: Can I comment on that,  
20 Harold?

21 CHAIRMAN RAY: Yes.

22 DR. WALLIS: I don't think we have an  
23 analytical procedure for calculating the effects of  
24 uncertainties in the debris on the core damage  
25 frequency. I don't think --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RAY: Well --

2 DR. WALLIS: You are going to put it on  
3 the utility to develop this method?

4 CHAIRMAN RAY: Well, I don't -- that is a  
5 different question, Graham, than should --

6 DR. WALLIS: Sorry.

7 CHAIRMAN RAY: The question I was trying  
8 to get at is, should it be included? And, if so,  
9 should we say something about it now? That is the  
10 limit of what I was trying to do.

11 You are raising the question, well, if you  
12 do require it, is it feasible to do?

13 DR. WALLIS: And who should do it?

14 CHAIRMAN RAY: Well, that's a --

15 DR. WALLIS: It seems you are going to put  
16 it on the utility if you put it through the site-  
17 specific PRA.

18 CHAIRMAN RAY: The utility is the source  
19 of the funding for all that goes on, and they have  
20 contractors that include Westinghouse. We don't need  
21 to worry about whether they do it or they have  
22 Westinghouse do it. That's not our concern.

23 MEMBER SHACK: It's their responsibility,  
24 let's say.

25 CHAIRMAN RAY: That's right. But, still,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 getting back -- I mean, I think you raise a good  
2 point, which is, can you call for an uncertainty on  
3 something that you have reason to think can't be --  
4 can't be quantified in terms of its effect? And I  
5 don't know.

6 MEMBER BANERJEE: You call for it, and you  
7 will get an answer probably. But whether the answer  
8 will mean anything is a separate issue.

9 MEMBER BLEY: Well, the conservative thing  
10 people usually do, and they've done it for seal LOCAs,  
11 is have a criteria below which you are sure you are  
12 good, or reasonably sure you are good like the  
13 criteria we have, and calculate the chance that you  
14 don't meet that. And the first assumption is, if you  
15 don't, then you fail that function. And that has been  
16 done. On seal LOCAs there were other models for seal  
17 LOCA that involve --

18 MEMBER BANERJEE: Westinghouse --

19 MEMBER BLEY: -- multiple mechanisms and  
20 address the probability of each. And they backed away  
21 from those, because they weren't as essential.

22 MEMBER BANERJEE: Westinghouse did provide  
23 sort of an analysis of --

24 MEMBER SHACK: Sensitivity analysis.

25 MEMBER BANERJEE: -- sensitivity -- well,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 it was a statistical analysis, you know, taking that  
2 data, doing the best they could with the data they had  
3 at that point. So, and there were some issues related  
4 to this, which Dana brought up. But if we accept  
5 that, you have some measure of that.

6 CHAIRMAN RAY: All right. So you wouldn't  
7 exclude it on the basis that it is infeasible to --

8 MEMBER BANERJEE: I don't think so. But,  
9 you know, it was based on a pretty limited set of  
10 data. So how much credence you can give to it is a  
11 different matter.

12 CHAIRMAN RAY: Well, I will leave it to  
13 Dennis to draft up something and the full Committee to  
14 consider it.

15 MEMBER BANERJEE: Actually, they didn't  
16 rely on that. They had a bounding sort of situation.

17 CHAIRMAN RAY: Right. I guess I'm just  
18 trying to say it -- we're not asking for something  
19 that is inherently impossible to do.

20 MEMBER BANERJEE: Yes. Well, Graham's  
21 point is that every time you do another experiment you  
22 get another surprise. So this is what the inherent  
23 uncertainty is on this, but --

24 MEMBER SHACK: We can always do an expert  
25 elicitation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Laughter)

2 MEMBER BANERJEE: Yes.

3 CHAIRMAN RAY: Okay. Enough on that.  
4 Anything else, Amy?

5 MS. AUGHTMAN: So I'm going to check with  
6 our folks and see if we might have any input to offer  
7 on that subject.

8 CHAIRMAN RAY: All right. We are always  
9 happy to receive your input on anything. But at this  
10 point in time, in the event, as you have heard, there  
11 is some thought that we might seek to have an explicit  
12 provision for uncertainty, I think of this as just an  
13 example. I don't believe it is the only example, but  
14 maybe it is.

15 MEMBER BLEY: No.

16 CHAIRMAN RAY: Thank you.

17 All right. We will now go to Chapter 8  
18 for the staff. And, let's see, it's 10:00. I think  
19 we can still complete this before we take a break and  
20 maintain our momentum, if possible.

21 MEMBER BROWN: Break is not until 10:35,  
22 so we've got 35 minutes.

23 CHAIRMAN RAY: The break is when I say it  
24 is.

25 (Laughter)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: I heartily agree with that.  
2 I'm just saying, per the schedule, that's when it is.

3 CHAIRMAN RAY: I know. Thank you.

4 MS. SIMMS: Good morning.

5 CHAIRMAN RAY: Good morning.

6 MS. SIMMS: My name is Tanya Simms, and  
7 this is Ms. Tania Martinez Navedo. She is the  
8 technical reviewer for Chapter 8 that we are  
9 presenting.

10 You have already been given a general  
11 overview, and I will just highlight a few things as we  
12 go through the presentation, and then Ms. Tania Navedo  
13 -- you can go to the next one -- will provide you with  
14 a staff review summary.

15 For this chapter, you have already  
16 basically heard that it provides a functional adequacy  
17 of the offsite power system and the safety-related  
18 information on the onsite electrical power systems.  
19 And Section 8.1 -- in Section 8.1, as you previously  
20 heard, there were supplemental items that were  
21 provided that just gave the applicant's description of  
22 the offsite power system with regards to the  
23 interrelationship between the nuclear unit, the  
24 utility grids, and the interconnecting grids.

25 Next slide.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 For Section 8.2, there were two COL items  
2 and six supplemental information items. You have  
3 already heard the information based on the two COL  
4 items, and all of that just covered the review of the  
5 transmission systems, the history of the offsite power  
6 line systems, through the setting of the protected  
7 devices controlling a switchyard and the interface  
8 requirement that was already discussed with you.

9 Next slide.

10 For Section 8.2(a), this was developed by  
11 the staff specifically to address the site-specific  
12 ITAAC that the applicant proposed related to the  
13 offsite power systems that is necessary, and  
14 sufficient to provide the reasonable assurance that  
15 the facility has been constructed and will operate in  
16 conformance with the COL, the provisions of the Atomic  
17 Energy Act, and the NRC regulations.

18 Next slide.

19 For Section 8.3.1, we discussed that it is  
20 related to the grounding system and the lightning  
21 protection, as well as testing of the protection  
22 devices and the electrical and emergency diesel  
23 generator ratings based on site conditions. For the  
24 diesel generator sets, they are used as a standby  
25 power source for the onsite AC power systems.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Next slide.

2 For Section 8.3.2, the standard departure  
3 that was discussed previously will be provided with  
4 more information by Ms. Martinez Navedo, and also the  
5 discussion from that section was related to the  
6 regulating transformer, periodic testing and  
7 inspection of the maintenance of the Class 1E  
8 batteries.

9 Now I turn it over to Ms. Tania Martinez  
10 to give you the staff's review summary for what was  
11 discussed in this chapter.

12 MS. MARTINEZ NAVEDO: Good morning.

13 CHAIRMAN RAY: Good morning.

14 MS. MARTINEZ NAVEDO: In regards to  
15 Section 8.1, we looked at supplementary item 8.1-1,  
16 and we found that it was properly addressed by the  
17 applicants, and as it had a detailed description on  
18 the interconnection of the Vogtle Units 3 and 4, the  
19 proposed interconnection, with a transmission system.

20 And for supplementary item 8.1-2, we found  
21 that it properly identified all of the additional  
22 information and the regulatory guidance that is stated  
23 in the SRP.

24 Next slide, please.

25 For Section 8.2, for COL item 8.2-1

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 involving the design of the plant switchyard, we found  
2 that it was properly addressed, because it provided us  
3 with a detailed description and the analysis of  
4 transmission line crossings in the site's boundaries,  
5 and it provided us with a conclusion stating that at  
6 least one of the offsite power supplies remain  
7 available to both Units 3 and 4.

8 We had a couple of confirmatory items.  
9 The first one, we have a commitment from Vogtle  
10 stating that they follow the NERC standards in terms  
11 of the switchyard maintenance and testing. And they  
12 will implement a condition monitoring program for  
13 inaccessible cables within their maintenance rule  
14 program.

15 Next slide, please.

16 For supplementary item 8.2-1 through  
17 8.2-6, details of the FMEA, as well as stability  
18 studies, testing and inspection of the switchyard  
19 components and failure modes in general were adequate  
20 per the NRC regulations and regulatory guidance.

21 MEMBER BLEY: Let me ask you a question.  
22 On that last slide, are the requirements that they are  
23 going to meet equivalent to the requirements that have  
24 -- that are now being applied to the license renewal  
25 cases, which is inspect all medium voltage cables, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 think low voltage cables, whether they are powered or  
2 not?

3 MS. MARTINEZ NAVEDO: Yes. The guidance  
4 that you are specifically mentioning, it is -- it was  
5 put together by license renewal for plants that have  
6 been operating for over 40 years. We looked at the  
7 information with NRR, but found that it was not  
8 applicable since these plans are going to be starting  
9 from the zero years, and no degradation is going to be  
10 observed in the cables. However, when the plan  
11 reaches that age, the guidance is going to be looked  
12 at at that point in time.

13 MEMBER BLEY: We are not consistent across  
14 all design centers on this one. I think you guys  
15 ought to start talking to each other a bit. This came  
16 up in another one a couple of weeks ago. So what  
17 cables are they going to -- are going to be included  
18 in this one?

19 MS. MARTINEZ NAVEDO: In this one? This  
20 particular generic letter includes all power cables  
21 for all voltage levels, no control cables, just power  
22 cables. But it includes both the 125, for example,  
23 120-volt AC, through -- all the way through the --

24 MEMBER BLEY: Of what component?

25 MS. MARTINEZ NAVEDO: Yes. The generic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 letter is -- if it's a power cable, it is included  
2 within that -- that specific program.

3 MEMBER BLEY: Whether it's powered or not.

4 MS. MARTINEZ NAVEDO: That's my  
5 understanding.

6 MEMBER BLEY: That is even more broad than  
7 the other one. I'm a little confused now.

8 MEMBER BROWN: I am, too. I mean, are  
9 they -- you said something about 40 years, they will  
10 start doing it later. But are they going to really  
11 start monitoring -- it sounds like they are going to  
12 be monitoring now according to the program you just  
13 talked about.

14 MS. MARTINEZ NAVEDO: Well, the monitoring  
15 for -- that is based on the findings of Generic  
16 Letter 07-01 looks after, for example, moisture in the  
17 mudholes to see if the cables are degrading, but it is  
18 only pertaining to power cables. And that is the  
19 reason -- I mean, that is the specific guidance we  
20 followed.

21 My understanding is license renewals  
22 guidance is still in development, and it was  
23 specifically drafted to observe certain other  
24 criteria, that it's not applicable to new plans,  
25 because they haven't observed degradation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 MEMBER BROWN: I've still lost the bubble.

2 Did you --

3 MEMBER BLEY: I have, too. I thought it  
4 was simple, but now it has gotten confusing for me.  
5 Go back to your last slide, the one that points to reg  
6 guidance. You talked about very -- underground and  
7 accessible cables. Just, once again, tell me what  
8 they are going to do from day one, and what they are  
9 going to do later.

10 MS. MARTINEZ NAVEDO: Under this criteria  
11 on 07-01, all of the power cables are included within  
12 the program.

13 MEMBER BLEY: All of them.

14 MS. MARTINEZ NAVEDO: All levels.

15 MEMBER BLEY: Regardless of voltage.

16 MEMBER SHACK: That are within scope of  
17 50.65.

18 MEMBER BLEY: Yes.

19 MS. MARTINEZ NAVEDO: Correct. And then,  
20 the -- I believe that the criteria being developed by  
21 license renewal will include I&C cables of all voltage  
22 levels and power cables.

23 MEMBER BLEY: Oh, okay.

24 MS. MARTINEZ NAVEDO: It is more -- it is  
25 broader.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: By "low voltage," you  
2 mean --

3 MS. MARTINEZ NAVEDO: 07-01.

4 MEMBER BROWN: -- less than 450 or --

5 MS. MARTINEZ NAVEDO: Correct.

6 MEMBER BROWN: -- 480 volts, or something  
7 like that.

8 MS. MARTINEZ NAVEDO: Correct.

9 MEMBER BROWN: Okay. But -- --

10 MEMBER BLEY: I think I got what you're  
11 doing and I think I'm okay.

12 MEMBER BROWN: I'm still -- I'm not clear  
13 on whether it's, what are you doing from day one? Is  
14 that -- so they're going to be monitoring cables from  
15 day one.

16 MS. MARTINEZ NAVEDO: Correct.

17 MEMBER BROWN: Okay.

18 MEMBER BLEY: Including looking at --

19 MS. MARTINEZ NAVEDO: Right.

20 MEMBER BROWN: That's fine. I understand  
21 that part.

22 MEMBER BLEY: Okay. That's --

23 MEMBER BROWN: I just got the impression  
24 it was what -- we are going to wait for 40 years  
25 before we look at them, or 35 or -- which didn't make

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sense. Okay. Thank you.

2 MEMBER BLEY: Go ahead.

3 MS. MARTINEZ NAVEDO: Under Section  
4 8.2(a), that is the section where we reviewed the  
5 interface requirement, and the applicant has addressed  
6 this properly because they have an ITAAC for the  
7 offsite power system. And that can be found on  
8 Part 10 on Table 2.6.12-1.

9 Next slide, please.

10 For Section 8.3.1(a)(c), power systems,  
11 the staff reviewed all of the information involving  
12 the interface between the transmission system and the  
13 onsite power system specific to the plant. We looked  
14 at the grounding grid system, design and lining  
15 partition, and we found that both of them were  
16 designed per IEEE 80 and 665, and they are in  
17 agreement with the industry practice.

18 For the EDG inspection and maintenance,  
19 including the preventive, corrective, and predictive  
20 maintenance, they also follow the industry standards,  
21 and they were properly addressed. And the periodic  
22 testing of protective devices that provide overcurrent  
23 protection to the penetrations, they followed Reg  
24 Guide 1.63 adequately.

25 Next slide.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 For Section 8.3.2, as the applicant  
2 mentioned, they described the departure in which they  
3 clarify that breakers and fuses are going to be the  
4 current limiting devices that are going to protect or  
5 provide the isolation function for the Class 1E  
6 battery chargers and/or the voltage-regulating  
7 transformers.

8 Any questions?

9 CHAIRMAN RAY: Any other questions?

10 (No response)

11 Thank you very much.

12 MS. MARTINEZ NAVEDO: Thank you.

13 CHAIRMAN RAY: All right. Now, we have  
14 the applicant on Chapter -- no, excuse me, I -- that  
15 finishes Chapter 9. Chapter 8. Now we are going to  
16 go to Chapter 9.

17 I am admonished by Charlie that we are not  
18 to 10:35 yet. So we've got 20 minutes. Does the  
19 applicant want to go forward with Chapter 9, or do we  
20 want to not?

21 MS. AUGHTMAN: I'm sorry. What?

22 CHAIRMAN RAY: Amy, do you want to do  
23 Chapter 9 or not? Do you want to wait?

24 MS. AUGHTMAN: Are we at a break point?

25 CHAIRMAN RAY: We can do it either way?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Huh?

2 MS. AUGHTMAN: Are we at a break point?

3 (Laughter)

4 MEMBER BLEY: Are we at a break point?

5 CHAIRMAN RAY: We can be, yes. And we  
6 will be happy to take a break now.

7 MS. AUGHTMAN: Yes, we would like to take  
8 a break.

9 CHAIRMAN RAY: All right. Fifteen minutes  
10 to 10:25.

11 (Whereupon, the proceedings in the foregoing matter  
12 went off the record at 10:08 a.m. and went  
13 back on the record at 10:25 a.m.)

14 CHAIRMAN RAY: We may begin.

15 MR. SPARKMAN: All right. Thank you, once  
16 again, for having us here. Chris Cummins, are you on  
17 the phone?

18 (No response)

19 CHAIRMAN RAY: Do we have to open the  
20 phone line so they can talk?

21 MR. WANG: It's up to -- do you want to --

22 CHAIRMAN RAY: Yes, he's trying to talk to  
23 Ed. He's trying to summon a voice from the --

24 MR. CHRIS CUMMINS: Yes. Yes, I'm here.

25 CHAIRMAN RAY: Oh, here we go.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SPARKMAN: Great. All right. Just  
2 wanted to make sure you were available if questions  
3 come up.

4 We have discussed Chapter 9 once before.  
5 I believe it was in February of this year. And so I  
6 am going to cover some items that were not covered at  
7 that time. One of the items that is not actually in  
8 this presentation but I will just briefly discuss is  
9 the departure in Chapter 9, which is departure 9.2-1.

10 Amy discussed the fact that I would talk about it.

11 It is not a significant departure. The  
12 DCD talks about the potable water system, says that we  
13 will have a filtrated water source. For Vogtle site,  
14 the potable water system source is from the well water  
15 system, and so it is sufficiently clear and clean that  
16 you do not have to have filtration. So the departure  
17 says our source is not filtrated, and that -- so  
18 that's basically it.

19 We did talk about the standard information  
20 in February, and so we are going to focus in on  
21 primarily the raw water system in terms of systems  
22 today.

23 SER open items that were closed in the  
24 AFSER. Open item 9.1-1 on metamic monitoring program.  
25 I've got another slide. I'll talk about that next.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 I don't have any additional slides on 9.1-2, -3, or  
2 -4, because for the light load handling system and  
3 overhead heavy load handling system basically the only  
4 thing that was required in those open items was a  
5 commitment for implementation and inspection of these  
6 two programs. And we put those commitments into our  
7 FSAR, and that was satisfactory to the staff to close  
8 those open items.

9 The metamorphic monitoring program. The staff  
10 did request some additional information. We had some  
11 information in the FSAR, but they wanted some  
12 additional information, which we revised to include --  
13 which included verification of continued presence of  
14 on beyond -- via neutron attenuation measurement,  
15 monitoring for unacceptable swelling, and then  
16 monitoring for degradation, such things as bubbling,  
17 blistering, cracking, weight loss measurements and/or  
18 visual examination.

19 And then, COLA Part 10 was also revised to  
20 include license condition 2, item 9.1-7, for  
21 implementation of this program prior to commercial  
22 operation.

23 Water systems. Like I said, the one  
24 system that we would like to discuss briefly today is  
25 the raw water system. The raw water system is made up

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 of two subsystems, river water and well water. The  
2 river water subsystem is -- the source of that system  
3 is the Savannah River, which is right next to the site  
4 there, and it provides makeup water that circulates in  
5 the water system, cooling tower basins, and dilution  
6 for Units 3 and 4 blowdown sump.

7 It is not a potential flow path for  
8 radioactive fluids. There is a fairly detailed  
9 discussion of that in the FSAR. It provides alternate  
10 source of dilution for rad waste discharge when CWS is  
11 not in use.

12 The well water subsystem includes features  
13 to ensure redundancy and reliability as a source of  
14 makeup to the service water cooling towers and also  
15 provides makeup water for the fire protection system.

16 CHAIRMAN RAY: What does the phrase "not a  
17 potential flow path for radioactive fluids," what does  
18 that mean?

19 MR. SPARKMAN: Basically, that there is  
20 not a connection to a system where radioactive fluids  
21 could get into a system, is the bottom line.

22 CHAIRMAN RAY: Speaking of the subsystem,  
23 river water subsystem.

24 MR. SPARKMAN: That's correct.

25 The RWS serves no safety-related function,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 and, therefore, has no nuclear safety design basis.  
2 Additional information was requested and responded to  
3 to discuss the failures that will not adversely affect  
4 SSCs that are safety-related or designated RTNSS.

5 The RWS was designed to be a highly  
6 reliable and robust system capable of operating during  
7 loss of normal alternating current, provide RWS makeup  
8 flow under normal and abnormal conditions. There are  
9 redundancy in pumps and valves and piping, such that  
10 it is highly reliable, but it is not RTNSS nor safety-  
11 related.

12 Okay. And, again, it was -- the RWS  
13 system was evaluated per WCAP-15985, and it was  
14 evaluated that it does not, again, provide any RTNSS  
15 systems. And this, to address your question, is  
16 contamination of the RWS piping is not credible based  
17 on the RWS design, and the configuration relative to  
18 potential sources of contamination. So there are no  
19 unique design provisions or other features that are  
20 required for RWS to comply with 10 CFR 20.1406.

21 And that is all I had on Chapter 9. Are  
22 there any questions?

23 MEMBER ARMIJO: Just a technical question,  
24 and maybe Westinghouse can answer. What is a volume  
25 fraction of loading of boron carbide in your metamic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 plates?

2 MR. SPARKMAN: If you could repeat that  
3 question. Chris Cummins is on the phone. I think  
4 he --

5 MEMBER ARMIJO: Yes. What is the volume  
6 fraction of boron carbide in the metamorphic material?

7 MR. CHRIS CUMMINS: It is specified,  
8 actually, by weight percent. And the weight percent  
9 of boron carbide is approximately 32 percent by  
10 weight, and then the remainder would be aluminum.

11 MEMBER ARMIJO: By weight, okay. So is --  
12 are all these -- are all the particles surrounded by a  
13 continuous aluminum phase?

14 MR. CHRIS CUMMINS: Yes.

15 MEMBER ARMIJO: Okay. And this is a --  
16 all right. That's a bigger loading than I thought,  
17 but anyway, so the -- so just trying to make sure that  
18 -- you don't have porosity in this material, as I  
19 understand it.

20 MR. CHRIS CUMMINS: It has got a very low  
21 porosity, correct.

22 MEMBER ARMIJO: Okay. All right. And,  
23 yes, I reviewed the program, but it is a pretty  
24 comprehensive monitoring program, and other people are  
25 doing it, using this material. By the time you are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 operating there will be a lot of experience with it,  
2 so --

3 MR. CHRIS CUMMINS: Yes. Metamic is in  
4 use currently in the existing fleet of reactors.

5 MEMBER ARMIJO: Yes.

6 MR. CHRIS CUMMINS: In the spent fuel  
7 pool.

8 MEMBER ARMIJO: Okay. Yes, that's all I  
9 had. Thank you.

10 MEMBER BLEY: Just to refresh my memory,  
11 raw water is essentially used to fill and top off  
12 important systems, but it is not needed during  
13 operation. Is that --

14 MR. SPARKMAN: Well, it is needed during  
15 operation in terms of for that purpose, but it is not  
16 required to --

17 MEMBER BLEY: In the short term.

18 MR. SPARKMAN: In the short term, yes.

19 CHAIRMAN RAY: Thank you.

20 MR. SPARKMAN: Okay. And there was a  
21 question about cyber security and the TSCD. Do you  
22 want to cover that now, or do you want to wait until  
23 after the staff presents Chapter 9, or --

24 CHAIRMAN RAY: Well, I think because of --  
25 we are going to wait until after staff presents

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Chapter 9, Wes, and be done, then, with all of the  
2 chapters, because there is cyber security and perhaps  
3 other things we can then move into.

4 MR. SPARKMAN: Okay.

5 CHAIRMAN RAY: I don't want to leave it  
6 dangling out there. Let's go ahead and finish  
7 Chapter 9 with the staff, and then we will talk about  
8 cyber security and anything else you want to address  
9 at this time.

10 MR. SPARKMAN: All right.

11 (Pause)

12 MS. SIMMS: Hi again.

13 CHAIRMAN RAY: Hello.

14 MS. SIMMS: For the Chapter 9 Vogtle COL  
15 application, this chapter was a collaboration of nine  
16 chapters and 20-some reviewers. Today we will have  
17 Mr. Larry Wheeler provide you with the site-specific  
18 information for the Vogtle Chapter 9 section.

19 When Chapter 9 -- you can go to the next  
20 one -- was previously presented to the ACRS, it was  
21 under Bellafonte as the reference COLA, and there were  
22 four open items, which you have already basically seen  
23 from the applicant that was addressed. And today I am  
24 just going to provide you with a resolution for those  
25 four open items.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           For the metamorphic monitoring -- for the  
2 monitoring program, the applicant just needed to  
3 provide the staff with more information to give us  
4 some assurance about the information that they are  
5 going to have inspected for this program. And they  
6 provided a license condition to ensure that the  
7 monitoring program information will be available to  
8 the staff prior to the plant operation.

9           Next item.

10           For open item 9.1-2 on the in-service  
11 inspection and light load handling system, we just  
12 needed more detailed information about what procedures  
13 they were going to follow. And they provided clarity  
14 in that through the commitment that is currently  
15 inside of their FSAR. That will be -- that is  
16 available -- that their inspection will take place  
17 prior to the receipt of the fuel onsite.

18           Next one.

19           For open items 9.1-3 and 9.1-4, I just  
20 sort of put those together as dealing with the plant  
21 inspection program and the overhead heavy load  
22 handling system, and the commitment was still the same  
23 that was necessary for both of them, what detailed  
24 information that you are going to provide for the  
25 procedures and the system inspections that you are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 going to do for those programs. And they have made  
2 the commitment, which is currently in the FSAR, that  
3 will be implemented prior to receipt of the fuel  
4 onsite.

5 For -- you can go to the next one -- the  
6 raw water prescription portion, that will be provided  
7 to you by Mr. Larry Wheeler for the staff's review.

8 MR. WHEELER: Good morning. Parts of this  
9 slide were previously described by the applicant. But  
10 to emphasize, raw water system is non-safety-related,  
11 is non-seismic. Raw water system provides makeup to  
12 the service water cooling towers.

13 Availability controls, 2.4, exists for the  
14 service water system for modes 5 and 6. Raw water  
15 system consists of a shared well water system for  
16 Units 3 and 4. It includes two deep well makeup  
17 pumps, underground HDPE piping, 300,000-gallon storage  
18 tank, four well water transfer pumps, the well water  
19 pumphouse. Diesel supports the well water makeup  
20 pumps and the transfer pumps.

21 Well water subsystem has redundancy,  
22 300,000-gallon storage tank. Pumps are diesel backed.  
23 The well water subsystem pumps well exceed the  
24 service water basin makeup requirements. There are --  
25 the well water pump -- makeup pumps are at 1,500 gpm,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and the well water transfer pumps are -- four at 750  
2 gpm.

3 Reliable materials are being considered a  
4 system with industry good practices. Well water is  
5 non-radioactive. Contamination is not credible due to  
6 its configuration relative to the potential sources of  
7 contamination.

8 The staff's review summary. GDC 2 and 4  
9 have been satisfied. Failure of the raw water system  
10 and its components will not affect the ability of any  
11 risk-significant system to perform their intended  
12 safety function. Failure of raw water components will  
13 not affect any RTNSS systems. Staff concludes that  
14 raw water system meets all applicable regulations and  
15 is considered highly reliable to support cold  
16 shutdown.

17 And for show and tell I did bring a piece  
18 of HDPE for the members who have not seen this  
19 material for -- to be proposed for the raw water  
20 system. If you want, I can just pass this around.

21 CHAIRMAN RAY: Sure.

22 MEMBER BLEY: That's piping material?

23 MR. WHEELER: This is the HDPE, which is  
24 being proposed for the raw water system.

25 MEMBER SHACK: And the diameter and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 thickness of that is?

2 MR. WHEELER: What is being proposed for  
3 the raw water system I believe is eight inch, six  
4 inch, and two inch of underground HDPE. This is a  
5 relatively large piece of pipe, probably around 48  
6 inch in diameter with a wall thickness of about an  
7 inch and a half, inch and three-quarters.

8 As you can see, what that piece really  
9 represents is two pieces of HDPE that are fused  
10 together in a bead on the outside as part of that  
11 fusing process. And if you look very closely, or try  
12 to look very closely, at the fuse joint, it is fused  
13 together. You can't really see, you know, the two  
14 pieces that were joined together.

15 MEMBER BROWN: While they're looking, can  
16 I ask you an information question?

17 MR. WHEELER: Yes.

18 MEMBER BROWN: How often is it expected to  
19 have the makeup system, the makeup water have to make  
20 -- how often are you going to have to use this to make  
21 up water in the circulating CWS system? If that's  
22 what it's used for, so --

23 MR. WHEELER: Could you repeat the  
24 question? Are you talking about the makeup to circ  
25 water, or are you talking about the makeup to service

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 water?

2 MEMBER BROWN: I don't know. I'm not even  
3 sure which one I'm asking about. But how often do you  
4 have to use it? You said it's reliable, but it's --

5 MR. WHEELER: This would be continuously  
6 in service.

7 MEMBER BROWN: Oh, okay.

8 MR. WHEELER: At least for the service  
9 water. I can't really talk about the circ water, but  
10 for service water we are in the neighborhood of about  
11 500 to 1,000 gpm makeup --

12 MEMBER BROWN: Okay. So it's continuous.

13 MR. WHEELER: -- that would be required  
14 during a unit trip.

15 MEMBER BROWN: Okay.

16 MR. WHEELER: If both units were to trip,  
17 you would need about 1,500, 1,600 gpm to support the  
18 service water systems for both units. So this would  
19 be continuously in service, and that is why, from a  
20 reliability standpoint, diesel-backed components were  
21 desirable.

22 MEMBER BLEY: Well, I think it would help  
23 Mr. Brown if you told him that -- if you have a  
24 shutdown event, and you have no more raw water for a  
25 while, how long the service water pond lasts.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: Yes, that was relatively --

2 MEMBER BLEY: That's his question. I  
3 think that's what your --

4 MEMBER BROWN: Yes. How long -- how  
5 long --

6 MR. WHEELER: As part of the DCD, the  
7 AP1000, there is a built-in water supply in the basins  
8 of the service water towers themselves. That, coupled  
9 with the fire protection tank, gives you about 24  
10 hours of reliable water for the service water system  
11 for shutdown condition.

12 Now, past 24 hours, the raw water system  
13 should be available to supply that makeup system, but  
14 that was part of the DCD, to make sure there was about  
15 24 hours of water supply outside of what the COL has  
16 to supply.

17 MEMBER BROWN: And the wells have enough  
18 capacity to -- I mean, in terms of --

19 MR. WHEELER: The well pumps, I think I  
20 said they were 1,500 gpm.

21 MEMBER BROWN: I don't remember. One was  
22 750, and the other one was 1,500.

23 MR. WHEELER: The 750s were the transfers  
24 and the wells are 1,500.

25 MEMBER BROWN: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WHEELER: So, yes, you just -- you  
2 would just need one --

3 MEMBER BROWN: Not a problem with water  
4 underground to being able to bring it up at that flow  
5 rate.

6 MR. WHEELER: That is outside my  
7 expertise. That would be --

8 MEMBER BROWN: I presume it is okay.  
9 That's --

10 MR. WHEELER: That would be something that  
11 would be evaluated in Chapter 2.

12 MEMBER BROWN: Pardon? In Chapter 2,  
13 okay. All right. That's it. That just was  
14 information for me. That's all.

15 MEMBER BLEY: We came up with a question,  
16 but I think in one of the license renewals we saw some  
17 pictures of how they actually fused this. And, as I  
18 recall, there is some large machine that actually  
19 heats it and clamps it and --

20 MR. WHEELER: I went to a one-week  
21 presentation at EPRI on HDPE, and they essentially  
22 have a machine for what the applicant would use for an  
23 eight-inch pipe. It would be on a small cart about  
24 half the size of this desk, and what they would do is  
25 they would bring in one of the pieces of pipe from one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 side one of the pieces from the other side. It would  
2 bring those together, and there would be a heating  
3 plate that would actually heat the ends of -- both  
4 ends.

5 The would pull the heating plate out, then  
6 bring the two pieces together, and then they would  
7 apply pressure from both ends, and after about two  
8 minutes that joint would be fused together and you  
9 would release the pressure and you would have a fused  
10 joint.

11 MEMBER BLEY: All the fusing we see here  
12 happens from heat that is stored in there from this  
13 pipe before they are shoved together.

14 MR. WHEELER: That's correct.

15 MEMBER BLEY: That's interesting.

16 MS. SIMMS: Are there any other questions?

17 MEMBER ARMIJO: Yes, I had -- I would like  
18 to ask the staff the same question I asked the  
19 applicant. On the volume fraction of boron carbide in  
20 the metamic, they told me there is 32 weight percent  
21 boron carbide in this aluminum matrix, so that is a  
22 very large volume fraction. Surprisingly high.

23 And the question I would like to ask the  
24 staff, is there a limit on the amount of boron carbide  
25 loading that is --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. SIMMS: The reviewer for that section  
2 is not present today. I would have to get with staff  
3 and have them get you an answer for that at a later  
4 time.

5 MEMBER ARMIJO: Yes, I would just like to  
6 know that. Or if there is a document that the staff  
7 has approved on the -- on metamic, if you could just  
8 give me a copy of that. This is more of a generic  
9 question, not related directly to --

10 MS. SIMMS: Well, I will contact that  
11 branch.

12 MEMBER ARMIJO: Thank you.

13 MS. SIMMS: Another question?

14 MEMBER BROWN: Yes, I had one other.  
15 After they do the fusing, can it be inspected? Is  
16 there an NDE, non-destructive test procedure that  
17 allows you to determine that you had complete fusing  
18 throughout the circumference and --

19 MR. WHEELER: For a non-safety  
20 application, and I did -- in part of the EPRI seminar  
21 that I went to, there is what they call a data logger.

22 The data logger would actually be running the entire  
23 time that you are doing the fusing process. So it is  
24 going to be looking at the heat of this plate to make  
25 sure it is within its requirement or range, and they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 are going to be looking at the amount of pressure that  
2 is being applied from both ends.

3 And the only NDE is really a visual  
4 examination, and that is looking at the outside of the  
5 beads to make sure that they are properly contoured.

6 MEMBER BROWN: So it's a process control  
7 issue there.

8 MR. WHEELER: Yes, it's a process control.  
9 And I'm not sure to what extent the applicant is  
10 planning on using -- using the data logger for non-  
11 safety application.

12 There is a code case that is presently  
13 being reviewed for safety-related applications, and  
14 the NDE is much more extant for safety-related  
15 applications, and that is still being reviewed.

16 MEMBER BROWN: Thank you.

17 CHAIRMAN RAY: All right. Hearing nothing  
18 else, thank you very much.

19 MS. SIMMS: Thank you.

20 CHAIRMAN RAY: All right. Now, I think we  
21 have concluded, then, review of all of the SER  
22 chapters, now characterized as the AFSER. And we are  
23 prepared to proceed with closure or follow-up items.  
24 And we will do that for the COL, because at the end of  
25 our agenda we will transition back away from the COL

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to a discussion that pertains to the DCD having to do  
2 with aircraft impact, because we have not yet written  
3 the letter on aircraft impact.

4 And so we are basically talking about two  
5 different separate things here today. One is the COL  
6 letter for Vogtle, and the R-COLA letter, and the  
7 other one will be on aircraft impact. So I want to  
8 make a distinct separation between those two things.

9 And with that in mind, then, we will  
10 invite Southern Nuclear to respond with any of the  
11 items that we left for further discussion, in whatever  
12 order they want to, except that staff has asked,  
13 because of their other requirements, that we take up  
14 cyber security first.

15 MR. SPARKMAN: All right. Just a couple  
16 of things I want to discuss about cyber with  
17 relationship to the TSC. Hopefully, this will address  
18 your concerns.

19 The first thing to discuss is the reality,  
20 the fact that the cyber security plan is what has been  
21 submitted to the NRC staff, not the program. The plan  
22 is required by the rule, and it has been submitted to  
23 the staff. We have an advance final SER on that, and  
24 then we will develop a program in the future based on  
25 that plan.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RAY: What is the scope that it  
2 covers?

3 MR. SPARKMAN: The rule is only required  
4 to cover systems that -- digital systems that are  
5 important for safety, security, or emergency  
6 preparedness.

7 CHAIRMAN RAY: Okay. And that set of  
8 things doesn't have a fixed --

9 MEMBER BROWN: What was that again,  
10 Harold? That --

11 CHAIRMAN RAY: It doesn't have a fixed  
12 definition. What he just said isn't a defined set,  
13 except as it is defined by --

14 MR. SPARKMAN: By the rule.

15 CHAIRMAN RAY: Defined by the rule?

16 MR. SPARKMAN: Well, it is stated in the  
17 rule.

18 CHAIRMAN RAY: I know. But my point is  
19 what then is required to be included is something that  
20 you have to interpret.

21 MR. SPARKMAN: That is correct. Now,  
22 there are definitions of safety-related components  
23 that are in the regulations.

24 CHAIRMAN RAY: That's right.

25 MR. SPARKMAN: Security and those kind of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 things. So but, yes, part of the plan was -- and that  
2 was one of the items that we discussed yesterday with  
3 respect to using the licensing basis as a foundational  
4 starting point to define those systems and those  
5 components.

6 MEMBER BLEY: Going further on Harold's  
7 question, I can see logical technical reasons to call  
8 the TSC something important to safety or even  
9 security. I can see legal arguments to say it is not.

10 Is it? Does it fall under the rules we are talking  
11 about here, in your opinion?

12 MR. SPARKMAN: The TSC does fall under the  
13 rules with respect to emergency planning.

14 MEMBER BLEY: Okay.

15 MR. SPARKMAN: But not safety nor  
16 security.

17 MEMBER BLEY: But emergency planning is  
18 one of the things flagged in the --

19 MR. SPARKMAN: In the rule, that's  
20 correct.

21 MEMBER BLEY: -- in the rule.

22 CHAIRMAN RAY: Okay. But now let's, then,  
23 distinguish here -- and I say this for primarily  
24 Charlie -- emergency planning does not include plant  
25 operation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SPARKMAN: That's correct.

2 CHAIRMAN RAY: Emergency procedure  
3 implementation is not part of emergency planning, and  
4 I'm saying that as in the form -- intending it as in  
5 the form of a question. I believe that to be true.

6 MR. SPARKMAN: That is true.

7 CHAIRMAN RAY: All right. So when we talk  
8 about emergency planning, then, we are talking about  
9 something that doesn't have to do with how the plant  
10 is operated. That falls under emergency procedures.

11 MR. SPARKMAN: That is correct.

12 CHAIRMAN RAY: All right.

13 MR. SPARKMAN: Okay? Again, so this  
14 program will be developed in the future based on this  
15 plan. As part of the plan, we did do an initial  
16 binning or determination of certain systems, and the  
17 TSC was one of those systems.

18 Something that was discussed yesterday  
19 about I think a business network --

20 MEMBER BROWN: Yes, that was just --  
21 somebody brought it up after we finished and were  
22 discussing it, and they told me that. I didn't --

23 MR. SPARKMAN: Right.

24 MEMBER BROWN: -- invent this.

25 MR. SPARKMAN: I know. I know.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: I'm capable of doing that,  
2 but I --

3 (Laughter)

4 -- didn't in this circumstance.

5 MR. SPARKMAN: In this case, you did not  
6 do that.

7 MEMBER BROWN: No, no.

8 MR. SPARKMAN: Okay. One of the things we  
9 wanted to talk about was just as a point of  
10 clarification. Within the plan, there are four levels  
11 of security that are identified, with Level 4 being  
12 the highest level, Level 1 being the lowest level  
13 within the plan of those critical digital assets that  
14 are covered by the plan.

15 The TSC has been binned as being in  
16 Level 2, which is not the lowest level but one up from  
17 that in terms of protection. And one of the things we  
18 want -- and that is with respect to TSC data like the  
19 screens, things that would be up on the screens.

20 One of the things we want to talk about  
21 with respect to the TSC is kind of what the function  
22 is. You know, you talked about safety or security and  
23 emergency preparedness. Basically, the TSC, once the  
24 responsibility is turned over from the control room to  
25 the TSC, they are responsible for notifications to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 offsite agencies, providing protective action,  
2 recommendations, determination of emergency  
3 classifications, and assistance to the plant staff for  
4 technical issues.

5 Now, no decisions are actually made in the  
6 TSC without prior consultation with the control room,  
7 and also with the EOF if the EOF is operational at  
8 that point. And at some point, a lot of the things  
9 that the TSC is doing in the EOF takes over.

10 But those were a couple of items that I  
11 just wanted to make sure that were understood, that in  
12 the data that is transferred it is protected at a  
13 higher level than just out in the world. And the data  
14 that is received and viewed at the TSC and the EOF, we  
15 would not utilize that data to make a unilateral  
16 decision based on that data alone.

17 Anything that we would see there we would  
18 confirm with the site or the EOF, and there would be  
19 consultation to make sure that what we were seeing  
20 they were seeing, they agree with what our  
21 recommendations were, and I hope that that addresses  
22 some of your concerns.

23 CHAIRMAN RAY: Well, let me intervene  
24 here. I think what you say is certainly true. But in  
25 listening -- that's why I said I was a little

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 surprised in what the consultant to the staff was  
2 saying. I was running a plant at the time of TMI, and  
3 afterward, too. So I know something about what the  
4 TSC does and doesn't do.

5 But the implication was that the TSC could  
6 give information to the control room that they would  
7 act upon, which was flawed, contaminated, wrong,  
8 because of the lack of cyber security in the TSC  
9 itself. That is the implication, right?

10 MR. SPARKMAN: That's the implication.

11 CHAIRMAN RAY: But what you have just said  
12 is, no, that nobody is going to, in the TSC, tell the  
13 control room what to do based on information the TSC  
14 has. But it is sort of nuanced, you have to admit,  
15 because you said they would consult, and so on and so  
16 forth.

17 So the real issue I think at hand here is,  
18 what does this Level 2 do in terms of what level --  
19 what concern should we have that it might be  
20 compromised in terms of the information that it has,  
21 because it is better not to get into a debate over  
22 whether the control room is going to do what the TSC  
23 recommends or not. That, as I say, is sort of a  
24 nuanced issue. The TSC was created in order to assist  
25 the control room, as you said.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SPARKMAN: Right.

2 CHAIRMAN RAY: And, well, what does  
3 "assist" mean, and what if they are relying on bum  
4 data, and so on. That is a discussion that God knows  
5 how it will ever get resolved. But it would be better  
6 if we were comfortable with the idea that the TSC  
7 isn't going to have bad data to start with.

8 So can we -- I don't know whether in this  
9 session we can or can't get a better idea of what  
10 Level 2 does.

11 MR. SPARKMAN: Well, in terms of technical  
12 details of Level 2, like I said, we have a plan. We  
13 don't have a program of all of the details established  
14 yet, and so I am not prepared to discuss significant  
15 details going much further than what I have just  
16 discussed.

17 CHAIRMAN RAY: What does Level 2 -- what  
18 is the definition of it? Is there a simple statement  
19 that describes Level 2 in your plan or in an industry  
20 document or something?

21 MR. SPARKMAN: Well, we have our plan,  
22 which describes -- well, actually, that doesn't  
23 describe the levels.

24 CHAIRMAN RAY: Does it even say what  
25 Level 2 means, or is that all it -- just Level 2,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 period, that's it?

2 (Laughter)

3 Nothing more?

4 MR. FLOWERS: This is James Flowers from  
5 Southern Nuclear. The reg guide actually describes  
6 the four levels and --

7 CHAIRMAN RAY: Yes. That's what I  
8 thought.

9 MR. FLOWERS: -- and so the reg guide is  
10 what we are following in that particular case. And  
11 Level 2 is not an unprotected network. It does have  
12 -- it does have cyber security protection on it. It  
13 is just not to the level that is for a Level 3 or a  
14 Level 4 system.

15 So, again, if you go back and look at the  
16 levels, Level 2 does have protections on it, and it is  
17 a fairly reliable network. We are not going to go say  
18 it is highly reliable, because then experts will say,  
19 "Well, it is not as high as Level 3 or Level 4." It  
20 is certainly not the internet, and it is certainly not  
21 a private home network. It is a very reliable and  
22 protected network used within the company.

23 CHAIRMAN RAY: Well, we heard said  
24 reference to things like encryption and validation and  
25 all that kind of stuff, as if those were attributes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that you could associate with some levels and not with  
2 others. Can you add to -- can you use any of those  
3 words when you apply it to Level 2?

4 MR. FLOWERS: I don't think we can use  
5 that at this point, again, because what we have been  
6 asked to do is provide a plan that had the  
7 programmatic elements in it, just like the NRC staff  
8 has stated, that we have to provide the programmatic  
9 elements at this point, and then we can go define all  
10 of the specific technical issues or technical controls  
11 at this point.

12 Until we do that, we cannot say that it  
13 does have the encryption on it or it will not have --  
14 or it will or it will not have encryption on it.

15 CHAIRMAN RAY: All right. Wes, go ahead  
16 with whatever you wanted to -- complete whatever you  
17 wanted to say.

18 MR. SPARKMAN: Well, I think that does  
19 complete the presentation or the discussion that I had  
20 in mind, unless there are other questions that you  
21 have.

22 CHAIRMAN RAY: Well, I think that -- you  
23 know, I would just summarize it, again, to say that  
24 the problem that we are going to wrassle with here --  
25 I don't know how much we are going to wrassle with it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 -- but we are going to wrassle with is the one that is  
2 implicit in your description of what the TSC does  
3 relative to the control room.

4 And I'm not sure that anybody has really  
5 tried to parse that before. That is to say that maybe  
6 they have in this reg guide, but what we heard here  
7 this morning from staff was sort of perplexing in  
8 terms of what conclusion you would draw from it.

9 MR. SPARKMAN: Right. It was somewhat  
10 perplexing to us as well. I think the takeaway that I  
11 received from the staff was more a matter of the rules  
12 and regulations require certain evaluations to be  
13 done. And if through that evaluation process you  
14 determine that a particular -- that from point A to  
15 point B you've got a certain level, then you want to  
16 make sure that it maintains that throughout.

17 And I think that there were some things  
18 that were started earlier that could be interpreted to  
19 say it has been defined at a particular level, and I  
20 think that that was -- that it was more of a -- and I  
21 can allow the staff to speak to this, but my  
22 interpretation of that was it was more of a generic  
23 statement.

24 If you determine that this is the level,  
25 then you protected this, not specifically saying the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 TSC will be at that level.

2 MEMBER BROWN: The reg guide doesn't talk  
3 about the TSC.

4 MEMBER BLEY: What the reg guide says -- I  
5 just pulled it up -- just for everybody for a real  
6 simple view -- Level 3 and Level 4 do not receive from  
7 any level lower than themselves. Level 2, which is  
8 corporate owner control, does in fact receive from  
9 both Level 3 and 4, and it receives from the corporate  
10 level, which is the level above it.

11 So the big difference between 2 and 3 and  
12 4 is 2 can receive incoming communications from less  
13 protected networks.

14 MEMBER BROWN: From Level 1.

15 MEMBER BLEY: Level 2 -- Level 1 and  
16 Level 0, yes. Well, through Level 1.

17 CHAIRMAN RAY: Well, just now on what you  
18 said, I -- as I said the first time around, take for  
19 granted that the TSC can't send bad data to the plant.

20 MEMBER BLEY: By design and by the  
21 definition.

22 CHAIRMAN RAY: Absolutely. I mean, it --  
23 Charlie said, well, maybe we shouldn't take it for  
24 granted, but I take it for granted that that --

25 MEMBER BROWN: Well, it's set up that way.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I didn't mean to imply otherwise.

2 CHAIRMAN RAY: But the issue at hand is  
3 whether the input that they give orally, or by  
4 whatever -- e-mail, whatever means they have to  
5 communicate with the control room, whether that is  
6 somehow another way to get Level 2 information into --  
7 and I appreciate the reg guide doesn't deal with this  
8 issue, okay?

9 So it boils down to, well, if the -- if  
10 the control room gets input from the tech support  
11 center which is based on bum data, can they recognize  
12 it and tell the TSC to go pound sound if they are not  
13 going to do it? And I honestly haven't a clue. I  
14 don't know.

15 MR. SPARKMAN: The information that is in  
16 the control room should be the same as the information  
17 that is seen in the TSC and in the EOF. And if there  
18 is a discrepancy when you are having that  
19 conversation, that would be --

20 CHAIRMAN RAY: Yes. That's what I meant  
21 by, can the control room discern that there is a  
22 discrepancy? Are they going to check orally the way  
23 you do -- the way the computer does when it does self-  
24 checking? I don't know.

25 In any event, I don't want to continue

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this too long beyond what is necessary just to define  
2 what we are talking about, because it seems to me that  
3 the issue at hand is -- goes to the understanding of  
4 what is the role of the TSC, and what if it has  
5 contaminated information as a result of this potential  
6 that one could gain access to a Level 2 system and  
7 contaminate the system somehow from the outside, from  
8 a Level 0 or a Level 1 system and thereby cause the  
9 TSC to give bad information to the control room.

10 I have never heard anybody talk about that  
11 in my years at this business. So it sounds like sort  
12 of a philosophical question that I don't want to try  
13 and pursue. But as soon as I heard what I heard this  
14 morning from the staff, I thought this doesn't sound  
15 like anything I heard before. And so that's what I  
16 was concerned about.

17 MEMBER BROWN: One point on that is that,  
18 you know, if you do have the contaminated data and the  
19 TSC thinks they are seeing good stuff, and the other  
20 one they're consulting, as you said, they are talking  
21 to each other, but that delays decisions and could  
22 delay critical decisions if -- while they sort it out  
23 if nothing else.

24 And so there is -- you're right. That is  
25 why you would like to have the reliability level of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the data that the TSC is looking at to be similar to  
2 what you have in the plant.

3 CHAIRMAN RAY: Well, but the problem with  
4 that is, Charlie, that as he enumerated the functions  
5 of the TSC, three out of the four of them have to do  
6 with dealing with the outside world, not with the  
7 control room.

8 MEMBER BROWN: I understand that. I mean,  
9 I --

10 CHAIRMAN RAY: Well, if you understood it,  
11 let me say it anyway.

12 (Laughter)

13 And, therefore -- well, Charlie, goodness,  
14 gracious.

15 MEMBER BROWN: I'm listening, I'm  
16 listening, I'm listening.

17 CHAIRMAN RAY: Because the TSC has to  
18 communicate with the outside world, it inherently has  
19 a problem with protecting the data in the TSC to the  
20 level that the control room data is protected, because  
21 it has a -- it gets information and sends it on to the  
22 EOF and other places.

23 MEMBER BROWN: Okay. The point being is  
24 that you can have data going from every place else,  
25 from the plant data information come in separately

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 from those communications, from the TSC to the outside  
2 world. They don't have to be on the same network for  
3 one thing. That separates that problem and gets rid  
4 of it.

5 We had the same problem on the carriers  
6 when we got a central control station and a propulsion  
7 plant watch off -- I mean, an enclosed operating  
8 station. And we dealt with that in two different  
9 ways. One, they can fight with each other, or you  
10 vest the final decisions in the enclosed operating  
11 station, because they're in the plant.

12 So I'm just -- all I'm doing is just  
13 raising the point that there are ways to deal with it.

14 They have identified it at Level 2, which allows them  
15 to go on the business network. There is a way not to  
16 do that by having the critical data be on a separate  
17 network separate from the -- you know, for the plant  
18 information, and then still have a communications  
19 network that -- to go out to the outside world. They  
20 don't have to be tied together in NICs. That's the  
21 point. I'll stop right there.

22 CHAIRMAN RAY: Yes. No, I understand it.

23 So we will end the discussion here now, because I do  
24 think the understanding is as much as it needs to be.

25 Okay. Now, we had other things to talk

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about. Do you want to take them up now?

2 MR. SPARKMAN: Yes. Eddie, do you want to  
3 go ahead and talk about squib valves?

4 MR. GRANT: Yes.

5 (Pause)

6 CHAIRMAN RAY: Okay. Now I'm going to ask  
7 you to do one thing for me. Okay? I want to try and  
8 separate the discussion of qualification from in-  
9 service inspection and IST. Now, what makes that a  
10 little tough is that in the context of discussing  
11 qualification we were also informed about some things  
12 in the DCD context that would be part of ISI, and so  
13 that makes the picture a little muddy in that regard.  
14 But with that foundation, let's allow you to proceed.

15 MS. AUGHTMAN: Maybe while he is passing  
16 those out, with that list I guess of -- so I will just  
17 go through the order of the actions we are planning to  
18 present.

19 CHAIRMAN RAY: Go through the order of  
20 what, Amy?

21 MS. AUGHTMAN: The list of actions we are  
22 planning to present.

23 CHAIRMAN RAY: Okay. Sure.

24 MS. AUGHTMAN: We've got several. So the  
25 first one we are actually planning to cover is action

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 item number 64 on the hydrogen truck.

2 CHAIRMAN RAY: Yes, the hydrogen trucks,  
3 correct.

4 MS. AUGHTMAN: And then we were going to  
5 do squib valves.

6 CHAIRMAN RAY: All right.

7 MS. AUGHTMAN: And then address the gas  
8 accumulation actions in the COLA, and then debris  
9 limits as it relates to tech specs, and then, finally,  
10 the last COLA action would be the shield building  
11 inspections for the coatings on the shield building.

12 CHAIRMAN RAY: Okay.

13 MS. AUGHTMAN: And then we would turn it  
14 over to Westinghouse to come back and address the  
15 screens on the weir from yesterday.

16 CHAIRMAN RAY: Yes. All right. Now,  
17 understand we have -- the screens on the weir is part  
18 of the design certification. That is gone. The only  
19 issue for a COL is, given that there are screens  
20 there, what are the implications? That is at least  
21 where I am coming from. And I have another question  
22 for the staff, which is, did you guys review the  
23 existence of the screens? But, you know, I just -- I  
24 don't want to go back and revisit something that has  
25 been done.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 All right. Fine, proceed.

2 MR. GRANT: All right. We would like to,  
3 as she indicated -- Eddie Grant with NuStart. And as  
4 Amy indicated, we would like to start with the  
5 existing action, number 64, which was a question about  
6 whether there was an additional explosive hazard  
7 during the delivery of hydrogen onsite.

8 And what we would refer you to there is  
9 that this is -- is one of many administrative controls  
10 that would take place onsite or would be established  
11 onsite to control numerous evaluations and discussions  
12 of things within the FSAR that have been identified.

13 So we would have administrative controls  
14 to limit the amount of hydrogen that would come onsite  
15 and the pathway that it would follow, so that it  
16 wouldn't get any closer to the safety-related  
17 structures, systems, and components than the evaluated  
18 explosion, and also administrative controls to assure  
19 that the delivery would not be of an amount that would  
20 be greater than.

21 And with simple administrative controls,  
22 we can make sure that the explosive force, should it  
23 occur during a delivery, would not be greater than  
24 what we have analyzed. And so that would be our --

25 CHAIRMAN RAY: Do you know, Eddie, what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 existing practice is for --

2 MR. GRANT: I do not know what the  
3 existing practice is. I think for -- in general I  
4 would say that this typically does not come up and is  
5 probably not well addressed on most operating plants.

6 CHAIRMAN RAY: Okay. I would agree.

7 All right. Sam, I think this is a  
8 question you had.

9 MEMBER ARMIJO: Yes. I think you had  
10 actually said that before in some of the earlier  
11 meetings, maybe not as crisply, but --

12 MR. GRANT: Not as explicitly, yes.

13 MEMBER ARMIJO: I think that -- I'm trying  
14 to remember why I asked the question. I think it was  
15 along the lines of, was there anything unusual about  
16 the AP1000 that would require more hydrogen deliveries  
17 than a conventional PWR?

18 MR. GRANT: No. There's nothing -- it is  
19 unusual, different.

20 MEMBER ARMIJO: Quantities, quantities,  
21 locations --

22 MR. GRANT: We do have this large tank  
23 that is set off at a distance of course.

24 MEMBER ARMIJO: Yes.

25 MR. GRANT: And in many of the operating

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 plants I would say that what hydrogen has provided is  
2 maybe in smaller cylinders and comes in an individual  
3 cylinder and gets hooked up, whereas we are going to  
4 have these deliveries with trucks and refilling a  
5 large tank.

6 I don't know the details for all of the  
7 operating plants, so I can't say that that is for sure  
8 different from all of the operating plants, and there  
9 aren't any out there like that. But that would be a  
10 general difference I would -- I guess I would say.

11 MR. ED CUMMINS: Ed Cummins. The dominant  
12 user is the generator. So everybody has that --

13 CHAIRMAN RAY: That's right. But I think  
14 Eddie is right, Ed, that most people have a bottled --

15 MR. ED CUMMINS: Yes.

16 CHAIRMAN RAY: -- cylinder delivered.

17 MR. ED CUMMINS: Yes.

18 MR. GRANT: And one thing we are looking  
19 at is possibly -- there is some guidance in Reg  
20 Guide 191 about probabilities and being able to show  
21 that the explosion rate would not exceed what you have  
22 analyzed. And if you did that, you wouldn't  
23 necessarily have to address it and might not have to  
24 even have the administrative controls.

25 We are looking into that, to see where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that would go, but we don't know how that is going to  
2 turn out just yet.

3 CHAIRMAN RAY: Okay. Sam, are you  
4 satisfied?

5 MEMBER ARMIJO: Yes.

6 CHAIRMAN RAY: Okay. All right. We've  
7 gotten the information on -- don't have anything  
8 further to say at this point.

9 MR. GRANT: All right. The second item we  
10 would like to address is the squib valves. There was  
11 a question yesterday about us in particular providing  
12 information on the squib valve testing. We have  
13 addressed that in our FSAR, and so we have got -- we  
14 have put together a couple of slides here. I don't  
15 have them where I can project them, but I did provide  
16 some handouts.

17 CHAIRMAN RAY: Yes, we have the hard  
18 copies on --

19 MR. GRANT: All right. So you have  
20 requested this information on development of in-  
21 service testing surveillance activities for the squib  
22 valves. And the staff bullet from yesterday indicated  
23 that Westinghouse and Southern Nuclear will develop  
24 in-service test surveillance activities for squib  
25 valves based on the final design and lessons learned

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 from qualification process.

2 One of the questions was, do we agree with  
3 that? And absolutely, we think it is perfectly  
4 stated, and we will be pursuing that.

5 We have addressed this. It is in our FSAR  
6 currently in 396-22. It addresses the commitment to  
7 do exactly what they have said in their bullet, and we  
8 do plan to do that.

9 The background is -- on the second page --  
10 we got an RAI letter sometime back, RAI 396-1. It  
11 asks -- or it indicated that, indeed, improved  
12 surveillance activities were being considered by the  
13 industry and asked us to include in the FSAR a  
14 commitment to incorporate lessons learned, and those  
15 lessons learned would come from two sources, from  
16 either the design completion process or from the  
17 qualification process.

18 We indicated in our response that we would  
19 do that, and provided that FSAR revision in August of  
20 2010. And the bottom there is exactly the words out  
21 of 36-22 that includes what we do intend to do, and  
22 the key words there is that the IST program for squib  
23 valves incorporates lessons learned from design and  
24 qualification process for these valves.

25 Now, it is in present tense. We haven't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 done that yet. We haven't written that yet. All of  
2 our FSAR is in present tense. So these are, again,  
3 commitments of things that we are planning to do.

4 MEMBER BLEY: Eddie, we heard about the  
5 new ASME program work going on. Are you folks  
6 participating in that directly?

7 MR. GRANT: We monitor ASME activities and  
8 keep up with those across the board, not just  
9 specifically for this, but certainly across the board  
10 for in-service tests and how that might be changing,  
11 and are aware of that and evaluate all of those  
12 changes, yes, sir.

13 MEMBER BLEY: Is that hitting a point  
14 where there are some conclusions coming out of it that  
15 you can talk about?

16 MR. GRANT: I don't think so. Not at this  
17 point. As we indicated, the main things that are  
18 going to be inputs to that we believe are the  
19 completion of the design process and then the final  
20 qualification of those valves, neither of which are  
21 complete yet.

22 So we were asked yesterday, when will we  
23 be done? And how will we know? And so we've got to  
24 complete those two processes. We've got to look at  
25 what the lessons learned are out of those. We expect

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that it is possible there could be a considerable list  
2 of things that would come out of that.

3 We would need to evaluate each one of  
4 those items, do cost-benefit studies possibly on  
5 those, and, you know, some of them may get thrown out,  
6 some of them may be determined to be worthwhile and  
7 appropriate. Some of them may not have anything to do  
8 with in-service testing, so they certainly wouldn't go  
9 in.

10 But the ones that are appropriate for in-  
11 service testing, that do provide a cost-benefit, and  
12 that would provide some improved surveillance, then we  
13 certainly will consider those. And we would think  
14 that would provide some key inputs to the ASME code  
15 folks as well.

16 CHAIRMAN RAY: You would agree this is a  
17 somewhat unusual circumstance here, these words that  
18 are in the FSAR now.

19 MR. GRANT: It's different, yes.

20 CHAIRMAN RAY: So you wouldn't be  
21 surprised, I wouldn't think, if you found that we  
22 sought to have some visibility and involvement to this  
23 down the road as it emerges, because otherwise it is  
24 very hard to tell what this industry and regulatory  
25 guidance is going to lead to at this stage of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 game.

2 MR. GRANT: I would say that my  
3 expectation would be that if the ASME code does come  
4 up with some recommendations, then they will propose  
5 revisions. The staff will ultimately look at that  
6 ASME code and propose an endorsement or additional  
7 requirements via guidance documents of some sort. And  
8 you would see those and would have some --

9 CHAIRMAN RAY: Yes, that's right. It --  
10 but at this point we're talking about the COL, and it  
11 is conceivable at least that this is all going to be  
12 implemented through the R-COLA if the process that you  
13 just described takes long than we would wish, you  
14 know.

15 MR. GRANT: Well, we certainly -- we were  
16 also asked when we would be done. So our expectations  
17 are that Westinghouse is going to complete their  
18 designs, and then they will do the qualification and  
19 we will see those lessons learned well before we start  
20 up, because they have to complete the --

21 CHAIRMAN RAY: I would say that, too. I  
22 think you are going to be done before -- one way or  
23 another, before you start up.

24 MR. GRANT: Yes. And we would expect to  
25 be able to incorporate those appropriate lessons

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 learned in our initial in-service test program. So we  
2 think we will be done before startup.

3 CHAIRMAN RAY: Yes. Well, I just -- I  
4 think we --

5 MR. GRANT: Will you have seen it by that  
6 time, I can't say, because --

7 CHAIRMAN RAY: I understand.

8 MR. GRANT: -- I would think that the  
9 process --

10 CHAIRMAN RAY: It's not yours to worry  
11 about.

12 MR. GRANT: -- would take longer.

13 CHAIRMAN RAY: I'm just putting you on  
14 notice that, given the circumstance, we may decide  
15 that we need to have some briefing on this, too. But  
16 that's not going to --

17 MR. GRANT: It would not be a surprise.

18 CHAIRMAN RAY: A problem, I wouldn't  
19 think.

20 Okay. Fine. Now, questions for --

21 MEMBER ARMIJO: Yes, I have a question.  
22 Let's just assume that you go through your  
23 qualification program and everything else, and you  
24 conclude that other than the testing that you have  
25 already identified of the charges, periodic testing of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the charges and periodic testing of the bolts that are  
2 supposed to break, that there is really nothing --

3 MR. GRANT: It is a possible outcome.

4 MEMBER ARMIJO: Is a squib valve still  
5 okay? And I guess that applies to the staff. You  
6 know, it says here this -- this commitment -- it sort  
7 of says there is something missing here, that the  
8 squib valves aren't okay unless some new technology or  
9 new in-service test is developed.

10 And that is troubling to me, because it  
11 may not be possible, unless you've already got an idea  
12 of there is an inspection that would really be -- that  
13 is on the horizon that might work out to give you  
14 assurance that the valve will work.

15 MR. GRANT: I can't say that we do. I  
16 guess I would read that a little bit differently.  
17 Yes, this is a new application, but, really, the only  
18 difference is it is just a bigger valve.

19 MEMBER ARMIJO: Yes, I understand that.  
20 That's why I'm just wondering. This is a good thing  
21 to do. I'm not opposing it, but it leaves the feeling  
22 that something else has to be done in order for this  
23 thing to be satisfactory, and I just don't see it  
24 because --

25 CHAIRMAN RAY: Well, Sam, I think our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reaction has to be somewhere along the lines of what I  
2 suggested, which is because nobody can foresee it now,  
3 it would be our recommendation that we have a chance  
4 to look at it at the same time that it is -- that some  
5 conclusion is reached.

6 MEMBER BANERJEE: That's great. But one  
7 of the things is that, as we were discussing  
8 yesterday, if we have a way to know that the  
9 clearances and the other components there are  
10 maintaining the -- you know, the size or whatever they  
11 are, and they are not corroding or things are not in  
12 them, it is not an easy measurement to make. That is  
13 really the problem -- how do you make these  
14 measurements?

15 But without that, there is not very much  
16 that can be added, right? I just think that they are  
17 testing the charges, maybe testing the -- I don't  
18 know, but what does that matter? I mean, if they  
19 can't do those measurements, then they can write a  
20 very good paper trail on something. But the reality  
21 is not going to change. It is all about reality,  
22 measuring these things.

23 CHAIRMAN RAY: Yes. I mean, I'm sure  
24 these thoughts are going through everybody's mind who  
25 is involved in it. I think we are limited at this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 point to simply saying, well, this is important enough  
2 that we would like to see how it is resolved before it  
3 is implemented, or at the time it is implemented.

4 MEMBER BANERJEE: It sounds like you would  
5 have to develop new technology or, I mean, this is a  
6 long-term thing.

7 CHAIRMAN RAY: I don't know. But --

8 MEMBER BANERJEE: I can't think of  
9 anything.

10 CHAIRMAN RAY: -- it is what it is, and I  
11 don't think we could ask for more than what they have  
12 committed to do. At least I can't think of anything  
13 we can ask. This is as comprehensive --

14 MEMBER BANERJEE: The design is going on  
15 still to some extent.

16 CHAIRMAN RAY: Yes. I mean, they could  
17 say --

18 MEMBER BANERJEE: You could suggest that  
19 the design be such that it makes possible the  
20 inspection of these clearances and things like that.

21 CHAIRMAN RAY: Understood.

22 MEMBER BANERJEE: I don't know how you  
23 would do it, but --

24 CHAIRMAN RAY: But the point is, though,  
25 still, they could have said something much less

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 responsive than they have. As far as I can tell, they  
2 have indicated both industry and regulatory guidance  
3 is going to be considered, and I guess we are simply  
4 going to seek to see what the outcome of that is.

5 MR. GRANT: It is a work in progress.

6 CHAIRMAN RAY: Okay. I would say again to  
7 Wes, and I spoke to him this morning, so I know he  
8 understands it, this is important enough that it  
9 should have been I think in your presentation, because  
10 it is a big responsibility that you have. That's why  
11 I made the comment I made yesterday. It is a big  
12 deal.

13 MR. GRANT: My apologies. I put those  
14 together, so I was --

15 CHAIRMAN RAY: Okay. Yes, Charlie.

16 MEMBER BROWN: Can I just give you a  
17 perspective that I had? This has nothing to do with  
18 the qualification issue. This is just a perspective  
19 on the in-service standpoint.

20 Number one, the way I see it, and  
21 Westinghouse can correct me if I'm wrong, is that  
22 literally the valve is being developed iteratively.  
23 In other words, you design it, you test it, see if it  
24 works the way you expect it to work. If it doesn't,  
25 you tweak it. Test it again until you get the design

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to do what you want it to do, and then you --  
2 hopefully you test more than one to say that it is  
3 repeatable.

4 But now you've got to design the drawings,  
5 the clearances, the amount of stuff in the charge,  
6 size of the bodies, the welding, whatever you do on  
7 the valve it is all defined, the procedures there, to  
8 manufacture it. Then, you go manufacture it in the  
9 factory, and -- but you can't test it afterwards. You  
10 are depending upon your process of the design to make  
11 sure it gets assembled and bolted and torqued and  
12 whatever is supposed to be done to make it consistent  
13 with the tested -- you know, the devices you tested.

14 So you can't production test it after you  
15 have manufactured them. Once you get it in service,  
16 put it in, you can't operationally test it either,  
17 because you just lost the benefit of any, you know,  
18 operational. You can't do it in the plant. That has  
19 already been stated -- you can't do that.

20 What triggered me yesterday was the  
21 proposal to start taking the valve apart in some way,  
22 shape, or form, as part of the discussion by the  
23 staff. If you disassembled part of it and looked  
24 inside, in the field, and now you come back and you  
25 put it back together in the field, not in the same

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 conditions that you did when it was in the factory,  
2 unencumbered with plenty of space, and all of the  
3 other type things you may run into, and you do this  
4 after some period of time it has been in service and  
5 pressurized, will it get reassembled in a manner that  
6 is the same as before?

7 And so, in other words, if taking -- my  
8 concern is taking it apart in the field and then  
9 putting it back together and expecting to have a good  
10 outcome is not a good idea. So it -- to me, I am very  
11 interested in your approach, let's wait and see what  
12 they come up with.

13 But if somebody wants to put little ports  
14 in where they are going to stick stuff down inside of  
15 it and look at it, how do you know they didn't leave  
16 something behind or something didn't ship? I mean,  
17 you just don't know that, and --

18 MEMBER BANERJEE: Well, the ports are  
19 better than disassembly.

20 MEMBER BROWN: Well, you've still got to  
21 -- you've got to take something -- I agree. It is  
22 just -- I agree with you. I mean, the only thing you  
23 -- to me it looks like you can do, you can go to the  
24 end of this pipe where the water is going to come out,  
25 and you want to depressurize it. And look at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 diaphragm or the shear cap or whatever that -- you  
2 know, that barrier is and see that it is not cracking  
3 or that it is not distorted. But that is about it.

4 So, anyway, it is just the perspective of  
5 taking a piece apart. And my past experience is stuff  
6 that I can't test very well is to never take it apart,  
7 in other words just operate it, find a way, you know,  
8 if you can operationally prove that it's okay, this  
9 time you can't, so you've got to trust your process.  
10 And that's kind of -- that was my perspective.

11 CHAIRMAN RAY: Well, that's similar to  
12 what Sanjoy is saying I think, which is we can't  
13 really see what they are going to come up with. Now  
14 we are skeptical about how we would solve it  
15 ourselves, but I think the best thing is for us to  
16 just try and ensure that we get a chance to look at  
17 the solution when you --

18 MEMBER BROWN: I agree with that.  
19 Appreciate it. Thanks for letting me speak my piece.

20 CHAIRMAN RAY: All right.

21 MR. ED CUMMINS: This is Ed Cummins. Just  
22 one bit of clarification to your description of our  
23 development process.

24 MEMBER BROWN: It wasn't meant to be  
25 pejorative, Ed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 (Laughter)

2 I thought it --

3 MR. ED CUMMINS: Once we'd get the -- once  
4 we have the final design, we qualify the final design,  
5 including operating it. So the production units are  
6 tested. The production units are tested, and if  
7 they're not --

8 MEMBER BROWN: Do you mean you blow up the  
9 charge and have the shear cap --

10 MR. ED CUMMINS: Yes.

11 MEMBER BROWN: -- and then you replace the  
12 pieces.

13 MR. ED CUMMINS: And then replace the --

14 MEMBER BROWN: Oh, okay. All right. That  
15 wasn't clear from the earlier discussions. At least I  
16 didn't understand that. Thank you.

17 MEMBER BANERJEE: Ed, how many -- will  
18 there be a statistically significant number that you  
19 test?

20 MR. ED CUMMINS: I mean, I would say no.  
21 I mean, the PRA-type philosophy is that the charge --  
22 there has been huge numbers of -- so statistically for  
23 the charge, but after that you do mechanics to show  
24 that you open, and then you check to make sure that  
25 you didn't lose the qualification by the -- in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 production model.

2 MEMBER BANERJEE: So let me give it back  
3 to you in what I understood, then. You can always  
4 test the charges, and you have clarified how you are  
5 going to do that.

6 MR. ED CUMMINS: Yes.

7 MEMBER BANERJEE: That's clear. With  
8 regard to the -- let's say the robustness of this in  
9 terms of earthquake shaking, etcetera, you have done  
10 detailed finite element analysis, and so on, showing  
11 everything is in the elastic range under the worst  
12 conceivable conditions. So you expect that there will  
13 be no plastic deformations of any sort.

14 Then, you are going to test these out  
15 after you put them into production, but you will  
16 actually test them where they will slam open. And you  
17 will do a few tests of these, and most likely you will  
18 find some variability in the performance that is  
19 assumed that you do.

20 The question is: will you test a  
21 sufficient number to be able to give some degree of  
22 certainty that this will operate when called upon to?

23 I mean, if you test two or three, this may or may not  
24 be sufficient. I haven't worked at -- looked at the  
25 statistics. So how many will you test? It will be a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 small number, right? It's expensive to test.

2 MR. ED CUMMINS: Yes. Ed Cummins of  
3 Westinghouse. You can see some of the -- our thought  
4 process in the tests we have already run. You test  
5 for the variability of the explosive loading, and you  
6 have acceptance criteria that between 80 and -- I  
7 don't know the numbers, 80 and 120 percent, and it has  
8 to operate at 80 and 120, or close to that, so that  
9 you feel comfortable that the production units all  
10 will work. And that is where we want to be.

11 But it is not a statistical assessment of  
12 -- because you would have to do hundreds of tests --

13 MEMBER BANERJEE: Right.

14 MR. ED CUMMINS: -- in order to get a  
15 statistical sample. But it is -- if you had a failure  
16 of your production model in the range you thought was  
17 acceptable, you would have to start over. I mean, you  
18 would have to say, "Uh oh, that's not really my  
19 production model anymore. I have to figure out what  
20 went wrong and have a new fix for this."

21 MEMBER BANERJEE: But there is also some  
22 variability related to the bolts and the part that  
23 shears off and all of those things, right? There is  
24 bound to be.

25 MR. ED CUMMINS: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           MEMBER BANERJEE:    So with regard to the  
2 charge, I think what you are trying to do is you  
3 separate the charge out as being -- as saying that is  
4 the most variable of the components there, and so you  
5 can test those.    But there is some variability  
6 associated with the mechanical construction of this as  
7 well, and there are key components which have to shear  
8 off, break, all sorts of things.    So, you know, how do  
9 you handle that variability?

10           MR. ED CUMMINS:   I believe that our answer  
11 is we deal with variability in the design.   That is,  
12 if the strength of the rod is going to be between X  
13 and Y, we want it to work at both X and Y.   And so we  
14 tried to deal with the variability of all of the  
15 things which are key to the performance and say that  
16 we bounded all of them in our production models.

17           DW\*:   And that was shown in the production  
18 testing.   It was done in the design of the -- design  
19 conceptual that they did all of the minimum and  
20 maximum tolerances, the 80 percent, 120 percent loads,  
21 and they did that all in the development of the  
22 design.   So --

23           MEMBER BANERJEE:   Yes, I think that's a  
24 good answer, but now once you have got this production  
25 model, there will be some variability in each of these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 valves that you assemble, which will be presumably  
2 within the tolerances that you want, right?

3 MR. ED CUMMINS: Yes. Because if it was a  
4 production model, you would say it is within the  
5 tolerance. If you had a failure, that would be a  
6 significant event. You would have to redesign it.  
7 You couldn't any longer say that was an acceptable  
8 design.

9 MEMBER ARMIJO: Ed, I just want to make  
10 sure I heard you right. Each production squib valve  
11 will be tested?

12 MR. ED CUMMINS: No.

13 MEMBER ARMIJO: Okay. I didn't hear you  
14 right.

15 MR. ED CUMMINS: No.

16 MEMBER BANERJEE: How could you?

17 CHAIRMAN RAY: He said the production  
18 valves would be tested.

19 MR. ED CUMMINS: Yes.

20 CHAIRMAN RAY: But then Sanjoy asked him  
21 what the statistics were, and he said it would be a  
22 few. I think what you guys should be hearing from us  
23 is areas of interest and concern that hopefully will  
24 be answerable when we look at this at the end of the  
25 development period.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: Well, they have sort of  
2 an on/off test. If it ever doesn't work, then that is  
3 a very significant effect.

4 MEMBER BLEY: But the other part that  
5 seems important -- and I haven't seen a test report, I  
6 don't know if there is something available -- is it  
7 sounds like they have actually tested at the extreme  
8 ranges under which they think manufacturing will be  
9 controlled. Did I get that right, or am I --

10 MR. ED CUMMINS: Yes. We haven't tested  
11 the production model, because we are trying to create  
12 the production model --

13 MEMBER BLEY: Right, right. They will do  
14 that.

15 MR. ED CUMMINS: -- and selecting data to  
16 do that. But, yes, we have -- we would -- the  
17 production model will be designed within the range of  
18 what we have learned from our test program, and we  
19 would expect that after we have a production they will  
20 all work. If they don't, then we don't know what we  
21 are doing, and we have to rethink. So --

22 MEMBER BROWN: Can I ask just -- to  
23 understand your answer to Sam? Because I changed when  
24 I -- the actual valves that are going to be ordered  
25 for delivery to a plant, those are now -- that is what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I call production valves, not a production design but  
2 production valves.

3 MEMBER BANERJEE: Some of those will e  
4 tested.

5 MEMBER BROWN: No. He just -- I'm not  
6 sure what he said.

7 MEMBER BANERJEE: Oh.

8 MEMBER BROWN: Are those --

9 MR. ED CUMMINS: Our plan is to test  
10 actual production models, and the plan is in the --

11 MEMBER BROWN: I want the ones that are  
12 shipped for installation.

13 MR. ED CUMMINS: The ones that will be  
14 shipped. You test them -- the ones that will be  
15 shipped can be tested in a test facility to show that  
16 they operate.

17 MEMBER BROWN: Fully, the shear cap break.  
18 So all production -- okay. So all production --

19 MR. ED CUMMINS: For each of the separate  
20 designs, there is two different eight-inch designs and  
21 a 14-inch design, all will be tested in the production  
22 model.

23 MEMBER BROWN: Okay. So if somebody  
24 orders eight -- eight-inch squib valves for putting in  
25 their plant, you will manufacture those, test them.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ED CUMMINS: No. All of the  
2 production models for the whole fleet are the same, so  
3 the ones that go to China are the same as the ones to  
4 go to Vogtle. And they will have some variability,  
5 and we have designed them to -- so that even with all  
6 of the variability that we have allowed, they always  
7 work.

8 MEMBER BROWN: So you are not going to  
9 test the production when it is sent to a plant.

10 CHAIRMAN RAY: Correct. Some of --

11 MR. ED CUMMINS: The ones that we test  
12 will be sent to a plant.

13 CHAIRMAN RAY: Yes, some of them, but not  
14 all of them.

15 MR. ED CUMMINS: Some will be sent to a  
16 plant.

17 CHAIRMAN RAY: They're not going to test a  
18 valve and throw it away. They will test some of --

19 MEMBER BROWN: Harold, the last time I  
20 asked that question, the first time he said, "No, we  
21 test them, replace the internals."

22 MR. ED CUMMINS: Well, you have to replace  
23 the shear cap that you --

24 CHAIRMAN RAY: You added the word "all,"  
25 Charlie.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 MEMBER SHACK: He is testing from a  
2 production run. But he is not going to test all the  
3 valves that he ever produces.

4 CHAIRMAN RAY: That's right. You stuck in  
5 the word "all," and that's all I'm --

6 (Laughter)

7 MEMBER BROWN: Yes, I did that on purpose.

8 CHAIRMAN RAY: I know you did, but I'm  
9 just trying to say he didn't say "all."

10 MEMBER BANERJEE: A small number.

11 CHAIRMAN RAY: He said the production  
12 model would be tested.

13 MEMBER BROWN: Okay. So if you build  
14 eight, you test -- assume you test one, and it works,  
15 which you expect it would, then you would replace the  
16 pieces and ship that one off along with the -- maybe  
17 part of the eight, the other seven.

18 MR. ED CUMMINS: That's correct.

19 MEMBER BROWN: Got it. Thank you.

20 MR. ED CUMMINS: Good.

21 MEMBER BROWN: A sampling test for  
22 program.

23 MEMBER BANERJEE: Yes, but not even  
24 statistically significant --

25 MEMBER BROWN: No, absolutely not.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: -- to be clear.

2 CHAIRMAN RAY: Okay. But, again, there is  
3 a crossover here between the qualification test  
4 program, what you are talking about --

5 MR. ED CUMMINS: Yes.

6 CHAIRMAN RAY: -- and the in-service  
7 inspection and test program, which the COL applicant  
8 is talking about.

9 MR. ED CUMMINS: Yes.

10 CHAIRMAN RAY: There is a -- we can't  
11 entirely separately those two things. And so that is  
12 why we are having this discussion here now or why I am  
13 letting it go on is because the two things inevitably  
14 are linked together. But, again, I want to say I  
15 think you should hear from us areas of concern -- you  
16 heard them -- and expect to at some point down the  
17 road that you will be able to respond to them, and we  
18 will --

19 MEMBER BANERJEE: Well, the area of  
20 concern, though, to make it even clearer, is does the  
21 design -- and we don't know the design in detail --  
22 allow for some sort of in-service inspection to at  
23 least follow the effects of corrosion, aging, whatever  
24 might happen to the various clearances? Is there some  
25 way that you can get information? Is that part of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 design, to allow some in-service testing?

2 MR. ED CUMMINS: So I think that is what  
3 the COL item is addressing, and I think our answer is  
4 to some degree, yes, and to what degree is yet to be  
5 determined. So there are still some things that we  
6 are learning as we design that provide opportunities  
7 for some inspection of things that are over and above  
8 what exists in the requirements.

9 MEMBER BANERJEE: And when do you --

10 MR. ED CUMMINS: And whether those  
11 opportunities are -- have a cost-benefit or -- those  
12 things still have to be determined, and that is what  
13 the COL open item really says, that the licensee will  
14 look at this and make an assessment of what ones on  
15 the whole list are valuable.

16 MEMBER BANERJEE: So you are saying that  
17 some in-service inspection will be possible by design.

18 The way you are designing the valve will allow some  
19 degree of in-service inspection of things like  
20 clearances, and so on.

21 MR. ED CUMMINS: Yes.

22 CHAIRMAN RAY: Okay? Excellent.

23 (Laughter)

24 MR. GRANT: Thank you.

25 CHAIRMAN RAY: Well, this turned out to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a little easier than I thought it might be, even as  
2 difficult as it was.

3 MR. GRANT: It helps that we have  
4 addressed it.

5 CHAIRMAN RAY: That's right. If you  
6 hadn't addressed it, we would be here until after  
7 lunch. Anyway, what is next?

8 MR. GRANT: The next item is -- there was  
9 a question yesterday about gas accumulation and  
10 whether or not there were any leftover items from the  
11 gas accumulation for the COL applicant. And basically  
12 the staff has issued interim guidance, 19 in this  
13 case, on the criteria for gas accumulation and what to  
14 do with those. And I could go through those, but the  
15 short version is the DCD has addressed all of those.

16 MEMBER BANERJEE: All of them.

17 MR. GRANT: Including procedures. They  
18 have identified the procedures that are necessary for  
19 prevention and maintenance and venting, and all of  
20 those are already identified in the DCD in  
21 Section 6.3.6.3. And so actually, no, other than  
22 fulfillment of what we have been committed to --

23 MEMBER BANERJEE: That's a separate issue.

24 MR. GRANT: -- there are no other  
25 additional actions to be addressed by the COL

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 applicants. All right?

2 CHAIRMAN RAY: Yes.

3 MR. GRANT: And the final item I would  
4 like to address was a question yesterday about the  
5 debris limits and whether or not those should be a  
6 tech spec.

7 MS. AUGHTMAN: Let me ask, do we need Mr.  
8 Bonaca for this?

9 CHAIRMAN RAY: I don't know if Mario is  
10 available for us, but I think we understand, the  
11 others of us here, what the issue was enough that we  
12 can take your answer and discuss it with him.

13 MR. GRANT: And you heard a quick answer  
14 yesterday from the staff that was their summary  
15 basically that said while it doesn't meet their  
16 criteria in 50.36 for tech specs, and we concur with  
17 that, we believe it does not meet those criteria. We  
18 can run through the four criteria, if you'd like.  
19 Three of them are very simple and straightforward.

20 The first criteria is whether or not it is  
21 installed instrumentation, which a debris limit  
22 clearly is not. And, of course, there are some  
23 criteria that follow that for not all installed  
24 instrumentation shows up in the tech specs, but it  
25 doesn't meet that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           The third and fourth criteria also start  
2 out with a structure, system, or component that does  
3 these things. Well, clearly, a debris limit is not  
4 any of those.

5           So the second criterion is a process  
6 variable, design feature, or operating restriction  
7 that is an initial condition of a design basis  
8 accident or transient analysis that either assumes the  
9 failure of or presents a challenge to the integrity of  
10 the fission product barrier.

11           So we've got three items in the beginning  
12 of this criterion -- a process variable, it is not one  
13 of those; a design feature, it is not really a design  
14 feature; operating restriction, that might fit. It  
15 sounds like an operating restriction. We should have  
16 no more than a certain number of pounds of debris that  
17 are provided. So there's an operating restriction.  
18 It might fit. Let's see how it goes with the rest of  
19 it.

20           That is an initial condition of a design  
21 basis accident or transient analysis. Now, typically  
22 the way that that is interpreted throughout the  
23 industry is, is it an explicit item identified in  
24 Chapter 15 for one of those accident analyses or  
25 transient analyses?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Well, this is a discussion of design  
2 information in Chapter 6 and really isn't called out  
3 as an explicit beginning point for any of the  
4 Chapter 15.

5 Now, yes, one could argue it is of course  
6 a beginning point for one of those. But, again, the  
7 industry perspective and the way that it has been  
8 applied throughout the industry is, is it explicitly  
9 identified as one of those initial items in  
10 Chapter 15? Are you talking about beginning the  
11 containment at a one-pound pressure and the -- you  
12 know, the transient begins with the fuel at a certain  
13 temperature or --

14 CHAIRMAN RAY: Okay. Eddie, I'll  
15 interrupt you here now.

16 MR. GRANT: -- those kinds of things.  
17 So --

18 CHAIRMAN RAY: Tell me the difference  
19 between a one pound pressure beginning the transient  
20 in the containment and 6.6 pounds of fiber. What is  
21 the difference?

22 MR. GRANT: The difference is that when  
23 you go look in Chapter 15 --

24 CHAIRMAN RAY: Okay. If that's the  
25 difference -- that's all the difference you can come

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 up with?

2 MR. GRANT: That is pretty much the  
3 difference. That is -- I mean, that is the criteria  
4 that is applied throughout the industry.

5 CHAIRMAN RAY: All right. You don't need  
6 to agree with me, but I will assert anyway that that  
7 is a -- that is a difference without a distinction, or  
8 a distinction without a difference I guess I should  
9 say. It does seem as if it is not significantly  
10 different in terms of what we are concerned about.

11 Amy, you wanted to say something?

12 MS. AUGHTMAN: Yes, just one other data  
13 point I think that we -- we are not aware at least of  
14 any of the current plants that have this type of --

15 MR. GRANT: We'll get you a tech spec.

16 CHAIRMAN RAY: That's fair enough. All  
17 right.

18 MR. GRANT: They certainly all have limits  
19 as well.

20 CHAIRMAN RAY: That's fair.

21 MEMBER ARMIJO: I can understand the  
22 arguments on the tech spec. But the reason I brought  
23 it up earlier is why this number wasn't at least a  
24 Tier 2\*, as compared to a Tier 2, because in our  
25 letter I think we made the point that even though

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 there was margin demonstrated in the testing program,  
2 in the analysis of the available test data, that we  
3 believe that margin was all taken up -- was acceptable  
4 because of the 6.6 pound limit, and that we were  
5 either implied or explicitly looking for more  
6 experimental work before anybody started taking  
7 advantage of what might be viewed as margin.

8 So that being the case, I thought it would  
9 be -- require a staff approval or at least staff  
10 review before that 6.6 pounds was changed. And that  
11 was really kind of my thinking behind that, and not  
12 that people here today would ignore the issue or --  
13 but in time memories fade and somebody would say,  
14 "Gee, this thing is a real nuisance, and let's do a  
15 50.59 and change that number." And --

16 CHAIRMAN RAY: By taking advantage of what  
17 they construed to be margin.

18 MEMBER ARMIJO: Yes, right. That was kind  
19 of my concern.

20 CHAIRMAN RAY: Let me try and parse this.  
21 So do you see that as being -- that concern being  
22 addressed by inclusion in the tech specs? I guess the  
23 answer is yes, because you can't change the tech specs  
24 yourself.

25 MEMBER ARMIJO: Right, right. But I see

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it more like a Tier 2\* kind of issue rather than a --

2 CHAIRMAN RAY: Okay.

3 MEMBER ARMIJO: -- tech spec issue.

4 CHAIRMAN RAY: At the time we had that  
5 exchange, I said, having written 50.59s a good deal,  
6 that I couldn't see how you could change it because  
7 you would be affecting the safety that was -- that had  
8 been licensed. In other words, you would have an  
9 impact on safety even though you could argue that  
10 there was margin to some limit that existed.

11 I didn't see how you could do it. But we  
12 can at least discuss that further and --

13 MEMBER ARMIJO: Yes. If you think about  
14 it, you know, maybe that's right.

15 MR. GRANT: Can I add one thing?

16 CHAIRMAN RAY: Yes.

17 MR. GRANT: I would tend to agree with  
18 your assessment on the 50.59. Although in this case  
19 it is in the DCD, and so it is 50.59-like, it is  
20 essentially the same questions.

21 CHAIRMAN RAY: Yes.

22 MR. GRANT: The one major difference,  
23 though, is that because it is in the DCD, it would be  
24 identified as a departure, and it would get identified  
25 in a departure report to the staff on a fairly quick

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 basis. Even if we could somehow come to the  
2 conclusions that you are concerned about and change it  
3 on our own, we would then have to notify the staff --

4 CHAIRMAN RAY: Yes.

5 MR. GRANT: -- I think it is at least  
6 within a year, annually, on those changes, so they  
7 would know about it fairly quickly and have an  
8 opportunity to review that and call into question our  
9 decision.

10 CHAIRMAN RAY: Well, as you can tell from  
11 our letter, we are concerned that this margin, which  
12 we believe is important to resolving the uncertainties  
13 that are there, could be applied to changing the  
14 debris assumption, for example, or the debris limit  
15 instead, and without having reduced the uncertainties  
16 to allow that to be done.

17 So, okay, we hear you. I guess on the  
18 issue of the tech specs, which is not exactly Sam's  
19 issue, but it does -- it would resolve it if we  
20 include it in the tech specs. I hear the argument --  
21 probably the best argument I hear from you is, "Well,  
22 nobody else does it, so it would be inappropriate for  
23 us to have to do it, because it would be different  
24 than" -- and, you know, that basically means we have  
25 to decide if we think you should do it, why are you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 different, and it is as simple as that.

2 But it doesn't violate the standard tech  
3 spec rules, as I would see them. And I think you have  
4 done a good job of identifying how you would  
5 rationalize doing it if all you were looking at was  
6 the tech spec criteria.

7 MR. GRANT: Given the choice of a tech  
8 spec or a Tier 2\*, we would probably rather see the  
9 Tier 2\*.

10 CHAIRMAN RAY: Yes. Well, it's got its  
11 set of rules, too, but anyway.

12 MR. GRANT: But they are basically rules  
13 we would --

14 CHAIRMAN RAY: Probably we won't make that  
15 decision, would be my guess. But we could maybe  
16 identify a concern and let somebody else figure out  
17 how to deal with it. Anything else for us?

18 MR. GRANT: That's it for me. We did have  
19 one other item that Jason is going to address.

20 CHAIRMAN RAY: Okay. Well, wait. Before  
21 you do, let me say that if it has to do with the  
22 screens on the weir vents --

23 MR. GRANT: No.

24 CHAIRMAN RAY: -- weir inlets --

25 MR. GRANT: That's a separate item.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RAY: Well, let me mention that  
2 anyhow. I take that -- in case you want to discuss  
3 it, I take it as a given that there are screens on the  
4 weir inlets. And the real issue then becomes, well,  
5 is the COL program going to ensure that conditions  
6 don't exist which would result in the clogging of  
7 those screens? Because, obviously, the screens have a  
8 plus and a minus, the plus being that they would  
9 prevent clogging of the weir inlet, the minus being  
10 that there could be accumulation of particulate matter  
11 that could clog a screen or more screens.

12 We really don't know anything much about  
13 the screens, just having heard about them. And so I  
14 just wanted to say, because Amy had made a comment to  
15 me, that I don't think we see this as just a DCD  
16 issue, because at the end of the day, well, maybe you  
17 should have screens. But now are you sure you've got  
18 a program to avoid accumulation of material that would  
19 clog the screens? And if a screen is clogged, what  
20 difference does it make? Would the water just run  
21 over the top anyway? I don't know. It is --

22 MR. ED CUMMINS: Ed Cummins. I think  
23 maybe it would be helpful if you just wait to see what  
24 the screens look like and then --

25 CHAIRMAN RAY: All right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ED CUMMINS: -- see if you can --

2 CHAIRMAN RAY: I'll do that.

3 MR. ED CUMMINS: Yes.

4 CHAIRMAN RAY: Okay. Let's have Jason,  
5 then.

6 MS. AUGHTMAN: So, again, Jason is going  
7 to speak to the inspections on the coatings on the  
8 shield building.

9 CHAIRMAN RAY: Yes, appreciate that.

10 MR. REDD: Chairman Ray, members of the  
11 Committee, it is a pleasure to address you all again.  
12 Today we are hear to answer the question posed  
13 yesterday about the coatings inspection for the shield  
14 building.

15 The coatings on the shield building are an  
16 epoxy coating on the inside and outside surfaces of  
17 the shield building, those areas that are constructed  
18 of the steel-concrete sandwich construction. That  
19 epoxy coating is placed on the shield building to  
20 provide corrosion protection of the steel for the life  
21 of the plant.

22 MEMBER ARMIJO: Jason?

23 MR. REDD: Yes, sir?

24 MEMBER ARMIJO: Before you go too far,  
25 previously I got the impression -- and maybe it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 wrong -- that the steel was protected by inorganic  
2 zinc, just like the containment. Is that correct or  
3 incorrect?

4 MR. REDD: The information I received from  
5 Westinghouse yesterday is that an epoxy coating system  
6 is being applied.

7 MEMBER ARMIJO: And no inorganic zinc?

8 MEMBER BANERJEE: I thought that was above  
9 the -- on top of the inorganic zinc.

10 MEMBER SHACK: This is the shield building  
11 now, not the containment.

12 MR. REDD: I would defer to someone else  
13 to --

14 MR. ED CUMMINS: Ed Cummins. We asked the  
15 expert, got the design document, and then he is  
16 correct that it is epoxy coating.

17 MEMBER SHACK: With no inorganics in  
18 primer.

19 MR. ED CUMMINS: Yes. I think our paint  
20 spec actually permits an inorganic zinc primer, but  
21 discourages it a little bit, just because of  
22 difficulties you can have with inorganic zinc and  
23 epoxy cover.

24 MR. REDD: If I may speak to Mr. Shack's  
25 question. The coating specification for the shield

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 building includes a number of systems that are  
2 available as options. The option that has been  
3 currently chosen by Westinghouse is an epoxy system.

4 I would like to emphasize, however, as the  
5 licensee, that we will perform the coatings  
6 inspections in accordance with whatever system is  
7 applied in an appropriate manner. But if -- does that  
8 answer your initial question, sir?

9 MEMBER ARMIJO: Yes. Unfortunately, it is  
10 not the answer I was hoping for, but --

11 (Laughter)

12 Because, you know, I -- my worry is, you  
13 know, you've got all this structural material --

14 MR. REDD: Yes, sir.

15 MEMBER ARMIJO: -- on the inside and then  
16 the outside -- outside more exposed to the elements  
17 than the inside, but --

18 MR. REDD: Yes, sir.

19 MEMBER ARMIJO: -- and the inorganic zinc  
20 does have this galvanic protection feature --

21 MR. REDD: Yes, sir.

22 MEMBER ARMIJO: -- that protects you even  
23 if it is flawed, even if it is scratched and  
24 everything else, which I am not sure -- an epoxy is  
25 just a coating. It doesn't have any other protection

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 features. So I just thought it was very similar to  
2 the -- what you needed to do with it to protect the  
3 containment. But you're telling me that you've got --  
4 you're going to use just an epoxy paint, which may be  
5 okay -- I'm just not familiar with this --

6 MR. REDD: The epoxy coating system -- I'm  
7 sorry, go ahead.

8 MEMBER ARMIJO: I'm not as familiar with  
9 it, but you -- at least I understand what you are  
10 going to do now. You are going to just use the epoxy-  
11 based paint on the inside and outside and just do the  
12 same kind of inspection that you -- frequency, visual  
13 inspection, that sort of stuff.

14 MR. REDD: The epoxy coating is a barrier  
15 coating. To answer your previous question, it  
16 provides a barrier between the outside environment and  
17 the protected surface. The mechanisms that we would  
18 look for for visual indications would be blistering,  
19 flaking, peeling, that are discussed in our ASTM  
20 standards as items to look for. So we would apply  
21 those.

22 The frequency for the inspection will be  
23 set by the licensee in accordance with good  
24 engineering practice and industry guidance documents.  
25 For the inspections, we perform them visually. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will highlight the inspectability of the shield  
2 building. As we discussed yesterday from talking  
3 about the air baffles, there are two manned baskets  
4 that are provided inside the annulus area, which  
5 provide immediate visual access to the protected steel  
6 on the inside of the shield building.

7 We may also use visual methods, whether  
8 that's binoculars, telescopes, or robotics. The lower  
9 portions of the shield building are immediately  
10 visible from the walkways that circle the shield  
11 building. Additionally, the exterior of the shield  
12 building is obviously extremely visible from the  
13 surrounding grade, surrounding rooftops.

14 The industry has extensive experience in  
15 inspections of such large structures through our --  
16 through the ASME Section 11 IWL program for concrete  
17 containments. So we have well developed methods for  
18 standoff distance telescopes and mapping.

19 The experience is there in the industry to  
20 perform those inspections to ensure that if there is  
21 any coatings degradation it will be visible. If it is  
22 found, it will be entered into our corrective action  
23 program, and dispositioned and corrected as necessary,  
24 sir.

25 MEMBER ARMIJO: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RAY: So it's just the  
2 structural --

3 MEMBER ARMIJO: So another way of doing  
4 it --

5 CHAIRMAN RAY: -- structural steel  
6 protection coating.

7 MR. REDD: Right. That is correct, sir.

8 CHAIRMAN RAY: Okay. Anything more?

9 MR. REDD: That's all.

10 CHAIRMAN RAY: Thank you.

11 MR. REDD: Thank you, sir.

12 CHAIRMAN RAY: Thank you.

13 Okay. Now, as I said, I would like to  
14 wrap up the COL here and make sure we don't have any  
15 loose ends. I think you wanted to, Ed, talk about in  
16 this context as opposed to this afternoon, or do you  
17 want to -- not part of AIA --

18 MR. ED CUMMINS: No, we will do what you  
19 want. I mean, I think maybe given your comment that  
20 you might want to ask the COL as part of it, we are  
21 happy to do it now.

22 CHAIRMAN RAY: Yes. I think now would be  
23 best. Thank you.

24 MR. ED CUMMINS: Okay.

25 CHAIRMAN RAY: Because I'd like to try and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 summarize, and those in the COL community who don't  
2 need to be around, or don't have a requirement  
3 otherwise to be here, I would like them to be  
4 released.

5 (Pause)

6 MR. LINDGREN: Okay. Don Lindgren from  
7 Westinghouse electric, along with Chuck Brockhoff, to  
8 talk about the screens on the collection dams,  
9 troughs, on the top of the containment to -- that  
10 distributes the water from the PCS tanks.

11 And our first couple of slides are to  
12 address some of the questions that you had yesterday.

13 These screens are included in design drawings. The  
14 screens were incorporated as a result of our -- the  
15 AP1000 design review process. The screens provide a  
16 layer of defense in the FME program to prevent  
17 inadvertent introduction of FME to the water channels.

18 MEMBER BANERJEE: What is FME?

19 MR. LINDGREN: Foreign matter exclusion.

20 CHAIRMAN RAY: In other words, it is not  
21 stuff that is brought in, I take it, by the airflow,  
22 but --

23 MR. LINDGREN: It is not brought in by the  
24 airflow. It is brought in by people with two legs.

25 MR. BROCKHOFF: Because we walk above the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 containment vessel to get to the PCS valve room, for  
2 example, to do maintenance, there is a possibility --  
3 the utilities have a program to control what goes in  
4 and goes out. They do a closeout inspection. So this  
5 is really a third layer of its protection.

6 CHAIRMAN RAY: I understand.

7 MEMBER BANERJEE: But why only FME? I  
8 mean, if something was brought in by the air, it would  
9 protect you, too, wouldn't it?

10 MR. BROCKHOFF: Yes. But it is -- this  
11 mesh is bigger. It is a trash rack compared to the  
12 small screens at the inlet and outlet that keep debris  
13 from coming in.

14 MR. LINDGREN: We have screens both on the  
15 front of the air inlets, on the side, and also around  
16 the -- what we refer to as the chimney in the middle.  
17 Both --

18 CHAIRMAN RAY: They're very small.

19 MR. LINDGREN: -- very small screens.

20 Okay. As I said, this is to prevent  
21 inadvertent introduction into the water channels and  
22 aid in the identification and retrieval during the FME  
23 walkdown.

24 MEMBER BANERJEE: So it would be like a  
25 piece of cloth or something.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LINDGREN: Cloth glove --

2 MEMBER BANERJEE: Glove.

3 MR. LINDGREN: -- that kind of thing.  
4 Screens will not impede the PCS performance. The  
5 design finalization details of this level are  
6 typically not included in the DCD, and this detailed  
7 design of the screen is in excess of what is included  
8 in the DCD description of the collection dams and  
9 weirs, and that is in Section 6.2.2.2.3.

10 CHAIRMAN RAY: Okay. The detailed design,  
11 but the existence of the screen is explicit in the  
12 DCD?

13 MR. LINDGREN: No, it is not.

14 CHAIRMAN RAY: Okay. So --

15 MR. LINDGREN: There is a paragraph that  
16 describes the whole system, the whole collection and  
17 troughs and bucket and all of that kind of stuff.  
18 There is about a paragraph that describes that, and it  
19 just says there are collection dams. And it doesn't  
20 describe, you know, what they look like or how they  
21 function, just that they are there. It just gives  
22 them the details as to the size or the size of the  
23 holes or --

24 MEMBER ARMIJO: Were the screens kind of a  
25 late -- later adjustment to the design?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LINDGREN: They did not -- they were  
2 included in the design at the time of the final design  
3 review. They were carried forward from the  
4 intermediate design review, and that has recently  
5 happened.

6 MEMBER ARMIJO: Okay.

7 MR. BROCKHOFF: As we finished the  
8 detailed design drawings, we implemented this, it was  
9 a design review comment. It was an operating  
10 experience review and a good engineering practice.

11 MEMBER ARMIJO: They may not have been  
12 there at the time you wrote the Rev 17 of the DCD,  
13 because it is not mentioned. They are not mentioned  
14 in the --

15 MR. LINDGREN: They were not officially in  
16 the design at that point.

17 MEMBER ARMIJO: Yes, okay.

18 MR. LINDGREN: Although, you know, people  
19 were working on it.

20 A little bit of information on the details  
21 of the design. The screen is number two mesh  
22 material, which has two openings for linear inch for a  
23 total of four openings per square inch. The core  
24 screen size will stop large debris washed down to the  
25 dam, but allow smaller debris to float through the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 collection tube.

2 So if you did have any particulate that  
3 came through the first sets of screens, they would not  
4 be impeded by this. It will also permit visual  
5 inspection of the small CV surface and the dam areas  
6 behind the screen.

7 MEMBER BANERJEE: What is CV?

8 MR. LINDGREN: Containment vessel.

9 MEMBER BANERJEE: Oh.

10 MR. LINDGREN: Each collection tube is  
11 protected by a single screen about 10 feet in length,  
12 about six and a half feet in height.

13 CHAIRMAN RAY: Inches.

14 MR. LINDGREN: Inches.

15 (Laughter)

16 I knew I'd do that.

17 For a surface area greater than five  
18 square feet of -- per screen. The collection tubes  
19 measures two by eight for the upper weir and two and a  
20 half by two and a half by the lower weir.

21 DR. WALLIS: Is this attached to the  
22 containment shell in some way?

23 MR. LINDGREN: I will show you next.

24 DR. WALLIS: Okay.

25 MR. LINDGREN: Okay. So we have this five

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 square feet of area protecting, in the one case, a  
2 little over four square inches or about there. We  
3 figure the flow area through the screens is more than  
4 500 square inches, so we've got to -- we've got two  
5 orders of magnitude difference.

6 And this is a picture from the top side of  
7 the collection screen. The cross-hatch is the screen,  
8 the -- and then the more solid line on the bottom is  
9 the actual dam. It actually sets at kind of an angle  
10 between the top of the dam down to the surface of the  
11 containment vessel.

12 MEMBER BANERJEE: Is it fastened at those  
13 points with the little dots that you are showing or  
14 what?

15 MR. LINDGREN: It has -- those are  
16 brackets that held hold it down.

17 DR. WALLIS: So this -- I don't  
18 understand. This is folded back so you can see it or  
19 something? I don't --

20 MEMBER BANERJEE: You can see it from the  
21 top.

22 MR. BROCKHOFF: It's laying like this.  
23 This is the collection dam, and the screen is on --

24 DR. WALLIS: Well, it's laying at an angle  
25 on the --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BROCKHOFF: And it's fastened to here  
2 to hold it in place under the collection dam.

3 MEMBER ARMIJO: But it's not bonded -- it  
4 is not bonded to the top of the containment vessel.  
5 It has got some sort of clearance there.

6 MR. LINDGREN: Yes. Since all you are  
7 trying to stop is stuff that is bigger than half an  
8 inch, you don't need to seal it against the  
9 containment vessel.

10 DR. WALLIS: So it's a fence, really.

11 MR. LINDGREN: Well, a trash rack I  
12 thought was a good description.

13 DR. WALLIS: Well, you don't expect much  
14 to be there, just one or two isolated --

15 MR. LINDGREN: Yes.

16 DR. WALLIS: -- if anything.

17 MR. LINDGREN: This is not -- these are  
18 not gutters. These are not going to fill up with  
19 leaves like your gutters do, because those have been  
20 stopped already. So this is for the odd errant piece  
21 of cloth of --

22 MR. BROCKHOFF: If there were human  
23 performance error as part of the foreign material  
24 exclusion program, that was not captured either by  
25 tracking or closeout inspection, this would give you a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 defense against that.

2 DR. WALLIS: And if anything else gets  
3 there, you want to know what it is and why.

4 MR. BROCKHOFF: Yes, sir.

5 DR. WALLIS: All right.

6 MR. BROCKHOFF: It also allows you to have  
7 visibility during your closeout to see into the  
8 inspection tube as well. So it's not a real close  
9 mesh that you can see into.

10 MR. ED CUMMINS: This is Ed Cummins. I  
11 think that is what we have to say, and you may or may  
12 not want to interact with the COL.

13 PARTICIPANT: Oops, we lost our chairman.

14 MEMBER BLEY: Yes. He just slipped out.  
15 He'll be back Monday.

16 (Laughter)

17 PARTICIPANT: We probably ought to go to  
18 lunch, right?

19 (Laughter)

20 MEMBER BLEY: Let's decide the COL is in  
21 good shape. We can go to lunch.

22 (Laughter)

23 MEMBER BANERJEE: Quickly took us into  
24 recess.

25 MR. ED CUMMINS: We decided that we were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at the point where you might want to ask the COLs  
2 something.

3 MEMBER BANERJEE: Did you see that,  
4 Harold? Did you see the picture of the screen?

5 CHAIRMAN RAY: I did. I don't have any  
6 further questions about the screen. I think it is --

7 MEMBER SHACK: Just a question. Is there  
8 a 50.59-like process for design details that you --

9 (Laughter)

10 -- go through? And, you know, does this  
11 design detail really change something?

12 MR. ED CUMMINS: I'll answer that.

13 MR. LINDGREN: You're going to answer  
14 that? Okay.

15 MR. ED CUMMINS: No. The answer to -- the  
16 pure answer is no. But there are all kinds of  
17 requirements to assess whether you impacted other  
18 people with your design change, and so other  
19 disciplines or other people outside of your tiny  
20 little organization. And the more you impact other  
21 people, the more requirements there are to process the  
22 change formally. And if you affect the DCD, you know,  
23 you get to --

24 CHAIRMAN RAY: Okay. There are two items  
25 on our agenda today, one of which I would like to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 finish, if I can, before we adjourn for lunch, because  
2 it may, as they say, mean that some people don't have  
3 to hang around until -- for an hour and a half or so,  
4 and that is the resolution of ACRS action items.

5 If we can establish that we are -- that we  
6 have ticked off all the items that have to do with the  
7 COL, then we can achieve closure on that subject. And  
8 also, as part of it, we would need to see if there is  
9 anything that constitutes an action item for the COL  
10 now as a result of these two days of meetings, or day  
11 and a half of meetings.

12 We talked about squib valves. I expect to  
13 see some comment in our letter and a recommendation  
14 having to do with what we talked about on that. I  
15 don't think we need to repeat it.

16 I don't believe there is anything else on  
17 the screens that we just saw -- talked about. I'm  
18 just going down a list here that I have myself.

19 We may conclude that there is something we  
20 want to recommend on the issue of the tech specs and  
21 debris limitation or the 2\* status of the debris  
22 limitation, but I think we can discuss that later. If  
23 so, there is no action item further, I don't believe.

24 In the area of PRA, I think, Dennis, you  
25 have all of the input that you need, is that correct?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: Yes. And it's not -- yes.

2 CHAIRMAN RAY: We responded to the venting  
3 of lines. Sanjoy, are you satisfied on that?

4 We heard about the coatings on the shield  
5 building just now and the -- Sam has an outstanding  
6 question on the volume percent I guess it is on the  
7 metamic --

8 MEMBER ARMIJO: Yes, it's of the staff and  
9 the -- that is really a staffing question.

10 CHAIRMAN RAY: And then, in the area of  
11 cyber security, I think we need to --

12 MR. JOSHI: Excuse me. What was -- can  
13 you repeat that question?

14 CHAIRMAN RAY: Yes. Let him do it.

15 MEMBER ARMIJO: Yes. The question is:  
16 what is the volume fraction of boron carbide in the  
17 metamic material that -- the maximum that is allowed  
18 by the --

19 MR. JOSHI: We are trying to get hold of  
20 somebody from the staff and try to get information  
21 probably today, or maybe we can provide that at a  
22 later date?

23 CHAIRMAN RAY: Yes, certainly. I think  
24 that that will be fine.

25 And then, the area of cyber security, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 think we have lots of input, or all the input that we  
2 need at this point. But we need to come to some  
3 conclusion about whether there is something that we  
4 want to say about the situation. But, again, I don't  
5 think there is anything more we can ask for in the way  
6 of input.

7 Now, that is just my take on things.  
8 Weidong, have I left out something before I go around  
9 the table here? Sanjoy, do you have anything --

10 MEMBER BANERJEE: I can't think of  
11 anything.

12 CHAIRMAN RAY: -- that I have left out?  
13 Sam? Dennis?

14 MEMBER BLEY: No.

15 CHAIRMAN RAY: Mike?

16 MEMBER RYAN: No. Thank you.

17 CHAIRMAN RAY: Bill? Charlie?

18 MEMBER SHACK: The metamic site, Sam says  
19 it has got 15 to 40 percent B(4)(c) loading.

20 MEMBER ARMIJO: That's weight percent.  
21 But then you turn that into volume percent, that is an  
22 awful lot of --

23 MEMBER SHACK: You've got distributions of  
24 the particles and the distances and separations.

25 MEMBER ARMIJO: They are tiny particles.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 They have to be or else it is -- you know, the idea is  
2 to keep every particle surrounded by aluminum matrix,  
3 or else it is -- comes with porous material.

4 CHAIRMAN RAY: Okay. That sounds -- go  
5 ahead, Ed.

6 MR. ED CUMMINS: I just got some  
7 clarification of Mike's statement. I didn't mean to  
8 say we don't use a 50.59-like process. For example,  
9 in our design change proposals, we have the same  
10 questions. So somebody doing design finalization  
11 might be able to have changed something slightly. But  
12 if you get into a design change, we have a 50.59-like  
13 process that asks those same questions, and we fill  
14 them out and do the same kind of process.

15 CHAIRMAN RAY: Okay. So I think, then,  
16 that we have closure on action items associated with  
17 the COL. Okay? There is nothing more to be presented  
18 by the applicant, correct?

19 MS. AUGHTMAN: Only unless -- this is Amy  
20 Aughtman -- if you had a question about the inspection  
21 on the screen on the weir.

22 CHAIRMAN RAY: No.

23 MS. AUGHTMAN: Okay.

24 CHAIRMAN RAY: I mean, it's --

25 MS. AUGHTMAN: We will inspect, is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 short answer.

2 CHAIRMAN RAY: It's a trash rack, as was  
3 characterized accurately I think, and which is  
4 different than it might have been. And -- but having  
5 looked at what the design is, I think Ed is correct  
6 that there is no need for further discussion.

7 I think Bill's question is, what if  
8 somebody decided they wanted to put in a fine mesh  
9 screen. Is there some way to prevent that from  
10 happening? And so we heard Ed's answer on that.

11 Perhaps I can also tick off Item 11 on our  
12 agenda, which is upcoming ACRS interactions. I  
13 believe -- and I am excluding aircraft impact again  
14 here. That's not what I'm talking about. I believe  
15 the -- there would not be a further interaction with  
16 the staff pending our writing a letter and taking it  
17 to the full Committee in January.

18 We will of course be looking for the COL  
19 applicant to make presentations at the January full  
20 Committee meeting. I don't have any particular  
21 guidance for you other than don't leave out the  
22 doggone squib valve --

23 (Laughter)

24 -- service testing discussion.

25 MS. AUGHTMAN: Yesterday I believe you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 also asked for a more -- a better overview of the  
2 coatings inspection. Would you still like that, or  
3 are you saying that, no, that does not need to be --

4 CHAIRMAN RAY: Well, we had some  
5 discussion because, unfortunately, Sanjoy wasn't able  
6 to see your presentation earlier yesterday of the  
7 fineness of the screens. I think on the issue of the  
8 coating inspection there is a question of  
9 accessibility and the amount of inspection that you  
10 are going to do. Those should be addressed, because  
11 the coating integrity is really important in this  
12 case, and it is a new circumstance.

13 But also, I think other members not part  
14 of the Subcommittee here would want to know, is there  
15 any possibility of material accumulating in between  
16 your inspections that could affect the performance of  
17 the system. And I think the screen discussion is a  
18 valuable part of answering that, both the inlet in the  
19 normal flow path and the screens at the chimney which  
20 prevent ingress of debris in a backflow direction.

21 And so you should be sure to point that  
22 out and talk about it, so that people understand what  
23 the size limits are on --

24 MEMBER SHACK: Can she do that without  
25 diagrams?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RAY: Well, without -- yes, try  
2 and come up with a diagram that isn't security-  
3 related, will you?

4 Anything else that members think the full  
5 Committee should be sure and hear about in the COL  
6 context? Anything occur to you?

7 MEMBER BANERJEE: Well, inspection in the  
8 regions which are hard to see.

9 CHAIRMAN RAY: Yes, that's what I say.  
10 The accessibility for inspection is critical. There  
11 is interest on the part of all of us about the  
12 performance of this containment exterior surface, and  
13 I think there was good material presented on that  
14 yesterday.

15 Most of the discussion, as I say, came  
16 about as a result of the fact that we had part of the  
17 discussion separated from the part that I'm referring  
18 to here now, which has to do with what are the -- what  
19 limits the accumulation of debris of all kinds on the  
20 containment surface.

21 MEMBER BANERJEE: Did they discuss also  
22 the procedures for debris -- latent debris in  
23 containment inspection?

24 CHAIRMAN RAY: Well, we -- not yesterday.  
25 We did refer to it, the sampling, how the sampling is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 conducted, and so on. But they earlier on, I forget  
2 which meeting it was, did have a presentation in which  
3 the way that the samples are --

4 MEMBER BANERJEE: Well, if you are going  
5 to write a letter --

6 CHAIRMAN RAY: Excuse me.

7 MEMBER BANERJEE: So if you are going to  
8 write a letter, probably the full Committee should  
9 hear that.

10 CHAIRMAN RAY: Okay. This is our GSI-191  
11 input here. Want to hear about how we are sure that  
12 Dennis never has to worry about the probability of  
13 exceeding the examination limits assumed. But we have  
14 done the long-term cooling letter, don't get me wrong.  
15 We are in the COL context now.

16 MEMBER BANERJEE: This is the COL context.

17 CHAIRMAN RAY: That's right.

18 MEMBER BANERJEE: It's different.

19 CHAIRMAN RAY: That's right. And so let's  
20 hear about that, too, then, because that will be of  
21 interest. How do you make sure there is only the  
22 assumed -- not more than the assumed amount of debris  
23 latent on the containment when the plant is in  
24 operation? We have had that at the Subcommittee. I  
25 do not believe, Amy, we have had it at the full

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Committee.

2 MS. AUGHTMAN: Right.

3 CHAIRMAN RAY: Okay. So you've got to  
4 have the guy talk about his stickie tape, and so on.

5 MEMBER SHACK: It might be helpful if you  
6 talk -- if you could get some information on limits  
7 that you do, for example, for your current plants, or  
8 if other plants have strict limits. That might make  
9 it more convincing to people that you really can do  
10 this.

11 DR. WALLIS: I think the staff has  
12 presented that.

13 MEMBER SHACK: Yes, I just -- you know,  
14 industry people I would assume have access perhaps  
15 to --

16 MS. AUGHTMAN: I think we can do that.

17 CHAIRMAN RAY: All right. Anything else?

18 (No response)

19 Okay. Anything more on the subject of  
20 interactions? Excuse me, Frank. Anything else on the  
21 subject of interactions?

22 MR. JOSHI: The only thing we just wanted  
23 to point out, how much time we have and which -- what  
24 sort of a date that we are going to have that.

25 CHAIRMAN RAY: I'm sorry. Say that again?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. JOSHI: The date of the full Committee  
2 meeting and how much time is allotted for applicant,  
3 staff, and just want to make sure that we can come up  
4 with an adequate presentation.

5 CHAIRMAN RAY: Well, in terms of the time,  
6 I have to talk to the Chairman or Weidong has to work  
7 with -- to see what else is on the agenda, because  
8 this is an important thing, and we should give it --  
9 we will have two related issues, related in the sense  
10 that they are important to the critical path for  
11 Vogtle -- that is, the COL and the AIA.

12 And we have yet to hear about AIA. That  
13 will be this afternoon here at the Subcommittee level.

14 So it is hard for me to say. But we will for sure go  
15 forward in the January meeting with letters I believe  
16 on both subjects, at least on the COL for sure.

17 Is there anything else that you want to  
18 talk about now on that subject?

19 (No response)

20 All right. So that completes through  
21 Item 11. This afternoon we will have a closed meeting  
22 after lunch break. We will talk about aircraft  
23 impact. I don't think we have any idea how long that  
24 discussion will go, but it will be as long as it  
25 takes. And that will, then, end this Subcommittee

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 meeting sometime this afternoon, maybe shortly after  
2 lunch, maybe some longer period after lunch.

3 So with that, and in the interest of  
4 everybody wanting to get done as soon as we can, I  
5 will ask you to be back here ready to go at 1:25.

6 MS. AUGHTMAN: If I could add one more  
7 thing before you --

8 CHAIRMAN RAY: Sure.

9 (Laughter)

10 MS. AUGHTMAN: If you're still considering  
11 a discussion on PRA with respect to debris limits, I  
12 would want to work with Weidong I think on if there  
13 might be an opportunity to provide some input for  
14 that.

15 CHAIRMAN RAY: To provide some what?

16 MS. AUGHTMAN: Input.

17 CHAIRMAN RAY: Yes. I mean, we're going  
18 to have a Subcommittee meeting in January before the  
19 full Committee meeting, and so you can certainly do it  
20 then, because it is not something that we couldn't  
21 take into consideration in the drafting of the letter  
22 that goes to the full Committee.

23 MEMBER BANERJEE: So the January meeting  
24 will focus on Summer, right?

25 CHAIRMAN RAY: That's my guess.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. AKSTULEWICZ: That's correct.

2 MEMBER BANERJEE: Yes.

3 CHAIRMAN RAY: Okay? And remember,  
4 everybody, Summer doesn't have an ESP. Vogtle did.  
5 And so there is a different mind-set that we have to  
6 take into the Summer meetings to -- for that reason.

7 Okay. So we will recess for an hour  
8 lunch. Back at 1:25. And maybe we'll get out of here  
9 early.

10 (Whereupon, at 12:24 p.m., the proceedings in the  
11 foregoing matter recessed for lunch.)  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701





# **Presentation to the ACRS Subcommittee**

Vogtle Units 3 and 4 – COL Application Review

## **ASE Section 13.3 Emergency Planning**

December 16, 2010

# Emergency Planning

- COLA incorporates by references ESP-004 & AP1000
- VEGP ESP Application (ESP-004)
  - Complete & integrated emergency plan
    - NRC: onsite E-plan, ITAAC, and ETE
    - FEMA: offsite E-plans (State & local)
- Limited scope of EP review for COLA

# Technical Evaluation

- Staff addressed resolution of:
  - ESP Variance (VEGP VAR 1.2-1)
  - 7 ESP Permit Conditions (PCs 2-8)
  - AP1000 Departure (VEGP DEP 18.8-1)
  - AP1000 COL Information Items (STD COL)
  - Exception (basis for EP ITAAC)

## ESP-004 Permit Conditions

- VEGP ESP PC 2 through PC 7
  - Emergency Action Levels (EALs)
    - Reflect NEI 07-01
    - Reflect completed AP1000 design
    - Based on in-plant conditions/State & local review
- VEGP ESP PC 8
  - ESP common TSC (Units 1-4)
  - AP1000 TSC location (VEGP DEP 18.8-1)

# ACRS Action Item 67 & EP ITAAC

- COLA added 2 Unit 3 EP ITAAC
  - AC 5.1.8 (Unit 3 ITAAC, TSC habitability)
  - AC 8.1.1.D.2.d (Unit 3 ITAAC exercise objective)
    - NUREG-0696/NUREG-0737(Supp. 1) – TSC & EOF design shall incorporate good human factors engineering (HFE) principles
    - *“Demonstrate the capability of TSC and EOF equipment and data displays to clearly identify and reflect the affected unit.”*
- AP1000 DCD Tier 1 Table 3.1-1
- ESP-004 (Appendix E)
  - VEGP Units 3 & 4 EP ITAAC

## EP Confirmatory Items

- Verified in future FSAR revision
  - 13.3-1 – VEGP VAR 1.2-1
    - Update TSC location description & figures
  - 13.3-2 – VEGP DEP 18.8-1 (TSC in CSC)
    - Change AP1000 departure from Tier 2\* to Tier 2
  - 13.3-3 – STD COL 13.3-1
    - Revise to incorporate VEGP SUP 13.3-1

## Post-COL Activities

- License conditions, implementation milestones, and ITAAC
  - Submit EALs & EIPs at least 180 days prior to fuel load
  - Submit EP program implementation schedule
  - Full participation exercise within 2 years of fuel load
  - Onsite exercise within 1 year of fuel load
  - EP ITAAC completed prior to fuel load

# Emergency Planning

- **Conclusions**
  - Complete & integrated E-plans are adequate, and there is reasonable assurance that the plans can be implemented
  - There is reasonable assurance that adequate protective measures can and will be taken in the event of a radiological emergency at the VEGP site, in support of full-power operations at VEGP Units 3 & 4





# **Presentation to the ACRS Subcommittee**

**Vogtle Units 3 and 4 COL Application Review**

**Chapter 13.7  
Fitness for Duty**

December 16, 2010

# Staff Review Team

- Fitness for Duty, Lead Technical Reviewer
  - Wayne Chalk
- Fitness for Duty, Senior Program Manager
  - Paul Harris

# Overview

- Background Information
- Application Standards
- Technical Review
- Conclusion

# Background Information

- 10 CFR Part 26
  - Publication Date: March 31, 2008
  - Effective Date: April 30, 2008
  - Purpose
- Phases
  - Operations
  - Construction

# Application Standards

- Acceptance Criteria
  - 10 CFR Part 26
  - 10 CFR 52.79(a)(44)
- References
  - NEI 06-06, Revision 5

# Technical Review

- Areas Covered
  - Adequacy of Construction Phase
  - Adequacy of Operations Phase
- Milestones
  - Table 13.4-201 Operational Programs Required by NRC Regulations
- License Condition
  - Implementation Schedule

# Conclusion

- No Outstanding Information
- One Confirmatory Item
- VEGP COL FSAR is Acceptable
- Conforms to Regulatory Requirements



# **Presentation to the ACRS Subcommittee**

**Vogtle Units 3 and 4 COL Application Review**

**AFSER Section 13.8  
Cyber Security**

**December 16, 2010**



# Staff Review Team

- Technical Staff
  - Mike Shin, ISCPB
  - Tim Shaw, ISCPB
  - Eric Lee, ISCPB
  - John Rycyna, ISCPB
- Project Manager
  - Denise McGovern

# Overview

- Site-Specific Topics of Interest
  - Vogtle cyber security plan (CSP) based on CSP template from RG 5.71
  - Commits to follow RG 5.71 with minor and acceptable site specific modifications
- Technical Topics of Interest
  - Defensive architecture follows guidance in RG 5.71

# Elements of CSP

- Follows RG 5.71 guidance and commits to all elements including:
  - Establishing a cyber security team
  - Identifying critical digital assets
  - Application of security controls
  - Security controls in RG 5.71 appendixes
  - Configuration management process
  - Ongoing assessment of security measures for effectiveness

# Defensive Architecture

- Follows RG 5.71 guidance
  - Multiple levels
  - Increasing security as levels increase
  - Control and isolation of communication between levels
- Staff found architecture acceptable

# **AP1000 Reference Combined License Application Presentation to ACRS Chapter 15**

**December 15-16, 2010**

**Presenters: Amy Aughtman, Eddie Grant**

# R-COLA Chapter 15:

## Accident Analyses

### 15.0 Accident Analyses

#### 15.1 Increase in Heat Removal from the Primary System

#### 15.2 Decrease in Heat Removal by the Secondary System

#### 15.3 Decrease in Reactor Coolant System Flow Rate

#### 15.4 Reactivity and Power Distribution Anomalies

#### 15.5 Increase in Reactor Coolant Inventory

#### 15.6 Decrease in Reactor Coolant Inventory

#### 15.7 Radioactive Release from a Subsystem or Component

# R-COLA Chapter 15: SER Open Items

## SER Open Items (closed in AFSER)

OI 15.0-1 - *Documentation of Plant*

*Calorimetric Uncertainty*

OI 15.4-1: *Generic Letter 85-05*

*"Inadvertent Boron Dilution Events"*

# R-COLA Chapter 15: SER Open Items

## OI 15.0-1: Documentation of Calorimetric Uncertainty

WEC added additional information item via an RAI response.

STD COL 15.0-1 information was provided:

- Some analyses assume one percent uncertainty
- Caldon CheckPlus<sup>™</sup> Leading Edge Flow Meter (LEFM) ultrasonic flow measurement (UFM) instrumentation is used for feedwater flow to support 1% power uncertainty
- Addressed action items from Caldon SER and Supplemental SER for approved methodology, including procedures
- ITAAC to confirm by inspection the instrumentation installed for feedwater flow measurement and its associated power calorimetric uncertainty calculation, and the calculated calorimetric values



# R-COLA Chapter 15: SER Open Items

## OI 15.4-1: Generic Letter 85-05

- The Staff requested that GL 85-05, “Inadvertent Boron Dilution Events” be included in FSAR Table 1.9-204 with cross reference to FSAR Section 13.5 where associated procedures are addressed.
- In a January 22, 2010, letter, the applicant proposed to include the item in FSAR.
- The staff found the response acceptable and concluded that open item has been satisfactorily resolved.



**AP1000**  
**DCWG**



**AP1000**



*Bellefonte 3&4*

*Lee Nuclear 1&2*

*Summer 2&3*

*Vogtle 3&4*

*Harris 2&3*

*Levy 1&2*

*Turkey Point 6&7*

12/15-16/2010



# **Presentation to the ACRS Subcommittee**

**Vogtle Units 3 and 4 COL Application Review**

**ASE Chapter 15  
Accident Analysis**

December 15-16, 2010

# Staff Review Team

- Technical Staff
  - Tony Nakanishi, Reactor Systems, Nuclear Performance & Code Review
  - Michelle Hart, Siting & Accident Consequences
- Project Management
  - Donald Habib, Project Manager

# Overview

Section	Content	Resolved Open Items & Topics of Interest
15.0 Accident Analysis	Standard	<ul style="list-style-type: none"> <li>COL Information Item 15.0-1, Plant Calorimetric Uncertainty Methodology</li> </ul>
15.1 Increase in Heat Removal from Primary System	IBR	
15.2 Decrease in Heat Removal by the Secondary System	IBR	
15.3 Decrease in Reactor Coolant System Flow Rate	IBR	
15.4 Reactivity and Power Distribution Anomalies	Standard	<ul style="list-style-type: none"> <li>Open Item 15.4-1, GL 85-05 (resolved)</li> </ul>
15.5 Increase in Reactor Coolant Inventory	IBR	
15.6 Decrease in Reactor Coolant Inventory	IBR	
15.7 Radioactive Release from a Subsystem or Component	Plant-Specific	
15.8 Anticipated Transients without Scram	IBR	
15A Evaluation Models and Parameters for Analysis of Radiological Consequences of Accidents	Plant-Specific	<ul style="list-style-type: none"> <li>DBA Radiological Consequences Analyses</li> </ul>
15B Removal of Airborne Activity from the Containment Atmosphere Following a LOCA	IBR	

# COL Information Item 15.0-1

## Plant Calorimetric Uncertainty Methodology

- **Background**

- AP1000 DCD Rev.15 assumed a 2 percent power uncertainty for large break LOCA
- However, DCD Rev.17 assumed a 1 percent power uncertainty for large break LOCA, as allowed by 10 CFR Part 50, Appendix K
- COL information item 15.0-1 was added to DCD that called for COL applicant to determine a power uncertainty bounded by safety analysis.

- **Issue**

- Staff needed reasonable assurance that the applicant installs an NRC acceptable feedwater flow instrumentation and demonstrates a power uncertainty of 1 percent or lower using an NRC acceptable method.

- **Resolution**

- Applicant proposed the Caldon CheckPlus™ flow meter design and referenced topical reports ER-80P and ER-157P in the FSAR.
- Applicant acceptably addressed all conditions for using approved ER-80P and ER-157P.
- ITAAC will confirm that the applicant installed the CheckPlus™ design and demonstrated a power uncertainty of 1 percent or lower.
- License condition for applicant to notify staff when 1) documentation of instrument uncertainties is available and 2) documentation of administrative controls implementing CheckPlus™ maintenance and contingency is available.
- The proposed FSAR changes are now **Confirmatory Item 15.0-1**.

# Open Item 15.4-1 (Resolved)

## Generic Letter 85-05

- **Background**

- GL 85-05 urges each licensee to ensure its plants have adequate protection against boron dilution events.
- GL 85-05 was resolved in DCD Rev.15 (NUREG-1793, DCD SER) .
- COL Information Item 13.5-1 requires development of emergency operating procedures.
- In COL FSAR Rev. 0, GL 85-05 was included in Table 1.9-204, “Generic Communications Assessment,” listing of Bulletins and GLs

- **Issue**

- GL 85-05 was removed from Table 1.9-204 in FSAR Rev. 1.
- Staff identified **Open Item 15.4-1**.

- **Resolution**

- Applicant proposed to reinsert reference to GL 85-05 in Table 1.9-204 to provide a cross reference to COL Information Item 13.5-1.
- This FSAR change is now **Confirmatory Item 15.4-1**.

# DBA Radiological Consequences Analyses

- **Issue**

- Appropriate incorporation by reference of the DBA dose analyses from the AP1000 DCD to thereby show compliance with the offsite dose factors in 10 CFR 52.79(a)(1) and the control room dose criterion in GDC 19.
  - VEGP DEP 18.8-1 site-specific TSC (SER 13.3)

- **Resolution**

- Vogtle site characteristic short-term atmospheric dispersion ( $\chi/Q$ ) values are bounded by the values given in AP1000 DCD as site parameters. (SER 2.3)
  - Site characteristic  $\chi/Q$  values are the only site-related DBA dose analysis inputs
  - Dose is directly proportional to the  $\chi/Q$  values for each time period
  - Vogtle  $\chi/Q$ s < AP1000  $\chi/Q$ s
  - Vogtle DBA doses < AP1000 DBA doses
- AP1000 DCD showed compliance with the offsite and control room dose factors for all DBAs, therefore Vogtle also complies.



# **AP1000 Reference Combined License Application Presentation to ACRS**

## **Chapter 8 Electrical Power**

**December 15-16, 2010**

**Presenters: Amy Aughtman, Bob Hirmanpour**

# R-COLA Chapter 8 – Content

## Electrical Power

### 8.1 Introduction

### 8.2 Offsite Power Systems

### 8.3 Onsite Power Systems

# R-COLA Chapter 8: Major Topics

**DCD incorporated by reference**

- One Standard Departure taken (STD DEP 8.3-1)**
- Four COL information items**
- SER w/ Open Items contained no Standard Open Items**
- Chapter 8 includes supplemental information**
- Chapter 8 includes VEGP Site Specific Items**

# R-COLA Chapter 8: COL Items

## VEGP COL 8.2-1 Offsite Electrical Power

- Design of the ac power transmission system and testing and inspection plan.
  - Units 1, 2 and 3, 230/500 kV switchyard
  - Unit 4, 500 kV switchyard
  - Units 3 and 4, Reserve Auxiliary Transformer (RAT) supply, 230 kV Switchyard
  - Switchyard Control Building

## VEGP COL 8.2-2 Technical Interfaces

- ac power requirements from offsite and the analysis of the offsite transmission system and the setting of protective devices.
- Performed a grid stability analysis to show:
  - With no electrical system failures, the grid will remain stable and the reactor coolant pump bus voltage will remain above the voltage required to maintain the flow assumed in the Chapter 15 analyses for a minimum of 3 seconds following a turbine trip.

# R-COLA Chapter 8: COL Items

## VEGP COL 8.3-1 Grounding and Lightning Protection

- Added description of grounding grid system, design per methodology outlined in IEEE 80, "IEEE Guide for Safety in AC Substation Grounding."
- Lightning protection required for VEGP (risk assessment performed per IEEE 665, "IEEE Standard for Generating Station Grounding").

## STD COL 8.3-2 Onsite Electrical Power Plant Procedures

- Provided a description of procedures implementing periodic testing of protective devices that provide penetration overcurrent protection and inspection and maintenance of Class 1E and non-Class 1E batteries (Per RG 1.29 and IEEE 450)

## R-COLA Chapter 8: Supplemental Information

- Provided site-specific information describing the transformer area location and Southern Company Transmission's (SCT) responsibility for maintaining transmission system reliability and conducting planning studies.
- Demonstrated site-specific conditions are bounded by the standard site conditions in the AP1000 DCD for rating the diesel generator.
- Indicated implementation of procedures for periodic verification of capability for automatic and manual transfer from the preferred power supply to maintenance power supply and vice-versa to satisfy the requirements of GDC 18.
- Indicated no site-specific non-Class 1E dc loads connected to the Class 1E dc system.

## R-COLA Chapter 8: Additional Changes

- In response to an RAI, a revision to the FSAR was made to include condition monitoring of Submerged/Inaccessible Electrical Cables:

Condition monitoring of underground or inaccessible cables is incorporated into the maintenance rule program. The cable condition monitoring program incorporates lessons learned from industry operating experience, addresses regulatory guidance, and utilizes information from detailed design and procurement documents to determine the appropriate inspections, tests and monitoring criteria for underground and inaccessible cables within the scope of the maintenance rule (i.e., 10 CFR 50.65). The program takes into consideration Generic Letter 2007-01.

## R-COLA Chapter 8: Additional Changes

- Westinghouse proposed a new COL Item for periodic testing of the battery chargers and voltage regulating transformers.
  - FSAR Subsection 8.3.2.1.4, Maintenance and Testing, will be revised to include establishment of procedures for periodic testing of the Class 1E battery chargers and voltage regulating transformers in accordance with the manufacturer recommendations. The procedures will include circuit breaker testing, fuse/fuse holder inspection, and verifying current limiting characteristic of Class 1E Battery chargers.
  - The FSAR revision included a Departure from DCD Subsection 8.3.2.2 since regulating transformers do not have current limiting capability (STD DEP 8.3-1)



## R-COLA Chapter 8: Additional Changes

- Provided ITAACs for offsite power system.
  - ITAACs included minimum number of transmission lines, capacity, fault protection, and powering reactor coolant pumps for a minimum of 3 seconds following a turbine trip.



**AP1000  
DCWG**



**AP1000**



*Bellefonte 3&4*

*Lee Nuclear 1&2*

*Summer 2&3*

*Vogtle 3&4*

*Harris 2&3*

*Levy 1&2*

*Turkey Point 6&7*

12/15-16/2010

10



# **Presentation to the ACRS Subcommittee**

**Vogtle Units 3 and 4 COL Application Review**

**ASE Chapter 8  
Electric Power**

**December 15-16, 2010**

## Staff Review Team

- Technical Staff
  - **Tania Martinez Navedo**, Electrical Engineer
- Project Manager
  - **Tanya Simms**, Vogtle COLA Review

# Presentation Outline

- Overview of Vogtle COL Chapter 8
- Staff Review Summary

# Overview of Vogtle COL Chapter 8 - Electric Power

- FSAR Chapter 8 incorporates by reference the AP1000 DCD Chapter 8.
  - Supplemental information and COL information items are provided in Sections 8.1, 8.2, 8.3.1, and 8.3.2.

COL Section		Summary of Content
8.1	Introduction	-VEGP SUP 8.1-1 – Vogtle Units 3 and 4 connection to the utility grid -VEGP SUP 8.1-2 - Additional information on regulatory guidelines and standards

# Overview of Vogtle COL Chapter 8 - Electric Power

COL Section		Summary of Content
8.2	Offsite Power System	<ul style="list-style-type: none"> <li>-VEGP COL 8.2-1 – Transmission system description, and its testing and inspection plan</li> <li>-VEGP COL 8.2-2 –Switchyard description and protection relaying</li> <li>-VEGP SUP 8.2-1 –FMEA of the switchyard</li> <li>-VEGP SUP 8.2-2 – Transmission system requirements and studies</li> <li>-VEGP SUP 8.2-3 – Transmission system planning</li> <li>-VEGP SUP 8.2-4 – Stability and reliability of the offsite transmission power system</li> <li>-VEGP SUP 8.2-5 – History of the offsite power lines reliability</li> <li>-VEGP SUP 8.2-6 – Setting of the protective devices controlling the switchyard</li> <li>-Interface Requirements</li> </ul>

# Overview of Vogtle COL Chapter 8 - Electric Power

- Section 8.2.A specifically addresses the site-specific inspections, tests, analyses and acceptance criteria (SS-ITAAC), that the applicant proposed related to the offsite power system that are necessary and sufficient to provide reasonable assurance that the facility has been constructed and will operate in conformance with the COL, the provisions of the Atomic Energy Act, and NRC regulations.

Standard Section		Summary of Content
8.2.A	Site-Specific ITAAC for Offsite Power Systems	-STD SUP 14.3-1 - supplemental information related to the offsite power system



# Overview of Vogtle COL Chapter 8 - Electric Power

Standard Section		Summary of Content
8.3.1	AC Power Systems (Onsite)	<ul style="list-style-type: none"><li>- VEGP COL 8.3-1 – Grounding system and lightning protection</li><li>-STD COL 8.3-2 – Testing of penetration protective devices</li><li>-VEGP SUP 8.3-1 – EDG rating based on site conditions</li><li>-VEGP SUP 8.3-2 - Switchyard and power transformer voltage</li><li>-VEGP SUP 8.3-4 - Periodic verification of onsite ac power system's capability to transfer between preferred and maintenance power supply</li></ul>

# Overview of Vogtle COL Chapter 8 - Electric Power

Standard Section		Summary of Content
8.3.2	DC Power Systems (Onsite)	<ul style="list-style-type: none"><li>-STD DEP 8.3-1 – Class 1E voltage regulating transformer periodic testing</li><li>-STD COL 8.3-2 – Inspection and maintenance of Class 1E batteries</li><li>- STD SUP 8.3-3 Class 1E DC system</li></ul>

# Staff Review Summary

- **Section 8.1 – Introduction**
  - Applicant has adequately addressed VEGP SUP 8.1-1 regarding Vogtle 3 and 4 Units' connection to the SBAA transmission system.
  - The applicant has adequately addressed VEGP SUP 8.1-2 regarding additional information for regulatory guidelines and standards.

# Staff Review Summary

- **Section 8.2 – Offsite Power System**

- The staff finds COL information items VEGP COL 8.2-1 involving the design details of the plant site switchyard and its interface with the local transmission grid adequately addressed pending closure of Confirmatory Item 8.2-1 and 8.2-2.
- The staff concludes that the applicant's condition monitoring program for underground or inaccessible cables satisfies the recommendations of GL 2007-01, and the guidance in NUREG/CR-7000 and NUREG-0800 pending closure of Confirmatory Item 8.2-3

# Staff Review Summary

- **Section 8.2 – Offsite Power System**

- The applicant has adequately addressed VEGP SUP 8.2-1 thru 8.2-6 involving the offsite power system adequacy and availability, testing and inspection of switchyard components and failure modes and effects analysis.
- The applicant provided sufficient information regarding the interfaces for standard design from the generic AP1000 DCD, Table 1.8-1, Items 8.1, 8.2, and 8.3.

# Staff Review Summary

- **Section 8.2.A – Site-Specific ITAAC for Offsite Power Systems**
  - The applicant has adequately addressed STD SUP 14.3-1, involving site-specific ITAAC for the offsite power system pending closure of Confirmatory Item 8.2A-1 f
  - The ITAAC associated with the offsite power system are shown in VEGP COL Part 10, Appendix B, Table 2.6.12-1. Table 8.2A-1 of the SER reflects this table.

# Staff Review Summary

- **Section 8.3.1 – AC Power System (Onsite)**
  - The applicant has adequately addressed the VEGP supplemental information involving the transmission system and its electrical connection to the onsite AC power system.
  - The applicant has adequately addressed VEGP COL 8.3-1 related to the grounding grid system design and lightning protection.
  - The applicant has adequately addressed VEGP SUP 8.3-1 involving the site-specific conditions bounded by the standard site conditions in the AP1000 DCD for rating the diesel generator.
  - The applicant has adequately addressed VEGP SUP 8.3-4 regarding the periodic verification and proper operation of the offsite power system capability for automatic and manual transfer from the preferred power supply to maintenance power supply and vice-versa. The staff concludes that GDC 18 is satisfied for this item.

# Staff Review Summary

- **Section 8.3.2 – DC System (Onsite)**
  - The applicant has adequately addressed STD DEP 8.3-1 and Revised STD COL 8.3-2 related periodic testing of battery chargers and voltage regulating transformers pending closure of Confirmatory Item 8.3.2-2.



# **AP1000 Reference Combined License Application Presentation to ACRS Chapter 9**

**December 15-16, 2010**

**Presenters: Wes Sparkman, Bob Hirmanpour**

# R-COLA Chapter 9: Auxiliary Systems

## 9.1 Fuel Storage and Handling

## 9.2 Water Systems (Plant Specific)

- Raw water system (Section 9.2.11) covered in this presentation as a major topic. Other sections included only minor supplemental information or departure.

## 9.3 Process Auxiliaries

## 9.4 Air-Conditioning, Heating, Cooling, and Ventilation System (Primarily Standard)

## 9.5 Other Auxiliary Systems (Primarily Standard)

## App 9A Fire Protection Analysis (Primarily Standard)

# R-COLA Chapter 9: SER Open Items

## SER Open Items (closed in AFSER)

**OI 9.1-1: Metamic monitoring program** (see next slide)

**OI 9.1-2: LLHS program implementation** (LLHS program to be implemented and inspection to be performed prior to receipt of fuel onsite.)

**OI 9.1-3: OHLHS program implementation** (OHLHS program to be implemented prior to receipt of fuel onsite.)

**OI 9.1-4 : OHLHS inspection implementation** (OHLHS inspection to be performed prior to receipt of fuel onsite.)

# R-COLA Chapter 9: Recent Revisions

## OI 9.1-1 - Metamic monitoring program

Staff requested additional information regarding Metamic monitoring program.

STD COL 9.1-7, Metamic coupon monitoring program, was revised to include:

- Verification of continued presence of the boron via neutron attenuation measurement.
- Monitoring for unacceptable swelling.
- Monitoring for degradation. This includes tests to monitor bubbling, blistering, cracking, or flaking; and a test to monitor for corrosion, such as weight loss measurements and/or visual examination.

COLA Part 10 was revised to include License Condition 2, Item 9.1-7 for implementation of the Metamic coupon monitoring program prior to Commercial operation.

# R-COLA Chapter 9: Plant Specific

## 9.2 Water Systems

### 9.2.11 Raw Water System (RWS)

- Two RWS subsystems – river water and well water
- River water subsystem
  - The source of water for the river water subsystem of the RWS is the Savannah River.
  - Provides makeup water to the circulating water system (CWS) cooling tower basins and dilution for Units 3 and 4 blowdown sump.
  - Not a potential flow path for radioactive fluids
  - Provides alternate source of dilution for radwaste discharge when the CWS is not in use.
- Well water subsystem
  - Design includes features to ensure redundancy and reliability as a source of makeup to the service water cooling towers.
  - Also provides makeup water for fire protection systems.

## R-COLA Chapter 9: Plant Specific

### 9.2.11 Raw Water System (RWS) – Safety Design Basis

- The RWS serves no safety-related function, and therefore, has no nuclear safety design basis.
- In response to staff requests, additional information was provided to show:
  - RWS failures will not adversely affect SSCs that are safety-related or designated for RTNSS.
  - RWS was designed to be a “highly reliable and robust system” capable of operating during a loss of normal alternating current power to provide RWS makeup flow under normal and abnormal conditions.

## R-COLA Chapter 9: Plant Specific

### 9.2.11 Raw Water System (RWS) – Safety Design Basis

- RWS does not provide any RTNSS functions as documented in WCAP-15985, “AP1000 Implementation of the Regulatory Treatment of Nonsafety-Related System Process.”
- Contamination of the RWS piping is not credible based on the RWS design and the configuration relative to potential sources of contamination. No unique design provisions or other features are required for RWS to comply with 10 CFR 20.1406



**AP1000  
DCWG**



**AP1000**



*Bellefonte 3&4*

*Lee Nuclear 1&2*

*Summer 2&3*

***Vogtle 3&4***

*Harris 2&3*

*Levy 1&2*

*Turkey Point 6&7*

12/15-16/2010





# **Presentation to the ACRS Subcommittee**

**Vogtle Units 3 and 4 COL Application Review**

**ASE Chapter 9  
Auxiliary Systems**

**December 15-16, 2010**

# Staff Review Team

- **Technical Staff**

- **Nan Chien**
- **Gordon Curran**
- **Tanya Ford**
- **Charles Hinson**
- **Chang Li**
- **Wendell Morton**
- **Jeffrey Poehler**
- **Edward Roach**
- **Steven Schaffer**
- **James Tatum**
- **Larry Wheeler**

**Tze-Jer (Jerry) Chuang**  
**Thinh Dinh**  
**Raul Hernandez**  
**Yi Hsii (Gene)**  
**Gregory Makar**  
**Amar Pal**  
**Robert Radlinski**  
**Eduardo Sastre**  
**Angelo Stubbs**  
**Christopher Vanwert**  
**Joshua Wilson**

- **Project Manager**
  - **Tanya Simms, AP1000**

# Overview of AP1000 Chapter 9 - Auxiliary Systems

Standard Section		Summary of Content
9.1	Fuel Storage and Handling	<b>-Metamic Monitoring Program</b> <b>-Light Load Handling System</b> <b>-Overhead Heavy Load Handling Systems</b>
9.2	Water Systems	<b>-Plant Specific</b>
9.3	Process Auxiliaries	-Air Systems
9.4	Air Conditioning, Heating, Cooling, and Ventilation System	-Inspections and Testing
9.5	Other Auxiliary Systems	-Fire Protection Program -Diesel Generator Fuel Oil System

# Resolution of Standard Content Open Items

- **Open Item 9.1-1(Metamic Coupon Monitoring Program)**
  - **Issue** - Metamic Monitoring Program – STD COL 9.1-7 specifies coupon surveillance program for SFP neutron absorbing material due to limited service experience with material. The applicant did not provide sufficient details.
  - **Resolution** - The commitment provided by the applicant proposed a License Condition to ensure the appropriate information is available for the staff's inspection of the details of the Metamic Monitoring Program prior to the start of plant operation.

# Resolution of Standard Content Open Items

- **Open Item 9.1-2 (Implementation of Inservice Inspection of the Light load handling system (LLHS))**
  - **Issue** - Inspection & Testing Program – STD COL 9.1-5 specifies a program for in-service inspection (ISI) of LLHS. The applicant did not provide sufficient details.
  - **Resolution** - The commitment provided by the applicant will ensure that the procedures to clarify that the LLHS, including system inspections, is implemented prior to receipt of fuel onsite.

# Resolution of Standard Content Open Items

- **Open Items 9.1-3 and 9.1-4 (implementation of Inservice Inspection of Overhead Heavy-Load Handling System (OHLHS) and The Plant Inspection Program )**
  - **Issue** - Inspection & Testing Program – STD COL 9.1-5 specifies a program for ISI of OHLHS and a schedule milestone for developing the plant inspection program for the handling systems. The applicant did not provide sufficient details.
  - **Resolution** - The commitment provided by the applicant will ensure that the procedures to clarify that the OHLHS, including system inspections and the plant inspection program, will be implemented prior to receipt of fuel onsite

# RWS Description

- **RWS is nonsafety-related and non-seismic**
- **Two subsystems, river water subsystem and well water subsystem**  
**(some equipment is shared between Units 3 & 4)**
  - **River water subsystem (Savannah River) supplies**
    - CWS natural draft cooling towers
    - Water for blowdown sumps
  - **Well water subsystem (2 deep wells) supplies**
    - SWS cooling towers (RTNSS and cold shutdown support)
    - Potable water
    - Fire protection
    - Demineralized water treatment
    - Cooling to CWS pumps

# RWS Description

- **Shared well water subsystem for the Unit 3 & 4**
  - 2 Deep well makeup pumps
  - Underground HDPE piping
  - 300,000 gal storage tank
  - 4 Well water transfer pumps
  - Well water pump house diesel generator supports
    - well water makeup pumps
    - transfer pumps



# Staff Review Summary

- **Well water subsystem has redundancy, a 300,000 gallon storage tank, and pumps are diesel backed**
- **Well water subsystem pumps well exceed the SWS basin makeup requirements**
  - Well water makeup pumps ~ (2) at 1500 gpm
  - Well water transfer pumps ~ (4) 750 gpm
- **Reliable materials are being utilized consistent with industry good practices**
- **RWS is non radioactive and contamination is not credible due to its configuration relative to potential sources of contamination**

# Staff Review Summary

- **GDC 2 and GDC 4 have been satisfied**
  - Failure of the RWS/components will not affect the ability of any risk-significant systems to perform their intended safety functions
  - Failure of the RWS/components will not affect any RTNSS
- **Staff concludes that RWS:**
  - Meets all applicable regulations
  - Considered highly reliable to support CSD

## R-COLA: Action #64

### “Additional” Explosive Hazards During Delivery

ACRS requested information addressing an “additional hazard” when a truck is onsite to replenish the stored hydrogen volume

Administrative controls limit amount and route of deliveries of explosive hazard materials

- Limit distance and volume such that impact to pertinent SSCs is no greater than stationary evaluation results

BK  
24

# **R-COLA: Squib Valves Action**

## **AP1000 Squib Valve Testing**

ACRS requested information addressing the development of inservice testing surveillance activities for the squib valves.

Staff Bullet from 12-15-2010

- Westinghouse and SNC will develop IST surveillance activities for squib valves based on final design and lessons learned from qualification process

COL 3.9-4 – Develop Inservice Testing Program

- FSAR 3.9.6.2.2 currently addresses this commitment

# R-COLA: Squib Valves Action

## AP1000 Squib Valve Testing (cont'd)

VEGP RAI Letter 56 – RAI 3.9.6-1

- Improved surveillance activities being considered by industry
- Include FSAR commitment to incorporate lessons learned
  - from design completion process
  - from qualification process

VEGP Response dated May 27, 2010

- Included in FSAR Revision 3 in August 2010

### VEGP COLA FSAR 3.9.6.2.2

Industry and regulatory guidance is considered in development of IST program for squib valves. In addition, the IST program for squib valves incorporates lessons learned from the design and qualification process for these valves such that surveillance activities provide reasonable assurance of the operational readiness of squib valves to perform their safety functions.