

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
 US EPR Subcommittee Meeting

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Wednesday, January 12, 2010

Work Order No.: NRC-648

Pages 1-89

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

5 + + + + +

6 US EPR SUBCOMMITTEE MEETING

7 + + + + +

8 WEDNESDAY

9 JANUARY 12, 2011

10 + + + + +

11 ROCKVILLE, MARYLAND

12 + + + + +

13 The Advisory Committee met at the Nuclear
14 Regulatory Commission, Two White Flint North, Room
15 T2B3, 11545 Rockville Pike, at 8:30 a.m., Dana A.
16 Powers, Chairman, presiding.

17 COMMITTEE MEMBERS PRESENT:

18 DANA A. POWERS, Chairman

19 J. SAM ARMIJO, Member

20 SANJOY BANERJEE, Member

21 HAROLD B. RAY, Member

22 JOY REMPE, Member

23 MICHAEL T. RYAN, Member

24 WILLIAM J. SHACK, Member

25 JOHN D. SIEBER, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 NRC STAFF PRESENT:

2 SURINDER ARORA, NRO/DNRL

3 DAVID BROWN, NRO/DSER/RSAC

4 JOHN COLACCINO, NRO/DNRL

5 JIM STECKEL, NRO/DNRL

6 RAO TAMMARA, NRO/DSER/RSAC

7 DEREK WIDMAYER, Designated Federal Official

8
9 ALSO PRESENT:

10 GREG GIBSON, UniStar

11 TIM KIRKHAM, UniStar

12 TED MESSIER, AREVA

13 DAN PATTON, Bechtel

14 MARY RICHMOND, Bechtel

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

T A B L E O F C O N T E N T S

	<u>PAGE</u>
Introduction	
Dr. Dana A. Powers, ACRS Chairman.....	4
NRC Staff Introduction	
Surinder Arora, NRO.....	6
Calvert Cliffs RCOL Application	
FSAR Chapter 2, Site Characteristics,	
Group 1, Sections 2.0 through 2.3	
Greg Gibson, UniStar.....	9
Mary Richmond, UniStar.....	13
Tim Kirkham, UniStar.....	45
Calvert Cliffs RCOLA SER with Open Items	
for Chapter 2, Site Characteristics,	
Group 1, Sections 2.0 through 2.3	
Surinder Arora, NRO.....	68
Jim Steckel, NRO.....	68
David Brown, NRO.....	69
Rao Tammara, NRO.....	73
Subcommittee Discussion.....	85
Adjourn.....	89

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3 P-R-O-C-E-E-D-I-N-G-S

4 (8:40 a.m.)

5 CHAIRMAN POWERS: The meeting will now
6 come to order. This is a meeting of the Advisory
7 Committee on Reactor Safeguards, US EPR Subcommittee.

8 I am Dana Powers, Chairman of the subcommittee. ACRS
9 members in attendance are, in principle, Sam Armijo,
10 and Sanjoy Banerjee but they are off getting coffee
11 and they will join us shortly; Harold Ray; Joy Rempe
12 who is our distinguished visitor for this meeting and
13 observer taking notes assessing our performance; Mike
14 Ryan; and Dr. William Shack. Derek Widmayer is the
15 ACRS staff member and is the Designated Federal
16 Official for this meeting.

17 The purpose of the meeting is to continue
18 our review of the safety evaluation report with open
19 item for the Calvert Cliffs Nuclear Power Plant Unit
20 3. We will hear presentations on and discuss the
21 first four sections of Chapter 2 entitled Site
22 Characteristics of the Calvert Cliffs SER.

23 The subcommittee will hear presentations
24 by and hold discussions with representatives of
25 UniStar and the NRC staff and other interested persons

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 regarding these matters.

2 The subcommittee will gather relevant
3 information today and plans to take the result of the
4 review of this chapter along with other chapters of
5 the Calvert Cliffs Unit 3 SER with open items reviewed
6 by the subcommittee to the full committee at a future
7 full committee meeting.

8 And right now, I think that future full
9 committee meeting is tentatively scheduled for March,
10 isn't it?

11 MR. WIDMAYER: Correct.

12 CHAIRMAN POWERS: And we may change our
13 mind on that but that is the intention right here.
14 Rules for participation in today's meeting have been
15 announced as part of the notice of this meeting
16 previously published in the *Federal Register*. We have
17 received no requests from members of the public to
18 speak at today's meeting.

19 A transcript of the meeting is being kept
20 and will be made available as stated in the *Federal*
21 *Register* notice. Therefore, we request that
22 participants in this meeting use the microphones
23 located throughout the meeting room when addressing
24 the subcommittee. They should first identify
25 themselves and speak with sufficient clarity and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 volume so that they may be readily heard.

2 Copies of the meeting agenda and handouts
3 are available in the back of the meeting room. We
4 have a telephone bridge line with the meeting room
5 today and I understand we have participants from
6 UniStar on the line at various times throughout the
7 meeting. We request that participants on the bridge
8 line identify themselves when they speak and to keep
9 the telephone on mute during times when they are just
10 listening.

11 Ah, Mr. Surinder you finally showed at our
12 meetings, huh? All rested from you vacation, --

13 MR. ARORA: Yes, I am.

14 CHAIRMAN POWERS: -- and ready to go?

15 We will now turn to Surinder Arora, the
16 NRO project manager for review of the Calvert Cliffs
17 Unit 3 COLA for some introductory remarks.

18 MR. ARORA: Thank you, Dr. Powers. My
19 name is Surinder Arora and I am the Calvert Cliffs
20 Unit 3 Combined License Application Lead Project
21 Manager for the NRC.

22 We have brought today Chapter 2 which was
23 call as Group 1 and this comprises of 2.0, Sections
24 2.0 through Section 2.3. The remaining two sections,
25 which are 2.4 and 2.5 will be presented to the ACRS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 later.

2 I will start the presentation with an
3 overview of the status of the Application for Calvert
4 Cliffs combined license review. My brief overview of
5 the presentation will be followed by UniStar's
6 overview of Chapter FSAR and which then will be
7 followed up by the NRC staff presentation.

8 We will start with slide number three,
9 which provides the major milestones of the Calvert
10 Cliff Combined License Application.

11 MEMBER RYAN: Excuse me. Could whoever is
12 on the phone line put your phone on mute because your
13 noise is coming through pretty loudly. Thank you.

14 MR. WIDMAYER: Oh, that was more than
15 mute.

16 (Laughter.)

17 CHAIRMAN POWERS: That will teach you,
18 Ryan.

19 MEMBER RYAN: That's okay by me.

20 MR. ARORA: Okay. Slide number three
21 here, which is being projected now provides major
22 milestones of the Calvert Cliff Combined License
23 Application in chronological order. And the last two
24 items on this which are the only ones I am going to
25 discuss are the additions to the table.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 In November we were here before the
2 subcommittee and at that time we added to the list
3 Chapters 10, 11, and 16, completed Phase III on them.

4 So as of today before this Chapter 2, we have nine
5 chapters which have already been through subcommittee
6 review.

7 And then towards the end of the year last
8 year, specifically on 12/20/2010, Revision 7 of the
9 application was submitted by UniStar, which is the
10 current latest revision of record.

11 The next slide, slide number four,
12 provides currently published milestone dates for the
13 six phases of the application review process. And as
14 I noted on the note underneath the table, these target
15 dates are currently being reviewed in light of the
16 review schedule that we issued for the Design
17 Certification Document which might affect these dates.

18 And we will be reviewing these dates and changing
19 them as necessary.

20 Slide five, which is my last slide, is
21 giving the chapters that we have already completed and
22 they are by groups as how they were presented to the
23 ACRS committee. And Chapter 2, Group 1 is today's
24 presentation, which will take us to about nine and a
25 half chapters done and will meet the midpoint of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 application having 19 chapters, so we will be at 9.5
2 at the end of the day today.

3 CHAIRMAN POWERS: I don't think it is
4 linear.

5 MR. ARORA: Pardon?

6 CHAIRMAN POWERS: I don't think it is
7 linear.

8 (Laughter.)

9 MR. ARORA: That basically concludes my
10 presentation of the schedules of the project. And I
11 will answer any questions from the subcommittee, if
12 there are any.

13 CHAIRMAN POWERS: Any questions that
14 people would like to pose to Mr. Arora?

15 MR. ARORA: If not, then I will turn over
16 the presentation to Mr. Gibson, so that they can
17 start. He can introduce his presenters.

18 CHAIRMAN POWERS: It's all yours, sir.

19 MR. GIBSON: Thank you.

20 CHAIRMAN POWERS: You've got some new
21 faces. You have got one new face.

22 MR. GIBSON: Well we do and I wanted,
23 therefore, to do an introduction myself. Welcome. My
24 name is Greg Gibson. I am the Vice President of
25 Regulatory Affairs for UniStar Nuclear Energy. My

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 background, or those of you who don't know me, I have
2 a bachelor's degree from Georgia Institute of
3 Technology in physics. I also have a master's an MBA.

4 I have 35 years in the nuclear industry. I
5 started out with the Nuclear Regulatory Commission. I
6 had eight years with the NRC right after the TMI.

7 I then went to Southern California Edison
8 and had the distinct pleasure of working for Harold
9 Ray at San Onofre.

10 CHAIRMAN POWERS: That is the real reason
11 we cut you a little break. We figure you had suffered
12 enough.

13 (Laughter.)

14 MR. GIBSON: I worked for Harold for 23
15 years. Then I went to South Texas Project where I
16 worked as a Regulatory Affairs Manager for the first
17 submitted COLA application.

18 And then UniStar made me an offer I
19 couldn't refuse and I moved to Baltimore, where we are
20 heading up the UniStar efforts for the EPR RCOLA and
21 the SCOLAs.

22 CHAIRMAN POWERS: Now Texas to Baltimore,
23 that must have been a good offer.

24 MR. GIBSON: But I keep going to the right
25 coast.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But I also have perhaps met many of you
2 through the American Nuclear Society. I have been
3 very active in the Society. I was also the Chairman
4 of the Operations Power Division. I have been several
5 national committee chairmen on organizing committees
6 for the Utility Working Conference and for several of
7 the national meetings.

8 So with that, I am pleased to be here
9 today. Let me be probably the last person to say
10 Happy New Year but we are very appreciative of the
11 opportunity to come before the committee and to
12 continue with our presentations on the Calvert Cliffs
13 Unit 3 SER.

14 With that today we are going to be
15 focusing our presentation on Chapter 2.0 through 2.3.

16 As you may recall, as you read through our
17 application, the RCOLA was authored utilizing the
18 standard incorporate by reference. So we have used
19 that from the Design Certification Document.

20 We will only be talking about information
21 which is either a departure, an exemption, or a site-
22 specific information for the Calvert COLA.

23 We did have already AREVA come in for the
24 design certification. They met with the ACRS staff on
25 November the third.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So with that, I would like to outline our
2 presentation. I am joined here by Tim Kirkham and
3 Mary Richmond. We also have individuals supporting us
4 from our Bechtel and AREVA team. And Dan Patton is
5 here as is Ted Messier. Pedro Perez and Robert
6 Mickler, I believe are on the telephone. So we will
7 hopefully have them join us, if we need them.

8 And again, we will be focusing on site-
9 specific information dealing with Chapter 2, which is
10 Site Characteristics.

11 Again, our FSAR we specifically went
12 through the Design Certification Document and looked
13 for areas where we departed from those. As you will
14 hear later in Chapter 2.3, we actually have three
15 departures, one of which is also an exemption. I
16 don't want to spoil the ending but one deals with wet
17 bulb temperature and two of them deal with chi/Q
18 values. And we will talk about that obviously when we
19 get to Chapter 2.3.

20 But we do want to tee up our site-specific
21 parameters to discuss them with you and to let you
22 know that they are bounded with the exception of the
23 three cases that we will discuss in detail. They are
24 bounded by the analysis, which is performed by the US
25 EPR and the design certification. And so we will take

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 each one of these and provide an overview of each one
2 of the individual chapters.

3 So with that, I would like to introduce
4 Mary Richmond.

5 MS. RICHMOND: Thank you.

6 MR. GIBSON: Mary?

7 MS. RICHMOND: Good morning. I am Mary
8 Richmond with Bechtel. Today, I will be presenting
9 some site-specific information related to Sections 2.1
10 and 2.2.

11 I have a master's degree in environmental
12 engineering from Johns Hopkins University and I have
13 over 25 years' experience in the environmental field.

14 CHAIRMAN POWERS: You must have started at
15 six.

16 (Laughter.)

17 MS. RICHMOND: No. The last four and a
18 half years of which I have been working on about six
19 COL and EST applications, with the primary
20 responsibilities in the hazardous analysis work.

21 First we will be starting with 2.1, which
22 is the geography and demography of the site. The
23 Calvert Cliffs Unit 3 site is located in the
24 southeastern sector of Calvert County. Calvert County
25 is a peninsula. It is bounded by the Chesapeake Bay

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on the east and the Patuxent River on the west. Some
2 of the closest metropolitan centers to the site are
3 Annapolis, Maryland, which is 35 miles to the north,
4 Baltimore, which is 60 miles to the north, Washington,
5 D.C., 25 miles to the northwest, and Richmond,
6 Virginia, which is 80 miles to the southwest.

7 This slide provides a bit of a perspective
8 of the site's location. The site location is
9 represented by the yellow star kind of in the middle
10 there. It just gives you an idea in relation to some
11 of the geographical features we will be discussing
12 today. You can see the Chesapeake Bay on that slide.

13 MEMBER BANERJEE: Do you have the
14 topography, Mary, somewhere?

15 MS. RICHMOND: I don't believe we have a
16 slide of the topography. It is basically kind of
17 rolling hills. It's got the cliff down to the Calvert
18 Cliffs, to the Chesapeake Bay from there.

19 MEMBER BANERJEE: It is pretty flat on
20 top?

21 MS. RICHMOND: On top is, I would say,
22 gently rolling. Lots of trees.

23 MEMBER BANERJEE: What is the elevation
24 over the Bay?

25 MS. RICHMOND: I am not sure what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 elevation is over the Bay.

2 MEMBER BANERJEE: You are going to -- It
3 is in the report?

4 MR. GIBSON: Yes.

5 MS. RICHMOND: Right.

6 MEMBER BANERJEE: What is the nearest
7 railway line and things?

8 MS. RICHMOND: There are no rail lines for
9 this site that come within five miles. And when we
10 get into that, I will tell you all the nearest
11 industrial facilities and we will kind of outline that
12 for you in the 2.2 discussion. Okay?

13 MEMBER SHACK: Elevation ranges from zero
14 meters to 46 meters.

15 MS. RICHMOND: Thank you. The closest
16 population center to Calvert Cliffs Unit 3 defined by
17 10 C.F.R. 100.3 is St. Charles. St. Charles has a
18 population of 33,379, based on the 2000 census. It is
19 located approximately 26 miles from Calvert Cliffs
20 Unit 3, which meets the requirements of 10 C.F.R.
21 100.11(a)(3), which basically stipulates that the
22 population center be at least one and one-third times
23 the distance from the reactor to the outer boundary of
24 the low population zone.

25 The low population zone for Calvert Cliffs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Unit 3 is a circle with a radius of one and half miles
2 centered on Calvert Cliffs Unit 3. This provides a
3 distance between St. Charles and the site much greater
4 than the required distance in 10 C.F.R. 100.11(a)(3).

5 And as you will see on the next slide,
6 Calvert Cliffs Unit 3 site also meets the population
7 density criteria found in Reg Guide 4.7. That is,
8 the areas adjacent to Calvert Cliffs Unit 3 don't
9 exceed 500 persons per square mile averaged over any
10 radial distance out to 20 miles at the time of COL
11 approval and within five years thereafter.

12 And this is a graphical representation of
13 the population density requirements. As you can see,
14 the projected population density for the year 2015 and
15 that is kind of like a greenish line, which is the
16 assumed year of the initial operations, is well below
17 the 500 person per square mile criterion. And the
18 graph also shows the projected population density for
19 the year 2055, which is the assumed ending year of
20 operations. This population density is less than
21 1,000 persons per square mile and that is a benchmark
22 that is used.

23 The exclusionary boundary for Calvert
24 Cliff Unit 3 is a circle with a radius of about 0.6
25 miles. This boundary establishes a radius of at least

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a half a mile from any potential release point at the
2 site. The ownership of Calvert Cliffs Unit 3
3 possesses the authority to determine all activities,
4 including the exclusion and removal of personnel and
5 property.

6 The control of access will be provided by
7 posting the boundary and performing security patrols.

8 There are no state or country roads or railways which
9 traverse the EAB.

10 There are portions of the EAB that do
11 extend into Chesapeake Bay. These will be posted by
12 buoys and there is an ongoing agreement so that will
13 be continued with the United States Coast Guard and
14 the Maryland Department of Natural Resources Police.

15 MEMBER ARMIJO: Do you have peers and
16 landings near the site or at the site?

17 MS. RICHMOND: Marinas?

18 MEMBER ARMIJO: They have their own but it
19 is not used too often. There are two marinas within
20 five miles of the site that we did take a look at and
21 screened them in Section 2.2. We did identify two
22 marinas.

23 MEMBER ARMIJO: Those are for public use
24 or --

25 MS. RICHMOND: For public use. They are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 recreational marinas. Okay?

2 And now we will be presenting site-
3 specific information relating to nearby industrial,
4 transportation, and military facilities.

5 The potential external and internal
6 hazards, facilities and activities within five miles
7 and airports within ten miles of Calvert Cliffs Unit 3
8 were identified. We also looked at facilities at
9 greater distances if they met a significance -- if
10 they were significant and we thought they needed to be
11 looked at.

12 The transportation routes that we
13 identified were Maryland 2/4, the Dominion Cove
14 Liquefied -- it is a pipeline they have associated
15 with it. It comes within a few miles of the facility.

16 And then we also looked, we identify on-site
17 transport and storage of chemicals related to Calvert
18 Cliffs Units 1, 2, and 3; an external facility, the
19 Dominion Cove Point Liquefied Natural Gas Facility.

20 And we identified two marinas and an
21 airfield within five miles of the site. Each marina
22 screened and so did the airfields. We looked at the
23 chemicals stored at the marinas. Basically it was
24 gasoline, number two fuel and propane. Those
25 chemicals were stored closer in greater quantities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So that analysis would bound anything stored at the
2 marinas.

3 MEMBER BANERJEE: Do you have a map
4 showing where these things are, these facilities?

5 MS. RICHMOND: In the SAR section, we do
6 have a map showing the location of all of the
7 facilities.

8 MEMBER BANERJEE: Could you just later on
9 give me the number?

10 MS. RICHMOND: In the SER? Okay. Do you
11 have it? Dan has it.

12 MR. PATTON: This is Dan Patton from
13 Bechtel. It is in the application. It is figure
14 2.2.1.

15 MEMBER BANERJEE: And what is the closest
16 large store of liquefied gases like propane and
17 things?

18 MS. RICHMOND: The closest, for propane
19 what we did, we analyzed the transport of it on
20 Maryland 2/4. And I believe Maryland 2/4 comes within
21 a mile and a half. Dan, was that --

22 MR. PATTON: A mile and a half. This is
23 Dan Patton. That is correct. It is a mile and a
24 half.

25 MS. RICHMOND: Right. So we evaluated the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 transport of it because that was the closest.

2 MEMBER BANERJEE: And that is just propane
3 which is transported by truck?

4 MS. RICHMOND: Truck. Exactly.

5 MEMBER BANERJEE: And what is the sort of
6 volume of that? How many gallons?

7 MS. RICHMOND: We used 50,000 pounds and
8 released the whole quantity. Since it was a liquefied
9 gas, we assumed the rupture and we assumed the
10 immediate detonation of the full load of 50,000
11 pounds.

12 MEMBER BANERJEE: Did you look at the
13 vapor cloud as well?

14 MS. RICHMOND: Yes, we did do a vapor
15 cloud explosion analysis in addition to that.

16 MEMBER BANERJEE: And what about transport
17 of the vapor clouds?

18 MS. RICHMOND: Yes. We used ALOHA to
19 disburse and transport it and then it was detonated
20 using the dispersion model.

21 MEMBER BANERJEE: As long as you are going
22 UFL, LFL?

23 MS. RICHMOND: Exactly. We did the
24 distance to the LFL for propane also.

25 MEMBER BANERJEE: Was propane the worst or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 were the others?

2 MS. RICHMOND: We did propane. For
3 transport propane was probably the -- Yes, that was
4 the founding chemical.

5 MEMBER BANERJEE: Well I don't want to ask
6 you questions which you don't talk about.

7 MS. RICHMOND: That's okay. We are
8 actually at the slide now. So, we can --

9 MEMBER BANERJEE: All right. What about
10 butane, then? Was there any butane?

11 MS. RICHMOND: What we did was a search of
12 all this. Because it is a peninsula, we did a search
13 of all the ports, of all the facilities in Calvert
14 County and Saint Mary's. Otherwise, there really
15 wouldn't be a likelihood of transporting them out.

16 We did a screening analysis. The
17 commodities going up and down Route 2/4 that we looked
18 at were propane, gasoline, and then there was ammonium
19 hydroxide, 19 percent rate.

20 MR. PATTON: And aviation gasoline.

21 MS. RICHMOND: And aviation gasoline.

22 MEMBER BANERJEE: Of these, propane was
23 the one that had the highest hazard?

24 MR. PATTON: That is correct.

25 MEMBER BANERJEE: And it was well below

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 your 1.5 or whatever?

2 MS. RICHMOND: It was, yes.

3 MEMBER BANERJEE: And you used ALOHA and
4 you ignited it?

5 MS. RICHMOND: Right. For the vapor cloud
6 explosion, we used ALOHA to disperse and ignite the
7 cloud. And then we also did a TNT equivalency
8 detonation right at the source. So we looked at both,
9 two scenarios there.

10 MEMBER BANERJEE: And the worst case was
11 at the source or after the --

12 MS. RICHMOND: The travel.

13 MEMBER BANERJEE: Yes.

14 MS. RICHMOND: Yes.

15 MEMBER BANERJEE: And what distance was
16 that on the plant when you got ignition on that?

17 MS. RICHMOND: Dan, do you have that?

18 MR. PATTON: This is Dan Patton from
19 Bechtel. The distance from the site is approximately
20 2,000 feet from the point of the 1 psi threshold to
21 the site, approximately 2,000 feet.

22 MEMBER BANERJEE: And your ignition, when
23 did you go below LFL in terms of dilution? This was
24 pascal f weather or --

25 MS. RICHMOND: We did a met sensitivity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 analysis. I believe pascal f at one meters per second
2 was our worst case scenario. The distance to the LFL
3 was --

4 MR. PATTON: The distance to the LFL from
5 the source was 2300 feet.

6 MEMBER BANERJEE: Seems reasonable.

7 MS. RICHMOND: Right. It was a pretty
8 conservative analysis.

9 MEMBER BANERJEE: It is not a very big
10 source. Right?

11 MS. RICHMOND: Right. And we didn't take
12 in -- We were pretty conservative. We didn't take
13 any topography of the site. So we assumed it was open
14 country. So we didn't use a roughness factor.

15 MEMBER BANERJEE: Is it fairly open on the
16 highway?

17 MS. RICHMOND: I think there are some
18 trees, some, but it is not --

19 MEMBER BANERJEE: But is not big hills or
20 anything?

21 MS. RICHMOND: No. We don't have cliffs
22 or anything between the road the site.

23 MEMBER BANERJEE: That was your limiting
24 vapor cloud explosion.

25 MS. RICHMOND: For the transport on 2/4,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 right.

2 MEMBER BANERJEE: Were there any other
3 sources nearby or heavy gases, heavy liquefied gases,
4 other than that transport line?

5 MS. RICHMOND: Other than that transport,
6 we have the pipeline.

7 MEMBER BANERJEE: That is liquefied
8 natural gas.

9 MS. RICHMOND: Right. Right. For heavy
10 gases, I think that is it. Right? That's it for the
11 heavy gases.

12 MEMBER BANERJEE: And with the LNG, are
13 you going to talk about the LNG lines?

14 MS. RICHMOND: We can talk about the LNG,
15 yes.

16 MEMBER BANERJEE: You are going to.

17 MS. RICHMOND: Well, I can. This is our
18 slide for hazard.

19 MEMBER BANERJEE: Oh, okay.

20 MS. RICHMOND: So, whatever questions.

21 MEMBER BANERJEE: Oh, then I will ask you
22 the question.

23 What did you do with the LNG? Did you
24 take into account that it would behave like a heavy
25 gas in the early stages of release?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. RICHMOND: Yes because of the
2 aerosolization when we used the ALOHA model.

3 MEMBER BANERJEE: Does ALOHA take into
4 account the mist that also forms when you have cold
5 gases? I don't know ALOHA at all.

6 MS. RICHMOND: Yes. It only uses DEGADIS.

7 MEMBER BANERJEE: It is DEGADIS. Right?

8 MS. RICHMOND: Right, it is DEGADIS and
9 that is what it does.

10 In some cases you have to know when you
11 are using the model to make sure that it takes that
12 into account and you can make sure that it uses the
13 DEGADIS model for some of these liquefied gases. So
14 when we are doing that, we always make sure.

15 It will give you a warning in some cases
16 to make sure that you use. And so we usually do it.
17 We usually run both models and do a comparison. But
18 when we are working with like a liquefied gas we know
19 that as soon as it is released like that, it is going
20 to be heavy because of the aerosol particles in it.

21 MEMBER BANERJEE: Yes and it will also
22 form mist, which we tend to keep --

23 MS. RICHMOND: Keep it on the ground for
24 much longer. You are right

25 MEMBER BANERJEE: -- longer. Right. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 your analysis takes that into account.

2 MS. RICHMOND: Yes, it does.

3 MEMBER BANERJEE: And the LNG, you have a
4 source and you have a pipeline. Right?

5 MS. RICHMOND: Right.

6 MEMBER BANERJEE: How close are those to
7 the --

8 MS. RICHMOND: The pipeline came within
9 1.2 I want to say.

10 MEMBER BANERJEE: Miles?

11 MS. RICHMOND: Miles, yes. Yes. And the
12 actual facility is 3.2 miles away.

13 MEMBER BANERJEE: And how large is the
14 pipeline?

15 MS. RICHMOND: Thirty-six inch diameter.

16 MEMBER BANERJEE: Oh, okay. So this is a
17 real pipeline --

18 MS. RICHMOND: This is a real pipeline.

19 MEMBER BANERJEE: -- coming to the plant
20 and everything. Okay.

21 And did you, for the pipeline you took
22 block valves and the amount of stuff between them or
23 what?

24 MS. RICHMOND: What we did was because the
25 pipeline comes from the Dominion Cove Point Liquefied

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Natural Gas facility, we said that it was an infinite
2 reservoir source because of the large tank there.

3 MEMBER BANERJEE: Okay.

4 MS. RICHMOND: So we didn't take any of
5 the block valves into account.

6 MEMBER BANERJEE: So you had a continuous
7 plume?

8 MS. RICHMOND: Had a continuous, right.

9 MEMBER BANERJEE: And you ignited that.

10 MS. RICHMOND: Exactly.

11 MEMBER BANERJEE: Okay.

12 MEMBER SHACK: Is there going to be a
13 second pipeline when the expansion is done?

14 MS. RICHMOND: A second pipeline, yes,
15 when the expansion is finished. It won't go closer
16 than the pipeline than we analyzed. The expansion
17 from what we are aware of, will actually in the
18 vicinity of the site, will actually go further away.

19 Much of the new pipeline will run
20 alongside it but in the vicinity of Calvert Cliffs, it
21 kind of veers off and comes back around.

22 MEMBER BANERJEE: And so in this case, was
23 the pressure wave less than the one from the propane
24 or more or what?

25 MS. RICHMOND: Actually I think the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 distance to one psi was 5,808 feet, Dan, for that
2 analysis.

3 MEMBER BANERJEE: So that was a little
4 closer.

5 MS. RICHMOND: Right.

6 MEMBER BANERJEE: And this plume now, you
7 had pascal f type weather, everything?

8 MS. RICHMOND: Yes.

9 MEMBER BANERJEE: You took the worst
10 possible --

11 MS. RICHMOND: Exactly. We did a met
12 sensitivity analysis when we did the run. Right. We
13 usually always do that. We will take the defined
14 pascal classes and we will do a sensitivity analysis
15 to make sure that we have captured the worst case
16 meteorological conditions.

17 MEMBER BANERJEE: Going towards the plant
18 and everything.

19 MS. RICHMOND: Right straight toward the
20 plant. We don't take into account the prevailing
21 meteorological conditions. We just say if this is the
22 worst case, the conditions from the receptor straight
23 line to the source.

24 MEMBER BANERJEE: So with this, the
25 pipeline I guess, you are limited by critical flow as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to what the plume would be. Right?

2 MS. RICHMOND: Right.

3 MEMBER BANERJEE: And you did a double-
4 ended guillotine of the pipeline.

5 MS. RICHMOND: A complete break.

6 MEMBER BANERJEE: Right. Okay, so I
7 understand that.

8 With the facility, which is a little
9 further away, of course, did you fail the facility,
10 the largest tank instantaneously or what did you do
11 there?

12 MS. RICHMOND: What we did, because the
13 facility is much further way, when the Dominion Cove
14 Liquefied Natural Gas went before FIRC, they did a
15 whole risk plan. So they did do a risk analysis where
16 they simultaneously released all the contents of the
17 large tanks. Their distances were much lower than the
18 distance we got from the pipeline because the pipeline
19 is much closer. So we consider the pipeline the
20 bounding case. And that is the only one that we did.

21 MEMBER BANERJEE: But this potentially
22 could be a larger source if you formed a pool which
23 boiled off.

24 MS. RICHMOND: Right. And the tanks are
25 burned.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: They are burned. So you
2 took that area, or somebody did.

3 MS. RICHMOND: They did. Right. They did
4 analyze that area when they did the loss of all of
5 times together.

6 MEMBER BANERJEE: But you didn't do an
7 independent analysis of this?

8 MS. RICHMOND: We didn't do an independent
9 analysis of that. We did do one for the pipeline but
10 not for the tanks.

11 MEMBER BANERJEE: How large is the pool
12 radius, do you know?

13 MS. RICHMOND: The --

14 MEMBER BANERJEE: Between the berm, I mean
15 it is bermed. Right?

16 MS. RICHMOND: I know what you are saying.
17 What is the diameter of the berms. Dan has got the
18 report. I know it is towards the back where the
19 modeling is.

20 MEMBER BANERJEE: And they did this
21 analysis using the usual heat transfer models, --

22 MS. RICHMOND: Yes.

23 MEMBER BANERJEE: -- mass transfer models,
24 et cetera, from the pool.

25 MS. RICHMOND: Right. Exactly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: That you will have in
2 your report.

3 MS. RICHMOND: Right. It wasn't ALOHA
4 they used. They used a similar model, I think, from
5 Shell to do the analysis.

6 MEMBER BANERJEE: HEGADAS, probably.

7 MS. RICHMOND: It was -- It seemed like it
8 was --

9 MEMBER BANERJEE: Some variation of that.

10 MS. RICHMOND: Yes. Yes, because it was
11 very similar. They laid out what their assumptions
12 were to what we had done for ALOHA.

13 MEMBER BANERJEE: Okay. Because the pool
14 can have --

15 MS. RICHMOND: Right.

16 MEMBER BANERJEE: -- potentially have a
17 large diameter --

18 MS. RICHMOND: Right.

19 MEMBER BANERJEE: -- and have a fairly
20 large evaporation rate.

21 MS. RICHMOND: And that was limited by the
22 berms.

23 MEMBER BANERJEE: Right. So that is what
24 limited the evaporation rate. Right?

25 MS. RICHMOND: Right. And they did do a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 complete failure. And actually they went further than
2 what we would have done because we would have taken
3 the largest tank and failed it. They simultaneously
4 failed all seven tanks at the site when they did it.

5 MEMBER BANERJEE: Well it could happen
6 because these things propagate --

7 MS. RICHMOND: Right.

8 MEMBER BANERJEE: -- if it does blow.

9 MS. RICHMOND: And that is what they did.
10 They did look at that.

11 MEMBER BANERJEE: Did they also look at
12 BLEVEs?

13 MS. RICHMOND: They didn't consider that
14 to be the limiting case. They looked at jet --

15 MEMBER BANERJEE: No, it is too far.

16 MS. RICHMOND: Right. It is very far.
17 Three miles we are not going to get the BLEVE for the
18 heat. So we didn't go ahead and do that analysis.

19 They did look at jet fires for the
20 pipeline and that was well within. It was much less
21 than the distance that we got for the one PFI vapor
22 cloud explosion. That was kind of the limiting
23 distance for the pipeline.

24 MEMBER BANERJEE: So what did they say?
25 It is less than a kilowatt per meter squared or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 something like that for these clouds of radiation?

2 MS. RICHMOND: What they did do is --
3 Well, they committed, there is, FIRC has a limitation
4 to keep it under I believe nine and a half kilowatts
5 per meter square on their site. What Dominion has
6 committed to doing is to keep it below five kilowatts
7 per meter squared on their site. Now that is three
8 miles away. So there is --

9 MEMBER BANERJEE: Yes. So it would be
10 less than --

11 MS. RICHMOND: The thermal radiation from
12 that is not going to be an issue.

13 MEMBER BANERJEE: Less than a kilowatt per
14 meter squared.

15 MS. RICHMOND: Exactly.

16 MEMBER BANERJEE: Just sunlight.

17 MS. RICHMOND: Right. That is not going
18 to be an issue.

19 MEMBER BANERJEE: Okay, I think I have got
20 the picture.

21 MS. RICHMOND: Okay.

22 MEMBER BANERJEE: You are going to talk
23 about toxic chemicals. Right?

24 MS. RICHMOND: I can. We did explosions
25 and I think we covered most of the explosions now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But the analysis that we did demonstrates that an
2 overpressure of 1 psi won't exceeded for any safety-
3 related structure for any of the postulated event
4 scenarios that we considered.

5 We also looked at flammable and explosive
6 vapor clouds that delayed ignition category in 1.2.6.

7 We looked at the flammable distance to the lower
8 flammable LFL. We also looked at the distance of 1
9 psi for the traveling vapor cloud. And for the
10 pipelines, we also presented the jet fire distance on
11 the thermal clouds.

12 MEMBER BANERJEE: On the pressure wave
13 calculation, --

14 MS. RICHMOND: Right.

15 MEMBER BANERJEE: -- as you know with
16 unconfined vapor cloud explosions, it depends on the
17 degree of partial confinement.

18 MS. RICHMOND: Right. We assumed, we
19 conservatively -- What we did is we assumed that it
20 was going to detonate.

21 MEMBER BANERJEE: Completely --

22 MS. RICHMOND: We just detonated.

23 MEMBER BANERJEE: Oh, you detonated it.

24 MS. RICHMOND: Yes. So we were very
25 conservative for a worst-case scenario. We detonated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it. We didn't --

2 MEMBER BANERJEE: That is very
3 conservative.

4 MS. RICHMOND: Yes. Yes because that is
5 never going to happen. But that is what we do and it
6 meets that then we know we are good.

7 MEMBER BANERJEE: Yes, that is very
8 conservative.

9 MS. RICHMOND: Yes.

10 MEMBER BANERJEE: Okay.

11 MS. RICHMOND: And we also looked at toxic
12 chemicals and our analysis demonstrate that a toxic
13 vapor cloud involving any of the identified chemicals
14 would not affect the safe operation of Calvert Cliffs
15 Unit 3.

16 MEMBER BANERJEE: What was the nearest
17 source?

18 MS. RICHMOND: I believe ammonium
19 hydroxide storage from the Calvert Cliffs Unit 1 was
20 the bounding case in this.

21 MEMBER BANERJEE: I noticed your HCl was
22 higher. Where did that come from?

23 MS. RICHMOND: Actually, our hydrochloric
24 acid stored at Unit 1 and the analysis that we
25 performed show there was not going to be an issue with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the hydrochloric acid. I think that was primarily a
2 difference in the way that -- I think the NRC had a
3 bit of an issue when they did hydrochloric acid.

4 Now when we did our analysis, it is a
5 solution, sort of a solution. So we took into account
6 that it was a solution. And I am not positive but the
7 NRC might have --

8 MEMBER BANERJEE: Vaporized it.

9 MS. RICHMOND: Yes.

10 MEMBER BANERJEE: And so the hydrochloric
11 acid and what was the other one?

12 MS. RICHMOND: The one, our bounding case
13 was --

14 MEMBER BANERJEE: Ammonium hydroxide?

15 MS. RICHMOND: -- ammonium hydroxide.

16 MEMBER BANERJEE: Okay.

17 MS. RICHMOND: That was our bounding case.

18 MEMBER BANERJEE: And what was the -- it
19 was just the materials stored at the other site.

20 MS. RICHMOND: Exactly in Unit 1.

21 MEMBER BANERJEE: There were no other
22 sources of toxic materials.

23 MS. RICHMOND: Right. Exactly. There was
24 nothing else within five miles than those chemicals
25 stored at 1 and 2.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: What about along this
2 road? Are there any toxic chemicals transported?

3 MS. RICHMOND: We looked at ammonium
4 hydroxide for the chemical transported along 2/4. And
5 from the SARA reports, it was concentration strength
6 of 19 percent that we looked at going up and down 2/4.

7 MEMBER BANERJEE: There was no liquid
8 ammonia transported.

9 MS. RICHMOND: No anhydrous ammonia
10 transported. There is some transported by barge along
11 the Chesapeake Bay and we did look at that.

12 MEMBER BANERJEE: And how far is that?

13 MS. RICHMOND: To the navigable waterways,
14 11,678 feet.

15 MEMBER BANERJEE: That's a long way.

16 MS. RICHMOND: That's a long way. Right.
17 And the anhydrous ammonia was the limiting chemical
18 there. And we did look, when we looked at the
19 anhydrous ammonia, we did the analysis. We had also
20 screened out on the Reg Guide 178 criteria, we talked
21 to the Army Corps of Engineers, that is where we got
22 the data from for the barge transport, and they told
23 us it was less than five shipments per year and the
24 screening criteria is 50.

25 MEMBER BANERJEE: And there is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 chlorine --

2 MS. RICHMOND: It couldn't give us exact
3 numbers.

4 There was no chlorine. We looked at a
5 couple different years.

6 MEMBER SIEBER: So they don't use chlorine
7 as a biocide in the plant either.

8 MS. RICHMOND: Sodium hydrochloride.

9 MEMBER SIEBER: Okay.

10 MEMBER BANERJEE: All right. So the
11 ammonium hydroxide presumably was not a problem at the
12 control room or anything. Was it higher than the
13 toxicity --

14 MS. RICHMOND: It was higher outside but
15 we were able at the end to screen that one out.

16 MEMBER BANERJEE: How much higher was it?

17 MS. RICHMOND: Dan's got the numbers.

18 MR. PATTON: This is Dan Patton from
19 Bechtel. The ammonium hydroxide from the Unit 1
20 source was higher than the IDLH. It was approximately
21 700 parts per million in the control room is what we
22 had calculated.

23 MEMBER BANERJEE: Outside?

24 MR. PATTON: No, inside as well.

25 MEMBER BANERJEE: Inside.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. PATTON: We were able to disposition
2 that through a probability analysis. It is a double-
3 walled tank and we looked at the failure probability
4 of the double-walled tank and we were able to screen
5 it out from that standpoint.

6 MEMBER BANERJEE: But at the outside of
7 the control room, it was what? You said inside the
8 control room was 700.

9 MS. RICHMOND: Outside. Right. What was
10 outside the control room? Do you have that number?

11 MR. PATTON: I don't have that number
12 right with me.

13 MEMBER BANERJEE: Well you took into
14 account all the --

15 MS. RICHMOND: We did not. That analysis
16 was extremely conservative, which is probably why the
17 NRC didn't have a problem with it. We didn't take
18 into account the double-walled tank going into the
19 analysis. We didn't take into account it is stored in
20 a tank farm and there is a sump.

21 Also, the way it is stored, the tank is
22 here and there is buildings between it where the Unit
23 3 site was.

24 MEMBER BANERJEE: You didn't take building
25 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. RICHMOND: We didn't, no, or the
2 topography. We didn't take any of that into account
3 when we did the model.

4 MEMBER BANERJEE: Oh, you just did a
5 plume.

6 MS. RICHMOND: We did a straight shot
7 plume from the tank to --

8 MEMBER BANERJEE: That is pretty
9 conservative.

10 MS. RICHMOND: Extremely. Exactly.

11 MEMBER BANERJEE: But with that, you came
12 well above the IDLH.

13 MS. RICHMOND: Exactly.

14 MEMBER BANERJEE: And the mixing into the
15 control room, how did you do that?

16 MS. RICHMOND: We used ALOHA to do that.

17 MEMBER BANERJEE: Does ALOHA have a module
18 to do that?

19 MS. RICHMOND: Yes, it does. You provide
20 ALOHA with the input for the air exchange rate per
21 hour and then we will give you the indoor
22 concentration.

23 MEMBER BANERJEE: And then the staff did
24 some confirmatory calculations, right, on this?

25 MS. RICHMOND: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. STECKEL: Yes.

2 MEMBER BANERJEE: And that was the
3 limiting. There was nothing else.

4 MS. RICHMOND: That was. For our analysis
5 it was. I believe they had a different limiting case
6 in their analysis.

7 MEMBER BANERJEE: Well we will hear from
8 you guys.

9 MS. RICHMOND: We will hear from them.

10 MEMBER BANERJEE: You used HABIT, I take
11 it.

12 MR. BROWN: This is Dave Brown from the
13 staff. Yes for this chapter when we are doing this
14 review, we used ALOHA as the applicant did to do some
15 confirmatory calculations. The Containment and
16 Ventilation Systems Branch does use HABIT when
17 evaluating control room habitability.

18 MEMBER BANERJEE: But did you --

19 MR. BROWN: So there is a handoff here
20 between our branch in that --

21 MEMBER BANERJEE: Right.

22 MR. BROWN: -- we are looking at what is
23 the concentration at the intake. Then if it exceeds
24 the IDLH, we hand off to the Containment and
25 Ventilation Systems Branch and they do the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 habitability review.

2 MEMBER BANERJEE: We will hear from both
3 of you. Right?

4 MR. BROWN: I'm sorry?

5 MEMBER BANERJEE: We will hear from both
6 sides.

7 MR. BROWN: Yes.

8 MEMBER BANERJEE: Okay.

9 MR. BROWN: Today we are just talking
10 about Chapter 2.

11 MEMBER BANERJEE: Right.

12 MR. BROWN: You know, Chapter 6 would be a
13 different presentation.

14 MEMBER BANERJEE: You take it to the
15 intake and then from the intake to the interior we
16 want to know really what is happening inside.

17 MR. BROWN: So if I could just, I will
18 just elaborate.

19 MEMBER BANERJEE: Yes.

20 MR. BROWN: Questions came up about
21 hydrochloric acid. The only one from our point of
22 view when we did the Chapter 2 review, which was an
23 onsite chemical the spill of which resulted in an IDLH
24 greater than IDLH concentration at the control room
25 intake. So we just notified the Containment and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Ventilation Systems Branch, hey guys, take a look at
2 this one.

3 MEMBER BANERJEE: And they took a look and
4 you are going to tell us about what happened.

5 MR. BROWN: And the result that I believe
6 the applicant came up with it was 17 parts per million
7 inside the control room. And the evaluation of that
8 is the other branch, Chapter 6.

9 MEMBER BANERJEE: Well we will hear from
10 you. Right?

11 MR. BROWN: I'm sorry?

12 MEMBER BANERJEE: We are going to hear
13 from you.

14 CHAIRMAN POWERS: Not today.

15 MR. BROWN: Not today.

16 MEMBER BANERJEE: Oh, not today. Okay.

17 MR. BROWN: That's Chapter 6.

18 MEMBER BANERJEE: All right.

19 MR. BROWN: I'm not aware of any issues
20 with that review but it is a different branch that
21 would report back on that.

22 MEMBER BANERJEE: All right.

23 MS. RICHMOND: Okay?

24 MEMBER BANERJEE: Mary, the interrogation
25 is over.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MS. RICHMOND: All right, next slide.

3 We also looked at airway hazards for the
4 site. We identified two airways, V31 and V93, which
5 pass closer than the two statute miles. The nearest
6 edge will pass closer than two statute miles to the
7 edge of Calvert Cliffs Unit 3 site.

8 We also identified two airports within ten
9 miles, Captain Walter Francis Duke Regional Airport
10 and the Patuxent River Naval Air Station. And both of
11 these airports had operations above the significant
12 levels identified in NUREG-0800.

13 Therefore what we did in the hazards
14 analysis is we did a determination of the total
15 frequency of aircraft impact into the facility. This
16 calculation was based on the DOE standard.

17 The results that we got indicated that
18 further evaluation beyond a frequency evaluation was
19 warranted to account for core damage and containment
20 release frequencies in the analysis. Further
21 evaluation was conducted in Chapter 19 where PRA was
22 performed and it was concluded that the aircraft crash
23 could be screened out for the Calvert Cliffs Unit 3
24 design.

25 And I will turn it over to Tim.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. KIRKHAM: All right. For those of you
2 who haven't heard my story before, I am Tim Kirkham.
3 I am a health physicist for UniStar. Quick
4 background: Purdue University; 30 years of health
5 physics rad protection technical and management
6 experience at Southern Company, Savannah River, Exelon
7 and Constellation for the quick and dirty.

8 Okay, slide 21, John. A COL item request
9 that we provide site-specific regional climatology
10 characteristics for the new reactor. Several
11 parameters are presented in the design envelope table
12 of the Calvert Cliffs 3 FSAR but five of those are of
13 interest to Chapter 2.3. The five are listed here.

14 The values on the left column are the EPR
15 values and on the right are the Calvert 3 values. You
16 can follow down this chart.

17 CHAIRMAN POWERS: Where did those come
18 from?

19 MR. KIRKHAM: Table 2. --

20 CHAIRMAN POWERS: No, no, no. Where did
21 you get the entries?

22 MR. KIRKHAM: Oh. I thought you wanted to
23 know where the table came from. Where did the --

24 CHAIRMAN POWERS: It's a good answer. I
25 liked it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. KIRKHAM: Be more specific.

3 CHAIRMAN POWERS: Well how do you know
4 that there is 38 pounds per square foot for your snow
5 load?

6 MR. KIRKHAM: Those were calculated by our
7 meteorological folks.

8 MR. MESSIER: Yes, using the Interim Staff
9 Guidance on snow loads.

10 CHAIRMAN POWERS: Yes, you are still not
11 helping me. You had to use some data someplace.

12 MR. MESSIER: Yes. You can follow along
13 in that guidance using --

14 COURT REPORTER: Can you use the
15 microphone?

16 MR. WIDMAYER: And you said introduce
17 yourself. I'm sorry.

18 MR. MESSIER: Oh, I'm sorry. I'm Ted
19 Messier from AREVA, one of our meteorologists. And we
20 followed along with Interim Staff Guidance on
21 calculating snow loads, which looks at historical snow
22 fall and snow pack information at the site and
23 determine --

24 CHAIRMAN POWERS: How do we know that the
25 historical information is going to be applicable to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the period of operation of this plant?

2 MR. MESSIER: Well, we did look at the
3 possibility of the climate changing, sir. And we
4 looked at the IPCC report, the U.S. Government Report
5 on Climate Change and they seemed to indicate,
6 although there was some uncertainty, much more
7 uncertainty for precipitation than for temperature,
8 that the amounts of precipitation in the wintertime
9 looked like they would increase but the snow volumes
10 would decrease as time went on. So it sounds like we
11 are going to get more in the form of liquid, rather
12 than frozen participation.

13 So we look at that and say --

14 CHAIRMAN POWERS: And they have to be off
15 by how many degrees for that to change?

16 MR. MESSIER: Well, I guess that depends
17 on where you are on average temperature. I mean, I
18 can't answer that question.

19 CHAIRMAN POWERS: I think it is like a
20 half a degree. It will change from being --

21 MR. MESSIER: Well, will it change? Sure.

22 CHAIRMAN POWERS: Their average
23 temperature has to be off just a little bit and they
24 will change it over.

25 No, the question is, you guys want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 operate this plant for roughly 60 years. I have all
2 kinds of people, whether I believe them or not, they
3 are still telling me that we are getting this climate
4 change. Now the people I do believe are the people
5 that tell me that we go through cycles for things like
6 hurricanes. And the reason I believe them is they
7 have a lot of data and it sure looks like cycles to
8 me.

9 You take 50 years' worth of history in
10 most cases and in some cases you go all the way up to
11 a hundred. When you take 50, you are not getting a
12 full cycle. And they have actually two cycles going
13 on, a 26 year and a 62 year, something like that. I
14 can't remember all the details.

15 The question is, should we modify that
16 history to take into account those cycles? Because
17 they were about data, at least. I mean, it is not
18 speculation. You know, it is not somebody carrying a
19 sign that says that the world is going to come to an
20 end. It is data on hurricanes. Should we take that
21 into account when we do these projections? The
22 guidance doesn't require you to but should the
23 guidance be changed?

24 The answer is no. We have already done
25 it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. MESSIER: Yes, certainly that is
3 outside the scope of --

4 CHAIRMAN POWERS: Yes but we are all
5 friends here and you will give me your keep and
6 professional insight.

7 MR. MESSIER: I guess our bottom line is
8 though is just that the comfort level that we have
9 with regard to significantly being below the snow
10 loading that we have that the EPR was designed for,
11 for our particular site and perhaps at other sites it
12 might be higher, but at least for Calvert being at 38
13 pounds per square foot is certainly well below the 100
14 psf value that was analyzed for. And so we haven't
15 done a sensitivity analysis, I don't believe.

16 But certainly we have met all the
17 requirements for the regulations.

18 CHAIRMAN POWERS: Yes.

19 MR. MESSIER: That is what we are basing.
20 We are certainly monitoring what the staff is
21 proposing and any new rulemaking that would come down.

22 We are aware of the climate studies and we
23 are very sensitive to this.

24 MR. KIRKHAM: Any other questions or shall
25 I move on?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: I am still struggling
2 here but you guys aren't going to give me the answer.
3 Nobody will answer my question.

4 MR. MESSIER: I will say, sir, that as
5 part of the Interim Staff Guidance 07, you do look at
6 a hundred year return period, snow pack, and snow fall
7 events. So there is a recurrence interval beyond the
8 50 years' historical data.

9 CHAIRMAN POWERS: Yes, you get -- for some
10 of the things you get, you actually get at least a
11 cycle in the data. In some cases you don't. And what
12 I don't see is people actually projecting out. And I
13 mean I could understand an argument saying I can't
14 project what I don't know. But the things that you do
15 know where you have got data, I am wondering why we
16 don't project forward and see.

17 Now, Greg is absolutely correct. I look
18 at your numbers and in most cases, you have got a lot
19 of margin and I am not going to believe my projects
20 too much. And so, you know, how cares? So why didn't
21 you do that, Greg? Keep me happy here.

22 (Laughter.)

23 CHAIRMAN POWERS: Go ahead, Tim.

24 MR. KIRKHAM: Okay, next slide, please.

25 The meteorological program for Calvert

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Cliffs 3 utilizes the tower and data from the Unit 1
2 and Unit 2 site.

3 CHAIRMAN POWERS: You keep that -- Those
4 towers are continuously operating?

5 MR. KIRKHAM: Yes.

6 CHAIRMAN POWERS: Yes.

7 MR. KIRKHAM: And when that tower --

8 CHAIRMAN POWERS: Bad sites for COL for
9 early site permits that don't have their towers
10 operating continuously.

11 MR. KIRKHAM: Yes. Well, this is used for
12 Unit 1 and 2 and for EP purposes, it has to stay
13 operational. And when that tower was installed, it
14 did meet the Safety Guide 23 requirements and the met
15 program was maintained in accordance with the guidance
16 given in Safety Guide 23.

17 Next slide.

18 CHAIRMAN POWERS: So you have a pretty
19 good wind rows.

20 MR. KIRKHAM: Yes. The tower still meets
21 the requirements of the new guide, Reg Guide 1.23,
22 which superseded Safety Guide 23 except for that the
23 original tower did not have atmospheric moisture data.
24 And that was because Unit 1 and Unit 2 didn't have a
25 cooling tower so they didn't need the data.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The tower is not at approximately the same
2 elevation as Calvert 3. It is about 40 feet
3 difference. The inspections were performed at that
4 tower every five years, as opposed to the new guidance
5 of very three years. There originally was no
6 windshield on the precipitation gauge and the data
7 sampling rate does not match the new revision of the
8 Reg Guide, ten seconds versus five seconds.

9 Any questions on any of the met program?

10 The Calvert Cliffs Unit 3 buildings will
11 not impact the met measurements due to their distance
12 from the tower, which is another 2,000 feet further
13 than Unit 1 and Unit 2. The tower has been upgraded
14 to meet the more recent requirements, except that the
15 tower elevation will not be changed and the sample
16 frequency will not change because we did meet the data
17 recovery goals greater than 90 percent.

18 Any questions on that?

19 A COL item asked the applicant to describe
20 the means for providing Ultimate Heat Sink makeup
21 sufficient for water lost through a 30-day period,
22 even though the COL item as listed in Section 2.3,
23 this is more appropriately discussed in Chapter 9 and,
24 therefore, we will defer this topic until that
25 presentation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The applicant is asked to confirm that the
2 site-specific chi/Q values are bounded by the EPR FSAR
3 at the exclusionary boundary, the low population zone
4 and the control room.

5 This chart shows the comparison of the
6 short and long-term disbursement factors for Calvert
7 Cliffs Unit 3, the site versus the EPR data. For
8 design basis accident, short-term chi/Qs, the values
9 are bounded except for the zero to two hour LPZ value.

10 For long-term chi/Q, it is not bounded in the
11 northeast sector. These two departures will be
12 expanded upon in the next couple slides.

13 Conservative estimates of accident chi/Q
14 values for the EAB, LPZ, and control room, are bounded
15 by the EPR FSAR except for the zero to two hour LPZ
16 value. The EPR value was 1.75E-04 and the Calvert
17 Cliffs 3 value is 2.15E-04. Therefore, site-specific
18 chi/Q values were used to calculate worst case
19 accident conditions, as opposed to using the EPR data.

20 The calculations will be shown in a later slide but
21 did show that we still meet 50.34 and GDC 19 criteria.

22 MEMBER BANERJEE: Let me just ask Mary.
23 When you did your calculation and used your pascal f
24 conditions, --

25 MS. RICHMOND: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: -- what were the sort of
2 chi/Q values, effectively because it doesn't come out
3 that way, but was there any deviation from --

4 MS. RICHMOND: I don't know what ALOHA
5 calculated. We don't get really a printout of that.

6 MEMBER BANERJEE: I realize you didn't get
7 -- Yes.

8 MS. RICHMOND: Yes, so we didn't do a
9 comparison based on those chi/Q values that they get
10 for doses.

11 MEMBER BANERJEE: So this --

12 MS. RICHMOND: I mean, those are it is
13 kind of separate because that is mainly through the
14 radiation.

15 MEMBER BANERJEE: I realize that it is not
16 easy and ALOHA will not automatically calculate this.

17 MS. RICHMOND: Right.

18 MEMBER BANERJEE: But this corresponds to
19 some form of f weather I would think. Right?

20 MS. RICHMOND: Well, when they -- I will
21 let Tim --

22 MR. KIRKHAM: Yes, I'm trying to find some
23 data.

24 MS. RICHMOND: Right.

25 MR. KIRKHAM: So your question is an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 average chi/Q value?

2 MEMBER BANERJEE: No, the two-hour value
3 or whatever. I am looking for a worst condition in
4 you calculations.

5 MS. RICHMOND: When it would be lined up
6 with that one?

7 MEMBER BANERJEE: Yes. Was it lining up
8 or not?

9 MR. KIRKHAM: So for short-term I am
10 trying to find. I have got data for long-term here
11 but I can't find short-term data. Ted, do you have
12 any of that data for the --

13 MEMBER BANERJEE: It is just that this is
14 the actual meteorology for the site.

15 MS. RICHMOND: Right.

16 MR. MESSIER: This is Ted Messier from
17 AREVA. Your slide does show the 0-2 hour value chi/Q
18 value.

19 MR. KIRKHAM: I guess it does on the --

20 CHAIRMAN POWERS: No. You have got zero
21 to two hours on here.

22 MR. KIRKHAM: Yes, good point. I guess we
23 have already got it in the slide. So yes, we will get
24 there and then if that doesn't answer your question.

25 MEMBER BANERJEE: It doesn't answer my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 question because my question is related to the
2 calculations.

3 MR. KIRKHAM: Okay.

4 MEMBER BANERJEE: But we can look at that
5 later. Go ahead. I don't want to interrupt you.

6 MR. KIRKHAM: Anything else on 27? Okay,
7 28.

8 Right here is the dose calculations. This
9 is the radiological consequence table from Chapter 15.

10 The dose values shown in this table use the actual
11 site-specific chi/Q values from Calvert Cliffs Unit 3.

12 As you can see, all offsite design basis accident
13 doses are still within the acceptance criteria. The
14 acceptance criteria is in the right-hand column.

15 CHAIRMAN POWERS: You know, the thin that
16 surprises you about this is that the LOCA is so high,
17 relative to the others. Why is that? Is it the
18 concentration in the containment building?

19 MR. KIRKHAM: I did not do the
20 calculation. So I don't know the --

21 MR. GIBSON: Yes, unfortunately we have
22 the containment section that we would have to have an
23 evaluation for. We didn't have the people here for
24 that. It's an excellent question. Can we get back
25 with you on that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: Yes, if you can. Just
2 what I am wondering, it simply has to be the
3 concentration.

4 MR. GIBSON: It is probably a larger
5 source would be my guess.

6 CHAIRMAN POWERS: Well you have got a
7 bigger source, a higher concentrations of the
8 containment. Your leak rate is about the same for all
9 these things. So I am assuming it is the
10 concentration of the containment.

11 MR. KIRKHAM: Yes, all of the other
12 sources are going to be a smaller growth source.

13 CHAIRMAN POWERS: Of course if you had a
14 safety grade spray in there, you wouldn't have that
15 problem.

16 (Laughter.)

17 MR. KIRKHAM: Sandra can answer that.

18 CHAIRMAN POWERS: We will put that on our
19 Sandra to do list but you might just check to see.

20 MR. KIRKHAM: Okay, we will.

21 CHAIRMAN POWERS: I mean, I am looking for
22 an answer that consists of yes, it is the containment
23 concentration that is causing the problem or not.

24 MR. KIRKHAM: Yes, sir.

25 CHAIRMAN POWERS: I don't need a very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 detailed answer, in other words.

2 MR. KIRKHAM: Okay, good question. Slide
3 29.

4 The second departure that we took in
5 Section 2.3 is the difference in the EPR maximum
6 average annual chi/Q in a given setting.

7 CHAIRMAN POWERS: I love these chi/Q
8 values that are out to three significant digits.

9 MR. KIRKHAM: You want accuracy.

10 MEMBER RYAN: That's just precision. That
11 is not accuracy.

12 MR. KIRKHAM: That's true.

13 CHAIRMAN POWERS: Actually you just did it
14 to get balance in the slide. That's all. Right?

15 MR. KIRKHAM: Three figs look good.
16 Right? So --

17 CHAIRMAN POWERS: You have more faith in
18 these numbers than I do. Okay?

19 MR. KIRKHAM: I can tell you when we use
20 them in a real accident, we are not going to go out
21 that far.

22 CHAIRMAN POWERS: You think not.

23 MR. KIRKHAM: We will round that to five.

24 CHAIRMAN POWERS: The northeast sector of
25 the site has the maximum average chi/Q value of 5E-06

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 versus the EPR of $4.98E-06$. Not much difference but
2 it still exceeded the envelope.

3 This departure is justified due to Calvert
4 Cliffs Unit 3 maximum value occurring at two-tenths of
5 a mile into the Bay where no one is living. Calvert
6 Cliffs 3 also will have complete control over any
7 potential habitation in the area of that Bay. All
8 other sectors are bounded by the EPR value.

9 The next slide is a repeat of a slide
10 before. The sectors are hard to see but it is in the
11 northeast sector is where the prevalent wind
12 directions are. And there are actually five sectors
13 where there is nobody. So that is why it is okay.

14 CHAIRMAN POWERS: In truth, there are a
15 whole lot of approximations built into this chi/Q
16 formulation that your site doesn't really match. But
17 we assume that the acceptance criteria keep us safe.

18 MR. KIRKHAM: True. We are to provide
19 chi/Q values for each cumulative frequency
20 distribution that exceeds the median value. The
21 cumulative frequency distributions were calculated in
22 using AEOLUS-3. Reg Guide 1.145 methodology and seven
23 years of met data were used for the calculations.

24 Right here is the table from the FSAR that
25 shows the 50th percentile chi/Q value for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 appropriate reporting times that were required to
2 calculate.

3 The development of long-term site-specific
4 estimates for routine releases is also requested.
5 Those estimates were developed in accordance with Reg
6 Guide 1.111; 1.145 and Reg Guide 1.112 methodologies.

7 The data developed is in a format such that it can be
8 used with Reg Guide 1.109 for the appropriate dose
9 calculations.

10 Annual average chi/Q and D/Q values for 16
11 radial sectors was determined as requested in the DCD.
12 parameters are listed here for how the dispersion and
13 deposition values were determined.

14 The Calvert Cliffs Unit 3 EPR document
15 also lists other locations of interest in the tables,
16 such as nearest resident and nearest garden.

17 Any questions? That is it for this
18 chapter. If not, I turn it back over to Greg.

19 MR. GIBSON: Thank you. As we presented,
20 we had 14 COL information items and three interface
21 items that we presented in our three sections, four
22 sections, 2.0 through 2.3. We had three departures of
23 which one of them was an exemption to tier one from
24 the US EPR which we have discussed, all three being in
25 meteorology, one with wet bulb temperature and too

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with the chi/Q values as Tim discussed. We have had
2 no ASLB contentions on these items and all responses
3 with one exception have been provided with the NRC,
4 which is RAI 261 which we have scheduled for the end
5 of this month.

6 MEMBER BANERJEE: What is that RAI?

7 MR. GIBSON: That's a good question.
8 Please.

9 MR. BROWN: This is Dave Brown from the
10 staff. This is an RAI pertaining to trees that are in
11 the vicinity of the met tower. The applicant has
12 committed in the FSAR to evaluating whether those
13 trees were too close, too tall. And we would ask for
14 the results of their evaluation.

15 MEMBER BANERJEE: Which reminds me when we
16 speak about trees, forest fires were not a problem
17 there?

18 MS. RICHMOND: They weren't. There was a
19 1,000 foot distance on three sides of clear distance
20 and then the other side had how much distance, Dan?
21 There were three sides had a thousand feet. The other
22 distance was --

23 MEMBER BANERJEE: Was it less or more?

24 MS. RICHMOND: It was less, yes. And it
25 was the distance between the site and the Bay that had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the less distance.

2 MR. PATTON: This is Dan Patton. It was
3 over 260 feet.

4 MS. RICHMOND: Right.

5 MEMBER BANERJEE: And so how did you
6 determine that a fire at that distance would not --

7 MS. RICHMOND: We did it based on the
8 exclusion zones. Maryland Department of Natural
9 Resources has wildfire, you know, from the source to
10 that distance and I believe DNR gave a distance of how
11 much?

12 MR. PATTON: Thirty feet and 75 feet for a
13 pine forest.

14 MS. RICHMOND: For pine. And then we also
15 compared it to California's exclusion zones, which is
16 100 feet, I believe, just to be sure. And so we had
17 so much more distance there that we qualitatively --

18 MEMBER BANERJEE: This was mainly pine
19 forest?

20 MS. RICHMOND: I'm not sure the trees --

21 MEMBER BANERJEE: What is the nearest
22 point?

23 MS. RICHMOND: The nearest point for some
24 of it was 260 feet.

25 MR. PATTON: Two hundred sixty feet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: What trees were there or
2 whatever it was?

3 MS. RICHMOND: I'm not sure the type of
4 trees that are there at 260 feet.

5 MEMBER SIEBER: It is trees or grassland
6 or how would you characterize the surrounding area?

7 MS. RICHMOND: Well it is clear the
8 thousand feet on three sides and then the other side
9 is clear up to 260 feet.

10 MEMBER BANERJEE: Right. That is the
11 nearest approach.

12 MS. RICHMOND: Right.

13 MEMBER SIEBER: No growth? It is just
14 dirt?

15 MS. RICHMOND: It appears to be.

16 MR. KIRKHAM: Short grass.

17 MEMBER BANERJEE: No structures in-
18 between. Nothing.

19 MEMBER SIEBER: Grass that is unmowed I
20 know from experience burns very fast.

21 MR. GIBSON: Okay. Again, for RAI 261, I
22 have had my memory refreshed, that does deal with the
23 trees and the influence potentially on the met tower.
24 We do have Pedro Perez on the telephone line, I
25 believe. We are going to be making the submittal on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the 31st and we have confirmed that in fact it is not
2 a negative influence on the met data and that we have
3 our data and our explanation for the validity of the
4 data that will be provided on the 31st, if it is of
5 interest to the committee.

6 MEMBER BANERJEE: I think from my point of
7 view it would be interesting to rationalize the
8 offsite hazard calculations with actual meteorology at
9 some point and show that.

10 I think you have enough margin so there is
11 no issue.

12 MS. RICHMOND: Right.

13 MEMBER BANERJEE: But at least we should
14 know how it compares.

15 MS. RICHMOND: Well if anything, if you
16 are going to take the actual met conditions into
17 account and you are looking at the wind rows, you are
18 going to get a much lower number than you will higher.

19 MEMBER BANERJEE: Right.

20 MS. RICHMOND: I mean, we have done worst
21 case to do the external hazards as were required.

22 MEMBER BANERJEE: How did you establish
23 that worst case? You just took f weather with one --

24 MS. RICHMOND: No, no. We used about ten
25 different met conditions, f being one of them, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 most stable. We did f and one, one and a half. We
2 did some d, c, we even did some a and b. And we did a
3 comparison and we took the worst of each of those.

4 MEMBER BANERJEE: Well f is expected to be
5 worst. Right?

6 MS. RICHMOND: In most cases it is
7 expected to be the worst. There are some cases if the
8 cloud has to travel a greater distance, we may find
9 that something with a little bit more wind speed to
10 hurry up and get it there might be a little bit worse.

11 But in most cases, yes, your f is going to be the
12 worst. But we verify that when we do the met
13 sensitivity analysis.

14 MEMBER BANERJEE: So the real issue is
15 whether the -- If you take any f weather and look at
16 chi/Q for it at 1 meter per second or whatever you
17 were doing, then does it correspond more or less with
18 what they have got? Because in the end, you have a
19 table that you can look at distance what happens to
20 chi in the dispersion coefficients. It is clear for
21 each weather condition, I am sure you could have a
22 table look up or have a little simple relationship.

23 MS. RICHMOND: Right.

24 MEMBER BANERJEE: The distance and you
25 know, the usual stuff, two powers, a coefficient and a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 power. So, that gives you a number which you could
2 find out whether it corresponds to what they measure.

3 If it is worse, less dispersion, great you don't have
4 to worry. If it is more than their number, then we
5 need to look a little bit more. It may not be a
6 significant effect because I think you have a
7 sufficient module.

8 MS. RICHMOND: Right. And I think if
9 anything you are going to find that we do less
10 dispersion because they are taking into account some
11 real met conditions when they do the chi/Qs and we are
12 doing straight line. We are not saying the percentage
13 of time from each directional source like they take it
14 from the chi/Qs. So I think --

15 MEMBER BANERJEE: That would be
16 reassuring, of course, if you find that. That is
17 nice. You are saying that plume meander and stuff
18 like that --

19 MS. RICHMOND: Right.

20 MEMBER BANERJEE: -- gets into --

21 MS. RICHMOND: Right.

22 MEMBER BANERJEE: I agree with you but I
23 would like to know the numbers, too. Just make
24 assurance doubly sure that you are conservative
25 compared to that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: How very Shakespearean.

2 MEMBER BANERJEE: Huh?

3 CHAIRMAN POWERS: Make assurances doubly
4 sure.

5 MR. GIBSON: Okay. With that, that
6 concludes our presentation. I want to thank you Dr.
7 Powers and committee members. Again, we have a great
8 site if you would ever like to come out and visit us.

9 CHAIRMAN POWERS: You know, we really
10 ought to do that at some point.

11 MR. GIBSON: We would like to host you.

12 MEMBER BANERJEE: Especially in the
13 summer.

14 MR. GIBSON: It's a little cold now.

15 CHAIRMAN POWERS: All right. Any
16 questions you would like to pose to this distinguished
17 panel? Mary, your maiden voyage was just fine. We
18 are dying to know what Bechtel is but --

19 (Laughter.)

20 CHAIRMAN POWERS: Is it a new company that
21 they have --

22 MS. RICHMOND: Brand new.

23 CHAIRMAN POWERS: You know, they are
24 always changing the names on these.

25 Why don't we take a break until, well,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 let's go to quarter after.

2 (Whereupon, the foregoing meeting went off the record
3 at 9:54 a.m. and went back on the record
4 at 10:14 a.m.)

5 MR. ARORA: Good morning again. Surinder
6 Arora, lead project manager for Calvert's Unit 3
7 application. And to kick off the staff's
8 presentation, I would like to introduce Jim Steckel.
9 He is the chapter project manager for Chapter 2.

10 CHAIRMAN POWERS: We have seen him once or
11 twice.

12 MR. ARORA: He has been here.

13 CHAIRMAN POWERS: Probably trying to pick
14 up girls.

15 MR. ARORA: He was actually my backup last
16 time, Dr. Powers.

17 MR. STECKEL: Good morning to the whole
18 committee. I am Jim Steckel and I am the Chapter PM
19 for Calvert Chapter 2. I have also been recently
20 designated chapter PM or in the process of
21 transitioning into Chapter 2 PM for EPR as well.

22 CHAIRMAN POWERS: Did you commit some
23 crime that won this award?

24 MR. STECKEL: I didn't step backwards.

25 CHAIRMAN POWERS: That will teach you to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 stand in the halls outside the manager's office.

2 MR. STECKEL: But I had the pleasure of
3 actually managing through this technical staff this
4 chapter so far and section 2.1, 2.2, and 2.3. And the
5 technical reviewer names are in front of you here, Mr.
6 Dave Sisk. He completed the review of the geography
7 and demography portion 2.1. Rao Tammara, he
8 commandeered the nearby transportation industrial and
9 military facilities Section 2.2 and Mr. Dave Brown
10 here to my right. He completed the meteorology
11 section 2.3.

12 And so I would like now to introduce Mr.
13 David Brown who will be the presenter for all three of
14 these sections. Thank you.

15 MR. BROWN: Good morning. Thank you, Jim.
16 I am also the acting branch chief for the siting and
17 accident consequences branch, which is one of the
18 reasons I will just be presenting the summary of our
19 review.

20 CHAIRMAN POWERS: So both of you don't
21 know how to duck is what you are telling me.

22 MR. BROWN: We both have not learned.
23 However, I know how to ask for help so Rao and David
24 are with me on the side.

25 So just I want to provide a very brief

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 overview by way of introduction. On the sections 2.0
2 site characteristics, the staff had no questions.
3 There are no open items.

4 On section 2.1 on geography and
5 demography, again, no questions, no open items.

6 CHAIRMAN POWERS: Can I ask you how you do
7 these geography and demography reviews? Did you look
8 in apps or --

9 MR. BROWN: I will get to that and I will
10 look forward to your questions.

11 Nearby industrial transportation and
12 military facilities, we did have seven questions, all
13 of which were satisfactorily resolved so there are no
14 open items at this time.

15 And meteorology with 71 questions, there
16 are still two open items remaining. Next slide.

17 So as I covered in my overview, this part
18 of the -- What we want to cover in today's
19 presentation is just Sections 2.0 to 2.3. This
20 section, these sections address 14 COL information
21 items from the PRDC. There were, as UniStar
22 presented, three departure requests and one exemption
23 request in those sections.

24 So what the review is comprised of is
25 confirming that all those information items are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 addressed, that there is an appropriate justification
2 for the departures and exemptions and that the
3 remaining information is provided in sufficient level
4 of detail to meet our acceptance criteria. So that
5 will go to the first section. Next slide.

6 In doing the review of geography and
7 demography, we do this review generally by comparing
8 to other sources of information. We use online maps.

9 We sometimes use U.S. Census bureau data to confirm
10 some of the figures that the applicant provides and we
11 compare that to what the applicant has provided in the
12 FSAR and to our acceptance criteria. We use sometimes
13 the same sources of information but other times
14 independent sources.

15 Did you have further questions about that
16 approach?

17 CHAIRMAN POWERS: No, I am just curious.
18 I mean, one would be tempted to go for a drive, I
19 think, than actually look at what they were doing.

20 MR. BROWN: Yes.

21 CHAIRMAN POWERS: But I mean all you can
22 do is just what you say, look at the sources of
23 information available to you and those that they have
24 used.

25 MR. BROWN: As a practical matter, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 often get an opportunity to visit the site not always
2 because we are doing the Section 2.1 review but
3 because we may be assisting with the environmental
4 review, doing that sort of thing. So for example, I
5 have been to the site for that reason.

6 And so the staff, there were no open items
7 so the staff concludes that the information provided
8 in this section is acceptable and inside evaluation
9 factors are met. Next slide.

10 Again, this section addressed the nearby
11 industrial, transportation, and military facilities,
12 including the hazards posed by those facilities. And
13 there the staff is normally we perform the review by
14 doing independent calculations of hazards, including
15 you know, as we have discussed already, using the
16 ALOHA code to estimate dispersion downwind, that sort
17 of thing. There were seven questions, all of which
18 were satisfactorily resolved. And so there are no
19 open items.

20 CHAIRMAN POWERS: The military and
21 aircraft, military facilities and whatnot, you need to
22 understand what the prognostication is on these
23 facilities. Do you get information from the military
24 on what they are going to do with their facilities in
25 the area?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BROWN: I don't believe we, NRC,
2 independently can confirm information provided from
3 the FSAR regarding military flights. The applicant
4 did describe the normal routine at, in this case,
5 Patuxent River Naval Air Station. But Rao did you
6 want to add to that?

7 MR. TAMMARA: Yes. We have a contact from
8 the FAA.

9 MR. WIDMAYER: Introduce yourself.

10 MR. TAMMARA: My name is Rao Tammara. I
11 do the review of the 2.2. We have one person in the
12 FAA we request for each site what will be the total
13 number of sites flying within the five or ten miles of
14 the each site. And he compiles the information and
15 provides us the total number of flights by category,
16 commercial, military, civilian, small, large. So
17 there are six designations of the flights which are
18 flying within the five miles and ten miles of each
19 site.

20 And what I usually do is take that
21 information and make a conservative calculation using
22 within five miles first all the flights and see
23 whether that would give us the required acceptable
24 probability. This is for the aircrafts, of course.

25 But in this case, also we got that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 information and there are no other military facilities
2 like storage or manufacturing or whatever it is. It
3 is only naval base aircraft flights information I
4 have. And I compared that one in calculating the
5 probability but that is addressed in Chapter 3.6
6 aircraft impacts. It is only identification here that
7 has been performed. But the actual analysis and
8 results are presented in Section 2.615.

9 CHAIRMAN POWERS: The real question I have
10 is you can get data on what things are today but I am
11 really asking about what things are going to be for up
12 to about 60 years from now. And how do you do that?

13 MR. TAMMARA: Okay. What I do is usually
14 I request five years of data and look at that data and
15 see what is the increment within that five years. And
16 I come up with a linear average and take that and
17 project into future what would be the potential
18 incremental on a straight-line basis because there is
19 no other information available. And also apply that
20 one and see whether it would fly. But that only I do
21 if the five mile total conservative estimate is not
22 satisfied because otherwise it is already built in
23 conservative. Some is included in accounting for all
24 the flights within the five miles, which is probably
25 unrealistic from the probability sense because we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 only interested in large commercial flights potential.

2 So that is the engineering judgment
3 applied. And also I look at that way by projecting
4 what was the data I have for the last five years.

5 CHAIRMAN POWERS: That is sort of a linear
6 projection, as you say, is the only thing you can do
7 in the absence of additional information. I mean, it
8 is the only thing that is justifiable when you have --

9 MR. TAMMARA: Yes because the other one is
10 whatever you were doing it against.

11 CHAIRMAN POWERS: The additional
12 information that you might have access to is if you
13 found out well the Navy is going to make that base 50
14 times larger than it is now and it is in their long-
15 range plan. Do you try to get that kind of
16 information?

17 MR. TAMMARA: If that is available in the
18 literature but not really spending time to get that
19 kind of information.

20 CHAIRMAN POWERS: Yes. Our experience, I
21 think, with the early site permits was we didn't get
22 much going that way anyway. I mean, when you ask, you
23 just got nine answers and nothing currently forecasted
24 well. What does that mean, you know.

25 MEMBER RYAN: On the other side of it,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 having to check to make sure your linear projections
2 doesn't stress the airport's limit for capacity.

3 MR. TAMMARA: Sometimes, yes.

4 MEMBER RYAN: Because you can project up
5 to a point where they can't handle all the airplanes.

6 MR. TAMMARA: That is true. In the case
7 of Vogtle, we had the problem in ESP when we projected
8 it was -- They were expanding, already in the process
9 of expansion. So we compared that one and it was over
10 burdened. But --

11 MEMBER RYAN: But I mean the point is you
12 look at that to make sure your estimates are capped no
13 the top.

14 MR. TAMMARA: Right. Right.

15 MEMBER RYAN: Okay.

16 MR. TAMMARA: But only in the case of
17 exceedance, not acceptable probability. We will make
18 some more judgments, whether it is really valid or
19 realistic, or whatever it is. But if it is within the
20 limit, no matter what you calculate, we say hey, it is
21 okay, even if I have that conservatism, it is still
22 acceptable.

23 MEMBER RYAN: Well I know Augusta, for
24 example, has one main runway that can handle jet
25 traffic and that is it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. TAMMARA: That is what happened. That
2 is what I am saying.

3 MEMBER RYAN: Yes.

4 CHAIRMAN POWERS: They could build another
5 runway.

6 MEMBER RYAN: Not any time soon.

7 CHAIRMAN POWERS: David, go ahead.

8 MR. BROWN: Okay. We discussed this a
9 little bit earlier. For this section, all of the
10 siting requirements are met. I just bring up the fact
11 that there was this hydrochloric acid stored onsite
12 for Units 1 and 2 that if spilled could result in
13 exceeding the IDLH value at the control room intake.
14 Then, you know, it is just a function for my branch to
15 go ahead and say alert the containment branch. Hey,
16 take a look at this and see if it is still okay.

17 MEMBER SHACK: It wasn't clear, you know,
18 when I read the licensee's report, it indicates that
19 the hydrochloric acid level at the intake is below the
20 limit.

21 MR. BROWN: Right.

22 MEMBER SHACK: And you have an RAI and you
23 guys don't seem to come to agreement. Was there
24 something wrong with our analysis that you couldn't
25 get everybody to agree on an analysis with consistent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 values?

2 MR. BROWN: There is an RAI and then of
3 course an RAI response. And then sometimes it is just
4 a question of did that response and the associated
5 commitment to revise the FSAR get rolled into Rev 6 of
6 the FSAR. Maybe it got rolled in to Rev 7. So it
7 depends on what version you are looking at right now.
8 But Rev 7 just came in in December.

9 MEMBER SHACK: Well I wasn't looking at
10 Rev 7.

11 MR. BROWN: Okay.

12 MR. TAMMARA: That is captured -- That
13 will be captured in Rev 7.

14 MEMBER SHACK: Okay. Well then we have to
15 --

16 MR. TAMMARA: Because the RAI has been
17 answered and that RAI has the 52.9 at the outset. But
18 they gave an argument even though it is exceeding that
19 much, it is going to down in the control room.

20 MR. BROWN: Actually the control room was
21 fine.

22 MEMBER SHACK: Okay but you do agree now
23 on the intake.

24 MR. TAMMARA: Right. Right. That is
25 correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BROWN: Yes.

2 MEMBER SHACK: Okay.

3 MR. TAMMARA: So that is why we turn it
4 over to the control room habitability people who will
5 run the HABIT model to see whether they will agree
6 with the applicant's analysis.

7 MR. BROWN: Okay. Then in meteorology we
8 are looking at the regional climatology and site
9 meteorology monitoring program and dispersion
10 parameters. The staff performs this review by
11 certainly comparing information in the FSAR to
12 regulatory guides. For example, we have a design
13 basis tornado regulatory guide. It is a matter of
14 simply making sure the applicant has identified the
15 correct design basis tornado.

16 We also look at other various sources of
17 information with regard to regional climatology,
18 National Climatic Data Center's databases and NOAA's
19 databases.

20 The staff also generally independently
21 calculates the dispersion parameters to compare it
22 with the applicant's.

23 In this review we did have 71 RAI
24 questions and there are two remaining open items that
25 I have outlined here that we discussed earlier. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 applicant is aware that south of the tower there is a
2 tree line that may need to be reexamined to see if it
3 has an undue influence on the tower. And as I said
4 this morning, they completed that analysis but we
5 haven't seen it. It is coming in later this month.
6 So we will complete that review and decide whether to
7 close this open item.

8 There is also another issue with regard to
9 the departure from this temperature parameter for the
10 Ultimate Heat Sink. EPA has a site parameter value of
11 81 degrees, non-coincident wet bulb temperature. The
12 site characteristic here at Calvert Cliffs is 85
13 degrees. So they just need to identify that departure
14 and have all of the appropriate cross-references to
15 the justification for why that is okay. So that is an
16 open item in our review for now.

17 I think that is it, if there are no
18 questions on that.

19 CHAIRMAN POWERS: My question remains on
20 looking at site meteorology. You look at historical
21 data.

22 MR. BROWN: We look at historical data.

23 CHAIRMAN POWERS: And what we are really
24 interested, we are not the least bit interested in
25 history. We are interested in the future.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BROWN: Correct.

2 CHAIRMAN POWERS: And how do we know that
3 history is going to repeat itself and not be
4 different, especially when we have pretty clear
5 evidence that we have weather cycles on the East
6 Coast, on the Atlantic Coast? So what do you do on
7 that?

8 MR. BROWN: Well certainly it depends on
9 which parameter we are looking at. But if we were to
10 look, for example, at site temperature values, you
11 know, what our regulations currently require is that
12 they look at historical data with appropriate margin to
13 account for uncertainty. And so we are basically
14 asking the applicants to give us a 100 year return
15 period temperature when it is a site safety
16 temperature. They are comparing that with maximum
17 values and choosing the larger of the two over long
18 periods of record.

19 So, I hear you. We are going back in time
20 looking for maximum values or 100 year return period
21 values. And then we are also asking the applicants to
22 discuss climate change in their applications. And so
23 there is a section in 2.3 just on climate change in
24 which they look at, I think it is a Maryland
25 Department of Natural Resources report on expected

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 changes in Maryland. For example, for temperature, an
2 expected increase of three degrees Fahrenheit by the
3 middle of this century. But there is no formal way
4 for us to take that information and sort of do a
5 regulatory check.

6 MEMBER ARMIJO: There is a great
7 uncertainty in climate change projections. And I
8 don't understand how the NRC could use that
9 information which in some cases are totally dependent
10 on the models used. There is a lot of uncertainty in
11 a number of the inputs and really no validation by any
12 careful review by people who are not promoters of
13 climate change ideas. I just wonder how the NRC or
14 whether the NRC should really get involved in that,
15 other than what is based on data.

16 I think Dr. Powers mentioned if you have
17 data going back 100 years instead of 50 years, why not
18 use that simply because it is there. It is real. But
19 these climate change projections, as best I can tell,
20 are based on very complex models, which as far as I
21 can tell, don't predict, you know, haven't been tested
22 sufficiently.

23 CHAIRMAN POWERS: They are just like our
24 thermal hydraulic models.

25 MEMBER ARMIJO: No. I think our thermal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hydraulic models are a lot better. But anyway, I am
2 talking --

3 CHAIRMAN POWERS: Oh, yes? I'm talking to
4 people worried about natural convection in the ESBWR
5 and see if there is enough data.

6 MEMBER ARMIJO: Well, we passed on that.
7 I am just wondering. That sounds to me -- I just
8 don't know how you propose to use that.

9 MR. BROWN: Right. It's not, in my review
10 for this application, what I am looking at is what are
11 the margins between the site parameter values for
12 meteorology that define the engineering design values
13 for the EPR and the site characteristics.

14 For example, we saw this morning the
15 difference between the 100 pound per square foot snow
16 load and design value for the EPR and the site
17 characteristic was 38. You know, the difference
18 between 100 pounds per square foot and 38, something
19 like that. There was considerable margin there. And
20 so just qualitatively looking at the discussion of
21 climate change to see if there is any significant
22 reduction in that margin and the answer is no. So we
23 don't take it any further.

24 MEMBER ARMIJO: It is sort of a very top
25 level qualitative evaluation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BROWN: Right. A very high level. If
2 I saw something that would be reason for concern, the
3 margin was very small now and I expected changes in
4 the future, then perhaps I would raise that as an
5 issue.

6 CHAIRMAN POWERS: And it seems to me that
7 I would use the information I have on the Atlantic
8 Coast weather to say okay is a 50-year database good?
9 No. Is 100-year good? Yes because it covers a
10 cycle.

11 And again, is there any if verily I get a
12 three degree f change in either direction, is it going
13 to impact the 38 pounds per square foot versus the 100
14 pounds per square foot limit? No. Good. Yes, we'll
15 think about it. And I think that is what you are
16 asking me to do there.

17 MR. BROWN: Were there an issue like that,
18 I would go back and ask for additional information.
19 If we thought it was necessary, perhaps additional
20 margin in design but it simply has not occurred.

21 CHAIRMAN POWERS: Yes, I mean it is a much
22 more rational thing. The Reg Guide says 50 years.
23 Therefore, 50 years is all we are going to think
24 about.

25 MR. BROWN: Yes. I mean, to a certain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 extent yes. As a licensing branch chief I have to pay
2 attention to what the rules in our guide say but we
3 certainly think beyond that.

4 CHAIRMAN POWERS: Good.

5 MR. BROWN: Okay. If there are no further
6 questions, I think I can go to the next slide. It is
7 just my conclusion slide that says that we found that
8 the details about geography, demography, nearby
9 hazards and meteorology, with the exception of those
10 two open items are acceptable. I am happy to take any
11 additional questions on meteorology or the other two
12 subjects, if you have any.

13 CHAIRMAN POWERS: Do the members have any
14 questions they want to pose on this area?

15 I think that one of the issues that
16 continues to perplex me a little bit it is outside
17 really the scope of the SER. So you can tell me to go
18 ask somebody else if you want to. When we use chi
19 over two kinds of methodologies, we really are looking
20 at a flat earth kind of world and we don't have a flat
21 earth kind of world here at this particular site.

22 In fact this dispersion analysis is pretty
23 pathological because it has large bodies of water on
24 it and rolling hills and lots of trees and cleared
25 areas. And just about everything that you don't want

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to see in those kinds of models. Well why do we do
2 that?

3 I mean we know the chi/Q kind of
4 methodology is a little bit suspect for these kinds of
5 things. We kind of think we abound things by taking
6 conservative values for the chi/Qs but how do we know?

7 MR. BROWN: There are certain affects,
8 especially at this site, you know, with things we
9 looked at toward the end of the SER. On meteorology
10 there is the discussion on the possible effects of
11 land breezes and sea breezes and what that can do.
12 And so we took at a look at it. And we just, we don't
13 see a level of significance associated with those
14 effects to cause us to go off and do more
15 sophisticated modeling.

16 CHAIRMAN POWERS: Even if we do more
17 sophisticated modeling, I think inherently the
18 difficulty is we just don't have a lot of validation
19 for those models.

20 MR. BROWN: But the straight line
21 dispersion modeling.

22 CHAIRMAN POWERS: No matter how
23 sophisticated you get, when you come down and say okay
24 what is my comparison of predictions against data for
25 any of these models, it is very thin.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BROWN: It is very thin, which is why
2 we sort of have a belts-and-suspenders approach to
3 regulating this, which is we have meteorological
4 monitoring and we have radiological environmental
5 monitoring to sort of, you know --

6 MEMBER RYAN: I guess I will pick on the
7 numbers on this slide 29 that the applicant showed
8 that four significant visits. It just doesn't make
9 any sense. I mean, this is 5.0, maybe just five, 0.5.

10 MR. BROWN: It is 5.0.

11 CHAIRMAN POWERS: How about less than ten?

12 MEMBER RYAN: But I guess my point is it
13 would probably be helpful to have some kind of
14 guidance on certainty analysis or on certainty
15 representation when you do these things because that,
16 I mean frankly, doesn't pass the laugh test to say
17 those are different or they are the same. So --

18 MR. BROWN: I agree that we could probably
19 add guidance to that portion of our SRP about
20 reasonable levels of uncertainty.

21 MEMBER RYAN: And gain, frankly it would
22 be helpful to the applicant. If you calculate 5.1 and
23 you know --

24 MR. BROWN: It is 5.0.

25 MEMBER RYAN: -- it is 5.0. It is 5.0.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 You know, you are done.

2 MR. BROWN: Right.

3 MEMBER RYAN: But it kind of gets away
4 from a little bit of hand wringing about pencil-
5 whipping some numbers.

6 CHAIRMAN POWERS: Well maybe it is
7 something that you log into the lessons learned sort
8 of thing.

9 MEMBER RYAN: Yes. But some kind of
10 treatment of or at least discussion of how do you deal
11 with significant digits or a decision. And then you
12 know, how do you evaluate against, you know, if it is
13 5.0 plus or minus 0.2 am I still okay. I would say
14 sure.

15 MR. BROWN: There are two things going on
16 there. First of all, there is an inappropriate level
17 of precision and I don't disagree. We have to review
18 what is provided.

19 There is also, with such a small
20 difference between the site parameter for the design
21 center and the site characteristic, can't we just bump
22 up the site parameter a little bit more and it is not
23 a departure at all?

24 MEMBER RYAN: And that gets into what I
25 call numerical narcosis. So something that was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 little bit more rigorous on how to deal with that
2 without creating the appearance of an incorrect number
3 higher than it should be or lower than it should be or
4 whatever would be helpful. And that is maybe a lesson
5 learned probably broader than just atmospheric
6 dispersion calculations, too.

7 MR. BROWN: It could be. But I agree.

8 MEMBER RYAN: Okay, thanks.

9 CHAIRMAN POWERS: Any other questions for
10 the speaker?

11 MEMBER RYAN: Nice job.

12 CHAIRMAN POWERS: No?

13 MR. ARORA: Thanks Dave and Jim. That
14 completes our presentation, Dr. Powers.

15 CHAIRMAN POWERS: Well thank you very much
16 and welcome back.

17 And with that, I think I will adjourn this
18 subcommittee meeting.

19 (Whereupon, at 10:44 a.m., the foregoing meeting was
20 adjourned.)

21
22
23
24
25
NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701



UNISTAR NUCLEAR ENERGY

**Presentation to ACRS
U.S. EPR™ Subcommittee
Calvert Cliffs Nuclear Power Plant Unit 3
FSAR Chapter 2, Site Characteristics
Sections 2.0 through 2.3
January 12, 2011**

Introduction



- RCOLA authored using 'Incorporate by Reference' (IBR) methodology
- To simplify document presentation and review, only supplemental information, or site-specific information, or departures/exemptions from the U.S. EPR FSAR are contained in the Calvert Cliffs Unit 3 COLA
- AREVA U.S. EPR FSAR ACRS Meeting for Chapter 2 – Site Characteristics occurred on November 3, 2009

Introduction



- Today's Presentation was prepared by UniStar and is supported by AREVA (U.S. EPR Supplier), Bechtel and ALION Science and Technology.
 - Tim Kirkham (UniStar - Senior Health Physicist)
 - Mary Richmond (Bechtel - Senior Environmental Engineer)
 - Dan Patton (Bechtel - Nuclear/Environmental Engineer)
 - Ted Messier (AREVA - Meteorologist/Principal Scientist)
 - Pedro Perez (AREVA - Supervisory Engineer-Radiological Engineering)
 - Robert Mickler (ALION - Program Manager)
- The focus of today's presentation will be on site-specific information that supplements the U.S. EPR FSAR.



Chapter 2, Site Characteristics
Section: 2.0
Site Characteristics

Presented by Greg Gibson
UniStar-Vice President of Regulatory Affairs

Chapter 2, Site Characteristics Agenda



- Section 2.0 Site Characteristics
 - COL Information/Interface Items
- Section 2.1, Geography and Demography
 - COL Information Items
- Section 2.2, Nearby Industrial, Transportation and Military Facilities
 - COL Information/Interface Items
- Section 2.3, Meteorology
 - COL Information/Interface Items/Departures/Exemptions
- Conclusions

Chapter 2, Site Characteristics

Section 2.0 Site Characteristics

COL Information/Interface Items



- Calvert Cliffs Unit 3 FSAR has reviewed and compared the site-specific parameters and characteristics to determine if they are within the bounds of the assumed parameters and characteristics as shown in U.S. EPR FSAR Table 2.1-1.
 - Calvert Cliffs Unit 3 site-specific parameters or characteristics outside the bounds of the conservative limiting assumptions are presented in Calvert Cliffs Unit 3 COLA.
 - Justification of the acceptability of these conditions is provided in the associated chapter/section of the Calvert Cliffs Unit 3 COLA as listed in Chapter 2 of the FSAR and will be discussed and presented to ACRS with the appropriate COLA chapter.
 - Section 2.3 of this presentation will discuss the items that relate to the Chapter 2 subject matter.



Chapter 2, Site Characteristics
Section: 2.1
Geography and Demography

Presented by Mary Richmond
Bechtel - Senior Environmental Engineer

Chapter 2, Site Characteristics Agenda



- Section 2.0 Site Characteristics
 - COL Information/Interface Items
- Section 2.1, Geography and Demography
 - COL Information Items
- Section 2.2, Nearby Industrial, Transportation and Military Facilities
 - COL Information/Interface Items
- Section 2.3, Meteorology
 - COL Information/Interface Items/Departures/Exemptions
- Conclusions

Chapter 2, Site Characteristics

Section 2.1, Geography and Demography

COL Information Items



- Location
 - Calvert County, Maryland
 - Southeastern sector of Calvert County, west bank of the Chesapeake Bay
 - Peninsula bounded by
 - Chesapeake Bay on the east
 - Patuxent River on the west
 - Closest metropolitan centers
 - Annapolis, Maryland – 35 miles north; Baltimore, Maryland – 60 miles north
 - Washington, D.C. – 45 miles northwest; Richmond, Virginia – 80 miles southwest

Chapter 2, Site Characteristics

Section 2.1, Geography and Demography

COL Information Items



Chapter 2, Site Characteristics

Section 2.1, Geography and Demography

COL Information Items




- Population
 - Closest population center per 10 CFR 100.3
 - St. Charles – 33,379 (2000 census)
 - Meets requirement of 10 CFR 100.11(a)(3)
 - The distance between St. Charles and the site is approximately 26 miles.
 - Therefore, it meets the requirement that the population center distance be at least one and one-third times the distance from the reactor to the outer boundary of the LPZ (the radius of the LPZ 1.5 miles).
 - Population density per Regulatory Guide 4.7
 - The areas adjacent to Calvert Cliffs Unit 3 do not exceed 500 persons/ square mile, averaged over any radial distance out to 20 miles, at time of COL approval and within 5 years thereafter.

Chapter 2, Site Characteristics

Section 2.1, Geography and Demography

COL Information Items

Population Compared to NRC Siting Criteria



Chapter 2, Site Characteristics

Section 2.1, Geography and Demography

COL Information Items



- Exclusion Area Boundary (EAB)
 - Circle with a radius of approximately 0.6 miles, the boundary establishes a distance of at least 0.5 miles from each potential release point
 - Possess the authority to determine all activities including the exclusion and removal of personnel and property
 - Control of access will be provided by posting the boundary and performing security patrols
 - No state or county roads or railways traverse the EAB
 - Portions that extend into Chesapeake Bay will be controlled through the use of buoys with postings that define the restrictions for the area
 - Access enforced by the United States Coast Guard and the Maryland Department of Natural Resources police



Chapter 2, Site Characteristics

Section: 2.2

Nearby Industrial, Transportation and Military Facilities

Presented by Mary Richmond

Bechtel- Senior Environmental Engineer

Chapter 2, Site Characteristics Agenda



- Section 2.0 Site Characteristics
 - COL Information/Interface Items
- Section 2.1, Geography and Demography
 - COL Information Items
- Section 2.2, Nearby Industrial, Transportation and Military Facilities
 - COL Information/Interface Items
- Section 2.3, Meteorology
 - COL Information/Interface Items/Departures/Exemptions
- Conclusions



Chapter 2, Site Characteristics

Section 2.2, Nearby Industrial, Transportation and Military Facilities

COL Information/Interface Items

- Nearby Industrial, Transportation and Military Facilities
 - Potential hazards were identified
 - Nearby transportation routes Maryland highway 2/4, Chesapeake Bay navigable waterway, and Dominion Cove Point Liquefied Natural Gas (DCPLNG) facility pipeline
 - Nearby chemical and fuel storage facilities (DCPLNG)
 - On-site chemical storage at Calvert Cliffs Units 1, 2 & 3
 - Nearby marinas and airfields

Chapter 2, Site Characteristics

Section 2.2, Nearby Industrial, Transportation and Military Facilities

COL Information/Interface Items



- Potential hazards were evaluated
 - Explosions
 - The analyses demonstrated a peak positive overpressure of 1 psi will not be exceeded for any safety-related structure for any of the postulated event scenarios.
 - Flammable/Explosive Vapor Cloud (Delayed Ignition)/Jet Fire
 - The analyses demonstrate that ignition of a flammable/explosive vapor cloud involving the identified chemicals or a jet fire from the pipeline would not affect the safe operation of Calvert Cliffs Unit 3.
 - Toxic Chemicals
 - The analyses demonstrate that a toxic vapor cloud involving the identified chemicals would not affect the safe operation of Calvert Cliffs Unit 3.

Chapter 2, Site Characteristics

Section 2.2, Nearby Industrial, Transportation and Military Facilities

COL Information/Interface Items



- Aircraft/Airway Hazard Analysis
 - Airways V31 and V93 pass closer than 2 statute miles to the nearest edge of Calvert Cliffs Unit 3
 - A calculation based on DOE-STD-3014-2006 was performed and indicated further analysis required.
 - Therefore, further evaluation was conducted in Chapter 19, where a PRA was performed taking into account core damage and containment release frequency.
 - Based on a comparison of this analysis to NUREG-0800 and ANSI/ANS-58.21-2007, it is concluded that the aircraft crash can be screened out for the Calvert Cliffs Unit 3 design.



Chapter 2, Site Characteristics
Section: 2.3
Meteorology

Presented by Tim Kirkham
UniStar- Senior Health Physicist

Chapter 2, Site Characteristics Agenda



- Section 2.0 Site Characteristics
 - COL Information/Interface Items
- Section 2.1, Geography and Demography
 - COL Information Items
- Section 2.2, Nearby Industrial, Transportation and Military Facilities
 - COL Information/Interface Items
- **Section 2.3, Meteorology**
 - **COL Information/Interface Items/Departures/Exemptions**
- Conclusions

Chapter 2, Site Characteristics

Section 2.3, Meteorology

COL Information Items/Interface Items



U.S. EPR FSAR Design Parameter	Calvert Cliffs Unit 3 Site-Specific Characteristic Value
Snow/Ice Load on Roofs of Safety-Related Structures	
< 100 psf	38.0 psf
Maximum Wind Speed other than Tornado	
< 145 mph	95 mph
Tornado	
< 230 mph 1.2 psi at 0.5 psi/sec pressure drop	200 mph 0.9 psi at 0.4 psi/sec pressure drop
Air Temperature (0% Exceedance Values for Safety-Related HVAC Systems)	
115° F (dry bulb temp) / 80° F (coincident wet bulb temp) -40° F (dry bulb temp) (minimum temp)	102° F (dry bulb temp) / 80° F (coincident wet bulb temp) -0° F (dry bulb temp) (minimum temp)
81° F (non-coincident wet bulb temp) for UHS Design only	Not bounded: 85° F (non-coincident wet bulb temp) Departure is addressed in Chapter 9, Section 9.2.1 for UHS Design
Air Temperature (1% Exceedance Values for Non Safety-Related HVAC Systems)	
100° F (dry bulb temp) / 77° F (coincident wet bulb temp) -10° F (dry bulb temp) (minimum temp)	93° F (dry bulb temp) / 76.8° F (coincident wet bulb temp) 14° F (dry bulb temp) (minimum temp)

Chapter 2, Site Characteristics

Section 2.3, Meteorology

COL Information Items



- Onsite Meteorological Measurement Program
 - Utilizes the existing operational meteorological measurement program and equipment (tower) established for Calvert Cliffs Units 1 and 2.
 - Existing Calvert Cliffs Units 1 & 2 installed prior to Regulatory Guide 1.23, Revision 1 and met requirements for Safety Guide (SG) 23.

Chapter 2, Site Characteristics

Section 2.3, Meteorology

COL Information Items



- Preoperational Meteorological Monitoring Program
 - Meets the current requirements of Regulatory Guide 1.23, Revision 1, Meteorological Monitoring Programs for Nuclear Power Plants, except for
 - No atmospheric moisture measurements (required for plants utilizing cooling towers). For Calvert Cliffs Unit 3 Preoperational Data, alternate sources of moisture data were used.
 - Tower not sited at approximately the same elevation as finished plant grade of Calvert Cliffs Unit 3.
 - Tower, guyed wires and anchors were inspected every 5 years as required by SG 23, instead of annual for guyed wires and every 3 years for anchors and tower as required in RG 1.23, Regulatory Position C.5.
 - No wind shield originally installed on the precipitation gauge.
 - Sampling rate is 10 seconds versus 5 seconds by RG 1.23.

Chapter 2, Site Characteristics

Section 2.3, Meteorology

COL Information Items



- Operational Meteorological Monitoring Program
 - Calvert Cliffs Unit 3 buildings are greater than a factor of ten times their respective heights away from the meteorological tower, and as such are not expected to impact the meteorological measurements.
 - Upgraded tower meets the current requirements of Regulatory Guide 1.23, Revision 1, Meteorological Monitoring Programs for Nuclear Power Plants, except for
 - Tower is not sited at approximately the same elevation as finished plant grade of Calvert Cliffs Unit 3. Tower is located on level 40 feet higher than Calvert Cliffs Unit 3 grade, intervening terrain profile has a gentle slope which is an insignificant impact on dispersion conditions.
 - Sampling rate is 10 seconds versus 5 seconds by RG 1.23. Sampling rates used for the Calvert Cliffs Units 1 and 2 exceed data recovery standards and have not been shown to have impact on data quality.

Chapter 2, Site Characteristics

Section 2.3, Meteorology

COL Information Items/Interface Items



- Makeup for the Ultimate Heat Sink (UHS) Cooling Tower is sufficient to meet the maximum evaporative and drift water losses
 - This COL information item is related to the UHS Cooling Tower 24 hr and 72 hr site-specific meteorological data and will be discussed with the UHS design information in the Chapter 9 presentation.

Chapter 2, Site Characteristics

Section 2.3, Meteorology

COL Information/Interface Items/Departures/Exemptions

Dispersion Factors



Short-Term Dispersion Site Parameters for Design-Basis Accident Releases	Result of Comparison to U.S. EPR FSAR
EAB and LPZ χ/Q Site Parameter Values	Bounded except for 0-2 hr value for the LPZ; departure justified by meeting dose limitations
Control Room χ/Q Site Parameter Values	Bounded
Long-Term Dispersion Site Parameters for Routine Releases	Result of Comparison to U.S. EPR FSAR
Maximum annual average χ/Q at or beyond the site boundary	Not bounded; departure justified by meeting dose limitations

Chapter 2, Site Characteristics

Section 2.3, Meteorology

COL Information/Interface Items/Departures/Exemptions

- Site specific χ/Q values:
 - Conservative estimates of atmospheric Accident values for the EAB, LPZ and Control room are presented in the U.S. EPR FSAR and bound the Calvert Cliffs Unit 3 values except for the 0-2 hour value for the LPZ.
 - The U.S.EPR FSAR provides the Accident χ/Q of $1.75E-04 \text{ sec/m}^3$ at the LPZ - 1.5 miles during the 0-2 hr period. The corresponding calculated site-specific short-term atmospheric dispersion factor for Calvert Cliffs Unit 3 is $2.151E-04 \text{ sec/m}^3$ which exceeds/departs from the U.S. EPR value.
 - The site-specific Accident Dispersion factors were used in calculating doses from accident scenarios specified in Chapter 15. Doses are within the limitations of 10 CFR 50.34 and GDC 19.

Chapter 2, Site Characteristics

Section 2.3, Meteorology

COL Information/Interface Items/Departures/Exemptions



Table 15.0-2— {CCNPP Unit 3 LPZ Radiological Consequences of U.S. EPR Design Basis Accidents}

Design Basis Accident		Offsite Dose CCNPP Unit 3 LPZ rem (TEDE)	Acceptance Criterion rem (TEDE)
LOCA		9.1	25
Small line break outside of Reactor Building		0.4	2.5
SGTR	Pre-incident spike	0.3	25
	Coincident spike	0.3	2.5
MSLB	Pre-incident spike	0.1	25
	Coincident spike	0.2	2.5
	Fuel rod clad failure	2.6	25
	Fuel overheating	2.8	25
RCP locked rotor/broken shaft		0.9	2.5
Rod ejection		3.4	6.3
Fuel handling accident		1.2	6.3

Chapter 2, Site Characteristics

Section 2.3, Meteorology

COL Information/Interface Items/Departures



- Site specific χ/Q values (continued):
 - The Calvert Cliffs Unit 3 site-specific calculated maximum annual average χ/Q value exceeds the $4.973E-06$ sec/m³ value of the U.S. EPR FSAR in the Exclusion Area Boundary for the northeast sector.
 - The Calvert Cliffs Unit 3 site-specific χ/Q value of $5.039E-06$ sec/m³ is computed for the EAB, 0.22 miles offshore in the northeast sector, which is located in the Chesapeake Bay.
 - Dose limits of 10 CFR 50 Appendix I will not be exceeded due to :
 - There are no persons residing in the northeast sector.
 - Other sector average values are bounded by the U. S. EPR values.

Chapter 2, Site Characteristics

Section 2.3, Meteorology

COL Information/Interface Items/Departures



Chapter 2, Site Characteristics

Section 2.3, Meteorology

COL Information Items



- χ/Q values for each cumulative frequency distribution exceeding the median value (50% of the time) were developed
 - Utilized AEOLUS-3 (a software package for the determination of atmospheric dispersion and deposition of nuclear power plant effluents during continuous, intermittent and accident conditions)
 - Used RG 1.145 methodology
 - Seven years of site meteorological data from Calvert Cliffs Units 1 & 2 (2000-2006)

Chapter 2, Site Characteristics

Section 2.3, Meteorology

COL Information Items



Table 2.3-116—{50th Percentile χ/Q Values}

Time Period	χ/Q (sec/m ³)	Receptor
0-2 hours	8.079E-05	EAB
0-2 hours	1.527E-05	LPZ
2-8 hours	1.181E-05	LPZ
8-24 hours	9.391E-06	LPZ
24-96 hours (1-4 days)	6.607E-06	LPZ
96-720 hours (4-30 days)	3.987E-06	LPZ
annual average	2.150E-06	LPZ

Chapter 2, Site Characteristics

Section 2.3, Meteorology

COL Information Items



- The site-specific, long-term diffusion estimates for routine releases were developed
 - Realistic estimates of transport and diffusion characteristics determined using AEOLUS-3
 - Implements RG 1.111 (atmospheric transport methods) and 1.145 guidance (models for accident consequence assessment)
 - Data gathered in accordance with RG 1.23
 - RG 1.112 was followed to determine points of release and characteristics
 - Calvert Cliffs Unit 3 FSAR presents the site-specific normal effluent annual average (undecayed, undepleted, mixed mode release) χ/Q values
 - Data presented can then be used in performing RG 1.109 doses to individuals

Chapter 2, Site Characteristics

Section 2.3, Meteorology

COL Information Items



- Atmospheric dispersion (χ/Q values) and deposition (D/Q values) for 16 radial sectors to a distance of 50 miles were determined
 - Seven years of meteorological data from onsite tower used
 - Release point of 203 feet above grade (stack height)
 - A conservative (low) stack flow rate of 242,458 ft³/min was used
 - The Calvert Cliffs Unit 3 FSAR presents the site-specific normal effluent annual average atmospheric dispersion (χ/Q) and deposition factors (D/Q) for a mixed mode release from the Calvert Cliffs Unit 3 stack for 16 radial sectors to a distance of 50 miles.
 - Locations of interest (i.e., site boundary, nearest resident, nearest garden) were derived from the annual Calvert Cliffs site land use census and regulatory guidance.

Chapter 2, Site Characteristics Agenda



- Section 2.0 Site Characteristics
 - COL Information/Interface Items
- Section 2.1, Geography and Demography
 - COL Information Items
- Section 2.2, Nearby Industrial, Transportation and Military Facilities
 - COL Information/Interface Items
- Section 2.3, Meteorology
 - COL Information/Interface Items/Departures/Exemptions
- **Conclusions**

Conclusions



- Fourteen COL Information Items and Three Interface Items, as specified by U. S. EPR FSAR, are addressed in Calvert Cliffs Unit 3 FSAR Chapter 2, Sections 2.0 through 2.3
- Three Departures/ One Exemption in Section 2.3 from the U.S. EPR FSAR for Chapter 2 of the Calvert Cliffs Unit 3 FSAR
- No ASLB Contentions
- Responses to all RAIs have been submitted, except for RAI 261, which is scheduled for 1/31/11.

Acronyms

- ACRS – Advisory Committee on Reactor Safeguards
- ASLB – Atomic Safety & Licensing Board
- COL – Combined License
- COLA – Combined License Application
- DCPLNG – Dominion Cove Point Liquefied Natural Gas
- EAB – Exclusion Area Boundary
- FSAR – Final Safety Analysis Report
- ft/min – feet per minute
- hr – hour
- IBR – Incorporate by Reference
- LOCA – Loss of Coolant Accident
- LPZ – Low Population Zone
- NRC – Nuclear Regulatory Commission
- mph – miles per hour
- MSLB – Main Steam Line break
- psf – pounds per square foot
- psi – pounds per square inch
- RCOLA – Reference COL Application
- RCP – Reactor Coolant Pump
- SER – Safety Evaluation Report
- SG – Safety Guide
- SGTR – Steam Generator Tube Rupture
- TEDE – Total Effective Dose Equivalent
- UHS – Ultimate Heat Sink



Presentation to the ACRS Subcommittee

**UniStar Calvert Cliffs Nuclear Power Plant (CCNPP) Unit 3
COL Application Review**

Safety Evaluation Report

CHAPTER 2: SITE CHARACTERISTICS

January 12, 2011

Order of Presentation

- **Surinder Arora** – Calvert Cliffs COLA Lead PM
- **UniStar** – RCOL Applicant
- **Jim Steckel** – Chapter 2 PM
- **Dave Brown** – RSAC Branch Chief, Chapter Presenter

Major Milestones Chronology

07/13/2007	Part 1 of the COL Application (Partial) submitted
12/14/2007	Part 1, Rev. 1, submitted
03/14/2008	Part 1, Rev. 2, & Part 2 of the Application submitted
06/03/2008	Part 2 of the Application accepted for review (Docketed)
08/01/2008	Revision 3 submitted
03/09/2009	Revision 4 submitted
06/30/2009	Revision 5 submitted
07/14/2009	Review schedule published
09/30/2009	Revision 6 submitted
04/12/2010	Phase 1 review completion milestone
Nov. 2010	ACRS reviews complete for Chapters 4, 5, 8, 10 , 11 , 12 , 16 , 17 & 19
12/20/2010	Revision 7 submitted

Review Schedule (Public Milestones)

Phase - Activity	Target Date
Phase 1 - Preliminary Safety Evaluation Report (SER) and Request for Additional Information (RAI)	April 2010 (Actual)
Phase 2 - SER with Open Items	April 2011
Phase 3 – Advisory Committee on Reactor Safeguards (ACRS) Review of SER with Open Items	July 2011
Phase 4 - Advanced SER with No Open Items	January 2012
Phase 5 - ACRS Review of Advanced SER with No Open Items	May 2012
Phase 6 – Final SER with No Open Items	July 2012

NOTE: The target dates shown above are currently being reviewed and are subject to revision.

ACRS Phase 3 Review Plan

FSAR CHAPTERS BY COMPLETION DATES

Chapter(s)	Issue Date	ACRS Meeting
8	1/6/2010	2/18/2010
4	3/24/2010	4/20/2010
5	3/22/2010	4/20/2010
12	3/19/2010	4/20/2010
17	3/12/2010	4/20/2010
19	4/19/2010	5/21/2010
10	6/11/2010	11/30/2010
11	10/30/2010	
16	10/11/2010	
2 (Group 1)	10/29/2010	1/12/2011
1, 2 (Group 2), 3, 6, 7, 9, 13, 14, 15, 18	Various	Meeting dates not yet finalized

- **Technical Staff**

- ♦ **David Sisk, NRO/DSER/RSAC (FSAR Sec. 2.1)**
- ♦ **Rao Tammara, NRO/DSER/RSAC (FSAR Sec. 2.2)**
- ♦ **Dave Brown, NRO/DSER/RSAC (FSAR Sec. 2.3)**

Overview of Staff's Review

SRP Section/Application Section		Number of RAI Questions	Number of SE Open Items
2.0	Site Characteristics	0	0
2.1	Geography and Demography	0	0
2.2	Nearby Industrial, Transportation, and Military Facilities	7	0
2.3	Meteorology	71	2
Total		78	2

COL Review Topics of Interest

Chapter 2.0 – Site Characteristics

CCNPP Unit 3 COL Application Review

- COL application includes site-specific information on the following:
 - ♦ FSAR Section 2.1: Geography and Demography
 - ♦ FSAR Section 2.2: Nearby Industrial, Transportation, and Military Facilities
 - ♦ FSAR Section 2.3: Meteorology
- COL FSAR Sections 2.1-2.3 address 14 COL information items
- COL application contains three departure requests and one exemption request from the U.S. EPR DCD in Section 2.3: Meteorology
- COL application review included:
 - ♦ Confirming all COL information items identified in U.S. EPR DCD are addressed
 - ♦ Evaluating departures and exemptions
 - ♦ Determining whether the COL FSAR information provided a sufficient level of detail

COL Review Topics of Interest

Section 2.1 - Geography and Demography



- Summary of FSAR
 - ◆ Addresses site location and description, exclusion area authority and control, and population distribution

- Results of Evaluation
 - ◆ The staff concludes that the information provided meets site evaluation factors and radiological consequence factors in 10 CFR Parts 52 and 100

COL Review Topics of Interest

Section 2.2 – Nearby Industrial, Transportation, and Military Facilities

- Summary of FSAR
 - ♦ Addresses locations and description of nearby industrial, transportation and military facilities, and the potential hazards from these facilities, including the effects of toxic vapors or gases, explosions, fires, and missiles

- Results of Evaluation
 - ♦ Staff reviewed the COL information items, and finds that the applicant meets the siting requirements in 10 CFR Parts 52 and 100
 - ♦ The potential concentration of HCl at the control room ventilation system intake exceeds IDLH values. The staff's evaluation of this condition is evaluated in SE section 6.4

COL Review Topics of Interest

Section 2.3 - Meteorology

- Summary of FSAR
 - ◆ Addresses regional climatology, site meteorology, meteorological monitoring program, short-term and long-term atmospheric dispersion parameters

- Open Items
 - ◆ Effect of nearby tree line on meteorological monitoring program
 - ◆ Description of the departure from the site temperature parameter for the ultimate heat sink

The COL FSAR for Calvert Cliffs Unit 3 Provides:

- Sufficient details about geography, demography, nearby hazards, and meteorology, with the exception of two open items in meteorology

Acronyms

- COL – combined license
- FSAR – Final Safety Analysis Report
- IDLH – Immediately Dangerous to Life and Health
- RAI – request for additional information
- RG – Regulatory Guide
- UHS – Ultimate Heat Sink