

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Sequoyah Units 1 and 2
 License Renewal Scoping Meeting
 Afternoon Session

Docket Number: 50-327 and 50-328

Location: Soddy-Daisy, Tennessee

Date: April 3, 2013

Work Order No.: NRC-4104

Pages 1-66

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

SEQUOYAH UNITS 1 AND 2

LICENSE RENEWAL SCOPING MEETING

AFTERNOON SESSION

+ + + + +

Soddy-Daisy Hall

9835 Dayton Pike

Soddy-Daisy, Tennessee 37379

+ + + + +

April 3, 2013

+ + + + +

2:00 p.m.

NRC REPRESENTATIVES IN ATTENDANCE

- BOB HAGAR
- GERRI FEHST
- MARK YOO
- EMMANUEL SAYOC
- NANCY MARTINEZ
- DAVID WRONA
- JOEY LEDFORD
- GALEN SMITH
- WESLEY DESCHAINED

CONTENTS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Welcome and Purpose of Meeting 3

Overview of License Renewal
and Environmental Review Process 9

Questions About Material Presented 24

Public Comments 26

Closing 65

P R O C E E D I N G S

(2:00 p.m.)

1
2
3 MR. HAGAR: Good evening. My name is Bob
4 Hagar and I'm a Senior Project Engineer from the NRC in
5 the Region IV Office. And today I'm here to facilitate
6 this meeting with the help of my colleague Gerri Fehst,
7 who's sitting in the back there.

8 And our goal today is to help this meeting
9 run smoothly to ensure that everyone who has something
10 to say has an opportunity to say it and to be heard and
11 keep us on the schedule. And we're going to do our best
12 to help this meeting run smoothly and make it worthwhile
13 for everyone. And we hope that you will help us with that.

14 Now most of you know that TVA has submitted
15 an application to the NRC for renewal of the operating
16 license for the Sequoyah Nuclear Plant for an additional
17 20 years. The NRC is reviewing that application and will
18 decide whether to renew the licenses. This meeting is
19 part of that review process.

20 The purposes of this meeting are to tell you
21 about the license renewal and environmental scoping
22 processes for that review and to get input from you about
23 the environmental issues that the NRC should consider
24 during that review. So this meeting is going to have
25 essentially three parts.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 In the first part we'll hear a presentation
2 from the NRC staff about the license renewal and
3 Environmental Review processes. Information in that
4 presentation will help you understand what's involved
5 with the license renewal at Sequoyah. Copies of that
6 presentation were available on the table outside. And
7 if you want a hard copy and forgot to pick one up, just
8 let Gerri or I know and we'll make sure you get one.

9 Now during the second part of this meeting
10 we'll use 10 to 15 minutes to give you an opportunity to
11 ask questions about the material that was presented and
12 for the NRC staff to answer those questions. We'll keep
13 the presentations short and we hope those questions from
14 you so we can get to the main reason we're here and that
15 is to get input from you.

16 During that last part of the meeting, you
17 have an opportunity to say whatever you want to say about
18 the license renewal process. And when you signed in
19 today, you may have noted the yellow cards and the blue
20 cards that we asked you to fill out. The yellow cards
21 are for people who want to speak today, and the blue cards
22 are for people who just want to add their names to our
23 mailing list.

24 If you do speak today, we need to have your
25 name on a card really for two reasons. One is we need

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to have an accurate list of the speakers in this meeting,
2 and the second is we want to be sure and spell your name
3 correctly in the transcript of this meeting. Now if you
4 decide you want to speak and haven't filled out a card
5 yet, just let me know or me or Gerri know and we'll give
6 you a card and help you complete it.

7 Speaking of transcripts, we are recording
8 this meeting to make sure that we fully capture your
9 comments. And later on we're going to transcribe this
10 recording into a written document. And that document
11 will be an official record of this meeting. And we need
12 that document to be accurate. And you can help us
13 produce an accurate document in four ways.

14 First, if you're going to speak, please use
15 a microphone. We'll make a microphone available to you
16 and please speak into that microphone. And for the
17 microphone that you're using, you have to -- as you see
18 I'm doing, you have to stand pretty close to be able to
19 hold that microphone close to your mouth.

20 Also the first time you speak, please identify who
21 you are and what group or groups you represent. And also
22 if you have an uncommon name or a name that's spelled in
23 an unusual way, please also spell your name again so that
24 we can get your name accurately recorded in the
25 transcript.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The next to ensure that our recording is
2 clear, please don't hold side conversations and don't
3 interrupt the speakers. That's because if the
4 microphone picks up two people speaking at the same time,
5 from the recording, we can't tell what either one of them
6 said.

7 Finally, please silence your cell phones
8 and any other personal electronics you have with you. I
9 know that some of you have to stay in touch with people
10 outside this meeting. And so please do that if you need
11 to. But if you receive a call during the meeting, please
12 step outside to take that call so that the other meeting
13 participants can hear the proceedings and so that neither
14 your phone ringing nor your conversation will get
15 recorded.

16 I'll take just a minute to introduce the NRC
17 staff who are here today.

18 Emmanuel Sayoc is the Environmental Project
19 Manager for the license renewal process for Sequoyah.

20 Mark Yoo is the Safety Project Manager.

21 You guys might ought to stand up.

22 This is Manny on the right and Mark.

23 Nancy Martinez is a Technical Reviewer in
24 the Division of License Renewal.

25 And Dave Wrona is a Branch Chief in a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Division of License Renewal. And Dave's branch is
2 responsible for completing the review of the Sequoyah
3 License Renewal Application.

4 Joey Ledford back at the back is a Public
5 Affairs Officer from the NRC Regional Office in Atlanta.

6 And Galen Smith is not here yet. He's a
7 Senior Resident.

8 But Wesley Deschaine is here. He's the
9 Resident Inspector for the NRC at Sequoyah.

10 Now the NRC staff is going to do their best
11 to answer any questions that you have about license
12 renewal or any other regulatory topic that you want to
13 discuss.

14 But please keep in mind that there are only
15 a few NRC staff members here today. And you may ask a
16 question that's outside their areas of expertise. So
17 the best person to answer those questions, your question,
18 may not be here today. If that's the case, if the staff
19 can't give you a good answer to your question, they'll
20 get back to you. They'll take your name and go find the
21 right person to give you that answer and get back to you
22 very soon.

23 One other item I'm hoping you picked upon
24 is the -- when you came in was our Public Meeting Feedback
25 form. You can fill this out today and hand it to any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 staff member. Or you can take it with you and put it in
2 the mail because postage is free. And your assessment
3 of how today's meeting went is important to us. And
4 we'll use that information to improve future meetings.
5 So please take a moment to tell us what you think.

6 Finally, I hope everybody recognized or
7 noticed that the restrooms are immediately outside this
8 door. And if there's an emergency in this building,
9 we'll exit through those two rooms -- those two doors and
10 then step right outside. And security is provided by the
11 two officers that are standing at the back of the room.

12 Is everyone okay with the ground rules that
13 I've kind of laid out? Any objection to that?

14 Okay, with that, I'll hand this meeting over
15 to Mark Yoo for the NRC presentation.

16 I'll be back when the presentation is done
17 to lead in to facilitate the question and answer period.
18 And remember if you have questions about the
19 presentation, please hold those questions until that
20 period and we'll get those asked and answered. And then
21 we'll move to the final part of the program.

22 Any questions about anything I've said?

23 Go ahead, Mark.

24 MR. YOO: Good afternoon, my name is Mark
25 Yoo. I'm one of the Safety Project Managers within the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Division of License Renewal. I'm coordinating the
2 staff's review associated with the Sequoyah Nuclear
3 Plant Units 1 and 2 License Renewal Application.

4 Thank you all for taking the time to come
5 to this meeting.

6 Today we will provide an overview of the
7 license renewal review process which includes both a
8 Safety Review and an Environmental Review. We will
9 describe ways in which the public can participate in the
10 Sequoyah license renewal process. I'd like to reiterate
11 that the most important part of today's meeting is to
12 receive any comments that you may have on the scope of
13 the Environmental Review. We'll also give you some
14 information on how you can make comments if you prefer
15 not to speak at this meeting. I hope the information
16 we'll provide will help you to understand the license
17 renewal review process and the roles you all can have in
18 the process.

19 Before I get into the discussion of the
20 license renewal process, I'd like to take a minute to talk
21 about the NRC in terms of what we do and what our mission
22 is.

23 The NRC is a federal agency that regulates the civilian
24 use of nuclear material.

25 The Atomic Energy Act authorizes the NRC to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 grant a 40-year operating license for nuclear power
2 reactors. I'd like to highlight that this 40-year term
3 was based primarily on economic consideration and
4 anti-trust factors, not on safety or technical
5 limitations. The Atomic Energy Act also allows for
6 license renewal.

7 The National Environmental Policy Act of
8 1969, or NEPA, established a national policy for
9 considering the impact of federal decision making on the
10 human environment. Emmanuel will discuss NEPA in
11 greater detail.

12 The NRC's mission is three-fold: To ensure
13 adequate protection of the public health and safety, to
14 promote the common defense and security, and to protect
15 the environment.

16 The NRC accomplishes its mission through a
17 combination of regulatory programs and processes such as
18 establishing rules and regulations, conducting
19 inspections, issuing enforcement actions, and assessing
20 licensee performance. We also evaluate operating
21 experience from nuclear plants across the country and
22 internationally as well.

23 The NRC has Resident Inspectors at all
24 operating nuclear power plants. These Inspectors are
25 considered the eyes and ears of the NRC. They carry out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 our safety mission on a daily basis and are on the front
2 lines of ensuring acceptable safety performance and
3 compliance with nuclear regulatory requirements.

4 I'd like to mention a few very important
5 areas of NRC oversight that routinely come up during our
6 interactions with members of the public. The NRC staff
7 addresses these areas of performance every day as part
8 of the ongoing regulatory oversight provided for all
9 currently operating power reactors. They include
10 current safety performance as defined by NRC inspection
11 findings, violations, and general assessments of plant
12 performance, emergency planning, and security.

13 For specific information on current
14 performance of Sequoyah, a user link is provided on the
15 slide. This is also in your handout. The NRC monitors
16 and provides regulatory oversight of activities in these
17 areas on an ongoing basis under the current operating
18 license. Thus, we do not reevaluate them in license
19 renewal. That's not to say they're not important. We
20 just do not duplicate the regulatory process in these
21 areas for license renewal.

22 The NRC received Sequoyah's Application for
23 License Renewal on January 15th, 2013, requesting an
24 additional 20 years of operation. The current operating
25 licenses for Sequoyah expire in 2020 and 2021.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Licensees can submit an Application for License Renewal
2 after it's operated for 20 years. The NRC has determined
3 that 20 years of operation provides enough information
4 for the staff to make an informed decision on license
5 renewal.

6 The first step of the license renewal
7 process is to perform an Acceptance and Sufficiency
8 Review of the application. The purpose of this review
9 is to determine if the applicant had provided the
10 required information. The required information
11 includes technical information about plant structures
12 and components and how the applicant proposes to manage
13 the aging of the structure's components, technical
14 specifications defining the operating parameters of the
15 plant. The application indicates if any changes or
16 additions to technical specifications are necessary to
17 manage the effects of aging during the period of extended
18 operation.

19 The application also includes an
20 Environmental Report, which is the applicant's
21 assessment of the environmental impacts of continued
22 operation.

23 If the application has the required
24 information, then it is considered acceptable and it is
25 put on the NRC's formal docket. And the staff will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 perform a full review. The NRC has accepted and docketed
2 the Sequoyah License Renewal Application by notice in the
3 Federal Register on March 5th, 2013.

4 This flow chart highlights that the license
5 renewal process involves two parallel reviews, the
6 Safety Review and the Environmental Review. These two
7 reviews evaluate separate aspects of the License Renewal
8 Application. It also features three other
9 considerations in the Commission's decision on whether
10 or not to renew an operating license.

11 One of these considerations is the
12 Independent Review performed by the Advisory Committee
13 on reactor safeguards commonly referred to by its acronym
14 ACRS. Statutorily mandated by the Atomic Energy Act of
15 1954, the Advisory Committee is a group of scientists and
16 nuclear safety experts who serve as a consulting body to
17 the Commission. The Advisory Committee reviews only the
18 License Renewal Application, the NRC staff's Safety
19 Evaluation Report, and the inspection findings. The
20 Advisory Committee reports their findings and
21 recommendations directly to the Commission.

22 The dotted lines show that the hearings may
23 also be conducted if interested stake holders submit
24 concerns or contentions and their request for a hearing
25 is granted. The Atomic Safety and Licensing Board, an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 adjudicatory panel, will conduct the hearings. The
2 Commission considers the outcome of the hearing process
3 in its decision on whether or not to issue a renewed
4 operating license.

5 As part of the Environmental Review, the
6 staff consults with local, state, federal, and tribal
7 officials, such as the Environmental Protection Agency.
8 And the staff holds public meetings to receive comments
9 on the Draft Environmental Impact Statement.

10 Now I'm going to describe the license
11 renewal review processes in a little more detail,
12 starting with the Safety Review. To better understand
13 the license renewal process, it's good to know the safety
14 principles that guide license renewal.

15 The first principle is that the current
16 regulatory process is adequate to ensure that the
17 licensing basis of all operating plants provides and
18 maintains an acceptable level of safety with the
19 exception of detrimental effects of aging.

20 The second principle is that the current
21 plant's specific licensing basis must be maintained
22 during the renewal term in the same manner and to the same
23 extent as during the original licensing term. In other
24 words, the same rules that apply under the current
25 license will apply in the renewal term. In addition, a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 renewed license will include conditions that must be met
2 to ensure aging of structures and components important
3 to safety is adequately managed so that the plant's
4 current licensing basis is maintained during the period
5 of extended operation.

6 The Safety Review focuses on the aging of
7 passive and long-lived structures and components and
8 systems that the NRC deems important to plant safety. We
9 consider safety related systems, structures, and
10 components, for example, reactor containment.
11 Non-safety related systems, structures, and components
12 which if they fail could affect safety related systems,
13 structures, component functions. For example, a piece
14 of equipment directly above a safety related component
15 and system structure components relied upon for
16 compliance with regulations for fire protection,
17 environmental qualification, pressurized thermal shock,
18 anticipated transients without scram, and station
19 blackout.

20 The staff's main objective in this review
21 is to determine if the effects of aging will be adequately
22 managed by the applicant. The results of the Safety
23 Review are documented in a Safety Evaluation Report, or
24 SER.

25 Now that you know what is subject to review,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I will talk about how the NRC looks at all the
2 information. The Safety Review comprises of numerous
3 rigorous aspects. The technical staff reviews the
4 applicant's License Renewal Application and supporting
5 documentation to determine the applicant's methodology
6 to identify the systems, structures, and components
7 within the scope of license renewal that's subject to an
8 aging management review to determine if the methodology
9 has been properly implemented and to determine with
10 reasonable assurance if the effects of aging for certain
11 systems, structures, and components will be adequately
12 managed or monitored by new or existing programs and
13 surveillance activities.

14 The staff uses site audits to verify the
15 technical basis of the License Renewal Application and
16 to confirm that the applicant's Aging Management
17 Programs and activities conform with how they're
18 described in the application. The staff documents the
19 basis and conclusions of its review in a Safety
20 Evaluation Report, which is publicly available. In
21 addition, a team of specialized inspectors travel to the
22 reactor site to verify that Aging Management Programs are
23 being implemented, modified, or planned consistent with
24 the License Renewal Application.

25 Finally as I have mentioned, the Advisory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Committee on Reactor Safeguards performs in an
2 independent review of the License Renewal Application,
3 the staff's Safety Evaluation Report, and inspection
4 findings and makes a recommendation to the Commission
5 regarding the proposed action to issue a renewed
6 operating license.

7 This slide shows important milestones for
8 the Safety Review process. It is important to note that
9 these dates are tentative. Schedule changes may result
10 from a host of reasons. If significant issues are
11 identified, the license renewal review may be suspended
12 indefinitely or terminated.

13 That concludes a description of the Safety
14 Review. The Environmental Review will be discussed by
15 the Environmental Project Manager, Emmanuel Sayoc.

16 MR. SAYOC: Thank you, Mark. Good
17 afternoon, everybody. My name is Emmanuel Sayoc and
18 I'll be focusing on the environmental portion of this
19 presentation.

20 The review is performed in accordance with
21 the National Environmental Policy Act of 1969, commonly
22 referred to as NEPA. NEPA established a national policy
23 for considering environmental impacts and provides the
24 basic architecture for federal Environmental Reviews.
25 All federal agencies must follow a systematic approach

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in evaluating potential impacts and also to assess
2 alternatives to those actions. The NEPA process
3 involves public participation and public disclosure.
4 The NRC's environmental regulations implementing the
5 requirements of NEPA are contained in 10 Code of Federal
6 Regulations, Part 51.

7 Our Environmental Review considers the
8 impact of license renewal and any mitigation for those
9 impacts considered significant. We also consider the
10 impacts of alternatives to license renewal, including
11 the impacts of not issuing the renewed license. We
12 document our review in an Environmental Impact
13 Statement, which will be made publicly available.

14 Ultimately the purpose of the Environmental
15 Review is to determine whether the environmental impacts
16 of license renewal are reasonable and in combination with
17 other reviews to make sure a recommendation to the
18 Commission on whether or not to renew the license or not.

19 For a license renewal review the NRC
20 environmental staff looks at a wide range of potential
21 impacts. Additionally, we consult with various
22 federal, state, and local officials, as well as leaders
23 of Indian nations. Examples include the U.S. Fish and
24 Wildlife Service, Environmental Protection Agency, the
25 Tennessee Department of Environmental Quality,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Tennessee State Historic Preservation Offices, as well
2 as tribal nations that have historic ties to the area
3 around the plant and neighboring states. We gather
4 pertinent information from these sources that ensure it
5 is considered within our analysis.

6 The Environmental Review begins with a
7 scoping process which is an assessment of the specific
8 impacts and significant issues that the staff should
9 consider in preparing the Sequoyah Environmental Impact
10 Statement. Currently this is where we are in the
11 process. Information that will be gathered from you
12 today and in the next few weeks will be considered and
13 included in an Environmental Impact Statement.

14 We recognize that some impacts are similar,
15 if not identical, at all nuclear power plants. So to
16 improve the efficiency, we have developed a Generic
17 Environmental Impact Statement that addresses a number
18 of impacts common to all nuclear power plants. The staff
19 supplements that Generic Environmental Impact Statement
20 with a Site Specific Environmental Impact Statement in
21 which we address issues that are specific to Sequoyah.
22 The staff also reexamines the conclusions reached in a
23 Generic Environmental Impact Statement to determine if
24 there are any new and significant information that would
25 change those conclusions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The scoping period started on March 8th,
2 2013 with a Notice of Intent to prepare an Environmental
3 Impact Statement and conduct scoping and was published
4 in the Federal Register. The NRC will accept comments
5 on the scope of the Environmental Review until May 3,
6 2013.

7 In general we are looking for information
8 about the environmental impacts from the continued
9 operation of Sequoyah. You can assist in this process
10 by telling us, for example, what aspects of your local
11 community we should focus on, what local environmental,
12 social, and economic issues the NRC should examine during
13 our review and what other major projects are in progress
14 or planned in the area, and finally what reasonable
15 alternatives are most appropriate to this region. These
16 are just some of the examples of the input we seek through
17 the environmental scoping process.

18 We don't know your community like you do,
19 so your comments here today will help us ensure a thorough
20 review. Public comments are an important part of the
21 Environmental Review process.

22 So how do we use your comments? All of your
23 comments to us, whether provided verbally during this
24 meeting or in a written letter or fax or email, are
25 considered and addressed. We respond to each comment as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 part of the Environmental Impact Statement. The
2 Environmental Impact Statement is one of the factors, as
3 well as the several others shown here, that influence the
4 Commission's decision to renew the license or not.

5 In addition to providing verbal and written
6 comments at this meeting, there are other ways you can
7 submit comments. You can submit comments online using
8 the Federal Rulemaking Website at the regulation.gov
9 website. Enter the key word NRC-2013-0037. This will
10 give you a list of Federal Register notices. The top one
11 says License Renewal Application for Sequoyah Nuclear
12 Power Plant Units 1 and 2, Tennessee Valley Authority.
13 There is an icon on the right hand side to submit a
14 comment. If you have problems, please give me a call and
15 I'll direct you to the appropriate contact to walk you
16 through this Regulations website.

17 You can fax your comments to the number
18 above. Please reference Sequoyah License Renewal on
19 your fax.

20 Please note that comments will not be edited
21 to remove any identifying or contact information, so do
22 not include any information in the comments that you
23 don't want to be publicly disclosed. As I
24 mentioned, the deadline for comments is May 3, 2013. You
25 can provide written comments by mail to the Chief of our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Rules, Announcements, and Directives Branch at the
2 address provided on the slide. And finally if you happen
3 to be in the D.C. area, you can provide them written
4 comments in person during our business hours.

5 This slide shows important milestones for
6 the Environmental Review process. As Mark said, these
7 dates are subject to change based on the progress of the
8 review. The opportunity to submit contentions for a
9 hearing closes on May 6, 2013. And the opportunity to
10 submit comments for the Environmental Scoping process
11 closes on May 3, 2013.

12 Please note that a Draft Supplemental
13 Environmental Impact Statement is scheduled to be issued
14 for public comment on February of 2014 with an associated
15 public meeting to receive your comments on this
16 preliminary document.

17 Hard copies of the License Renewal
18 Application and Environmental Report may be found at the
19 library shown on this slide. The Draft Supplemental
20 Environmental Impact Statement will also be available at
21 this library when it is published for comment. These
22 documents will also be on the NRC's website at the website
23 address shown at the bottom of this slide.

24 As you came in, you were asked to fill out
25 a registration card at our reception table. If you've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 included your address on the card, we will mail a CD copy
2 of the draft and final EIS to you.

3 Mark and I are the primary contacts for the
4 NRC license renewal process for Sequoyah. Our contact
5 information is provided on this slide and also on your
6 handouts.

7 This concludes my presentation and I'll
8 turn it over to Bob.

9 MR. HAGAR: All right, this is the part of
10 the meeting where, if you have questions about what was
11 presented, this is the time to ask them and the NRC staff
12 will answer them. And if you would step up here, I will
13 hand you the mike and then we'll decide -- wait a minute,
14 let me turn on this other mike. And based on your
15 question, we'll decide who should answer them.

16 MR. SAFER: I'm Don Safer. I'm from
17 Nashville with Tennessee Environmental Council,
18 Tennessee Chapter of the Sierra Club, and the Bellefonte
19 Efficiency and Sustainability Team. I just have a
20 simple question. On Slide No. 8, you said -- and I'm
21 sorry, I didn't catch it. But you said you don't repeat
22 looking at something. And I didn't catch what it is that
23 you don't look at again. I just wanted to make sure I
24 understood what that was. Thank you.

25 MR. HAGAR: Mark, you want to take that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. YOO: On Slide 8, the NRC monitors and
2 provides regulatory oversight of activities. We do not
3 in an ongoing basis -- sorry. The NRC monitors and
4 provides regulatory oversight of activities on an
5 ongoing basis under the current operating license.
6 Thus, we do not reevaluate them in license renewal.

7 The areas are the -- addresses these areas
8 that perform every day. Sorry, I'm trying to -- it's
9 current safety performance as defined by NRC inspection
10 findings, violations, and general assessments of plant
11 performance, emergency planning, and security. Those
12 are the items. Those are reviewed on an ongoing basis
13 and we don't reevaluate them as part of license renewal.

14 MR. HAGAR: Did that answer your question?
15 Okay.

16 Any other questions about the material that
17 was presented?

18 Okay, step up.

19 MS. JOHNSTON: My name is Gretel Johnston.
20 And it was in the license renewal process, you had a chart
21 there and you said it's reviewed by ACRS. Excuse my
22 ignorance, but I don't know what that acronym is for.

23 MR. SAYOC: Oh the ACRS is the Advisory
24 Committee on Reactor Safeguards. They're a team of
25 independent scientists, nuclear experts in the field,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 national labs. And they come in and they review our
2 Safety Evaluation Report. That's who we present our
3 Safety Evaluation to. So they are independent of the
4 staff and it's their recommendation straight to our
5 Commission.

6 MS. JOHNSTON: Independent of the NRC or
7 independent of the industry?

8 MR. SAYOC: Both. They are nuclear
9 experts. They are scientists. They are professors
10 that are independent of --

11 MS. JOHNSTON: I see.

12 MR. SAYOC: -- the industry and our staff.

13 MS. JOHNSTON: Okay, thank you.

14 MR. HAGAR: Any other questions about the
15 material?

16 All right, then we'll move to the third part
17 of our meeting. And again this is the point, the part
18 of the meeting where we want input from you on topics that
19 the NRC should consider. I have yellow cards here from
20 five speakers.

21 And if you want to speak and have not filled
22 out a card, please raise your hand. Okay, I don't see
23 any hands.

24 So the first speaker will be Sandy Kurtz.
25 Did I say that right? Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And the speaker after that will be Hardie
2 Stulce. Is that right? Okay.

3 Then, Sandy and Hardie -- and we're going
4 to ask that you limit your comments to five minutes to
5 start until we've gotten through everyone. And if
6 there's time left, we'll give you additional time after
7 the last speaker.

8 So, Sandy, go ahead.

9 And again we want you to say your name and
10 what organization you represent. And if your name is
11 unusual or spelled in kind of an unusual way, please spell
12 it. Thank you.

13 MS. KURTZ: Am I close enough? Okay. I am
14 Sandy Kurtz; it's K-u-r-t-z. And I am an environmental
15 education consultant, but I'm here as a volunteer for
16 Bellefonte Efficiency and Sustainability Team and
17 Mothers Against Tennessee River Radiation. And we are
18 chapters of the Blue Ridge Environmental Defense League.
19 And I serve on that board as well.

20 We have a long, long list of concerns and
21 reasons why we think that this should not -- the
22 relicensing should not happen. And so we certainly want
23 these to be reviewed and considered during this
24 Supplemental Environmental Impact Statement review, the
25 scoping session here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The original Environmental Impact
2 Statement was done when the plant was first opened back
3 in the 1980s and it seems like it's time to really start
4 from scratch, not just say that there's been no
5 significant environmental impact at this point because
6 it's operating for all this time and, gosh, we haven't
7 really had an accident yet. So we can just, we can just
8 rely on that same Environmental Impact Statement and we
9 can say that it's going to be the same way for the next
10 20 years, 20 years starting in 2020, because that's when
11 the first license expires. I know there was one
12 extension in between.

13 So it's questionable to think that there's
14 going to be no significant environmental impact in the
15 future just because -- and I don't think it's even
16 reasonable to say there's been no significant
17 environmental impacts in the past 32 years. But still
18 that's what NRC is saying. So I think that we need to
19 really begin from scratch again on that.

20 Aging is a real issue here. We have an old,
21 old, old, old plant. It's been operating with poor
22 technology, outdated technology. Now the ice condenser
23 design, which you all know is a bunch of ice baskets to
24 cool off -- in case of an accident it's going to cool off
25 the containment building of the reactor itself. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that's old.

2 And furthermore, there's also -- there's
3 always concrete decay. There's pipes that have broken
4 that are leaking. And I know TVA will say, well, we've
5 been replacing these parts. And I know they just put in
6 the new steam generator. But there are parts you can't
7 get to. They are buried; they're buried in concrete.
8 You don't know when they're going to leak. You don't
9 know what's happening.

10 And they are -- they're aging. And I think
11 that's a very big concern to think that we are going to
12 give a license to continue on for 20 years without
13 worrying a lot about that aging situation.

14 There's concern over flooding. In the
15 light of lessons learned from Fukushima and the fact that
16 TVA has discovered with their own calculations that they
17 are well -- they're too low. They need to put in flood
18 protection in case the earthen dams upstream give way.
19 And that certainly is an analysis that has to be done to
20 assess the risk to a growing urban population. When
21 Sequoyah was first built, it was pretty rural out here
22 and now it isn't. And so we have a growing population.

23 And I think we need to assess the risk should
24 those dams upstream break or an earthquake occurs.
25 Because we now also find out that we live in a possibly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 seismically active area. We had the Knoxville
2 earthquake recently in and around Knoxville. And just
3 was today a lady here was telling me we have a little small
4 earthquake here in this area just today.

5 So if -- I think we need to figure out if
6 the design for Sequoyah is strong enough to withstand a
7 heavy earthquake. And I understand that magnitude 5
8 would be a good number to shoot for for protecting.

9 It's also I'm especially concerned about water
10 use. And we have climate disruption -- more storms, more
11 problems that way. And we also have growing industry,
12 business people that use the water in addition to the
13 drinking water, most of which comes from the Tennessee
14 River for Chattanooga.

15 And a nuclear plant uses seven -- if it's
16 a 1,000 megawatt and Sequoyah is a little bigger -- seven
17 thousand fourteen hundred -- 714,740 gallons per minute.
18 So I'm concerned about the use of that water, two-thirds
19 of which does not go back into the river after it's used
20 to cool. The rest of it is hot and so we worry about the
21 fish and the aquatic community there in that whole
22 ecosystem.

23 Thank you.

24 MR. HAGAR: Sandra, do you have more to say?

25 MS. KURTZ: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HAGAR: Then I'll add your name to the
2 last of the list and you'll have another opportunity.

3 The next speaker will be Hardie Stulce.
4 Did I say that right?

5 MR. STULCE: Stulce.

6 MR. HAGAR: And the speaker after that will
7 be Don Safer.

8 MR. STULCE: My name is Hardie Stulce,
9 S-t-u-l-c-e. Employed by the city of Soddy-Daisy at
10 present. I have been associated with the city either
11 through the volunteer fire department since 1972 till the
12 present. Have served on the City Council for four years,
13 two years of which I was Mayor. The comments that I'm
14 going to make are qualified to the point of from direct
15 experience.

16 Sequoyah Nuclear Plant -- and this is
17 unsolicited by anybody there. And I have a number of
18 friends that work there as you would expect in any small
19 community. Our town and this region has benefitted from
20 this facility, not only from a financial standpoint as
21 to a standard of living that it provides for the people
22 who reside here.

23 But as far as the valley as a whole or the
24 Southeastern United States has directly benefitted from
25 all of the endeavors of the Tennessee Valley Authority

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 since the 1930s. And to that case in point, there are
2 dams that were built in the æ30s that still don't have
3 any problems today.

4 Everything at Sequoyah Nuclear Plant that
5 I have been affiliated with as either a representative
6 of the city as a fire fighter or through city government
7 has been totally open, totally above board. There've
8 never been any secrets. I was in the facility during its
9 construction, flew over it in the late æ60s when they were
10 digging the holes out in the rock underneath the ground
11 cover. It's a magnificent facility.

12 I have no concerns as far as the type of
13 neighbor that Sequoyah Nuclear Plant has always been as
14 far as safety. Yes, in any industry that is fairly new
15 and the nuclear industry starting in the æ50s, yes, it's
16 an old design. It's a well-proven design. I think I'm
17 correct if I say that Sequoyah has broken the majority
18 of the records in the United States for sustained power
19 production and efficiency. Even though it is a branch
20 of the federal government to that extent which is often
21 identified with waste, it leads the industry in the
22 reliability and sustainability of the power that it
23 produces.

24 And I would like to go on record not only
25 as a citizen of this area, a lifelong resident, but I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 speak, I think, for the entire City Council and the vast
2 majority of residents who reside in this area who would
3 be affected in a negative aspect were there a problem
4 there. We trust TVA. We trust their decisions and the
5 fact that they have always kept us in the loop in any
6 situation, whether it be good or bad. And that we
7 wholeheartedly support their request for a license
8 extension of the plant.

9 Thank you.

10 MR. HAGAR: Thank you Hardie.

11 The next speaker is Don Safer. And after
12 that we'll have Kathleen Farris.

13 MR. SAFER: Thank you. I've already
14 introduced myself, but I'm Don Safer from Nashville with
15 the Tennessee Environmental Council and State Sierra
16 Club. I want to raise specific issues in the first five
17 minutes and I will want to speak again. Thank you.

18 The plant safety and security in the TVA
19 document that was sent out back in 2010 says that, "Severe
20 accidents are defined as accidents with substantial
21 damage to the reactor core and degradation of containment
22 systems. Because the probability of a severe accident
23 is very low, the NRC considers them too unlikely to
24 warrant normal design controls to prevent or mitigate the
25 consequences. Severe accident analyses consider both

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the risk for the severe accident and the offsite
2 consequences."

3 What that means is that they just dismiss
4 out of hand the possibility of a severe accident and don't
5 consider it at all in the Environmental Impact Statement.

6 Now at Fukushima two years ago, they had a
7 severe accident. It was an accident that -- and I was
8 around the first time this plant was licensed. And we
9 were promised that it wasn't possible to have that type
10 of accident; that it was just impossible. And that was
11 the words that were used on many occasions when those
12 questions were raised.

13 Now at Fukushima 160,000 people have been
14 permanently evacuated from their homes. The cost is
15 going to be anywhere from fifty -- I've seen figures as
16 high as 500 billion dollars of economic cost to Japan.
17 I've seen figures that go up to around 11,000 square miles
18 of land that is permanently contaminated for human use
19 evacuated -- farms, homes, businesses. So
20 that's the kind of thing that a severe accident actually
21 has done two years ago. And that accident is ongoing.
22 They've still not got it under control. And there are
23 serious issues with the fuel that's -- the irradiated
24 fuel that's in the fuel pools there.

25 And we have a lot of irradiated fuel at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Sequoyah. Every single bit of it that's been there since
2 the -- that's been made there is still there, much of it
3 in fuel pools.

4 At Chernobyl 200,000 people were evacuated
5 and the amount of deaths are anywhere from 4,000 to a
6 million, depending on who you ask. And the million is
7 actually quite well documented by Ukrainian doctors.
8 The tremendous -- the people, I'm sorry, that are the most
9 likely to know. They evacuated permanently a 19-mile
10 circle with Chernobyl in the center.

11 So just imagine. Take a 19-mile circle
12 from Sequoyah and that's what's possible in the event of
13 a severe accident. And that is not even being considered
14 in this process. And I ask the NRC in going through this
15 in a post-Fukushima time to take that into account in the
16 decision to relicense or not. How much time
17 do I have?

18 MR. HAGAR: You have five minutes now.

19 MR. SAFER: The other issue I think that is
20 important that I'll get into right now -- if I can find
21 my note -- is this issue about the life expectancy. I
22 have an AP article that was just written in the last year.
23 I remember when these -- as I said, these plants were
24 first licensed. They said 40 years was it. The
25 engineers that designed these things designed them for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 40 years. Adding another 20 years is really suspect.
2 And it's largely an economic decision. So this article
3 says they're rewriting history saying that these things
4 can go easily another 20 years. The metal imbrittlement
5 is a question.

6 Just the design, I think later I'll get into
7 the design of the ice condenser units which are
8 remarkable except they're really wacky. I mean you've
9 got a lot of ice in there. But the ice condenser design
10 just briefly was identified after Three Mile Island as
11 being the most likely of all the United States reactors
12 for the containment to fail in a serious accident in a
13 loss of -- a coolant water accident where the fuel rods
14 are exposed. You get hydrogen buildup. They had to go
15 back and retrofit hydrogen igniters.

16 But this design was done in the æ60s.
17 There's a reason why only nine of these were built, 10
18 if you count Watts Bar 2. There's a reason why they're
19 less than 10 percent of the United States reactor fleet
20 and why not a single new one has been built. TVA did
21 finish the ones at Watts Bar that they had started.

22 But thank you. And for the record, I don't
23 see why we can't go on a little longer first. But thank
24 you. And I'd like to speak again.

25 MR. HAGAR: Understand, Don, you want

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 another opportunity. So you'll have that.

2 Kathleen Ferris. And then following
3 Kathleen will be Gretel Johnson.

4 MS. FERRIS: Good afternoon. My name is
5 Kathleen Ferris. I'm from Murfreesboro, Tennessee.
6 Cofounder of the organization called Citizens to End
7 Nuclear Dumping in Tennessee. I am speaking today
8 primarily, however, as a mother and a grandmother.

9 I gather that most of the people that I'm
10 speaking to here who are scientists are in the field of
11 physics or chemistry. And what I would like to ask you
12 to do today is to consider these issues in terms of the
13 biological perspective as opposed to the more -- I don't
14 know what the word would be for that. But the other
15 branches of science.

16 For many decades we have been warned by
17 physicians and public health officials, people like
18 Helen Caldecott and Dr. John Gofman and Rosalie Bertell
19 have told us the dangers of ionizing radiation to human
20 health. We have been told that it damages DNA and causes
21 mutations and that it is carcinogenic and especially to
22 children. Now there's no debating the issue that
23 nuclear reactors do emit radiation. There are routine
24 emissions; there are spills; there are accidents, some
25 more serious than others.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 However, TVA and the NRC, I have yet to see
2 a report that does not say, "No risk to the public," after
3 one of these things occurs. These reactors pollute the
4 environment, the water, the air. The rain rains down
5 radionuclides onto the grass, gets into our plants, into
6 our food chain.

7 There are many studies that have been done
8 mostly abroad that show that people, especially
9 children, who live near nuclear reactors have a higher
10 incidence of cancer than the national averages or than
11 people who live at a greater distance. Back in the 1980s
12 there was one by at Sellafield in England that found
13 clusters of leukemia and cancer. In Germany around the
14 year 2010 was a government sponsored study that showed
15 that the reactors tested there was almost double the rate
16 of leukemia -- well, over double the rate of leukemia and
17 double the amount of other cancers in children. Another
18 study at Chepstow, Wales, a very recent one, shows that
19 three and a half times the risk of cancer to children than
20 the national average.

21 Now just this past week another study came
22 out from Sacramento. It was done at Sacramento County,
23 California, where there are approximately 1.4 million
24 people living. Rancho Seco is a reactor that has been
25 closed for 23, over 23 years. This study shows -- by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 going through all the cancer records of the state of
2 California, they have shown that there is a drop of cancer
3 incidents in the 20 years since the closing. A very
4 precise number, 4,319 fewer cases over that 20 year
5 period. And many of these are women, Hispanics, and
6 children. Again children are some of the worst victims
7 of radiation poisoning.

8 National Academy of Sciences is currently
9 carrying on a study of reactors in this country to see
10 whether the cancer incidence is indeed higher or not.
11 The NRC is sponsoring that study and it's not yet
12 completed. Yet the NRC is going ahead with relicensing
13 before knowing all the facts regarding human health in
14 the vicinity of these plants.

15 Now Hamilton County contains 134,000
16 people. I'm sure there are many, many more; I'm not sure
17 of the exact number within a 50-mile radius. I urge you
18 not to put these people at further risk by approving a
19 plant that's already -- reapproving, relicensing a plant
20 that's 40 years old that has a poor record of operations
21 with repeated scrams and that has a design that has been
22 called faulty, maybe not by the NRC or local people.

23 We have all seen the horrors of somebody
24 dying of cancer. I know I have. And it's even much
25 worse if it happens to be a child. And I ask you, please,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 to focus on not just -- our society needs to focus not
2 just on cures for cancer but on prevention of cancer.
3 And this is one way that you can help do it.

4 Thank you.

5 MR. HAGAR: Thank you, Kathleen.

6 Gretel.

7 And after that, Sandy Kurtz, you'll have
8 another opportunity.

9 MS. JOHNSTON: I'd like to this into the
10 record. This is my comments and supporting documents.

11 MR. HAGAR: I understand you want this into
12 the record.

13 MS. JOHNSTON: Yes, sir.

14 MR. HAGAR: I'll turn it over to Dave. I'm
15 sure he'll make that happen.

16 MS. JOHNSTON: Okay, thank you.

17 Hi, my name is Gretel Johnston. That's
18 G-r-e-t-e-l. And I'm with a group called Mothers
19 Against Tennessee River Radiation and we're part of
20 Bellefonte Efficiency and Sustainability Team and the
21 Blue Ridge Environmental Defense League.

22 I come here today, first of all, I'd like
23 to challenge a basic assumption that's in this
24 Environmental Report. And that is that the only
25 alternative to extending this license is either to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 nothing and decommission, which I would recommend, or
2 to -- the other option is called, in your own words, as
3 the "reasonable alternative energy sources" as an
4 option. But the only options that are given in this
5 study are nuclear and gas powered power plants.

6 And many, many studies -- and I've included
7 them in the literature -- have addressed the issue of how
8 to replace -- as we retire coal plants and nuclear plants,
9 how we replace dirty energy with clean energy. And the
10 first and foremost choice that we advocate is energy
11 efficiency.

12 Energy efficiency cannot only replace all
13 the power that's being generated by Sequoyah at this time
14 and quickly. It does not come on line slowly; it comes
15 on line quickly and creates a lot of jobs and it's less
16 expensive by far than nuclear. But it also will improve
17 the homes of the people of the Tennessee Valley. It will
18 improve your lives by giving you smaller electric bills
19 every month and as well as creating jobs and not fouling
20 our nest and putting dangerous radioactive poisons into
21 our ecosystem or fossil fuels either.

22 So our first line we recommend is that this
23 basic assumption that the only alternatives are dirty
24 fuels being looked at carefully and examined and that
25 that assumption be renegotiated for the power plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 That, if in fact another option is taken, that that could
2 be renewable energy or the first line we would recommend
3 is energy efficiency.

4 In a study by Georgia Tech and Duke
5 University a couple of years ago asserted that energy
6 efficiency programs in one decade in the South alone
7 could create 380,000 new jobs. That's between 2010 and
8 2020, 380,000 new jobs. It would lower electricity
9 bills by 41 billion dollars. And all while eliminating
10 the need for new power plants for two decades and saving
11 8.6 billion gallons of fresh water. Now that's a major
12 environmental concern. And if this truly is an
13 environmental study, I think that this has to be taken
14 into consideration and considered as a viable modern
15 alternative.

16 As David Freeman says about the nuclear
17 technology and TVA, he says, "TVA is building yesterday's
18 technology tomorrow." And I have to agree
19 wholeheartedly with him on that. And I want to see us
20 looking towards the future and especially the future of
21 our children and grandchildren by providing them with a
22 clean and healthy environment to live and grow in.

23 And allowing radionuclides into our
24 environment not only affects the food chain, but it
25 affects our very DNA. It changes the structure of our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 genetic makeup. That's a long range issue, you know,
2 just one of these radionuclides -- the power plant
3 creates 200. When the uranium goes in, it creates 200
4 poisons that don't exist in nature.

5 Our body doesn't know what to do with them,
6 so they try and find the things that they most closely
7 resemble, whether it be iodine or potassium or calcium.
8 It tries to find that and it takes it up that way in the
9 bones, in the thyroid, and different parts of the body.
10 That's what it does with these radionuclides.

11 And they last for a very long time; some of
12 them are short lived. But we're talking about 200. And
13 some of them are extremely long lived.

14 What is it? The iodine 129 lasts
15 for -- what is it, 570,000,000 years is the half life?
16 That's 570,000,000 years, you know, that it's dangerous.
17 We can't even begin to absorb what that means. But it's
18 just not fair to the future of our planet, to future
19 generations, to living beings to impose this upon them.

20 So we call first of all for energy
21 efficiency.

22 Thank you.

23 MR. HAGAR: Well, at this point all of the
24 speakers who signed up to speak have had the opportunity
25 to speak and so now we'll give the speakers who wanted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to say more a second opportunity.

2 And, Sandy, Kurtz, you were the first.

3 And if it's all right with everybody for the
4 second go around, we'll expand the time available to 10
5 minutes per speaker. And perhaps that will give the
6 speakers an opportunity to finish.

7 Is that okay with you?

8 MS. KURTZ: Sure.

9 MR. HAGAR: Okay, 10 minutes.

10 MS. KURTZ: Where was I? I was talking to
11 you earlier about the water usage and how much water comes
12 out of the river, every minute, 714,740 gallons per
13 minute when the plant is operating. And two thirds of
14 that goes up into the air through the cooling towers that
15 we're all so familiar with.

16 And the rest goes back into the river and
17 is hot. There are regulations about how hot it can be,
18 but it is hot and it goes back into the river and affects
19 the fish. Although as I've been told, fish can swim
20 around the hot parts. But there are other macro
21 invertebrates and small critters in the water that are
22 called the drift community and they cannot swim around.
23 They are subject to whatever they run into. So that's
24 a problem.

25 And in fact, it's water that's going to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the constraining resource in the future. We cannot have
2 nuclear plants using all that water that could be used
3 for other uses. And it's just evaporating into the air
4 for the most and that is -- that also causes climate
5 change, climate disruptions as well. So I think we need
6 to -- I think that we are going to have continued drought
7 conditions in between storms if the predictions are
8 correct about that.

9 And we are also going to have hotter water
10 and that has caused some shutdowns of nuclear plants
11 already here in the Tennessee Valley. I know that
12 Sequoyah and Watts Bar have both shut down because the
13 water in the river was too hot to take the hot water that
14 the nuclear plants were putting into it. So those
15 shut-downs that are caused by climate should be a
16 significant environmental impact and should be
17 considered as one of the possible things to analyze as
18 to how that's going to work.

19 Further shut-downs -- every time there's a
20 shut-down, that is really, really expensive. That costs
21 a lot for TVA to be operating shut-down and they have
22 planned shut-downs. But every time there's a
23 scram -- that's an emergency shut-down. And by the way,
24 Sequoyah has been cited by NRC for having too many of
25 these emergency shut-downs in a year. I think that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 happened last year. So that is a problem.

2 The other thing that I wanted to talk about
3 a little bit was the extension of the license.
4 Apparently TVA -- well, I know TVA has already entered
5 into an agreement with the Department of Energy to
6 produce tritium until 2035. And tritium is a
7 radioactive form of hydrogen that becomes a radioactive
8 form of water. If it's ingested, inhaled, or absorbed
9 through the skin, tritium can permeate living cells and
10 cause damage at the cellular level.

11 So in both 2003 and in 2011, tritium was
12 found in the ground water at Sequoyah. It's also leaking
13 from the Watts Bar 1, where they're making it, cause
14 the -- absorbed with the rod cladding. It's being
15 absorbed into the rod cladding and then it's leaking into
16 the river. So since we get our drinking water primarily
17 from the Tennessee downstream from Watts Bar and
18 Sequoyah, we've been exposed to that for these now,
19 these, what will be 40 years when the license expires.

20 And I don't think we need another 20 years
21 of that just so the Department of Energy can have tritium
22 made in a commercial -- supposedly a commercial nuclear
23 plant. And they're using it for military use because,
24 as you all know surely, tritium is used to boost military
25 bombs, making of bombs. And it's used for that purpose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and so the Department of Energy wants those. But I don't
2 think we should be supporting the making of bombs while
3 we're poisoning our water.

4 The other issue, too, is about radioactive
5 mixed oxide fuel. That's another thing the Department
6 of Energy wants TVA to be using here. It's experimental
7 in commercial nuclear plants, never been used in the
8 United States in a commercial nuclear plant and Sequoyah
9 is not designed for it. So to say that TVA -- TVA to agree
10 to that, to using that mixed oxide fuel that's so
11 radioactive, more so than plain old uranium, I don't
12 think we should think about that. And that too, of
13 course, would be a significant environmental impact if
14 that leaks, gets loose, or we have an accident.

15 Spent fuel storage, you know, spent fuel is
16 radioactive fuel that uranium that has been used in the
17 reactor and then it becomes actually more radioactive and
18 it is taken out of the reactor and put into this fuel pool.
19 And the rods that where the uranium fuel is -- this is
20 highly radioactive rods -- are put into the fuel pool.
21 And what's happening is it's getting more and more
22 crowded because they don't know what to do with the waste.

23 Where shall we put the radioactive waste
24 since there's no place to ship it to? There's no setup
25 for that. And besides why have two places that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 radioactive when you can just leave it on site here at
2 Sequoyah? But how much more should we be making? So the
3 crowding of the rods is a problem.

4 And when they take the rod density, there's
5 more opportunity for accidents when the rods are so much
6 closer together and fission can happen. So where do we
7 put it? These are the things that I think that the
8 scoping should include. Where are we going to put those
9 rods and keep the crowding smaller? And is
10 the Watts Bar radioactive waste also going to be
11 supported to Sequoyah, which has -- I think is true.

12 And has the proposed independent spent fuel
13 storage building been put in place and is it secure
14 enough?

15 Further, are there plans to put things into
16 hardened cask storage so that they are safer than they
17 are in the fuel pool?

18 I know that Gretel had just spoken about the
19 decommissioning plans and the fact that there are only
20 two alternatives mentioned, both of which either say
21 decommission -- and we would recommend that -- or and
22 build a new -- but the alternative also says if you want
23 a new 40-year licensed nuclear plant. But you can't do
24 it on the Sequoyah nuclear site. It's already poisoned
25 actually. So that doesn't sound like a good plan. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 wouldn't recommend any more nuclear plants.

2 The other is the gas fired generators to
3 replace Sequoyah Nuclear Plant, but again not on the
4 Sequoyah Nuclear Plant site because it's sort of no man's
5 land when you get a nuclear plant. People can't go there
6 again. It's kind of like a land grab, it seems to me,
7 kind of giving away your land which can never be entered
8 again because it always -- even in decommissioning,
9 because it always has to be protected from the radiation.
10 So you're giving away to land to think about having
11 nuclear plants. But if they're going to be
12 decommissioned, it has to be certainly safe, too.

13 There are alternatives and I, too, would
14 suggest that NRC consider other alternatives besides
15 just those two.

16 I want to talk about radiation doses and you
17 have -- NRC has radiation doses. They have established
18 standards and those standards for radiation tell all the
19 nuclear plants what level of dosages are okay, in their
20 opinion, okay for you to receive. Some small amount that
21 they consider absolutely safe and below that there's no
22 problem. And that's how they figure out what the dosage
23 is going to be and how they say there's no public risk.
24 But we all know that there is no safe dose of radiation
25 because it's cumulative.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 I'll do the rest at the evening meeting or
2 maybe another time here.

3 MR. HAGAR: All right. Thank you, Sandy.

4 Don Safer, did you have some more to say?

5 MR. SAFER: Yes, sir.

6 MR. HAGAR: Ten minutes, please.

7 MS. SAFER: Once again thanks for the
8 opportunity. Before I get started, I'd like to
9 recommend to everybody, especially the young people
10 working on the NRC on this project. It's called Tritium
11 on Ice. It gives a great history of the NRC, not totally,
12 but in regard to the ice condenser design and the tritium
13 question. And this man worked at the Sandia Lab for 25
14 years. He was highly respected until the truth finally
15 got to him, especially on this particular issue.

16 And in here he says that there are serious
17 grounds for worry that ice condenser plants could undergo
18 catastrophic accidents exposing nearby populations to
19 fatal doses of radioactivity. And he goes on to
20 say -- this is a dispassionate outside observer -- "The
21 fact that the operator of the plants is the Tennessee
22 Valley Authority, a federal agency with a long history
23 of compromising nuclear safety, exacerbates the
24 potential danger."

25 Now the history of TVA and nuclear is long

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and it's not so pretty. And we've been very lucky that
2 we haven't had a major accident. Browns Ferry almost
3 went up because of the famous candle fire in 1974. And
4 if you don't know about it, you should look it up because
5 it's pretty scary.

6 There have been improvements, but his main
7 point in here is that the ice condenser design is
8 fundamentally flawed from the get-go. It was originally
9 designed as a way to put -- make the containment vessel
10 less robust, not as thick, not as strong, not as big. So
11 it costs less. This is nuclear power on the cheap.
12 That's not the kind of nuclear power that we really want.
13 We don't want any nuclear power, but on the cheap is the
14 worst. That's why he says it's more likely to fail.

15 The description of the ice condenser system
16 is very well done by Dave Lochbaum in his book. And the
17 ice condenser is a large vault-like structure which
18 encircles the base of the reactor containment building.
19 The ice condenser is subdivided into 24 bays. Each bay
20 has two hinged doors at the bottom of the wall between
21 the reactor containment building and the ice condenser.
22 Each bay contains 81 large 45-foot-tall baskets filled
23 with ice. Those doors, in a major accident those doors
24 are supposed to open. The ice is supposed to absorb the
25 heat.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 It's supposed to be chipped ice. And I
2 would like to ask the Resident Inspector of the NRC maybe
3 privately or maybe publicly to establish whether that ice
4 stays chipped or whether it becomes solid blocks of ice
5 and they dealt with the subsidence issue. But not on my
6 10 minutes here, please.

7 The other major issue it's been mentioned
8 about the children. In doing research on this in a
9 Reuter's article from March 15th, 2011, it quoted, it
10 said between 12,000 and 83,000 children were born with
11 congenital deformities according to the German
12 physicians group IPPNW, between 12,000 and 83,000
13 children born with deformities. Some of the deformities
14 of these children, if you have the stomach for it, they're
15 horrible. They're hardly human.

16 Chernobyl?

17 MR. SAFER: At Chernobyl, I'm sorry,
18 Chernobyl. What did I say? At Chernobyl, anyway at
19 Chernobyl. And so that's going back there.

20 The other thing that I would like -- next
21 thing I'd like the NRC to consider in this application
22 is the need for the power from this risky type of power.
23 Last year alone in 2012, according to the USA Today there
24 was over 13,000 megawatts of wind power installed in the
25 United States. That's 13 reactors like Sequoyah. In

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 one year without hearings like this, without the need to
2 go through these types of procedures, without the risk
3 to the public, without the evacuation plans, without the
4 radioactive waste. At Sequoyah there's currently
5 1,174 metric tons of this high level radioactive waste.
6 It's easily one to three million times more radioactive
7 than when the fuel went into the reactors. This is not
8 just spent fuel; this stuff is a nightmare.

9 At Fukushima Unit 4, which is teetering and
10 if it falls there are concerns by scientists that it will
11 be a global environmental catastrophe if that Unit 4 if
12 all the cesium in there spills and is spread. Well, the
13 amount of cesium -- amount of fuel rods in that pool is
14 far less than the 796 metric tons in the pools at Sequoyah
15 right now. There's also 378 metric tons in casks there.

16 So back to the need for it, the wind
17 potential, the solar potential in the valley, at this
18 point TVA is putting a restriction on the amount of solar
19 that can be installed. There's so much more potential
20 to install solar and it won't even cost TVA anything but
21 the feed-in tariff. People are willing to spend their
22 own money, put these solar panels on their roofs. And
23 TVA is putting a limit on how much solar power can go on
24 people's roofs.

25 I think it's to justify continuing to build

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Watts Bar 2, continuing to operate Sequoyah, doing the
2 small modular reactors. They're doing everything they
3 can to slow down the renewables.

4 And there are credible sources. The
5 National Renewal Energy Lab in Colorado, it's a
6 Department of Energy funded think tank on renewable
7 energy. It says we can get all of our power in a reliable
8 grid by 2040 -- or 80 percent of our power in a reliable
9 grid by 2040 from all renewable sources. And that's not
10 with -- that's without even evolving the renewable
11 technology like it's going to evolve.

12 We don't need this plant. We need to get
13 away from it. They're doing it in Germany. After
14 Fukushima, the Germans decided to shut down all of their
15 nuclear plants. They're going to do it by 2020, when
16 this license is set to extend the life another 20 years.
17 Certainly we can make plans and get rid of it. In Japan
18 after Fukushima, they had maybe one reactor operating.
19 They had to go cold turkey off of nuclear because the
20 people won't accept it anymore after they've seen the
21 cost.

22 So we should have a phase-out at least. And
23 the beginning of the phase-out is to stop licensing,
24 relicensing these old plants that have a much higher
25 likelihood of problems, especially these ice condenser

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 designs. The idea of putting MOX in this reactor which
2 is under consideration -- TVA is the only utility that's
3 thinking about using it -- is phenomenally ridiculous.
4 And this was tried in two ice condensers that Duke Power
5 owns. And those experiments failed, and Duke Power ran
6 away from it screaming. They won't touch the stuff.
7 And TVA now is the only utility that's even considering
8 it.

9 So the waste confidence, the waste, it was
10 supposed to already be somewhere else. In the very
11 beginning, they said, "Oh, don't worry about the waste."
12 And there've been oh so many different ways to deal with
13 it theoretically. But the reality is it's an almost
14 insoluble problem that nowhere in the world have they
15 really answered.

16 Reprocessing is an environmental
17 nightmare. Ask the people in West Valley, New York where
18 they tried reprocessing. And this was years and years
19 ago -- 20 or 30 years ago. And they're still cleaning
20 up the mess. The DOE is still cleaning up the mess.
21 And there's a plume of radioactive water that's headed
22 to the Great Lakes underground. And it's an
23 environmental nightmare for the people.

24 So this licensing procedure can't even be
25 finished until the NRC figures out what to do with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 waste. They did something called waste confidence.
2 They said, "Trust us. We have confidence we'll figure
3 out what to do with the waste."

4 Some of the independent environmental groups took
5 the NRC to court and actually won. And the court said
6 you got to have a plan. And that process is going on
7 concurrently with this process.

8 I think the feeling is that the NRC, oh,
9 we'll get the waste confidence thing done and we'll get
10 the Sequoyah thing done. And they'll all go together.
11 But they can't relicense this plant until that waste is
12 adequately addressed and there are a lot of plans to do
13 that. But some of the best minds in the world have been
14 trying to figure that out for 50 years and have not
15 figured it out.

16 It's a nightmare stew of toxic substances
17 that absolutely have to be protected from the biosphere.
18 And we are not doing a good job of that. And that's why
19 the background radiation levels are increasing.

20 If you want to find out more about the ice
21 condenser design again for the NRC, please read New Reg
22 1150. That was something that was developed in the 1980s
23 after Three Mile Island when there was a very serious
24 attempt at the NRC to study the reactors. And that's
25 where the ice condensers came out as the very most likely

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to fail. And that again was a study conducted by the NRC.

2 And it needs to be part of the debate about
3 whether this reactor should continue. It should have
4 been part of the debate about Watts Bar 2 and the
5 licensing there.

6 But I believe that there's a renewed
7 interest by the people of the country and also at the NRC
8 in safety because of the tragedy at Fukushima. And I
9 trust that that spirit will infuse this process.

10 It is a fact that not one of these renewal
11 applications has been denied. And I have people who have
12 called it rubber stamped. I hope that the rubber
13 stamping stops and this will be a very serious
14 consideration.

15 And thank you.

16 MR. HAGAR: Okay, I need to address an
17 administrative detail. One of the speakers has picked
18 up my clipboard off of this lectern. Oh, never mind, the
19 NRC speaker got it.

20 All right, we have all of the speakers who
21 signed up to speak have spoken, some twice. Is there
22 anyone else like to speak twice? Gretel?

23 Okay, Gretel. And you have 10 minutes,
24 please.

25 MS. JOHNSTON: Thanks, okay. A lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 issues have come up. Let me see. First, I'll just
2 address some of the ways that -- oops, uh-oh -- before
3 I address anything, I need to make sure that's not going
4 to -- can you all hear me all right? Good, okay.

5 I would like to talk about a number of issues
6 I have concerns about that are specific to Sequoyah.
7 Some of them apply to other nuclear power plants as well.
8 One of them that is specific to Sequoyah is what I
9 consider, our group considers, a compromised integrity
10 of the containment and that we consider it beyond the
11 design basis of this nuclear power plant.

12 That the TVA sawed through the containment,
13 the concrete and the metal secondary containment, of the
14 building the reactor is in and
15 took out a broken generator and replaced it with a giant
16 crane. And this was not designed to be done. This power
17 plant was not designed for this. So this is a beyond
18 design basis issue.

19 And I hope that the evaluators will consider
20 that in the light of the integrity of the unit itself,
21 but also in the light of what it means in terms of TVA's
22 willingness to cut into the containment structure,
23 thereby compromising it in order to cut costs to continue
24 the program. We think this is an unacceptable lack of
25 quality control at the very least and it shows little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 concern for the safety and health of the citizens in this
2 area.

3 Which by the way someone was wondering about
4 that. Within a 50-mile radius of Sequoyah, there are
5 over a million people, thanks to Pam Sann (phonetic) I
6 know that, and that is a major concern.

7 Another deliberately fabricated beyond design
8 basis ongoing event that has been mentioned earlier is
9 this extended use of cooling pools to store the
10 irradiated, spent -- it's called spent fuel, but it's
11 actually much more toxic than the uranium that goes into
12 the reactors because it has been enriched in the process,
13 creating these radionuclides I talked about earlier.

14 In that the Homeland Security and Congress
15 asked the National Academy of Sciences to do a study on
16 this to decide whether it was dangerous, this overloading
17 of the cooling pools, and they recommended that all of
18 the fuel going into these cooling pools be removed after
19 five years and put into dry cask storage which is
20 considerably safer for all of us.

21 The ones in Fukushima, that's a lesson of
22 Fukushima, the dry cask storage, came out unscathed.
23 The cooling pools we still don't know. That's what they
24 were dropping water from the helicopters to try and
25 prevent a fire at the cooling pools.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 According to a very well respected Robert
2 Alvarez at the -- I'm sorry, I've forgotten where he
3 is -- the Policy Institute of some sort. Anyway he wrote
4 a study in 2012 and he quoted something that I think is
5 worth quoting, "A severe pool fire," -- they
6 said -- first let me preface it that they had known for
7 decades that severe accidents can occur in cooling pools.
8 They've known that for decades. And he said, "A severe
9 pool fire could render about 188 square miles around the
10 nuclear reactor uninhabitable. Could cause as many as
11 28,000 cancer fatalities and cause 59 billion dollars in
12 damage according to a 1997 report for the NRC by
13 Brookhaven National Laboratory." Sequoyah has
14 well over 1,000 metric tons of this higher irradiated
15 radioactive trash and it's very, very dangerous stuff.
16 And it's stored in these cooling pools. In fact, 75
17 percent has been piling up in these cooling pools for 30
18 years now. They've only moved a quarter of it into dry
19 cask storage. Now that's a better rate than Watts Bar,
20 which is 100 percent in the cooling pools and Browns
21 Ferry, which is 88 percent in the cooling pools.

22 But basically they're just saving a buck by
23 keeping it in the pools and not putting it in the safer
24 dry cask storage. Okay, that's beyond the potential for
25 these concerns. They're potential non-deliberate beyond

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 design basis events such as floods or tornadoes.

2 The TVA dams are aging and they were not
3 built to withstand earthquakes in the way that big power
4 plants were. They don't have -- they're not up to those
5 standards and they are aging. And there have been many,
6 many failures of dams in America and TVA has suffered some
7 as well. And we're concerned that there could be a dam
8 failure that could trigger a domino effect above Sequoyah
9 and that numerous dams could break. And the integrity
10 of the cooling systems could be compromised no matter how
11 much planning we do. As we found at Fukushima, we cannot
12 foresee everything; we are human.

13 Okay, another issue is maintenance. TVA's
14 record -- and I found out when the tornadoes came in 2001
15 and we had the outbreak of tornadoes in April, there were
16 two of the eight backup generators that were inoperable
17 at Browns Ferry that day. One of those EF-5 tornadoes,
18 the strongest tornadoes known to man, touched down very
19 close to Browns Ferry within visual distance. And it was
20 a very close call because those are different kinds of
21 cooling pools. They're raised up in the air and all they
22 have is overhead containment or sheet metal roofs.

23 It's the same as Fukushima. That's what
24 built up and you saw those roofs blow off in Fukushima.
25 It's the same design.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Okay, so two of those were inoperable on
2 that day. The next day another one had to be shut down.
3 That's three of eight; that's a 40 percent failure rate
4 in the backup emergency systems.

5 And the irony of nuclear power plants is
6 that you have to have incoming power from another source
7 to keep them from being -- (Noise in background)

8 Is that me?

9 THE REPORTER: That's not you.

10 MS. JOHNSTON: Okay, I'm glad. So you have
11 to have a backup power system for you power system and
12 that's a sad reality with nuclear power.

13 And, okay, I want to show you something
14 here. I notice in the ACRS that tornadoes were mentioned
15 and they talked about their study. Basically they did
16 their statistical work around two major periods. One
17 was a 37-year period from 1950 to 1986 and there were 31
18 tornadoes during that period in a 34-mile radius. And
19 then the next period was the next 15 years up to 2002 and
20 there were 23 tornadoes during that period. That is
21 nearly doubling the rate in that period time. And this
22 only goes up to 2002. Okay, well, in 2011, as
23 you can see, this is NOAA track of the tornadoes that came
24 through the Tennessee Valley on April 27th, 2011. And
25 those circles are the 50-mile radius of our nuclear power

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 plant in this valley. And Sequoyah had around 15 of
2 them, it looks like here. Someone else may count it
3 differently, but that's what it looked like to me.

4 And I noticed in your report that you did
5 mention that and that TVA reported that three of them
6 touched down within 10 miles of Sequoyah. Your
7 statisticians predict unlikely odds of a direct hit on
8 Sequoyah. But I tell you, I'm not real confident with
9 gambling on this. There's a lot of people whose lives
10 are involved in this and I think we need to take it
11 seriously.

12 And I think what it's going to take is us
13 demanding that the dollar not be counted above our health
14 and safety. And I, of course, call for the
15 decommissioning of Sequoyah.

16 Thank you very much.

17 MR. HAGAR: Thank you, Gretel.

18 Now is there anyone who wants another
19 opportunity to speak that's already spoken?

20 And is there anyone in the audience that has
21 not yet spoken who wants to?

22 (Background comment)

23 MR. HAGAR: Okay, I understand we'll hear
24 from you later then.

25 I would remind everyone that we're going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hold a repeat of this meeting at 6:00 p.m. tonight. Also
2 ask you again to pick up a meeting feedback form outside
3 off the outside desk and fill it out and send it in so
4 we can have your assessment of how this meeting went.

5 And we'll also let you know, remind you that
6 the NRC staff will stay available after the meeting to
7 have one-on-one conversations about any topic you want
8 to talk about.

9 So does anyone have any question about
10 anything we've covered?

11 Then I thank you for your time and attention
12 and this meeting is adjourned.

13 (Whereupon, this meeting was adjourned at
14 3:33 p.m.)
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com