

1 program. And we're going to strengthen that program, but  
2 more important than anything else is implementation of the  
3 program.

4 MR. GROBE: Lew, before you go on,  
5 the root causes that you've identified, safety focus versus  
6 production focus and technical rigor; Christine summarized  
7 earlier some violations that came out of our Augmented  
8 Inspection Team follow-up inspection; and clearly you can  
9 see threads through those violations of procedure  
10 compliance, lack of safety focus. That was a fairly narrow  
11 inspection, focused primarily on the head degradation.

12 Have you seen procedural compliance concerns in  
13 other areas of the plant to cross operations and health  
14 visits and engineering and maintenance?

15 MR. MYERS: I would say we've  
16 seen a lack of rigor in several areas, yes. For example,  
17 you know, we talked about one here, that is operability  
18 concerns. The same program implemented the same at all  
19 three sites is not the same.

20 So, we need to strengthen those operability  
21 concerns. And Mike Cross is working that as we speak. The  
22 operation rigor. So, yeah, we seen that pretty much across  
23 the board.

24 MR. GROBE: Okay.

25 MR. MYERS: When we did the

1 root cause last week, we talked about management incentive  
2 focus from safety, or the lack thereof. You know, I've  
3 been a pretty high level person in this organization many  
4 years, and I don't think that it's any programs are ever,  
5 in fact, I don't even know what incentives are, to be  
6 truthful about it, but I notice it never swayed my  
7 decision, but it's an issue and it's an issue at the high  
8 level we need to address.

9 I know Bob and Gary and myself, we're going to  
10 address those issues and make sure that our incentive  
11 program is properly in line.

12 Establish policies to support safety. We need  
13 strong operational involvement. We need good managers in  
14 the field and good decision making. We are strengthening  
15 that.

16 You know, in summary, if you look at this issue, I  
17 think our First Energy procedure, at one of our large staff  
18 meetings in Akron a few weeks ago, in front of every one  
19 said it best; said, you know, he has committed to returning  
20 the Davis-Besse plant to service in a safe and reliable  
21 manner.

22 What we really said was doing the job right the  
23 first time. That's what we need to be about; doing the job  
24 right the first time. Just find and fix the problem and  
25 quit trying to justify the way. We're committed to meet

1 that challenge.

2 That's all I have. Thank you.

3 MR. GROBE: Okay. Questions

4 from the panel members?

5 Bill?

6 MR. DEAN: Lew, relative to

7 the statement here on the next to last slide where you talk

8 about establishing policies, report safety and in

9 particular operations involvement, is there a vision there

10 that you have as an organization relative to how do you see

11 operations fitting within the overall concept of how

12 Davis-Besse is going to operate that may be different than

13 how it's operated in the past?

14 MR. MYERS: Do that again for

15 me, I lost you somewhere.

16 MR. DEAN: The involvement of

17 the operations has in leading the organizations as opposed

18 to perhaps how it might have been in the past.

19 MR. MYERS: You want to

20 comment on that, Randy?

21 MR. FAST: When you benchmark

22 the industry, the best of the best, they're operation

23 driven. License holders of the plants are our operators.

24 It's the eyes and the ears of the plant. The expectations

25 are that they run true to form. They set the standard for

1 the rest of the station, and the station follows  
2 operations.

3 That has not been the case at Davis-Besse of late.  
4 Part of our Operational Excellence Plan is to clearly  
5 communicate to our operations staff their leadership role  
6 and then challenge them in assuring the high standards of  
7 the plant.

8 In fact, we have one of our high level condition  
9 reports. We're just in the final phases of review and  
10 approval, and it reinstates operation's role in  
11 that management process. And to ensure proper buy in, we  
12 have a meeting on this, this coming Friday, with all of our  
13 shift engineers and our shift managers, so we can clarify  
14 roles and responsibilities, and the critical role that they  
15 play in ensuring the safeguards of the plant.

16 So, the short story is, operations will be the  
17 leader of the future and they will set the standards for  
18 proper operation of the plant.

19 MR. DEAN: In your efforts in  
20 benchmarking in those organizations, what are some of the  
21 steps you need besides clarifying roles and  
22 responsibilities? Obviously, there are things that need to  
23 be done in order to drain that throughout the organization.  
24 Everyone else in the organization has to see organization  
25 as well. So, what sort of steps are you talking to ensure

1 that message is seen specifically across the site?

2 MR. FAST: Well, Bill, one of  
3 the things I would say is operation's role. Although  
4 they're in the plant, they take that for granted, but  
5 they're not bringing that information to the plant staff in  
6 the morning meetings, identifying their expectations. And  
7 when I talk with shift managers about when was the last  
8 time you were in containment, what did you see on your  
9 tour, what is it that you think needs to get attention; I  
10 get little blank stares.

11 And the reality is, their positions demand that they  
12 be out in the plant looking and that they bring those  
13 issues forward. And the forum we have in operating our  
14 plant on daily meetings, creates the spot where a shift  
15 manager can challenge the leadership team in the issues  
16 that they see in the plant.

17 Another area that we would, we pointed out at the  
18 last public meeting was operability justifications; and as  
19 Lew has identified, we don't want to justify, we want to  
20 evaluate and properly disposition issues.

21 We've challenged our operations staff to raise those  
22 issues and to call on plant staff to bring the information  
23 to the control room, so they can be properly  
24 dispositioned. And our operations staff is being asked to  
25 push back, ask those tough questions to ensure that the

1 issues are fully evaluated and fully resolved before we  
2 identify the corrective action that's necessary. And  
3 that's some of the examples of things.

4 We are seeing some improvement in those areas, but  
5 there is lots of work yet to do.

6 MR. DEAN: In your pursuit of  
7 this, have you established, are there some things you can  
8 point to as being ones that would give you signals or signs  
9 that they are having some success in that area?

10 MR. FAST: Bill, those are  
11 some of the things that we're institutionalizing as part of  
12 corrective action in the root cause. I'm not prepared to  
13 talk at length about that, however the matrix of the  
14 performance indicators will be clarified and tracked on a  
15 crew basis.

16 MR. MYERS: One of the things  
17 we said as managers, it's important hearing what operations  
18 people said. Now you have me, you have shift supervisors,  
19 and ops managers and Randy. That's a pretty strong message  
20 by itself. And it may cause us pain for what the message  
21 is, but that's where they sit in the morning meeting, and  
22 they're at the head table where they belong.

23 MR. MENDIOLA: I don't have a  
24 question per se, I just want to clarify a point I thought I  
25 heard. Intrigued by your survey of the staff, and I

1 understand the results aren't necessarily collected and  
2 haven't been evaluated. I guess I would see a little bit  
3 of, will you be coming to us sometime in the future maybe  
4 next meeting or so, with a full understanding of those  
5 results and what steps you will take from your findings  
6 from the surveys?

7 MR. MYERS: Absolutely.

8 MR. GROBE: I think it's  
9 about time for a break, give our transcriber's fingers a  
10 rest. But, before we do that, I want to just make a couple  
11 of comments.

12 We've been waiting for awhile to receive the results  
13 of your root cause analysis in the area of organizational  
14 effectiveness. We received that last Thursday. And I  
15 think that sometime this week, we're supposed to get a hard  
16 copy document on the docket. We'll make that available on  
17 our website.

18 I've commented in the past, and I'll reiterate this  
19 comment. The fact that boric acid as a corrosive is not a  
20 surprise to anyone. It's been known for many, many years  
21 in the industry. The fact that metals fatigue and crack  
22 eventually in service is well known. Those issues resulted  
23 in degradation of the head. It wasn't the cracking with  
24 the boric acid, it was the lack of safety focus of your  
25 staff. And I think you've captured those thoughts fairly

1 well.

2 This is the root cause of what happened at  
3 Davis-Besse. And, you have now articulated that  
4 comprehensively and you're beginning to redevelop your  
5 Management Performance Improvement Plan to address these  
6 issues. As recently as August 3rd, I highlighted this  
7 condition report. It indicates that the problem still  
8 exists.

9 I know that you've initiated a number of activities  
10 to begin to address this, but it's fairly clear that those  
11 activities are not yet bearing fruit. And I look forward  
12 to the Comprehensive Improvement Program laid out in your  
13 Building Block in this area, and measuring, going in the  
14 future through our inspections, as well as new performance  
15 indicators, progress in this area.

16 I believe that this is going to be the pacing  
17 issue. It's one of the most difficult issues to grapple  
18 with. I think one of the keys is the assessment which  
19 you're going to undertake with the first line supervisor,  
20 and find out which have the right safety focus, which can  
21 be moved to the right safety focus, and possibly which  
22 can't. And, that's critical.

23 So, with those few comments, I just wanted to  
24 briefly lay out how our inspection is going to proceed in  
25 this area.

1        We've now received your root cause. We're going to  
2    do a thorough review of that; both the NRC staff in Region  
3    3, as well as headquarters and possibly some independent  
4    contractors who are expert in organizational  
5    effectiveness.

6        When we receive your Building Block, revision of  
7    your Building Block, we'll do a thorough review of that to  
8    make sure it matches the root causes and we believe  
9    addresses the issues that are identified.

10       We will observe through inspection implementation as  
11    well as perform independent inspection in this area. And I  
12    want to emphasize this is now just beginning, and we look  
13    forward to continuing dialogue in these meetings in the  
14    future in this area.

15       Why don't we take a five minute break, and give our  
16    transcriber's fingers a rest. And reconvene at 25 'til.  
17    Thank you.

18    (Off the record.)

19       MR. GROBE:        Lew, I peeked  
20    ahead a bit and I definitely want to get through the next  
21    two sections on Restart Progress and Nuclear Quality  
22    Assessment. We'll take a benchmark of time at that point.

23       MR. MYERS:        We would also  
24    like to do containment also.

25       MR. GROBE:        Okay. Are you

1 ready to start back?

2 MR. MYERS: Clark Price will

3 talk to you about Restart Progress and provide you some  
4 overviews for our schedules and some of the performance  
5 indicators that we look at.

6 MR. PRICE: Good afternoon.

7 As Lew said, my name is Clark Price. As the slide says,  
8 I'm the Business Services Manager at Davis-Besse, but for  
9 the restart effort, I'm Restart Action Plan Processor.  
10 That was the center building block in the chart that Lew  
11 addressed at the beginning of our presentation.

12 I have the responsibility for coordinating all the  
13 activities in the Return to Service Plan, the building  
14 block activities and also the overall restart effort.

15 They've brought me up here today to talk about our  
16 excellent progress we're making, of course resumption of  
17 safe power, safe operation of the plant. I'll be  
18 presenting today a few of the key points we developed for  
19 monitoring our progress.

20 Let me begin by saying, our focus here at  
21 Davis-Besse is to ensure that our people, the plant and our  
22 people are meeting a high standard for restart and  
23 sustained safe operations. And further, I would like to  
24 say our restart plans are just not focused on the next few  
25 months, but for the long term safe operation of the plant.

1        Next slide.

2        Since the last public meeting in July, we've been  
3        working very hard and made considerable progress. We've  
4        developed governing procedure to control the Restart Action  
5        Plan process. We developed Restart Action Plans and we  
6        generated schedules for those plans and are completing the  
7        integration for the schedules into the Integrated Restart  
8        Schedule for the plant.

9        We're making excellent progress through the hard  
10      work and dedication of all the employees at the plant. A  
11      number of the milestones from the Restart Action Plan,  
12      major milestones from the plans are included on this  
13      slide. I'll briefly discuss each of those as following  
14      presenters will discuss them in more detail.

15       The first item, we have completed System Walkdowns.  
16       And this is a major milestone in our System Readiness and  
17       Readiness Review Programs, as part of containment -- or  
18       excuse me, the System Health Readiness Review Building  
19       Block.

20       We've also are nearing completion, as Mel mentioned  
21       earlier, in our containment inspection are near complete.  
22       This is a major milestone also in our Containment Health  
23       Building Block as we discover and complete all the  
24       inspections due to the boric acid center condition  
25       degradation occurred as a result of that problem.

1        We've completed cutting in the shield building, the  
2    concrete cutting of the shield building that is a necessary  
3    step in the replacement of the reactor vessel head. That  
4    has been completed and that operation is currently  
5    demobilized.

6        Our containment painting preparations are well  
7    underway. Currently, we are prepping the dome of the  
8    containment vessel for painting, and removing the existing  
9    paint, preparing that for painting, as well as many other  
10   areas of containment that are being prepped for painting.

11       We should complete this week an upgrade of our  
12   Containment Polar Crane. This was a modification that we  
13   performed in the Polar Crane to make it more reliable. And  
14   this is a critical activity to support the many activities  
15   that we have that are necessary with that crane, is  
16   necessary for use between now and restart of the unit.

17       We have removed the coils from three of our  
18   containment air coolers and those coils will be replaced in  
19   September and October when the new coils come in.

20       As Lew stated, and just presented, we have completed  
21   our Management Root Cause Reports. So, we have  
22   accomplished many of our milestones in our Restart Action  
23   Plans to-date.

24       At this time, I would like to turn over to Jim  
25   Powers to talk over a few of the slides of the results of

1 the system walkdowns.

2 MR. POWERS: Thanks, Clark.

3 Jack, at our last meeting you requested an update of  
4 what we were finding as part of our reviews. I wanted to  
5 give a quick rundown on what we found from the Discovery  
6 Phase of our System Health Walkdowns.

7 As you can see from the slide here, there was  
8 approximately 80 separate walkdowns were performed over the  
9 past several weeks. And, they were consisting of 31  
10 systems that we have in the population of our System Health  
11 Readiness Review, as well as the five systems that we have  
12 for our Latent Issues Level Review, which is a deep slice  
13 review. So, a total of 36 systems.

14 And these are material condition walkdowns, as we  
15 refer to them, for discovery of problems out in the plant.  
16 The Configuration Verification Walkdowns for selected  
17 systems will occur later as we get deeper into the Latent  
18 Issues Reviews, as we review modification and such, we will  
19 get out and look at specifics on systems. Although, there  
20 was an element of Configuration Review as part of this  
21 walkdown with the drawings of the system.

22 Over 3500 man hours were expended in this effort.  
23 We really focused our teams on getting out there and going  
24 through the walkdowns. So, it was a focused effort over  
25 approximately two weeks. So, the members of the review

1 teams that are doing the system reviews got out there, and  
2 in addition, management oversight participation, as well as  
3 operations and maintenance assigned to each one of the  
4 teams.

5 Operations provided us specifically SRO involvement  
6 on the teams. And generally, I was very pleased with the  
7 response of the individuals on the teams. It was a good  
8 opportunity for the plant staff to get together  
9 multi-discipline advice, and work together, and walkdown  
10 the plant and see what kind of standards they have been  
11 living with and identify areas which standards should  
12 improve.

13 I think there were a number of areas things should  
14 improve, and it was positive feedback on the overall effort  
15 and we're going to use this in the future, not only at  
16 Davis-Besse, but other FENOC plants routine walkdowns.

17 Here we show a few pictures of walkdowns ongoing.  
18 This is a walkdown of the Reactor Coolant System. You can  
19 see the team, several of them are sitting on top of the  
20 reactor coolant pump in the containment looking at their  
21 drawings and documents as they check off the individual  
22 components and attributes of the system that are going  
23 down.

24 There is a very specific procedure that we use for  
25 these walkdowns that tells the individuals exactly what to

1 look for and they're all trained for common basis through  
2 these walkdowns.

3 MR. MYERS: Those are the  
4 motors, right?

5 MR. POWERS: That's the motor.

6 MR. MYERS: You should say  
7 that's a motor.

8 MR. POWERS: That is one of  
9 four reactor coolant pump motors, that they're largely in  
10 the containment that they're checking out.

11 Here they're checking out the containment air  
12 coolers. We've talked about those in the meetings and the  
13 health of our containment air coolers in containment.  
14 Again, you can see they have documentation in containment,  
15 keep it in bags to keep it clean.

16 They walk through and the individuals identifying  
17 equipment, identification tags, so as we go through these;  
18 and I participated in these myself. So, we go through, we  
19 check the equipment ID, make sure it's clear which  
20 component we're on, how it matches the drawing, what's the  
21 condition of the component and note both positive and  
22 negative attributes and take digital photographs, so we  
23 have a record of what was done.

24 We take it back to the offices and document it all  
25 in the Corrective Action Program any discrepancies we find

1 or questions we have for disposition.

2 Here's the walkdown going on outside the  
3 containment. We have management participation actively  
4 involved. You can see there is a team that gets into  
5 details. Many times our management has been involved in  
6 construction of nuclear plants, so they bring a wealth of  
7 knowledge to the nuclear teams.

8 It's a very good chance to meet the people and  
9 provide expectation on the level of standards that we  
10 expect in these walkdowns and consequently in the daily  
11 operation of the plant.

12 Here's some examples of things we found.

13 MR. MYERS: Who was  
14 participating?

15 MR. POWERS: I think that was  
16 Mr. Leidich participating, so we have our Executive Vice  
17 President on that one. As I mentioned, many of us go out  
18 in the management team to participate.

19 Some of the debris we found in containment, we were  
20 not pleased with what we found. This is typical of debris  
21 we found in some of the less readily accessed areas of  
22 containment and I'll comment just generally.

23 The condition of the plant as Lew mentioned is  
24 pretty good, but particularly in the areas that were most  
25 actively accessed; the main walkways and around areas, can

1 get behind components, inside panels that are not  
2 frequently opened, indicates containment into areas did not  
3 access, we found examples of debris. The basic  
4 containment, we found nails and some screws, things like  
5 this, and duct tape and tie wrap that's been cut.

6 So, housekeeping issues did not meet our  
7 expectations, specifically in containment, we were  
8 concerned about the functionality of our emergency sump  
9 down there, which would need to strain any of this type  
10 debris out, which would migrate over to the drain, if it's  
11 required for excellent communication.

12 So, this is an example of the type of housekeeping.  
13 We are going to be cleaning up these areas, and steps for  
14 housekeeping.

15 In the control room is a panel, part of our Safety  
16 Feature Actuation System, which is one of the safety  
17 control systems at the plant, and this gives a good idea  
18 about the level of detail the walkdown teams have gone to  
19 looking in this case control room panel. This is a  
20 microswitch.

21 And the concern by the electrical engineer who is  
22 responsible for engineering for the system, the  
23 terminations and the crimping details up in the upper left  
24 flyer that you see with the blue plastic sheathing, that's  
25 the crimping details determination for the, for that one

1 terminal. And there is a little bit of exposed wire there,  
2 and that does not meet an electrical engineer or  
3 electrician's expectations. The insulation should be  
4 continuous on there, including that blue plastic sleeve.

5 And so, this is the type of issue that's written up  
6 in Corrective Action Program for this position; is that  
7 acceptable. Are the bending of the wires, is that  
8 acceptable. The angle that the plugs come in and number of  
9 plugs that are terminated on each terminal there; does that  
10 meet the design requirements and expectations. So that's  
11 the level of detail we'll get into.

12 Here's another example of a problem we have found  
13 that needs a more general review done, and that's going to  
14 be done as part of extended condition of Corrective Action  
15 Program. This is a fastening device. We have a nut on a  
16 bolt there. You can see that the bolt does not extend all  
17 the way through the nut. And in the industry, it's what we  
18 refer to as thread engagement. And we want to see at least  
19 one thread sticking out of the nut area, so you know all  
20 the threads are fully engaged and you have full structural  
21 capability in that fastener.

22 This is one we found, does not meet that  
23 requirement. And we will be looking more generally as to  
24 the condition of our fasteners and thread engagement as a  
25 result of this walkdown.

1        So, some of the generic issues; numerous small valve  
2    leaks. We've seen that, particularly from the Containment  
3    Health, some of our Boric Acid Walkdowns. We notice a  
4    number of valves we need to repack.

5        We need to improve cleanliness and proper  
6    housekeeping in less accessed areas. I mentioned the  
7    thread engagement. Not only is it for fasteners,  
8    structural fasteners, but packing followers, valves, studs,  
9    on components. It's the same issue, that we need to turn  
10   our attention to.

11        Also loose conduit and tubing. Walking down the  
12   systems, we checked out all the instrumentation, as well as  
13   the electrical conduit just to make sure it hadn't loosened  
14   through the vibration during operation. Found some cases  
15   where it needs to be tightened. And our maintenance people  
16   will be doing that.

17        We found crushed tubing and bent sensing lines.  
18   This is another issue with standards. These small tubes  
19   tend to get damaged during day-to-day operation of the  
20   plant and refueling outages. And it's really standards  
21   issues, that we shouldn't tolerate that, and need to go  
22   back and correct the situation rather than living with them  
23   like that.

24        This is more significant findings we will be  
25   following up on. I talked about the debris in containment.

- 1 There is also a lot of dust in the control room panel.
- 2 It's a 25-year old plant. And in the control room panel,
- 3 dust has accumulated over the years to the point where it
- 4 was observed; really doesn't meet the expectations of the
- 5 plant staff. We need to do a cleaning there.
- 6 There is an issue with thread engagement on
- 7 pressurizer manway that's part of the Reactor Coolant
- 8 System Walkdown. We found one of the studs there did not
- 9 have full thread engagement.
- 10 There was another potential for motor operated valve
- 11 lubrication degradation, which can occur over time due to
- 12 heat in the vicinity and frequency of preventative
- 13 maintenance lubrication. The effectiveness of
- 14 lubrication.
- 15 We talked about the Safety Features Actuation
- 16 System, and workmanship of the electrical terminations and
- 17 how they are holding up in the control room cabinets.
- 18 We're going to be evaluating that, support long term
- 19 functionality of the system or not. That's one of the
- 20 institutions that needs to be done.
- 21 Then we found some potential noncompliance, or EQ
- 22 requirements for motor operated valves. These were
- 23 electrical terminations, T-drains, in the Aux. Feedwater
- 24 System, which is high engine line break, design
- 25 considerations for the Aux. Feedwater Rooms. And there is

1 a contribution room to room, and we do have a high energy  
2 break, high break, steam environment. And we need to make  
3 sure that the adjacent rooms are appropriately treated and  
4 keep, to keep that moisture out. It's an area we need  
5 improvement. So, that's an extended condition for  
6 improvement as well.

7 MR. GROBE: Jim, how did you  
8 identify potential lubrication degradation in the leads?

9 MR. POWERS: I think it was in  
10 that case from the walkdown. Taking a look at the leads  
11 themselves, looking at the grease. I didn't participate on  
12 that walkdown on that particular phase, Jack, but I think  
13 they're looking for grease, which is grease hardening,  
14 which can be inhibitive on the threads.

15 MR. GROBE: Did you go back to  
16 look at your periodic valve testing to see if there was  
17 degradation in the test results.

18 MR. POWERS: We haven't done  
19 that yet. What we're doing is collecting all these issues  
20 in the Corrective Action Program. As you'll see in the  
21 coming slides, there is a large number of corrective  
22 documents passing over two hundred, and they're still  
23 finishing up the documentation. So, that will be ongoing,  
24 Jack. We'll be able to get a report out on detailed  
25 assessment.

1                   MR. GROBE:        Okay, thank you.  
2                   MS. LIPA:         I have one  
3   question on these. I know you have another slide with more  
4   examples, but are you doing as-found reviews? I know you  
5   plan to fix a lot of these things before you start, but are  
6   you doing as-found reviews for reportability?

7                   MR. POWERS:      Yes, as-found  
8   conditions will be documented in Corrective Action  
9   documents. As necessary, operability determinations will  
10   be done and reportability will be followed through with the  
11   normal process for as-found conditions.

12                  MS. LIPA:         Okay, thank you.  
13                  MR. POWERS:      We did find an  
14   issue with Emergency Diesel Generator, Heating and  
15   Ventilation Air Conditioning System Exhaust Hydramotor  
16   Damper. Basically, that's the motor enforcement damper on  
17   the air cooling system. There was a damper arm loose and  
18   it was bound up. And did not look like it was going to  
19   work properly for a long term. So, that was a very good  
20   find by the walkdown team, with attention to detail needed  
21   to be corrected.

22                  We also found the exhaust silencers, which are  
23   outside the building, muffler essentially large diesel  
24   engines, tornado missle shields and where they're attached  
25   to the concrete parapet started to crack and fall. Either

1 through water freeze and thaw cycles or thermal growth of  
2 that shield. So, we're assessing that.

3 And as I mentioned, it's over 200 CRs initiated  
4 to-date. These are snapshots, but we are finding some good  
5 issues out there, and the attention to detail and standards  
6 as these teams go out is really paying off. And, we're  
7 continuing to write CRs to finish documenting up everything  
8 that we found.

9 With that, I'll turn it back over to Clark for  
10 further about measuring profits.

11 MR. PRICE: Thank you.

12 In the last public meeting, we presented some of the  
13 performance indicators that we were developing to monitor  
14 progress of our restart efforts and our improvement  
15 efforts. Two weeks ago, we published our first set of  
16 performance indicators and I would like to go through a few  
17 of those now.

18 We've established indicators to track progress on  
19 the Building Block Plans, progress on the NRC Inspection  
20 Manual Chapter 350 Restart Checklist and also progress  
21 towards meeting new standards for restart and sustained  
22 operation excellence.

23 The following slides are some examples of those.  
24 This first slide represents the restart actions that we've  
25 identified today through a process that we have in the

1     Restart Action Plan. These are all the restart actions  
2     identified for restart procedures, slightly over 800 right  
3     now.

4         These actions at this point are primarily in the  
5     form of condition reports; and through evaluation, these  
6     condition reports would generate approximately four to five  
7     on average corrective actions per condition reports. So  
8     you can see our volume is going to go up significantly.

9         We're seeing a steep incline right now, and that is  
10    expected because of our program reviews and system reviews,  
11    system walkdowns that Jim just referred to are generating a  
12    lot of condition reports through the process we have. A  
13    lot of those condition reports are being evaluated to  
14    criteria that we have in the Restart Action Plan, being  
15    identified as required for restart.

16         I would say probably in the last two weeks, we are  
17    seeing about 50 percent of the condition reports that were  
18    initiating or getting classified as required for restart.

19                 MR. GROBE:           Clark, let me  
20    make sure I understand this. The width of the line going  
21    up, that's the number of corrective actions completed?

22                 MR. PRICE:           Actually, this is  
23    an indicator of open restart actions, so everything there  
24    is currently open. What we have right now are the  
25    condition reports were making up the major portion of our

1 open actions. Over time, we would expect what will happen  
2 is the dark line, which is the corrective actions, will  
3 become the larger volume and the condition reports will  
4 become smaller.

5 And at restart, the condition reports will be  
6 essentially all turned into corrective actions and  
7 completed.

8 MS. LIPA: I have a couple  
9 questions on this. So, the corrective action is an outcome  
10 following condition report?

11 MR. PRICE: Yes, corrective  
12 actions through the evaluation and condition report, are  
13 the corrective actions that come out of that, are the  
14 Restart Station Review Board that we have evaluates both  
15 the condition reports up front, and then the corrective  
16 actions as they're developed, to determine whether they  
17 meet restart criteria. And the ones out here met restart  
18 criteria.

19 MS. LIPA: Okay. I was  
20 looking at your plan earlier and there is a flow chart, and  
21 at one point you decide whether it becomes a restart list  
22 item or restart action item. These must be restart action  
23 items.

24 MR. PRICE: These are all  
25 restart action items.

1           MS. LIPA:       Okay, thank you.

2           MR. PRICE:      Any additional

3   questions on this slide?

4        Okay, if we move to the next report. This is a  
5   progress report here. Performance measures more in the  
6   form of progress report. This is one that we use to  
7   monitor the progress of the reactor vessel head project.

8        And primarily what it is, you can see the bars  
9   identify, the yellow bar is our schedule, target schedule,  
10   and the blue bars are the current schedule. And you can  
11   see that project, we're pretty much right on schedule.

12      No questions on that, I'll move on.

13      The next slide is our System Readiness Reviews.

14     This is the progress report that we have for the 31 systems  
15   reviews that are going through the System Readiness Review  
16   Process under the System Health Building Block.

17     The small inset box notes Progress Review Process;  
18   and until the box on the right starts filling up, we don't  
19   get any actual report completions here.

20     The schedule, as you can see right now, looks like  
21   we're not making any progress; however, what that schedule  
22   represents right there is the walkdown period that we've  
23   just gone through. It has been completed and now the  
24   reports will start coming out of that process over the next  
25   few weeks; we'll be completing all those reviews.

1                   MR. GROBE:       Clark, just so I  
2 understand. So, none of the system reviews have been  
3 completed such that the report has developed and presented  
4 to your Engineering Review Panel?  
5                   MR. PRICE:       That is correct.  
6 That have not been completed.  
7                   MR. GROBE:       When will the  
8 panel receive the first completed report?  
9                   MR. PRICE:       As soon as  
10 possible looks like about next week, should start seeing  
11 reports being completed based on the schedule.  
12                  MR. GROBE:       I see, okay. So,  
13 it goes from 31 to 30.  
14                  MR. PRICE:       Right. That would  
15 identify the reports based on the schedule should be  
16 available for review.  
17                  MR. GROBE:       Just out of  
18 curiosity, do you know which system that is?  
19                  MR. PRICE:       No, I do not.  
20                  MR. POWERS:      I think it might  
21 be 125, Jack, that was pretty well on the head, moving  
22 along. I think that was it. I'll get back to you on  
23 detail with that.  
24                  MR. GROBE:       Okay. We're going  
25 to want to see the results of these early on, so we can get

1 a sense and give feedback on our view of the adequacy of  
2 the review, as well as the adequacy of the oversight by the  
3 panel.

4 MR. PRICE: We did provide,  
5 Jack, we did provide a schedule that has all the projects  
6 laid out in detail and represent what shows up on the  
7 performance indicators. So, we'll make sure you understand  
8 that schedule you receive, that will identify the systems.

9 Any additional questions on this? Okay.

10 Okay, the last one that we have to measure progress,  
11 that we got as a sample today is on our phase and program  
12 reviews. And as you can see in this particular slide,  
13 we're a little bit behind schedule on some of those  
14 reviews.

15 We've gone through a learning process on a number of  
16 these Phase 2 Program Reviews and, however what we feel,  
17 even though we're a little behind schedule, we'll have much  
18 better progress as a result of incorporating what we've  
19 learned to date through that process.

20 We did have early on inspection visit by Ken  
21 O'Brien. He provided a lot of insight on review of a  
22 couple of programs. And we've taken those comments and  
23 incorporated them into our plans.

24 If there is no additional questions on those, the  
25 last two charts I have; this one is on Root Cause Quality.

1 These are more performance indicators, are looking at  
2 performance improvements. And, as we rebaseline our  
3 standards and improve on our programs, we have some  
4 performance measures here that are trying to measure our  
5 progress where we're at and where we want to be.

6 This particular performance indicator looks at Root  
7 Cause Quality, our significant condition reports. We have  
8 a Corrective Action Review Board, as we discussed earlier,  
9 Randy is the Chairman of the that. And that committee,  
10 that board has established new standards for approval of  
11 Root Causes to assure that the quality is there, to assure  
12 that the corrective actions will prevent repeat efforts.

13 And as you can see right now, the raising of the  
14 bar, the standard, we have a long way to go yet to get the  
15 root causes through the Corrective Action Review Board the  
16 first time. This is measuring basically what is approved  
17 the first time through and what requires rework, before  
18 it's going to come back and get rereviewed and approved.

19 So, right now we're averaging around 40 percent and  
20 our goal is to be at 90 percent approval rate. So, we have  
21 a long way to go here.

22 Randy, any additional comments?

23 MR. FAST: I was going to  
24 say, as part of the change in the standards, we review the  
25 specific conditions adverse to quality, and if we don't see

1 them; one of the typical problems we see is, if we have a  
2 good story, tells what happened, doesn't say why it  
3 happened. And we want to see why things happen.

4 We also look to see was there a direct correlation  
5 between the root causes and the corrective actions. There  
6 should be a one-to-one correlation for every root cause for  
7 corrective action.

8 As well, the teams that have done the root causes  
9 have identified or provided supporting documentation. What  
10 type of root cause was performed; we have tap root as an  
11 example of more or some other process. That wasn't  
12 identified nor was that documentation provided, so we're  
13 asking that documentation be provided.

14 So, we've got lots of room for improvement, but  
15 we're actually enforcing high standards to ensure that  
16 significant conditions adverse to quality meet those  
17 expectations. So, it's been a learning experience for all  
18 of us. I believe it will help our program moving forward.

19 MR. PRICE: The last  
20 performance indicator we have today is on the Engineering  
21 Quality. We have an Engineering Assessment Board that's  
22 chartered to review the products that come out of the  
23 engineering organization in the areas of design, safety  
24 evaluations and conditional report evaluations, for  
25 example.

1       The Engineering Assessment Board has a process by  
2       which they grade the products that come out of engineering  
3       on a zero to four scale. And we have a goal to be at a  
4       scale of 1. Zero being the best score, 4 being the worst  
5       score.

6       And as you can see here, through the first four  
7       weeks of really tracking this, we're not meeting the goal;  
8       however, we have seen it oscillate a little bit. It  
9       depends on the population of the products coming through  
10      the board at any one time.

11      The Engineering Assessment Board is challenged with  
12      again raising the standards and changing, rebaselining the  
13      standards for the engineering organization.

14      Jim, do you have any comment?

15            MR. POWERS:       I think they've  
16      done a good job and found a number of issues through and  
17      brought change of quality of products depending on the  
18      individual preparing it. And what we're finding, for a  
19      large part, is how the staff integrates together when it  
20      produced for example a design, how they integrated to get  
21      all the various aspects of that design cap purchased as  
22      part of the review and what stage does that happen.

23      And, the design modification process that has been  
24      in place at the plant rests on the interdiscipline review  
25      at the end of the preparation of the design product; and

1 consequently, they prepare at the end and have missed an  
2 element that really should be in it.

3 And we're changing that process. Actually, it's in  
4 the process of being changed this month. We're going to  
5 have a common process modification process with FENOC.  
6 It's in place with the other two plants, at Perry and  
7 Beaver Valley. And we're going to be adopting it at  
8 Davis-Besse.

9 That calls for an interim interdiscipline review to  
10 get those comments by the various specialists and experts  
11 that reside at the plant or are available in the industry  
12 to us, to get their input to a product before the end.

13 So, some of the comments that are asked by the  
14 Engineering Assessment Board will find weaknesses in the  
15 technical areas on specifics. And that's not a surprise to  
16 us. I think it's good. It shows it's good probing going  
17 on and good learning going on by the staff at the station.

18 MR. GROBE: Jim, could you  
19 describe in a little more detail what an item is, like  
20 calculation item?

21 MR. POWERS: Pardon me, Jack?

22 MR. GROBE: If the, it says  
23 Engineering Items Reviewed. I'm trying to understand what  
24 an item is.

25 MR. POWERS: An item could be

1 an operability determination or it could be a modification  
2 package, it could be corrective action investigation  
3 report. So, an item is an engineering product. It can be  
4 a calculation also.

5 And we've got four subcommittees that are reviewing  
6 the Building Blocks. We have one for Programs, one for  
7 Systems Health, one for the Containment Health and then one  
8 for Modifications Operability Determination Calculations,  
9 and the balance of engineering products. So, we have  
10 special subcommittees focused on those areas.

11 MR. GROBE: Do each of those  
12 subcommittees include site staff as well as independent  
13 experts from other parts of the industry?

14 MR. POWERS: What we've, thus  
15 far we've got industry expertise. We have an individual  
16 from site staff that's on the board. And we also when we  
17 do review such programs, we bring in all the site staff  
18 owner, but also his peer owners from the other two  
19 stations. We can share experiences and drive a higher  
20 standard within FENOC and use it as a beneficial tool to  
21 us.

22 We plan to integrate more of the line staff in that  
23 process as we go on with time, but we're not fully engaged  
24 with all line staff as far as we want to go yet.

25 MR. GROBE: I found it

1 interesting that you chose that your engineering staff are  
2 aspiring to be zeros.

3 MR. PRICE: Are there any  
4 additional questions?

5 Christine, I know you have additional questions that  
6 you mentioned earlier.

7 MS. LIPA: I spent a lot of  
8 time reviewing the plant and this helps, combined with your  
9 discussions.

10 MR. PRICE: If there is no  
11 other questions, I would like to turn this over to Bill  
12 Pearce, who will talk Nuclear Quality.

13 MR. PEARCE: Thank you,  
14 Clark.

15 Good afternoon, I'm Bill Pearce. I'm the Vice  
16 President of Oversight for FENOC.

17 Since this is the first time I've attended this  
18 public meeting this afternoon, I thought I'd give you a  
19 little background about myself. I've worked in this  
20 industry for many years, primarily in the area of Plant  
21 Operations. And I've been a Senior Line Management  
22 position for a long time, many years, but this is the first  
23 time I've ever been in Quality Assurance Organization.

24 And I guess to tell you what my expectation is, I  
25 believe I can bring something to improve the Quality

1 Assurance Organization. I think I can help us get to more  
2 of an operational focus. So, enough introduction about  
3 myself.

4 First thing I want to go over is the root, we've  
5 done a Root Cause Evaluation of Quality Assurance and its  
6 performance; and we did this, because we acknowledge our  
7 failure to identify the reactor head issue, just like the  
8 line organization. So, we like the line organization did a  
9 Root Cause Evaluation.

10 The evaluation was performed by a team, and the team  
11 was made up, we brought in an outside team leader, because  
12 it was well experienced in quality assurance. The team  
13 also consisted of Perry and Beaver Valley folks from our  
14 other two sites.

15 And we did an independent root cause of missed  
16 opportunities; where could we have failed issues or brought  
17 issues forward and gotten them resolved that would have  
18 precluded this head issue that we have. Finally, as we did  
19 this, we came up with some things that we wanted to get  
20 corrected. We started looking at that.

21 Next, let's look at the preliminary results of  
22 this. This root cause is not all fully completed yet, but  
23 we're far enough along to be able to look at some of the  
24 preliminary conclusions.

25 Here is the Root Cause. FENOC Nuclear Safety

1     Values; behaviors and expectations were inadequate to  
2     enable oversight to effect needed positive change in  
3     station operations.

4         Now, I know that's a complex statement. Let me  
5     explain it in a different way to try to, for you to gain  
6     some understanding. What it's really saying is there is no  
7     differentiation between standards of the QA Organization  
8     and standards of the rest of the site organization. This  
9     was caused by a lack of independence.

10       The QA Organization reported into the management of  
11    the plant, and then forward to where the standards of the  
12    plant went, QA went with it. And this is what it's trying  
13    to explain, there should have been an oversight group.

14       So, thus QA was not holding itself to a higher set  
15    of standards; and really, this is one of the reasons I am  
16    here now, is this gives me independence. I report directly  
17    to the President of FENOC, and I don't report to the line  
18    organization of the plant.

19       So, the Quality Assessment Group can look at the  
20    plant and not be affected by the things that affect the  
21    rest of the plant and have an opportunity to raise issues  
22    or elevate issues outside the plant if it becomes necessary  
23    to get those resolved. That's kind of what the Root Cause  
24    was about.

25       There are also in the preliminary conclusions some

1 contributing causes. Ineffective training of the Quality  
2 Assurance Group for a previous event we had that had, it  
3 had boric acid involved in it. It was involved with the  
4 Reactor Coolant System. It involved some unexpected  
5 degradation.

6 And we did a root cause, training our folk on the  
7 causes of that degradation and how it should be treated,  
8 but obviously this was ineffective, because we saw some of  
9 those same issues on the head. We were ineffective at  
10 recognizing those and the importance of those issues in  
11 getting the issue brought up and resolved.

12 The second one kind of, sounds kind of odd. The  
13 process for providing oversight of the oversight function.  
14 For every group, including us, we provide oversight to the  
15 line organization, but there are organizations that provide  
16 oversight of us, such as the company's Nuclear Review  
17 Board; Joint Utility Management Assessment, which is all  
18 the nuclear utilities participate and we go assess each  
19 other.

20 It's a Quality Assurance Organization and gives a  
21 report on how we stand; a self-assessment that we do of  
22 ourselves; and then of course management oversight of  
23 ourselves. What this is, what this is telling us is those  
24 two failed to recognize that our performance was  
25 inadequate to recognize this type of issue and get it

1 resolved.

2       The third one is an interesting one. For a period  
3 of time the management of the audit/evaluation process was  
4 not independent from the management of the corrective  
5 action process.

6       What it really means is the person that was in  
7 charge of the oversight function actually had other  
8 responsibilities in the organization that would not let the  
9 Quality Assessment Organization be independent of the line  
10 organization, which kind of gets back to the first part  
11 again of it. The fact that the standards in quality  
12 assessment were the same as the rest of the site, so  
13 therefore where we stand on the site, so went the quality  
14 assessment.

15       With that said, that's enough about the conclusion  
16 or the causes. I would like to talk a minute about what  
17 are some actions that we're taking going forward.

18       First of all, we want to elevate standards. I  
19 believe this is extremely important. We hold the Quality  
20 Assurance Organization to a higher standard. And then we  
21 can hold the Line Organization accountable to a higher  
22 standard, but first we have to get our own standards raised  
23 to where they need to be.

24       Increased intrusiveness. We've got to put a lot  
25 more attention in making sure that the Quality Assessment

1 Group is out in the plant being intrusive, looking at  
2 things that are happening in the plant, and being involved  
3 in seeing what's going on.

4 In fact, I just got this today. I had name tags  
5 made for all the Quality Assurance folks. I had a little  
6 thing put on it, says, "I know, because I looked." I think  
7 that that says a lot. And it's about standards, you know,  
8 it's the standard of we don't accept just what we read in  
9 reports. We go out and look and we know what's going on in  
10 the plant.

11 We need to raise tough issues, make sure we bring  
12 issues forward that are not comfortable to deal with, and  
13 we get them on the table, so that we can make sure we get  
14 the things resolved that need to be resolved.

15 We need a method to escalate unresolved issues to  
16 higher management and we have that now. We're formalized,  
17 but we're putting that in place, so that finally if we  
18 can't resolve things between the line management at the  
19 plant, myself, we can escalate it to the President of FENOC  
20 and even to the Nuclear Board, if necessary, for  
21 resolution.

22 Now, that was about the Root Cause. The next thing  
23 I want to do is examine where quality assurance is involved  
24 in the recovery process. I want to talk about the next few  
25 slides about that.

1       First of all, we are assessing key activities that  
2    are going on. When you heard them talk of the line guys  
3    talking about the boards that are meeting, we sit in  
4    independent oversight of that and overview what's going on  
5    in the boards and the right kind of things being talked  
6    about. There are things that we know of that are not being  
7    brought forward.

8       We do in-depth technical reviews, independent of the  
9    engineering organization for engineering products. So,  
10   we're looking at the engineering products coming out and  
11   making sure that we believe that the products are of  
12   quality that are being brought forward.

13       Field verification of actual conditions. This is  
14   our participation in the field activities, the walkdowns.  
15   We do parallel walkdowns, and also independent walkdowns.  
16   Then independent parallel reviews.

17       The next thing I'm sure you're asking, what are we  
18   finding. On the next page, I'm going to show you a big  
19   overview of what we're finding.

20       These are numbers of condition reports. When we in  
21   Quality Assurance find something, we write a condition  
22   report about it to ensure it gets in our Corrective Action  
23   Program and gets resolved. And you can see these are the  
24   number of condition reports written by the Quality  
25   Assurance Organization per month. And you can see, this is

1    a twelve-month period, or actually 13 months. You can see  
2    how the numbers have increased as we've tried to become  
3    more intrusive.

4       But let's, but now let me tell you about some things  
5    that we've really found. In the area of increased  
6    intrusiveness, the most recent assessment, we identified 77  
7    issues. Now, all of these are not huge issues, but they  
8    are nevertheless issues and are recorded in the Corrective  
9    Action Program.

10      We're doing real time assessments. We're out  
11   looking at operational performance or real time performance  
12   in the plant and not just reviewing paper. I think this is  
13   important, because we are reviewing to not just minimum  
14   regulatory requirements, but we're trying to hold the site  
15   to a set of standards that are above that.

16       I know that sounds kind of negative about the  
17   regulatory requirements, but just meeting the regulatory  
18   requirements doesn't get us to where we want to be as a  
19   station. We've got to focus on real nuclear safety and  
20   things that are not required in the regulation, like  
21   people's behaviors, how they think, are they thinking about  
22   the right things. The requirements are there. They've got  
23   to be met, no question about that. But beyond that, there  
24   are other things that we need to focus on as an  
25   organization.

1        Next slide is, here's some examples of real time  
2    issues we've identified. First one is operation's group  
3    failure to request engineering rigor for operability  
4    determinations. This is an example of prestandards that  
5    we're pushing in the organization. I think you heard some  
6    of the rest of them talk about it. We've been effective at  
7    moving the standard within the organization, and getting a  
8    change in the behaviors for improvement in that area.

9        Another one we found was failure of the Line  
10   Organization to recognize containment painting as a design  
11   change. That was something else that we've done in Quality  
12   Assurance Organization.

13       Under the area of Ensuring Product Quality, vendor  
14   errors with implementation of the feedwater flow  
15   modification. Here's an example of finding something in  
16   the engineering area, looking at their product.

17       The second one there is failure to comply with  
18   quality program requirements during overhaul of the decay  
19   heat pump, which is a safety related pump and the issue was  
20   how we dealt and the oversight we provided in a vendor that  
21   was not a quality vendor, and the issues around that.

22       The next one is under the area of Elevating  
23   Standards. Posting and protection of protected train  
24   equipment. For those of you don't know what that is, for  
25   our safety equipment, almost always at nuclear power plant

1 there are two trains. So, if you take one out to work on  
2 it, beyond it being an amount of time sometimes, it limits  
3 how long both of them, or one of them can be out.

4 We also try to protect it, so that somebody doesn't  
5 go in the area and work on the remaining train, so we end  
6 up with no safety trains available. While that doesn't,  
7 does not meet the regulatory minimum requirements on no  
8 trains, we want to do something beyond that to make sure we  
9 protect the remaining train.

10 So, we do that by installing barriers and signs and  
11 making sure something inadvertently doesn't happen.  
12 Raising the standard of how we protect that remaining train  
13 is what this is about and what was being brought forward by  
14 the Quality Assurance Organization.

15 Documentation standards for unit log keeping. This  
16 is documentation of like, what constitutes operability when  
17 an operability determination is being made. What are the  
18 specific issues that the equipment is called operable based  
19 upon, making sure that those type of details are in the log  
20 and well documented, so oncoming shifts will know exactly  
21 what those kind of issues are, so if they are affected by  
22 what goes on in the future, the folks that are coming on  
23 will know what the issue is.

24 Potential corrosion of the containment vessel.  
25 Quality Assurance Organization brought up the microbe

1       induced corrosion issue for the containment vessel, and  
2       documented that earlier in the containment inspection.  
3           Untimely corrective actions for previously  
4       identified Corrective Action Program weaknesses. You've  
5       heard Lew talk about the Corrective Action Program and what  
6       they found during the program review. This was actually  
7       documented well before that. Quality Assurance  
8       Organization had written condition reports demonstrating  
9       some of the same weaknesses found in the condition, in the  
10      Program Action Reviews.

11           Here's some examples I think of being tough, or  
12       raising the standards. In our second quarter assessment,  
13       which is the overall assessment of all the departments at  
14       the site, we found that five of the eleven areas had  
15       marginal performance. I think if you look back in time,  
16       you would see that that's almost a step increase in how  
17       we've been looking at things prior to that. And we found  
18       two unacceptable performance issues in our last quarterly  
19       assessment. So, I think that's an example of us raising  
20       standards in the organization.

21           MR. GROBE:       Bill, do you  
22       recall what those were?

23           MR. PEARCE:      Which ones?

24           MR. GROBE:      The two  
25       unacceptable performances?

1                   MR. PEARCE:         Yes, sir.

2        Within the engineering functional area, the plant  
3    modification process was identified as unacceptable. It  
4    did not meet all the required items for Appendix B an ANSI  
5    Standard November 45.2.11 requirements. It says, Nuclear  
6    Quality Assessment would have exercised a stop work  
7    authority if the line organization had not implemented  
8    acceptable interim compensatory measures.

9        Then it says, additionally, the area of radiation  
10   protection, the implementation of Corrective Action Program  
11   was rated as unacceptable. Those were the areas.

12       Well, my conclusion, I guess, is that the Quality  
13   Assurance Organization is already improving our standards.  
14   We are not yet where we need or want to be, but we have  
15   identified our weaknesses and are formulating an  
16   improvement plan to get us where we want to be.

17       I thank you for your attention. Are there any  
18   questions that you have?

19                   MR. DEAN:         I have a couple of  
20   questions. One is, earlier we talked about the efforts to  
21   try and move Davis-Besse towards an operations focus  
22   organization. We talked about benchmarking and some of the  
23   results of that.

24        Have you done a similar effort relative to the QA  
25   organization and how it was performing previously and what

1 your approach is now; how does that benchmark against other  
2 high performing organizations?

3 MR. PEARCE: As we did the Root  
4 Cause, we brought one outside person in. And then at the  
5 end, we actually brought a person from, well, from Florida  
6 Power and Light and one from Intergy in and went through  
7 all the facts to narrow down the conclusion.

8 We intend to continue to do that. In fact, last  
9 week, for instance, the Quality Assurance Manager was on  
10 vacation last week, and to fill in for him while he was  
11 gone, I brought the Quality Assurance Manager from Perry  
12 over and he filled in for him. Just to give a different  
13 set of eyes in the actual management position. It's a lot  
14 easier to see things if you haven't been in the middle of  
15 them for some period of time. That gives us some outside  
16 view.

17 We intend going forward not only views of Perry and  
18 Beaver Valley people a lot, and in fact I believe that  
19 either last week or this week, we had eight folks from  
20 Perry and Beaver Valley at Davis-Besse helping us go look  
21 at these programs. And there is a lot of advantage to  
22 that. Not only does it give them some help and go out and  
23 look at what we're doing, they take those standards back  
24 with them.

25 You know, I really believe that a lot of times the

1 cutting edge for standards in our industry is produced at  
2 the plants coming out of trouble. I think we can get a lot  
3 of learning for the other two sites by making sure that the  
4 quality assurance folks from the other two plants get over  
5 here and be involved, so that they get the learning that  
6 we're getting out of this and take it back to the other two  
7 sites.

8 And, we intend to bring in some folks at times from  
9 other companies within in the industry.

10 MR. DEAN: How about the,  
11 pertaining to the line, you talked about raising the QA  
12 standards above what regulatory is required, organizations  
13 like INPO, which is intended to promote excellence  
14 throughout industry. Have you gone to them and sought any  
15 assistance from them?

16 MR. PEARCE: In fact, on our  
17 Restart Oversight Panel yesterday, we had two members of  
18 INPO. One is a member and the other was a visitor, who I  
19 guess now he's in charge of all -- what is he in charge of?  
20 It's a help --

21 MR. MYERS: Assistance.  
22 MR. PEARCE: But, he's in  
23 charge of all the systems for INPO, and he was at our  
24 Restart Oversight. And that's in fact why he is here, to  
25 make sure if we need some assistance that we're getting the

1 help that we need from the rest of the industry and, you  
2 know, I think that's an example of how we're getting help  
3 by INPO, not only from the plant, but from the Quality  
4 Assurance Organization.

5 MR. DEAN: Second question I  
6 wanted to raise relative to reorganizing and restandarding  
7 the QA Organization. For a period of time, went along, you  
8 were part of the staff, essentially; you were in the  
9 staff. And so, a certain line stayed true to form between  
10 your QA staff and their relationships. What's being done  
11 in bringing fresh blood or different talent or different  
12 mind set into the organization?

13 MR. PEARCE: I think we're  
14 doing a lot, like I said, we're trying to bring in people  
15 from Perry and Beaver Valley and a lot of them, instead of  
16 totally supplementing our needs here with contractors from  
17 outside, what we decided to do is use those, those folks  
18 from Beaver Valley and Perry to supplement, but that is  
19 outside, an outside look. I mean, we have not ever spent a  
20 lot of time together like that in looking at those  
21 standards.

22 In addition, we have got, we have gotten some  
23 engineering people that have come out to some of the more  
24 recent trouble plants and seen what standards are in those  
25 areas and they're in working supplementing our organization

1 now, looking at some of the engineering products, for  
2 instance; and using that to help build the standards up.  
3 And personally, myself, I'm a line person, my whole  
4 life, and now in quality assurance, and I've got a  
5 background in operations; and I can help us raise our focus  
6 on operational performance and not just meeting program  
7 requirements.

8 MR. DEAN: Has there been an  
9 effort to go to other parts of the organization, say I'm  
10 looking for somebody that's a top notch engineering or top  
11 notch operations person to come over to QA and give me some  
12 discussions?

13 MR. PEARCE: Surprisingly  
14 enough, I didn't do this. This happened before I got  
15 there. That's been done recently at this site. I think we  
16 have, I think we have a real good set of folks. And, I  
17 invite you to come down. I would be glad to let you meet  
18 them, but I think you'll think so too.

19 And they are, we've got a good mixture of people who  
20 have had responsible positions within the organization, a  
21 lot of places in the organization and then some  
22 professional QA folks. We have got a pretty good mixture,  
23 I think, at Davis-Besse.

24 MR. MYERS: We have. And, I  
25 was asking, do we have plans to do some permanent cross

1 pollination from people of other sites to the Davis-Besse

2 Plant?

3 MR. PEARCE: Yes, we do.

4 MR. MYERS: And that's sort of

5 what you asked awhile ago. We intend to do some of that;

6 we have some ideas in mind.

7 MR. DEAN: We'll ask more

8 about that later.

9 MR. MYERS: Okay.

10 MR. MENDIOLA: I know you don't

11 like to be here.

12 MR. MYERS: Pretty much be a

13 good time to look at a new job (laughter) public meetings.

14 MR. MENDIOLA: Okay. Knowing

15 that Quality Assurance Programs are often incorporated,

16 corporately across all the plants associated with the

17 company. For example, yourself and First Energy; is there,

18 well, I guess, to summarize your presentation basically, I

19 would understand that the Quality Assurance Program is

20 implemented more appropriately across First Energy, but had

21 gaps at Davis-Besse.

22 Is there a corporate oversight function here that

23 needs to be discussed or revealed or possibly brought anew?

24 MR. PEARCE: That was the Root

25 Cause; wasn't it?