

# Official Transcript of Proceedings

## NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste  
147th Meeting

Docket Number: (not applicable)

Location: Las Vegas, Nevada

Date: Wednesday, November 20, 2003

Work Order No.: NRC-1198

Pages 1-208

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE

+ + + + +

147TH MEETING

+ + + + +

WEDNESDAY

NOVEMBER 20, 2003

+ + + + +

LAS VEGAS, NEVADA

+ + + + +

The meeting was called to order in Dallas  
Ballroom D, Texas Station Hotel, 2101 Texas Star Lane,  
Las Vegas, Nevada, at 8:30 a.m., by Dr. B. John  
Garrick, Chairman, presiding.

PRESENT:

MEMBERS:

B. JOHN GARRICK, Chairman, ACNW/NRC

MICHAEL T. RYAN, Vice Chairman, ACNW/NRC

RUTH F. WEINER, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STAFF:  
SHER BAHADUR, ACNW/NRC, Designated Federal Official  
JAMES H. CLARKE, ACNW/NRC  
NEIL M. COLEMAN, ACNW/NRC  
HOWARD J. LARSON, ACNW/NRC  
MICHAEL LEE, ACNW/NRC

I N D E X

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

AGENDA ITEM

PAGE

Opening Remarks by Chairman . . . . . 4

Presentation by Eric Smistad on Igneous . . . . . 6

    Consequences Peer Review, Introduction

Presentation by Frank Spera on Peer Review . . . 11

    Summary

Presentation by Michael Cline, BSC . . . . . 40

    Responses to Igneous Consequences, Peer Review

    Recommendations

Presentation by Andrew Remis . . . . . 51

Presentation by Michael King . . . . . 55

Presentation by Dale Hammermeister . . . . . 73

Presentations by Affected Units of Local . . . 128

    Government Representatives

Stakeholder Interactions . . . . . 158

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m.)

CHAIRMAN GARRICK: Good morning. The meeting will come to order. This is the second day of the 147th Meeting of the Advisory Committee on Nuclear Waste. My name is John Garrick.

The other members of the committee present are Michael Ryan, Vice Chair, and Ruth Weiner. Also presenting the committee today is a consultant, Jim Clarke.

The Committee will hear a briefing on DOE's Path Forward on Igneous Activity. We will hear an information briefing on weld drilling activities by Inyo and Nye Counties; a presentation by affected units of government.

We will hear an information briefing by a representative from the Electric Power Research Institute on its recent workshop on natural analogs. We will reserve time for interactions with stakeholders and meeting participants, and we will discuss proposed reports.

Howard Larson is the Designated Federal Official for today's initial session, and the meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We have received no written comments on  
2 requests for time to make oral statements from members  
3 of the public regarding today's sessions.

4           Should anyone wish to do so, please make your wishes  
5 known to one of the committee members, one of the  
6 committee staff.

7           It is requested as usual that the speakers  
8 use one of the microphones, identify themselves, and  
9 speak with sufficient clarity and volume so that they  
10 can be readily heard.

11           I want to acknowledge that we are pleased  
12 to have in the audience this morning a couple of the  
13 members of the Nuclear Waste Technical Review Board.  
14 Yesterday, Dr. Dan Bowen was here, and today Dr.  
15 Richard Peresnick is here, and there is also staff.

16           We know that Leon Ryder is here and Carl  
17 DiBella, and there may be others. We are pleased that  
18 they could attend the meeting. With that, I think we  
19 will turn to the agenda, and the first item on the  
20 agenda has to do with Igneous Activity, and the  
21 committee member that is going to lead that discussion  
22 is Mike Ryan.

23           VICE CHAIRMAN RYAN:     Thank you, Mr.  
24 Chairman, and if you will recall yesterday, George  
25 Hornberger, who would be the logical choice for this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 session, is not with us today. He is absent. So I  
2 would ask that we turn our attention to the Igneous  
3 Activity Status Report.

4 And we will have three speakers; Eric  
5 Smistad, Frank Spera, and Mike Cline, and I will  
6 immediately turn it over to Eric, who will lead us  
7 through these two presentations. Thank you, Eric.

8 MR. SMISTAD: Good morning. My name is  
9 Eric Smistad, and I am the Vulcanism lead at the  
10 Department of Energy. It has been a few years since  
11 I have spoken in front of the committee. I believe it  
12 was around 2 or 3 years ago that I spoke on  
13 performance confirmation at White Flint, and the  
14 status of that program at the time.

15 This session here we are going to be  
16 talking about the igneous consequences of peer review  
17 and I might mention that the program has conducted  
18 many peer reviews through time.

19 This is the first formal peer review that  
20 we have conducted on igneous consequences if you will.  
21 We have conducted other formal peer reviews, and  
22 biosphere, waste package, a couple of different TSPA  
23 reviews, and others, and there is a whole list of peer  
24 reviews that we conducted through time, both directly  
25 with the Department, and with our prime contractor.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I will just be going through essentially  
2 why we did a peer review, and why we conducted the  
3 peer review, a little bit on the process, and just  
4 briefly outcomes that the Department felt that we  
5 obtained from this particular peer review. Next  
6 slide, please.

7 I will give you the intro here. Frank  
8 Spera, from the University of California at Santa  
9 Barbara, who is a peer review member, will give a  
10 summary of the report, a consensus peer review report  
11 by the way.

12 And Mike Cline from BSC will give a short  
13 version of our responses to the recommendations that  
14 the panel made in Chapter 5 of the report. Next  
15 slide, please.

16 Okay. Why did we conduct this peer  
17 review? There were really several reasons why we did  
18 this. I mentioned that we had conducted many other  
19 peer reviews in the past on other modeling and  
20 activities within a project.

21 In this one, we had never conducted a  
22 formal peer review. We had an expert elicitation on  
23 probability of volcanism, but we had never had an  
24 outside if you will formal peer review of our igneous  
25 consequences model.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Following SR as we did in all of our  
2 modeling, we took another look at what we had in place  
3 for processing modeling the TSPA as a normal course of  
4 trying to improve what we had, and looking at  
5 additional information, or work that we had done since  
6 then for inclusion in our modeling for Las.

7           So that was a step that we took as a  
8 matter of normal course, and the igneous consequence  
9 modeling was no exception to that process. Around  
10 about the same time, we had entered into several  
11 agreements, formal agreements, with the NRC on igneous  
12 consequences or igneous activities.

13           So we had those two parallel activities  
14 going on at the same time; our own analysis of our  
15 work and a review and formal agreements with the NRC.  
16 And the big question coming out of this before us was  
17 are we on track with this particular piece of work,  
18 particularly -- and this won't read the dashes here,  
19 but in terms of the processes that we are representing  
20 and the overall conceptual model that was more or less  
21 the summary of the charge that we did actually give to  
22 the peer review.

23           So in other words, do we have gaps in our  
24 modeling, and we have some gaps that matter, and in  
25 the processes that we did model, did we go about that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the right way. Next slide, please.

2 Briefly on the process, we did a follow-up  
3 governing procedure. It is our peer review procedure,  
4 AP 2.12Q. The scope of this particular peer review  
5 was put together by several groups within the project;  
6 myself and others of the Department of Energy, the BSC  
7 folks, and the Landel scientists and volcanologists as  
8 well.

9 That was followed by consulting with  
10 experts in the field of volcanism and other related  
11 fields, sort of a multidisciplinary modeling effort.  
12 So we went out to the community if you will to see how  
13 we can go about perhaps conducting and staffing if you  
14 will this panel.

15 As I mentioned, there were a lot of  
16 processes involved, and it is a multidisciplinary  
17 process, and so we ended up with not just a peer  
18 volcanology panel, although the balance was primarily  
19 volcanologists.

20 We had three volcanologists and Professor  
21 Spera will walk through I believe in his talk with the  
22 members of the panel. We had three volcanologists,  
23 and we had a fluid dynamics individual, Anthony  
24 Pearson, Bob Budnitz, who was a risk assessment  
25 expert, and Emanuel Detournay, a fracture mechanics

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 expert.

2 So you will see that we tried to represent  
3 the primary process in this consequence modeling with  
4 this panel. As far as interactions and meetings,  
5 there were several. We had a kick-off meeting in May  
6 of '02, and the panel did quick work, and put together  
7 an interim report in September of '02.

8 We had a field trip in December of '02,  
9 and I believe that we might have had a smaller one  
10 subsequent to that. I think that Frank Spera may talk  
11 about those field trips in brief.

12 And then there was a final report in  
13 February, and in which we posted these reports on our  
14 website as soon as we received them from the panel.  
15 In other words, there was no critique review made by  
16 us. We put them right out there for folks to see.  
17 Next slide, please.

18 Briefly on outcomes. We believe that the  
19 panel did a thorough review with the charts that we  
20 gave them, looking at our past modeling, and in the  
21 plans that we had at that time for the modeling, they  
22 looked at those as well.

23 The Department did not feel that there  
24 were any significant gaps identified. Now I want to  
25 be clear that the panel did present in their final

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 report several recommendations and Mike will walk  
2 through those.

3 There were recommendations, but we didn't  
4 feel that they had identified anything that would lend  
5 itself to underestimating dose in a significant way.

6 And just the last bullet here on this  
7 slide is that from sort of an overall conclusion  
8 standpoint that the panel stated that the overall  
9 conceptual model, namely that of the dike rising  
10 through intersecting drifts if you will, intersecting  
11 the drifts, was both adequate and reasonable.

12 And I will say that they did have  
13 recommendations that went along with that statement,  
14 and that is all that I had by way of introduction.

15 VICE CHAIR RYAN: Great. Thank you very  
16 much. The next speaker will be Frank Spera, and he  
17 will talk on Igneous Consequences Peer Review Panel  
18 Report: Proceedings and Salient Recommendations.

19 PROF. SPERA: Good morning. Okay. I am  
20 Frank Spera, and I am a member or was a member of the  
21 Peer Review Panel, and this morning I will try and  
22 make a brief presentation of the salient  
23 recommendations of the panel, as well as describe how  
24 we worked.

25 Eric has already mentioned some of this,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and I thought that maybe I would embellish that a  
2 little bit. So the first part then would be the  
3 methods and products of our work, and the second is a  
4 summary of the recommendations.

5 There is available on the web the interim  
6 report, as well as the final report, as well as an  
7 appendix to the final report. There is a number of  
8 complex issues that are discussed in our work, and I  
9 will try and summarize that in a few minutes here.

10 But there is really no substitute for  
11 going back and reading those reports. The committee  
12 membership included Budnitz, an engineering risk  
13 analysis expert; and Emanuel Detournay, an expert in  
14 solid mechanics, Larry Mastin, a volcanologist with  
15 experience in pre magma magnetism.

16 And Anthony Pearson, who is a very  
17 distinguished fluid mechanicism, and worked in polymer  
18 food mechanics for many years; and Alan Rubin, a  
19 structural geologist, and expert in dike propagation,  
20 which is really very central to the problem, and  
21 myself.

22 And the point here is that, yes, it is a  
23 multidisciplinary committee because the problem is a  
24 multidisciplinary problem. As far as the logistics,  
25 and how we worked, as I mentioned the panel worked for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about 10 months, and started in May of 2002 with a  
2 kick-off meeting here in Las Vegas.

3 We worked through the entire period of  
4 time, and issued an interim report in September of  
5 2002, and with a public presentation, and our final  
6 report in February of 2003, and all of this material  
7 is available.

8 The scope of the work, there were a couple  
9 of field trips in May, and one in December, and we had  
10 a video conference, a number of conference calls, and  
11 two, one day panel meetings, independent of anything  
12 else happening.

13 And innumerable e-mail communications, and  
14 one-on-one phone conversations between panel members  
15 and other experts that the panel felt worthwhile  
16 interacting with; and self-study analysis, and of  
17 course document preparation by each panel member.

18 So it was a fairly intense period of 10  
19 months, as far as the scope of the work. Next slide,  
20 please. Our goals were to review and comment on  
21 previous igneous consequence project work, and most of  
22 that, of the review and comment, is found in the  
23 interim report, which was issued about September of  
24 '02.

25 Another goal was to provide new analysis

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 when appropriate and possible given the time  
2 limitations to all when possible in trying to lower  
3 the uncertainties for the TSPA input, and that was the  
4 mantra of the work.

5 And related to that is the last point  
6 here, the last point, to recommend additional analysis  
7 that the panel itself could not do that is needed to  
8 resolve some of these outstanding issues related to  
9 igneous events.

10 And so that is based on our analysis of  
11 the previous work, as well as new problems and some  
12 preliminary analysis of those new problems. So that  
13 forms the basis of the recommendations.

14 A few points here and trying to summarize  
15 a lot of material, and I thought that I would state  
16 this as kind of a precepts in a frame of reference  
17 that the panel agreed to early on as far as some basic  
18 conceptual guides to looking at the problems involved.

19 Obviously, volcanological phenomena are  
20 apparently pyroclastic phenonema, and it is important  
21 in these complex systems that the range not get  
22 focused in too early to a particular  
23 conceptualization.

24 So we need to consider a range of magma  
25 and host rock properties, magmatic flow regimes, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 eruptive phase sequences, and how volcanoes actually  
2 erupt, and what the detailed chronology could be.

3           There is no definitive pattern. There are  
4 certain guides, but things can be variable, and so we  
5 need to keep this in mind, and to consider various  
6 models for fracture propagation and states-of-stress  
7 and how these will interact.

8           So in other words, it is a complex  
9 problem, and let's consider all the possibilities.  
10 The second point is that the past is the key to the  
11 future, and my apologies to James Hutton, and Charles  
12 LaNell, one of the founding workers in geology, and  
13 that the past is the key to the present.

14           Well, past is the key to the future if  
15 trying to understand or trying to make predictions, or  
16 forecasts, of volcanological events in Crater Flats  
17 volcanic fuel events.

18           And the best way to do this is to consider  
19 the recent past, the recent geological past; and then  
20 the question is, well, how recent is recent. Is it a  
21 hundred-thousand years, or is it 1.0 million years, or  
22 is it 10 million years, or is it a hundred-million  
23 years.

24           And we of course spent a lot of time  
25 considering what that period should be, and so it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 forms an important component of trying to understand  
2 the previous history and to make predictions for the  
3 future.

4 The third point is that attention is  
5 focused in many places in the final report on what we  
6 consider the most hazardous scenarios. Not  
7 necessarily because these are more likely, and that is  
8 an important point, but because we felt that they were  
9 most critical to the total system performance  
10 assessment, which is really the crucial outcome of  
11 this investigation.

12 So we may have spent more time looking at  
13 the more hazardous scenarios, and again, not because  
14 of their intrinsic probability, but because these are  
15 the key ones as far as dose.

16 Now, a final point is that we certainly  
17 have to recognize the difficulty of this problem, and  
18 I sort of apologize for the first bullet up there, but  
19 perhaps in the sense that it is perhaps too wordy.

20 But really when you think about the issue  
21 of the rising dike, and this rising dike is filled  
22 with materials, and this material is a multi-  
23 component, and many components, and the entire  
24 periodic table is involved in magma.

25 It is multi-phased, and silicate liquid,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a molten, low viscosity liquid, and there are gas  
2 bubbles, and there are solid fragments, and so it is  
3 a mixture.

4 It is rheologically complex, and rheology  
5 is the science of deformation in flow, and so the flow  
6 properties of this complex mixture are involved. The  
7 mixture is compressible and so as the pressure  
8 increases, and as magma ascends towards the surface,  
9 the volatile, the H<sub>2</sub>O and CO<sub>2</sub> that are dissolved in  
10 the solution will exsolve into the vapor phase.

11 So it is like picking up a bottle of coke  
12 and popping the top. What is this stuff rising in?  
13 Well, it is rising in a heterogenesis media, the host  
14 rock. So the couple problem of the thermal dynamics,  
15 fluid dynamics, and fracture propagation of -- in  
16 three dimensions, of this fracture filled with this  
17 goo, complicated goo, is not a trivial problem, and we  
18 have to recognize that.

19 It is a cutting edge problem. But it is  
20 a problem that can be addressed. So that is exactly  
21 what we still have to do, and to bring diverse  
22 elements together from different areas to look at this  
23 question in a complete way.

24 So we spent a lot of time arguing about  
25 things, and which was I felt very healthy. Okay. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 now we can move on and talk a little bit about the  
2 structure and the scope of the final reports.

3 The interim report, which was issued in  
4 September of 2002, basically reviewed previous igneous  
5 events project work, and there was considerable  
6 material to digest there, to understand what work had  
7 been done in the past.

8 And we also, because we recognized that  
9 really the essence of the problem is the interaction  
10 of exactly how does a dike of magma propagate, and  
11 what are the characteristics of the dike; sizes,  
12 shapes, pressure distribution, velocity field, and so  
13 forth.

14 So we provided a primer in the interim  
15 report, and basically in Chapter 3, I think. which  
16 gives a background on dike propagation in general of  
17 magma dikes in the absence of a repository.

18 We don't understand that, and  
19 understanding how it interacts with a repository is a  
20 lot more difficult. We also gave some assessment of  
21 the dog-leg scenario, and this is a situation where  
22 magma arising dike intersects the system drifts, and  
23 magma flows down through the drifts, and then new  
24 fractures propagate to the surface. So this is the  
25 dog-leg scenario.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And also the shock wave situation where  
2 pressure magma suddenly is exposed to zero pressure  
3 one atmosphere pressure and there has been some work  
4 on that.

5           So in the interim report we provide some  
6 analysis for all of those problems, and also some  
7 analysis of waste entrainment, and magnitudes, and  
8 magma flowing down drips, and the interaction of magma  
9 with the canisters.

10           The main point was to absorb the  
11 voluminous earlier literature and to understand where  
12 we had to go in the last 7 months of our  
13 investigation. The final report issued in February of  
14 '03, this is just an outline of that report. It  
15 consists of five chapters, and a rather long appendix.

16           Chapter 1 provided essentially an  
17 introduction to the problem, and an overview of the  
18 issues that the panel was able to address. The second  
19 chapter basically discussed the volcanological setting  
20 at Crater Flats and the environment.

21           The eruption chronology of the pyroclastic  
22 vocanoism and even earlier vocanoism to try and  
23 understand the sequence of events in this type of --  
24 and in the most likely type of eruption.

25           And it also discussed the properties of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the magma, both thermal dynamic properties and the  
2 transport properties, and some discussion of the  
3 properties of the host rock, which the propagating  
4 dike traverses on its way to the surface.

5 And in a little more detail here, a  
6 synopsis of the volcanic history at the Crater Flat  
7 volcanic zone, and reviewing previous literature, and  
8 trying to understand the geochronological constraints,  
9 and whether those constraints could be amplified.

10 And an analysis of the volatile content.  
11 Volatiles are the -- the magnetic volatiles are the  
12 components, such as H<sub>2</sub>O, and carbon dioxide, sulfuric  
13 acids, and these are the components that add pressure,  
14 a few hundred bars are dissolved in the silicate  
15 liquid.

16 But upon decompression these are the  
17 components that exsolve and form a discreet vapor  
18 phase, and that there is a gas phase with the liquid.

19 And the volatile content is extremely  
20 important to fix because it changes the dynamics of  
21 the magma in a very marked way, making the system much  
22 more compressible. So we are trying to use the  
23 petrology of the Crater Flat volcanics and some  
24 thermal dynamic modeling to constrain volatile  
25 abundances and trying to understand the transition

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 between the liquid dominated system and the magmatic  
2 liquid vapor system.

3 We also looked at eruption chronologies,  
4 and then addressed some unresolved volcanologic  
5 issues, which we will return to in a recommendation;  
6 and the magnetic anomalies, and the age constraints on  
7 the pliocene and especially quaternary volcanism.

8 And the issue of phreatomagmatism at  
9 Lathrop Wells. Phreatomagmatism is a style of  
10 magmatism, where magma interacts with the water table,  
11 the water saturated sediments, and the heat from the  
12 magma expands this water in the pore sediments, and  
13 can lead to a process of phreatomagmatism.

14 And finally the magma and post-rock  
15 properties. Chapter 3 was really the guts of the  
16 report in a sense. A lot of technical detail here.  
17 The actual fracture mechanics, and fluid dynamic  
18 analysis of what really does happen when a dike  
19 interacts with a repository or a system of drifts.

20 And there was a lot of focus here on the  
21 dog-leg scenario, and which I had defined earlier.  
22 And dike propagation in the absence of a repository,  
23 and trying to understand the cavity lengths when the  
24 dikes propagate, and the fuels magma.

25 The upper part of the dike is actually not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 filled with magma, and it is filled with gas. And the  
2 size of that cavity, and the width of it, and  
3 propagation rate, and the pressure in that cavity is  
4 very important, because the tip cavity, which first  
5 interacts with the system of drifts. It is not  
6 actually the magma, but the tip cavity.

7 So understanding the pressure field in the  
8 tip cavity is very important for evaluating the shock  
9 wave scenario. And if the tip cavity is very long,  
10 then the pressure front is also long, and the gradient  
11 is relatively small, and that leads to one scenario  
12 which is quite different than, for instance, a very  
13 high pressure and immediately seeing a zero pressure.

14 So in Chapter 3, we discuss that issue, as  
15 well as inelastic deformation, freezing of magma, and  
16 other sorts of fluid dynamic types of analysis.

17 Chapter 4 involved the eruptions in the  
18 waste entrainment, and the specific issue of how waste  
19 would get entrained, and what those loads would be in  
20 terms of magma flowing down drifts.

21 The quantity of waste entrained, and the  
22 dispersal in the atmosphere of eruptive waste, and  
23 some comments on the TSPA. All right. And finally  
24 the last chapter is a summary of the conclusions and  
25 recommendations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In addition to the final report, there is  
2 also an appendix to the final report, which we felt  
3 would be very useful to the project in performing some  
4 of the work that we recommended.

5           I am not going to go through this in any  
6 detail here, but the appendices include a lot of  
7 information and analysis, a lot of the detailed  
8 analysis; solution of the differential equations, and  
9 thermal dynamic analysis of the magma.

10           So we felt that some of this information  
11 could be used as a guide perhaps to the project. Some  
12 of the dynamical issues considered in that appendix  
13 are listed here, and again I won't go through them in  
14 any kind of detail, but I guess I just want to  
15 emphasize that we did some modeling ourselves, and did  
16 some scale analysis.

17           And we tried to summarize that to support  
18 the recommendations. The recommendations, which is  
19 the last part of my presentation here, I will  
20 basically talk about -- well, first off, as mentioned  
21 already, the overall approach we found reasonable.

22           However, we did come up with a number of  
23 recommendations, all posed towards reducing  
24 uncertainties. The recommendations are of two type;  
25 the volcanological recommendations, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recommendations in the modeling arena.

2 So I will try and go through these very  
3 quickly. The volcanological recommendations, we felt  
4 that there perhaps could be a further and better  
5 characterization of the number, size, volume, and age  
6 distribution of the magmanetic anomalies, which may be  
7 buried volcanic centers in Crater Flat and environs.

8 And recommended that perhaps further  
9 geophysical work, and some drilling, and  
10 geochronological work on return samples, could be  
11 useful to define the ages of these, and their volumes.

12 And in addition, further geochronological  
13 work on pliocene and especially quaternary basalts at  
14 Crater Flats to better characterize the spatial  
15 distribution of these in terms of age.

16 All right. We have connection, and number  
17 of volcanic centers, and are they of the same age, or  
18 is the age span measured in tens of thousands of  
19 years, or hundreds of thousands of years.

20 This volcanism is most approximate to the  
21 repository site. The further studies also were  
22 recommended to evaluate the shapes and dimensions of  
23 volcanic conduits. Conduit is the region above the  
24 dike, the kind of pseudo-cylindrical conduit that has  
25 this funnel type structure.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And the width of the conduit is very  
2 important. It is a direct input into TSPA, all right,  
3 because that sort of says how many drifts would be  
4 involved. The size of a conduit is obviously very  
5 important.

6           Also included here is a review of the  
7 status of phreatomagmatism at Lathrop Wells. There is  
8 not a lot of evidence for free atom magmatism in  
9 Crater Flat, except at Lathrop Wells, as a small early  
10 phase may have been phreatomagmatic.

11           We felt that understanding that better  
12 would be useful. The last bullet here, a model here  
13 that is used is called ASHPLUME in the TSPA to predict  
14 volcanic ash dispersal, and we felt that additional  
15 modeling using other available models could be used to  
16 test the validity of ASHPLUME.

17           As far as the modeling recommendations,  
18 and I will run through these as quickly as I can here,  
19 basically the idea is to place more confident bounds  
20 on the magma drift pressure, and if magma does enter  
21 the drifts, what is the pressure in the drifts.

22           As well as the normal stresses in the  
23 region above the drifts, because from magma to do the  
24 dog-leg flow, the magma pressure needs to exceed the  
25 dike normal stress.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So the stress field above the drifts, as  
2 well as the pressure magma in the drifts, is very  
3 important. So we need to know that. How can we get  
4 that?

5           Well, we can get that by doing a number of  
6 things and these calculations are summarized here, 1,  
7 2, 3, 4, 5. There is a very critical region near the  
8 magma front-tip cavity, which accounts for the ex-  
9 solution of vapor from the magma, and modeling to fix  
10 the pressure field.

11           And understand that it is evolution during  
12 outward ascent would be useful. The tip-cavity, the  
13 size of it, and the pressure distribution in it, is  
14 something that could be studied in more detail,  
15 specifically for the flow of a compressible material,  
16 for which a volatile rich magma is a compressible  
17 material.

18           The development of some three dimensional  
19 models for unsteady magma flow, when a planar dike has  
20 intersected the system of drifts, what fraction of the  
21 magma continues upwards, and what fraction of the  
22 magma moves down the drifts.

23           And the impact of the drift flow on  
24 canisters within drifts. I will jump ahead to number  
25 five here. Modeling the effects of infiltrating fine

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ash and variable vapor pressure on gas loss through  
2 the permeable dike.

3 In the tip cavity where the gases are  
4 concentrated, the host rock is somewhat permeable, and  
5 so gas can move into the host rock. But that can be  
6 affected by the distribution of very, very fine  
7 volcanic ash that can actually decrease the  
8 permeability.

9 And we thought that it is possible to  
10 model that. Let me jump to the last slide here. The  
11 final set of recommendations pointed out that perhaps  
12 reconsideration of, and is really not our main charge,  
13 but reconsideration of some repository design elements  
14 to minimize the impact of any possible igneous events.

15 And this could involve backfill  
16 possibilities, and it could involve introduction of  
17 bulkheads to minimize magma flow into drifts, and the  
18 incorporation of perhaps these engineering design  
19 considerations into the TSPA to address the questions  
20 of the possibilities of limiting any or mitigating any  
21 hazardous effects due to magma flow.

22 I think that that ends my presentation.

23 MR. MARSHALL: Does anyone have any  
24 questions?

25 CHAIRMAN GARRICK: Maybe a couple of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 questions. Can you turn to Slide 7. I am sure that  
2 Bob Budnitz cautioned the panel on Bullet 3 there of  
3 focusing attention on the most hazardous scenarios.  
4 If we take the view that we want to risk inform this  
5 process, then of course what we want more than  
6 anything else is an importance ranking of the most --  
7 of the scenarios contributing to risk.

8 And as it usually turns out the most  
9 hazardous ones usually are not on that list, and this  
10 reminds me a little bit of reactor safety in the  
11 1950s, where there was great focus on the large loss  
12 of coolant accident, and somewhat to the expense of  
13 focusing on other scenarios.

14 And as we learned from the reactor safety  
15 study, and subsequently 3 Mile Island, the most  
16 contributors to risk were things like small LOCAs,  
17 small loss of coolant accidents, in combination with  
18 off-site power losses, and what have you.

19 And I see history kind of being repeated  
20 here. What I would really like to know if we are to  
21 take a risk-informed approach is what are the most  
22 important scenarios contributing to the risk, and is  
23 the dog-leg scenario among those.

24 Are you planning to do something like  
25 that, because here I don't think we have answered the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 \$64 question with respect to risk.

2 PROF. SPERA: We felt that the dog-leg  
3 scenario was intrinsically very unlikely, and --

4 CHAIRMAN GARRICK: And so the obvious  
5 question is, well, what are the contributors to the  
6 risk, and not to the consequence?

7 PROF. SPERA: As to the dog-leg?

8 CHAIRMAN GARRICK: Well, what I am really  
9 getting at is the question that we have to answer is  
10 what is the risk, and in order to do that, we need to  
11 know what scenarios are contributing to the risk. And  
12 if the dog-leg scenario is contributing to the risk,  
13 then the emphasis on it is truly justified.

14 If the dog-leg scenario is a no, never  
15 mind, with respect to the risk, then the question is,  
16 well, why aren't we allocating our resources to answer  
17 the real question, namely what should we be working  
18 on.

19 PROF. SPERA: Well, I think at the  
20 beginning of our work that was a question. I think  
21 one of the points that we made is that -- well, in  
22 other words, it wasn't known at the beginning of the  
23 likelihood of a dog-leg.

24 We feel, and the panel felt, that at the  
25 end of it all that that was not a very likely

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 scenario. The shock wave scenario as well. The  
2 earlier work, we analyzed that and felt that the  
3 initial conditions were not reasonable.

4 So in terms of the shock wave, and in  
5 terms of the dog-leg, we felt that they were less  
6 likely than maybe had been posited.

7 CHAIRMAN GARRICK: Yes. I am sure that  
8 the performance assessment people are going to ask  
9 these same questions, and will want to manifest the  
10 scenarios that we really should be worrying about,  
11 rather than the ones that -- well, to be sure, we want  
12 to know what these high hazardous scenarios mean and  
13 do.

14 But they may be relatively irrelevant to  
15 the finding that has to ultimately be made. That is  
16 my point.

17 MR. SMISTAD: If I might turn the mike on  
18 to begin with here. We didn't really ask the panel to  
19 go that far with the report. I will make a comment on  
20 the dog-leg, however. If a dog-leg were to occur,  
21 that would be a significant -- significant to risk.

22 And the way that we have chosen to  
23 approach that is like the panel said, and we are in  
24 agreement with it, that it is unlikely. That we are  
25 not able at this point to apply probabilities to it,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or to screen it if you will.

2 So what we have done is that we have  
3 chosen to model the entire process of magma entering  
4 the drift, and any of the interactions or processes  
5 that may cause a dog-leg down the drift, that is how  
6 we have chosen to approach it. And at this point we  
7 are not able to propagate another dike down drift.

8 CHAIRMAN GARRICK: Yes. I am just  
9 cautioning us to be aware of history this kind of  
10 safety analysis.

11 VICE CHAIRMAN RYAN: Ruth.

12 DR. WEINER: First of all, Professor  
13 Spera, you will have to excuse me. I don't know  
14 anything about volcanology, and so my questions might  
15 very well strike you as completely naive.

16 And I have a lot of questions, and I will  
17 try to boil them down. First of all, if the magma  
18 enters the drift, and the gas on top of it enters the  
19 drift of the repository first, isn't the volume of the  
20 repository going to relieve the pressure and to what  
21 extent.

22 And won't the logical path out be out  
23 through whatever closure there were rather than up  
24 through the rock, so that you would get a flow out at  
25 grade, or what am I missing there?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           PROF. SPERA: Right. Well, it is the  
2 volume, and one of the things that we worked on was  
3 the volume of a typical eruption, and comparing the  
4 volume of a typical eruption to the volume of the  
5 drifts.

6           And the volume of a typical eruption would  
7 be much larger than the volume of a drift system.

8           DR. WEINER: Where did you get the data  
9 for the volume? When you call it a typical eruption,  
10 is that everywhere in the world?

11          PROF. SPERA: Well, there is a lot of  
12 detail in Chapter 2 actually, and what we did is --  
13 and the project had done this before, is looked at the  
14 eruptions within the last 15 million years, 4 million  
15 years, 1 million years, and --

16          DR. WEINER: At Crater Flats?

17          PROF. SPERA: At the Crater Flats region  
18 and environment, and looking at a number of the  
19 eruptions, and having estimates of the volumes of  
20 those particular eruptions. Making a list of the ages  
21 and the volumes, and so understanding the volcanology.

22                 Understanding the nature of the eruptions,  
23 the sequences; were they pyroclastic eruptions, or  
24 were they lava flow eruptions. Then going outside  
25 this region, and looking throughout the world, because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there are 400 volcanos as I speak that are erupting,  
2 and understanding basically the volcanological basis.

3 And by taking that information and coming  
4 to put some bounds on likely volumes.

5 DR. WEINER: So did you use an average  
6 volume, a medium volume, a maximum volume? Did you  
7 distribute and sample a distribution of volumes?

8 PROF. SPERA: The range of volumes in this  
9 kind of system for these kinds of basaltic eruptions  
10 is .1, .01 to 1 cubic kilometer.

11 DR. WEINER: Okay. I don't want to engage  
12 in a tutorial.

13 PROF. SPERA: And a very, very tiny  
14 eruption would be of no consequence.

15 DR. WEINER: My other question, if I can  
16 boil it down into one, is wouldn't the lava and the  
17 gas above it seek the shortest path to the surface,  
18 and wouldn't that shortest path be Crater Flats rather  
19 than in the mountain itself, and connected with that  
20 is there a volcanic history within Yucca Mountain  
21 itself, rather than in the Crater Flats region?

22 PROF. SPERA: Right.

23 DR. WEINER: I mean, I simply don't know.

24 PROF. SPERA: No, there isn't in Yucca  
25 Mountain, except for the tuffs themselves that erupted

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 15 or 20 million years ago, and really are not the  
2 style and not really relevant.

3 As far as the shortest path, it is not  
4 actually like the propagation of a light beam or  
5 something. It is actually the stress field and how  
6 this pressurized fluid interacts with this  
7 heterogeneous host rock and the fuel rock, and exactly  
8 the way the magma moves.

9 Like the crack would tend to propagate so  
10 that the crack will open up perpendicular to the  
11 minimum composite stress. So it is really  
12 understanding the stress tensor as a function of  
13 location, and that is how the liquid will move. It is  
14 not necessarily the shortest distance.

15 For instance, it could come in and form a  
16 sill, or it could come in and go vertical. It depends  
17 on the stress field and the way the magma pressure  
18 field interacts with this preexisting stress field.

19 DR. WEINER: I have one final question,  
20 and that is the dispersion, the air dispersion model  
21 for the ash, is that a gaseon (phonetic) dispersion  
22 model? Did you make some assumptions about the  
23 particle size, aerodynamic diameter? If these are in  
24 the report, I can get the report if I have to.

25 PROF. SPERA: Yes. Everything that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 said is correct. The ASHPLUME model, which is not the  
2 panel's model, but is the model that had been used to  
3 predict the dispersal of ash, it is a -- yes, it  
4 involves a range of particle sizes, and it involves a  
5 wind model, velocity and direction.

6 It does the settling and it does all the  
7 normal things that you might think it is a PLUME type  
8 model, and it could be checked against other codes,  
9 and look at the quality of the selection.

10 VICE CHAIRMAN RYAN: I think that is an  
11 important area for the reason that we are interested  
12 in the behavior of radioactivity, and radioactive  
13 material.

14 You know, I don't know what fraction of a  
15 natural release was assumed, but I think that  
16 exploring the impact or the variability that would  
17 occur in looking at that model is real important,  
18 because at least in part the dosimetric calculations  
19 are of great interest, and I am not sure that if those  
20 are realistic, or frankly if they can be realistic.

21 Because I don't know how you would verify  
22 any models, check them against any other models in  
23 those circumstances. The data for distribution of  
24 radioactive in those kind of events, small or large,  
25 are even smaller, you know, in terms of dispersing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things and explosives, and so on, is more art than  
2 science. Do you have any comment on that?

3 PROF. SPERA: I think that your comments  
4 are a good point. What has been done in the  
5 volcanological community is to take known eruptions  
6 where we can measure the volume of the eruption, and  
7 have for instance radiological data on the height of  
8 the volcanic PLUME as a function of time.

9 And sample the volcanic ash after the fact  
10 so that we can get a handle on the size distribution,  
11 and for instance perhaps we would have the wind  
12 structure as a function of altitude, the speed and  
13 direction. And then basically try and forward model  
14 a previous eruption.

15 VICE CHAIRMAN RYAN: I recall a comment  
16 that I heard many, many years ago by Frank Gifford,  
17 and that is that the Pascal-Gifford-Sutton equation  
18 model is not worth much past a thousand meters.

19 And it is used to transport stuff across  
20 the country. So again I challenge everybody to think  
21 about the fact that what ends up in the less 10  
22 microns, or really less than 20 microns, in a  
23 respirable range where somebody might be breathing, is  
24 really what counts.

25 And how do you get from an event to that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 exposure scenario, I think there is a large  
2 uncertainty there, and typically an over-estimate, and  
3 that needs as much or more attention.

4 And I noticed that there was no one on  
5 your panel that was really that kind of a scientist.  
6 Am I right?

7 PROF. SPERA: It is a cutting edge problem  
8 in volcanology.

9 VICE CHAIRMAN RYAN: But there was nobody  
10 on your panel that addressed that.

11 PROF. SPERA: The dispersion?

12 VICE CHAIRMAN RYAN: Yes.

13 PROF. SPERA: There was some  
14 recommendations for looking at the earlier work done  
15 by the project --

16 VICE CHAIRMAN RYAN: But you had no expert  
17 in that area though?

18 PROF. SPERA: Not really.

19 VICE CHAIRMAN RYAN: Okay.

20 DR. WEINER: How did -- do you have any  
21 sense of this dog-leg eruption would compare to, for  
22 example, Mount St. Helene's? I happened to have seen  
23 the Mount St. Helene's eruption. I lived there at the  
24 time.

25 PROF. SPERA: Very extremely different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 animals.

2 DR. WEINER: Bigger, smaller?

3 PROF. SPERA: Mount St. Helene's had a .5  
4 cubic kilometer eruption, and that is the volume. A  
5 very different composition, and much more discus  
6 magma, and a higher -- probably a higher concentration  
7 of dissolved water and CO2.

8 The style of eruption is very different,  
9 and the conduit is much wider, and the viscosity of  
10 the magma, 7 or 8 orders of magnitude different than  
11 basaltic magma. So different pieces really.

12 VICE CHAIRMAN RYAN: Jim Clarke had a  
13 question.

14 MR. CLARKE: Just -- and this may be  
15 premature, and I guess this is probably a question for  
16 Eric, but there have been some recommendations made to  
17 reconsider possibly certain design elements, but as  
18 was pointed out the panel really wasn't charged with  
19 looking at the full range of risk events.

20 There was a focus on the high consequence  
21 and low probability event for understandable reasons,  
22 but I just wonder where you go from here on what might  
23 lead to recommendations for design changes for your  
24 plans?

25 PROF. SPERA: We are currently looking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into that, and if you are familiar with the design,  
2 the underground design, we have backfill in the design  
3 right now, and we are not currently planning to  
4 backfill the emplacement drifts, but we will backfill  
5 the access drifts, the banes if you will.

6 So the determinist of an emplacement  
7 drift, there will be backfill, and if the magma  
8 travels down the drift, you will encounter this  
9 backfill.

10 Now, if that backfill is not efficient in abating the  
11 flow if you will, this is where the idea of an  
12 engineered barrier could come in.

13 And in fact to provide assurance to us as  
14 we are moving through this, involving the uncertainty  
15 of the backfill that we do have in there, and the  
16 uncertainty of maybe the flow will move through that  
17 backfill or over that backfill or something.

18 We are looking into barriers, and in fact  
19 we are looking at the similar things that the panel  
20 had talked about in terms of a plug, and just a very  
21 simple plug, concrete perhaps, or moving into other  
22 areas of maybe key ways, where you have a notch in the  
23 ceiling, and where you backfill that notch, and as you  
24 get the pressure on the backfill from the magma, it  
25 will push up into this notch, and you will have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 front or a wall there if you will.

2 So we are looking into these things, and  
3 these are things that we intend to put forward in the  
4 next -- the prior (inaudible) actually.

5 VICE CHAIRMAN RYAN: Thank you very much.  
6 We have one additional presentation, and that will be  
7 Michael Cline discussing the responses to the igneous  
8 consequences and peer review recommendations. Thank  
9 you, Dr. Spera.

10 DR. CLINE: Good morning. I am Michael  
11 Cline, and I am the lead for volcanism for BSC, a  
12 Bechtel SAIC company. I would like to thank Frank for  
13 an excellent presentation. I will respond to the peer  
14 review comments in my presentation.

15 I would also like to recognize Frank  
16 Perry, and Frank, if you would put your hand up.  
17 Frank is the Los Alamos lead for the volcanism  
18 activities. As a geologist, we have to look at map,  
19 and so our first slide is to look at a map, and I  
20 would like to step back for a second, and address the  
21 issue of why volcanism is an issue.

22 We are at some distance here from the map,  
23 and so it is a little difficult to see, but there are  
24 six quaternary basaltic volcanos within 20 kilometers  
25 of the repository site. Those are marked in red, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 up in the northwest corner, or near the northwest  
2 corner of Sleeping Butte.

3 That is the northerly most of the six, and  
4 then the remaining five are defined in Crater Flat,  
5 which is the depression area southwest of the Timber  
6 Mountain there. The yellow is the repository  
7 footprint as you go south in Crater Flat.

8 The southern most if Lathrop Wells, and  
9 that has an age of about 75,000 years. The igneous  
10 event mean probability based on the 1996 probablistic  
11 volcanic hazard assessment came up with an  
12 intersection probability of 1.7 times 10 to the minus  
13 8.

14 That being greater than 1 times 10 to the  
15 minus 8, we need to look at the consequences. While  
16 the probability is extremely low, the consequences are  
17 fairly significant.

18 I am going to skip to page 4, and Eric  
19 already covered the first slide pretty well. I would  
20 like to say that the report from the peer review was  
21 very beneficial to us. It defined two things.

22 It defined or gave us better confidence in  
23 terms of the path that we are on to address the  
24 issues, and also it gave us good recommendations for  
25 the path forward.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In the peer review, they were asked to  
2 address eight questions related to the adequacy of the  
3 models that the project is developing, the ability of  
4 the models to quantify uncertainties, and the local  
5 analysis necessary to adequately address the issues  
6 given the limitations of science.

7           The first sub-bullet was the quote that  
8 Eric mentioned in his presentation really gets at that  
9 first bullet. Considerable focus was given to the  
10 second sub-bullet there on the quantifying  
11 uncertainties.

12           As I say below the focus on addressing the  
13 uncertainties for a better understanding of dike  
14 propagation mechanics. The restrictive range of magma  
15 properties and eruptive scenarios, and what I mean by  
16 that are they looked at magma characteristics, and  
17 volatile content of magmas, PLUME height related to  
18 eruption, and that sort of thing. Frank went into  
19 that at some length.

20           And then also more realistic treatment of  
21 waste entrainment. Next please. The project or our  
22 evaluation of the recommendations considered their  
23 importance to addressing performance, and enhancing  
24 confidence on a technical basis.

25           We identified -- while Chapter 5 as Frank

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 indicated had I think eight recommendations,  
2 throughout the report, we identified 28, which we  
3 summarized into 10 recommendations, and those are what  
4 I will respond to.

5 You will see a very close relationship of  
6 those 10 to Frank Spera's presentation. Formal  
7 responses in preparation. We deferred that a little  
8 bit based on project priorities, and licensing issues,  
9 and funding, of course.

10 We wanted to make sure that we had our  
11 funding in place so that we could adequately address  
12 the peer review comments. Next slide, please.

13 The first recommendation or comment is  
14 that they gave -- they felt that our giving greater  
15 weight to the Plio-Pleistocene events in the Yucca  
16 Mountain area was reasonable. However, they  
17 recommended additional studies.

18 And in fact we are in the process of  
19 implementing new field activities to address potential  
20 buried volcanic centers in the Crater Flat area, and  
21 to the east of the Yucca Mountain area, the Jackass  
22 Flats area, and just to the south of Yucca Mountain  
23 and into Amargosa Valley.

24 We want to do this to better understand --  
25 well, to determine if there are in fact buried

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 centers, and what their ages are, and also we are  
2 looking at relationships between the known volcanic  
3 centers, age relationships, and the volcanic  
4 characteristics. Next, please.

5 The peer review gave priority or suggested  
6 that priority be given to the three dimensional model  
7 for dike propagation, and related to gas vapor  
8 evolution, cavity length, three dimensional coupled  
9 models for study of drift and dike drift flow, and gas  
10 pressure loss.

11 If you look at all 28 comments and  
12 recommendations the majority of those are related to  
13 this summary comment. And without question these are  
14 complex phenomena. However, we have made progress  
15 dealing with a number of the aspects of the three sub-  
16 bullets that you see above.

17 We are in the process of developing a  
18 multi-phase computational fluid dynamics model, and a  
19 compressible fluid code to model a multi-phase flow,  
20 magma flow, and in a three dimensional component.  
21 Next please.

22 The panel believed that the assumption of  
23 extractions that are used for TSPA for evaluating the  
24 impacts of engineered barrier systems for an igneous  
25 event are overly conservative.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We agree that they are very conservative,  
2           but we also believe that they bound the range of  
3           uncertainty. Okay. As an example, we have a median  
4           value for conduit width, and that is the conduit  
5           coming up through the repository carrying the magma,  
6           of 50 meters, and that is a median diameter.

7           And in that five waste packages are  
8           captured and taken out on to the surface, or they are  
9           destroyed and taken to the surface. Next, please.  
10          Quantifying the probability that the dog-leg scenario  
11          remains an issue, and it is an issue, and it is very  
12          difficult to address.

13          We have in fact in our dike drift  
14          interactions AMR model report, we have addressed the  
15          diffusive flow aspect of the dog-leg, diffusive being  
16          the lava, the liquid aspect.

17          And we have found that it is not critical.  
18          We use essentially a one dimensional -- I'm sorry, a  
19          two dimensional modeling of a one dimensional flow  
20          with a diffusive aspect.

21          We have done some approximations on  
22          pyroclastic components. However, we are currently  
23          doing additional modeling to address that in greater  
24          detail. Our initial approximation suggests that the  
25          pyroclastic component is also not credible.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           You can generate a crack if you  
2 arbitrarily increase the pressures, but to sustain  
3 that crack is extremely difficult. Next, please. The  
4 panel recommended additional laboratory experiments  
5 and analysis to reduce uncertainties related to the  
6 transition between bubbly magma and gas-filled cavity,  
7 and the chemical/mechanical effects on waste packages.

8           These are conservative assumptions, and we  
9 have made conservative assumptions. It is assumed,  
10 for instance, that all waste packages for TSPA  
11 purposes, that all waste packages that come into  
12 contact with magma are compromised.

13           That is a fairly conservative assumption,  
14 but we do believe that it does bound the uncertainty.  
15 There are no plans to test the effects of igneous  
16 activity on a waste package.

17           However, the modeling that we are going to  
18 be doing over this next year, and as I mentioned  
19 earlier the 3-D modeling, will provide a basis for any  
20 future testing in this area. Next slide.

21           The panel suggested that we consider a  
22 repository design modification to minimize impacts of  
23 igneous events. As Eric mentioned, we have in fact  
24 done analyses and they are also captured in the dike  
25 drift interactions model report, and in fact we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 modifying that report as we speak to add some  
2 additional calculations that address what we call a  
3 backfill plug.

4 It is a compacted tough backfill put in at  
5 the turnout or at the end of the drift, the  
6 replacement drift, and it is conceptual, but the  
7 calculations suggest that for a effusive flow it will  
8 impede the magma flow, or the effusive component will  
9 impede the flow.

10 It also comes with a -- or the concept  
11 also considers a notch in the ceiling of the drift  
12 that would have the compacted backfill put into it,  
13 and as the pressure of the magma approach or impact  
14 the backfill, it would in fact strengthen the backfill  
15 and contain the magma.

16 Next, to ensure confidence in the ASHPLUME  
17 results as Frank Spera mentioned, it was recommended  
18 that we look at additional models, such as ASHFALL and  
19 RAM/HYPAC.

20 Our work thus far does consider other  
21 models, and I think that we looked at 3 or 4 other  
22 models in terms of the limitations of those models,  
23 and comparing the limitations of those models to the  
24 limitations of ASHPLUME, and we conclude that ASHPLUME  
25 has the least limitations and we proceeded forward.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now, this year we are also going to look,  
2           assuming that we can acquire them, we are also going  
3           to be looking at ASHBLUME and RAM/HYPAC this year.

4           In summary, we are -- I'm sorry, this is  
5           another recommendation. Consider further studies to  
6           constrain conduit geometry. We are in fact conducting  
7           or will be conducting field investigations of analogs  
8           in the region that are or that we think would be  
9           similar to that of what we might expect in Crater  
10          Flats or that would occur at Yucca Mountain.

11          Our primary analog of course is Lathrop  
12          Wells. We feel that is representative, and we would  
13          be looking at other analogs in the region and in the  
14          great basin essentially that would be similar.

15          Some of the larger analogs, or some of the  
16          analogues that we have looked at that had large diameter  
17          conduits, we believe may be polygenic. In other  
18          words, they are multiple eruptions, instead of looking  
19          at a single eruption.

20          So we want to go back and also look at  
21          some of those that we also looked at before. The  
22          range of conduit diameters that we have looked at  
23          range from about 15 meters to greater than 150 meters.

24          In summary, the peer review concluded that  
25          the overall conceptual model of dike drift interaction

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is adequate and reasonable. Like a good peer review,  
2 they also made a number of recommendations for future  
3 work, which we are addressing for the most part.

4 Recommendations were considered based on  
5 their importance to performance, and the qualifying  
6 uncertainties. Plan work will focus on developing  
7 more sophisticated models to better represent magma  
8 properties, including multiphase flow.

9 We believe that the studies will lead to  
10 quantifying uncertainties and addressing the  
11 conservatisms that we currently have. I would like to  
12 jump to the backup slide if I may very quickly. Eric  
13 asked me to say a few words.

14 I mentioned this earlier, but we are also  
15 looking at -- going back and looking at the  
16 probability of intersection, and the probability of an  
17 occurrence event, and to do this we are in the process  
18 of securing a contractor to do high resolution/low  
19 altitude aeromagnetic, and an electromagnetic survey  
20 of the region around Yucca Mountain.

21 We will then drill the anomalies based on  
22 the results of those studies, as well as the work that  
23 has been done thus far. If basalts are encountered,  
24 we will be dating those basalts, and doing additional  
25 volcanology studies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And then ultimately we will conduct a  
2                   probablistic volcanic hazard assessment or an update  
3                   to that one that was done in 1996. Thank you very  
4                   much.

5                   VICE CHAIRMAN RYAN: Questions? Ruth.

6                   DR. WEINER: Yes, I just have one  
7                   question. What was the particle size distribution  
8                   that you used to look at the dispersion with ASHFALL?

9                   DR. CLINE: It is a range.

10                  DR. WEINER: What was the range?

11                  MR. PERRY: Frank Perry from Los Alamos.  
12                  This is strictly from my head, and it would have to  
13                  be checked, but I believe it was .1 millimeter to 10  
14                  millimeters.

15                  DR. WEINER: Thank you.

16                  VICE CHAIRMAN RYAN: Any other questions?  
17                  John.

18                  CHAIRMAN GARRICK: I think in view of our  
19                  schedule, I will pass.

20                  VICE CHAIRMAN RYAN: All right. Me, too.  
21                  Thanks very much. I will turn it back to you.

22                  CHAIRMAN GARRICK: Okay. Thank you very  
23                  much. All right. We are now going to move to the  
24                  next item on the agenda, and we are 10 minutes behind  
25                  schedule, and it is a topic that we have asked

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Committee Member, Dr. Weiner, to lead the discussion  
2 on. So, proceed.

3 DR. WEINER: Thank you, Mr. Chairman.  
4 Since this is my very first attempt at chairing one of  
5 those sessions, please forgive any lapses in protocol.

6 Our next presentation is on the Inyo  
7 County Carbonate Drilling Program, and it will be led  
8 by Andrew Remis, and I believe that he will introduce  
9 any other speakers. And could you tell us what your  
10 affiliation is, please.

11 MR. REMIS: Sure. Good morning. I am  
12 Andrew Remis, and I am staff to the Inyo County Yucca  
13 Mountain Repository Assessment Office in Independence,  
14 California.

15 I am here today with Mike King of the  
16 Hydrodynamics Group. Mike is the county's leading  
17 contractor conducting hydrogeologic research for Inyo  
18 County, and research being conducted in Amargosa and  
19 Death Valleys.

20 Inyo Count is an Affected Unit of Local  
21 Government under the Nuclear Waste Policy Act. As an  
22 Affected Unit, we conduct regional studies of  
23 hydrology to determine the potential for radionuclides  
24 escaping the Yucca Mountain Repository to impact water  
25 supplies critical to Inyo County communities, Death

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Valley National Park, and territories recently  
2 conveyed to the Timbisha-Shoshone Tribe at Furnace  
3 Creek and Death Valley Junction in Amargosa Valley.

4 I am going to provide a brief overview of  
5 the county's program, and then Mike will give you the  
6 details on our most recent findings. The County's  
7 science program began in 1996 with a study of spring  
8 discharge into Death Valley.

9 This study pointed to the possibility that  
10 the regional Lower Carbonate Aquifer contributed to  
11 potable water supplies in the Park, and by extension  
12 to the possibility that contamination of the regional  
13 aquifer up gradient and below Yucca Mountain could  
14 endanger the Park water supply.

15 In 1998, Nye County, through a 3 year  
16 joint funding agreement, provided funding to Inyo  
17 County to conduct further spring discharge studies in  
18 Death Valley National Park, and to undertake new  
19 evapotranspiration and geophysical studies in the  
20 Park. These studies were conducted by the  
21 Hydrodynamics Group and the U.S. Geological Survey.

22 Beginning in 2000, the County directed  
23 some of the Affected Unit of Local Government  
24 Oversight funding resources to joint with research  
25 with the Park Service, supporting the Park's own

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 program to study ground water behavior in and around  
2 the Funeral Mountain Range.

3 And we have worked collaboratively with  
4 the Park Service for the last three fiscal years of  
5 providing hydrologic expertise to the Park in their  
6 efforts to develop and test monitoring wells.

7 Inyo County applied to DOE for further  
8 research funding in the Fall of 2001 and in the Spring  
9 of 2002, was approved for a 3 year, \$5 million deep  
10 drilling program to drill research wells on Park  
11 Service and BLM sites surrounding the southern Funeral  
12 Mountains.

13 Under the guidance of U.S. DOE staff in  
14 Las Vegas, the County developed a program designed to  
15 work cooperatively with BLM, Death Valley National  
16 Park, and USGC, to explore the hydrogeology of the  
17 region, and to generate data of interest to a wide  
18 range of research and regulatory bodies.

19 To this date, we have completed one of the  
20 five planned wells. DOE's Yucca Mountain Program in  
21 Fiscal Year '03 suffered a significant budget  
22 shortfall with respect to available research monies,  
23 the result of which was that DOE was not able to  
24 completely fund our grant.

25 We are, however, hoping to complete a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 second well this winter. Information developed from  
2 our program will serve several functions. Of primary  
3 importance to Inyo County is the question of whether  
4 there actually exists significant subsurface  
5 continuity between the saturated zone below Yucca  
6 Mountain, and County, and Federal water resources in  
7 California.

8 If so, then understanding the nature of  
9 the connection, in terms of relative contribution and  
10 travel times, is of interest to us. Our program is  
11 designed to meet Yucca Mountain quality assurance and  
12 quality control standards, to ensure that the data  
13 generated by the county can be incorporated into the  
14 USGS regional ground water model, upon which relies  
15 DOE's total system performance assessment.

16 The total system performance assessment is  
17 as we know central to DOE's application to the NRC for  
18 a license to construct the repository. That is our  
19 program in short, and Mike King will give a  
20 presentation providing the committee with an update on  
21 our recent research.

22 CHAIRMAN GARRICK: That's fine.

23 DR. WEINER: I will take this opportunity  
24 to announce that the viewgraphs from this  
25 presentation. You have a CD that we have, and of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 course the transcripts are available on the web.

2 MR. KING: Right. We apologize for not  
3 having any handouts. It was a matter of doing a  
4 presentation and catching an airplane, versus the  
5 printouts.

6 So we will leave a CD of our presentation  
7 for the board, and then you can always e-mail us at  
8 Hydrodynamics@ourconnect.com, and you can see me  
9 afterwards, and we can make sure that anyone that  
10 wants a copy can have one.

11 This presentation is similar to a  
12 presentation that we gave to the Nuclear Waste  
13 Technical Review Board. It is different in that we  
14 have completed a more thorough evaluation of the  
15 geological framework model of the Southern Funeral  
16 Mountain Range, and we have revised our ground water  
17 flow model through the Southern Funeral Mountain Range  
18 based on those results.

19 So some portion, if there are members from  
20 that board here, may see some of the same materials.  
21 As Andrew had indicated, Inyo County is obviously  
22 concerned like many other counties with radionuclide  
23 transport through the -- and in our case the lower  
24 carbonate aquifer system into Death Valley, and we  
25 think that is the most likely conduit for contaminate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 transport.

2 The second item though that has importance  
3 to the repository is this degradation of the upper  
4 gradient in the lower carbonate aquifer in the  
5 Southern Funerals.

6 Now, this has also implications in terms  
7 of impeding radionuclide transport from Yucca Mountain  
8 into this hydraulic system. Next slide. Let me try  
9 and characterize the problem. Of course, we had the  
10 Yucca Mountain repository up in this area, and at that  
11 point we have one more hole that indicates the  
12 presence of the lower carbonate aquifer system, a  
13 highly porous carbonate system.

14 It is at a depth of about 6,000 feet below  
15 ground surface, and in this situation is overlaid by  
16 a classic material, the alieno shell. We know that  
17 this carbonate has a significant upper gradient in it  
18 at this point.

19 Further drilling down into the valley,  
20 there was an exploratory bore hole, and that did  
21 penetrate the lower carbonate in approximately this  
22 area. The Nye County drilling program is focused in  
23 this area, and I believe they had one well and they  
24 can address it better than I can, and that may have  
25 penetrated the lower carbonate.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But all of their wells, deeper wells, do  
2 show the influence of an upper gradient possibly from  
3 the lower carbonate aquifer system. We then have a  
4 number of carbonate springs in the Furnace Creek area  
5 of Death Valley.

6           So when this geological information was  
7 put into the regional ground water model, a number of  
8 potential flow paths were developed, and they are  
9 indicating that one of the more likely scenarios of  
10 the two models, which one was for the Nevada Test  
11 Site, and the other one for the Death Valley regional  
12 ground water model, was that carbonate waters from the  
13 Yucca Mountain area have a hydraulic connection to the  
14 flows in the Death Valley. Next slide.

15           This is a blow up of the simplified  
16 geologic map of the Southern Funeral Mountain range.  
17 The pink is the payonate carbonate rocks, which is of  
18 interest in our aquifer. We when have some  
19 medisediments, which are basically permeable rocks up  
20 in this area.

21           And to orient you, here is Furnace Creek  
22 Ranch when you come into the park, and where a lot of  
23 the tourist activities are in this area. This is  
24 Highway 190 running through here over to the Death  
25 Valley Junction in this area just to get you oriented.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The Amargosa River flows through this  
2           direction. We are going to talk about three areas.  
3           Area A, which is on the east side of the southern  
4           Funeral Mountain Range; and Area B, which is near the  
5           Travitine Spring area in the Furnace Creek fault; and  
6           then Area C, which is the alluvial discharge fan for  
7           these large carbonate springs. Next slide.

8           The program to this point involved mapping  
9           the surface geology of the Southern Funeral Mountain  
10          Range. Chris Frederick of the U.S. Geological Survey  
11          took the lead on that in incredibly detailed maps.

12          The second element was a geophysical  
13          program to help us locate where we could drill in our  
14          program to tag the lower carbonate aquifer system.  
15          We wanted to make sure that we could reach that point  
16          at a reasonable depth.

17          So our geophysics, and this is a 3-D model  
18          of that interval. We did a number of geophysical  
19          lines in here. As a point, we have four potential  
20          drilling locations on this nods, and the lower  
21          carbonate, which are overlined by tertiary rocks at  
22          the surface.

23          So the Amargosa River is in this area, and  
24          bedrock exposed, and carbonate bedrock is exposed at  
25          this point. So we are trying to see where we can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 drill here to penetrate that lower carbonate. Next  
2 slide.

3 This is just a planned view of the same  
4 slide, and so we are seeing that our potential  
5 drilling areas are here, here, and possibly over here  
6 at the State Line area, where the State Line fault  
7 comes to. Next slide.

8 That was a characterization of Area A,  
9 which is the east side of the Funerals. This is Area  
10 B, which is around the Travatine Spring area, and with  
11 the Furnace Creek fault running through here. We have  
12 exposures of the payload carbonates in the Funeral  
13 range, and then this tertiary rock fill coming off  
14 into this span, with the Texas Travatine Springs.

15 These are some of the larger spring  
16 discharge areas in the Furnace Creek Ranch area, and  
17 represent a water supply to the park. Thus, the  
18 interest in this supply. Economic resources exceed \$3  
19 million a year just in the taxes on the -- hotel taxes  
20 and income coming into the county.

21 So this does have a significant impact if  
22 these resources are lost. Currently we have a -- the  
23 USGS had a shallow well in this area, and we have a  
24 number of geophysical studies through this spring  
25 area, indicating that there was a syncline, and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the spring discharge.

2 Our program allowed us to drill a deeper  
3 hole in that area. Next slide. This is a little  
4 closer detail of the situation here. Here we have the  
5 spring discharge along this thrust fault area, and  
6 then our drilling program, where this is the shallow  
7 USGS hole and this is our deeper hole, which went to  
8 a depth of approximately 1,300 feet below ground  
9 surface. Next slide.

10 Here is the results. The USGS did a  
11 geophysical survey along our study area, which helped  
12 us guide where we would drill. This is the location  
13 of our well, and this is the Travatine Spring, and  
14 notice the stress fault running through here.

15 It is interesting as their profiling came  
16 out almost identical to what we observed in our  
17 drilling. Here we had a confining clay layer, with a  
18 shallow carbonate aquifer, and that supplied water  
19 into this spring area.

20 We also found at depth that there was  
21 another component providing water into this spring.  
22 So what we are trying to do is track how water moves  
23 from the Southern Funerals into this spring system.

24 So by doing a profile through here, and  
25 with this drilling, we have a better characterization.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 One thought is that we could drill a well down here to  
2 better characterize this stress fault.

3 And I believe the Park Service is  
4 completing a well in the wash to figure out again what  
5 the discharge is for further down gradient. Next  
6 slide. Area C which is the Furnace Creek Ranch area,  
7 is composed of a large alluvial fan. This is the area  
8 going towards Bad Waters, and this is the turn off for  
9 the area for Bad Water.

10 To try and get an idea of what the  
11 underflow is below the springs, we had the spring  
12 discharge, and how much water is actually not being  
13 observed or captured by the spring orifice, and water  
14 is coming underneath out into Death Valley where the  
15 salt plants are.

16 So we did a number of geophysical lines  
17 just to do a first characterization, and this is just  
18 our first attempt. Next slide. We did a number of  
19 profiles through here and this is just in one  
20 direction.

21 The method that we used, which is gravity  
22 surveying, shows the deep basin. So we are seeing the  
23 depth to the lower carbonate, which is incredibly deep  
24 in this area, on the order of about 2,000 meters.

25 And there is quite a bit of depth, and we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 also found some fault control in here that would allow  
2 the water or discharge from these springs to be  
3 captured. It is not well shown in this, but in our  
4 final report, we will be able to show you that there  
5 is kind of a (inaudible) structure here, so that the  
6 discharge from these springs goes into a fan, and the  
7 water is collected there.

8           And this is why you have this oasis area  
9 where all the dates are in the Furnace Creek area.  
10 Next slide. Chris Frederick of the USGS has been  
11 mapping this area, and he had a few theories on the  
12 conceptual hydrology as it relates to the geological  
13 framework.

14           What he has found is that there is a  
15 geological material in here that is basically  
16 impermeable. It acts as a dam to flow from the  
17 Amargosa Valley, and into this spring system. Now,  
18 why are we interested in springs?

19           Well, the discharge from these springs are  
20 significant, on the order of 2,000 gallons a minute,  
21 and some of them go up to 1 to 5 cfs total. That far  
22 exceeds any of the local recharge in the area. So  
23 there has got to be water coming through this mountain  
24 range, because you have Death Valley out here with  
25 essentially no ground water source coming in.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So the water has to be coming through this  
2 mountain range, and Chris suggested that there is a  
3 couple of spillways or pathways for this ground water  
4 to flow through is in the Naval Spring area, with an  
5 upper spillway coming into the Texas Travatine Narvara  
6 Springs. Next slide.

7           This is the new material that we have been  
8 working on. Chris thought there was -- he looked at  
9 two different scenarios, and one of them was a shallow  
10 fault system, controlled through the Furnace Creek  
11 Fault, and from the stay at lines on the other local  
12 faulting, which he put that theory forward.

13           So to kind of orient you, here is Navara  
14 Spring, Cow Creek, and there was a seep there, and we  
15 had a salt spring, Creek Spring, and we had the Texas  
16 and Travatine Springs in this area.

17           And then Naval Springs, which is a low  
18 discharge spring in this area. So he is looking at a  
19 spill way coming through his direction to support this  
20 spring flow, and then flow coming from the Amargosa  
21 through this spill way to the north into this system.  
22 Next slide.

23           He revised his model to say, well, what if  
24 these fault patterns are actually of a deep nature and  
25 not a shallow nature. We suggested to him based on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 our geophysics, which showed that the angle on the  
2 faults were incredibly steep and deep in this  
3 situation, approaching near vertical in some areas,  
4 especially over in this district.

5 So again we have the Furnace Creek Ranch,  
6 and the Furnace Creek fault running through here, with  
7 our springs on this side, and then the State line  
8 fault, which doesn't seem to be acting as a hydraulic  
9 barrier for ground water flow.

10 This is the spill way area, and this is  
11 the dam area in here, and so the spill way would be to  
12 the north. Notice that we have a much larger spill  
13 way in this model than we did in the other situation.  
14 Next slide.

15 John Brederhof then took this information,  
16 and he collected spring flow data from starting back  
17 in 1965 to get a reasonable characterization of what  
18 is the discharge from these multiple springs in this  
19 area.

20 They then took and digitized, and modeled  
21 the deep geological framework model. So here we had  
22 this dam, and we had the spillways to the north and to  
23 the south, and what he tried to do was that we had had  
24 values up in this area based on the water tables in  
25 the Amargosa River.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We know what the elevations are of the  
2           spring, and what their discharge rates are. He then  
3           did an analog model or inverse model, and come back  
4           and calculate what the resulting water table would be.

5           What is interesting is that we do indicate  
6           based on this model that it is possible for ground  
7           water to transport from the Amargosa Valley area  
8           through the spillways, and that is what is supporting  
9           the spring flows in this area.

10          Now, what is the implications for Yucca  
11          Mountain? Well, again, geochemistry and other data  
12          suggests in the modeling, and the regional modeling  
13          suggests that it is possible that should radionuclides  
14          get into the lower carbonate over some unknown time  
15          period that they do have the potential for ending out  
16          in the Death Valley Regional System in this large  
17          discharge area.

18          So that is of significant importance to  
19          us. So let's look at the next slide, which is kind of  
20          a summary of what we learned from the model. Well, we  
21          learned that the shallow or fault system didn't work.

22          When we modeled it, the water table  
23          dropped below the bottom of the shallow carbonated  
24          faults. So we had no flow, which helped point us  
25          again to the deeper fault system.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The model was incredibly accurate in  
2 reproducing the spring flows accurately. Well,  
3 obviously if you do the inverse problem and you take  
4 the spring flows, and then you match the model to it,  
5 then it works.

6           Before we had in the earlier models an  
7 unrealistic permeability in transitivity to get that  
8 discharge that we wanted, we found that the discharge  
9 from the springs were much larger than what the Park  
10 Service was actually reporting in their modeling data.

11           And by doing that, we came up with a much  
12 more realistic permeability. So we think that we have  
13 a good understanding. The other thing that we found  
14 is that the model is pretty insensitive to the Furnace  
15 Creek fault, and so it is not acting as a hydraulic  
16 barrier to ground water flow.

17           So although the fault is there, you know,  
18 ground water discharge is across that boundary, and  
19 that is supported with some of our geophysics in the  
20 Southern Funeral Mountain Range, and in the Travatine  
21 area, which is why we wanted to drill in that area and  
22 do geophysics there. Next slide.

23           So what are some of our main issues that  
24 are coming from this research. One, we think that the  
25 lower carbonate aquifer flow path most likely exists

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the Southern Funerals. When they did first did the  
2 regional models, they said, well, we don't have any  
3 data to say that ground water flows through the  
4 southern Funerals.

5 So based on this preliminary work that we  
6 are doing short of the drilling program, which would  
7 be to tag that lower carbonate aquifer, we have a much  
8 better feeling that, yes, it does flow through this  
9 system.

10 What is important to the County and to  
11 Yucca Mountain is this upward gradient. Across that  
12 spillway, we are talking only a hundred foot head  
13 difference.

14 If there is a reduction in the water  
15 table, and the Amargosa on the southern -- the east  
16 side of the Southern Funerals by a hundred feet, it  
17 could significantly impact spring flows in Death  
18 Valley.

19 So this upper gradient in supporting the  
20 water table in the tertiary aquifer systems there in  
21 Amargosa are really important to us. This shows a  
22 hundred foot change, and the 50 foot, and the new  
23 model showed it was more like a hundred foot. So it  
24 was not as sensitive as we originally thought.

25 So it takes a little pressure off the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Amargosa farms area and their pumping, but it is still  
2 something to consider. The other important thing is  
3 this upper gradient is a barrier to radionuclide  
4 transport.

5 There are discussions about utilizing the  
6 more carbonate aquifer as a water supply for the  
7 growth in the Pahrump and Amargosa areas. Any  
8 reduction -- and we are obviously opposed to that  
9 because any reductions in that removes one of the  
10 potential barriers to radionuclide transport into the  
11 Death Valley Region.

12 So from a policy standpoint, this science  
13 is guiding our work, and suggesting that we need to  
14 maintain that gradient. Next slide. Let me summarize  
15 a little bit about what our program is.

16 The program was to drill five wells, three  
17 of them in the lower carbonate aquifer and three of  
18 them on the east side of the Funerals, and one in Echo  
19 Canyon right on the Furnace Creek fault.

20 We are going to drill right into that  
21 fault and see how it is behaving, and try and  
22 characterize if it is a barrier or not to flow, and  
23 how does water move through that mountain.

24 We constructed the Travatine Spring well,  
25 which is great, and we are on our way with that one.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We are also going to be conducting a water balance  
2 discharge study model of the Furnace Creek area.

3 Again, we know what the discharge is from  
4 the springs, and how much is actually not being -- how  
5 much are we missing, and its analysis. So we are  
6 going to be looking at ET analysis and try to come up  
7 with a balance, a water balance. Next slide.

8 Okay. I guess we are done. Good. The  
9 plan right now is because we are in a very sensitive  
10 environment for the Bureau of Land Management in the  
11 Death Valley Park, we got forced into doing an  
12 environmental assessment under the NEPA process.

13 If we were in Nevada, we would just go out  
14 and drill a whole. But this is sensitive, and so that  
15 has delayed our drilling by 6 months. We completed  
16 the wells that are permitted from an environmental  
17 standpoint.

18 We then found that we were going to go  
19 sole source on our drilling because of the experience  
20 of Echo Canyon. Our attorneys have now informed us  
21 that because of the Federal funding mandate that we  
22 have to go out for bid.

23 The bid package should be on the street  
24 before Christmas if we are lucky, with drilling in  
25 January or February. And with Year '03 funding, is it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 adequate to drill the second hole on the east side of  
2 the Funeral. So we will have the Travatine hole, and  
3 the two east side wells into the lower carbonate, and  
4 I think that is important.

5 We are working with Abe, and we thank you  
6 for your support, and the DOE, in possibly getting  
7 adequate funding to drill the third hole on the east  
8 side of the Funerals.

9 The Echo Canyon well will most likely be  
10 drilled with oversight funding with Inyo County and  
11 support from the Park Service as well. There is some  
12 real value to have that bore hole there.

13 These are deeper holes and running in the  
14 2-to-3,000 foot range. So they are of importance. So  
15 I am open to questions.

16 DR. WEINER: Thank you very much.  
17 Questions from the Committee? Dr. Garrick.

18 CHAIRMAN GARRICK: No questions. Thank  
19 you.

20 DR. WEINER: Dr. Ryan.

21 VICE CHAIRMAN RYAN: No thank you.

22 DR. WEINER: Dr. Clarke.

23 MR. CLARKE: You mentioned that your  
24 slides are available on the CD. Are you preparing a  
25 report as well? What is the schedule for that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KING: Well, we would like to prepare  
2 the report when we drill a well on the east side of  
3 the Funerals.

4 MR. CLARKE: I mean, in addition to what  
5 you have already done.

6 MR. KING: I'm sorry, but I had trouble  
7 hearing you.

8 MR. CLARKE: The report on what you have  
9 already done.

10 MR. KING: We will be doing a project  
11 report probably in January or February, and we can  
12 certainly make that available here. Basically  
13 providing the geophysics analysis from our geophysics  
14 and then we are finding that we would like to present  
15 our data under referee journals.

16 One, that it adds to the credibility. We  
17 are following the Yucca Mountain DOE QA program so  
18 that the data can be part of the licensing process.  
19 So any chemical analysis that we do, or the drilling  
20 program, will be under DOE QA.

21 So we find that will be made as part of  
22 the licensing process, and so we made sure that we had  
23 the money in there to make sure that DOE QA  
24 procedures. But the answer is that we don't have them  
25 yet, but we will.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WEINER: Questions from staff?  
2 Hearing none -- oh, I'm sorry. Neil. Excuse me.

3 MR. COLEMAN: Neil Coleman, ACNW staff.  
4 Mike, I know from attending several of the workshops  
5 in Furnace Creek, there have been some studies on the  
6 ground water age, and I wondered if you were going to  
7 incorporate that in the report that you are working  
8 on, and if you were going to do any independent  
9 studies of your own on the ground water data.

10 MR. KING: Yes, we are. Part of the DOE  
11 grant was in part of the Inyo County oversight  
12 program, and it has been a big part since 1998, where  
13 we sampled 27 different high altitude springs through  
14 all of Death Valley, as well as some of the  
15 carbonates.

16 Selected springs samples were analyzed for  
17 radiocarbon dating, and right now we are using UNLV,  
18 the Harry Reed Center, to do that analysis for us. So  
19 we are going to publish that data, because we have a  
20 pretty good geochemistry base, and working with Zeil  
21 Peterman, and his chemical base, and what Klaus has at  
22 UNLV, we think we will have a pretty comprehensive  
23 geochemical analysis to identify the source of the  
24 water. That is where we are headed with it.

25 We are able to separate the surface spring

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 water chemistries from these older carbonate springs,  
2 which again helped us realize that this wasn't local  
3 spring water recharge.

4 DR. WEINER: Thank you. If there are no  
5 further questions, even though we are a little behind  
6 schedule, we have a 15 minute break, and so we will  
7 return at 25 after 10:00.

8 (Whereupon, at 10:10 a.m., the meeting was  
9 recessed and resumed at 10:25 a.m.)

10 DR. WEINER: Our next speaker is Dale  
11 Hammermeister, who will tell us about the Nye County  
12 Early Warning Drilling Program, and I would like to  
13 ask the speakers to please stay within the time limit  
14 to the best of your ability just to give everybody a  
15 chance to answer questions.

16 And, Dale, could you identify yourself and  
17 your affiliation, and tell us who else is going to  
18 speak.

19 MR. HAMMERMEISTER: Sure. My name is Dale  
20 Hammermeister. I manage Nye County's technical  
21 activities regarding Yucca Mountain. Also here today  
22 is Jamie Walker, who is not in the room right now, but  
23 he had better come back. He is a senior geologist and  
24 principal investigator in the area of geology, and if  
25 there are any difficult questions, he will help. The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 next slide, please.

2 I would like to give you some background  
3 briefly. I have not been before the Board, and I  
4 don't think that Nye County has given a talk on  
5 drilling for a while.

6 So very quickly I would like to go over  
7 funding goals and justification, and just describe  
8 some of the wells that we have drilled to date, and  
9 then pick out a few of the more significant findings  
10 and future plans. Next slide, please.

11 Funding comes exclusively from the  
12 Department of Energy, and it started in 1998 with a  
13 cooperative agreement, and the Early Warning Drilling  
14 Program Cooperative Agreement. That was under the  
15 umbrella, or was put under the umbrella of an existing  
16 science program that Nye County had in place, and that  
17 was the Independent Scientific Investigations Program  
18 that was started in 1994.

19 Right now were in the bottom bullet, and  
20 we are in the second year of a 5 year agreement, and  
21 the majority of the activities are associated with the  
22 Early Warning Drilling Program. However, we are also  
23 conducting an important design performance -- design  
24 and performance issues, particularly on ventilation,  
25 and natural ventilation modeling.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And at some time we would like to talk to  
2 the board or the committee, I'm sorry, about that.  
3 And recently, I believe in July, John Walden, who is  
4 a consultant to Nye County, talked to you folks about  
5 EBS water chemistry ranges that can be expected in the  
6 EBS, and I think that was a pretty stimulating  
7 presentation. Next slide, please.

8           The goals of the Early Warning Drilling  
9 Program are to protect the folks that live in Southern  
10 Nye County, and particular Amargosa Valley, and  
11 specifically we are interested in carriage rise and  
12 potential flow pathways between Yucca Mountain, of  
13 course, and Amargosa Valley.

14           We are interested in reducing the  
15 uncertainty in DOE Performance Assessment Models, and  
16 I would like to give the folks in Amargosa Valley a  
17 little more confidence in these performance assessment  
18 models, and finally we would like to work on designing  
19 a ground water monitoring network. Next slide,  
20 please.

21           The justification is a no-brainer. There  
22 was prior to 1998, there was very little data south of  
23 Yucca Mountain, between Yucca Mountain and Amargosa  
24 Valley, where there was drilling, hydrogeological  
25 subsurface data. Next slide, please.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This slide shows the repository up here,  
2           and of course Highway 95 right along here, and there  
3           are or there were some wells, or rather these were  
4           actually seismic holes, and so you can see that there  
5           were few wells south of Yucca Mountain.

6           And there were some wells located around  
7           Lathrop Wells, and Amargosa Farm Wells, but generally  
8           the region was -- there were no wells in the whole  
9           region. Next slide, please.

10           We have drilled holes in four phases since  
11           1998, and each phase corresponded to a year, or up to  
12           a year-and-a-half, and the first phase focused -- the  
13           first and second phases that took place over the first  
14           2 or 3 years, focused along Highway 95, and  
15           characterizing the hydrogeology around Highway 95.

16           We focused in on a couple of locations,  
17           particularly spring deposits were of interest to a  
18           whole lot of folks, and so there were a number of  
19           spring deposits. The slide is so far away that I  
20           can't even point to the right location.

21           We also drilled a carbonated well, and we  
22           actually penetrated the carbonates at Site 2DB, and I  
23           believe it is at this location. The third phase moved  
24           on up into the actual yellow triangles, I believe, are  
25           in the alluvium 40 mile Wash, and would characterize

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the hydrogeology in that area.

2 And the fourth phase, we look directly  
3 south of Yucca Mountain to Fractured Rock pathways,  
4 and this unnamed basin just north of the cylinder cone  
5 and we call this basin Flat Tire Flat. It is not an  
6 official name. It is a Nye County name.

7 And also we have drilled a couple of wells  
8 on the western margin of 40 Mile Wash to look at the  
9 flow from fractured tuffs into alluvium. Next slide,  
10 please.

11 The major activities of the Early Warning  
12 Drilling Program are typical of most large scale  
13 hydrogeologic characterization programs. We drill, we  
14 sample, we log in a geologic log, and construct wells,  
15 and we bore hole, and we connect geophysics surveys,  
16 and lab testing, and aqua pump testing, and ground  
17 water chemistry sampling analysis, and of course water  
18 level monitoring.

19 We are going to talk today primarily about  
20 the first two activities here. There are some backup  
21 slides if you have any questions; and particularly the  
22 data generator from some of these two activities up  
23 here, and how this was incorporated into some  
24 interpretative geologic cross-sections, which we will  
25 get to shortly. Next slide, please.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Our approach, we in fact do have a QA  
2 program in place. It was reviewed by the NRC folks,  
3 which said if we did a good job of following it that  
4 it would probably be okay. Well, we are working hard  
5 to follow it, and we are doing -- I think we are doing  
6 a decent job.

7           Our philosophy has been to share samples  
8 and share data. We share samples with DOE and other  
9 interested parties, these geologic samples and water  
10 samples. We make the data available to the public.  
11 It has been Nye County's policy to put data as rapidly  
12 as possible up on the website.

13           And also we try to get technical reports  
14 out. We put out a recent report on the Phase IV or  
15 rather the Phase III drilling effort, and we are  
16 trying to get a comprehensive report in this winter or  
17 spring out on the Phase IV efforts. Next slide.

18           The first three phases, we focused on the  
19 upper aquifer wells. We generally drilled to 1,500  
20 feet or less, with several exceptions. We used a  
21 variety of drilling methods, but where possible we  
22 used methods that minimize screwing up the formation,  
23 and minimized messing up the actual samples, the drill  
24 cutting samples.

25           And we took a lot of pride in trying to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cost effective and doing things efficiency. When  
2 actually building the wells and constructing the  
3 wells, they were designed to determine a particular  
4 hydraulic radiance, and variations in permeability,  
5 and water chemistry with depth, and how do we do that?  
6 Next slide, please.

7 We drilled a number of smaller diameter  
8 wells, where we would have piezometers, and in this  
9 case what we called dual piezometers. We have well  
10 screens that are basically separated by a grout seal,  
11 and so we have a number of these smaller diameter  
12 wells in place, and piezometer wells in place. Next  
13 slide.

14 We have also drilled a number of larger  
15 diameter wells, where we have multiple screens in a  
16 single well, and we pack these off with westbay packer  
17 systems and are able to sample at different depths.  
18 Next slide, please.

19 Times got hard in 2003, and funding  
20 constraints really caused us to exclusively use in  
21 Phase IV, to exclusively use expiration drilling on  
22 technique, minimal expiration drilling technique that  
23 was used a little bit in previous phases, and we  
24 actually defined some of the actual methods.

25 It is relatively inexpensive, and it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 produces good quality samples, and we can drill fairly  
2 deep, and which we did. So our focus was to drilling  
3 much deeper in this phase, at 2 to 3,000 feet, just as  
4 in the previous phases we collect geologic samples.

5 We didn't complete a well to 2,000 feet.  
6 We actually backfilled and completed a piezometer  
7 screen across the water table in Phase IV. Drilling  
8 and obtaining representative samples and not messing  
9 up the formation is important, and this is the  
10 exploration drilling method that we used. It is  
11 called a dual-wall reverse circulation drilling  
12 method.

13 We have dual-wall pipe shown here, and  
14 here is just a center discharge bit, where it comes  
15 down the outside and goes up the inside. The end  
16 result is that we get very little mixing of geologic  
17 samples, and we get good high quality samples, and we  
18 really don't mess the formation up too much. Next  
19 slide.

20 We collect the samples from the  
21 unsaturated zone and the cyclone separators, and from  
22 the saturated zone, we collect an anocnated wet  
23 spitter, as shown in this slide. Next slide, please.  
24 These slides are getter than all those word slides  
25 aren't they? Not really.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We did collect in Phase IV some collected  
2 core samples using dry core methods. This is  
3 basically just a tube that we beat into the ground  
4 with a percussion hammer. It is not a method that can  
5 be used for continuously coring to get representative  
6 samples over long intervals.

7           It is very expensive and very time  
8 consuming, but we did get the first core ever from  
9 alluvium and 40 Mile Wash, and we realized that we had  
10 to have a little different coring method, and we will  
11 talk about that later. Next slide, please.

12           I want to focus just as I said before on  
13 a couple of cross-sections that were developed, and  
14 the geophysics data that helped locate these cross-  
15 sections and helped maybe interpret these cross-  
16 sections. Net slide.

17           The first cross-section was built primary  
18 from bore holes drilled in Phase III in the lower 40  
19 Mile Wash. Again, this is Highway 95, and this is the  
20 main access to the 40 Mile Wash Channel.

21           We actually forgot to label these cross-  
22 section, but this is an A prime and this would be B  
23 prime. Next slide.

24           Also, I apologize, but this should be  
25 about five times larger in order to understand it, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the top cross-section is along the principal access.  
2 It is paragrallel to the principal access of 40 Mile  
3 Wash, and the B Prime, which sit he second cross-  
4 section down below it, is perpendicular to the cross-  
5 section. This is the east and this is the west,  
6 north, and south.

7 Some features of this cross-section, you  
8 increase silt and clay with depth, and virtually every  
9 bore hole, and on the bottom cross-section that is  
10 perpendicular to the principal access of the wash, we  
11 actually increase in silt and clay, or fine content,  
12 as you move to the east.

13 This latter observation suggests that  
14 perhaps load is focused more in the central part of 40  
15 Mile Wash, at least in the labial aquifer. Finally,  
16 another interesting feature is that the volcanic tuff  
17 rocks, we have only showed the volcanic -- I can't  
18 even read it, but at any rate, it is volcanic  
19 conglomerate, which is located down here.

20 And these volcanic tuffs really change as  
21 you pass or get near the Highway 95 and they really  
22 change into much older rocks, volcanic plastic  
23 sediments, and this is possibly due to the Highway 95  
24 fault, which is a very poorly understood fault,  
25 inferred fault. It runs parallel up the hill a little

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bit from 40 Mile Wash. Next slide, please.

2 We have already talked about this. Next  
3 slide, please. I want to talk about one other cross-  
4 section, and that is in Flat Tire Flat. Again it is  
5 that unnamed basin just north of the cinder cone right  
6 now, and south of course of Yucca Mountain.

7 I believe this well on the south is 28,  
8 and Well Number 16, and then Well 27, the third well  
9 in this cross-section that is showing -- the cross-  
10 section line that is shown here. Next slide, please.

11 Jamie located -- actually Jamie Walker,  
12 who as I said was our principal geologist located the  
13 wells, and based on some geophysics survey data, and  
14 specifically aeromagnetic survey data, that was  
15 produced by the U.S. Geological Survey, but under sort  
16 of a joint agreement, funding agreement, between Clark  
17 County and Nye County, who funded the U.S. Geological  
18 Survey to conduct his data.

19 And this proved to be one of the better  
20 projects of Nye County, and it has really helped us  
21 direct drilling and helped us understand a little more  
22 of the complexity of the subsurface geology.

23 At any rate, the aeromagnetic data, if we  
24 do see anomalies, or lineaments, they may be related  
25 to faults that off-set shallow volcanic units, and/or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they may be related to strong and magnetic basement  
2 rocks, and/or a whole host of other things. But any  
3 way let's look at some of the aeromagnetic data. Next  
4 slide, please.

5           Again, this is produced by the U.S.  
6 Geological Survey. The delineations or the anomalies  
7 were drawn in by the U.S. Geological Survey. The  
8 cross-section is shown right here, and I want to focus  
9 in, as there are some northeast trending anomalies,  
10 and Jamie located the first two wells.

11           The southern most wells in this cross-  
12 section line are on either side of the anomaly.  
13 Again, it might be a fault, and are interested in  
14 looking at the rocks on either side of this.

15           And 27 was located just at the south of  
16 this strong east-west feature. By the way, we have  
17 three of these, one corresponding to possibly the  
18 Highway 95 fault, and this feature that passes through  
19 or near this cross-section that we are talking about,  
20 and then another very deviated, deep-seeded feature  
21 here just south of Yucca Mountain.

22           Getting back to the actual cross-section  
23 line, there is a couple of planned bore holes that are  
24 on the north side that we unfortunately ran out of  
25 money, and were not able to drill, but hope to drill

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some day soon.

2 Let's look at some other geophysical data.  
3 Let's look at the gravity data that the USGS has  
4 produced. Next slide, please. This is the gravity  
5 data, and this is depth to basement rock with this  
6 cover legion here, and what this is actually showing  
7 -- and again this is Highway 95.

8 This is the Crater Flat Basin, and this  
9 deep, extremely deep basin, is in some cases as deep  
10 as 3, 4, or 5 kilometers deep. And on top of that is  
11 overlaid these aeromagnetic lineaments shown as the  
12 lines.

13 Again -- I have got to get glasses.  
14 That's all there is to it or change my slides. The  
15 cross-section line that is shown here, and Jamie was  
16 interested in looking at the rocks, and at the edge of  
17 this precipice, this basin that drops off into never-  
18 never land here.

19 So, anyway, that was some of the logic  
20 behind the location of those wells, and bingo, we got  
21 lucky. Next slide, please. This is a cross-section  
22 from south to north, and this is Well 28, and Well 16,  
23 and Well 27.

24 We see over in the northern part of this  
25 cross-section, we see the complete package of volcanic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rocks that exist around Yucca Mountain. The Timber  
2 Mountain tuffs, the Paintbrush tuffs, and the Crater  
3 Flat tuffs down at the bottom here.

4           However, over here we see something very  
5 much different, and this well in the south penetrated  
6 -- I should say the Crater Flat tuffs, or the upper  
7 Crater Flat tuffs are absent over here. They  
8 disappeared, and we actually go into the bottom of the  
9 Crater Flat tuff member, the tram unit.

10           And this is at about 1,300 feet, and we  
11 penetrate the tram over here. But over in this well,  
12 we penetrate the tram at about 2,800 feet. There is  
13 roughly a 1,300 or 1,400 foot difference in the tram  
14 location over here and here.

15           Also, when Jamie drilled this hole, it was  
16 the most god-awful gooey stuff. It is highly  
17 weathered clay, very difficult to drill, and highly  
18 impermeable, and really, really rotten rock over here.

19           Some of the conclusions that perhaps we  
20 can draw from this cross-section are -- and the next  
21 slide, please. The well to the south is located or is  
22 drilled on the foot wall of a large buried growth  
23 fault down in the very deeps of the basin, and in the  
24 deeper Crater Flat Basin.

25           While the immediate well on that cross-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 section is drilled on the apparent hanging wall, and  
2 the furtherest and most northern-most well is also  
3 drilled on the hanging wall. Next slide, please.

4           Actually, can you go back two slides,  
5 please. Since these rocks are so impermeable, any  
6 water that is flowing in some of these deeper Crater  
7 Flat members, if it is flowing southward and hits  
8 this, which we think is a buried fault, if it hits  
9 this highly permeable rock, it would be actually  
10 diverted or actually focused a little bit into the  
11 actual slide that we are showing.

12           The plane of the slide that we are showing  
13 you is in a southwest direction, and it would not tend  
14 to actually penetrate this very, very impermeable  
15 barrier here.

16           However, north of the water table is much  
17 higher, and the upper most aquifer is not really  
18 affected. Water would continue flowing south. Can we  
19 go ahead two slides, please.

20           We would like to point out some  
21 conclusions from this cross-section. The cross-  
22 section differs significantly from recent USGS  
23 interpretations. We can say that the fault is active,  
24 if present there is active during the deposition of  
25 the Crater Flat and early Paint Brush tuff members.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And I think that we can say -- well, that  
2           it is likely that the fault that we are showing in  
3           this cross-section is related to some of the magnetic  
4           and the gravity data that we saw previously on the  
5           geophysical surveys.

6           And finally there is a likely -- if you go  
7           towards -- down towards the deeper part of the Crater  
8           Flat Basin, there is likely additional faults in  
9           related sub-basins that eventually get you to the  
10          bottom of the Crater Flat Basin. Next slide, please.

11          I would like to talk just briefly about  
12          these two other wells that were drilled here on the  
13          western margin of Forty Mile Wash. Next slide. The  
14          northern most well that I just showed you, it may be  
15          in a somewhat similar location as the southern most  
16          well in the previous cross-section.

17          That is, on the foot wall of a perhaps  
18          syn-volcanic fault. Again, the upper Crater Flat  
19          members are missing, and this time we hit the -- we  
20          are missing the Calico and the Propass, and we  
21          actually -- right underneath the alluvium, we actually  
22          hit the Bull Frog member, and the older rocks, the  
23          pre-Crater Flat tuff rocks underneath, we hit at a  
24          relatively shallow depth of 700 feet.

25          So perhaps this well also is located on --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as I said, it may be in a similar stratigraphic  
2 position to the well in the previous cross-section.  
3 However, it is really difficult to draw any cross-  
4 sections in this region because the wells are of a  
5 different depth, and there is a lack of continuity of  
6 units, and we are not ready at this time to draw a  
7 cross section.

8 I won't even talk about 29. It was a  
9 bust. We made it to 790 feet, and we could not go any  
10 further. However, we did hit Topopah Spring -- I'm  
11 sorry, we did hit the Topopah and Achieva Canyon in  
12 this well, and we actually lost the well in a pre-  
13 Topopah, and we weren't able to go any deeper.

14 There is one conclusion though at the very  
15 bottom, is that these results that we have been  
16 looking at recently suggest that buried faulting may  
17 be more complicated than previously expected. Next  
18 slide, please.

19 We have already talked about flow  
20 focusing, and these are some of the major findings  
21 that I just put down. We talked about flow focusing  
22 in 40 Mile Wash due to textural and permeability  
23 contrasts. We talked about a buried fault and  
24 possibly the effect that this may have on flow paths.

25 Some other major findings is that we found

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the permeability of the alluvium. We have done  
2 aquifer tests, and the permeability of the alluvium  
3 underlined volcanic aquifers, can be extremely high.

4 It is a very general statement, but it is  
5 true. Upper hydraulic radiance that Mike King had  
6 mentioned that we found along Highway 95 and up the  
7 gradient of Highway 95 are generally from the deeper  
8 to shallower aquifers. That is correct.

9 And finally this is not really -- and it  
10 is maybe a methodology kind of conclusion or finding.  
11 We found that particle distributions in saturated  
12 alluvium differs significantly from drill cuttings and  
13 core samples.

14 The alluvium drill cutting samples get  
15 ground all to heck when you are drilling below the  
16 water table, and we have decided that the only way we  
17 are going to get any reasonable estimates of what the  
18 subsurface looks like below the water table is the  
19 core, and we will talk about this year. Next slide,  
20 please.

21 In the many years of our grant, we have 3  
22 or 4 years left in our 5 year agreement with the  
23 Department of Energy. We are in the process right now  
24 of constructing a sonic bore hole, where this will be  
25 the first continuous core hole, and sonic methods can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 produce reasonably undisturbed material.

2 It does disturb sonic methods due to the  
3 density and porosity of material, but generally the  
4 laying is intact. So we actually started in yesterday  
5 a sonic core hole, and we plan to drill 300 feet of  
6 continuous core from the alluvium.

7 And also we soon plan -- and we are  
8 already to go to conduct tracer tests in alluvium at  
9 a site, at Site 22, which is several miles up from  
10 Highway 95, and up 40 Mile Wash, and all permits are  
11 in place.

12 And we are just awaiting funding, and if  
13 funding comes through, then we will conduct a cross-  
14 hole tracer test, and single hole tracer tests at Site  
15 22.

16 As you know the Department of Energy has  
17 been shut down at the alluvium testing complex, or as  
18 you may know, and they were not able to complete their  
19 cross-hole tracer tests. And Nye County is very much  
20 interested in this data, and also is of interest to  
21 the State, and to all folks that are involved in this  
22 whole effort.

23 We will in the future would like to  
24 conduct more airborne geophysical and surface  
25 geophysical survey data to help us focus our drilling

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 program. Again, the aeromagnetic survey that was  
2 conducted with Clark County's help and USGS actually  
3 did the work, it has been extremely important.

4 How much more airborne stuff we do really  
5 depends on the success of the -- if the juxtaposed is  
6 going to be done, the airborne juxtaposed is going to  
7 be done by the folks that are working on the volcanic  
8 intrusion issues.

9 We also want to construct a lot more  
10 wells. We like to drill wells and we are good at it,  
11 and there is a lot more information that needs to be  
12 obtained and we would like to construct 30 or more  
13 additional vertical wells. Next slide, please.

14 We would like to continue ground water  
15 monitoring of water levels and water chemistry as part  
16 of our program, and we have not even talked about that  
17 we don't have time.

18 And we would like to move up the hill and  
19 conduct another tracer test, and if we could pull this  
20 off, we can do a decent job of the alluvium, and we  
21 would like to do in the fractured rock, which is  
22 closer to Yucca Mountain, Site 18, which you don't  
23 have a map, but it is closer.

24 And we have not convinced people to do  
25 this. We have not got funding for this, and so we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have not convinced the interested parties, all the  
2 interested parties that it is worthwhile to do.

3 And we would also like to construct and  
4 test horizontal wells up to 5,000 feet long. We would  
5 like to -- clearly the petroleum industry is doing  
6 this routinely, and there is no reason why we couldn't  
7 do it at Yucca Mountain, and we would love to  
8 intersect a lot of those vertical features that exist  
9 out there, the geologic features.

10 And we just have got to do this. We have  
11 got to convince people to do it. The only problem is  
12 that it costs an awful lot of money, and money has  
13 been short recently.

14 And finally we would like to do some large  
15 scale aquifer tests in wells spanning the fall  
16 systems. Clearly the falls systems are important,  
17 whether they are barriers or whether conduits. We  
18 have got to understand more about the system.

19 I can say in summary that we are just  
20 beginning to understand how complex things are, and  
21 mother nature is always difficult. We have a lot of  
22 work to do to really understand the flow systems from  
23 Yucca Mountain. Next slide, please. Do we have time  
24 to talk about the sonic core, or should we just open  
25 it up for questions?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WEINER: If you don't mind, I would  
2 like to open it up for questions. I want to thank you  
3 for absolutely zooming through those slides with the  
4 speed of light. Questions? Dr. Garrick.

5 CHAIRMAN GARRICK: Well, really only one  
6 question. From a standpoint of findings, and if you  
7 can offer this in a succinct sentence or two in one  
8 minute, what do you consider to be the most  
9 significant findings relative to the capability of the  
10 mountain to contain radioactive material?

11 And I realize that the emphasis is on flow  
12 paths and transport, but how does it boil down in your  
13 mind in relation to the performance of the mountain?

14 MR. HAMMERMEISTER: I am not sure that the  
15 --

16 CHAIRMAN GARRICK: Well, maybe another  
17 way.

18 MR. HAMMERMEISTER: I understand what you  
19 are saying. It is just that the Department of  
20 Energy's performance assessment analyses have shown  
21 that the saturated zone doesn't really make that much  
22 difference, the actual pathways.

23 It is important to Nye County whether the  
24 contaminants get there in 2000 years or 10,000 years.  
25 That is important to Nye County folks, but it is not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 important to the Department of Energy.

2 So the progress that we have made on  
3 perhaps potential fast pathways, the importance of  
4 water moving in fractures and in faults, I think that  
5 is really important.

6 Jamie, can you add anything to help me out  
7 here?

8 DR. WEINER: Could you use the microphone  
9 and identify yourself for the reporter?

10 MR. WALKER: I am Jamie Walker, and I work  
11 with Dale Hammermeister as a geologist on the Nye  
12 County Early Warning Drilling Program. I never really  
13 thought about that question before and I don't think  
14 that my expertise could really answer that.

15 CHAIRMAN GARRICK: Well, maybe just to  
16 characterize the question just slightly different. I  
17 don't want to dwell on it. If not from the point of  
18 view of the performance of the repository, what have  
19 been the principal surprises in your work with respect  
20 to findings?

21 MR. HAMMERMEISTER: The complexity of the  
22 system, Jaime.

23 MR. WALKER: I would say that the  
24 complexity of the flow system to the south end, both  
25 in 40 Mile Wash and in the volcanic aquifers to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 south of the mountain, those are perhaps the largest  
2 surprises.

3 For example, the Stage 4 drilling where we  
4 are showing the varied growth faults and the nature of  
5 that system, and make generalizations about the flow  
6 system probably less valid than they are.

7 MR. HAMMERMEISTER: And we have almost  
8 come to the conclusion that we may have to drill -- to  
9 really understand this system, we may have to drill in  
10 a grid system almost. It is a very, very complex well  
11 system.

12 CHAIRMAN GARRICK: Okay. Thank you.

13 DR. WEINER: Mike.

14 VICE CHAIRMAN RYAN: No, that was a good  
15 answer for me. Thanks.

16 MR. HAMMERMEISTER: Thank you.

17 DR. WEINER: Jim.

18 MR. CLARKE: Dale, just a couple of  
19 questions John mentioned the flow paths when they  
20 came up, and it strikes me -- and by the way, there is  
21 really a lot of really good information here. It is  
22 going to take a while to digest, but it strikes me  
23 that it would be good to superimpose the existing flow  
24 paths or at least where those flow paths are believed  
25 to be through your transsects.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           You have got two very different  
2           linethologies that you have tested. So I guess one  
3           question would be is to what extent do the predicted  
4           flow paths today go through those geological  
5           formations?

6           And, secondly, is there anything that you  
7           have done that would impact on those flow path  
8           predictions? That is one line of questioning.

9           MR. HAMMERMEISTER: Well, some of our  
10          water level data -- and, Jamie, please jump in will  
11          you -- suggest that the flow paths to the south  
12          through Flat Tire Flat may -- you know, that may  
13          actually occur from Yucca Mountain. Do you want to  
14          add to that, Jamie?

15          MR. WALKER: Well, I think the first part  
16          of the question was whether the flow path matches what  
17          we are seeing.

18          MR. CLARKE: Well, to the extent to which  
19          they intersect the transects that you have defined.

20          MR. WALKER: In the alluvial cross-  
21          sections that Dale put up, the current flow paths are  
22          essentially staying in that western part of 40 Mile  
23          Wash. They seem to match.

24          Now, there is no flow path recognized in  
25          the Phase 4 area, and in that rock section that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 show, although I think the jury is still out on that  
2 as far as whether there is any flow directly south.  
3 Most models do not show that, of course.

4 But we were looking at that from some  
5 recommendations from structural geologists,  
6 recognizing that if the north-south faulting patterns  
7 that we see do focus any flow, and the flow does not  
8 go southeast from Yucca Mountain, but truly south,  
9 that maybe we should be looking at that area. I hope  
10 that answers the question.

11 MR. HAMMERMEISTER: Also, we have a square  
12 raised resivity program et to go with the -- it has  
13 been set to go for a year with the U.S. Geological  
14 Survey to look at the flow paths on the western edge  
15 of 40 Mile Wash, and flow paths out of the volcanos,  
16 which is sort of the standard cluster of flow paths  
17 that are coming out of the volcanics into the alluvium  
18 in 40 Mile Wash.

19 We are looking at that a lot more closely  
20 with the square radius resivity technique that should  
21 help us at least look at the contact between saturated  
22 alluvium and saturated volcanic rock. At least we  
23 should be able to get at that contact a little bit  
24 better. It is a good question, but we didn't answer  
25 it very well.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CLARKE: And just another quick one.  
2 You are planning on doing transport studies of both of  
3 those methodologies?

4 MR. HAMMERMEISTER: Yes.

5 MR. CLARKE: KDs and --

6 MR. HAMMERMEISTER: Right. And with the  
7 sonic core hole we are drilling right now, we plan to  
8 do hydraulic tests and we have offered to share -- we  
9 are going to repack these core samples and it is a  
10 very small scale kind of test, but we will send them  
11 off to Los Alamos if they are interested.

12 And Los Alamos has been doing most of the  
13 transport parameter stuff on geologic material. But,  
14 yes, we do plan to do tracer tests, larger scale  
15 tracer tests, in both methodologies.

16 MR. CLARKE: Thank you.

17 MR. HAMMERMEISTER: Thank you.

18 DR. WEINER: Sher.

19 MR. BAHADUR: I have one question on your  
20 Slide 30, where you summarize the major findings. And  
21 what I am defining is that the second bullet says the  
22 upward hydraulic radiance generally observed from the  
23 deeper to shallow aquifer. How do you think this  
24 would influence the effect of repository in the area?

25 MR. HAMMERMEISTER: Well, it certainly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would keep the connect contaminants near the upper-  
2 most aquifer I would think, because we see these  
3 gradients, although they decrease significantly as you  
4 get into more permeable material as you come up from  
5 the more deeper rocks, and as you come up in the  
6 system.

7           There appears to be an upper hydraulic  
8 radiance in most of the areas that we looked at so  
9 far, except right along 40 Mile Wash, where there may  
10 be some evidence of ephemeral recharge, or a recharge  
11 from ephemeral flows that occur there.

12           There may be some slight downward  
13 gradience right around the principal axis of 40 Mile  
14 Wash. It would definitely keep or help to keep  
15 whatever contaminants that leave Yucca Mountain, it  
16 would keep them in the upper Aquifer, and that is  
17 nice, and I guess we all agree with that. It helps to  
18 limit the spread of the contaminants. It would make  
19 Mike King happy.

20           DR. WEINER: Any further questions from  
21 the staff? Hearing none -- yes, I identify yourself  
22 for the recorder.

23           MR. HUDLOW: I am Grant Hudlow. John  
24 asked if there were any more surprises on your Slide  
25 24, and --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WEINER: Excuse me, but could you  
2 identify your affiliation, please.

3 MR. HUDLOW: I am the CEO of Allied  
4 Science, Incorporated.

5 DR. WEINER: Thank you. On Slide 24,  
6 there shows a deep hole right there at Lathrop Wells,  
7 and that yellow spot down there at the intersection.  
8 The USGS did a study, and unfortunately that is the  
9 top end of their study, and that is the end of a  
10 compression fault that goes clear down through the  
11 Amargosa Valley, and clear down through Pahrump, and  
12 it stops down around where the Toporah Road crosses  
13 Pahrump.

14 And right at that point at Lathrop Wells,  
15 there is a spring that discharges into the alluvium,  
16 about 2,000 meters deep, and it is 5, 6, 7,000 acre  
17 feet a year.

18 And it comes out of the carbonate. So  
19 that provides about half of the water for the Amargosa  
20 Valley, and with a complex system where they are  
21 drilling up there, heaven only knows what it does,  
22 because the Alluvium has layers of impermeable rock  
23 that is a conglomerate, I guess.

24 So the stuff moves around in all different  
25 kinds of directions, and it is hard to say what it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would do up in there, but that was a major surprise  
2 for this whole system.

3 DR. WEINER: Thank you very much. Having  
4 no further questions from staff, I will turn it over  
5 to the Chairman.

6 CHAIRMAN GARRICK: Thanks, Ruth.  
7 Excellent. All right. This committee has been told  
8 many times about the value of analogs in evaluating  
9 the performance of geologic units in areas and  
10 regions.

11 And recently there was an important  
12 workshop on that subject, and we are going to hear  
13 about it from John Kessler. The only thing I would  
14 say to John since I know him is that I would greatly  
15 appreciate it if he would compress his 45 minute  
16 presentation into approximately 30 minutes.

17 MR. KESSLER: Okay. I had it for 30  
18 minutes to give you time for questions. All right.  
19 Let's roll it. First of all, what is an analog.  
20 There is lots of definitions out there. I have got a  
21 couple up here.

22 From something more specific in terms of  
23 the occurrence of materials and processes that  
24 resemble those expected in a proposed waste  
25 repository, and provides information or behavior, or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 any natural system that provides a warm, tummy feeling  
2 in terms of a more subjective thing.

3 We talked about all three potentially  
4 being something that you would use as an analog,  
5 depending on its use. In terms of what EPRI's  
6 interest is in analogs, we recognize that some sort of  
7 analog information is going to be provided to support  
8 the repository total system performance assessment  
9 models.

10 The NRC expects and they made that clear  
11 in the workshop, that DOE will provide some analog  
12 work in their potential Yucca Mountain license  
13 application.

14 One of our concerns going into the  
15 workshop was that there are a lot of expectations  
16 around the use of the analog information. Sometimes  
17 -- in some parties there may be too much expectation  
18 that you are going to get huge amounts of quantitative  
19 information out of analogs, and sometimes too little,  
20 and that they are really worthless.

21 That there is no analog. You get the  
22 idea. There, we are concerned about the appropriate  
23 use of analogs. So we were interested in exploring  
24 how that analog information could be used optimally  
25 and appropriately.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           For example, in the development of models  
2           or simply in multiple lines of research. So back to  
3           this question of what is a natural analog. It is in  
4           the eye of the beholder perhaps. It does depend on  
5           your expectations and interests of the audience.

6           More importantly, it depends on the  
7           application, and I am going to get into that a little  
8           bit briefly, but it is different in the sense that if  
9           you are doing features, events, or processes,  
10          screening of models, you may have almost -- any  
11          natural system can help you get some idea of what  
12          process it is at, and what features there are.

13          And therefore your criterion for what  
14          constitutes a good analog may be a lot looser if you  
15          are looking to just try to identify what processes or  
16          models there are. On the other hand, if you are  
17          looking for something that is very much performance  
18          assessment specific, you may have to look at a subset  
19          of that huge number of options, in terms of analogs  
20          out there.

21          Perhaps the regulator is interested in  
22          those and perhaps the general public is interested in  
23          all of them, and the workshop that we did here from  
24          Tim McCartin, that the regulator is interested in all  
25          of them as well, and not just the ones that are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 specific to the model.

2 Analog information, in essence, why are we  
3 after this. Well, we are looking at things that get  
4 the time scales of interest for these problems. So  
5 you can look at different kinds of analogs that span  
6 the time scale.

7 Starting on the left here, here is a  
8 uranium glass I think from bohemia from about a  
9 hundred years ago, and maybe a little longer. Some  
10 Roman helmets that were buried, and then you get into  
11 some archeological evidence from maybe a thousand  
12 years ago, and then of course geological evidence.

13 So analogs can work on different time  
14 scales that might help you. How can analogs be  
15 applied to performance assessments. This idea of can  
16 we match performance assessment requirements with  
17 natural analog information, and maybe you want to put  
18 one on the other side, in the sense can you come up  
19 with natural analog information that develops  
20 performance assessment requirements.

21 We talked about the chicken and egg of  
22 which comes first, your analogs or performance  
23 assessment requirements. Next view graph, please.  
24 One of the things that we had in the workshop was  
25 analog uses and performance assessment outside the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 U.S.

2 We specifically invited people from  
3 outside the U.S. to come in. The leader of the  
4 workshop was Bill Miller from Envirus Consulting U.K.,  
5 who was managing some European Commission funded work,  
6 and one of the things that Bill was talking about was  
7 in these non-U.S. performance assessments, analog  
8 information was used in terms of developing concepts,  
9 and all of them used some data, and in some cases they  
10 used testing.

11 And that represents the majority of the  
12 European efforts, as well as I think there is a  
13 Canadian one up there. We spent quite a bit of time  
14 in the workshop talking about this particular  
15 conceptual flow chart, in the sense that as you  
16 develop a performance assessment, you start with your  
17 disposal concepts, and then you work through your  
18 features, events, and processes, and EFEPs is external  
19 FEPs.

20 You develop scenarios and you start to  
21 develop conceptual models, and then you get your math  
22 model that you feed in with data, including the  
23 uncertainties. You develop the results, and then you  
24 interpret.

25 Well, what we talked about was where can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analog information feed into these various stages of  
2 development and performance assessment. And we talked  
3 that certainly at the up front end that there are a  
4 lot of opportunities, at least in terms of identifying  
5 what features, events, processes might occur from  
6 analog systems, and at what time scales they occur,  
7 and there is a lot of information.

8           When you get down into developing data and  
9 uncertainties. The quantitative information tends to  
10 be more in the sense of, well, it probably can't be  
11 any worse than, or more of a bounding approach using  
12 data.

13           And it also gives you some sort of range  
14 of your uncertainties that you might use. Next view  
15 graph, please. So the goals of the workshop were to  
16 explore the ideas and potential approaches, and I want  
17 to make it clear that we were not attempting to reach  
18 consensus.

19           We had a diverse group, which was very  
20 helpful, and we just wanted to discuss these issues.  
21 We discussed what made a good analog, and the  
22 different criteria for the different uses that I have  
23 sort of walked you through already.

24           We examined both the U.S. and  
25 international approaches to the use of analogs, and I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will talk a bit about the international ones, and I  
2 leave it to others to talk about the U.S. approach,  
3 and there is certainly a lot here.

4 But remember that this was sort of the  
5 general application, and we definitely avoided trying  
6 to in a sense name names. We wanted to avoid  
7 specifics. To explore potential analog roles, such as  
8 informal decision making, and such as repository  
9 licensing, or just in confidence building, and those  
10 are sort of the general goals of the workshop. Next,  
11 please.

12 So things that weren't goals, such as  
13 achieving consensus, we were after open discussion,  
14 and as I mentioned examining specific analogs, or  
15 passing judgment on them, was not something that we  
16 tried to do in the workshop.

17 So we tended to keep the discussion more  
18 general. Next, please. In terms of the workshop  
19 agenda, we set the scene a bit, in terms of a general  
20 discussion about the uses and limitations of analog  
21 systems.

22 Abe van Luik gave a presentation of the  
23 DOE Yucca Mountain analog program. David Pickett from  
24 the center talked about the NRC approach to analogs.  
25 Then we had a couple of talks on international

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 perspectives.

2           There is a European commission, NANet,  
3 that I will talk about in a minute. SKB in Sweden had  
4 a different approach to natural analogs and was  
5 discussed by Patrick Selin, and finally CSN, the  
6 Spanish regulator, funded some work on collecting and  
7 presenting analog information that will also go  
8 through, because it was quite interesting. Next view  
9 graph.

10           Also on the agenda, John Stuckless talked  
11 about the USGS work, and Mick Apted and Ben Ross, who  
12 were being funded by EPRI, talked about two particular  
13 analog projects that they are working on related to  
14 volcanism.

15           And then we sort of ended with a review of  
16 the Yucca Mountain licensing process and those  
17 opportunities for using analog information was done by  
18 Bob Bernero.

19           And there was a general discussion sort of  
20 all through the meeting. I was quite open. Just to  
21 give you an idea of the participants that were  
22 involved, we have quite a diversity there. From your  
23 shop, I guess, on his last day on the job, Milt  
24 Levenson was at the workshop and we really appreciated  
25 him being there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           As I mentioned, Tim McCartin from the NRC  
2           and David Pickett from the Center, represented sort of  
3           your side of the life there. Next viewgraph, please.

4           The main themes here, and I want to talk  
5           about themes, because I want to avoid using the word  
6           conclusions, but these were sort of topics that we  
7           sort of kept coming back to.

8           And these might approach what you call  
9           consensus, but again that is not what we were trying  
10          to achieve, and so I will call it a theme. The use of  
11          analog information should be part of a toolkit used to  
12          form the technical basis for the evaluation.

13          And what we mean by toolkit here is this.  
14          Everything that you use to develop and support your  
15          models. Laboratory studies, which tend to be small  
16          and space time scales, and the repository site  
17          investigation, the models, and analog information.

18          So analog should be considered just part  
19          of that whole kit, and not something separate. And we  
20          discussed in the workshop that the use of analogs is  
21          often not part of the main stream. There was  
22          discussion about the fact that there is reluctance  
23          sometimes of modelers to directly incorporate analog  
24          information.

25          Again, they are looking for that really

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 quantitative stuff, and if they don't see the  
2 quantitative stuff, they don't really see the value.  
3 Of course, I am exaggerating a bit, but that has  
4 tended to limit how analogs are used or even  
5 documented in studies.

6 Analog studies often are conducted  
7 separately. That is, they are not part of a focused  
8 effort to develop and test models, and hence they  
9 sometimes are a little out of focus if you are looking  
10 for very specific uses of them. Next view graph.

11 Continuing with the themes, analogs have  
12 great potential to provide qualitative input. As I  
13 mentioned earlier the body of analog information is  
14 out there, and it really underpins all the basic  
15 sciences, and as technical people walk around with  
16 thousands of analogs in our head that form our  
17 conceptual approaches in models, and really forms the  
18 basis of science, and sometimes that is not  
19 recognized.

20 I know that it sounds pretty general or  
21 squishy, but some of this can be documented to provide  
22 additional measures of confidence. More specifically,  
23 analog sites indicate which processes might occur.

24 Hence, you should consider including  
25 particular processes. Next view graph, please. There

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is an expectation by some that analog information is  
2 only useful if it can be used quantitatively.

3 And when it is used quantitatively, we  
4 talked about the fact that quantitative information  
5 requires careful comparison to the site to make sure  
6 that it is a good analog. We talked about what is a  
7 good analog.

8 We also discussed a potential problem with  
9 the big international efforts and that the work scopes  
10 were not always well defined for significant  
11 quantitative use later on.

12 That they almost came like let's go out  
13 there and see what we can see and then figure out what  
14 to do with it later. And that tended to be or to  
15 cause some difficulty in terms of their actual and  
16 even more quantitative use.

17 In practice quantitative information from  
18 analogs is used more to bound some processes and it is  
19 used in very specific processes only in general terms  
20 of when it is used quantitatively.

21 And in those cases it requires a more  
22 careful collection of the appropriate analog  
23 information. Next view graph, please. We also talked  
24 about analog information being used to not only  
25 support, but to challenge, models. That is, there is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a lot of discussion about don't just pick models that  
2 your conceptual model is.

3 But look at all the analogs that might be  
4 relevant and use those, the body of the analogs, to  
5 challenge or to evaluate your model. So we talked  
6 about a variety of analogs that should be used and  
7 those analogs that don't seem to support the models in  
8 TSPA need to be discussed.

9 If you want to defend a particular model,  
10 and you have got some potentially counter-looking  
11 analogs, you have to define, well, why isn't that  
12 relevant, or what does that mean in terms of your  
13 confidence in that model. Next view graph.

14 There was a lot of interest in the meeting  
15 about collecting analog information in one place, and  
16 giving a -- I call it an approachable format, and I  
17 will talk briefly here about two European efforts that  
18 were thought to be of high potential value to the  
19 world industry so to speak in terms of a use of analog  
20 information.

21 There were two European efforts that were  
22 presented at the workshop, the NANet, which is Network  
23 to Review Natural Analog Studies, and the CSN study as  
24 I mentioned. Next, please.

25 In the NANet study, it is a two year study

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that began this year, and to be completed at the end  
2 of next year. Its aims are listed here; review past  
3 and present uses, and promote more considered  
4 applications, and for future safety assessments, and  
5 public communication, and derive added value from  
6 previous analog studies.

7 Next, please. I am not going to read  
8 through this, but you get an idea of what is in that  
9 database and the different kinds of analogs. We have  
10 got industrial, and we have got archeological,  
11 geological, and they tried to compile that, and that  
12 was discussed in the workshop. Next, please.

13 Unfortunately, there is a lot on here from  
14 this great distance, but this was actually one of  
15 which we felt was one of the most useful things about  
16 these two studies, both the CSN and then the NAnet  
17 study.

18 In the sense of how can you organize your  
19 analog information to see how it could actually be  
20 applied. So sort of the X-access here, you have your  
21 repository system components. You know, the actual  
22 pieces of it.

23 Remember that this is for a generic site,  
24 and so it is not Yucca Mountain specific. So they  
25 have glass waste form, spent fuels, cement, bitumen,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and different package types, buffer and backfill in  
2 the case of non-Yucca Mountain applications and  
3 different kinds of rock.

4 And down the Y-axis here, they have the  
5 different processes. So if you have got a particular  
6 system component and a particular process, then in the  
7 body of the table here they have listed which analogs  
8 might provide information on that.

9 And in both NAnet and CSN, they want to  
10 use drill downs here, and so you can see that this is  
11 in the blue here, and you can drill under that and  
12 say, well, what about copper for corrosion does this  
13 particular analog provide you. Next viewgraph,  
14 please.

15 CSN was an even larger study that is much  
16 more mature. There is a large amount, and what they  
17 noticed for starting their study was that there is a  
18 lot of literature out there, but it is dispersed all  
19 over everywhere about analog information.

20 They decided to launch their own study for  
21 putting it together, and their goals were similar to  
22 the NAnet study. Next, please. They again, just to  
23 give you an idea of the catalog of information, and  
24 the different kinds of places that they looked and  
25 where they looked. Next, please.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Okay. This one talks about basically what  
2 CSN viewed in terms of how the analog information here  
3 can be fed into different processes, and different  
4 components, and in the particular case of analogs and  
5 processes here, and they have cataloged all of this in  
6 a proprietary database. Next, please. Keep on  
7 pressing.

8           Okay. And then what they have also  
9 developed are sort of one page information sheets  
10 discussing all these analogs, and how they apply.  
11 Unfortunately, they are all in Spanish at the moment,  
12 but we are discussing with them to find a way to maybe  
13 get those into English as well.

14           And they have them both for geological and  
15 archeological information here. Next please. Again,  
16 keep pressing that button. What we have got here from  
17 CSN again is how they put all of that together to  
18 support the various PA stages for the analog studies  
19 here, and I am not going to go through it, but it is  
20 in your handout to give you an idea of how they  
21 organize things. Next slide, please.

22           And then this is the last one that they  
23 yanked from us from the presentation and so I can't  
24 show it to you from here, because this is where it was  
25 really cool.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           They have a huge database that sits under  
2 here, and so you start with a table similar to the  
3 NAnet, where you have the X-axis that lists the system  
4 components, and a Y-axis that lists the relevant  
5 processes, and you drill down underneath with the  
6 analog studies that complete that table. Next,  
7 please.

8           As part of the workshop, and also sort of  
9 separate as an add-on to the workshop proceedings that  
10 are going to come out, EPRI put together a panel on  
11 analogs that also was going to write a bit in the  
12 report that is going to come out soon.

13           And here are a list of the members of the  
14 panel, and as I mentioned, Bill Miller was the  
15 Chairman from Invirus, and I won't go through listing  
16 the names there. But in terms of the tasks of the  
17 panel, it was to provide input at the workshop, and  
18 provide general observations in the workshop, and then  
19 to make recommendations to EPRI on the use of analog  
20 information.

21           After all, we were not trying to achieve  
22 consensus in the workshop, but we wanted to try and  
23 reach some sort of conclusions, and we used the panel  
24 to do that. Next, please.

25           So     some     panel     observations     and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recommendations. Certainly the panel supported all  
2 the major workshop themes that you just saw, and  
3 ideally the performance assessment community should  
4 collectively -- and what we call buying into analog  
5 information right at the start.

6 In the sense that it has value in  
7 underpinning the conceptual models. The repository  
8 developer should integrate analog information with a  
9 normal laboratory and site specific field  
10 investigations; that is, make it part of the toolkit,  
11 and don't make it a separate thing.

12 Incorporate it right in your planning from  
13 up front. And while analog information is useful to  
14 the public, there was a lot of discussion about how  
15 analogs tend to make things more approachable to the  
16 public.

17 The information presented to the public  
18 must first pass muster with the technical community.  
19 What was discussed during the workshop was a concern,  
20 well, you may be using certain analogs to do outreach  
21 to the public, but they really have not gone through  
22 the rigor.

23 And if you want to make sure that the  
24 analog that you use for communication purposes are  
25 good ones. Next, please. In terms of observations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 related to Yucca Mountain licensing, we said that the  
2 potential use of analog information through the  
3 licensing process should not be underestimated.

4           Again, we recognize that the NRC doesn't  
5 formally require the use of analog information, but it  
6 certainly expects that such information be provided,  
7 and it would be at DOE's peril if they came in with a  
8 license application that had no analog information in  
9 it.

10           Multiple audiences are in or around the  
11 licensing process, and not just highly technical  
12 people. Similarly, there is the NRC staff and  
13 contractors, and there is yourself, and there is the  
14 technical review board, and there is the technical  
15 community at large.

16           And then there is going to be at least one  
17 atomic safety and licensing board out there, and there  
18 is one non-technical person usually per board, and  
19 sometimes more than one.

20           Bob Bernero gave us some ideas of where in  
21 the past analog type of information is really  
22 influential in the approaches that some of these  
23 ASLB's took in previous licensing decisions.

24           And then there is the general public,  
25 including the media. Analog information can provide

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 confidence and complex, often less than fully  
2 intuitive, models. That was discussed a lot.

3 When you get into these details models,  
4 you can't really understand how you get the output  
5 that you get, and analogs can help you at least have  
6 some more confidence in those models, or less,  
7 depending on what you have for analog information.

8 So, hence, analog information would be a  
9 great benefit in the higher level licensing documents,  
10 and not just down in the analysis model reports down  
11 below, but the use could be made of how analogs  
12 support the general approaches, and the general safety  
13 of the site.

14 That would be great if that could be done.  
15 Next, please. Okay. So where are we going? We are  
16 going to be generating a report on analogs to be  
17 released in January of 2004, and I understand that it  
18 is going into our publication system this morning.  
19 What will be in it?

20 A summary of the discussion from the  
21 workshop, and again that summary will be without  
22 attribution and talking about the theme and what was  
23 discussed. Making it clear that there was no attempt  
24 at consensus.

25 In another chapter, we will talk about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 observations and recommendations from every panel.  
2 There is a bit on EPRI's views on the use of analogs,  
3 which really just takes the panel's views. There is  
4 a description of some analogs that EPRI is pursuing  
5 that I didn't have time to talk to you about today,  
6 and then there is the summary, and I think that is it.

7 CHAIRMAN GARRICK: Okay. That was  
8 wonderful. Very good. Ruth, do you have any  
9 questions?

10 DR. WEINER: A quick question. Did you  
11 discuss using analogs to actually benchmark models,  
12 like a PA model.

13 MR. KESSLER: To benchmark models? Well,  
14 we discussed it in terms of the quantitative  
15 application. I think that we said that there are --  
16 one thing that I should mention is we said wherever  
17 you look, wherever you turn around, there is a  
18 potential analog.

19 The one that was presented by one of the  
20 EPRI contractors talked about the partitioning of  
21 radionuclides in magma, and so you know what is in the  
22 ash component versus what is in the more liquid  
23 component.

24 And where did he go? He went to the  
25 smelter literature, the metal smelter literature,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because you have got slag, and you have got the liquid  
2 phase, and you have got the right temperatures, and  
3 you have an ash component.

4 And there is lots of data out there that  
5 he collected that gives an indication. That prompted  
6 Milt Levenson to say, oh, yeah, and there was once a  
7 case where we had some volatiles that came out of a  
8 particular storage system, and we thought they were  
9 going to go, and as it turned out, they played it out  
10 all over everywhere. They never made it out.

11 And while that is more subjective, it is  
12 a process that you know that you want to include for  
13 the volatile components as part of a volcanic release  
14 center.

15 So what we talked about for quantitative  
16 uses, you need to design a very specific study and  
17 know your boundary conditions very well, which is  
18 often difficult to do with analogs, and quite honestly  
19 that tends to be costly and keeps their broad  
20 application down. And that was talked a bit by DOE.

21 CHAIRMAN GARRICK: Mike.

22 VICE CHAIRMAN RYAN: Just a quick add-on  
23 question, John. You mentioned a process related  
24 analog, and there is also temporal analogs. I mean,  
25 did you discuss that the short term analogs and long

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 term analogs, and that kind of thing?

2 MR. KESSLER: Yes. I showed that one, and  
3 my one pretty picture in not keeping up with Nye  
4 County by any means, but we talked about that some of  
5 them applied for certain time periods, and that you  
6 can get certain information, and again, you have to  
7 look specifically at what it is telling you about that  
8 time period, but we talked a bit about that.

9 VICE CHAIRMAN RYAN: Right. Thanks, and  
10 could you just refresh us on the report and where it  
11 is available, and when?

12 MR. KESSLER: The report will be  
13 available, and we will put it basically outside our  
14 fire wall when it comes out, which I expect will be by  
15 the end of December, and I will be getting paper  
16 copies printed that I will be sending to a large bunch  
17 of you.

18 VICE CHAIRMAN RYAN: Okay. I just wanted  
19 to make sure that we could get a copy. That will be  
20 interesting reading. Thanks.

21 MR. KESSLER: Absolutely.

22 CHAIRMAN GARRICK: John, I realize that  
23 the workshop was primarily with respect to uses  
24 outside the U.S. But as you know, of course, the NRC  
25 and DOE have both sponsored studies at the Pina Blanca

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analog site.

2 MR. KESSLER: Right.

3 CHAIRMAN GARRICK: Was there any  
4 discussion about the results of those studies and how  
5 they are being used in the current PSPA?

6 MR. KESSLER: Not that I can speak to.  
7 Abe van Luik, you might want to talk about that from  
8 the DOE perspective. I feared that I was going to get  
9 this question. If you want to talk specifically about  
10 how well aligned DOE is with these general  
11 observations, I am not the guy to ask. That would be  
12 Abe.

13 I can tell you that Abe did present the  
14 really fine analog work that they have undertaken, and  
15 what we weren't able to see was exactly how that is  
16 going to be released, because they are Rev. X and Rev.  
17 Y on that. So maybe Abe can talk a bit about that.

18 MR. VAN LUIK: Abe van Luik, DOE. In  
19 fact, we did do a preliminary modeling of the Pina  
20 Blanca sites, and what we learned from that is that we  
21 really lack information in the third to downward up  
22 and down direction.

23 And so we drilled three bore holes, and we  
24 are basically awaiting the chance and the funding to  
25 fully analyze those cores. This will be part of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 performance confirmance activities, and basically that  
2 will continue past the license application.

3 But we fully intend to take advantage of  
4 all of the opportunities that are offered there. As  
5 you know the NRC itself, the staff, has built an  
6 alternative waste form degradation model based on the  
7 information from Pina Blanca.

8 CHAIRMAN GARRICK: Right.

9 MR. VAN LUIK: And we hope to be able to  
10 basically do some other things at Pina Blanca, and  
11 looking at the signature of uranium and the water  
12 going down and out. There is a fresh water well a  
13 kilometer away that shows no signature.

14 So we are looking into those kinds of  
15 phenomena to see what we can draw from that that  
16 applies to Yucca Mountain.

17 CHAIRMAN GARRICK: Okay. Thank you very  
18 much. Jim.

19 MR. CLARKE: Just a quick one. John, as  
20 you know, there is a lot of interest in using natural  
21 analogs for near surface waste management systems as  
22 well, a more forward-looking echo system, ecological  
23 session and things of this nature. Did your workshop  
24 get into that at all?

25 MR. VAN LUIK: No, we did not talk

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 specifically about any near surface analogs in this  
2 workshop.

3 CHAIRMAN GARRICK: Any questions from the  
4 staff? Well, that's terrific. You have got us almost  
5 back on schedule. We do want to protect the schedule  
6 this afternoon. We are going to adjourn right after  
7 the session on stakeholders interactions.

8 The committee is working on a couple of  
9 letters and they are not far enough advanced that we  
10 want to take the time to discuss them at this point.  
11 We will defer that to our next meeting. We will be  
12 writing a letter on the preclosure safety assessment  
13 effort, as well as on the drift degradation issue.

14 There are a couple of other issues under  
15 consideration that we might want to write a letter on.  
16 We might even want to write one on the igneous panel  
17 activity, even though it has not been asked of us at  
18 this point.

19 And we are always interested in trying to  
20 improve the outreach activity of the committee and the  
21 staff with respect to the public. And whether or not  
22 we want to reflect on the experience of this time  
23 around is something that we have yet to discuss.

24 But it may be something that we want to  
25 write about. So let's adjourn for lunch, and we will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be back here at 12:45.

2 (Whereupon, at 11:35 a.m., a luncheon  
3 recess was taken.)  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

A F T E R N O O N   S E S S I O N

(12:45 p.m.)

CHAIRMAN GARRICK: Our meeting will come to order. We have two remaining items on our agenda. The first one has to do with presentations or comments from representatives of affected units of local government; and the second one is stakeholder interactions, and we have received a couple of requests for people to make comments on the stakeholder interaction section.

Others that would like to do so, if they would just contact one of us, we would certainly make that arrangement. I believe as far as the affected units of local government are concerned, we will start with Irene Mavis from Clark County.

MS. MAVIS: Good afternoon. It is my pleasure to address the advisory committee today. I know that this is the third opportunity this year that Clark County has had to address you on various topics, including performance confirmation, quality assurance, and other key technical matters.

Today I am going to talk to you a little bit about some other areas of concern for Clark County, and mostly centered around many of the socio-economic studies that we have developed over the last

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 15 years.

2 Just by way of background, Clark County is  
3 an area of over 8,000 square miles, and we are less  
4 than 100 miles from Yucca Mountain, and we are the  
5 fastest growing region in the United States, and have  
6 been for most of the last 12 to 15 years.

7 In 1963, the population of Las Vegas or of  
8 Clark County was 50,000 people. As of the 2000  
9 census, our population skyrocketed due to all of our  
10 growth to over a million-and-a-half people, and here  
11 in 2003, we are over 1.6 million people.

12 We have been growing at a rate of 5,000  
13 per month for the last 10 years, and we have a visitor  
14 volume of over 36 million people annually. Any given  
15 holiday weekend, you can expect to see 200,000 to  
16 400,000 visitors in the Las Vegas area.

17 And it is easy to see why in Clark County  
18 the economic engine that drives the economy of not  
19 only our region, but in fact our entire State, is  
20 tourism.

21 Associated with that are the jobs that  
22 come along with the gaming industry, and the  
23 construction industry, and that is basically an  
24 offshoot of our tourist economy.

25 Yesterday, I was at a conference where our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Fire Chief of Clark County made a presentation, and he  
2 made an observation that there are more hotel rooms at  
3 the corner of Tropicana Avenue and Las Vegas Boulevard  
4 than in the entire city of San Francisco.

5 So just at one intersection of our  
6 internationally famous Las Vegas Strip, we have more  
7 rooms than many other major cities. One of the things  
8 that we are concerned about, and that we have  
9 incorporated into our socio-economic studies is this  
10 whole notion of stigma, and what the notion of a  
11 potential accident at Yucca Mountain, or related to  
12 transportation to Yucca Mountain, would do to our  
13 local economy.

14 And we have many studies on record and I  
15 can certainly provide you with the details of those  
16 studies, and the full studies themselves if you are  
17 interested as a committee in receiving them.

18 One of the things that people don't know  
19 about Las Vegas is that Clark County is really the  
20 government that governs the Las Vegas Strip. The Las  
21 Vegas Strip is not really within the City of Las  
22 Vegas' purview.

23 So our economic base, our focus for what  
24 drives the economy in our entire State is focused on  
25 a very small area within Clark County that needs to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 balanced with our urban and our regional planning  
2 needs, and interjurisdictional capabilities, and our  
3 infrastructure support.

4 One of the other things that I wanted to  
5 point out to the committee today is that because  
6 cities within Southern Nevada are not designated as  
7 affected units of local government, nor are the Native  
8 American Tribes designated as units of local  
9 government under the Nuclear Waste Policy Act.

10 Clark County has taken a leadership role  
11 and formed partnerships with those entities in order  
12 to address and cover their impacts, their impact  
13 assessment, and their needs as far as public safety  
14 preparedness, emergency management capability, and  
15 other government service needs.

16 We also have a number of studies that  
17 relate directly to those relationships and cover what,  
18 for example, would be the needs of the Moapa Tribe and  
19 the Las Vegas Paiute Tribe, and also the City of Las  
20 Vegas, North Las Vegas, and Henderson, and Mesquite,  
21 and Boulder City.

22 One other important aspect that I would  
23 like to point out to the committee is that there is a  
24 lot of conversation about transportation of high level  
25 waste should never come through the Las Vegas Valley.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It is a bad idea, and of course then Clark County  
2 would not be affected.

3 One of the reasons that I like to point  
4 out that Clark County is 8,000 square miles is that I  
5 want to give everyone concerned the idea that Clark  
6 County is not just the Las Vegas Strip. It is not  
7 just the Las Vegas urban area.

8 It is not just Interstate 15 coming  
9 through downtown. It is in fact a unique mix of urban  
10 service provider areas and governance, and we have in  
11 fact first responder status for the entire region.

12 Clark County has mutual aid agreements  
13 with every city within Clark County, with other  
14 counties surrounding Clark County, and also with other  
15 States surrounding us.

16 So we have mutual aid agreements with  
17 California, Utah, and Arizona. Should an accident  
18 happen on the Arizona side of Hoover Dam, Clark County  
19 is there.

20 Should a severe accident or incident in  
21 San Bernadino County in California, Clark County is  
22 there. So I want to leave you with the notion that it  
23 is important to separate the transportation  
24 responsibility from the first responder  
25 responsibility, because regardless of what routes are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 chosen to Yucca Mountain, Clark County is involved in  
2 a very significant way.

3 On final note that I want to leave you  
4 with, because this is something that hit the media  
5 this week and the crash at the Nevada Test and  
6 Training Range for Nellis Air Force Base, Nevada --  
7 excuse me. Nellis Air Force Base operations do impact  
8 Clark County.

9 This week's crash occurred less than 20  
10 miles away from the community of Indian Springs, which  
11 is in Clark County, and Indian Springs actually is  
12 across the highway from Nellis Air Force Base  
13 property, where those kinds of tests do occur.

14 And so we have a vested interest in  
15 monitoring the decisions of Nellis Air Force Base as  
16 this project moves forward, and so we have very much  
17 at stake in monitoring and weighing in on Nellis Air  
18 Force Base operations as they relate to Yucca  
19 Mountain.

20 That is really all I had today. I wanted  
21 to just point out those key things, because I was not  
22 sure if as a committee you had heard those aspects of  
23 Clark County's program. And I wanted to open up now  
24 my presentation to any questions that you may have, or  
25 requests for additional information that I can provide

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to your staff.

2 CHAIRMAN GARRICK: Thank you very much.  
3 Ruth, do you have any questions?

4 DR. WEINER: Yes, I have a couple. Do you  
5 have some numbers as to how many shipments of  
6 hazardous materials and gasoline, which is not  
7 considered a hazardous material for some reason, go  
8 though Clark County every year?

9 MS. MAVIS: I don't have that information  
10 with me today, but I can certainly provide them to the  
11 committee.

12 DR. WEINER: I think it would be  
13 instructive. I mean, I can appreciate your problem  
14 with the emergency planning, but we are talking about  
15 accidents with materials where you need a first  
16 responder, and all the first responders, as far as I  
17 know, have HAZMAT training.

18 MS. MAVIS: We have a certain amount, and  
19 we do have a certain amount of capability, but what we  
20 have done is look at the gap between what we have  
21 today for what we are dealing with today, and what we  
22 would deal with respect to any potential shipments to  
23 Yucca Mountain.

24 We based those studies because we don't  
25 have anything like a record of decision that talks

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about a preferred mode for now. We know that the  
2 final environmental impact statement talked about  
3 rail, but the assumptions that we used at the time  
4 that we did those studies was that it would be a  
5 mostly truck scenario.

6 So all of the numbers that relate to gaps  
7 in preparedness and emergency management, and  
8 emergency planning, and what would be needed for  
9 personnel and training, and those sorts of things, are  
10 based on mostly the truck scenario.

11 And as the DOE comes forward with more  
12 concrete plans related to transportation, those  
13 numbers could change and the impact could certainly be  
14 less should they come forward with another solid  
15 scenario.

16 But certainly I would be happy to do that  
17 research, and our emergency management office for the  
18 county does keep track of those. So I can get them  
19 fairly easily.

20 DR. WEINER: It would be also interesting  
21 to get numbers on how well prepared you think Clark  
22 County is right now to handle emergencies with HAZMAT  
23 by rail, and hazardous materials by truck, and  
24 gasoline --

25 MS. MAVIS: I can get you those numbers

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with no problem.

2 DR. WEINER: And my other question is that  
3 at the rate with which you are growing where is your  
4 water going to come from?

5 MS. MAVIS: Well, that is an issue  
6 certainly of grave concern. We are in a drought  
7 condition right now, and we have employed in Clark  
8 County and in the various municipalities within Clark  
9 County, we have employed drought measures through  
10 ordinances and through enforcement and conservation to  
11 try and shore up our water resources.

12 I know that our water district is in  
13 negotiation with other communities, other States, to  
14 try and reallocate the water that comes out of the  
15 Colorado River, which is our main source of water.

16 And we are also looking at improving our  
17 ground water strategies to make that resource stretch  
18 as well. So, yes, it is a problem, and our current  
19 capacity allows us to grow out to 2035, and beyond  
20 that, we could be in some serious trouble with respect  
21 to water.

22 DR. WEINER: And my final question is if  
23 people are really so concerned about Yucca Mountain  
24 that it provides the stigma, then why are they moving  
25 here at such a rate?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. MAVIS: I think it is because of the  
2 quality of life that is provided today, and a lot of  
3 the people that we talk to, no matter how old they  
4 are, or what position they have in the county, and  
5 even in our development community, they see this as  
6 something that is far in the future for their normal  
7 time frame.

8 For a home builder, 2010 or 2015, when  
9 shipments are likely to start, seems very far away.  
10 For people who are of retirement age, or advanced  
11 senior years, and they don't even think they will be  
12 existing when the shipments start.

13 So it is very easy for them to say that it  
14 is far enough in the future that I don't have to worry  
15 about it today, and because of our strong economy in  
16 other parts of the country, and job opportunities, and  
17 sometimes people see this as their last best hope for  
18 a good quality of life and continue to move here at  
19 5,000 people a month.

20 CHAIRMAN GARRICK: Thank you.

21 MS. MAVIS: Thank you very much for your  
22 time.

23 CHAIRMAN GARRICK: Well, wait just a  
24 moment. We might have some more questions.

25 MS. MAVIS: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN GARRICK: I did want to ask one  
2 or two questions. One was that given the rapid growth  
3 of the county what legislative activity has occurred  
4 in the last few years, or months, or whatever, that  
5 would impact something like the transport of hazardous  
6 material through the county?

7 MS. MAVIS: Are you referring to State  
8 legislation within Nevada, or --

9 CHAIRMAN GARRICK: Well, legislation that  
10 would certainly affect Clark County. It could be  
11 either local or State.

12 MS. MAVIS: Well, there are a couple of  
13 different levels. One interesting thing that occurred  
14 in this last Congressional, and in this current  
15 Congressional session is that the House put in some  
16 appropriations bill for energy and water, and referred  
17 to some very specific transportation decisions.

18 One of which was to make sure that  
19 transportation did not occur through what the bill  
20 referred to as the Las Vegas Metropolitan Area. I am  
21 not really sure what that area means to somebody in  
22 Washington, D.C., but that is a designation that does  
23 not really even exist here locally.

24 There are some other designations of the  
25 southern Nevada region, and so I am not really sure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what that would have done for us had that language  
2 remained in the bill.

3           Ultimately the language was removed, and  
4 there were some pieces of language in that bill that  
5 would have benefitted, for example, Lincoln County,  
6 and Nye County, and all of the language related to  
7 specifics with respect to transportation were removed.

8           For the last three years or so language  
9 like that has been sort of popping up, and not at the  
10 urging of Clark County, but I think on behalf of the  
11 Members of the House trying to help the decision  
12 making process along and trying to narrow the focus of  
13 the transportation.

14           So I don't know what is going to occur  
15 from the Congressional side of things. The Senate  
16 doesn't normally put language in that in their  
17 appropriations bills, and so we keep a watchful eye on  
18 what comes out of the House every year.

19           This year was the most specific. As far  
20 as State Legislation, Clark County actually did a  
21 report that looked at State legislation across the  
22 country with respect to transport of high level waste  
23 and hazardous materials, and I certainly can provide  
24 that to the committee as well.

25           Within Nevada, there was very little,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because of the very pressing subject matter of the  
2 state of the economy, and medical malpractice, and  
3 some other very hot issues at the State Legislature  
4 this past year. Yucca Mountain didn't receive a lot  
5 of attention.

6 In previous years, the last 2 or 3  
7 sessions, there were some attempts at providing some  
8 guidance or support to the DOE's effort to focus on a  
9 mostly rail scenario to try and designate certain  
10 routes and those efforts were not successful in our  
11 State legislature.

12 CHAIRMAN GARRICK: Do you have any direct  
13 evidence with either businesses moving into the area  
14 or people moving into the area that the Yucca Mountain  
15 project has had an impact on their enthusiasm towards  
16 moving to Clark County?

17 MS. MAVIS: Occasionally, we get reports  
18 from realtors or people in the development community  
19 that people ask about it. They wonder where the  
20 routes are going to be, and they wonder how close to  
21 a potential route they might be.

22 As soon as they hear that routes have not  
23 yet been selected, they are more at ease about it, and  
24 again because it is a decision that seems far off for  
25 many people.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We have had occasionally calls to our  
2 office about that topic, and also questions from  
3 businesses about what is happening, and where is it,  
4 and so I don't have a lot of concrete data about that  
5 because Clark County has not go so in depth into that  
6 question.

7           But we do have contact regularly with the  
8 Nevada Development Authority, for example, and when we  
9 talked to them a year and a half or so ago, they  
10 reported to us that that was not usually a question or  
11 a concern for businesses moving into Southern Nevada.

12           So that was good news for us, and so far  
13 that the latest look that we took at property values  
14 and the real estate market, and also the development  
15 community. So far the decisions that have been made  
16 on Yucca Mountain have not impacted people's decisions  
17 to buy property or invest in real estate.

18           CHAIRMAN GARRICK: Now, when you get a  
19 request for information on Yucca Mountain do you  
20 attempt to present information packages that have  
21 multiple views?

22           MS. MAVIS: Yes, we do. In fact, one of  
23 the things that we have done is that on our website,  
24 we list all of the major stakeholder groups related to  
25 the Yucca Mountain project, including the NRC, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Department of Energy, and the other counties, and the  
2 State, so that people can get a variety of views.

3 We also provide information that allows  
4 them to assess our reports for themselves. We have  
5 fact sheets, and we direct them to the Department of  
6 Energy for questions that we don't feel comfortable  
7 answering.

8 And we also work with the Department of  
9 Energy 4 or 5 times a year to do a joint tour of Yucca  
10 Mountain, and so citizens or folks within the Clark  
11 County Government are City Government who are  
12 interested in taking the tour, we work together to  
13 provide joint information in that venue.

14 CHAIRMAN GARRICK: Very good. Any other  
15 questions from the staff? Anybody? We really  
16 appreciate you coming in and giving us this briefing.  
17 It was excellent, and we hope to see you again.

18 MS. MAVIS: Thank you. Absolutely.  
19 Anytime you invite me, I will be here. Thanks.

20 CHAIRMAN GARRICK: Thank you. Thank you  
21 very much. We are still in the session in our agenda  
22 that is with respect to affected units of local  
23 government. I don't have any other names, but I am  
24 open to suggestions. We are having a follow-on  
25 session on stakeholder interactions, and if we don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have representatives from other -- okay. We do have  
2 one more. Sally, are you going to speak on behalf of  
3 an affected government?

4 MS. DEVLIN: You had better believe it.

5 CHAIRMAN GARRICK: All right. Go right  
6 ahead.

7 MS. DEVLIN: Thanks, Mr. Chairman, and  
8 members of the board. I am Sally Devlin, from  
9 Pahrump, Nevada. And I don't see anybody here from  
10 our local government, but of course I am very well  
11 versed in this.

12 I don't know if you are aware, but there  
13 have been two meetings, and there will be another one  
14 on December 3rd, with Lincoln County, Esmerellda, and  
15 Nye Counties. They met two weeks ago Sunday at the  
16 airport, and there was a prior one.

17 Now, these meetings again of course are on  
18 transportation. And, of course, no one was invited,  
19 but they got caught, and that's why I know about the  
20 third one going on, because Mike McHaney from  
21 Esmerellda County is the secretary of the group.

22 These were not open to the public. They  
23 were open to two of our commissioners, and I believe  
24 one commissioner from Lincoln, and I think there are  
25 only three in Esmerellda, and I am telling you these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things because this back door stuff is going on all  
2 the time.

3 And when the public finds out about it, we  
4 yell and scream. As a result, at our commission  
5 meeting on Tuesday, all of the Commissioners go to  
6 these meetings and they will be public.

7 Now, the reason that it is so disturbing  
8 is Nye County has just formed a -- you can almost say  
9 a CAB group to talk about the test site, and not so  
10 much Yucca Mountain.

11 And you will hear later in the next item  
12 on the agenda regarding the stakeholder agreement,  
13 that most people don't know the background as so many  
14 of us do, and I have been on this to tell people about  
15 this for over 10 years, and I grew up in it, and I  
16 went back to school for it.

17 And what bothers me the most again is  
18 public information. We are seeing, particularly with  
19 transportation, CPP's written by Nye County which are  
20 totally unacceptable. And not only did they have one  
21 accepted by the Commissioner, they plagiarized it for  
22 the next 3 years.

23 So that nobody seems to be watching what  
24 is going on, and nobody seems to be accountable,  
25 particularly in Nye County, and you know that we have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 many major problems there.

2 But one of the things that I think is the  
3 most important thing is the announcement of the  
4 meetings. Nobody knew and nobody knew in Nye County,  
5 except that I got an invitation from Washington and  
6 informed the world about last week's meetings. Nobody  
7 got that invitation.

8 I did of course get this one, and of  
9 course the 23rd and the 30th. And what is important  
10 to me again is how is this presented to the public for  
11 information as to when the meetings are so that we can  
12 plan our lives.

13 I had a meeting yesterday, and so of  
14 course I could not be here yesterday. But I am just  
15 saying that we want this information. None of this  
16 should be hidden, and it has been hidden. Lester  
17 Bradshaw is supposed to notify the commissioners, and  
18 of course he doesn't. He didn't know about last  
19 week's meeting.

20 So something is wrong communication wise.  
21 Now, let's get into the money business, and that is  
22 the funding on particularly transportation, and I am  
23 addressing this to you, Ruth, and that is that we have  
24 had 87,000 (sic) transportation plans proposed.

25 The most recent one occurred at the CAB

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meeting, which was held in Pahrump, regarding the WHIP  
2 shipments. Now that is high level waste and I know  
3 that it has nothing to do with Yucca Mountain, but  
4 because the Governor of California said no, this  
5 shipment will go an extra 400 miles from the test site  
6 through Tonopah, and so on, and through Wyoming, and  
7 then to Carlsbad.

8 Now, on the high level waste shipments, we  
9 have no idea how, what, or why. And I have reminded  
10 this board for 10 years that Highway 99, our only  
11 intrastate highway in all of Nevada, is a nine hazard.  
12 There is none higher.

13 And 160 is a 7, and so that we are talking  
14 about what is really going on. I just did a report  
15 for INDA, and it went to NEPA, regarding the widening  
16 of Rainbow. They want to make it eight lanes to I-15,  
17 and still remaining two lanes to Pahrump.

18 That is not only an unbalanced highway,  
19 but if anything ever happened to 95, they would have  
20 to use 160. We have no emergency preparedness, and we  
21 have very few firemen, and we have enormous distances,  
22 and I always give statistics.

23 The test site is 1,370 square miles. Nye  
24 County is 18,300 square miles. So you can compare  
25 sizes. They are enormous. I don't care how you cut

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it and what you cut it with, and so on.

2 And, of course, there is no rail  
3 transportation, and the reason that I got into this,  
4 and John can remember, is that I said over my dead  
5 body will you put a railroad through Pahrump when that  
6 was the only one proposed.

7 And that was from Jean, down Sandy Valley,  
8 down through the Longschmitt line, through Ash  
9 Meadows, and then up to Amargosa. So now that is  
10 eliminated, and the other one now crosses 160 and goes  
11 up on the flood plane Flat Fan, and over the  
12 mountains.

13 So not only were we not considered on  
14 these plans -- the Carlin Plan, the other plans, and  
15 so on, and even though I have seen topographic maps  
16 that cost a quarter-of-a-million dollars on all these  
17 plans, there is nothing discussed -- and I do mean  
18 nothing -- regarding the funding, regarding emergency  
19 preparedness, regarding communications, and  
20 particularly telecommunications.

21 In our last legislature, I proposed  
22 through Senator Rajeo a broadband bill and that was  
23 \$300 or \$400 million that PUC could have gotten for  
24 this. Well, you know that our legislature was a mess  
25 with taxation, and so nothing went through.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We are going to continue to propose that,  
2           home security and what have you, and these are the  
3           things that are important to the public, and we have  
4           nothing. We have nothing here in Nevada.

5           Now, I respect Las Vegas, and Mayor  
6           Goodman's attitude, because of the 2 million people in  
7           Las Vegas, and they have enormous problems to surmount  
8           over the years, everything from transportation, water,  
9           you name it, but we also have the same thing in Nye  
10          County, and Nye County unfortunately, which contains  
11          this entire mess, is not even considered.

12          In your press releases, it is always 90  
13          kilometers from Las Vegas, 60 miles, or whatever.  
14          Never in Nye County, and I do thoroughly want to  
15          protest this, because you are not only insulting us  
16          40,000 in Pahrump, but the entire 18,300 square miles  
17          of Nye County.

18          So you are getting a picture of public  
19          relations, and that is one of the things that I am  
20          here for today, is to say that I really feel that you  
21          are extremely remiss in not including Nye County,  
22          Esmerelda County, Lincoln County, and of course major  
23          friends in Clark County, because no secret meetings  
24          should be held, and we should all get together.

25          And one of the reasons that they are not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 getting together is because there is very little  
2 communication. Our county seat is 200 miles from us  
3 in Tonopah, and we do not have teleconferences,  
4 because we don't have the intracommunications.

5 So you see that one of the major problems  
6 that I just mentioned is that on any transportation  
7 scheme, whether -- and I have talked extensively with  
8 the railroad engineers, and if you were at the last  
9 NWTRB meeting, I proposed to the new head of  
10 transportation, and I married the two railroad  
11 engineers, who told me that it would cost \$4 million  
12 a mile to put a railroad in.

13 We are talking kingsized numbers any way  
14 you look at it. So we have all these things to look  
15 at, and I love to communicate with you because you  
16 always, and especially John, as he is my pal, and he  
17 always gets stuff back to me, and we do need this  
18 intracommunication.

19 We do need to know what is going on, and  
20 of course everybody wants top dollars, and at this  
21 point nobody knows any program. You just heard the  
22 Nye County presentation on the wells. Somewhere in  
23 this mountain, and John knows that I have studied  
24 volcanology and that will be my next thing, and that  
25 is that those wells at Lathrop wells go up to 360

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 degrees C.

2 So isn't there a volcanic lake or  
3 something underneath there? You know, you don't hear  
4 these things. We do because this goes back to 2000  
5 when Nick Stelazeler (phonetic) was alive, and drilled  
6 them originally.

7 So there is a lot of background stuff that  
8 we have. All of my information, I would have a room  
9 this big full of stuff. It goes to UNLV, and I have  
10 the 20, soon to be the 40 foot shelves, with the  
11 history of Yucca Mountain in it since the day really  
12 that it started in the early '90s, with John  
13 Countland, right?

14 CHAIRMAN GARRICK: Yes.

15 MS. DEVLIN: So we go back a long way.  
16 But I am just saying that it has got to be public  
17 information. No secret meetings between counties, and  
18 certainly communication cooperation with anything that  
19 we can do with Clark County.

20 Pahrump is 40,000 today, and we are going  
21 to plan, and we have it in the works, for 120,000  
22 people. Now, in comparison to any super fund site, we  
23 don't exist. But in our minds, we are terribly  
24 important. And that is about it. Do you have any  
25 questions regarding transportation, or highways, or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 anything like that? As you well know, we have no rail  
2 lines.

3 CHAIRMAN GARRICK: I don't know. Do you  
4 have any questions?

5 DR. WEINER: How do you handle accidents  
6 with gasoline trucks and hazardous materials now? Do  
7 you have any kind of first responder system?

8 MS. DEVLIN: We do have a small first  
9 responder system. We have something like -- as you  
10 know, Nevada works in a different manner than most  
11 States. The only agency on call 24 hours a day in the  
12 entire State of Nevada is the Highway Patrol.

13 So any accident that happens, be it  
14 hazardous or radioactive, or jus plain chemical  
15 spills, the local sheriff or whoever, we are closest,  
16 and we are the first responders to the test site, and  
17 I include Yucca Mountain on that.

18 And as a result the local sheriffs must go  
19 out and go to the accident, and wait for the Highway  
20 Patrol to come. Then the Highway Patrol does whatever  
21 the Highway Patrol does, and then they submit a  
22 report, which goes to the Department of Motor  
23 Vehicles.

24 And somewhere in one department of the  
25 Department of Motor Vehicles, the Highway Patrolman's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 report is looked at, and the Motor Vehicles' person  
2 decides the claim. So it is ridiculous, antiquated,  
3 and very slow, and not nice.

4 We have had some serious accidents,  
5 particularly with hydrochloric acid and so on, where  
6 our highway has been closed. We were up at a labs  
7 thing in Carson City in '99, and 95 was closed for 18  
8 hours because of a diesel gas spill.

9 That is 18 hours, and I don't know where  
10 you all are from, but I think you are far more  
11 civilized than we are. So this is a major problem.  
12 And did that answer your question?

13 DR. WEINER: Yes, thank you.

14 MS. DEVLIN: We have none. Thank you.  
15 Any others?

16 CHAIRMAN GARRICK: We always appreciate  
17 hearing from you, Sally. Thank you. Please introduce  
18 yourself and your affiliation.

19 MR. ELZEFTAWY: My name is Atef Elzeftawy,  
20 and I am an independent worker, but I am here to say  
21 a couple of words for myself, and a couple of words  
22 for the Las Vegas Paiute Tribe, and maybe some other  
23 tribes in the southern part of Nevada.

24 First of all, I think I would like to  
25 thank you for you guys holding the meeting here in Las

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Vegas, and I think it would be nice to have a little  
2 bit more visibility for it. I just learned about it  
3 the night before last night.

4 So there is a communication problem I  
5 think, but my personal comment is really to the Board  
6 with regard to the technical issues for the last year  
7 and a half or so. I thought I could dig a little bit  
8 deeper into the program.

9 And since I am a hydrogeologist, to be  
10 honest with you, my personal views with regard to the  
11 unsaturated/saturated zone, hydrogeology, and with  
12 regard to the information that the Department of  
13 Energy has generated so far for the last 20 years, I  
14 think I agree with some of the NRC staff that we don't  
15 have enough information yet to tell us or to give us  
16 a good understanding on how the unsaturated zone  
17 hydrology or the saturated zone hydrology, in addition  
18 to the transportation, that it would really give us a  
19 handle on what is going to happen for this 10,000  
20 years of ground water flow business.

21 And including using the modelers and all  
22 of that, and so to me I think with this issue, I think  
23 the jury is still out. The point that I really wanted  
24 to make on behalf of the tribe is, number one, I think  
25 that the board and especially the chairman needs to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understand that the Native American tribes are -- call  
2 it a semi-sovereign nation.

3 There are nations in trust funds, or they  
4 are in trust with regard to the Congress, and as such  
5 they need to be invited, and they need to have the  
6 position of a government-to-government relationship.

7 The way that they have been treated for  
8 the last 10 years probably, especially with the  
9 Department of Energy, that we don't see any  
10 communication.

11 And I think, Ruth, yesterday said  
12 something with regard to communication with the  
13 public. The Department of Energy basically has not  
14 treated the tribes, especially here in the west, with  
15 regard to being equal partners, and to either provide  
16 them with the means to understand what the project is  
17 all about, or to listen to their concerns.

18 I thank the Commissioners, Merrifield  
19 especially, and the previous Chairman, for coming here  
20 to Las Vegas and meeting with us, and as a result of  
21 that 2 years ago, a consultation, the NRC people held  
22 a meeting with about 15 tribes about 2 or 3 weeks ago,  
23 and they listened to their views and so on, and I  
24 think that might be helpful for you to see the  
25 transcript of that meeting or to hold a meeting by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       yourself.

2                   And it would be closed to the Native  
3       American Tribes in this area to solicit their views  
4       with regard to this program. As a result of that  
5       meeting, I think most of them are concerned about the  
6       transportation issues, especially with regard to the  
7       period after 9/11.

8                   And every one of them was surprised, me  
9       included, with regard to who takes control of the  
10      transportation of these materials as it leaves the  
11      nuclear power plant and comes here to Yucca Mountain.

12                  And I was surprised by hearing one of the  
13      NRC lawyers that only the Department of Energy will be  
14      in charge of that. The NRC will make sure that the  
15      package, or the waste packages, is well packaged and  
16      so on.

17                  But the trust and the regulation goes back  
18      to the Department of Energy, and that raises a lot of  
19      concern with regard to the tribe's point of view. So  
20      I thank you for listening to me, and again I invite  
21      you, and I understand that the Chairman lives or has  
22      a house in St. George close by here, and so maybe that  
23      will be a good chance for you to stop by here every  
24      once in a while and have a closed meeting with some  
25      tribal chairman or some chairwomen, or whatever, to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 listen to their point of view, because I think this  
2 issue is heating up with them with regard to the Yucca  
3 Mountain, especially with regard to transportation.  
4 Thanks all I want to say. Thank you very much.

5 CHAIRMAN GARRICK: Thank you very much.  
6 We do have a question or two.

7 MR. BAHADUR: In you opening remark where  
8 you were thanking the committee to hold the meeting  
9 here, you mentioned that you wished that there were  
10 more visibility and that there were some communication  
11 problems.

12 I was just wondering if there was a  
13 specific communication problem that you encountered  
14 when we were noticing this meeting in Las Vegas, and  
15 if there were some specific suggestions you would want  
16 to make to improve those?

17 MR. ELZEFTAWY: Well, working with some  
18 tribal members and some tribes in Arizona and Nevada,  
19 and California, you have got to understand that there  
20 is a different culture and a different system there.

21 If you send a letter to them saying tribal  
22 leader, that letter probably just went to beyond the  
23 sun, beyond the solar system. You are lucky if you  
24 are going to get it back.

25 So if you send a letter to some of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tribes' people, you need to be very, very specific,  
2 number one, to who the letter is going to go to. Say  
3 the tribal chairman and list his or her name.

4 In addition to that, I think you need to  
5 send another letter, with the same content, but  
6 another letter to the tribe people, either  
7 environmental program manager, or even the council  
8 member, or whoever is in the tribe.

9 So you get sort of two letters and one of  
10 them will arrive to the tribe. Some tribal people are  
11 -- yes, they have a Post Office, and they have an  
12 address, and sometimes mail takes a long time to  
13 arrive.

14 So that is really my basic point. The  
15 second point is that as to the contact, as tribal  
16 people, I have seen it during the last 10 years that  
17 they refrain from dealing with me and you. They need  
18 to deal with either the administrator of that agency,  
19 the EPA, or the Secretary of Energy, or the Chairman  
20 of the NRC.

21 They basically do not relate to the people  
22 like me and you down there. If you send a letter and  
23 you sign it, that letter has probably gone someplace  
24 else.

25 The government to government relationship

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issue is very, very difficult, and if you need a hint  
2 for that, you need to look at the example of Region 9  
3 U.S. EPA on how they handle the government to  
4 government consultation between the U.S. Government  
5 and the tribe, and I think that would give you a hint  
6 on that. So that is all that I can say.

7 CHAIRMAN GARRICK: Thank you. I think we  
8 have another question. Ruth.

9 DR. WEINER: Sher actually asked it.

10 CHAIRMAN GARRICK: Any other questions?  
11 I guess that's all. Thank you very much. We always  
12 enjoy hearing from you.

13 MR. ELZEFTAWY: Thanks.

14 CHAIRMAN GARRICK: Now unless we have any  
15 other representatives that wish to speak on behalf of  
16 local government, I think we will move directly into  
17 the stakeholder interaction session.

18 And I have two names that have been  
19 brought to my attention of people who would like to  
20 make comments, and of course others are welcome, and  
21 they are Judy Treichel, and Don Shettel. So, Judy,  
22 since I got your name first.

23 MS. TREICHEL: Judy Treichel, Nevada  
24 Nuclear Waste Task Force. Yesterday, I mentioned  
25 briefly about the performance confirmation program

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that we had hoped to see, and a lot of the  
2 presentations that you had earlier in the day about  
3 the volcanism work, and some of the county work going  
4 on in Inyo and Nye County, I don't believe fall into  
5 or should fall into a confirmation basket as I  
6 mentioned before.

7 And up until this meeting when we saw that  
8 bar graph that was shown yesterday about KTIs  
9 remaining to be done, two of those that come in quite  
10 a while after the license application date was to be  
11 on volcanism.

12 That was not mentioned yesterday. They  
13 mentioned work on C-22, but I don't know if that has  
14 changed or if it is still out there, and it just did  
15 not get mentioned, but I think you should check into  
16 that.

17 And I really think that you should clearly  
18 set yourself some guidelines as to what you believe  
19 confirmatory work is and what you believe new work or  
20 work that should be fed into a TSPA that would  
21 accompany a license application would be.

22 I also take exception to the term that was  
23 used yesterday when it was talked about a dose being  
24 frequency weighted. There are doses given that are  
25 modified by either frequency or probability, and I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know that you and I have gone around and around on  
2 this, John, because this falls into the risk-informed  
3 stuff.

4 But I think that if you want to be  
5 transparent with the public that you need to say what  
6 a dose is. If you have a volcanic event that hits a  
7 repository, it would result in a dose of.

8 And then you can follow up by saying this  
9 is very unlikely to happen, for that reason, for the  
10 work that we do, we consider it as a risk and we  
11 modify it by its probability or by its frequency, or  
12 whatever.

13 But I just think it is misleading when you  
14 use a term that is weighted or modified by either  
15 frequency or probability. I also think that once  
16 again it is important to mention how the design is  
17 still evolving and changing, and in very big ways.

18 And you still see things like when Mark  
19 Board was standing up and talking about the new lining  
20 that they have to go into the tunnels, and at the same  
21 time today there was still talk about backfill when it  
22 comes to something else.

23 And these are huge changes. There was a  
24 discussion about retrievability yesterday, and Ruth  
25 had mentioned that this could be rather complicated.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We have said that all along, and we would probably  
2 demand or try to demand that there be some sort of  
3 demonstration of the ability to retrieve.

4 And I have never heard that suggested that  
5 they would do that. It is usually just very quickly  
6 in one sentence determined to be the opposite of  
7 emplacement, which it is not, or the reverse.

8 As far as the various metals that are  
9 going together, that is still changing. Each meeting  
10 we find that there are different kinds of metals that  
11 will be in contact with each other, and Ruth also  
12 yesterday mentioned that she thought that there should  
13 be tests done on the whole system, and that's true.

14 When you have various metals and you  
15 suggest that there is heat involved in those things,  
16 there should be tests rather than on each specific  
17 little thing on a systematic basis, because as DOE  
18 talks about unknown unknowns, those perhaps could be  
19 somehow -- either the numbers of those reduced or  
20 something.

21 There has been a lot of talk about  
22 economic impacts, and I know that there were questions  
23 asked of Irene, and there has been the perception or  
24 the stigma mentioned, and in Nye County at the dairy  
25 works, it is unfortunate that Ed Goodhart was not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there, but he has already run into this, and it has  
2 gone past a perception and a stigma.

3 In that he went into the bank because they  
4 would like to do a force dairy or a larger operation  
5 out there. He has dealt with the banker out there for  
6 years and years, and they have a very good  
7 relationship, and he has got excellent credit.

8 And for the first time the banker told him  
9 that the kind of loan that they had gotten before  
10 would not be available now. He would have to be  
11 completely paid off by the year 2010, and it was  
12 directly tied to Yucca Mountain.

13 So I think that is something that is no  
14 longer in just the possible realm of possibility, and  
15 that it is a reality. You should also note that many  
16 of the Native American representatives that would  
17 usually be here are not here today because there is a  
18 large meeting of NCAI in Alberquerque, New Mexico,  
19 right now.

20 So many of the tribes are there, and I  
21 know that there is an attempt by the Western Shoshone  
22 and perhaps some of the Paiutes, as I am not sure, to  
23 come up with an anti-Yucca Mountain resolution at that  
24 meeting.

25 The question always comes up about other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hazardous materials that are on the road, or possibly  
2 gasoline, and I don't think it should ever been  
3 considered to be one or the other that you deal with.

4           What we look at here, and what mostly  
5 comes up, is that if you introduce high nuclear waste  
6 that you could very well have a combination of the  
7 two. So if you have a gasoline truck out there and  
8 you have an incident that involves that with a waste  
9 truck, then you have the means to distribute  
10 radionuclides, and if you have a breach of a canister,  
11 you would have smoke and fire that could carry that  
12 along.

13           As far as the legislation that is in  
14 place, as you certainly know the State has laws  
15 opposing the storage of waste in the State, and the  
16 City of Las Vegas has an ordinance making it a  
17 criminal offense to drive nuclear waste in through and  
18 to the city limits, and many of the things having to  
19 do with emergency response and other things that would  
20 have to be dealt with as a result of this, because DOE  
21 does not take stigma or perception at all seriously,  
22 many of us both as citizens and as local units of  
23 government, believe that there is an unfunded mandate  
24 here.

25           And that they are expected to protect

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 themselves and take whatever measures have to be taken  
2 out of their own funding in order to do this. And to  
3 finish up, you talk very often about public  
4 interactions.

5 We right now are having essentially a  
6 ground war with the NRC because there are secret  
7 meetings going on between the NRC and the Department  
8 of Energy right now.

9 There is a meeting this week and there are  
10 two more planned, in which they allow no observers.  
11 That has never happened before, and I don't believe it  
12 should happen now, and I think that before the NRC  
13 does any more talk about wanting to involve the public  
14 and wanting to have an open and transparent program,  
15 you should make an advisory letter to the Commission  
16 advising against this sort of thing.

17 There is absolutely no basis for the NRC  
18 and the Department of Energy to be meeting secretly  
19 and to not allow observers. That's it. Thank you.

20 CHAIRMAN GARRICK: Thank you very much.  
21 Ruth, do you have any comments?

22 DR. WEINER: No.

23 CHAIRMAN GARRICK: Mike.

24 VICE CHAIRMAN RYAN: Judy, would you  
25 explain this. You mentioned that there were secret

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meetings and there was one this week. Could you be a  
2 little more specific on what it is, or where it is, or  
3 what the schedule for it is so that we could get focus  
4 on that a little?

5 MS. TREICHEL: There is a meeting all  
6 during this week which is talking about at the DOE,  
7 and maybe we have a better answer on that.

8 CHAIRMAN GARRICK: Mike Lee.

9 MR. LEE: Mike Lee, ACNW staff. The NRC  
10 has decided to conduct an independent QA review or an  
11 assessment of selected analysis model reports that the  
12 DOE has put together, and it is my understanding that  
13 following a judgment from the NRC's Office of the  
14 General Counsel that a decision was made that the  
15 independent QA assessment or audit, or however it has  
16 been characterized by the NRC Staff, would not be  
17 subject to public observation.

18 However, it is my understanding that the  
19 NRC intended to conduct a public interest meeting  
20 prior to the conduct of the QA evaluation. It is also  
21 my understanding that after the QA evaluation is  
22 conducted that there will be a public exit meeting  
23 that the NRC will conduct with the DOE.

24 MS. TREICHEL: The first notice that came  
25 out did have a first hour that was supposed to be open

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to the public, and they have since changed that and  
2 that is not allowed.

3 They now say, yes, it is about QA and it  
4 is also about quality and effectiveness of AMRs, and  
5 they say that they would be doing a report of the  
6 meeting at some future date, probably in the spring.

7 But one of the very nasty parts about this  
8 whole thing is that they are considering whether or  
9 not they should revise the policy for having a meeting  
10 like this.

11 And that consideration, and any revision  
12 or new policy to allow what is actually going on now  
13 would never be decided upon until these meetings are  
14 all over. So that is really quite ridiculous.

15 MR. LEE: Right. Well, I can't speak for  
16 the advisory committee nor the NRC staff. However,  
17 the on-site rep may have more information about the  
18 evolution of that policy if you will. I can't speak  
19 to it.

20 MS. TREICHEL: Well, if you want any  
21 public trust and confidence, do not treat the DOE as  
22 though they are already a licensee. That is a really  
23 bad thing to do for an already skeptic public.

24 VICE CHAIRMAN RYAN: Judy, I appreciate  
25 the detail, and that has helped me to understand

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 specifically what we are talking about, and I wanted  
2 to learn about that. Thanks.

3 MS. TREICHEL: Okay.

4 CHAIRMAN GARRICK: Ruth.

5 DR. WEINER: This is a little bit off the  
6 topic of your talk, but it is something that we have  
7 been discussing, Judy. I have attended a number of  
8 meetings in Las Vegas, and during the day, and day  
9 into evening, and evening meetings, one of the  
10 problems that we face is that we never get very many  
11 members of the public.

12 And I was wondering if you as a member of  
13 the public could give us any suggestions as to how to  
14 get more public, more people, involved in these  
15 meetings. I would very much to have liked to have  
16 seen this room full of people, and I do understand  
17 having done this myself for a number of years, I do  
18 understand that it is difficult for people to get away  
19 during the working day.

20 But we have had the same experience in the  
21 evening that we have evening meetings, and all kinds  
22 of different venues, and they are poorly attended  
23 also. So do you have any suggestions as to what we  
24 can do to get better public attendance at these  
25 meetings?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LEE: Before Judy answers, I would  
2 just like to note that in preparation for this meeting  
3 that we gained access to the high level waste standard  
4 distribution list, which includes 103 organizations  
5 and entities, including Native American organizations,  
6 and issued or prepared a form letter if you will  
7 inviting and making them aware of the meeting, and  
8 inviting them to participate.

9 In addition to that, we took out an ad in  
10 the local paper, I think the Las Vegas Journal, last  
11 week for 2 days. In addition to that, we also post  
12 our agenda on the NRC website. We have received some  
13 recommendations on how to make the Nevada meetings  
14 more transparent in that regard, but I will let you  
15 answer now.

16 DR. WEINER: Thank you, Mike.

17 MS. TREICHEL: I would guess overall that  
18 one of the jobs that the task force that I am with  
19 does and that is unusual or different from other grass  
20 roots organizations as we are a liaison group.

21 I am in these meetings, and I am in the  
22 technical exchange meetings, and I am in all of the  
23 bureaucratic meetings that go on. I am then in a  
24 position to come back either to write a report or to  
25 answer questions for people who are not here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Everybody sitting in this audience most  
2 likely, and certainly you up there, are paid for their  
3 time to be here or certainly paid expenses, or per  
4 diem, or whatever.

5           And I don't think you can expect the  
6 public to do that, and we are coming into our 17th  
7 year of this. So it is a very difficult thing to  
8 expect people to come to these meetings.

9           I don't expect for these meetings to be  
10 well attended, but there is absolutely nothing that  
11 you can tell the public that they can do to make a  
12 difference. As you know, Nevada is about at any given  
13 time between 75 to 80 percent opposed to Yucca  
14 Mountain.

15           There is absolutely nothing that they can  
16 tell you or that they can tell the Department of  
17 Energy that changes anything, and that gets their  
18 point across.

19           And for years they have been in a position  
20 where if they want to say yes, yeah, we like this  
21 idea, they are welcomed in. There is no ability to  
22 say no. So I would suppose that the public is  
23 probably keeping their powder dry and waiting to see  
24 what happens and when there is a possibility for  
25 taking this thing on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And there certainly is not during  
2           licensing, and that's a very closed process, and it is  
3           a very difficult one. So most of them are looking at  
4           the lawsuits.

5           But until there is a way that it means  
6           something to come to a meeting and that you can  
7           actually get your opinion respected and have people  
8           understand that if you live here and you don't want to  
9           take this risk, and you have not bought on to this,  
10          and you do not approve, that you can get it to go  
11          away, then why would you come?

12                   CHAIRMAN GARRICK: Thank you. Thank you  
13                   very much. Don Shettel.

14                   MR. SHETTEL: I am Don Shettel, a  
15                   consultant to the State of Nevada, Agency for Nuclear  
16                   Projects, and I have one comment and an observation.  
17                   And I apologize, but I am going to take you back to  
18                   the technical aspects of this meeting, as opposed to  
19                   the previous speakers.

20                   My first comment regards natural analogs,  
21                   especially archeological ones, and perhaps this  
22                   applies mostly to metallic artifacts, but the one  
23                   reason that artifacts are found in the first place is  
24                   the environment that they are in.

25                   And specifically I am referring to a very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 low temperature environment, and usually very close to  
2 the freezing point of water. And the other aspect of  
3 this environment is that it is relatively dry,  
4 especially if you are looking at the floors of caves,  
5 or rock shelters, where a lot of things are found.

6 But when you get to Yucca Mountain, we  
7 have really a totally opposite situation. That is, we  
8 have a fairly aggressive environment. We have a high  
9 temperature, and it is going to be above boiling for  
10 a relatively low period of time.

11 And it is going to be as wet, and as  
12 moist, and as humid as is allowed by time and  
13 temperature. So that implies that if you are going to  
14 try and compare natural analogs with Yucca Mountain,  
15 you are not comparing apples and apples, but you are  
16 comparing apples and oranges.

17 You don't have the same environments to  
18 compare, especially archeological artifacts, with to  
19 Yucca Mountain. My second comment, which is more of  
20 an observation, is that you may know that there has  
21 been a debate going on in recent years between the  
22 State of Nevada and DOE regarding the corrosion of the  
23 canisters.

24 And this also involves the center in San  
25 Antonio and lately or most recently the Nuclear Waste

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Technical Review Board has stepped into this, and  
2 upped the ante in this dispute.

3 And I think on the basis of or until this  
4 dispute is resolved, I find it rather amazing that the  
5 DOE is putting so much time and resources into the  
6 design of a repository. That's all I want to say. I  
7 will take any questions if there are any.

8 CHAIRMAN GARRICK: Thank you. Mike, do  
9 you have any questions?

10 VICE CHAIRMAN RYAN: No, thank you.

11 CHAIRMAN GARRICK: Ruth.

12 DR. WEINER: No.

13 CHAIRMAN GARRICK: Staff? We appreciate  
14 your comments. I don't think there is any questions  
15 at this time.

16 MR. SHETTEL: I think that Steve Frishman  
17 wants to make a few comments after me.

18 CHAIRMAN GARRICK: Okay. Very good.

19 MR. FRISHMAN: I am Steve Frishman with  
20 the State of Nevada. Yesterday, you heard a couple of  
21 pieces of information having to do with the thermal  
22 load that I think were important, because you can go  
23 through a thought process with them that takes you to  
24 a couple of areas where there is going to have to be  
25 an awful lot more thinking.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But I think if I point these out and sort  
2 of point the direction of the thinking, you may find  
3 them important enough to start pondering yourself.  
4 And first what we were told by Mark at Yucca Mountain  
5 and again yesterday is that the thermal line load is  
6 1.45, or designed to be 1.45 kilowatts per meter.

7           And we also were told yesterday that the  
8 heat output limit of a waste container is 11.8  
9 kilowatts per package. Well, if you do some very  
10 simple arithmetic, you found out that at 1.45  
11 kilowatts per meter that the waste package would have  
12 to be 8 meters long if that were the only thing that  
13 was the heat in the line heat.

14           Well, we know that they are not. We know  
15 that they are only about 5 meters. So something else  
16 is going on to bring you to the 1.45 kilowatts per  
17 meter. If you take the 11.8 limit and divide it by 5  
18 meters, the size of the waste package, then you are  
19 looking at 2.36 kilowatts per meter.

20           So there is something else happening, and  
21 the other thing that is happening -- and it is not  
22 just the spacing between the containers, because we  
23 heard that the spacing between the containers was only  
24 a tenth of a meter. Something else is going on.

25           And what else is going on is the defense

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 high level waste. But the defense high level waste  
2 packages are designed to also put out some heat,  
3 because remember that they are mixed. They are  
4 borocyclic mixed with a center portion for defense  
5 spent fuel. So they also have a heat output.

6 What this leads you to is very roughly  
7 around 40 to 45, or maybe more percent of the  
8 containers in each one of these 600 meter drifts is  
9 going to have to be something less than a spent fuel  
10 container that is putting out the maximum limit of  
11 heat.

12 This raises two different questions that  
13 I think are important to think about, and sort of two  
14 different things that have been talked about in the  
15 last couple of days.

16 One is just a design logistics question.  
17 When the repository is set to be open, the Department  
18 has very little, if any, control over what the waste  
19 containers are going to be.

20 And they have lost even more control by  
21 saying that they now think that almost all of the fuel  
22 will be canisterized when it arrives. So they have  
23 completely most control over the heat output of the  
24 containers that will be arriving early, and then all  
25 the way through the process.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The other question is that we have yet to  
2 see any real information that tells us about the time  
3 and rate of production and availability of defense  
4 waste packages.

5           But it looks like in order to meet that  
6 1.45 kilowatts per meter, there is going to have to be  
7 a lot of that stuff sitting around. So from the  
8 design and logistics standpoint, it looks as if there  
9 is going to have to be a very large inventory on-hand  
10 at the time of the opening of the repository in order  
11 to meet this really very low thermal goal.

12           I don't see any planning going on, and  
13 maybe there is somewhere, but I don't see any planning  
14 going on that actually says that there is a way  
15 logistically to meet that in the loading of even the  
16 first four years of drifts, when not a lot is planned  
17 to be in place and adding up to 3,000 metric tons a  
18 year.

19           And we also for the first time yesterday  
20 saw now a 20,000 ton aging facility or actually  
21 19,000, plus 1,000 sitting at the surface facility.  
22 So there is some type of a problem here about the  
23 thermal design, where all of the pieces are probably  
24 not going to come together.

25           And that sort of raises the other side of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the question, and the other side of the question  
2 becomes a performance assessment question, and  
3 actually not a performance assessment question, but a  
4 performance question.

5 And there are a couple of parts of that.  
6 No matter how you design the line heat output for each  
7 of these drifts, it is going to be spotty. You  
8 certainly are not going to be in a position where you  
9 can have a spent fuel canister and you can have a  
10 defense waste canister, a spent fuel canister. It  
11 just is not going to happen that way, because they are  
12 not going to be available that way to start with.

13 So the line load is not going to be  
14 anything near homogeneous in a 600 meter drift. So  
15 you are going to end up with hot and cold spots, and  
16 hot and cold spots related to as little as maybe 1 or  
17 2 canisters, and maybe as many as 10 or 15.

18 So if we have learned anything from the  
19 heated drift test, the main thing that we have learned  
20 is that the model is only as good as the homogenate of  
21 the rock mass, because the very answer that we see  
22 between the model and data has almost everything to do  
23 with inhomogeneity in the rock mass that was not  
24 accounted for.

25 Now, we also are going to add another

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 factor here that the model -- that the data coming out  
2 of the drift test suggests also, and that is that you  
3 have to understand your heat source, and the model is  
4 sort of a reflector of the heat source.

5 In this case, the model is not only going  
6 to be not only representative of inhomogeneity in  
7 rock, but it is also going to be not reflective of the  
8 probably pretty large variation in spots of heat  
9 sources along the line.

10 So if the purpose of the drift scale test  
11 was to validate the model, which has become the latest  
12 stated purpose of it, well, sure, the model works  
13 fine. It is just that the variables get in the way of  
14 the model.

15 And the variables we know are going to be  
16 there, and there is going to be variation in the rock  
17 three-dimensionally, and now we also know that there  
18 is going to be significant variance in heat output if  
19 you start doing sort of a point count through the  
20 drift.

21 Now, what is the significance of this?  
22 One, the first question that comes up is what happens  
23 to various elements of the design if you have places  
24 that are much higher than the 1.45 kilowatts per meter  
25 in the same drift, and places that are maybe even

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 quite a bit lower than that.

2 What does this do, especially if you are  
3 in the lower lid, where Mark has told us, and I  
4 believe correctly, that porosity is sort of the  
5 biggest influence on mechanical properties of the  
6 rock. And now you are going to add to that rock that  
7 has variation in porosity, ranging from about 5  
8 percent to -- he said most of it is below 20 percent.

9 And so you know that the mechanical  
10 properties of the rock are changing because of that.  
11 Now what happens when you introduce an unknown heat  
12 variation throughout the drift, which is also going to  
13 have variations in porosity.

14 So that raises a question for the  
15 designers on how they are going to be able to deal  
16 with this other than just sort of a standard overkill  
17 approach, which I don't think they are in a mood to  
18 do, because it is going to cost.

19 And it also raises another very serious  
20 question having to do with the sort of dispute that is  
21 going on that Don mentioned about the near field  
22 chemistry, because what we have seen sort of  
23 suggestions of from people who have looked at the  
24 corrosion work that we are doing, and some of the  
25 approaches that we are taking to the range of what the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 near field chemistries can be, that at least some of  
2 the response that is coming back is that there is  
3 going to be a range of chemistries having to do with  
4 a range of temperatures.

5 And trying to look at probablistically in  
6 terms of how likely is it that you will have these  
7 very harsh conditions, or these conditions, or these  
8 conditions,

9 Now what the variation in thermal load is  
10 going to guarantee is that you have at any given time  
11 not only do you have thermal load as a transient, but  
12 at any given time you have it as an inhomogenium in  
13 the system. So a wide range of these possible  
14 chemistries that are dependent and responsive to  
15 temperature is going to exist in any one drift at any  
16 time.

17 And this becomes a very serious  
18 performance question, because it says that performance  
19 is essentially unpredictable because all of us in a  
20 dispute over the near field chemistry, and its effect  
21 in the corrosion process, all of us are going to be  
22 right.

23 So we are going to have a range of  
24 possibility for corrosion way down at the very  
25 optimistic low level that the Department is looking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at, and all the way up to some of the extreme  
2 corrosion that we have been able to produce in the  
3 laboratory based on conditions that are not impossible  
4 under the temperature and chemical conditions that are  
5 there.

6 So just a couple of little pieces of data  
7 that came out yesterday can lead all the way to this  
8 sort of string of thought that take you back to design  
9 and logistics questions, where what if it doesn't work  
10 the way the designers have been told it is going to  
11 work.

12 And in performance, it is going to give us  
13 essentially a wide and unknown at any point in time or  
14 space effect on chemistry, that then affects the  
15 corrosion of the containers. So I wanted to sort of  
16 walk you through that, because this is the kind of  
17 thinking that we are having to do all the time now.

18 And I don't see other people doing it when  
19 the Department is giving its shows, and people sort of  
20 looking at one presentation at a time, and maybe  
21 asking one question on one page at a time.

22 I don't see this type of thinking going on  
23 among some of the groups that are trying to look  
24 pretty hard at this program, and I guess doing what  
25 Mark did when the question was asked, well, why are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you in the lower lid.

2 The real answer to that question is we  
3 have got to work with what we have and make the best  
4 of it, even though it is not the best place to be in  
5 terms of the lower lid versus the middle non-lid.

6 You know, just because of its physical  
7 characteristics, the low lid is not the best place to  
8 be in that pile of rock. but Mark's answer didn't go  
9 all the way to what I am saying, and that is what we  
10 have to do the best with what we have.

11 So I am just encouraging the same kind of  
12 thinking that I just walked you through in about maybe  
13 10 minutes, to go on a continuing level, because we  
14 are getting to the point where these types of  
15 questions are going to become the unanswerable  
16 questions in a licensing proceeding.

17 And it is going to be very difficult to  
18 get beyond a licensing board having to try to decide  
19 who is their favorite expert, rather than who is  
20 closer to right, and I don't think we can afford to be  
21 in that situation.

22 So now is maybe even too late for these  
23 types of questions to be coming up. I am sure that  
24 you don't have any questions.

25 CHAIRMAN GARRICK: Well, we may. I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that it has been very clear to this committee that for  
2 some time that we have been very interested in  
3 ultimately how the thermal management process is going  
4 to work.

5 And you are correct that yesterday was one  
6 of the more revealing presentations in that regard,  
7 and you will recall that we picked up on the issue of  
8 the dry handling, and the implications and the basis  
9 for moving in the direction of a surface facility  
10 handling system that was based on dry fuel.

11 But I don't think that we have heard  
12 enough information or seen enough to draw any  
13 conclusions at all about the overall thermal  
14 management.

15 But this is an issue that I think has to  
16 be addressed and has to be clarified, because we know  
17 that very few waste packages can impact the dose in  
18 the compliance period, and even the models that are in  
19 place now, very few flawed waste packages result in a  
20 visible dose. And not a dose that is a problem, and  
21 not a dose that is necessarily a threat to the  
22 standard.

23 MR. FRISHMAN: But it is not  
24 insignificant. If you look at the performance  
25 assessment that shows 1 or 2 juvenile failures, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the effect is linear. Go up to about a hundred, or  
2 maybe 300 or 400 out of a possible 11-to-17,000, you  
3 are starting to see does that are approaching the  
4 standard.

5 CHAIRMAN GARRICK: Yes, and we have  
6 indicated on several occasions the importance of  
7 getting a much better handle on the juvenile failure  
8 issue. Do you have any comment, Mike?

9 VICE CHAIRMAN RYAN: I appreciate your  
10 thought processes, Steve, and it was interesting to  
11 hear you develop it, and I appreciate it. We have  
12 different formats for our meetings as you well know.

13 And I think the criticism that we hear in  
14 little bits and in short presentations, and have a few  
15 questions, is the reason that we kind of went to work  
16 in working group sessions, where we can dive into more  
17 detail on specific issues and have a panel discussion,  
18 and have more of the interchange and dialogue that you  
19 mentioned.

20 I know that you participated in a couple  
21 of those, and I get a lot more when there is that kind  
22 of dialogue, and so I appreciate you sharing your  
23 thoughts today. Perhaps this will evolve into a  
24 working group session of some sort. Who knows. But  
25 I just wanted to make note that we have made an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 attempt to have more in-depth discussions and have all  
2 different points of view brought forth with that exact  
3 limitation of short presentations in mind.

4 MR. FRISHMAN: Well, perhaps it would be  
5 helpful to maybe not have as many presentations, but  
6 be able to let it be known that you are going to  
7 engage the presenters in thinking like this, and that  
8 you want to hear some real answers rather than, oh, we  
9 are running out of time.

10 VICE CHAIRMAN RYAN: I appreciate the  
11 comment.

12 CHAIRMAN GARRICK: Now, we do have a rule  
13 that we try to implement, but we have not been as  
14 successful as we would like, which is basically the 50  
15 percent rule.

16 You will notice that our instructions to  
17 people who made presentations to allow half the time  
18 for questions, even in our sessions, and sometimes we  
19 are successful at that, and most of the time we are  
20 not, because of the eagerness to give us information.  
21 But the thermal management question is very much an  
22 open question, and --

23 MR. FRISHMAN: Well, it is not open. They  
24 decided what they are going to do.

25 CHAIRMAN GARRICK: Well, maybe from that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 perspective, but from the standpoint of understanding  
2 the issue, and being in a position to advise the  
3 Commission, it is clearly an open question to us.

4 MR. FRISHMAN: Well, just to sort of wrap  
5 up, perhaps it would be useful if maybe your staff  
6 started going what the Commission staff is doing, and  
7 that is asking for the handouts sufficiently early so  
8 that you have a chance to go through them before you  
9 get the presentations, and not just in a cursory way,  
10 but you have a chance to really look at them, and that  
11 may lead to developing sort of these questions that  
12 reflect a sort of continuum line of thinking. That  
13 might be very useful for you.

14 CHAIRMAN GARRICK: Yes. Well, we have  
15 tried a number of things, and we have some criticisms  
16 of that approach, too, because it seems to make the  
17 presentations very often so pro forma that the  
18 opportunity for exchange and interaction doesn't or  
19 isn't as stimulating or as stimulated as you would  
20 like. But we are open to suggestions on how to  
21 achieve that.

22 MR. FRISHMAN: Well, it is up to you to  
23 make it as stimulating as you want it to be.

24 CHAIRMAN GARRICK: Right. Any other  
25 questions? Well, thank you very much. It is always

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a pleasure to get your input. Anybody else wish to  
2 make a comment? Yes.

3 MS. DEVLIN: Again, thank you, and again  
4 welcome. I will be very brief for me, and that is the  
5 first thing that I want to invite you to our Indian  
6 Pow-Wow, which is tomorrow, Saturday, and Sunday, in  
7 Pahrump all day long, starting at 9:00 until the  
8 evening.

9 And we have a wonderful time with many,  
10 many tribes; lots of dancing and lots of kids, and it  
11 is a very exciting time, and so I hope you will come  
12 down.

13 CHAIRMAN GARRICK: Talk about short  
14 notice.

15 (Laughter.)

16 MS. DEVLIN: You didn't call me, John, and  
17 the other thing as you well know, I am a complete  
18 neophyte, and I feel very much that many of these  
19 things, even though I have studied them, I don't know  
20 what you are talking about.

21 And when Ruth said about the public, I do  
22 understand most of it. I understood what Steve said,  
23 I have been around so long. But you get someone from  
24 the public that walks into a meeting like this, and  
25 they will not understand one word particularly of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 vocabulary.

2 I used to talk about hypothecating and  
3 fungibility, and all kinds of things, and nobody knew  
4 what I was talking about, and I found out that doesn't  
5 work. You keep the language as simple as you can.

6 Well, at this late stage of the game, you  
7 can't. So I think it is a waste of time to try and  
8 get the public here on this, unless they are  
9 technically involved or something, and you don't get  
10 the public because they won't understand a work that  
11 you are saying.

12 The other thing that I did want to mention  
13 was that the Indians up at Duckwater and Railroad  
14 Valley, that's where there is a ton of oil, and there  
15 are about 132 Indians up there, and the State of  
16 Nevada has stolen all our oil royalties from Nye  
17 County, about \$170 million worth.

18 So these are very political things that go  
19 on here in Nye County, but there is the question that  
20 I am bringing up is that they are going to be drilling  
21 for oil again and that oil might run right into Yucca  
22 Mountain. I want you aware of that.

23 The other thing is having attended the  
24 other NRC meetings and all that, and the question that  
25 I was asked, and I brought with me, and I wrote it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 down, so I am not going to take your time, is all of  
2 these reports that you do, and that you bundle, I  
3 introduced the colloids, and the bugs, and microbial  
4 invasion in '95 to the Board.

5 And I see that there are five reports on  
6 colloids, and there are bundled, and I have the ENFs  
7 or whatever it is in the waste package and so on.  
8 Now, I want to see those reports, and the other number  
9 that I want to see, that is number 8, and I want to  
10 see number 13, which is the volcanic events.

11 And I don't know how you get the 1, 2, 3,  
12 and 7 of the volcanic events, which is number 13, and  
13 I have looked through everything that I own, and there  
14 is no address, and there is no name, and there is no  
15 phone number. There is no nothing to get this  
16 information.

17 So I am throwing it at you because maybe  
18 you can direct somebody to me that can get these to  
19 me, and we do have a problem with the internet in  
20 Pahrump. I have to use the community colleges when I  
21 can when the kids aren't using it, and it is a little  
22 hardship.

23 So I like hard copies, and that's what I  
24 am going to talk to you about last, but not least, and  
25 of course you are very welcome, and that is this is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the FFACO agreement. And Russ Dyer has it, and  
2 everybody on a lot of the board have it. I sent it to  
3 Washington and so on.

4 And this is the Federal Facilities  
5 Agreement between the State of Nevada and the test  
6 site, and you noticed that I didn't mention Yucca  
7 Mountain because Yucca Mountain does not believe it is  
8 on the test site, nor do they communicate.

9 And I have been screaming about that for  
10 years, and I really feel as long as I am bringing up  
11 my pet peeves, that the 7,000 or 14,000 metric tons of  
12 Defense of Defense waste, which is classified, cannot  
13 go in my mountain, and I don't hear you talking one  
14 word about that.

15 And I do say it at every meeting and I get  
16 no response on it, and I hope that everybody is  
17 writing it down, because they are extremely arrogant  
18 and I do see this. This by the way is DOE and DoD.

19 And what it tells you in that 600 pages is  
20 not only the 41 page agreement, but the formation of  
21 the CAB groups, the transportation groups that I told  
22 you about. This started in '96 and is continuing on.  
23 So it is an enormous volume of education and  
24 information, and so on.

25 But this tells you every shot in 400 pages

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that was done on the test site, and in the printout,  
2 and of course I don't know how to read any of this  
3 stuff, and so as everybody knows, I don't rely on me.  
4 I go outside of me and I go to the experts.

5 And according to my expert friends who  
6 have looked at this in detail, we are hotter than  
7 Rocky Flats, and whether this will affect the Yucca  
8 Mountain project because of the colloids, the bugs, or  
9 who knows what, will affect it.

10 And that's why I want the colloid reports,  
11 because I have been trying for 4 years to get the  
12 final resting place at the EPA farm, and I won't bore  
13 you with that, but I have never known where they put  
14 30 years of manure and 30 years of building that.  
15 That was so hot with thorium that I didn't even want  
16 to see the word.

17 And that is the stuff that you are going  
18 to see on the test site, and be sure that you get the  
19 accompanying map. It is 1992, but it is as close as  
20 I can get you to all of the shots. So any questions?

21 CHAIRMAN GARRICK: Ruth, do you have a  
22 question?

23 DR. WEINER: I do have a question. I  
24 quite understand that many people don't want to come  
25 and sit through hours of the technical presentations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that we need to hear, and that is not what my question  
2 was addressing.

3 My question was addressing the situation  
4 that we would like to hear from people what they  
5 think. I appreciate the fact that Judy represents a  
6 number of organizations, and I appreciate the fact  
7 that you and many other people here represent a number  
8 of groups.

9 MS. DEVLIN: I do not represent anybody.  
10 I am the public.

11 DR. WEINER: Fine.

12 MS. DEVLIN: I have paid for myself for  
13 over 10 years. I don't represent any group  
14 whatsoever.

15 DR. WEINER: The my question is how can we  
16 simply get people to come to these meetings? Should  
17 we have them at a different time, or is there more or  
18 different advertising that we should do? You heard  
19 what Mike said.

20 I believe that the staff has gone all out  
21 to certainly make this available, and I used to attend  
22 meetings like this as a citizen simply out of  
23 interest.

24 And I would like to know what your opinion  
25 is on what we can do that has not been done that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can attract more people here to give us their views,  
2 and not to hear ours, and not to hear presentations.

3 MS. DEVLIN: Ruth, in Pahrump, for  
4 example, when you have an NRC meeting and you recently  
5 did on canisters and some other stuff, we had 60  
6 people from the town.

7 They had less than 40 from Las Vegas.  
8 Now, why? Because I made them feed us. Food helps.  
9 It has to be after working times. Whenever there is  
10 a meeting, you feed us, or nobody will ever come.  
11 Number one is the time and number two is food, and  
12 number three is what you are going to present. And  
13 all I can say is that they had the same meetings in  
14 Las Vegas and in Pahrump, and in Topopah.

15 And unfortunately, and Grant can testify  
16 to that, and Judy was there, too, I think, but these  
17 meetings were not only of the Board, but all the  
18 presentations were passe.

19 They showed us canisters that were passe,  
20 and they told us this, that, and the next thing and it  
21 was very bad. Chip was the facilitator, and you could  
22 hear our comments about it. So we are being  
23 shortchanged by the meetings to begin with, at least  
24 in my opinion. So that is number one.

25 When you bring stuff, and just like Steve,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as I love what he says, and I have just followed him  
2 for all of these years, when he says that you have one  
3 subject and a round-table, and the details.

4 How many times have I heard these same  
5 people go through 40 or 50 pages. And your sitter is  
6 broken, and your brain is gone, and so on. And  
7 nothing really comes out. And you know my resistance  
8 to the modeling term.

9 What people really want to see is the real  
10 thing. Now when I talk about my bugs, and the  
11 colloids, and the effect on Alloy 22 and what have  
12 you, do you think that anybody is allowed to go in the  
13 mine and see the fungus, and the testing, and the  
14 this, and the that, and the tritium being eaten by my  
15 bugs and so on? Absolutely not.

16 I get all of this from people who work  
17 there, from reports that are sent to me, and so on.  
18 And I can digest them because I have got 10 years  
19 behind me, but who else does, and who will take the  
20 time, the effort, the money, and so forth that it  
21 takes to attend these things.

22 I don't know anybody in their right mind,  
23 and I think it is very important especially at this  
24 late stage, I do want to see these reports, and I know  
25 that you will help me to get them. Thank you very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 much, and I hope we will see you at the pow-wow.

2 CHAIRMAN GARRICK: All right. Thank you.  
3 All right.

4 MS. JOHNSON: I am Peggy Maze Johnson, and  
5 I am the executive director of Citizen Alert, and Ruth  
6 and I used to sit in those meetings a long time ago as  
7 citizens when we worked together in Seattle a very  
8 long time ago, which we won't have to go into, Ruth.

9 DR. WEINER: We won't say how long.

10 MS. JOHNSON: We won't say how long, just  
11 a long time. I have been involved for a very long  
12 time in community and citizen participation, and I  
13 have to tell you that the Department of Energy and its  
14 outlying organizations, the NRC, nothing is given  
15 enough information in a timely manner, and published  
16 in a place where people are looking at it.

17 And I think that is one of the biggest  
18 problems that we have. It is kind of like everything  
19 is done behind closed doors, and personally if you  
20 just came out to hear what the citizens want to hear  
21 or want to say, instead of having to subject them to  
22 what DOE has to say, because I have to tell you  
23 frankly that they have been listening to that for  
24 years.

25 And they don't believe it any more than

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the rest of us do, and so they get irritated because  
2 they just don't want to come and be part of. So I  
3 think if you came and said we want to talk to you, the  
4 citizens, and we want to hear what you have to say,  
5 and do it in a way where maybe you even place ads in  
6 the newspapers, and let them know when it is going to  
7 be.

8           Maybe have one during the day and one  
9 during the evening so that people can get there. So  
10 that you truly can hear what people are saying. I  
11 know what people are saying to me, and I will tell you  
12 that when I sit in some of these meetings what I am  
13 hearing is not at all what people are believing.

14           And I think that there is this credibility  
15 gap. And I go way back a long time ago with levels of  
16 government, and there is this credibility gap that  
17 exists, and for very good reasons.

18           If you look at DOE's history going back a  
19 very long time, there is a huge credibility gap with  
20 what they are saying and what is true. And people in  
21 our communities know that. So when they say that  
22 something is safe, they don't believe it.

23           I have an opportunity to sit down with  
24 Margaret Chu when she was first appointed to her  
25 position, and she just told that you all just don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understand this. There is nothing wrong with this.  
2 It is very safe.

3 And I said, you know, Dr. Chu, not  
4 everybody agrees with you. And she said, well, they  
5 just don't get it, and I said there are scientists who  
6 don't agree with you. She said, well, I am a  
7 scientist, and she said that scientists always  
8 disagree.

9 And I said that I have to tell you  
10 something, that until that gap is closed, and there is  
11 more unanimity among scientists, you are going to have  
12 people out here not believing.

13 And when I walked out of that meeting the  
14 first thing that flashed across my mind was the vision  
15 of all the tobacco executives sitting in front of  
16 Congress with their right hands sworn saying, oh, no,  
17 this doesn't cause cancer. Oh, no, you don't get sick  
18 from this. Oh, no, you won't die.

19 And that is exactly how we feel about what  
20 we are being told. We are told that this is perfectly  
21 safe. We know that there are scientists who are  
22 telling us that it is absolutely not safe.

23 DOE went to MIT to get a scientist that  
24 agreed with what they wanted, but they didn't go to  
25 the scientists that are running the Yucca Mountain

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 project at MIT, Dr. Alison McFarland, and her partner,  
2 that believe that this is absolutely the wrong place  
3 to put nuclear waste.

4 So I think when you are looking that you  
5 need to talk to us, but you also need to get differing  
6 opinions than the scientists that DOE is rolling out.

7 And as a resident of Nevada, and as a  
8 resident of this country, I am horrified by this kind  
9 of a project being forced down our throats, and being  
10 ram-rodged through without the science being done. I  
11 sat yesterday and I listened to the safety survey of  
12 the employees, and they said they got a 65 percent  
13 return on that survey, and I thought that seems really  
14 strange to me, because if I am an employee, and  
15 somebody gives me a safety survey, I am going to fill  
16 it out because it is expected of me to fill it out,  
17 because it is my job.

18 And when they get only a 65 percent, it  
19 makes you wonder what the 35 percent had to say. Was  
20 that factored into their conclusions. I think that  
21 there is a real problem with that kind of a return.  
22 You know, in politics, when you are putting out a  
23 survey or a community survey, you expect a low return.

24 But when you are paid to do a job, and you  
25 only get a 645 percent return, it makes me wonder what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the other people are saying and what they are  
2 thinking, and I think that would be a good thing to  
3 find out.

4 I think the quality assurance questions  
5 that are still out there are of troubling concern to  
6 us, especially since our two Senators in this State  
7 had a hearing and invited DOE employees that were  
8 "whistleblowers" and they were strongly encouraged not  
9 to attend.

10 And that troubles us that are out here,  
11 and I am not a scientist, and I am not a  
12 transportation expert. However, I bring 30 years of  
13 experience to my job, and when I am in TRB meetings or  
14 anything else, then I say that makes me the expert in  
15 this room today, because every single decision that  
16 has been made has been a political decision and that  
17 troubles me as a citizen of this country, and as a  
18 citizen of the State of Nevada.

19 So if you have any questions, I would be  
20 glad to answer them, and I thank you for your time.

21 CHAIRMAN GARRICK: Thank you very much.  
22 All right. Let's take one more. Please go ahead and  
23 introduce yourself and your affiliation. We know you,  
24 but maybe everybody else does not.

25 MR. LUDLOW: I am Grant Ludlow, and I am

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the CEO of Allied Science, Incorporated. The first  
2 thing I wanted to say is that this board gets results,  
3 which is very unusual in this project until recently  
4 anyway. And I think the reason for that is that you  
5 have some industrial turnaround experts on the board.

6 I have noticed, and like Lee Iaoccco, for  
7 example, they do make things happen. John Arthur is  
8 a breath of fresh air, and the DOE for the same  
9 reason. He has that kind of experience also.

10 I watched him turn the very cumbersome DOE  
11 around a couple of months, and that is the mark of  
12 those kind of people. So I am really happy to bring  
13 things to you because I now that you will do something  
14 with it.

15 The GAO is also starting to notice and  
16 especially in the negotiations between the NRC and the  
17 DOE. They expressed some concerns when I was talking  
18 to them, and whether or not they will have guts enough  
19 to publish it or not we will see, I guess.

20 The NRC is driving this license  
21 application and that is something that I am very  
22 concerned about. One example of that is that we had  
23 maybe 6 months or a year ago where we had one of these  
24 presentations where the mountain was not going to stop  
25 any radiation at all.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           It was too leaky, and the various methods,  
2           and chemistry was not going to stop it. And the next  
3           thing that somebody notices is that the NRC demands  
4           that all systems work.

5           So the very next presentation we got, and  
6           we went back 10 years, and got an old presentation  
7           where the mountain is going to stop everything, and  
8           all the reasons why it will, that over the 10 years we  
9           had found that was not true at all.

10          The problem with having the NRC drive this  
11          system is that typically regulators don't know the  
12          details, and on this kind of a project people that  
13          don't know the details are going to make the biggest  
14          mess you ever saw in your life.

15          So now since the regulators typically  
16          don't know the details and in my observations that is  
17          true in this case, too, that means that whoever is  
18          getting the license has to take the responsibility to  
19          make sure that they know the details and make sure  
20          that the project works.

21          And so far the DOE has not shown that they  
22          don't know the details either, and what they do know  
23          is what you have taught them. And kept them honest.  
24          On another subject, there is no safe dose of  
25          radiation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           There is a scientific conference in May in  
2 Atlanta, and we are going to talk about the pre-  
3 radicals that are formed, and we are going to talk  
4 about the DNA damage, and we are going to talk about  
5 the RAD proteins, and we are going to talk about the  
6 hormone disrupters.

7           And while our body has defenses to that  
8 stuff, if your defenses happen to be down, then you  
9 start a process that ends up in sickness and death.  
10 And so aren't we saying that radiation is like the  
11 chemical industry?

12           It's okay to splatter hormone disrupters  
13 all over the place because our body can defend against  
14 it and you can't prove that it does any damage, and so  
15 it kills a few people and so that's life.

16           I think we need to be a little more  
17 responsible about that. On another subject, the  
18 investigation into the murder of Paul Brown is showing  
19 that the Mafia, the mob, the gangsters, whatever you  
20 want to call it, have been draining money out of the  
21 Yucca Mountain project.

22           And the way they do it is they get a  
23 contract, and they don't do the work, and they write  
24 a phony report, and they go get another contract. And  
25 so that is one of the reasons that the technical basis

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and the technical details that we have been working on  
2 for the last 20 years are a real mess.

3 Anybody that knows anything about  
4 technology of new projects, and applying new  
5 technology, could see that something was very  
6 radically wrong and all of us assumed, oh, well, that  
7 is government bureaucrats messing around and not  
8 paying attention to what they are doing. And with the  
9 mob in there, that takes it to a whole new level  
10 alone.

11 And what the results of that are is that  
12 many of these 293 or however many there are now KTAs  
13 are irrelevant. They don't have a good technical  
14 basis, and people have built their models on phony  
15 tests, and we need to get into that and get that  
16 straightened out because again the details of this  
17 project will determine whether it makes a big mess or  
18 whether it is somewhat successful.

19 And then you asked a question, or Ruth  
20 asked a question of how do you get more people, and  
21 there was an interesting answer to that in Carlsbad  
22 and the WHIP project.

23 Now some people from Pahrump are going to  
24 go down there and study it, because Carlsbad turned  
25 around, and I think I heard the comment, gee, they are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 paving streets that don't even need to be paved. And  
2 that was never the case in Carlsbad before.

3 So the assumption was that DOE pumped a  
4 lot of money in there, and that is not true. Several  
5 people pointed out to me that what happened and the  
6 way that they phrased it, was that people were brought  
7 in that have a higher education level, and also a  
8 higher socio-economic culture.

9 Those people took over the local  
10 government, and the governments in the area, and  
11 straightened the place out, and it is wonderful. It  
12 is like Boulder city or Los Alamos, where those highly  
13 intelligent people did the same thing.

14 And what we are trying to do in Pahrump to  
15 follow that pattern, we have a woman there who teaches  
16 CEOs how to be leaders, as opposed to managers, and we  
17 are trying to get her to take the first 15 minutes of  
18 every meeting and do a process that brings people's  
19 levels up so that all of a sudden they can see that  
20 they are getting results.

21 They become more effective, and therefore  
22 the town starts to turn around, and the county starts  
23 to turn around, and so forth. And I think that is the  
24 answer to your involvement in the meetings, is that  
25 you have people that have that level of education,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 expertise, and interest, and they are successful in  
2 making things happen. I think that you will draw  
3 people in here by the ton and you will have to get  
4 bigger rooms.

5 Another thing is that the problems that we  
6 have is that the schools are down, and there are very  
7 few people in the country that can understand what  
8 goes on in these meetings at all, technically anyway,  
9 and also the citizens over the years have tended to  
10 let the government take over doing their job.

11 This country does a lot better when  
12 citizens do things instead of having bureaucrats and  
13 politicians do things. The way you get that started  
14 is in Demmings work, and it is called Quality Circles,  
15 and I am sure that some of you are familiar with  
16 those.

17 Basically what you do is you ask people  
18 every day what do you think, and how can we do this  
19 better and what made you mad today, and what is  
20 working really well, and that focuses people's  
21 attention on whatever they are working on.

22 Plus, the information that you get back is  
23 something that you would never think of yourself in a  
24 million year, especially as an engineer I can say  
25 that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And the key to getting things done is to  
2           guarantee that you will run a test on whatever anybody  
3           says, and as an engineer, I have had people come in  
4           and talk to me about highly technical subjects and  
5           they had no idea what they were talking about, and it  
6           took me a couple of weeks on how to run a test on what  
7           they had to say, and the results are spectacular, and  
8           fortunately that happened early in my career. So that  
9           is something that I have used ever since.

10           And I thank you again for being the  
11           effective part of this project.

12           CHAIRMAN GARRICK: Thank you very much.

13           MS. MAVIS: I just wanted to make a very  
14           quick offer, and this is Irene Mavis from Clark County  
15           again. We have been working with the NRC for quite  
16           some time in helping market their local meetings a  
17           little better and help them find venues that are more  
18           accessible to the public and more appealing to the  
19           public to come to.

20           We have offered them the use of county  
21           facilities, including the County Commission Chambers.  
22           Every meeting that we have assisted in, helping market  
23           what is in it for the public, and I am happy to say  
24           that we had a great turnout.

25           So I am offering on behalf of Clark County

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the ability to assist you in helping market those  
2 portions of your meetings that are for engaging the  
3 public, and we have the staff that is expert in doing  
4 that. We are in a planning department and our  
5 information is highly technical, and highly dry, and  
6 not necessarily appealing to the general public.

7 But we have found ways to engage and  
8 promote our meetings and bring hundreds and hundreds  
9 of people to neighborhood meetings to talk about land  
10 use. So if we can do that, I think we can help you,  
11 too.

12 CHAIRMAN GARRICK: Thank you. We will  
13 probably take you up on that.

14 MR; PARROTT: Jack Parrott, NRC staff and  
15 on-site rep out here in Las Vegas. I just wanted to  
16 inform the committee relative to Judy Treichel's  
17 comments earlier about NRC staff activities that are  
18 occurring out here this week.

19 I have got a memo dated November 4th that  
20 announces this evaluation that is going on, and it may  
21 help you understand what that activity is, and I would  
22 like to submit it to you.

23 And I should point out that there is a  
24 distribution list that is a page-and-a-half long on  
25 here. So to characterize this as secret is a little

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bit strong, but the evaluation was closed to the  
2 public, but I wouldn't call it secret.

3 CHAIRMAN GARRICK: Thank you. Well, this  
4 has been very encouraging today. We have had a good  
5 cross-section of comments from a variety of people,  
6 which we welcome. But maybe most importantly we have  
7 had a couple of offers here of how we can stimulate  
8 the future meetings of this type.

9 The committee has tried a number of  
10 formats, including evening sessions, and including  
11 sessions 100 percent devoted to just interacting with  
12 the public, and so it is not as if we are not anxious  
13 to find the right way to achieve this very important  
14 communication.

15 But I think we have received a couple of  
16 ideas today that we are going to discuss with the  
17 staff and may be the model for future meetings. Does  
18 any of the committee have any comments to make? I  
19 think that we are all kind of worn out, and probably  
20 to a point we can think about adjourning the meeting,  
21 but I will offer one last chance if anybody wishes to  
22 make a short comment, after which we will adjourn.

23 MR. SHETTEL: I would just offer -- Don  
24 Shettel, consultant to the State of Nevada, in  
25 regarding getting information out to the public, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think that the County's offer of facilities is a good  
2 idea.

3 One thing I have not heard is the  
4 possibility of interactive webcasts with the  
5 possibility of interactive e-mail, so that people  
6 don't have to travel to a facility. They could watch  
7 at home on their computer, and submit questions by e-  
8 mail, or something like that. Just an idea.

9 CHAIRMAN GARRICK: Okay. All right.  
10 Thank you very much. We are adjourned.

11 (Whereupon, at 2:48 p.m., the meeting was  
12 concluded.)

13

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701