Official Transcript of Proceedings

NOCTER'S BECATUDE COMMITION

Title: Advisory Committee on Nuclear Waste -[153rd Meeting]

Docket Number: (not provided)

Location: Las Vegas, Nevada

Date: Thursday, September 23, 2004

Work Order No.: NRC-012

Pages 1-210

NEAL R. GROSS AND CO., INC. Court Reporters and transcribers 1323 Rhode Island Avenue, N.W. Washington, D.C. 20005 (202) 234-4433

1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + +
4	ADVISORY COMMITTEE ON NUCLEAR WASTE
5	+ + + +
6	THURSDAY
7	SEPTEMBER 23RD, 2004
8	+ + + +
9	The Committee met at the Suncoast Hotel,
10	9090 Alta Drive, Ballroom A, Las Vegas, Nevada.
11	Advisory Committee Members Present:
12	MICHAEL T. RYAN CHAIRMAN
13	RUTH F. WEINER
14	MEMBER
15	ALLEN G. CROFF
16	MEMBER
17	
18	<u>Others Present:</u>
19	KEITH ECKERMAN
20	Oak Ridge National Laboratory
21	FRED HARPER
22	Sandia National Laboratories
23	DAVID JOHNSON ABS Consulting
24	DR. BILL MELSON ACNW
	I

1

1	MICHAEL LEE
2	ACNW
3	JOHN LARKINS
4	ACNW
5	B JOHN GARRICK NWTRB
6	GEORGE HORNBERGER NWTRB
7	JAMES CLARKE
8	ACNW
9	Others Present:
10	WILLIAM HINZE
11	ACNW
12	BRUCE MARSH
13	ACNW
14	BOB BUDNITZ
15	LLNL on detail to DOE
16	LYNN ANSPAUGH
17	University of Utah
18	
19	
20	
21	
22	
23	
24	

2

	1
	2
	3
	4
	5
	6
	7
	8
	9
1	0
1	1
1	2

	4
1	A-G-E-N-D-A
2	Opening Statement
3	Working Group 3: Biosphere Doses Due to Disruptive
4	Igneous Events
5	NRC Staff Perspective on Challenges to Modeling
6	Doses due to Disruptive Igneous Events 8
7	Fluvial Remodelization of Tephra Along Fortymile
8	Wash, Yucca Mountain, Nevada 57
9	ANCW Invited Speakers on Biosphere Dose Modeling
10	<u>Issues:</u>
11	Perspectives on Aerosol Modeling Issues
12	
13	Perspectives on Resuspension Modeling Issues . 120
14	Perspectives on Dose Modeling Issues
15	
16	Session 3 Working Group Roundtable Discussion . 169
17	Presentations by Stakeholder Organizations 192
18	Epilogue Remarks
19	
20	
21	
22	
23	
24	

2

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	6
1	P-R-O-C-E-E-D-I-N-G-S
2	8:05 a.m.
3	OPENING STATEMENT
4	CHAIRMAN RYAN: This is the second day of
5	the 153 rd meeting of the Advisory Committee on Nuclear
6	Waste. I am Michael Ryan, Chairman of the ACNW. The
7	other members of the committee present are Ruth Weiner
8	and Allen Croff.
9	Also present are ACNW consultants William
10	Hinze and Bruce Marsh. Jim Clark will be joining us
11	shortly. Today this committee will complete its
12	working group meeting to review and discuss issues
13	related to the evaluation of igneous activity and its
14	consequences at a potential geologic repository in
15	Yucca Mountain Nevada.
16	As done yesterday the committee intends to
17	gather information, analyze all the issues and facts,
18	and formulate the proposed positions and the actions
19	as appropriately in the form of advice to the
20	commission.
21	This meeting is being conducted in the
22	accordance with the provisions of the Federal Advisory
23	Committee Act. The rules for participation in
24	today's meeting have been announced as part of the

	7
1	notice of this meeting, previously published in the
2	federal register.
3	Mr. Mike Lee is the designated federal
4	official for these sessions.
5	A transcript of this meeting is being kept, and
6	the transcript will remain available as stated in the
7	federal register notice.
8	It is requested that speakers first
9	identify themselves and speak with sufficient clarity
10	and volume so they can be readily heard. We have
11	received no requests for time to make oral statements
12	from members of the public during today's sessions.
13	Should anyone wish to address the
14	committee, please make your issues known to anyone in
15	Committee staff. As an administrative matter, if you
16	haven't already done so, it is requested that you sign
17	the table in the back.
18	We also request that, if you haven't,
19	please confirm that your cell phones are turned off,
20	or alternatively have been rendered silent or on low.
21	Lastly for those of you who wish to do so
22	there are comment feedback sheets available at the
23	sign in desk. At the conclusion of today's meeting
24	the ACNW will conduct its planning procedures meeting.

	8
1	For today I'd like to note that yesterday
2	the committee held two sessions dealing with issues
3	related to the evaluation of probability and
4	consequences of igneous activity in the Yucca Mountain
5	region.
6	The technical discussion was excellent and
7	members have been provided with a lot of information
8	to consider. Today's third and final session are
9	intended to be a follow up of the committee's earlier
10	February 2004 working group on biosphere assessments.
11	Five presentations are currently
12	scheduled. The first two are by doctors Keith Compton
13	and Don Harper, representing the NRC staff in the
14	center for Nuclear Waste Regulatory Analysis.
15	These presentations will focus on the
16	staff's approach to modeling doses due to a disruptive
17	igneous event and how this approach will be used by
18	the staff to review a DOE license application.
19	Dr. Hooper will discuss how the results
20	from the Center's recent tephra ash remobilization
21	study have in fact with the NRC's TPA computer
22	code.
23	At the ACNW February 2004 meeting an ACNW
24	panel of invited experts offered several

(202) 234-4433

	9
1	recommendations for the respective staff to consider
2	in the modeling of dose due to disruptive igneous
3	events.
4	To explore this issue these issues in
5	more detail three subject men or experts have been
6	invited to make presentations at the ACNW. The
7	invited subject matter experts in the proposed areas
8	of discussion I'll talk about when we finish our first
9	session.
10	This session will be followed by a round-
11	table discussion. Of course at the end any time
12	members of the public can ask questions and provide
13	comments at the recognized by the chair.
14	To help the committee explore the issues
15	and interrogate the right speakers, again in think
16	just converse with would be better, we are reminded
17	that we have several of the panel of invited experts
18	saying, they include Dr. Budnitz,
19	Dr. Dave Johnson, Dr. William Hinze, Dr. Bruce
20	Marsh, and Dr. William Nelson.
21	Again thank you all for your participation
22	again today. At the conclusion of today's session Dr.
23	Johnson will provide some summary remarks concerning
24	the issues discussed the last two days in the context

	10
1	of the application of the risk triplet.
2	And now for today's first presentation, I
3	turn the microphone over to Dr. Compton. Excuse me,
4	just before you start, we have asked about the noise
5	that you hear.
6	We're told that it will go on
7	intermittently at some low level of buzz. I apologize
8	for the inconvenience, so if speakers and questioners
9	would use the microphones it will probably help us all
10	here a little better. Thank you very much.
11	NRC STAFF PERSPECTIVE ON CHALLENGES TO MODELING
12	DOSES DUE TO DISRUPTIVE IGNEOUS EVENTS
13	MR. COMPTON: Is this on? Can everybody
14	hear me? Great. I'd like to introduce myself. My
15	name is Keith Compton. I'm with the Performance
16	Assessment section and the Division of Highland Waste
17	Repository Safety at the Nuclear Regulatory
18	Commission.
19	The first thing I'd like to do is to
20	acknowledge the contributors to the reports, Britt
21	Hill and Pat LaPlante directly contributed to this
22	reports.
23	And at the NRC Richard Codell, Tim
24	Parking, Tim Rubenstone and John Trapp contributed.

	11
1	And of course there are a number of people who have
2	been involved in the development of the modeling
3	approach.
4	And I can't list them all by name but,
5	certainly this is a representation of their work.
6	What I'd like to do in this talk is to step back and
7	provide kind of a general overview of the approach
8	that we use and our TPA code.
9	And I want to emphasize that what I'm,
10	going to be talking about what I'm going to be
11	saying today is going to be purely descriptive. I
12	want to simply provide you with an explanation of what
13	it is that we actually do in calculating the doses so
14	that, in the subsequent discussions, you'll understand
15	what model we're actually using, and how we're of
16	calculating things.
17	And I think that might help clarify issues
18	of where things can be improved or what's in the
19	limitations of these. Okay. Could you go back to the
20	effective waste, few more things?
21	I also want to put in that I am only going
22	to be discussing published work. Unfortunately I
23	can't give you any kind of progress reports. It is a
24	work in progress.

	12
1	So I might be limiting my talk to things
2	that have already been published. So I just wanted to
3	say that. And furthermore, although I am not going to
4	be talking explicitly about these insights, I am going
5	to focus my talk on key assumptions and key
6	approximations.
7	And those are identified based on the fact
8	that they have the most significant contribution to
9	those. And, for example, the first incident of that
10	is I'm going to be talking about the extrusive of
11	events.
12	I'm not going to be discussing modeling of
13	doses due to intrusive activity of the damages of
14	waste package, at least ground water contamination.
15	But that tends to result in lower doses than our
16	extrusive case.
17	Now for the outline of my presentation.
18	The bulk of my talk is going to be going through a
19	discussion of when I hold conditional dose analysis.
20	This is the evaluation of the doses given, that an
21	eruption occurs.
22	So, at this point, the conditional dose analysis
23	does not take into account the probability of
24	occurrence. It assumes that an eruption occurs and

	13
1	then it is done probabilistically to examine what the
2	consequences are.
3	And I'll essentially be stepping through.
4	This is you can kind of recognize this as a
5	traditional risk assessment chain of release
6	transports, exposure and health effects or dosimetry.
7	And I'm just going to be stepping through
8	each of these and getting some of the key assumptions
9	and approximations. I will end up with a brief
10	discussion of how we go about calculating the risk.
11	In other words doing the probability
12	rating. And I should point out that that probability
13	rating is not done within the TPA code, that's a post-
14	processing step.
15	Code Structure, next slide please. The
16	code structure there there are four modules that
17	are primarily involved in the evaluation of doses of
18	igneous activity.
19	First module in the TPA code is called
20	volcano. And this you can think of this as
21	identifying the release or parameter that are evective
22	to the release.
23	And such is the number of waste packages
24	that are entrained, the location of the eruptive

	14
1	center of the repository, and the time that the
2	eruption occurs, and so forth.
3	The next module is ASHPLUME. We've heard
4	some discussion about that. That's basically very
5	similar to the TEPHRA code that was discussed
6	yesterday.
7	And the ASHPLUME model takes the eruptive
8	parameters of the volcano and is used to compute the
9	deposition both of spent fuel and of ash that's the
10	receptor location.
11	The next module of ASHRMOVO. This is a
12	code that brings or the module that brings in the
13	temporal evolution of the dose. The doses of course
14	that can persist over time.
15	There are different removal mechanisms for
16	the ash blanket. And ASHRMOVO accounts for the
17	temporal evaluation of those. And DCAGS is the actual
18	dose assessment code that actually does both the
19	exposure and those calculations.
20	Next slide. Now when I put this up,
21	that's a little bit hard to read. It is dark. But I
22	wanted to emphasize that in, the results, what we find
23	is that the dominant radionuclides that contribute to
24	the peak dose, which occurs at about 300 years in our

approximations, the key radionuclides are americium-241, and then the plutonium isotopes. Now if this makes sense, essentially in the kind of period between about hundreds to a thousand years, the bulk of the radioactivity is associated with americium and plutonium.

7 And a release event that can release these 8 without taking credit for -- to hold over the other 9 things that might tend to delay nuclides would give 10 you these nuclides contributing much more to the dose. 11 And furthermore, in a highly dusty post-

12 eruption environment you're going to have a lot of 13 inhalation. And so again, these show up and the big 14 contributors.

Putting this slide up allows me to focus on the fact that I'm going to be talking in the dose assessment primarily about the inhalation pathway, because that is the dominant pathway.

And I'm going to talk a little bit about americium and plutonium because that pathway -- those nuclides, if you understand those, you can really understand the bulk of the consequences. Next slide. Now a number of you are probably very familiar with this type of approach. The dose at any

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

1

2

3

4

5

6

	16
1	particular time after the eruption is simply the
2	intake how much of the radionuclide you take in,
3	multiplied by a dose conversion factor.
4	And the intake is simply the air
5	concentration times the breathing rate and then
6	adjusted by a fraction or how long you're what
7	fraction you're exposed to it.
8	This is a very traditional dose
9	assessment. And furthermore the airborne
10	concentration is simply calculated by the mass
11	loading, the amount of dust in the air, times the
12	specific activity, or the concentration in the ash.
13	I put this up, it's very simple but it's
14	useful to think about this equation, because
15	essentially understanding how each of these perimeters
16	is identified will tell you how they come into the
17	calculation of the consequences.
18	CHAIRMAN RYAN: Can you take just a quick
19	question, if I may?
20	MR. COMPTON: Sure.
21	CHAIRMAN RYAN: Say you multiply the
22	specific activity in the ash times
23	MR. COMPTON: Mass loading?
24	CHAIRMAN RYAN: Yes, mass loading, sorry.

	17
1	That needs to be in the respirable size fraction, I
2	would assume.
3	MR. COMPTON: That's true. And I'll
4	answer that.
5	CHAIRMAN RYAN: Okay.
6	MR. COMPTON: Basically what we do is we
7	define the mass load as the respirable mass load.
8	CHAIRMAN RYAN: But you'll cover those
9	details
10	MR. COMPTON: I'll talk about that.
11	That's correct. And, furthermore, I should point out
12	that you realize we do use a mass load approach. We
13	don't we define a mass loading.
14	We don't to a calculation of the airborne
15	dust concentration using like a resuspension approach.
16	So again this is and I'll talk about it a bit
17	later.
18	So that kind of private framework for how
19	we go about it, we're going to step through kind of
20	each of these steps, we've this the first step
21	we really discussed in great detail yesterday.
22	But I will reiterate the key assumptions
23	and approximations. First is that the number of waste
24	packages effects it is a function of the conduit

	18
1	diameter.
2	Conduit diameter is sampled, and then the
3	number of waste packages affected is fused with that.
4	It ranges between I think about one percent typically.
5	And the next key is that 100 percent of
6	the inventory is contained in those waste packages
7	that are affected are assumed to be entrained into
8	Tephra.
9	Essentially what we're saying is that no
10	credit is taken for a waste package. That's what that
11	means. And furthermore the entire erupted inventory
12	is presumed to be available for atmospheric transport.
13	This approximation, another way of saying
14	it is that this is all the inventory goes all into
15	the Tephra, it doesn't go into a lava fraction or
16	anything else.
17	So it's all all the inventory goes into
18	the Tephra. Those are key assumptions that were
19	discussed yesterday, and I'm not going to go into them
20	in much detail.
21	Next slide please. Now the atmospheric
22	transport, this is calculated. The ASHPLUME model is
23	based on the model developed by Suzuki, of which a
24	number of you are probably familiar with.

(202) 234-4433

	19
1	A few of the key assumptions in this model
2	or in this limitation is that we when we run the
3	code we define that the wind to always blow toward the
4	receptor location.
5	The reason for this is there is the
6	possibility that, even if the wind is not blowing
7	south at the time of the eruption, the RMEI may still
8	be exposed because of mobilization of ash or
9	mobilization of contaminated material down to the RMEI
10	location.
11	So this is kind of a first cut at trying
12	to account for the probability of exposure of the
13	conditional probability of exposure. I'm going to
14	come back to remobilization because that's something
15	that is of apparent interest.
16	Furthermore, and this is an assumption
17	that the Suzuki model, the wind field is assumed to be
18	constant, one dimensional. For any particular
19	realization, the wind field is one dimensional that
20	doesn't vary.
21	Of course we can for different
22	realizations we can have it blowing it at different
23	speeds, so forth. Next tephra particle sizes are
24	modeled.

	20
1	It is a distribution of tephra particle
2	sizes. That's in the ASHPLUME code. We do, to account
3	for the fact that there is uncertainty in what the ash
4	particle distribution size is that that's something
5	that's very hard to understand.
6	That the mean value of that distribution
7	is sampled and between at ranges between 100
8	microns to up to 10 milliliters. And then finally,
9	and this is again this is based on the Suzuki
10	model, the deposition is based on essentially
11	gravitational settling model.
12	What this means is that the transport
13	model is applicable for particles greater than about
14	15 to 30 microns. Below that gravitational settling
15	is not the proper mechanism to use.
16	So the codes certainly dependent on a
17	smaller particle size but it wouldn't be appropriate
18	to do that. So and the key the output of
19	Suzuki model, as I mentioned before, is that it gives
20	the concentration of spent fuel at the RMEI location,
21	and the concentration of ash.
22	And a key approximation or a key approach
23	here is that the concentration of spent fuel in the
24	Tephra, and the ten inch soil there is computed

	21
1	essentially by looking at the total inventory and the
2	at the location, a totally active inventory,
3	dividing that by the total amount of ash.
4	So at this point you start to and that
5	is carried forth. Essentially what that means is
6	that you don't carry the particle size information
7	from the transport model to the dose model.
8	At this point you have essentially kind of
9	a homogenization. And I guess
10	CHAIRMAN RYAN: Let me just poke at that
11	for a second. What that does it takes particle
12	sizes that are not respirable and if I'm hearing you
13	right, turns them into respirable particles.
14	MR. COMPTON: Yes. That is the potential
15	impact.
16	CHAIRMAN RYAN: Well it's not a potential
17	impact, it's what you've assumed in your calculation.
18	It's what you've done. You've taken things that are
19	way above respirable and by doing that arbitrary step
20	function, you've turned them into respirable
21	particles.
22	MR. COMPTON: That's correct, and I'll
23	give a brief response to that and then for a little
24	bit more I'll talk to Dr. Britt Hill who can address

	22
1	this.
2	The brief response is that we do observe
3	dustiness at post-eruption, and we do observe
4	respirable particles at an eruption site. So there is
5	some respirable dust.
6	And because I am not an expert on any
7	technical basis for that, I'd like to ask Britt Hill
8	to discuss that.
9	MR. HILL: Britt Hill CNWRA. Give you a
10	very brief explanation. None of the computer codes
11	that are available are suitable for modeling both
12	course particles, particles of 100 microns and
13	greater, as well as the fine particles that we see in
14	these deposits.
15	Fine particles and I'll just say 100
16	microns and finer right now. Fine particles in these
17	fall deposits range from several percent of the total
18	deposit near the vent, to by the time you're around 20
19	kilometers away from the volcano, they can be 20 to 30
20	percent of the total deposit.
21	We can't model those discretely because
22	those fine particles are very sensitive to assumptions
23	that you make for vertical turbulence and vertical
24	mixing within the atmosphere.

	23
1	Courser particles aren't sensitive to
2	those assumptions, so you can use simple invective
3	relationships in the Plume model, and a simple
4	settling model to account for mass redistribution.
5	But we are not ignoring the fine
6	particulus in this model. We are taking a total grain
7	size distribution with a mean and standard deviation,
8	and allowing that grain size distribution to change
9	with distance from the vent in the way that we see
10	that occur in volcanoes.
11	So, while we are not modeling the explicit
12	transport of fine particles in this code, because none
13	of the codes can do this, we do account for variations
14	in abundance in fine particulates by the way the total
15	grain size distribution changes with distance from the
16	vent.
17	CHAIRMAN RYAN: I'm struggling with two
18	things. And I accept your answer for what you did,
19	but I'm not convinced that it represents the physical
20	realities that you'd see. Let me finish. Respirable
21	to me is 20 microns and down.
22	You know, two things that strike me are
23	the activity partitioning, where's the radioactive
24	material end up? What size fraction? And just having

	24
1	a step function where you distribute the material out
2	then you kind of make this step over to respirable
3	sizes, it just seems like you're preserving the
4	availability of the radioactive material and not being
5	a justified physically demonstrated assumption.
6	I appreciate the modeling difficulty you
7	have but just because it's difficult to model I'm
8	wondering how conservative your assumptions could be.
9	MR. HILL: It's not just difficult to
10	model. We and many people have tried to make models
11	like this. And it's an area of ongoing research
12	involved in the volcanological community.
13	CHAIRMAN RYAN: Well that would be
14	difficult.
15	MR. COMPTON: I understand that.
16	MR. HILL: At this stage there's practical
17	difficulties and impractical difficulties. The
18	behavior of fine particles, 100 or let's just say 20
19	microns now, during an eruption is very complex to
20	model because in the eruption plume, there are quite
21	simply a conglomeration of effects.
22	These particles are not discrete. They
23	adhere to courser particles, they have electrostatic
24	charges. They respond to moisture in the plume, and

25 they clump together and often behave like courser 1 2 particles and break apart on impact when they hit 3 ground. 4 This is one of the phenomenon has been 5 recognized since Mount Saint Helens' eruption, where 6 you saw a secondary fall out peak around central 7 Washington from just these effects of ash sticking to 8 each other and forming a secondary fallout. 9 So while I appreciate the desire to have 10 a more realistic modeling, I and our consultants, 11 including some people who are writing the book on 12 these processes cannot come up with a model that will 13 take and account for both the courser bulk of the 14 deposit, as well as the finds that we would like to 15 have to do a particle tracking type approach to 16 dosimetry. 17 It's beyond state of the science to 18 request that, or think that it's capable in this 19 program. 20 CHAIRMAN RYAN: I appreciate that but I 21 quess it must be that lack of having the science to 22 move forward has to be put in perspective that the 23 fact is still calculating doses with two significant 24 digits of contributions from different radionuclides.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	26
1	So I offer there's a lot of uncertainty in
2	the result as a result of what you just stated. I'd
3	be curious to see how you'd get through that.
4	MR. HILL: I think to a first
5	approximation we're doing pretty good with the finds
6	because one of the things we have done is taken
7	numerical models, and compared them to actually
8	deposits on the ground for an eruption that we have a
9	good data center for, where we went out and measured
10	the fresh deposit.
11	And these are coming out this model is
12	going us a reasonable approximation for the amount of
13	fine material that we're seeing 20 kilometers away
14	from one of these types of volcanoes.
15	CHAIRMAN RYAN: I'll remain to be
16	convinced.
17	MR. HILL: Okay.
18	MR. COMPTON: All right, I do want to
19	bring that up because that is a very important
20	assumption. It's very important to be clear about
21	that so that the panel can understand what it is that
22	we're doing.
23	It certainly it is a challenge to model
24	that realistically you wouldn't need to know much more

about the process of incorporation and the process of bringing down the particles.

3 So I wanted to present this to make it clear as to what were doing, so it can be discussed. 4 5 The next step is exposure assessment, and the -- as I 6 previously airborne mentioned the activity 7 concentration, now that we've made our approximation 8 in the previous the airborne step activity 9 concentration is simply the mass load, the milligrams 10 per cubic meter, and the specific activity, the 11 multiple of those two things.

And our approach is to assume that the mass load is initially elevated. We vary that between the -- and I should point out that there is a backup slide both on this, and there was also a backup slide on the fundamental model for that transport model.

17The mass load is initially elevated, and18ranges between two to about 30 milligrams per cubic19meter. That's assumed to be the respirable mass load.

And then it is assumed to decline in approximately a first order fashion back to background levels, depending upon what values you sample or both the initial and the background declinement.

The production of that ground takes about

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

24

1

2

	28
1	30 to 100 years. And these mass loads that are used
2	are based on, correct me if I'm wrong, I believe those
3	are based on measurements at certain magma.
4	This is the basis for selecting these
5	values. Next slide. For dosimetry I unfortunately
6	can't present a lot of great technical detail because
7	our approach to dosimetry is simply to use federal
8	guidance.
9	And I given previously the equation
10	and you saw where that was brought in and we simply
11	use the inflation coefficients. We do make the
12	assumption that the particle sizes are of one micron.
13	We do assume adult dosimetry and, in
14	situations where we're faced with choice of the
15	chemical form, we tend to use the or we do use the
16	form that gives you the highest dose conversion
17	factor.
18	If you go the next slide then I can kind
19	of talk a little bit to the impact of those. Again,
20	bearing in mind that our two dominant, those
21	contribution nuclides under the assumption for making
22	our plutonium and americium, I did kind of a quick
23	check using the code, which allows an approximation or
24	a correction for particle sizes up to it'll do it

	29
1	up to 20 but I think it's most it's recommended to
2	go up to about ten.
3	And you can look at the change in the dose
4	conversion factor for change in particle size. And
5	what you see is over this small range, there's not a
6	great there's not a significant difference in the
7	americium or the plutonium dose coefficients.
8	The lower curve is the less conservative
9	chemical form, and there there is some reduction as
10	you go to larger particle sizes. But, again, there's
11	not a huge change in these.
12	However, I should point out that these are
13	all predicated on the FGR 11 model. If you were do
14	more to a different dosimetry model to the some of
15	the more modern dosimetry, I'm not going to say what
16	the impact is going to be.
17	Hopefully Dr. Eckerman will talk a little
18	bit about that. Again I'm willing to present what
19	we've done.
20	CHAIRMAN RYAN: I appreciate that Keith
21	and maybe it is a question for Dr. Eckerman a little
22	later, but and I don't know the answer to this but,
23	is there a logical inconsistency between assuming a
24	class W for one and a class Y for the other?

	30
1	MR. COMPTON: The I don't know. Well
2	for americium I believe there's only in the model
3	there's only one chemical form. And
4	CHAIRMAN RYAN: I guess we're okay there,
5	I think I don't want to call it in my head but I
6	just
7	MR. ECKERMAN: That's the difficulty of
8	using that particular data set. It's should get
9	beyond and in fact, I thought in our last meeting
10	we had a recommendation to get away from the Federal
11	Guidance 11 information because of questions like
12	this.
13	You only that was for workers and it
14	only addressed one chemical form for the americium.
15	CHAIRMAN RYAN: Maybe we can just hold
16	that thought because
17	MR. ECKERMAN: I'll amplify that later
18	MR. COMPTON: And again I'm presenting
19	the things that were already published. This is what
20	we have published so I would certainly be interested
21	in any next slide please. Now that has finished.
22	I hope that that's given you an idea of
23	how we actually get from these different eruptive
24	parameters to the conditional dose. The next step is

	31
1	to how we get actually to risk?
2	This is not necessarily pointing to the
3	curve. And the this slide kind of gives an idea of
4	how you would go from a conditional dose to risk.
5	These slides, the yellow slides for example, give you
6	an idea of what the output of the TPA code would be.
7	The dose would be the highest in the year
8	of the eruption because the mass loads are the
9	highest, the exposure is the highest.
10	And then they would decline.
11	That decline is mainly driven by the
12	decline in the mass load. There are, of course, other
13	factors that would tend to reduce it. But, with our
14	approximation of production with about 10 year half-
15	life, that's the dominant reduction factor.
16	And to calculate the mean dose at any
17	particular time, because our compliance is based on
18	the mean dose, essentially take the average at any
19	particular point, and average the different doses.
20	And then account for the probability that
21	an eruption occurs at all over the compliance period.
22	So you said you allowed the eruption to occur at
23	different times and with different properties and then
24	perform this averaging.

	32
1	One thing that I'll point out that this
2	slide illustrates is the effects of persistence. If
3	you have mass loads or exposures that persist for an
4	appreciable time after the eruption, this of course is
5	not going to affect peak dose particularly, but in the
6	probability weighting process, longer higher
7	persistence of longer duration higher tails, is going
8	to result in the averaging procedure averaging over
9	generally larger values.
10	And therefore it will increase the risk
11	the probability weighted dose, and I hope that that is
12	
13	CHAIRMAN RYAN: I'm struggling with this
14	curve. I really don't know what I'm looking at. I
15	mean you've got four events followed by a decay period
16	and I think the yellow line in the middle is the mean,
17	is that right?
18	MR. COMPTON: Say again.
19	CHAIRMAN RYAN: You've got four events
20	that have occurred, your 100, 300, 500, and 700.
21	MR. COMPTON: Right.
22	CHAIRMAN RYAN: So what it looks like is
23	doses delivered from that event over
24	MR. COMPTON: Right.

	33
1	CHAIRMAN RYAN: a couple of hundred
2	years, mainly 100.
3	MR. COMPTON: Let me step back for a
4	second.
5	CHAIRMAN RYAN: Could you help me
6	understand the shape and what these terms are telling
7	me?
8	MR. COMPTON: Sure. And some of that is,
9	well right, let's pick the 100 year event. Let's say
10	you have an eruption in year 100. And you might have
11	a mass load.
12	And I'm just going to make something up.
13	But you would have a mass load of say 15 milligrams
14	per cubic meter. You can calculate those from that.
15	CHAIRMAN RYAN: Right.
16	MR. COMPTON: Then in the next year it's
17	going to reduce slightly but it will still be elevated
18	because your exposure is elevated.
19	CHAIRMAN RYAN: Wait. How do we get from
20	year one to year two? It's got to go down. What
21	makes it go down? Tell me a little bit about the
22	mechanisms that you've assumed.
23	MR. COMPTON: Basically we use the
24	reduction as primarily the reduction in the mass

	34
1	loading. That's that equation.
2	CHAIRMAN RYAN: By ran out, by settling,
3	by deposition, all of the above?
4	MR. COMPTON: We don't have right in
5	the model we don't specify what the process is. This
6	is based on and again I'll have to turn Britt to
7	CHAIRMAN RYAN: Let me shape my question
8	as Britt's coming to the microphone. I'm trying to
9	figure out how a mass loading of 15 milligrams per
10	cubic meter stays that high for 100 years.
11	MR. COMPTON: Right.
12	CHAIRMAN RYAN: Or decays so slowly over
13	a couple hundred years according to these codes.
14	MR. HILL: Okay, Britt Hill, center.
15	First that was just an example number. That would be
16	an extremely high mass load for what we're dealing
17	with.
18	What we have measured in the field
19	following volcanic eruptions, four years for example
20	after an eruption, would be on order of a milligram
21	per cubic meter for lightly disturbed activity levels.
22	Again you have to make sure you're talking
23	about the right activity level, not just a static mass
24	load but an active mass load. Now this is an example

	35
1	on how that mass load through time may decay.
2	You've got to remember that we are talking
3	not only about the C-2 deposit, but the contribution
4	from deposits around this particular location,
5	including come of the things that Dr. Hooper will be
6	talking about in his presentation.
7	Remember this is the TPA 4.1 J version.
8	There have been modifications to that but they have
9	not been presented yet.
10	CHAIRMAN RYAN: The critical issue in all
11	that then is resuspension correct?
12	MR. HILL: Pardon?
13	CHAIRMAN RYAN: Resuspension is really the
14	critical issue here then?
15	MR. HILL: Yes.
16	CHAIRMAN RYAN: Of some activity level?
17	MR. HILL: Airborne concentration above
18	the deposit.
19	CHAIRMAN RYAN: And again I'm trying to
20	just make sure I'm clear, and maybe somebody else has
21	the same question. But, what you're really
22	calculating at some point in the concentration in the
23	breathing zone of the RMEI or somebody
24	MR. HILL: Yes.
	36
----	--
1	CHAIRMAN RYAN: And it's caused by two
2	things. One is blow-in from other areas, resuspension
3	due to whatever activities are assumed in that area,
4	and then the normal deposition processes for the
5	atmospheric condition you assume at that location.
6	Now is that pretty much it?
7	MR. HILL: That's pretty much it.
8	CHAIRMAN RYAN: Okay.
9	MR. HILL: Because the third component
10	where the RMEI location is right next to a major
11	drainage, this 40 mile wash drainage. And again in
12	our first model, the TPA 4.1 J, we are recognizing
13	that mass could be redistributed from upstream down,
14	and deposited in this general area of the RMEI.
15	So it's not simply blowing it from a
16	regional dust field, but a concentrated or potentially
17	concentrated deposit coming down and being deposited
18	in the general location of the RMEI.
19	That would also bring in fine particulates
20	into the nearby suspendable field and sustain the mass
21	load, or sustain the airborne particle concentration
22	through time at a rate that would be greater from just
23	measuring it at an in tact deposit and watching the
24	normal soil stabilization processes occur.

(202) 234-4433

	37
1	CHAIRMAN RYAN: Are any
2	MR. HILL: That's why there's a decay
3	function that has a variable half-life. And Dr.
4	Compton is just showing how the assumptions on the
5	half-life in that decay in airborne particle
6	concentration can affect the dose calculations when
7	they're put into a probability weighted analysis.
8	CHAIRMAN RYAN: More to come
9	MR. HILL: Pardon?
10	CHAIRMAN RYAN: More to come.
11	MR. HILL: More to come.
12	CHAIRMAN RYAN: Okay.
13	MR. HILL: And we'll expand in Dr.
14	Hooper's talks some of the technical basis for
15	understanding why there's a decay function and not a
16	very sharp drop off like you would see in a regime
17	that's dominated by simple soil stabilization and
18	surface leeching processes.
19	This is not a typical soil out around
20	Yucca Mountain region.
21	CHAIRMAN RYAN: Okay. Thank you.
22	MR. COMPTON: Okay. And that does bring
23	up the fact that essentially this issue of
24	remobilization or replenishment of dust loads we in

	38
1	the current model, the current code we've accounted
2	for it essentially in two ways.
3	I mentioned previously we fixed the wind
4	direction to blow towards the receptor, and we do have
5	the this decay being a little bit more slowly.
6	Those are the two ways in which we try to
7	kind of mimic the effects of remobilization in the
8	current version of the code. However, as was
9	mentioned, Dr. Hooper is going to up and talk about
10	some further work and remobilization.
11	We recognize that's something that's
12	important to understand a little bit better. Now final
13	slide. Again I just wanted to go over and identify
14	what were the key assumptions and approximations.
15	As I started at the outset, my goal was
16	descriptive. My goal was to be very clear about what
17	it is that we're actually doing and then there could
18	be a discussion of the technical basis of those. And
19	then finally I want us to talk a little bit about the
20	factors that are likely to have a significantly
21	influence on the risk or the probability weighted
22	dose, because those there's extra factors such as
23	persistence of the deposit and such that come into the
24	calculation of the risk.

	39
1	That's all that I have prepared. If there
2	are any questions I will try to take them or I will
3	try and direct you to the appropriate expert.
4	CHAIRMAN RYAN: If you could go to your
5	backup slide 17.
6	MR. COMPTON: The mass loading mass
7	loading?
8	CHAIRMAN RYAN: Yes, could you talk a
9	little bit about these values that you've shown for
10	the one year mass loading and the mass loading above
11	soil?
12	Again they seem to be pretty large mass
13	loadings or hundreds to tens of milligrams per cubic
14	meter and then hundreds to tenths.
15	MR. COMPTON: Right, these are as I had
16	mentioned those were based on some measurements that
17	were taken at Cerro Negro. They are something that
18	we're examining.
19	Again the I would kind of separate
20	these two things. One is that the functional form.
21	You could put a different mass loading into that
22	into the equation's there the one but then there's
23	the values.
24	Those particular values have a technical

	40
1	basis but they're being examined.
2	CHAIRMAN RYAN: They seem not for any
3	particular reason other than just to help inform the
4	EPA dust loading at worksites, five milligrams per
5	cubic meter.
6	MR. COMPTON: Right and then the OSHA
7	limit I think for total dust is fifteen, and for
8	respirable five.
9	CHAIRMAN RYAN: Five. Well TPA and OSAH
10	release the same thing so
11	MR. COMPTON: So right we do it's
12	very dusty. We do realize that.
13	CHAIRMAN RYAN: Okay. Well and again, I'm
14	not necessarily picking on that but I just point that
15	out because that is in fact a big driver of dose. The
16	numbers the amount of dust load.
17	MR. COMPTON: That's correct,
18	and that's the reason that I
19	CHAIRMAN RYAN: Okay.
20	MR. COMPTON: The equation is so that
21	essentially the peak the conditional doses is
22	linear. I don't want to immediately say that the risk
23	is linear, I have to think about it but
24	CHAIRMAN RYAN: Let's just deal with dose

	41
1	for the moment.
2	MR. COMPTON: Okay. But that's correct.
3	CHAIRMAN RYAN: Okay. Thank you. Any
4	other questions? Ruth?
5	MEMBER WEINER: Thank you sir. I had
6	numbered the same questions that Dr. Ryan has already
7	asked. But let me expand on them. And maybe Britt
8	Hill will want to answer some of these.
9	You made the statement, Britt, that you
10	can't model fine particulates. Since these
11	atmospheric dispersion models are imprecise at best,
12	what would be the problem with identifying the
13	distributed a distribution of fractions of your
14	airborne material that are is respirable, and
15	that's sampling on that distribution?
16	I mean, that take into account the
17	uncertainty, well a lot of uncertainties, in an
18	imprecise way. But it's no less imprecise than the
19	rest of your dispersion model.
20	MR. HILL: One of the things we've
21	again this is Britt Hill, CNWRA. One of the things
22	we've observed in our field measurements is that the
23	abundance of suspendable or respirable finds that are
24	in the mass load doesn't seem to be affected by the

	42
1	abundance of that size fraction in the deposit between
2	limits of total suspendable finds being about two
3	percent of the deposit to 20 percent of the deposit.
4	The mass load is the same. There are many
5	more fine particulates available for resuspension in
6	the deposit than can be entrained at any on time, in
7	fact, quite a long time after the eruption.
8	One of the insights we've gained from
9	Cerro Negro is that this deposit had received over
10	five meters of rainfall since its deposition,
11	including two meters during Hurricane Mitch.
12	You would expect, if washing and windowing
13	was going to be a significant process in this deposit,
14	we would have seen a profound effect when we went out
15	and measured mass loads in the breathing zone above
16	this deposits.
17	But, instead, we didn't see much at all.
18	What that is telling us is that we can't make a mass
19	load model that's going to be linked directly to the
20	abundance or size distribution of those fine
21	particulates in the deposit because you're suspending
22	many more, or excuse me, have available so many more
23	particles under any realistic distribution in the
24	deposit that can be suspended at any given time, and

	43
1	for some time after the eruption by typical wind
2	turbulence and resuspension processes.
3	So I don't think going to a discrete
4	tracking of grain sized bins within the deposit is
5	going to gain us any insight on the mass load
6	characteristics above the deposit. We are already
7	saturated with respect to the suspended particles
8	CHAIRMAN RYAN: I think I would understand
9	your point. But, if you challenge that the activity
10	distribution might vary the particle size, then I
11	think you've got to rethink your thought there.
12	Let me tell you why I asked that. I've
13	seen you know sealed sources melt in molten steel. A
14	huge fraction of the radioactivity ends up in the
15	steel blob on the center of the steel mill floor.
16	A very small fraction ends up in a bag
17	house, and there is a partitioning in the radioactive
18	material. If, in a igneous event and God knows I'm
19	not trying to draw a direct analogy between a source
20	melt in steel and an igneous event but I just think
21	that exploring, numerically if no other way the
22	assumption that there's a uniform distribution of
23	radioactive material in the mass is a critical issue
24	of uncertainty that you need to not leave untouched.

	44
1	MR. HILL: I certainly agree that there's
2	a lot of uncertainty in the incorporation mechanisms
3	for spent fuel during these calculations. However,
4	one perspective is that we need to remember this is a
5	trace component in the eruption.
6	The mass of the intentionally incorporated
7	waste is on a mass basis or volume basis, exceedingly
8	small, compared to the mass of Tephra that's being
9	erupted.
10	About point one to excuse me, point
11	zero one percent at best. So we are looking at the
12	behavior of a dilute phase in the total erupted mass.
13	CHAIRMAN RYAN: But you're distributing in
14	uniform throughout the mass, are you not?
15	MR. HILL: The same way that we see wall
16	rock fragments distributed uniformly throughout an
17	eruption deposit.
18	CHAIRMAN RYAN: I'm sorry.
19	MR. HILL: It's not coming in at a
20	particular point. It's a uniform incorporation
21	process.
22	CHAIRMAN RYAN: Well let me ask it a
23	different way. Any ten milligrams of ejector or
24	Tephra material that comes out of this event has an

	45
1	equal probability of having the same amount of
2	radioactive material in it as any other ten
3	milligrams. Is that correct?
4	MR. HILL: I believe that's correct.
5	CHAIRMAN RYAN: My challenge to you is, I
6	don't think that's realistically representative,
7	because there's going to be some fraction of this
8	waste package material that's going to end up as
9	incorporated into a smaller fraction at 100 percent
10	for all the mass involved.
11	MR. HILL: That's always possible.
12	CHAIRMAN RYAN: But I, and I
13	MR. HILL: But, how do you a technical
14	basis to look at the partitioning.
15	CHAIRMAN RYAN: By exploring numerically
16	is one way. And to see if what I'm suggesting is
17	important or not, but just leaving that assumption
18	unexplored is not so good either.
19	MR. HILL: We also need then, in a fully
20	realistic model to start looking at the waste form
21	behavior under these hydrous, high-temperature to low-
22	temperature oxidizing and reducing conditions, and
23	then the surface exposure, along with the chemical
24	leeching absorption processes that go on during a
	I

	46
1	typical volcanic eruption.
2	I agree a fully realistic model would be
3	most satisfying. But there are a wide range of
4	complexities in trying to impress a realistic particle
5	based or chemical based or chemical based tracking in
6	these deposits through time.
7	CHAIRMAN RYAN: Again, I'm not suggesting
8	to resolve all the chemical and physical questions
9	here. I'm simply saying that exploring what the
10	impacts would be on calculated dose of looking at
11	different distributions of the radioactivity, and
12	fractions of the total mass might be helpful.
13	MR. HILL: We have been doing that. Dr.
14	Dick Codell.
15	(Laughter.)
16	CHAIRMAN RYAN: I saw her behind the
17	MR. HILL: Dr. Codell could spend a minute
18	to explain some alternative incorporation models that
19	he's been working on and has presented.
20	MR. CODELL: I am Dick Codell from NRC
21	staff. Thank you Britt. I have a paper coming out.
22	It should come out in November in Nuclear Technology
23	based on a presentation on waste meeting, where I
24	looked at an alternative conceptual model for fuel

	47
1	incorporation.
2	The model we have in the TPA code, the Ash
3	plume model, is a simple model that probably is good
4	enough and has one parameter that you can vary. The
5	doses that you can get don't seem to be very sensitive
6	to that parameter.
7	It's called the incorporation ratio. I'm
8	this alternative model I used a different idea of how
9	spent fuel and ash or tephra might mix. And I went
10	through all the analysis and it does behave somewhat
11	differently then the model we use, but in the end the
12	results weren't more than a factor of two differences
13	in the element dose people might get.
14	So, in light of all the other
15	uncertainties, we decided that it was not necessary to
16	change the model.
17	CHAIRMAN RYAN: Okay. Is that available
18	as a preprint at this point?
19	MR. CODELL: I'm sure I can send you one.
20	Yes.
21	CHAIRMAN RYAN: Okay that'd be great.
22	Thank you.
23	MR. CODELL: Thank you.
24	CHAIRMAN RYAN: Yes. Bill?
	I

	48
1	MR. MELSON: What we had I think that
2	I would like to continue this line of investigation.
3	Clearly if we have some overpressure inside of a steel
4	of other vessel you'll have a fragmentation.
5	If it's not steel, or whatever and rock,
6	you'll have a fragmentation. The particle size
7	distributions in those two cases I would assert are
8	probably very, very different.
9	The metal case it'll be large, you know,
10	fragments. In the case of a bit of rock, there'd be
11	a great deal of dust as well as large ones. And so
12	I'm just going to say that, in the modeling of
13	fragmentation process, we had to distinguish the rods
14	from the rock.
15	And it's going to make a big difference.
16	If you need one micron in size or whatever for
17	respiration, I would assert that, in the initial
18	material, you're not going to have any pieces of the
19	rods of that size.
20	They're going to be larger. And there
21	will some sorting of this process. Now I know Britt's
22	aware of this, he's thought about it and I believe he
23	mentioned it just now.
24	I think that's an important consideration

(202) 234-4433

	49
1	will affect doses. I don't think that can be
2	neglected. And I think you're suggestions numerically
3	modeling that effect.
4	Just explore it. It would be interesting
5	to decide whether you want to really go after the
6	physical model. The other thing in the business,
7	you know if you're scaling Yucca Mountain, in the dry
8	in the usual dry says you see dust devils going
9	crazy all over the area.
10	And these are going to be a constant
11	source of disruption of surface and a mixing and a
12	spreading out and a dilution of these materials that
13	is a real thing which can be measured.
14	This can be addressed in the field by
15	really good experiments by using some contaminate
16	distribution. And that too will change or give some
17	quantitative feeling to what happens to the layer of
18	contaminated ash.
19	The other thing, are big storms in deserts
20	are the main source of erosion. And it can be
21	catastrophic, as you all know. And they can remove
22	the contaminated layer in a single storm, and do more
23	than remove it.
24	They can take, you know, big tremendous

	50
1	galling and other things happening. And that effect
2	ought to be considered to in some way. I not
3	MR. CODELL: You'll see that in Dr.
4	Hooper's presentation. I'm sure he'll bring that up.
5	MR. MARSH: Okay. That was about it I
6	think. A little Britt's of comment about uniform
7	distribution of generalized inclusions in lava flows
8	or in pyroclastic flows, if they're mixed, true.
9	But in a lava flow or other things we know
10	they're not necessarily uniform mixed.
11	And, if we consider the digestion, if it could
12	happen the canisters as blobs coming out, whether
13	uniformly distributed or not, I would say it is a
14	question you would have to consider more carefully.
15	And just assume quickly that because we
16	have some one example, three examples, that will
17	always happen.
18	MR. HILL: Well first, I'm not really
19	concerned about the lava flows or pyroclastic flows.
20	It's only the tephra fall deposits. And, well again,
21	we have done a lot of work in trying to constrain this
22	to the best that we can using analog information from
23	reasonably comparable volcanoes.
24	Certainly you can we have done some

exploratory calculations where you allow the fuel to only come out at an early stage of the eruption. Say you get a contamination layer through there, then your assumptions become critical on how that deposit erodes through time.

6 On the average though, for any single 7 realization, of course that could make a profound 8 difference in dose through time history, if you had a 9 contaminated layer in the deposit versus a uniform 10 deposit.

11 When to run hundreds of you start 12 realizations, that peak from the contaminated layer 13 really just averages out to a uniform distribution, 14 unless you're going to an extremely short erosion 15 time.

Then again, you don't think it would be truly supportable. So we have done some exploratory analyses to consider potential instantaneous release of all the material into a layer.

But again, we're dealing with a trace amount of mass, so it's not like we're really talking about a visibly contaminated layer. Even under the worst of assumptions.

And it doesn't make a significant

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

24

1

2

3

4

5

52 difference to the risk calculation when we're starting 1 2 deal with all the range of uncertainty and to 3 considering all the potential future states that we 4 have to consider. 5 CHAIRMAN RYAN: I'm sorry Ruth, you wanted 6 to finish a couple of questions and then --7 MEMBER WEINER: I had a couple more. Ι 8 guess I'm a little lost in the explanations. The 9 point I was trying to get at, which I think Dr. Ryan 10 has articulated very well is, you are dealing with 11 uncertainties. Isn't this a good -- to 12 simplify my 13 question, isn't this a good place to incorporate 14 uncertainty into your model, and make yourself, for 15 example, a distribution of the fraction of respirable -- of the fraction of your inhaled mass, or of your 16 17 mass that is respirable instead of treating all of 18 your airborne stuff as respirable? 19 The other place that I would have looked 20 to incorporate uncertainty is in the partition, after 21 all, plutonium dioxide is very dense. All the 22 actinide oxides are dense. 23 And, if we can partition uranium in coal 24 dust, in fly ash, between the fly ash and the bomb ash

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	53
1	which has been done by TPA numerous times and
2	looking at fly ash emissions.
3	If we can do that, it seems to me you can
4	make some estimates of the partitioning of the
5	actinides between the respirable, non-respirable
6	particles, or even between airborne and deposited.
7	What is deposited when? Any my final
8	question is, ICRP 72 I would yield this to Dr.
9	Eckerman who is the expert in this. But we've been
10	using ICRP 72 for more than a year.
11	I'm a little bit surprised that your
12	published work still uses 1988 dose conversion factors
13	inhalation dose conversion factors. And I wonder
14	if I I mean, I'm sure you're updating it now but,
15	the whole notion that we know we have much better data
16	on the chemical form clearance class than is available
17	in FGR 11 for example, in the 1988 version which you
18	site.
19	So I really wonder that you can
20	incorporate uncertainty into your model, and run
21	sample it on a distribution on some of these factors
22	and get a more realistic estimate of what the
23	inhalation dose to the RMEI would be.
24	MR. HILL: Keith, could you comment on

	54
1	ICRP 30 versus ICRP 72?
2	MR. COMPTON: Again just very briefly, and
3	this is not going to be a set-aside answer. But I'm
4	presenting what's been published. We do know that
5	there's a difference.
6	CHAIRMAN RYAN: Just to add for a minute
7	and schedule Dr. Marsh had a question then Dr. Garrick
8	and I think we'll wrap up and Dr. Hooper give his talk
9	with a quick introductory comment by Tim McCartin.
10	MR. McCARTIN: Yes. Tim McCartin. Just
11	to put a follow up, I mean, currently Federal guidance
12	is to use FGR 11 so that's what we're using.
13	We recognize that other people are using
13 14	We recognize that other people are using more newer dosimetry, but that is the current federal
14	more newer dosimetry, but that is the current federal
14 15	more newer dosimetry, but that is the current federal guidance.
14 15 16	more newer dosimetry, but that is the current federal guidance. CHAIRMAN RYAN: But we did cover in our
14 15 16 17	more newer dosimetry, but that is the current federal guidance. CHAIRMAN RYAN: But we did cover in our last working group meeting, Tim, that if licensees,
14 15 16 17 18	more newer dosimetry, but that is the current federal guidance. CHAIRMAN RYAN: But we did cover in our last working group meeting, Tim, that if licensees, for example, request to use them or updated dosimetry
14 15 16 17 18 19	more newer dosimetry, but that is the current federal guidance. CHAIRMAN RYAN: But we did cover in our last working group meeting, Tim, that if licensees, for example, request to use them or updated dosimetry they're allowed to do so.
14 15 16 17 18 19 20	more newer dosimetry, but that is the current federal guidance. CHAIRMAN RYAN: But we did cover in our last working group meeting, Tim, that if licensees, for example, request to use them or updated dosimetry they're allowed to do so. MR. McCARTIN: Yes and the commission has
14 15 16 17 18 19 20 21	more newer dosimetry, but that is the current federal guidance. CHAIRMAN RYAN: But we did cover in our last working group meeting, Tim, that if licensees, for example, request to use them or updated dosimetry they're allowed to do so. MR. McCARTIN: Yes and the commission has granted that on a case by case basis.
14 15 16 17 18 19 20 21 22	more newer dosimetry, but that is the current federal guidance. CHAIRMAN RYAN: But we did cover in our last working group meeting, Tim, that if licensees, for example, request to use them or updated dosimetry they're allowed to do so. MR. McCARTIN: Yes and the commission has granted that on a case by case basis. CHAIRMAN RYAN: Right, okay.

55 another perspective on what were doing. When we look 1 2 at volcanoes in nature, they deposit -- they create 3 deposits with mass loads. 4 The TPA code is trying to represent the 5 persistence of deposits in nature as the geologic 6 record supports. And, in addition, Dr. Hill presented 7 that we've gone out and measured mass loadings above 8 deposits and we incorporate some of that information. 9 There is a lot of uncertainty. We do vary 10 it. But it's a recognition that it's important to 11 account for the mass loading and its persistence. And 12 we've demonstrated that with our TPA code. 13 It is for the department to come up with 14 appropriate supporting information for the mass loadings they expect. But what we've done is look at 15 ranges of possibilities. 16 17 And I think it's based on what we observe 18 in nature. And one other thing I would like to bring 19 up that the UO_2 -- I know there's a lot above the 20 respirable aspect of that. 21 But the UO₂ fuel pellets will degrade with 22 time. And larger pieces will become smaller in a 23 relatively short period of time. Like the surface of 24 the earth.

	56
1	CHAIRMAN RYAN: Thanks Tim. Bruce?
2	MR. MARSH: Yes, I mean getting back to
3	what Bill Melson mention in terms of how this material
4	gets in there and things, I think it's, you know it's
5	a very critical issue.
6	However, in doing these kind of
7	calculations, that complex interaction of how much
8	magma's involved with how many canisters, and how the
9	canisters come apart and how the pellets get in and
10	how the panel pellets come apart dissolving, and
11	the pellets don't actually are pulverized and
12	probably not even involved, because they will come out
13	very soon and it would be in a respiratory sort of
14	range.
15	However, I mean that's how you have to do
16	the calculation I would assume in here, that Britt
17	Hill's stuff is that you have to assume this stuff is
18	just uniformly dispersed at all PSD particle size
19	distributions through there.
20	And then you start the calculation after
21	that. However, the important thing that Bill's
22	bringing up I think is this is a critical junction
23	where this is great inhomogeneous process in that you
24	know, you can have the way from a big canister being

	57
1	picked up and just carried along in a local area to
2	one set of partially fragmented and things.
3	So this is one of these serious areas
4	where there are factors where you really need to know
5	what's going on in detail. But to do a calculation
6	like the Center is doing I think you have to start
7	somewhere with it.
8	So they start with the universal dispersal
9	of the homogeneous materials.
10	CHAIRMAN RYAN: Thank you. Dr. Garrick?
11	MR. GARRICK: Yes. I just wanted to go
12	back, and think a little bit about what the purpose of
13	the calculation is, because it's certainly not to
14	calculate the risk.
15	Maybe it's to calculate what some of the
16	bounds on the risk are. But I didn't hear much about
17	that. And, when you talk about a calculation that
18	fixes wind speed, fixes wind direction, fixes
19	location, fixes elevation, fixed the radionuclide
20	inventory into the tephra, fixes the resuspension,
21	fixes the uptake, I'm not sure what we learned from
22	doing comprehensive uncertainty analysis about one
23	piece of this, and then fixing as many things as are
24	fixed in this calculation except that we sure as hell

	58
1	don't want to have a release.
2	And it seems to me that one thing that we
3	need to do here is do a real if we stop talking
4	about uncertainty analysis, and I'm a great pusher to
5	that is to do a consistency check with respect to
6	the parameters to see if what we're doing with respect
7	to uncertainty has any meeting.
8	And one of the things that's bothered me
9	about the dose calculation, it's fixed all over the
10	place. Part 63 fixes the uptake, fixes the amount of
11	the inventory into the 3,000 acre field and so forth.
12	What I'm searching for here is, what can
13	we do here that's really meaningful? If there's any
14	kind of part of the TPA calculation that's hungry for
15	transparency or that's totally opaque, it's the dose
16	calculation.
17	And I haven't been very reassured here by
18	what has been shown here. And maybe what we need to
19	do is, as I started out, is to say what's the
20	objective of these calculations?
21	Because it certainly isn't a realistic
22	assessment, even on a conditional basis.
23	CHAIRMAN RYAN: Thanks for that comment
24	Dr. Garrick. I think as we explore with Dr. Hooper
	I

	59
1	and the other presenters this morning we might get
2	some insights into the various pieces of this.
3	So perhaps we can keep your suggestion in
4	mind as we move into these other presentations. But
5	I share with you, you know, from the perspective of
6	those calculations, that many other of the elements of
7	it are fixed, and
8	MR. GARRICK: Yes.
9	CHAIRMAN RYAN: And exploring is that
10	informing us or are we just kind of calculating with
11	variations in parameters to think we're really
12	assessing variations in risk.
13	MR. GARRICK: Yes. I think my main point
14	in my question is, what's the context of the
15	calculation?
16	CHAIRMAN RYAN: Right.
17	MR. GARRICK: What's the purpose? Is it
18	to get some sense of the bound of the risk or what? Or
19	what is it?
20	CHAIRMAN RYAN: We are getting a little
21	long in time, so I would unless it's a critical
22	comment I'd like to get Dr. Hooper up to give his
23	presentation.
24	MR. McCARTIN: Okay. Tim McCartin NRC.

	60
1	But I would just say a lot more things are varying
2	than was suggested. I can talk
3	CHAIRMAN RYAN: What I would like to do is
4	maybe touch on those as we go through the other parts
5	that I think we'll touch on, Tim, if that's okay.
6	MR. APTED: Nick Apted, Monitor. Two
7	quick comments. One, Matt Kozak's presentation
8	yesterday almost time limited in terms of the
9	information done.
10	In that same report we've done a lot of
11	looking at this issue on partitioning, using analogs
12	and so on, in terms of how material will actually
13	during melting and a sense in a hot magma partition
14	the activity around.
15	Again, look at our report there. And, for
16	time reasons, didn't have a chance to touch that. The
17	other thing is, going back, and these excellent
18	presentation one of the slides there are a lot of
19	other assumptions there, and Mr. Garrick is touching
20	on some of that such as constant wind velocity and so
21	on.
22	Some of that that's natural variability
23	just natural variability, wind velocity, direction
24	will lead orders in order and orders magnitude

	61
1	reduction.
2	And I would encourage looking at those
3	sort of natural variabilities in the system.
4	CHAIRMAN RYAN: Thank you. Thank you very
5	much for a stimulating start to the day. I appreciate
6	it.
7	MR. COMPTON: Thank you.
8	CHAIRMAN RYAN: Dr. Hooper, welcome.
9	Thank you for being with us.
10	(Pause.)
11	FLUVIAL REMODELIZATION OF TEPHRA ALONG FORTYMILE
12	WASH, YUCCA MOUNTAIN, NEVADA
13	MR. HOOPER: Okay. I'M John Hooper from
14	the center for Nuclear Waste Regulatory Analyses.
15	And, of course, we've benefited from contributions
16	from John Trapp.
17	And I'm going to be talking about the
18	fluvial or stream remobilization of Tephra along
19	Fortymile Wash, which is the main drainage system for
20	Yucca Mountain.
21	And note that is does say first quarter
22	conceptual model, as you already heard over the past
23	two days. I'm going to be presenting work from the
24	first publication.

	62
1	So there have been ongoing modeling
2	results, new models. And some of that's incorporated
3	in today's talk, but for the most part, other work
4	undergoing. Next slide please.
5	For a potential volcanic event within the
6	repository footprint, you are going to get some tephra
7	or ash fall around the area, around the Yucca Mountain
8	area.
9	And, to begin, note that when I'm speaking
10	of tephra or ash fall here it's going to be in the
11	context that we're going to assume that the eruption
12	has interacted with the repositories of any tephra
13	will be contaminated from high level waste.
14	So whenever I speak of tephra it will be
15	tephra, it will be in that context. And so you have
16	an eruption that goes through the repository and then
17	proceeds to be deposited on the surrounding hills.
18	And then through time water and rain will
19	erode these deposits, transporting the ash southwards
20	down Fortymile Wash. And, of course, this is going to
21	be moving it closer to the RMEI location.
22	And then as for the last two point
23	there, the last two bullets there, talk a little bit
24	about the dose. Surface winds can entrain fine grain

	63
1	particles and they can be possibly inhaled.
2	And then long term remobilization will
3	look a little bit at how these are potentially
4	significant to risk calculations. This is a satellite
5	image of the Yucca Mountain region. Note the scale
6	bar down on the bottom.
7	The potential repository is right in
8	there. And so the Lathrop Wells cone is right in
9	here. And so, if you were to draw a circle with a
10	radius of 18 kilometers from the repository and
11	consider the direction of stream flow down Fortymile
12	Wash from north to south, the intersection at 18
13	kilometers between those would be right around this
14	general area here.
15	And so this is the Fortymile Wash drainage
16	system outlined in yellow. And we're mostly focusing
17	on the southern half of the watershed where the basin.
18	So about half of the basin is up in here.
19	But as I say we're mostly focusing on this area down
20	in here. And the white lines that you see, those
21	are measurements of tephra thickness.
22	The superimposed on this image is the
23	results of one possible model scenario, or one
24	possible eruption scenario, or one possible model

	64
1	realization.
2	So thickness around the repository in this
3	example would be around two meters. So that's a two
4	meter ice pack right in there, and extending outward
5	to center portions.
6	And so what this does show, though, that
7	out by the RMEI location you'll have a thin deposit of
8	tephra from the initial eruption. So you would get a
9	contribution from the initial tephra fall.
10	What we also know about this area is that
11	there are low rates of no slope erosion. Rainfall is
12	only about six inches a year, and so you also get low
13	rates of sediment yield.
14	We have been able to determine that
15	sediment yields from this watershed equal about three
16	to 30 cubic meters per square kilometers per year.
17	That's a little bit of a mouthful, but
18	that's the typical of measuring sediment yield. You
19	can either use a volume term, or you can use measured
20	times, or even kilograms.
21	And this system is episodic. It's an
22	ephemeral drainage. It's quite unlike perennial
23	stream flow. And so this also makes this a much more
24	difficult problem.

	65
1	You're talking about episodic and flood
2	events. And, to give you an example for what the
3	system is like, in 30 years of recording at this area,
4	there have been 11 flood events measures at the
5	southern most stream gauge near highway 95, or the one
6	also closest to the RMEI location.
7	So only 11 flood events. So only a
8	certain amount of material then is removed. A low
9	amount of material is actually being moved over 30
10	years.
11	And then I would talk to you about the
12	analogs. So what's important to keep mind is that
13	erosional characteristics of analog tephra deposits
14	strongly depend on site characteristics.
15	So Yucca Mountain is quite different for
16	example than examples, and on Mount Saint Helens. But
17	yesterday afternoon the point was made about Mount
18	Saint Helens.
19	It's not a very good analog for Yucca
20	Mountain, but you can still gain some insights from
21	analogs, even for analogs. So next slide please.
22	MR. HINZE: Excuse me. Don, is this an
23	example or is Fortymile Wash the only drainage that
24	contacts the RMEI?

(202) 234-4433

	66
1	MR. HOOPER: Well let's just go back real
2	quick. With the potential repository being right
3	here, the RMEI being down in this area, this is the
4	primary range that would affect the RMEI, yes.
5	MR. HINZE: Is there any other drainage
6	that could?
7	MR. HOOPER: There's drainages are
8	adjacent to each other so yes, there is another poorly
9	defined drainage off to the west. But this is the
10	main drainage that would affect the RMEI, yes. Okay,
11	next slide.
12	Okay so I'm going to be talking about
13	remobilization in terms of a concept called a sediment
14	budget. And that was to a mass balance accounting for
15	all the sediment moving through the drainage system.
16	So allow that to get a monetary budget, a
17	sedimentary budget keeps track of all the sediment
18	within that system. So everything is being accounted
19	for, the tephra, the non-tephra sediments etcetera.
20	So, a sediment budget, as you can see,
21	there a sediment budgeted drainage basin that is a
22	quantitative relationship that links all the sediment
23	sources, the transport processes, stores your
24	remobilization, and they discharge from the basin.

	67
1	Okay. What we're doing here with the
2	first of our conceptual model, we're looking at
3	simplified mass balance approach using this method to
4	evaluate tephra remobilization following a small
5	volume eruption.
6	In this case the type of eruption that you
7	see here type of eruption. I'm going to do some
8	analog comparisons in just a moment and analog sites,
9	model development.
10	They include Paricutin volcano in central
11	Mexico which erupted in 1943 1952. The Sunset
12	Crater cone from the San Francisco volcanic field in
13	northern Arizona. It erupted approximately 900 years
14	ago.
15	And then Cerro Negro volcano down in
16	Nicaragua, where Dr. Hill and colleagues did some
17	measurements. And then at the bottom there, the Nahal
18	Eshtemoa, an ephemeral ground based stream in the
19	Negev Desert in Israel.
20	I won't be talking much about that today
21	but this was very important for doing modeling analog
22	work because they did measurements of suspended
23	sediment yield.
24	And so, that was very important for this

	68
1	type of modeling approach. So, next slide please. So
2	here it Paricutin volcano, a violent strombolian type
3	of eruption.
4	Rainfall here is quite a bit heavier than
5	what you would get at Yucca Mountain. But all is not
6	lost, it's still a reasonable analog because of the
7	eruption type, nature of the deposit and thorough
8	documentation of subsequent work.
9	Segerstrom, and others for the USGS
10	they did this volcano quite often during eruption in
11	years following. So there's some very good records of
12	subsequent erosion.
13	And then with Paricutin we did some simple
14	comparison to Cerro Negro in 1995. Next. Here's
15	another view of Paricutin looking out roughly from the
16	base of the cone at the nearby old cone that's now
17	covered with a think deposit of tephra.
18	And so this was taken by Segerstrom in
19	February 1957, so five years from the end of the
20	eruption, and was very obvious there all the rills and
21	gullies.
22	So, with that high rainfall, in this
23	setting you're getting extensive rilling and gulling.
24	But, because of the underlying older cone and lava and

	69
1	the relatively impermeable nature of that, that's also
2	leading to the formation of the rills and gullies.
3	Next slide.
4	Now here's a look at Cerro Negro in 1999,
5	four years after the eruption. This area also has
6	very high rainfall. Once again a deposit several
7	meters thick as you're looking out from the base of
8	the cone.
9	But note this time you're not seeing rills
10	or gullies. So, the underlying cone then the lavas
11	are relatively permeable. So it's important to keep
12	in mind then that the extent and characteristic of
13	erosion in a complex function specific processes and
14	characterizations. Next please.
15	On this prop, we have time down here. A
16	30 year period. So, for Paricutin, this is from 1943
17	to 1972. And on this axis is the relative sediment
18	yield.
19	So what's plotted here is on the
20	Segerstrom data. And he calculated the relative
21	sediment yield for the Paricutin area.
22	Now, in a normal pre-eruption sediment yield,
23	you assign that a value of one.
24	And what Segerstrom recorded was that the

	70
1	sediment yield was about seven times normal two years
2	after the eruption. And then it slowly dropped off,
3	decayed over time.
4	So after 30 years you're back to a normal,
5	or pre-eruption yield. So with that sediment yield
6	recovered in about 30 years in this well characterized
7	system.
8	And what you're getting here then is a
9	balance between runoff, filtration, and slope. And
10	this is important because it does show a brief period
11	of accelerated erosion following erosion following
12	the eruption.
13	And that's what you'd expect. You've
14	disrupted the normal fluvial system after an eruption.
15	You've deposited amount of tephra in the system that
16	any rainfall even is going to start moving relatively
17	easily, that material.
18	So you got a system at equilibrium for a
19	while. So with this in mind we can use this for a
20	simple model for change and sediment yield through
21	time. Next slide please.
22	Now on this slide we are again looking
23	from 1943 to `72. And then here we have cumulative
24	tephra removed by erosion as a percentage. And then

	71
1	we have area of tephra fall.
2	That's a fairly large number there but
3	that's based on U.S. Scientist reporting a one
4	millimeter of ash falling in Guadalajara.
5	And then for these modeling runs for
6	Paricutin, the range of erosion can be between ten and
7	100 cubic meters per square kilometer per year. And
8	what's presented here is an erosion rate of ten cubic
9	meters per square kilometer per year.
10	So for this site's analog we expect those
11	erosion values to fall between ten and 100. And so
12	with this in mind, and since at Lathrop Wells we see
13	very little remaining tephra.
14	So we could ask ourself how long to remove
15	100 percent of the Paricutin tephra deposit. And
16	using this rank of values you get a number between
17	2,200 and 12,000 years.
18	And then you can ask yourself basically
19	that same question for Sunset Crater. Now here we
20	have a cone that's about 900 years old. So it looks
21	a little bit different.
22	And our precipitation, our rainfall and
23	snowfall, is quite a bit less in this area but still
24	a little bit higher than what you would get at Yucca
	72
----	--
1	Mountain.
2	And now again, asking that same question,
3	you'd get about 14 percent. We can determine that,
4	after 900 years using these values, that 14 percent
5	has been removed.
6	And, if you use a slower rate of erosion
7	within that range, now that number changes to about
8	10,000. So you're going from about 1,000 to 10,000 by
9	varying the erosion rate.
10	So what we're seeing then, analog scale to
11	appropriate order of magnitude. And then we're
12	getting a reasonable variation between analogs. Next
13	slide.
14	Okay. So where are we going with this
15	model and this work? The sediment yield for Fortymile
16	Wash is between three and 30 cubic meters per square
17	kilometer per year.
18	And that's a measurement that we could say
19	is for about the last month out of the 10,000 years.
20	And, with these analogs, they show an increase of
21	about one to seven times an increase in sediment yield
22	following an eruption.
23	So we assume Yucca Mountain would show
24	similar increase following an eruption. And then,

	73
1	with this type of approach, we can quantify these
2	relationships and apply it to what we'd expect to see
3	at Yucca Mountain.
4	And then at the bottom there, extracting
5	model for mass load at the RMEI. So you're getting
6	contributions from the original tephra fall,
7	contributions from fluvial remobilization, and then
8	also some Aeolian remobilization.
9	Next slide please. Now to sort of present
10	this as a bit of a flow chart and get summarized to
11	some extent, over on the left sediment sources and
12	we'll start with potential tephra.
13	And basically what we're seeing here is
14	that over the area of tephra fall the mass or, if
15	you want to use volume is changing over time. And
16	that's what you'd expect.
17	Erosion is going to slowly be depleting
18	the deposit and etcetera. And so normal surface
19	process then are going to remove that material, and in
20	this case the surface processes would be would
21	include such things as slope wash, drilling, shallow
22	land slides.
23	And then these would be about one to seven
24	times the ambient sediment yield. And so our ambient

	74
1	system is the normal sediment yield from the system.
2	And now we're going to assume that the
3	change of mass over time and would be a constant. So
4	that could be applied to that portion of Fortymile
5	Wash drainage system that's not affected by tephra
6	fall.
7	And so there again same numbers for the
8	ambient sediment yield. And, just like the diagram
9	shows, you're going to get some mixing, some dilution,
10	through the transport process.
11	And then, for sediment storage, each year
12	you're going to get a certain amount of sediment
13	production, but you're not going to get enough
14	rainfall in almost any fluvial system to remove all
15	that sediment.
16	So if there is sediment storage. And
17	sediment storage includes fluvial processes, interior
18	hill slopes, as well as alluvial deposits and
19	channel fill in parts.
20	And so this continues. Next slide. We
21	get deposition finally. And in this case we're
22	talking about sediment yield at Fortymile Wash Fluvial
23	band, and basically where the system ends.
24	And there was the expression for the

75 change in percentage in tephra over time. So, through 1 2 those processes, the amount of contaminated tephra is 3 going to vary over the years. And then for mass loading it's going to be 4 5 some proportion then of that value as well as other 6 contributions. And there you see the change in mass 7 load over time at the reasonably maximum exposed 8 individual, the RMEI. 9 Next slide please. It is summarized at 10 Paricutin. We see up to a seven times increase in 11 sediment yield after the eruption. And then we see 12 this value dropping off to ambient yields in about 30 13 years. 14 In comparison to Cerro Negro, it shows 15 mush lower increase in sediment yield for short 16 periods of time. Other analogs, like Sunset Crater, 17 show substantial tephra deposits can persist for 1,000 18 years, even with that period of accelerated erosion or 19 sediment yield. 20 So from this we can qet а general 21 understanding that sediment yields increase from about 22 one to several times, for some time after an eruption, 23 but the duration strictly depends on the nature of the 24 deposit, the local substrate characteristics, as well

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	76
1	as rainfall, which is a huge driver for erosional
2	processes.
3	Next slide. To conclude, after 80,000
4	years, tephra from all cones, meaning Lathrop Wells
5	and the Yucca Mountain region, have been essentially
6	eroded away.
7	So we need to use an analog approach to
8	evaluate the potential redistribution or
9	remobilization process. Analog volcanoes show an
10	a period of accelerated erosion in sediment yield for
11	decades following an eruption.
12	And then sediment yield from Fortymile
13	Wash is being used to develop a mass balance approach
14	for long term fluvial redistribution. And then work
15	on going through model variations in airborne mass
16	load through time at the RMEI location. Any
17	questions?
18	CHAIRMAN RYAN: Thank you Don, I
19	appreciate the presentation. Any questions from
20	members? Allen?
21	MEMBER CROFF: I'm at the end of my roll
22	here. On page eight and nine in you presentation you
23	show a couple of graphs. One decline in erosion and
24	then the cumulative tephra released by erosion.

	77
1	I was a little bit puzzled. The first
2	graph shows basically the erosion rate turns back to
3	normal in about 30 years.
4	MR. HOOPER: Right.
5	MEMBER CROFF: And my first thought was
6	well, gee if most of this stuff is gone and we're back
7	to a lot older rock underneath. But then the next one
8	says that only above three or four percent of it is
9	gone.
10	How come the remaining tephra behaves so
11	much like the much older rock in the area after that
12	short of a period of time.
13	MR. HOOPER: Because, after a brief period
14	of time, a drainage system become integrated and, even
15	in material like this it fairly rapidly stabilizes.
16	So, even though you're still seeing all
17	those rills and everything, that's an integrated
18	drainage system that's becoming fairly stable.
19	MEMBER CROFF: Okay. And this methodology
20	treats all particle sizes the same?
21	MR. HOOPER: Yes, for right now it does.
22	MEMBER CROFF: Okay. I don't
23	CHAIRMAN RYAN: Does Ruth have a question?
24	MEMBER WEINER: In a place like Yucca

	78
1	Mountain, wouldn't the Aeolian remobilization
2	completely dominate the fluvial remobilization? I
3	mean, you really don't have much rainfall. And what
4	would that do to your model?
5	MR. HOOPER: We are accounting for Aeolian
6	remobilization through a model abstraction. But even
7	in a system like this, even though some periodic,
8	episodic rainfall events, those are still responsible
9	for use for transporting a large amount of sediment
10	than Aeolian.
11	We have this perception that Aeolian moves
12	a massive volume. But, in reality, it really doesn't
13	move as much as people think.
14	MEMBER WEINER: Can you give me a
15	reference for do you have some actual measured
16	evidence for that?
17	MR. HOOPER: Yes there were some
18	geomorphological studies done decades ago. And what
19	one of them concluded is that the total global Aeolian
20	remobilization was equal to about twice of what the
21	Mississippi moves each year.
22	So that's global remobilization compared
23	to just one a large fluvial system.
24	MEMBER WEINER: I have a little problem

	79
1	with that. Applying that to that kind of macro
2	scale consideration to the relatively micro scale
3	consideration.
4	And you've used as a basis for your model
5	the volcanoes that are in regions that have ten times
6	the rainfall. And let me just leave it at that.
7	This I think you need to justify, for me
8	at least, and perhaps I'm wrong in this. You need to
9	justify this more than just on a macro scale.
10	CHAIRMAN RYAN: Bill Hinze, a question?
11	MR. HINZE: Well there are many drivers to
12	the distribution and redistribution. Certainly
13	climate variability is one of them, and not
14	precipitation but raised precipitation amounts, wind
15	direction, dust devils, etcetera.
16	How are you incorporating the amounts of
17	climatic variability that you would expect over a
18	10,000 year or 100,000 year time period? And I guess
19	the next step for that would be something really
20	involving global climatic change.
21	MR. HOOPER: Okay. If you wanted to
22	account for climate change, assuming climate would
23	become more humid, you could just adjust parameters to
24	greater rainfall, meaning you would just increase the

	80
1	sediment yields, if, after say 5,000 years it the
2	belief that precipitation would increase, then simply
3	the model encompasses would move to high values.
4	MR. HINZE: Well, do you have models to
5	incorporate into that? Do you have models to even
6	incorporate climate variability that we would expect
7	with 100 year storms or 100 year overland wash?
8	Do you have those, and are you
9	incorporating those in the models?
10	MR. HOOPER: Yes, there are reports that
11	have a predictive nature for future rainfall. And, at
12	this point, the first model no I haven't accounted
13	for that yet but it will be easy enough to do.
14	MR. HINZE: I think Bill will remember
15	there was a large storm about 1992, `93, something
16	like that which had tremendous in the Fortymile
17	Wash area.
18	And there were geomorphologists working on
19	it at the time and this just certainly wasn't one
20	condition. Perhaps you can help me with something
21	that I saw in the technical basis report of the
22	Department of Energy and the publication of geology,
23	we can talk about it as you'll understand.
24	But they show a tephra distribution for

	81
1	Lathrop Wells which extends only a very short distance
2	to the to the south, a very large distance to the
3	north.
4	This if we can extrapolate that, if
5	that's correct, and can be extrapolated, what does
6	that mean to the distribution of ash from a repository
7	igneous event with deposition in Fortymile Wash?
8	MR. HOOPER: Well that is an alternative
9	conceptual model. But Lathrop Wells is not correctly
10	a part of Fortymile Wash.
11	MR. HILL: This is Britt Hill from the
12	Center. What we're going to implement in this model
13	is a different tephra distribution approach than what
14	was done in previous versions of the TPA.
15	We'll be using a fully realistic wind
16	field. And, for the simulated eruptions, we're using
17	the desert rock data, which is the nearest wind radio
18	sound information that we have for Yucca Mountain.
19	And for each of the realizations, we're
20	given eruption mass and duration. We'll be
21	calculating the tephra and then sampling a realistic
22	wind field for that realization.
23	So we will be distributing the model
24	tephra according to the wind field information and

	82
1	only modeling those parts of the deposit that fall
2	within the potential redistribution basin, or Aeolian
3	basin in each of the model simulations.
4	So we're not taking an analogs approach
5	for kind of a deterministic calculation on where the
6	tephra may or may not be.
7	MR. HINZE: Is there any reason for us to
8	question what we see in that technical basis note?
9	That's I shouldn't ask that.
10	MR. HILL: I'm afraid I can't answer that.
11	(Laughter.)
12	MR. HINZE: I know what the answer is.
13	Britt, you know, you've got desert rock I think it is,
14	meteorological station. That's one point that's
15	relatively short time span.
16	MR. HILL: It is 30 years.
17	MR. HINZE: As I say a
18	MR. HILL: Very short time span.
19	MR. HINZE: What kind of input are you
20	getting from your meteorologists, your climatologists,
21	as to how we might use that to look at the total
22	variability that we might expect over even 100 years,
23	even 1,000 years. It worries I worry greatly about
24	using this short time span for one observation to

	83
1	constrain these models.
2	MR. HILL: Certainly that's one of the
3	things that our group is looking at. The global scale
4	wind models that have been developed for various
5	applications.
6	We're trying some of the team is trying
7	to look at relating the model winds for the current
8	condition to the actual data to gain some measure of
9	confidence that the models are simulating a wind field
10	at the scale that we need for tephra modeling.
11	And then, of course, look at how the
12	models may change with different assumptions of
13	climate change through time. And give us a first
14	sense of, given the climate change scenarios that are
15	being used on other aspects of the performance
16	assessment, would those climate assumptions impart
17	significant or insignificant variations in the wind
18	field at the scales that could affect tephra
19	distribution?
20	So I can tell you that is an area of
21	numerous ongoing work.
22	MR. HINZE: Is it possible to get some
23	feeling for what percentage of the redistribution is
24	fluvial overland or Aeolian?

	84
1	MR. HILL: I'm afraid I can't give you any
2	real hard numbers, but I can just give a perspective
3	that the fluvial basin is really that area that's very
4	close to the potential repository site, or within the
5	first ten five to ten kilometers from the volcano.
6	When you look at the grain size
7	characteristics of deposits around the volcanoes at
8	that distance, you see that they're dominated by non-
9	entrainable fractions.
10	Most of the deposit if courser than 100
11	microns. So if we're looking at a normal wind
12	entrainment process, where you can suspend 100 micron
13	and finer particles, you're really only depleting the
14	uppermost layer.
15	Several millimeters of that deposit can be
16	entrained by turbulent winds suspending it. The bulk
17	of that deposit near the vent is going to remain
18	unaffected by any windborne process.
19	You would allow the finds from the
20	surface layer, and leave a course lag.
21	So I think, as a very geologic perspective, most
22	of the potential mass of these calculated eruptions in
23	these basins is going to be dominated by an invective
24	process of fluvial release, rather than Aeolian

	85
1	transport, just because the grain the deposit
2	itself is really too course to have much Aeolian
3	transport in where the bulk of the mass is going to
4	reside.
5	Of course, when you go farther away,
6	outside that basin, on distances of 20 maybe 30
7	kilometers, then you're in a much finer grain deposit.
8	And the windborne transport is going to be
9	much more important than stabilization or fluvial
10	reworking.
11	CHAIRMAN RYAN: Bill?
12	MR. HILL: But that's really a small part
13	of the mass.
14	CHAIRMAN RYAN: Sorry Britt, sorry Britt.
15	I want to ask that, based on time we don't have a
16	break in our schedule. I would like to put one in.
17	MR. MARSH: I would to.
18	CHAIRMAN RYAN: Okay. So that being said,
19	it's now quarter of ten. Let's reconvene at ten and
20	we'll continue questions perhaps after the break.
21	(Whereupon, the above-entitled matter
22	went off the record at 9:45 a.m. and went back
23	on the record at 10:00 a.m.)
24	CHAIRMAN RYAN: Okay. We'll go back on

86 the record please. Thank you. Are there any -- I 1 2 wanted to make sure we had a chance for any last 3 questions for our previous speaker before the break, 4 Dr. Hooper. 5 Hearing none we'll move on to our next 6 three presentations. And the next speaker Dr. Fred 7 Harper, Dr. Lynn Anspaugh, and Dr. Keith Eckerman. 8 So, without further ado, let me ask Dr. Fred Harper of 9 Sandia National Labs to talk to us on his perspective 10 on aerosol model issues. 11 Τ think he'll have some interesting information for to see. 12 13 MR. HARPER: Is it okay if I talk from 14 over here. Just fine I think if 15 CHAIRMAN RYAN: 16 everybody can hear it. We can hear okay. Just fine 17 thank you. 18 MR. HARPER: Can I -- I want it dark. 19 CHAIRMAN RYAN: Oh, yes. I'm sorry. PERSPECTIVES ON AEROSOL MODELING ISSUES 20 21 Those of you that need to MR. HARPER: 22 We've been doing explosive sleep can go ahead. 23 aerosolization experiments as Sandia for over 20 years 24 and the -- I don't need it that dark.

	87
1	CHAIRMAN RYAN: Okay.
2	MR. HARPER: There's a lot of electro-
3	micrographs in this presentation so you need it a
4	little bit dark. But we've been doing this. And our
5	goal is to understand radiological dispersal devices,
6	and improvise nuclear devices.
7	The non-yield aerosolization
8	characterizations of a nuke, and the radiological
9	dispersal devices, the aerosolization. We've been
10	looking at this for over 20 years.
11	And done about more than 500 shots. And
12	since 9/11 everybody's interested. It used to be that
13	even the people paying for this wouldn't come out to
14	visit.
15	Now there's all kinds of people coming in
16	to see our work. This is not a perfect analog for
17	your problem. I talk in terms of times of micro
18	seconds.
19	I hear hours and weeks as far as the
20	interaction goes. So we're not talking about a
21	perfect analog here. And as far as the pressures go
22	I speak in terms of giga-pascals and I hear mega-
23	pascals in this.
24	So hopefully you'll be able to take away

	88
1	something you can use from this presentation. But
2	it's not directly the same sort of events.
3	I can't even spell igneous, so if you please
4	stop and ask questions because you may focus on
5	something that I wouldn't even think of focusing on
6	from here.
7	So let's run this part a little bit less
8	formal. First I'll show you a couple of things about
9	what problems we're looking at. This is a large
10	cesium chloride mobile food irradiator from China,
11	about 250,000.
12	So the form of the material is a salt.
13	We've done many cesium chloride shots. These are
14	radio-isotopic thermal generators. They contain
15	strontium titonate, an oxide. Am I standing in
16	anybody's way?
17	CHAIRMAN RYAN: No your fine thank you.
18	MR. HARPER: They contain strontium
19	titonate. We're very interested in ceramics,
20	specifically strontium titonate and the actinide
21	oxides.
22	These are these specific ones are about
23	45,000 these are bigger right here, these are
24	smaller. Up to maybe 10,000. And they come

	89
1	encapsulated.
2	And we've done experiments with
3	encapsulation, without encapsulation.
4	Generally the sources come encapsulated, so we
5	would be remissive if we just did our experiments on
6	the basic material without considering encapsulation.
7	This is a cobalt pencil from a cobalt
8	irradiator. There's lots of cobalt irradiators
9	around. And this is the size here, those are
10	centimeters.
11	This is about 1,000 curies worth. Nordien
12	has provided us with several of these, and we blow
13	them up and check for aerosolization, check the
14	aerosolization characteristics.
15	They of course give us the cobalt in the
16	cobalt 59 form prior to neutron irradiation. We tend
17	to do a shot a week, or two shots a week. And we
18	stayed non-radioactive.
19	So we're looking at material surrogates,
20	like cobalt 59, like cesium 133, strontium 88. So
21	we're doing it clean. And at some point we attempt to
22	simulate radiation aging by introducing defects into
23	the crystal matrix.
24	What's important to the aerosolization

	90
1	potential is what form. It's critical what the form
2	is. Metals behave completely different than ceramics,
3	and liquids and powders behave differently as well.
4	In this talk
5	MR. HINZE: Can you explain just a bit on
6	that ceramic versus metal?
7	MR. HARPER: I'll explain a lot.
8	MR. HINZE: Okay great.
9	MR. HARPER: That's what the whole talk
10	going to be about.
11	MR. HINZE: Sorry.
12	MR. HARPER: I think you're mostly
13	interested in ceramics but I'm going to talk about
14	metals as well. I'm not going to talk about liquids,
15	and I will really only touch on powders.
16	So I believe that that's your interest.
17	If that's not the case let me know. And the material
18	properties depends on whether you're looking at a
19	ceramic.
20	Fractured toughness is key for the
21	ceramic, as well as density, speed, and sound, and the
22	thermal properties for ceramics. And for the liquids
23	of course there's a whole different set of properties
24	that are important.

	91
1	I'm going to drag you through a little bit
2	of shock physics here. I apologize, but this is
3	important for because what ends up happening is
4	change of phase is critical to the size that the
5	particles end up.
6	And what we have, this is really important
7	for metals and for salts. And it's important for
8	ceramics in that they do not change phase. They're in
9	the solid fracture mode.
10	You start out this is pressure volume
11	diagram. Start out down here. Shock up Raleigh line,
12	directly with the straight line. And then relief
13	along the isotope that we have approximated by there.
14	Not important. What you need to know is
15	when the amount of energy that is left after the shock
16	has come and gone is represented by this shaded area.
17	
18	Now the size the thickness, the size of
19	that shaded area depends on things such as the speed
20	or sound in the material, the bulk modulus, the
21	density of the material, basically shock physics
22	parameters.
23	This has a very small banana, bismuth has
24	a very large banana, uranium has a medium sized

	92
1	banana, silver has a medium sized banana. It depends
2	on the properties.
3	You compare the amount of energy left in
4	the material after the shock has come and gone to the
5	thermal properties. How much energy does it take to
6	melt it?
7	How much energy does it take to sublimate
8	it? And if it if you have more energy left then
9	that amount of energy, then you're in that form. Now
10	you're only in a form for less than second.
11	You know, what I'm talking about are
12	solvent aerosols. But that dictates the size of
13	the aerosol. Oops, went the wrong way. And this is
14	why I'm standing up here doing this by myself.
15	There it is. Now this a detonation wave
16	traveling through PBX-9404.
17	Pressure is about between 35 and 40 giga-
18	pascals. Is meets a particular flavor of plutonium,
19	spikes up to about 60 giga-pascals.
20	Now, at this point, if this was TNT or if
21	it was PBX-9501, the spike would have only gone up to
22	about 40 giga-pascals.
23	So the type of explosive makes a
24	difference. Now this particular flavor of plutonium

	93
1	takes about 34 giga-pascals to melt. So this is just
2	hockey puck on hockey puck geometry.
3	I can't go into any other geometries in
4	this kind of environment. So, in this case, you melt
5	about a centimeter and a quarter worth of material.
6	Now, if that was something other than that
7	particular flavor of plutonium, such as cobalt, it
8	would take 208 giga-pascals to melt.
9	If it was bismuth it'd take about 11 giga-
10	pascals.
11	If it was cesium metal, which you never
12	run into, it'd only take one, one and a half giga-
13	pascals to melt. And I won't give you bore you
14	with the sublimation properties.
15	The point is, there the metal, the
16	explosive, all make a difference in to how much melts
17	or sublimates. Now, let's put this together in kind
18	of an integrated fashion here.
19	Metals can change phase to vapor, to
20	liquid. If they change phase to vapor and remember
21	it goes from vapor and back to solid in about less
22	than a second they typically come out less than one
23	micron.
24	You know, the aerosol will be less than

	94
1	one micron and I have some pictures of them. If they
2	change to liquid, they're always less than 20, in our
3	experiments. You know, velocities will change this
4	number.
5	If you get higher velocities and you end
6	up with smaller particles. They're usually less than
7	10 microns. So, if you change phase from metals, you
8	end up in the respirable region, the highly respirable
9	region.
10	Now, for metals, it turns out that you're
11	either respirable, you've gone through the phase
12	change, if you're in the solid fracture. The solid
13	fracture ends up, and I'll show you some pictures of
14	this.
15	You basically pick it up off the floor.
16	There's very little in the middle. There's very
17	little in the 30 microns, the 20 microns to 200 micron
18	range.
19	Either you're either respirable, or you
20	pick it up off the floor. Ceramics, in our
21	experiments, we haven't seen any phase change for the
22	ceramics.
23	And we're talking about strontium type
24	cerium dioxide and a few other ceramics. We have seen

95 phase change for the salts. For the cesium chlorides, 1 2 and barium sulfates and other salts that we've looked 3 at. So, for ceramics, you're stuck with a 4 5 Now we see peaks several there. solid fracture. 6 There is a peak that is under -- that's about -- it's 7 consistent. 8 It's always at 2.2 microns, aerodynamic. 9 Now that translates to about one micron. If you go 10 into the literature, you'll find that for -- you know, 11 you find papers from back in the 1800s about a 12 comminution or a grinding limit. 13 And this is a limit below which it is very 14 hard to get particles smaller than. You can do it 15 with you know like advanced techniques and stuff. But there's a few reasons for that. 16 17 One is that, at about that sized, brittle 18 materials start to behave ductile. That's maybe one 19 reason why it happens. Also about that size, cracks 20 can't get any closer than that. 21 Vanderwhal's forces. There are several 22 And, below that size, things like reasons. to 23 agglomerate back up to that size. So within the 24 grinding and crushing industry, they talk about this

	96
1	comminution limit, comminution limit, I said that
2	wrong, grinding limit.
3	And we, coincidentally, every ceramic shop
4	we look at we see a peak right there. Theoretically,
5	and we haven't seen this evidence, theoretically there
6	ought to be a peak where the grain boundaries are.
7	Well we don't we aren't as
8	quantitatively good there as we are down here. So
9	we're not positive whether we see this or not. And
10	then there's energy limit and spall.
11	In a nutshell what we see when we do
12	ceramics is not the same that when we see metals.
13	We sort of see a fair amount in that intermediate
14	range. We try to do this to try to study the larger
15	particle size ranges as well.
16	So there is a lot of material between the
17	30 micron and 200 micron range. This is where we do
18	our experiments. This is 1,000 cubic meter air
19	supported building. And we do up to a half pound of
20	explosive in there.
21	We try to do a shot a week in that
22	facility. And this is a smaller facility. And what
23	we try to do here is we put about 30,000 worth of
24	stainless steel on this old generator box.

	97
1	And we do smaller shots but we are able to
2	vacuum up and pick up the sweepings. We can get the
3	sweepings from the bigger containment as well, but
4	it's trapped up with some concrete.
5	And what we do inside these buildings is
6	we had have a bunch of sampling instruments, laser
7	defraction instruments. This is a cascade impact that
8	does a good job sizing from 25 microns and down below.
9	We use cyclone separators that look at
10	between 30 and 100 microns.
11	We have other kind of deductive techniques where
12	we actually get information above 100 microns as well.
13	
14	We're not trying to look at just the
15	respirable because we're after the physics, and then
16	we try to fit response surfaces to extrapolate to
17	materials that we can't do in our containment, such as
18	uranium, plutonium, that sort of thing.
19	So we're after the full size particle
20	size distribution, not just low teen microns which
21	happen in a lot of experiments. This is the result of
22	a bismuth experiment.
23	I can't talk about geometries in this
24	environment. But this is what it looks like if it's

	98
1	gone through the vapor phase. This material is
2	sublimated.
3	And this is a one micron reference bar.
4	You can see that the material is much smaller than one
5	micron, from a uniform condensation. But the peak is
6	actually at .7 microns in our cascade impactor.
7	And what happens, and I'll talk a bit
8	about the conglomeration is that these things stick
9	together because they hang up in the fireball for a
10	matter of a second or two, that's all. And that's
11	enough time that that density of particles to
12	conglomerate to a significantly larger material.
13	This is what the bismuth looks like. Now
14	right here there is about 70 grams of bismuth in this
15	developing fireball. This is actually before the
16	fireball has stagnated and set up and done the
17	turbulent anything.
18	
	You can see at this point it's all in
19	You can see at this point it's all in turbulent jets. And there's about 60 grams in the
19 20	
	turbulent jets. And there's about 60 grams in the
20	turbulent jets. And there's about 60 grams in the space, that in this case is just a couple or three
20 21	turbulent jets. And there's about 60 grams in the space, that in this case is just a couple or three cubic meters.
20 21 22	turbulent jets. And there's about 60 grams in the space, that in this case is just a couple or three cubic meters. And I'll talk a little bit about the

	99
1	from the vapor phase.
2	This is what silver looks like. In the
3	case of silver, silver takes 80 giga-pascals to melt,
4	so you have to use a technique to get higher pressures
5	for silver than you would for bismuth.
6	Bismuth you only take 11 giga-pascals to
7	melt. And silver turns out that we have a vapor peak,
8	and a liquid peak. A vapor peak that's a one
9	micron reference bar.
10	Again you see the small snowy kind of
11	appearance. And the, in liquid peak you see nice
12	spheres, isotropic surface energy makes it spherical
13	if you end up in the liquid phase.
14	And this was less than efficient an
15	aerosolization situation than the bismuth, because of
16	the properties of silver. In this case the geometry
17	was identical to the silver base.
18	These are the prettiest spheres we get.
19	These are from Tamen. This was a fun experiment
20	because we ended up setting fires all over the mesa
21	out to about half a mile away from our containment,
22	which was, you know, like it's a fabric containment.
23	We had particles going through the
24	containment, setting as many as 11 independent fires

	100
1	our there. We don't do many experiments, so these
2	are sort of special.
3	But anyway, in this case, the peak we
4	didn't see much of a vapor peak at all. It was mostly
5	liquid at about 7.5 microns aerodynamically. So this
6	is showing this again was the same exact geometry.
7	We varied the materials, we varied the
8	geometries, we varied the devices, trying to get a
9	handle on all aspects of what's important to
10	aerosolization.
11	This is an aluminum shot. The aluminum
12	shot is different from the others because it oxidizes.
13	The explosive environment is under an under-
14	oxidized environment, so when aluminum meets air on
15	the outside of the fireball, it ends up lighting up.
16	In this case about 10 percent of the
17	original mass aerosolized. The rest of it ended up in
18	big chunks that we picked off the floor. And these
19	were big chunks, like about an inch.
20	So they were pretty easy to find. We came
21	close to full retention in this experiment because of
22	that. But what ends up happening is you end up
23	setting up this firewall, it stagnates at a particular
24	size, and the concentration of the aerosol in that is

(202) 234-4433

	101
1	such that for about a second or two you get heavy
2	and I'm lumping conglomeration, aggregation,
3	flocculation all together and just calling them a
4	conglomeration, but it's even something different from
5	that.
6	Because, in this case, you're not talking
7	about slow diffusion processes, you're talking about
8	inertial things. So it's almost more like
9	temperature.
10	It's a kinetic kind of a sticking. You've
11	got these turbulent eddies going around, and all of
12	these of this aerosol material in it. So we get
13	fast conglomeration, something different then what you
14	think about in a nuclear containment where you've got
15	a little more time than a few seconds.
16	Now I referenced before that I
17	mentioned that cobalt takes about 200 giga-pascals,
18	208 giga-pascals to melt. So what happens what you do
19	cobalt? One of those pellets? You end up with
20	fragments.
21	You get a very tiny percentage in the
22	respirable region. You do get a little bit that comes
23	out in spheres, showing change of phase, but very,
24	very little through cobalt much different than

	102
1	MR. HINZE: Excuse me, Fred. Are those
2	abraded? Those particles have been abraded as
3	elements. Have finds been lost from within the
4	process? You've got the chunks, but they seem to be
5	abraded.
6	MR. HARPER: Yes. There were we did
7	measure some finds, but it's less than one percent of
8	the original mass. Much less than one percent. About
9	.1, .2 percent was all we got from this.
10	And I've got a spall surface from one of
11	these pellets in the future.
12	MR. HINZE: What's the physics of it?
13	MR. HARPER: What's the physics of what?
14	MR. HINZE: Of producing the finds.
15	MR. HARPER: Actually if, you go through
16	and look at the models, they say there's no way that
17	we get anywhere near that temperature. The physics is
18	that every time we're looked for aerosols we see them.
19	Whether the models tell us they're there
20	or not. Models often times tell you they're not
21	there. We always in the case what I think is going
22	on, I didn't mean to get to this level of detail, but
23	that's the surface from cobalt.
24	It's a spalled surface.

You can see sights there where you can imagine that there was localized energy events that caused enough energy to change phase there on a very small scale.

5 That, plus the fact that one of the things 6 we do is we string wires close to the blast, and 7 they're copper coated steel wires. And what we do is 8 we capture the aerosol, and I don't have any -- I 9 don't think I have any pictures in this presentation, 10 capture the aerosol and look at the cross-section with 11 an electron microscope.

And we actually found droplets of iron on lower -- you know one of -- the one that was there inches away from the charge failed due to shear, not due to compressive, and it ended up putting droplets of iron on one below.

17 Now that -- now physics don't predict that 18 either. But, when you have a fracture event, enough 19 energy happens that you have these localized, not-20 easily modelable kinds of events going on is my take 21 on it. 22 CHAIRMAN RYAN: Fred, just one quick

question. If you go back to your aluminum slide there, it looks -- right there it looks interesting

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	104
1	from the standpoint that I mean I get the picture
2	in my mind that the energy distribution throughout
3	that system is pretty you know, varies quite a lot,
4	based on where you are here in the center core.
5	I know it always an equal charge and the
6	shape and all that. Is how much does the energy
7	distribution from that event vary over the same, what
8	is the magnitude?
9	MR. HARPER: Across the fireball?
10	CHAIRMAN RYAN: Yes. That'd be a great
11	place to start.
12	MR. HARPER: Well, we usually assume its
13	uniform across the fireball but that's an assumption.
14	And that's the assumption that drives us to our
15	buoyant models that give you a feel for that.
16	What you've got going on there is you
17	certainly have an energy difference on the outside
18	because you've got combustion going on, and so there's
19	
20	CHAIRMAN RYAN: Outside to inside more than
21	axially across.
22	MR. HARPER: And I pictured more turbulent
23	eddies, so that you know there's substantial energy on
24	the inside as well.

	105
1	CHAIRMAN RYAN: Okay.
2	MR. HARPER: But it's what ends up
3	happening is it stagnates there. You end up growing
4	very quickly to, in our case it about a diameter of
5	about three meters.
6	And then it just stagnates there for a
7	you know we're looking at, you know this is a if I
8	kept this going for about lets say several 20's of
9	milliseconds, it wouldn't grow.
10	It starts to grow at a second and then it
11	grows slowly. So there's much different time scales
12	going on here. But anyway, so for some metals,
13	depending on the properties, that's what they look
14	like.
15	Now we did lots of ceramic studies as you
16	know. The ceramics are very important to our
17	aerosolization. This is strontium titonate. That up
18	there is high density strontium titonate.
19	That's lower density strontium titonate.
20	All we did there was we left the higher density in the
21	oven, as we centered it centered it long enough.
22	Now I read in your documentation somebody
23	there's some point that says that there's what's
24	in there is pressed powders but that's not correct.

	106
1	It's reactive. And that's and that is center after
2	the powder has been pressed.
3	Now these are very interesting shots. We
4	feel we've got the metals nailed, but the ceramics are
5	much more complicated. This is the original powder
6	that went into the strontium titinate before
7	centering.
8	This is the hardness of the strontium
9	titonate. This is the higher density cerium dioxide.
10	We use cerium dioxide as our actinide dioxide,
11	plutonium oxide, americium dioxides, fluorium oxides.
12	So we tend to do a lot of cerium dioxide
13	shots, one because the properties are different that
14	the strontium titonate, or we're trying to do our
15	response surface based on properties so sometimes we
16	do shots on things that aren't relevant to any
17	radiological source just to look at the property
18	you know the impact of the property variants on the
19	aerosolization potential.
20	This is high-density stuff. These are
21	that's the fracture surface there, that's the fracture
22	surface here. And you can see the grains on the non-
23	fractures surface there, and up toward the top there.
24	Notice the shape of this. We did that

	107
1	with a hammer, did that with a hammer. You know
2	basic, real simple stuff. That's high-density. This
3	is low-density. This is how this is open porosity.
4	Now, gut feeling, what do you think would
5	aerosolize better, high-density or low-density? I
6	think everybody you know these are of a size such
7	that if this came apart it would look like a it
8	would be on micron small respirable.
9	So, the strontium titinate powder was
10	definitely respirable size.
11	It turns out that this has a higher
12	aerosolization potential for strontium titonate.
13	It very clearly has a density or porosity
14	dependence. For cerium dioxide, there's no density
15	dependence. They behave much differently. That's
16	part of the complication of ceramics.
17	This is the cerium dioxide, and you can
18	see unlike the nice spherical metal stuff, we've got
19	shapes. We've got grinding shapes in this case.
20	And if you do see a sphere, that's an
21	aluminum contaminant to the experiment. A little more
22	about the solid fracture failure modes. Compressive
23	wave goes through, followed by a relief wave.
24	And I've got a little bit of a picture,
	108
----	---
1	next slide to show this a little better. And if it's
2	a ductile situation, it spalls. And I've got pictures
3	of that.
4	Or the compressive wave can be followed by
5	the relief wave, followed by crack propagation. It
6	lifts the cracks apart from each other. That's a
7	different sort of method.
8	Then there's failure from diviatoric
9	stress. I was happy to hear Britt say diviatoric
10	stress so that I don't have to explain it to
11	everybody, right Britt?
12	Basically diviatoric stress, and I guess
13	one of the highest places you use that word is in
14	volcanology, the geological whatever you guys do.
15	(Laughter.)
16	So basically it's magic and what it means
17	is it's the non compressive stress, or the non-hydro-
18	static stress, the bending, the grinding, the you
19	know all of this other energy that doesn't do well
20	under mathematics.
21	But anyway, so we got failure from
22	diviatoric stress. And we consistently as I mentioned
23	observed peak in the same lines range that they do
24	when the grinding the stone.

The aerosolization potential, I put that 2 there to remind me, we are looking at up non-3 radioactive materials here. In an attempt to simulate what would happen if we'd let the strontium titonate age for 30 years, we dealt with proper amounts of 6 zirconium oxide and titanium oxide.

Basically we put some inhomogeneaties in there. We used a mill, got it down very small size and we centered it, and looked at the impact there. Now again, intuition would say radiation aging, that's going to make lots of fluff, that's going to make it come apart easier.

13 The aerosolization potential, what this 14 ended up doing, was this ended up reducing the 15 aerosolization potential for strontium titonate down to the low density level, down to where cerium dioxide 16 17 was.

18 So it took that high percent -- high 19 aerosolization percent, away. So that was kind of 20 interesting. And part of that explanation is that for 21 brittle fractured crack propagation is а very 22 important phenomenon.

23 And you can see that cracks would have a 24 really tough time propagating through something that

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

1

4

5

7

8

9

10

11

12

	110
1	is high inhomogen inhomogene whatever. And
2	let's see, and then I already mentioned that there's
3	a significant unlike metals there's a significant
4	fraction of ceramic particles that come apart.
5	Now, in an attempt to figure out why
6	strontium titonate behaves so much differently than
7	cerium dioxide, taking a real close look at the actual
8	particles, now these are all in that 2.2 micron peak.
9	If you look at cerium dioxide, it looks
10	like if you I don't know you're talking about a
11	steel mill. Did you ever look at the micrographs of
12	the grindings from steel mills?
13	CHAIRMAN RYAN: No they were much more
14	interested in getting it cleaned up.
15	MR. HARPER: But if you look at some of
16	the powder metal results, that's starting to look a
17	little bit like things that come out of the mill,
18	things that come out of the grinding process.
19	Where as this looks like it may be the
20	ceramic failure and contention. We've got a lot more
21	to look at before I can contentitively draw that
22	conclusion.
23	But if we look you know just because of
24	the difference in density dependence, we're looking at

	111
1	drastically different failure modes here. And you can
2	see it in the shape.
3	These are metals. These are spall
4	surfaces. And unfortunately I didn't bring the
5	varsity picture where I really show a nice spall
6	surface which is from one of those aluminum fragments.
7	But you can see that the surface is
8	modeled as basically it compressed and pulled apart.
9	And exactly what you think would happen happened.
10	This is time versus pressure on a shock wave
11	And the compressive part is followed by a
12	relief part, and this is where this and that happen.
13	Who knows where that happens. That's something
14	entirely different.
15	CHAIRMAN RYAN: But think about the two on
16	the left. Now can we infer that the intention created
17	larger particles? Am I looking at larger
18	conglomerated particles versus those small fragments?
19	MR. HARPER: No those are from the same
20	stage on
21	CHAIRMAN RYAN: On the impact.
22	MR. HARPER: On the impactor from
23	different experiments.
24	CHAIRMAN RYAN: I got you.

	112
1	MR. HARPER: So in that case what we're
2	looking at is we're looking at that 2.2 micron area in
3	the stage.
4	CHAIRMAN RYAN: Got you. Okay.
5	MR. HARPER: So I homed in on these things
6	so I cut out the reference part. These are similar in
7	size.
8	CHAIRMAN RYAN: That's fine.
9	MR. HARPER: And so that's an interesting
10	fact. And I think this is probably obvious by this
11	point, but what matters to ceramics? Properties such
12	as the fracture toughness, the density and speed of
13	sound, and the porosity.
14	But what also matters is the way that the
15	waves come at you. Is it s shear wave? Is it a
16	compressive wave? Is there any other non-uniformity
17	in the geometry?
18	That seems to make a different. This is
19	a salt. This is cesium chloride before shocks run
20	through it. Now every other reference bar that I put
21	up there was one micron.
22	That's ten microns, that's 100 microns.
23	So these powders are big. These powders are big.
24	This is what they look like after you run a shock

	113
1	through the material.
2	They get smaller. Phase change, here's
3	liquid, and you can see that there's kind of a bubble
4	here at the top. Nice they're not nice and round
5	like the other ones. They're kind of clumpy.
6	There cesium reacts chemically more than
7	the other would. Certainly it's very soluble.
8	There's probably some water involved in that. And
9	let's see, there's also I didn't bring it but we
10	get cesium in vapor phase as well.
11	Now that's what folks at Argon have been
12	doing, some dissection of radiological sources, and
13	this is critical to my extrapolation to real
14	radiological sources.
15	We need to do the x-ray crystallography
16	here to look at the crystal the crystal matrix
17	changes to see how close we are with our conventional
18	strontium titonate and cerium dioxide experiments.
19	Only reason I put this is you see some
20	chain conglomeration going on. The cerium dioxide
21	powder, when we do powder experiments, if they start
22	out small, they may get bigger in the shock.
23	There's something called shock
24	conglomeration. You shock center shock

	114
1	conglomeration, whatever it is it's not
2	conglomeration or centering really.
3	But if you run high pressures through it
4	you can get bigger particles in the shock wave. You
5	don't have to wait for agglomeration in the fireball.
6	This is agglomeration in the fireball,
7	however. We can see these nice chain block and things
8	like that. It started out as a pretty highly porous
9	thing look's something like that.
10	And it broke it apart and re-agglomerated
11	it. Now I've been talking little bit about
12	agglomeration. I thought that that might be something
13	that you'd care about.
14	This is the this is how many are
15	familiar with roller coaster experiments? So a few,
16	okay. The roller coaster experiments done in the 60's
17	about `62, `63. And they were actual plutonium
18	there was one plutonium bearing device for each of the
19	experiments.
20	And it was there's a lot of it that's
21	still classified but this stuff's not. So what they
22	did from there is they did two shots that were of
23	interest to me.
24	Double tracks, clean slate one. Double

	115
1	tracks is a plutonium bearing device on an eight by
2	eight steel plate. And they put up big balloon
3	curtains and measured, and it was an outside shot,
4	full sized, and measured the aerosol.
5	And this is the particle size distribution
6	that came out on the double tracks and clean slate
7	one. And ,if you go over here and if you use the
8	thing that's absolutely wrong but say ten percent,
9	below ten percent is respirable.
10	Go over here, excuse me ten microns. Ten
11	microns you look at about 20 percent of that plutonium
12	device is respirable. This particle size distribution
13	was used in transportation studies, storage studies
14	forever.
15	However, the it turns out that if you
16	do back to the original data and look at it, and this
17	is also stated in the documentation, if I were to look
18	at a volume distributed plutonium activity versus
19	physical diameter, I would follow the above curves.
20	And it does fine until about ten to 20
21	microns, at which state at which point it goes
22	directly east. And what this means is that up until
23	this point your volume distributed, you might be
24	talking about something having to do with the physics

	116
1	of the actual event, the explosion.
2	But at this point what you're talking
3	about is you're talking about surface distribution of
4	plutonium, meaning that it added onto the dirt that
5	got into the fireball.
6	These words are also in the documentation,
7	so it's not just my reanalysis. So in a nutshell,
8	everything up here is dominated by agglomeration on
9	sand that got into the experiment.
10	Now they were smart, it was a great
11	experiment. They attempted to reduce that by oiling
12	all of the ground around it. They put it on a steel
13	plate, but they still got in there.
14	And we've also done some outside talk
15	tests at the Nevada test site where we've gotten a
16	little bit of that too.
17	So what we do is we try to artificially infuse
18	sand into our experiments.
19	There's a device going off on top of sand,
20	this one's under sand, and this one's a meter above
21	sand. We're trying to get these, you know a
22	preferential size from that sand into their to
23	study the agglomeration effect.
24	This is a this is what bismuth looked

	117
1	like before of course. This is the size distribution,
2	very peaked in the .7 micron size. So this is the
3	effect of the sand on the bismuth size distribution.
4	You see it's moved over to the right and
5	this is just the cascade impactor. There's a lot of
6	sand in the intermediate range between 30 microns and
7	100 microns, which also ended up with a fair amount of
8	bismuth.
9	CHAIRMAN RYAN: On these curves, is it
10	fair to say that when we have sand or other extraneous
11	material that you have a shift upward in particle
12	size?
13	MR. HARPER: Very definitely. And what's
14	going on is what we've we've put the sand up into
14 15	going on is what we've we've put the sand up into the turbulent eddies of the fireball and that's where
15	the turbulent eddies of the fireball and that's where
15 16	the turbulent eddies of the fireball and that's where all the agglomeration's going on.
15 16 17	the turbulent eddies of the fireball and that's where all the agglomeration's going on. It's not going on five minutes, ten
15 16 17 18	the turbulent eddies of the fireball and that's where all the agglomeration's going on. It's not going on five minutes, ten minutes afterward. It's all happening in that
15 16 17 18 19	the turbulent eddies of the fireball and that's where all the agglomeration's going on. It's not going on five minutes, ten minutes afterward. It's all happening in that fireball. And this is a small grain of sand with this
15 16 17 18 19 20	the turbulent eddies of the fireball and that's where all the agglomeration's going on. It's not going on five minutes, ten minutes afterward. It's all happening in that fireball. And this is a small grain of sand with this silver agglomerated on it.
15 16 17 18 19 20 21	the turbulent eddies of the fireball and that's where all the agglomeration's going on. It's not going on five minutes, ten minutes afterward. It's all happening in that fireball. And this is a small grain of sand with this silver agglomerated on it. So what and it works particularly well
15 16 17 18 19 20 21 22	the turbulent eddies of the fireball and that's where all the agglomeration's going on. It's not going on five minutes, ten minutes afterward. It's all happening in that fireball. And this is a small grain of sand with this silver agglomerated on it. So what and it works particularly well if you have particles that are of different size

	118
1	in a gravitational signal.
2	And one will drop, the others will
3	scatter. But you've got the same kind of thing going
4	when you said turbulent fireballs. And one of the
5	things we do is we developed a method to capture
6	respirable aerosols using aqueous foam.
7	And basically the same sort of situation's
8	going on there. You know, first of all we reduce a
9	lot of energy out of the fireball in the shock wave.
10	But, in a nutshell, we inject water into that
11	turbulent fireball, and scavenge a lot of the
12	respirable size particles we get.
13	We get up to 99 percent of the respirable
14	particles. I put this in my I don't know. You
15	guys have talked about water, so I put some water in
16	there.
17	I wanted put this one, this is the last
18	slide. And I thought this might be interesting to
19	you. There were some impact tests done on the fuels
20	for a radio-isotopic thermal generator that had
21	plutonium dioxide in it.
22	And what's interesting is that ten percent
23	was respirable both for the new brand new fuel, and
24	the five year old aged fuel. They didn't wait for 30

	119
1	years or anything like that but the five year old
2	fuel.
3	And these are not impacts like what I'm
4	doing, this is a 150 meter per second impact. So it's
5	significant but it's much smaller than my range.
6	And the general, you know when I'm looking
7	at high-density strontium, I get about ten percent in
8	the respirable range, if I use the magic ten micron
9	number.
10	And if you magic ten micron number you get
11	a ten percent here for a much lower shock. And the
12	point of this is that the ceramic aerosolization
13	potential is more complicated than just maximum
14	pressure.
15	You get that diviatoric stuff going on,
16	we've got all kinds of geometry concerns going on.
17	It's more complicated than just matching the pressure,
18	like you can reduce the metal aerosolization.
19	It's about 20 percent under 30 microns, 30
20	to 40 percent under 60 microns, and I'm talking
21	aerodynamic here with it. And the initial respirable
22	size is rather small, so the impact did liberate a
23	fair amount of that, even though that is centric stuff
24	as well. Any questions?
	I

	120
1	MR. GARRICK: I have one.
2	MR. HARPER: Sure.
3	MR. GARRICK: I think you said earlier
4	that most of your work was on non-radioactive
5	materials.
6	MR. HARPER: Right.
7	MR. GARRICK: So this is somebody else's
8	work?
9	MR. HARPER: Yes. No, this is a different
10	this is not in our facility. This is at Sandia.
11	MR. GARRICK: Okay. Now the an earlier
12	slide you had ramifications with respect to plutonium.
13	Was that this work, or was that
14	MR. HARPER: That's the other work.
15	MR. GARRICK: And is that analytically
16	based or was that experimental?
17	MR. HARPER: That's experimental and
18	extrapolated using this response surface from there
19	and using the properties of the plutonium.
20	MR. GARRICK: How much of your
21	experimental work is being done to develop analytical
22	bases for doing analyzing these kinds of things?
23	MR. HARPER: A substantial fraction. What
24	this work is for is so that we can begin a in an

121 emergency response situation, 1 the fellows that 2 deployed have this capability to estimate how bad an 3 igneous event might be, to help make a decision on 4 what to do about that. 5 MR. GARRICK: What I'm getting at is that 6 we have pretty good information on what radiation does 7 to materials. I'm curious, knowing that information, 8 could the analytical models that had come out of your 9 experimental work be applied with considerable 10 confidence to irradiated materials, in your opinion? 11 MR. HARPER: Yes, that's the hope. 12 MR. GARRICK: Okay. 13 MR. HARPER: That's the hope 14 MR. GARRICK: Okay. Thank you. 15 CHAIRMAN RYAN: Allen, questions? MEMBER CROFF: You noted at the outset the 16 17 rather different pressure and time views that you 18 operate in as opposed to some of those things we're 19 interested in. 20 Can you say anything about extrapolating 21 what you know down to the areas of interest here? 22 That's your job. MR. HARPER: 23 (Laughter.) 24 MEMBER CROFF: Well it's not my job,

	122
1	personally.
2	MR. HARPER: Well I believe agglomeration
3	is certainly relevant. And if the EPRI presentations
4	are correct then none of this applicable.
5	CHAIRMAN RYAN: Just a couple of things
6	along the line, Fred. It seems like you said that you
7	know, in an explosive event and I recognize your
8	dealing with three orders of magnitude more pressure
9	and so forth all the action following an eruption.
10	And you have determined that based on the
11	materials, the geometries. But, you have what you
12	have what you have
13	MR. HARPER: That is correct.
14	CHAIRMAN RYAN: periods of time. And
15	two that, you know, as you just said, agglomeration
16	for post-energy release. That's a huge deal, and
17	that's material.
18	And trying to look at all the different
19	pieces, you tended to show that relatively small,
20	let's say less than ten percent or some fraction ten
21	microns down, size range, a number of these different
22	events, and explosive events, and so forth.
23	MR. HARPER: That is correct.
24	CHAIRMAN RYAN: Is that a fair assumption?

	123
1	MR. HARPER: Yes, and particularly for
2	ceramics it's difficult it was interesting to me
3	that I would use kind of a novel geometry to maximize
4	the pressure.
5	And I came up with numbers that were lower
6	than that impact test on the last slide.
7	CHAIRMAN RYAN: That's interesting.
8	MR. HARPER: So, having we don't get
9	huge numbers out of the ceramic stuff. As I said, the
10	ceramics, unlike the metals are smeared over a rather
11	large particle size range.
12	CHAIRMAN RYAN: Fascinating information.
13	To me the challenge is exactly what you have put to
14	us, is that, is there a way, or how can physics
15	translate it between real high-energy short durations
16	systems, or perhaps a lower energy longer duration
17	event system.
18	MR. HARPER: And some times, particularly
19	in the ceramic side, if you put the energy in in
20	multiple hits instead of one big one you get more
21	aerosolization.
22	It's not obvious that you can say oh, I'm
23	in 1,000 or affected 1,000 below so there's not going
24	to be anything.

	124
1	CHAIRMAN RYAN: Right. And the other
2	point that I made is that sometimes the models and the
3	actual experimental results don't match. I think
4	that's important thing to keep in mind.
5	MR. HARPER: No, they never match.
6	CHAIRMAN RYAN: Okay. Yes?
7	MS. KEEFER: This is Susan Keefer,
8	University of Illinois. I'd just like to comment that
9	there is a resource you might want to draw in it.
10	It's that in the area of geophysics, we study
11	processes from ranging from laboratory experiment
12	scale like this in order to get pressures comparable
13	to the mantle and core, to large meteorite impact
14	craters which are orders of magnitude slower, to
15	static diamond cell experiments.
16	Generally the products are very different.
17	But there's quite a rich resource of comparables that
18	you might want to invoke on that.
19	CHAIRMAN RYAN: Thank you. Maybe we can
20	get some of the staff folks to talk in a little more
21	detail about how to tap that resource. Thank you.
22	Ruth?
23	MEMBER WEINER: I just have one question
24	Fred. First of all, that was a great presentation.

	125
1	What I want to ask is have you done anything with a
2	target, or something that you explode that mixes metal
3	and ceramic.
4	In other words if a composite fuel run,
5	and what were your results?
6	MR. HARPER: I can't talk about that. But
7	yes.
8	MEMBER WEINER: Okay.
9	MR. HARPER: Want me to talk about at
10	home?
11	MEMBER WEINER: Yes, we'll talk about it
12	at home.
13	(Laughter.)
14	CHAIRMAN RYAN: Yes, questions? Other
15	questions?
16	MR. LARKINS: If you preheat your sample
17	first, and then did it by energy pump, you do get more
18	aerosol form. There is data on PlO_2 matrix that was
19	done back in the early 80s', the formation of
20	plutonium aerosols.
21	And if it's preheated you get much more
22	energy transferred so you get much more particle. But
23	they tend to agglomerate very quickly also.
24	MR. HARPER: Are you talking about the

	126
1	plutonium metal or plutonium oxide?
2	MR. LARKINS: Plutonium oxide.
3	MR. HARPER: Okay.
4	MR. MELSON: I was just going to ask you,
5	most of your phenomena that you're generating are
6	super-liquid. I mean, the ones where you're getting
7	the aerosols are way above the melting point material,
8	is that correct?
9	MR. HARPER: No. No, there's a solid
10	fracture peak that is down in the liquid I mean
11	it's down in a small range as well. That's where that
12	grinding comminution kind of a phenomena that I was
13	alluding to occurs.
14	Then I ended up going back on that and
15	saying well we might have some of the spall issue
16	going on in the surroundings.
17	MR. MELSON: What I was trying to get at
18	is distinguishing characteristics between this and
19	volcanic phenomena on earth, explosive phenomena where
20	you're using it on the liquids and looking for
21	parallels with our material.
22	And maybe Bruce will want to comment on
23	that a little.
24	MR. MARSH: Yes. The problem here has

	127
1	already been readdressed, is that you're working at
2	giga-pascals, and we're down to certainly the
3	megapascal region.
4	SO it's a very, very different world.
5	However, it is nice to see this is an extreme, the
6	extreme end of things. So, it would be interesting to
7	do similar kinds of abrasion type experiments,
8	fracture experiments, fracture toughness, etcetera, at
9	more realistic kinds of pressures and temperatures.
10	You know I doubt we would ever get up to
11	these. There is also the phenomena of course of
12	adding this material to a magmatic composition to see
13	what kinds of effects are involved of these things,
14	and what kind of dissolution you could get over, you
15	know, short time periods, with these materials.
16	It isn't quite clear where how to make
17	the bridge, but it's tantalizing. No pun intended.
18	CHAIRMAN RYAN: We're going to have a
19	discussion session right after lunch so we can maybe
20	cover all three of our speakers. And I'd like to, if
21	we may, move to Dr. Anspaugh's talk.
22	PERSPECTIVES ON RESUSPENSION MODELING ISSUES
23	MR. ANSPAUGH: If I can have the first
24	slide please. Some of you may remember me better from
	l

	128
1	the 34 years I spent at Lawrence Livermoore. In 1997
2	I did move to the University of Utah.
3	And two things immediately happened. One
4	was that my black hair immediately turned gray, and
5	the second one was that my concept of publication
6	changed dramatically.
7	And I'll have more to say about that
8	later. We can go to the next slide. Just an outline
9	of what I hope to talk about is the review of what's
10	known about resuspension, and resuspension models.
11	I'll make some comments on the DOE and NRC
12	methodology. Unfortunately we haven't heard anything
13	about the DOE methodology today. And then I'll
14	finally mention some areas that would have possible
15	analyses that could be used to improve the accuracy
16	and reduce uncertainty in the models.
17	The next one please. The first question
18	is, does resuspension really matter? And there's some
19	debate about this point. And we believe it's
20	important for accidental situations such as some of
21	these plutonium 238 thermo-generators coming crashing
22	down on the launching board.
23	But your real concern there is with very
24	short time frames, because resuspension decreases so

	129
1	rapidly that, if you survive the initial cloud, you
2	can almost forget about resuspension.
3	As a matter of fact, we'll look at that a
4	little bit more later.
5	The other main case of interest is really for
6	reoccupation of territory that's been contaminated
7	many years ago.
8	And then the situation is a little bit
9	different. You're talking about areas that were not
10	formerly occupied. And also for the clean up and
11	relief situations, it's important to consider in what
12	situations resuspension can be important.
13	And basically it's only for those
14	radionuclides that do not cross biological membranes,
15	but they can lodge into the lung where they stay for
16	years at a time.
17	And usually plutonium is our main concern
18	in the application and why all this resuspension stuff
19	was done in the first place. So the next slide.
20	This is just to remind you what I looked
21	like when I had funding to do resuspension. I still
22	had some hair and a few less pounds. But this is
23	I should comment that resuspension is not easy to
24	measure.

130
And you can see that we designed this
gigantic sampler. It sucked in 1,000 cubic meters per
hour. And the reason we designed such a sampler was
that we wanted to be able to look at resuspension
during a time period when there were stable
meteorological conditions.
And this, by the way, is on the Nevada
test site at the area called GMX where there was a
fairly insubstantial amount of plutonium dispersed
many years ago.
The next few graph slide indicates the
other extreme, perhaps. This is taken on one of the
islands where resuspension was also an issue. The
measurements here are not so interesting because the
environment, and also because it was done so many
years after the contaminating event.
But, nevertheless, there are measurements
of this kind available. The next one, these are
Australian aborigines. And I just thought to mention
that the individuals' contact with the environment
does have an impact on whether or not resuspension is
an important pathway.
Now after World War Three is over we may

23 Now after World War Three is over we may 24 know this as the Las Vegas lifestyle. The next slide

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

(202) 234-4433

	131
1	please. And also we are concerned about agricultural
2	crops and contamination.
3	And this is just one slide to remind us
4	that disturbance does make an impact, such as animals
5	stir up material. Of more concern are agricultural
6	implements and so forth.
7	So resuspension is a complex process that
8	it's not so easy to analyze. The next slide. So
9	our past interest on resuspension has really been at
10	very early time in consideration of a need for very
11	rapid evacuation.
12	And then at late times the consideration
13	of possible reoccupation.
14	So the two situations are different in terms
15	of appropriate models, and what the DOE and NRC are
16	now doing is combining the two situations with a new
17	type of model which we will talk about a little bit
18	more.
19	So the present approach that's being used
20	is different than what has been used in the past.
21	Next slide. I just want to point out that much of the
22	material I'm going to present has been published
23	recently in this article in the Health Physics of May
24	2002.

	132
1	The next slide. Looking at the importance
2	of resuspension, given that IAC is integrated air
3	activity during the initial cloud passage, the
4	deposition we can describe as multiplying that
5	integrated air activity by the deposition velocity.
6	And then we can look at the re-suspended
7	air activity, which is the deposition times a time
8	dependent resuspension factor. So if we perform these
9	integrals with some kind of a reasonable assumption of
10	what S_f looks like.
11	We have a ratio of integrated activities
12	that's equal to about one. And this is important
13	because, if you're not concerned about the initial
14	cloud passage, and you didn't think it was important
15	enough to evacuate the person, then certainly and not
16	all that important to worry about resuspension after
17	the fact, because, unless you do some very rapid
18	evacuation, and I'm talking about days, you basically
19	can't stop the exposure to re-suspended air activity.
20	And I think that's an important point
21	which hasn't been emphasized here. That is the
22	initial cloud package passage was not important
23	then resuspension is not going to be important either.
24	The next slide. Well there are several

	133
1	types of resuspension models. I mentioned
2	resuspension factor, which is a very simple concept
3	that, as far as I know, is invented by Wright Langdon
4	of Los Alamos in 1956.
5	And it's simply a measure of the
6	concentration divided by the deposition. And there's
7	also a resuspension rate, which is a fraction of the
8	deposition re-suspended per unit time.
9	This one has not been very popular because
10	there extremely few measurements that are pertinent.
11	And then finally we have a mass loading model, which
12	is the concentration in the air is equal to the
13	concentration in the soil times the airborne
14	concentration, usually in terms of micrograms per
15	cubic meter, and then multiplied by an enhancement
16	factor.
17	It has frequently been observed that the
18	concentration in re-suspended material is higher than
19	it is in the material in the soil. And again this is
20	largely due to fractionation effects, like that Fred
21	talked about with the activity being associated with
22	the surface of the particles and most of the surface
23	is always on small particles.
24	The next slide. So the resuspension

(202) 234-4433

	134
1	factor has typically been applied at very early times,
2	and the mass loading approach as typically been used
3	at late times.
4	And another point here is that, if we're
5	really concerned about resuspension at late times,
6	it's much more reliable to go out and measure it, for
7	example, if you're two years after the event, it's
8	much more reliable to simply go out and measure it,
9	and not have to worry about all these models.
10	The next slide. There have been several
11	times types of resuspension factor models proposed.
12	The first one here is really due to Wright Langdon.
13	The second is a powered function which
14	came from the same roller coaster experiments that
15	Fred talked about. That one is the power function.
16	And something that I actually introduced many years
17	ago was a more complex function where the resuspension
18	decreased as a factor of the square root of the time,
19	plus the constant value, because there was some
20	residual activity.
21	And later on there was different
22	variations of this. And I'm going to show you an
23	example now of this two component exponential model,
24	plus the final factor.

	135
1	If we could have the next slide, this
2	shows some early models of resuspension. The one on
3	the extreme left here is due to Wright Langdon, from
4	experiments performed in Project 56, which is a
5	plutonium dispersal device at the test site.
6	These data, unfortunately, were never
7	published in an unclassified form. But this model was
8	published by William. The next one to the right is
9	a formulation that was put forward by Ron Catherine,
10	again based in the old data.
11	Now what we did in 1970 some was to go out
12	some 15 years after an event. And, according to these
13	models, they should be way down here some place, but
14	the surprise was there was still a substantial amount
15	of resuspension occurring many years after the event.
16	So this function with the square root of
17	time is something that we formulated just to try and
18	describe some initial high levels, and some initial
19	and some later observations.
20	Then we added this constant factor because
21	at that point we didn't know if it was going to
22	continue to go this way or go that way. The next
23	slide.
24	And one of the interesting things is that

we've seen many, many papers reviewing resuspension 1 2 but there's hardly any data that's been accumulated on 3 resuspension. 4 And we go back to the data that was 5 measures many, many years ago. And we did get some 6 new data out of Chernobyl, but it was unfortunate that 7 the Chernobyl data -- the experiments did not get 8 organized at early times. 9 And so what we have is something that is 10 pertinent to perhaps a year after the contaminating 11 event, which is not very interesting because all the action is mostly over with. 12 13 And it is dangerous to apply late time 14 models to early times. Now we have in some recent 15 time accumulated some additional data that can be looked at in terms of resuspension by going through a 16 17 process of some secondary derivation of what the 18 deposition had to be. 19 Frequently is occurs that we have no 20 direct measurements of deposition but we do have 21 measurements of external gamma exposure rate. And if 22 you know what the radionuclide mix is, you can in fact 23 determine what the deposition was. 24 So I'm going to show you a lot of data

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

136

	137
1	that is not published that we have recently looked at
2	in terms of trying to acquire more data that could be
3	examined in terms of resuspension.
4	The next slide. We're going to look at
5	this combined data, and I draw your attention to a few
6	factors here. One is the very rapid decline with
7	time, and also that there is a very large amount of
8	scatter in the data.
9	But most of this can be explained by
10	looking at the data as a function of time. And also
11	some data sets we'll see decline more rapidly with
12	time than others, and this is due to large deposits of
13	mass which may or may not occur from a volcanic
14	eruption.
15	So the next slide looks at this data. And
16	you see that we have this very rapid decline with
17	time, with many different measurements showing this
18	effect.
19	Now many of these measurement points here
20	were actually made at the test site. And many of
21	these later measurements were resulting from
22	measurements following Chernobyl.
23	And you see we do have a subset here,
24	which declines extremely rapidly with time and stays

	138
1	slow. These are results that we measured following
2	Project Schooner, which was a massive cratering event
3	at the test site, and where we had samplers close in,
4	and the deposition was quite large.
5	This re-suspended activity divided by the
6	deposit decreased extremely rapidly as opposed to the
7	bulk of measurements where the deposition was not so
8	heavy.
9	So this does get to something that's
10	discussed in the DOE model about the critical
11	thickness from which resuspension does occur. Now
12	nobody really knows what that critical thickness is in
13	terms of any kind of mechanistic model.
14	And but we can get some idea about it
15	from empirical data. The next slide is similar data,
16	and it shows some different kind of models. This is
17	the resuspension model that I published in 1973.
18	And you can see that it's extremely
19	conservative in terms of the bulk of data that we now
20	have since then. We designed this to be conservative
21	because we didn't have hardly any data at that point.
22	This one is a model that was in the LMFBR
23	environmental impact statement. This is the Wash 1400
24	data. This is a data from England, which is a power

	139
1	function.
2	And you can see from here that the power
3	function actually gave a pretty good representation
4	here. The next slide looks at a shorter time period
5	now.
6	We're only out 100 days. And I forgot to
7	emphasize this but these slides are in terms of days,
8	they're not in terms of years.
9	And so again, I emphasize that this action
10	is all over with in a few days in terms of the high
11	level exposures. And you can see here that this power
12	function, although it looked good on the other slide,
13	it's underestimating the resuspension at these
14	moderate times.
15	The next slide. What we did was that we
16	took a look at this data and tried to derive a new
17	function, which is shown here, it's a resuspension
18	factor. It starts out at ten to the minus five. It
19	decays with a half-life of about ten days.
20	And then it comes down to a fairly low
21	level, and has a stabilizing value of about ten to the
22	minus ninth. And in order to attempt to describe this
23	uncertainty, it's shown here as the multiplying factor
24	by ten to the plus or minus one power, which I think
	I

	140
1	is a fairly accurate description of the extreme
2	variation in the data I just showed you.
3	The next slide indicates, again, that the
4	uncertainty is high for resuspension at any one point
5	in time. Now, I think of broader interest here is the
6	resuspension integrated over a year, for example.
7	And, of course, if you integrated a very
8	uncertain function over a long period of time, you
9	would come out with some factor that is much less than
10	a factor of ten.
11	The next slide, I just threw that in here
12	to remind you that not all soils are the same. A good
13	question is what does resuspension look like in
14	something like this.
15	This, again, comes from the Nevada Test
16	Site, by the way. And, of course, with all these
17	cracks you have more opportunity for material to fall
18	in the cracks, be covered up.
19	On the other hand, you can see that this
20	material dries out, flakes, and it may actually have
21	more resuspendable stuff. But, without doing the
22	experiment, I don't think there's any model that's
23	going to tell you the results.
24	The next slide. So the resuspension

	141
1	models are to remind you that the useful models are
2	all based on empirical data. The theoretical models,
3	trying to do resuspension, have been a complete bust.
4	And there are some of may know, there's
5	an entire book published with the title of The Physics
6	of Blowing Sand Dunes. Well, the Physics of Blowing
7	Sand Dunes does not describe resuspension.
8	And, the physics of soil erosion does not
9	describe resuspension either. So we're kind of stuck
10	here where theoretical models are not sophisticated
11	enough to describe these very complicated processes.
12	And, for better or worse, we are stuck
13	with the empirical data. The next slide I wanted
14	to make some general comments about particle sizes.
15	You know, it's my opinion, which I've looked at a lot
16	of different data from disruptive events.
17	And I think it's very clear that there's
18	always a mixture of particle sizes. And, any time you
19	have large particles, you've also got a lot of small
20	particles there.
21	And also, it's more complex than that in
22	that, if you throw a bucket of sand in the air, it
23	does not come down to earth as a bunch of very
24	discrete particles.

142 And I might remind you that we all did 1 2 this experiment when we were two years old. But, 3 sometimes we forget the result. If you throw a bucket 4 of sand it more or less comes down as a bucket of 5 you would describe sand, not as what as the 6 aerodynamic behavior of the individual particles in 7 that bucket of sand. 8 So, gravitational attraction among 9 particles is very important. And we need to remember 10 that. Next slide, please. In terms of human intake, 11 know, we can describe all these wonderful you 12 distributions all we want. 13 But we need to remember that the only 14 thing that really matters in terms of the dose, is the 15 mean. Next slide, please. I wanted to have a few 16 comments about the DOE and NRC models, and also 17 publications. 18 I did do a search on pubmed, which, as you 19 know, is oriented -- it's biased toward biological 20 type publications. And I wanted to see what I could 21 get with Yucca Mountain put in there. 22 64 hits. And Ι did get But, 23 unfortunately, only two of these publications dealt 24 with dose assessment, one of them with the NRC model.

	143
1	
2	But, it did not describe the model itself,
3	on some results. And the only one was a paper by Dave
4	Wholer and Mike Ryan, which basically was attacking
5	the dose assessment in terms of 129.
6	So, obviously most of the articles are
7	associated with geology and hydrology. So I guess I
8	ask a question, do the geologists and hydrologists
9	have all the money and/or all the motivation?
10	And the second question is, hopefully we
11	can look forward to this situation being rectified,
12	because we heard a description this morning of how we
13	were only going to be presented with data that had
14	been published.
15	Well, publication in an academic case
16	evidently means something very different than
17	publication to DOE or NRC, because these publications
18	as near as I can tell have not been peer
19	reviewed or published in appropriate journals.
20	Next slide. The other thing is the RMEI.
21	I understand you got some strange things in the CFR
22	this, that and the other. But, you know, if the RMEI
23	was really going to be exposed, we could take her out
24	of there.
	144
----	--
1	And, I don't think there's any particular
2	point in worrying about the RMEI. What we aught to be
3	worrying about is the eclectic dose to persons in Las
4	Vegas.
5	And I think, if push comes to shove,
6	ultimately, that's going to be far more important than
7	a single RMEI that's located in some peculiar position
8	south of Yucca Mountain.
9	The next slide, the DOE resuspension
10	model, I have a hard time finding it. It is on the
11	website, the Yucca Mountain website. There is a
12	publication that's devoted almost entirely to
13	resuspension with the title Inhalation Exposure Input
14	Parameters to the Biosphere Model.
15	So, it took me a while to find it. The
16	approach in that document, it is unique, and it is
17	non-traditional. It is a time-dependent mass loading
18	approach, which is not what has been widely published
19	or widely used.
20	And it is based upon mass loading observed
21	following volcanic eruptions, and it depends heavily
22	on the Mount Saint Helens experience, which I think is
23	the paper does make a pretty convincing case that
24	this is an appropriate analysis.

(202) 234-4433

	145
1	And so I was quite impresses with it.
2	However, it has not been published in the peer
3	reviewed literature. And I think members of the
4	Committee should lean on this people pretty hard to
5	publish this stuff.
6	Sooner or later in a legal arena this is
7	going to be important. If you look at challenges, the
8	question is, is it a traditional approach? Is it the
9	same approach your peer would use?
10	Has it been peer reviewed? Has it been
11	published? So, you know, this is not just an academic
12	viewpoint. It's also, I think, important for the
13	credibility, for the legal liability of the analysis.
14	The next slide, I mentioned I think the
15	model is reasonable and appears to be well founded for
16	time soon after their position. It's not totally
17	clear that the model will describe accurately
18	resuspension over long time periods.
19	But, I won't say that it doesn't. But
20	it's not totally clear. And I would suggest that the
21	model really should be validated against some
22	radionuclide data, which would a more sensitive
23	indicator of the potential long-term problem.
24	The next slide. The NRC resuspension

	146
1	model, even though NRC invited me here and sent me a
2	bunch of literature, I don't think I ever received
3	that kind of literature.
4	And I did not know that this model existed
5	until yesterday. And, at this time, the only thing I
6	have is the handout you all have from Keith Compton et
7	al.
8	And my comment is that that model appears
9	to be exceptionally considerably it has very high
10	mass loading values of an average over the first year,
11	about 33 milligrams per cubic meter.
12	That's certainly not what was seen
13	following Mount Saint Helens. And so, if those kinds
14	of data were actually observed at some other volcano,
15	I think it's seriously questionable whether or not
16	that is appropriate for Yucca Mountain.
17	And also, there is an extremely slow
18	reduction of time. It has a half-life of ten years.
19	And you remember that my opinion of half-life at ten
20	days is a lot more likely to describe the true
21	situation.
22	The next slide, this is just some ideas
23	that might be used to improve accuracy and reduce
24	uncertainty. I think the time sets of data on mass

147 1 loading for Mount Saint Helens are really truly 2 interesting. 3 And I must say that, until I read the DOE 4 report, I didn't know they existed. I think some more 5 detailed analysis of that would be very helpful, along 6 with consideration of other datasets to determine what is termed the critical depth, that is that depth from 7 8 which resuspension really occurs. 9 It's obvious in one extreme that, if we 10 have a meter of deposit, you're not going to get the 11 resuspension from the complete meter. And, on the 12 other hand, we don't know what that depth really is in 13 terms of any kind of theory. 14 And so, all we can do is look at the 15 empirical data. Another thing that was striking about the DOE report was how different the mass loading 16 17 levels are in Spokane, versus other locations. 18 And frequently we attacked because people 19 say well, you measured resuspension up in the desert, 20 and everybody knows that the mass loading in the 21 desert is terribly high. Well, it's not true. 22 The mass loading in 23 the desert is very low. And, if you look at a large 24 city, like Spokane -- it's not really that big -- but,

	148
1	the mass loading in Spokane is about ten times higher
2	than it is in the other locations.
3	So, I think there should be some other
4	consideration in looking at background levels as a
5	function of land use. Some of that has been done
6	certainly in terms of agriculture, plowing, and so
7	forth.
8	But I think it is another area that could
9	be looked at. I'm really surprised the modeling
10	concept that the DOE and NRC models is virtually the
11	same.
12	But the parameterization is totally
13	different by orders of magnitude. And so, at some
14	point in time, the DOE and NRC model really aught to
15	be reconciled.
16	Both of them really aught to be validated
17	against radionuclide data. And I'll just close with
18	one other concept about validation. One of the things
19	that's disturbing about other parts of the DOE model
20	is that they talk about validation about what appears
21	to be on black box against another set of black boxes.
22	I would submit that validating one black
23	box against another black box is not a good idea. We
24	really should be validating against any penetration

	149
1	thank you very much.
2	CHAIRMAN RYAN: Thank you Dr. Anspaugh. I
3	appreciate your comments and your insights. It's very
4	helpful. Any questions?
5	MEMBER WEINER: I don't really have any
6	questions. I just want to thank you for a very good
7	presentation, and especially for your last point
8	about validation of one black box against another
9	black box.
10	And I think we need to separate the fact
11	that different models give us similar answers from
12	models that are validated against them. And that's
13	it.
14	CHAIRMAN RYAN: Lynn, I'd like to pick up
15	on your suggestion about the radionuclide data. You
16	know, you heard their conversation about radioactivity
17	distribution across particle sizes and across a stable
18	part of the aerosol.
19	Could you give us any insight as to your
20	experiments that you've done, have been involved in,
21	and how that distribution occurs? Is it uniform, is
22	it non-uniform in terms of the radioactivity,
23	distribution, and the mass.
24	MR. ANSPAUGH: Well, most of what we've

	150
1	looked at, I've already made some comments about it.
2	But, most of the events that we've looked at have been
3	ones that really volatilize the radionuclides.
4	And, when the radionuclides typically
5	condensed, they really condensed to the surface
6	because the surface area is always on small particles.
7	You know, I hesitate to say anything about
8	what this particular kind of situation might look like
9	during a volcanic eruption. But I think, in any
10	situation where you have volatilization in place, and
11	condensation, the activity always goes to where the
12	surface area is.
13	CHAIRMAN RYAN: If there's a separate
14	process for the radioactivity, because they behave
15	independently of the vast
16	MR. ANSPAUGH: I think the question is,
17	does it get volatilized?
18	CHAIRMAN RYAN: Right. Thanks. Any other
19	questions, comments?
20	(No response.)
21	CHAIRMAN RYAN: Thanks, we appreciate it.
22	Last up, before our break for lunch, Dr. Keith
23	Eckerman is going to talk a bit about Perspectives on
24	Dose Modeling Issues.

	151
1	PERSPECTIVES ON DOSE MODELING ISSUES
2	MR. ECKERMAN: Dosimetry is frequently the
3	last thought often to as many folks still in the
4	audience at that time. What I'd like to do is go back
5	and talk a bit about the and focus just on
6	inhalation dose modeling, because that seems to be the
7	dominant pathway of concern here.
8	So, can I have the next slide? When you
9	look at dosimetry systems, there's really only two
10	gains that you can deal with, and that's the MERD
11	system and the Society of Nuclear Medicine, which
12	really isn't applicable to our considerations here
13	because it normally limits itself to dealing with low
14	LED radiation.
15	So, you have to look at the system that
16	was set out by the International Commission on
17	Radiological Protection. And you need to, of course,
18	keep in mind that that system is getting is a
19	mature system principally set out for protection of
20	warheads.
21	And, of course, in that case, it has to be
22	applicable to all radionuclides, all types of
23	radiations that might be emitted by those
24	radionuclides.

	152
1	And this was principally the sole domain
2	of that Commission's considerations was workers
3	until the Chernobyl accident. And then it became
4	clear that we had to expand that considerably, things
5	in more general framework.
6	Next slide. And there has been, with the
7	Chernobyl event, a sort of change in the culture of
8	ICRP. It isn't always evident, especially to a broad
9	set of audiences.
10	But, the focus is to provide realistic
11	dose coefficients. This is at least the object one is
12	working towards. And I think this is evident in a lot
13	of the recent work that has been in the post-Chernobyl
14	period.
15	For example, relying a lot more on
16	physiological based modeling. That doesn't mean that
17	we're totally mechanistic in the modeling approach.
18	But certainly we recognize, as we had to,
19	in addressing age and other gender aspects of
20	dosimetry, that there was a rich body of useful
21	information under that disguise of being physiology.
22	The purpose has been driven more and more
23	to considerations of health risk. The intent also is
24	to provide meaningful doses to tissues at risk. And

153 so, we're not interested in absorbed dose in an 1 2 abstract, but actually dealing with what are the 3 tissues and what might be the health risk associated 4 with this. 5 Despite all of these objections or 6 approaches, we still deal with a set of reference 7 individuals that we address in the dosimetry. So, 8 this is ICRP's current approach. 9 And the realization of this is not always 10 evident. And so I'm going saga, if you will. Next 11 slide. So, I'm going back. As you saw, the 12 dosimetry, only enters into this whole scheme of 13 things by a number. 14 Nobody talks to us until they want to have 15 a number to put into a calculation. And, the ICRP 30 and Federal Guidance 11 documents, those are basically 16 17 models that are three decades old. 18 Even if it might seem later publication 19 dates, Federal Guidance 11 is later. But it took the 20 U.S. that long to get around to recognizing it. So, 21 this really relies back on things that were set by 22 1975 in the publication process, the open literature. 23 If I was running the slides myself, there 24 would be a big X on this. Don't use that. That's not

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	154
1	a date. You should bury it, forget it. I've been
2	trying to do that after the last time.
3	The contemporary data, is ICRP 6872. ICRP
4	has another numbering convention, so the numbers go up
5	faster than the information is really available to
6	you.
7	Seventy-two is the 68 is the worker,
8	732 is the member of the public. Those are the
9	current documents. There is an extension of that in
10	Federal Guidance 13, which deals with risk as a prime
11	unit.
12	And so it goes to risk for unit intake of
13	activity. But that's the document you ought to really
14	be considering, especially you'll never get anything
15	as Lynn Anspaugh mentioned, getting things into the
16	open literature.
17	You're not going to get reviewers to bide
18	off on journal publications if you're still working
19	with publication 30. I mean, no reviewer would accept
20	that as an open literature publication.
21	There's a lot of information that's
22	available to you, numerical data, on dose
23	coefficients, databases, on CDs. Federal the ICRP
24	has the data for workers and the public on a CD that

	155
1	they sell.
2	And you can find a freebie from the EPA on
3	Federal Guidance 13 which does although the thrust
4	of that document as printed was risk coefficients, the
5	underlying doses coefficient, they are at least for
6	one particle size, they reconsider.
7	Next slide. Now, it just shows you that
8	information from ICRP's database for workers, public,
9	pick the age you like, pick the intake in inhalation
10	route, particle size.
11	There are ten sizes there. And that
12	information is readily available from that document.
13	Next slide. All of this is buried in a set of
14	computational models, of course, because we can't
15	measure doses in organs.
16	It has to be computed and you have a set
17	of models that deal with the route of intake, whether
18	it is through ingestion through the gastro-intestinal
19	tract, inhalation through the respiratory tract.
20	Once the intake has occurred, there can be
21	an uptake of the radionuclide from those routes of
22	intake into blood, into the systemic tissues of the
23	body, and finally there's routes of elimination and
24	primary urinary excretion, and fecal excretion by

	156
1	which the radionuclides are eliminated from the body,
2	in addition to radioactive decay.
3	And then, folded on top of all that,
4	there's going to have to be some consideration of some
5	dosimetric model. And so, this is the framework in
6	which these coefficients are developed.
7	Next slide. So, going back now, we're
8	going to put the focus back onto the inhalation
9	considerations. The respiratory tract model and
10	update post-ICRP 30 so ICRP publication 66.
11	And these are some of the features of that
12	model. And the intent was to provide a realistic
13	simulation of intake, make the model applicable to
14	particles, gases, and vapors.
15	In the past we have had two different
16	models that we've dealt with. A common model that
17	should be applicable to workers of the public,
18	calculate biologically meaningful doses in the lung,
19	and provide the route of uptake into the blood, into
20	systemic tissues, it ought to be, or was designed to
21	be applicable to this process of setting protection
22	standards.
23	That is prospective applications and, of
24	course, interpretation of actual exposures in a

	157
1	retrospective sense. Next slide. And so, here are
2	some of the guideposts along that way.
3	And I'm doing this to show you that
4	there's been a change in some of ICRP's approaches.
5	But what had to be considered was the effect of
6	respiratory model.
7	You have to deal with the lung physiology,
8	nature of the exposures, breathing rates, frequency of
9	breath, and so forth, deposition of the particles in
10	the airways of the lung.
11	How are they cleared and removed from the
12	airways? And all of this, of course, will be useful
13	for just calculating the dose of the lung itself. The,
14	of course, there's the process of absorption of the
15	material from the lung to blood, the dosimetry, and
16	finally there's a recognition, of course, that there's
17	a lot of different tissues in the lung, and there are
18	different cell populations that are taken to be
19	addressed in doing a meaningful respiratory dose.
20	So these are some of the issues that were
21	examined in that effort. Next slide. And so,
22	eventually you have to superimpose, of course, any
23	compartment kind of model, you see the square boxes,
24	on the anatomy, to deal with these tissues.

(202) 234-4433

	158
1	One of the new features of that 66 model
2	is the extent at which the extra thoracic airways were
3	considered. The earlier model, if you like, the
4	individual was strictly a mouth breather.
5	And, of course, it was based on actual
6	aerosol inhalation experiments in which the person had
7	the device in his mouth and breathing. It has now
8	been extended beyond in theory, and some very
9	sophisticated calculation of what is the processes in
10	the depositions if the individual is in fact a nose
11	breather.
12	So, for the first time, the airways
13	outside the thorax are being considered. And, as you
14	can imagine, this is going to be very important with
15	regard to the influence of particle sizes.
16	And, of course, you move down the
17	tracheal-bronchial tree and get down to the gas
18	exchange region. Next slide takes away the anatomy
19	and just shows you what this looks like in a
20	compartment kind of model.
21	And the bold arrows are places where the
22	material is considered to be deposited. And the thin
23	arrows are the routes at which material is being
24	removed mechanically.

	159
1	So, those arrows deal with getting the
2	material, writing up the mucous escalator, and being
3	cleared into the GI tract. There are two rates at
4	which this occurs, so that is the reason for the
5	second block.
6	There is also a biological removal by
7	macrophages that are shown here, which the material
8	may be removed to the lymphatic system and basically
9	sequestered out of the system.
10	Then, in addition to so, those
11	processes are entirely dependent on the physical size
12	of the particles, how much is being deposited, those
13	black arrows.
14	And that's a mechanical clearance. That
15	model separates then and the absorption process. So,
16	if you like going into the wall from these boxes,
17	there's another set of transfers by which the
18	radionuclide escapes from the particle and is absorbed
19	in blood.
20	The next slide. I want to say just a
21	little bit about the aerosol considerations. When we
22	tabulate numbers, we tabulate numbers assuming a log-
23	normal distribution of the particles.
24	And so, that distribution above one

(202) 234-4433

	160
1	micron physical size, that distribution has a GSD of
2	two and a half. So that's the spread of the
3	distribution.
4	The standard tables that you see published
5	assume that the density is three grams per centimeter
6	cubed. And we throw in a shape factor for the
7	settling velocity of one and a half in terms of a drag
8	on the particles.
9	So, there is an underlying of the table
10	data. There is an underlying assumption of these kind
11	of parameters with respect to the distribution of the
12	particle sizes within the aerosol.
13	On that CD that I mentioned earlier, there
14	are ten sizes of going all the way from .001 micron
15	AMAD which, at that range, is really thermal dynamic
16	processes, it's the fusion that's governing the
17	deposition, up to the ten micron size that has been
18	calculated.
19	The modeling assumes that the radionuclide
20	is volume distributed. That's just the way the
21	numbers have been calculated. The model can be you
22	can easily consider a surface deposition on particle
23	on the surface are of particle, as Dr. Anspaugh
24	related earlier.

But, the tabulated data make this assumption. And, underlying that is the -- if you have the mono-dispersed information that is in the 66 document.

It goes out to 100 micron aerodynamic diameter. And, when we speak of these things, we characterize them for the log-normal distribution in terms of the median of the distribution.

There is no -- in that model structure, and all the information is there to deal with any size aerosol distribution that you might want to assume.

You're not locked. We only locked you into the log-normal assumption when we had to implement the model and tabulate those coefficients. But, there's a broader capability available in the model.

Next slide. There's a -- these are just the mechanism of the deposition. They're really governing what happens. At the top three are really what the -- depends on what the diameter of the particle and gravitational settling.

22 So, this -- and impacts and inertia, 23 things this -- is applicable to the larger particles. 24 When you go down to the fine, very small, under a

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

5

6

7

8

9

10

11

	162
1	micron, then you start running into this diffusion
2	process as being a means by which the aerosol or the
3	particle winds up being deposited in the airways of
4	the lung.
5	And finally, of course, there is some
6	consideration of electrostatic considerations. And
7	one worries about agglomeration and so forth even in
8	the lung within that humid environment of the air
9	spaces.
10	Next slide. So, basically what is done
11	is, the lung is viewed as a series of filters. And
12	so, on the intake, depending on what you're
13	breathing through the nasal passages or oral.
14	The air comes in, goes on down to the
15	distal alveolar region where the gas exchange occurs.
16	There's a holding at that time. And then you exhale
17	and particles go back up.
18	And so, the net deposition in the lung is
19	calculated, depends on this scenario. Breathing rate
20	is going to be important, frequency of breaths, and of
21	course, the size of the particles, because, as you'd
22	expect, the large particles are going to get filtered
23	out.
24	And, when you get deeper into the lung,

	163
1	you'll have a finer distribution of particle sizes.
2	The important thing at the large sizes is, again,
3	these aerodynamic processes that deal with the weight
4	of the particle, inertia and gravity.
5	And the fines are, of course, going to be
6	governed by the thermodynamic diameters with regard to
7	the fusion. Next slide. So, this is just a quick way
8	to show you what happens.
9	I left the data all in terms of AMAD.
10	When you're down at this size, this is probably 00306
11	thermal dynamic diameters for that small one.
12	Deposition in the this is an adult member of the
13	public.
14	So, he has a time budget that he's allowed
15	to sleep. And, unlike that worker that was in ICRP
16	30, he didn't work there he didn't sleep during his
17	work shift.
18	This guy has a time budget associated with
19	it. In the ET region you have very fine particles.
20	The tortuous path of going through the nose in that
21	structure, which is there to addition the air and so
22	forth, results in things diffusing into the wall.
23	You get a high deposition as the particles
24	now gain a little bit of mobility to stay with the

	164
1	airstream. The deposition drops. And then, when you
2	go back up to larger sizes, they are going to be
3	captures in this ET one region.
4	The deposition in the thorax is this other
5	curve. And, of course, if they are filtered out
6	above, they're not going to get deep into the lung.
7	And this will, of course, strongly influence what's
8	available for deposition or subsequent dose to the
9	lung tissue, as well as systemic uptake.
10	So, particle size can be a critical
11	parameter. Next slide. Now the modeling that's been
12	done is through considers the absorption of blood
13	as a two stage process.
14	That is, you've got to the particle, the
15	activity, is really viewed as being carried along by
16	the particle. And, it may be a minor constituent of
17	the particle.
18	And so, to get the radionuclide in a state
19	in which it can be taken out by the blood, you first
20	have to get it away from the particle. And so,
21	there's a dissolution step that's considered.
22	And, once it has escaped the particle,
23	then it is available for uptake to the blood. So this
24	is where the chemistry starts in. And it's not just

	165
1	the chemistry of the radionuclide, it's the chemistry
2	the chemical form of the particles that were
3	inhaled themselves.
4	This process is viewed as being in
5	competition with the mechanical clearance that I
6	showed you earlier and the biological clearance. And
7	the model was actually formulated with the expectation
8	that this process of absorption, we might be able to
9	represent it by some set of functions.
10	The next slide shows you a couple. So,
11	this is the sort of picture that's now being used. The
12	particles are deposited in an initial state. Some of
13	them are absorbed rather quickly through blood.
14	The activity is absorbed rather quickly
15	from the particle and is available for uptake in
16	blood. There is a consideration, if you like, of a
17	transition to a transform state.
18	And then a little later this material will
19	appear as being available to the blood. This process
20	has been implemented with the fault absorption
21	parameters now, F, M, and S.
22	This is not the old clearance class
23	business that you saw before, which didn't
24	differentiate the absorption aspect from the

	166
1	mechanical clearance.
2	But these are referred to as types, fast,
3	moderate, and slow. Fast things such as iodine and
4	cesium go in at a rate of 100 per day, as location for
5	a coefficient.
6	And S's slow down appropriately. So, this
7	mimics the common observation in the inhalation that
8	there not only are there fines associated with almost
9	any aerosol, but we always tend to see some material
10	coming in the blood rather quickly, then a slowed down
11	delay transfer to blood.
12	And that is mimicked by these absorption
13	types. Next slide. I just want to touch I just
14	picked up the actinide model because this is another
15	change between publication 30 and the newer data.
16	The actinides tend to be loosely grouped
17	together in terms of their behavior in the skeleton.
18	And they are referred to as bone surface seekers, that
19	is that when they are taken up from the blood in the
20	skeleton, they are taken up along the surfaces.
21	That's where, of course, the new bone is
22	being formed or bone is being eroded. That's where
23	those processes occur. Unlike the like strontium
24	and radium, the material, these nuclides, once they
	I

	167
1	are deposited on the surface, they tend not to move
2	into the volume of the bone.
3	And, as in publication 30, they were left
4	here forever on that surface. Well, the newer model
5	actually considers that there is some movement of
6	material into the volume of bone.
7	One way you can think about that is if you
8	lay down new bone on top of the surface, which is
9	where the new bone is going to be formed, you're going
10	to basically burry the deposit.
11	And, in fact, the newer information and
12	radiographs, and so forth, clearly indicate that we'll
13	see varied deposits strictly as a line source of
14	plutonium, say, in a bone.
15	However, as we know, an analogy with the
16	waste consideration, this volume of bone can be called
17	upon with age to erode away with the skeleton with the
18	body's need for calcium.
19	And so, they can be absorbed from the
20	volume and brought back to the surface and be
21	available for recycling and so forth. So, one of the
22	big distinctions on the actinides is the fact that, on
23	the newer models, we considered this process of
24	burial.

	168
1	That gets it the alpha part away from the
2	critical tissues within the skeleton that we were
3	concerned with with respect to bone cancer and with
4	regard to leukemia induction.
5	And so, basically, that alpha event is a
6	bit of wasted dose if it's in the volume of the bone.
7	The next slide shows you, just to keep you up to date,
8	we've got some proposed changes in the plutonium
9	model.
10	This stems out of a great deal of work
11	that had gone on over the years since we first
12	published that model and ICRP adopted it. This is a
13	model with the changes that are actually before ICRP.
14	Now, responding to some information that's
15	been in the literature over time, and the newer data,
16	as well as the work we've been involved with, with
17	looking at the plutonium workers at the Myac facility.
18	And some of this is a little bit of window
19	dressing. There was criticisms of the model in the
20	open literature because there is some potential for
21	some fraction of the activity to actually wind up
22	being deposited in the volume and away from the
23	surface.
24	It's very small, there's no real

	169
1	significance. But, the model was picked up and
2	criticized for that. We have made a simplifying
3	assumption with regard to this compartment in the soft
4	tissue in the original model.
5	And that resulted in the blood curve not
6	being very realistic. And that was picked up in the
7	literature. And so, we've had to make a change there.
8	Also, the liver the tissues involved
9	here are really liver skeleton. And we made some
10	changes with regard to the later data suggested a
11	little different partitioning of the material between
12	the liver and the skeleton.
13	However, there was also an indication
14	that, in order to keep the fecal excretion rates
15	right, there needed to be more explicit considerations
16	of pathway here.
17	The other aspect that was driving some of
18	this is, in fact, to deal with disease states. And,
19	among the workers, there's a high appearance of liver
20	disorders.
21	And so, one of the objectives here was to
22	modify our reference model a bit to be able to look at
23	
	the significance of liver disease on that population.
24	Next slide. All right, let me just go

	170
1	back to the americium example and go back to ICRP 30
2	and show you what happens here. ICRP, all you had in
3	those documents was an AMAD of one.
4	That level of educational tool that defect
5	INP allowed you to look at different sized particles.
6	That model is so simple that all you needed was a
7	triplet of numbers to actually look at some different
8	size aerosol sites.
9	But, here's the when you open up
10	Federal Guidance 11, and you're only going to find a
11	class W number for the americium. The effective dose
12	there is 1.2-10 to the minus four.
13	If you go to 72, and state that I can't
14	do any better than this one micron, here's the numbers
15	for F, M, and S. You see, now we said that the
16	behavior of the americium, at least for the members of
17	the public, is probably more dictated by the nature of
18	the particles, the aerosol itself that it's attached
19	to.
20	So we no longer limit ourselves to one
21	consideration. And you can see that there's a fair
22	bit of difference on the order of magnitude if you go
23	out.
24	The other thing that's interesting is the

	171
1	common thought in people's mind that the insoluble
2	form is going to be the most hazardous. And that kind
3	of falls to pieces here with regard to the americium.
4	F is rather mobile in the and, there's
5	and, of course, from the ICRP CD-Rom, you can get
6	the corresponding dose coefficients for the ten micron
7	data.
8	And, again, you can see that there is
9	there can be a substantial amount of conservatism
10	depending on how you enter these tables and decide
11	what's the applicable number that you ought to be
12	really dealing with.
13	And, of course, it would be very important
14	to understand all of these things that you folks have
15	been talking about with regard to the aerosol and the
16	that we might be dealing with here, as well as how
17	the activity is really distributed in that aerosol.
18	Next slide. So, just to make a quick
19	statement with regard to uncertainty, dosimetry often
20	gets tagged with a lot of uncertainties mainly because
21	a lot of people, when they do have a choice of
22	coefficients to use, they'll wind up taking the
23	highest one and not doing their homework.
24	And so, we get hung by people saying, you

	172
1	know, we've got lots of conservatism in the
2	calculation. There's a couple things to keep in mind.
3	There's a lot of ongoing work in trying to
4	deal with all these issues. But, biological
5	variability, model uncertainty, and parameter
6	uncertainty are often blurred in the literature.
7	And so, you have to be careful when you go
8	through the literature. Most people don't even tackle
9	this one of deciding whether it's an appropriate model
10	or not.
11	And, you get into these exercises that we
12	all fall prone to, of comparing one model against
13	another. But you've got to go back to the basic
14	information and look how that model is derived and it
15	is a basis for.
16	Our application is really to a reference
17	individual. So, we're setting aside a lot of the
18	biological variability. We recognize that it exists
19	and so forth.
20	But, that's we've defined this
21	character that we're going to deal with with regard to
22	his anatomy and physiology. And so we often set aside
23	that.
24	That doesn't mean you can't explore these

	173
1	relationships or understand where their referenced
2	individual resides. But, if you get chasing
3	biological variability, it's a tough road to go.
4	Let me say that we tend to like to
5	actually turn the problem around and talk about
6	reliability of the coefficients. And, we like to fall
7	back to thinking of what was the quality of the
8	information?
9	What was the quality of the information
10	that we had available to develop a model? And, of
11	course, that's all over the place in some cases. It
12	might come as some surprise, but the plutonium model,
13	there's a lot of good information.
14	It has been well studied in animals, in
15	man. And we know a great deal of physiological
16	information with regard to the skeleton and so forth.
17	
18	So, we've got actually recent information
19	from injection studies and so forth that we're folding
20	into that updated version of the model. We've got a
21	good set of data.
22	Americium unfortunately the datasets
23	here are not as strong. They haven't been really
24	mined as well. That's part of the consideration as

	174
1	well.
2	Now, for these radionuclides, I'd say that
3	the effective dose, you know, we're probably talking
4	about an order of magnitude confidence in those
5	numbers that we're given.
6	We've got some elements of conservatism in
7	certain places. Sometimes this is like integrating.
8	Instead of temporal integration, you're integrating
9	over tissues.
10	So, these things tend to wash out a little
11	bit. And so, that's not too bad. They're probably
12	overestimating bone cancer risk and leukemia risk in
13	these models.
14	I expect that we may, within the ICRP
15	framework, we'll probably change some of the
16	dosimetry. Now, if you think about alpha dosimetry,
17	it's a bearcat to deal with.
18	I mean, you're asking to look at cells
19	that are at risk. And, not knowing exactly and
20	dealing with a radiation that's only got a 50 micron
21	range in tissue.
22	So, it depends a great deal on what kinds
23	of assumptions you make with regard to where the cells
24	at risk are, and what where is this radionuclide that

	175
1	is decaying.
2	I think that's partly the issue that's
3	here, is that we probably have been pessimistic and
4	conservative in the way we have set those calculations
5	up.
6	I think that's the last slide. Yes. And
7	so, I think what's neat is, there's a great deal of
8	capability in the newer dosimetric information. We
9	can deal with a lot of the issues at more depth than
10	what has been done in the past.
11	But, it's going to really take people
12	working not just going into handbook and grabbing
13	the numbers. You've got to work it through a little
14	bit.
15	And we can address a lot of the aerosol
16	kind of issues that we pull out in the dosimetry, once
17	you folks get your arm around it. Thank you.
18	CHAIRMAN RYAN: Thanks Dr. Eckerman. Are
19	there any quick questions for Dr. Eckerman? We'll
20	break for lunch. We'll have a roundtable when we come
21	back at one.
22	MR. MARSH: I just have one.
23	CHAIRMAN RYAN: Yes, one question, please
24	Dr. Marsh.

176 MR. MARSH: Keith, what about the 1 ___ between the science of drainage, for example, and air 2 3 going down the lungs, you know, half a liter to maybe 4 two liters a day of drainage between the sinus and the 5 stomach. So, you get deposition of the sinuses and 6 7 down the stomach. What about that path, rather than 8 the lung path? 9 MR. ECKERMAN: I didn't give you the 10 details on the ingestion. And, of course, that's what 11 we're thorough concerned with there. And, there is a new, more detailed model of the gastrointestinal tract 12 13 that's being put together at ICRP where we probably --14 soon putting up on the website for comment. 15 Probably we need not covert, it's SO probably going to be after the year, which will deal 16 17 with some of those issues. And that's another case of 18 probably conservatism in the ICRP method, as to how we 19 dealt with the contents of the organs irradiating the 20 cells at risk. 21 So, there will be more details on that, in 22 consideration of -- we still have a bit of trouble

24 folks have, of getting a hold of some of the

getting, like all of us have, the same problem you

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

23

	177
1	parameters for some of these models.
2	We can conceptualize them and so forth,
3	but it's difficult to get the parameters. So, there's
4	where that culture change is a little hard, because,
5	in the light of lack of information, there is a
6	tendency to go on the conservative side.
7	And so, you've got one piece of data that
8	you're going to apply to the human.
9	CHAIRMAN RYAN: Thanks. Any other quick
10	questions? Well, we're doing pretty well on time.
11	We'll reconvene at 1:15 for our panel discussion.
12	(Whereupon, the above-entitled matter
13	went off the record at 12:00 p.m. and
14	went back on the record at 1:15 p.m.)
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	179
1	A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N
2	CHAIRMAN RYAN: All right, I guess all of
3	our panel members and participants are in place. I
4	want to thank all the speakers this morning, Dr.
5	Harper, Dr. Anspaugh, and Dr. Eckerman, for a very
6	interesting talk on various aspects of the dose
7	calculations associated with an igneous event.
8	And I'd like to open it up for panel
9	members to make comments or ask questions of any of
10	the three speakers so that we can reach for the goal
11	of maybe thinking about all of these talks first
12	individually, and then what don't we see in the
13	aggregate as patterns, or comments that we can make
14	coming out.
15	If I may, could I start on this side with
16	Dr. Marsh?
17	SESSION THREE ROUNDTABLE DISCUSSION
18	MR. MARSH: Sure. In terms of the
19	presentation today, the thing that I'm struck with we
20	picked our processes to analyze in great detail. And,
21	being that this is such an integrated and far-reaching
22	spectrum of processes that we're talking about, maybe
23	generations, and things moving up to actually hurting
24	people, inhaling particles and things that all this
	180
----	--
1	pull apart.
2	It is absolutely critical that we identify
3	the right processes to investigate the detail. And
4	what happens, of course, in these kinds of situations,
5	is that we come at this with a certain expertise.
6	And we apply our expertise to looking at
7	the process. And we work on a problem that we can
8	recognize. And it may not actually be relevant. And
9	our approach may not be relevant.
10	And there's the danger that we don't look
11	at the integrated process in identifying which aspects
12	of it are the real critical aspects that we should be
13	looking at.
14	So, there are areas or boundaries where
15	one group has to assume the results or needs results
16	from another group. And they started off and go
17	forward with those.
18	The key is we need bridging across these
19	areas. And, when the advice is given to modify or to
20	look more broadly, or to look more deeply, it should
21	be taken in many ways.
22	But it's hard to do that, because it comes
23	down to what people are able to do. So, the single
24	thing I think that is missing in many regards is that

181 process that I would consider enormously critical that 1 2 could involve direct experimentation, down to even the 3 small -- one of our level of taking a small 4 cylindrical pellets, putting it in a tephra column. 5 Let's say the laboratory runs -- fluid 6 times fashion, tumbling these things in there in 7 tephra and seeing what happens to them in terms of 8 what were the fines produces. 9 In geology we're now pretty proficient at 10 crystal size distribution and particle size 11 distribution theory. So, there's a common ground 12 here. 13 It is very interesting. We have log-14 normal distributions we see in the rocks in terms of 15 -- of the crystals, and also in terms of volcanic ash. 16 So, I think there are aspects of this 17 problem -- serious aspects -- that fall through the 18 cracks. We reach out for a number, and we get a 19 number. 20 And people go with it. But, the fact is 21 that we actually have to -- as we're doing here --22 learn each other's expertise a bit. And we talk to each other, it is amazing. 23 24 understand each other We at various

	182
1	levels. A lot of this involves transport, physical
2	processes, transport, and uptake, and things like
3	this.
4	And all the conservation are very well
5	known by all the fields involved. And so, we can
6	actually get them in the same age, I think, without
7	much difficulty.
8	But an effort has to be made to have the
9	same people in the same room for some period of time,
10	and not in necessarily a formal statement where people
11	are given position papers and things, but actually get
12	that and try to focus and say, let's move the
13	spotlight over here a little bit and let's try to
14	solve this problem.
15	And so, I think that's a major issue here.
16	I think we have a real strong probability that we
17	could really embarrass ourselves here, as scientists,
18	engineers.
19	This is a problem that, if we did an
20	excellent job at it, it could set a precedence for the
21	unforeseeable future. I'd like to see some more of
22	this integration from the earliest time to the late
23	dispersal time, to the uptake.
24	So we really understand each other and

(202) 234-4433

	183
1	really ask the pertinent questions. Just in closing,
2	I would like to say, I spent my entire career working
3	event processes and physics.
4	This aspect of this is that I will no
5	longer be able to tell my mother-in-law that what I do
6	is still a practical job.
7	(Laughter.)
8	CHAIRMAN RYAN: Thank you Bruce. Bill?
9	MR. HINZE: Well, in addition to the "I"
10	word, I think we could also use the "I" word for the
11	importance. And I don't mean to steal John Garrick's,
12	but, we have a large number of processes involved here
13	with parameters.
14	And we worried about we tend to get
15	slotted into our own particular favorite parameters.
16	And we're just not very able to consider all of these
17	in the kind of detail that perhaps we'd like to, from
18	a scientific viewpoint by the time we reach decisions.
19	And that means we do have to find out
20	which are the most important. I hear, for example, a
21	lot about size and mass in terms of the remobilization
22	and dosimetry?
23	And yet, I don't hear, as a geo-scientist,
24	I know how important the shape factor is. And I

	184
1	didn't hear that until Keith brought that up in one of
2	his slides in those considerations, I think was the
3	title, in which he had a shape factor of 1.5.
4	That seemed like a very conveniently
5	rounded off number. Excuse me, Keith. But I wonder
6	where that came from and how important that is, and
7	how that really how much of a parameter we can
8	enter into our modeling of the shape, because shape
9	can be very important, not only in terms of the
10	settling, but also in terms of pickup static charge,
11	etcetera.
12	These are the kinds of things that we have
13	to focus on that, as Bruce has put it, we don't want
14	to embarrass ourselves. We can't just accept the
15	standard of values.
16	And we have to question them, but we have
17	to question them within the framework of risk. I have
18	been privileged to sit in on a number of the igneous
19	activity technical exchanges.
20	And, one of the great things that is
21	coming out of this meeting is the fact that we are
22	finally paying attention, perhaps too late, to these
23	problems associated with the distribution re-
24	distribution and dosimetry. I'll leave it at that.

	185
1	CHAIRMAN RYAN: Thank you. Bob, any
2	comments?
3	MR. BUDNITZ: No.
4	CHAIRMAN RYAN: Mr. Garrick?
5	MR. GARRICK: Well, not many, you'll be
6	happy to know. One of the things I wanted to say is
7	that, what I'd like to see is things happen that add
8	credibility to the dose calculations.
9	I'm sort of reminded in the reactive view,
10	70's and 80's we took our risk assessment to off-site
11	consequences and calculated dose, and so forth. And,
12	when the NRC got involved, they sort of stopped doing,
13	for reactors at least, dose calculations.
14	And reasons were not given. There is a
15	much greater confidence in the calculations that lead
16	up to the source-term than there in the calculations
17	for the dose, even though the mandate is for the NRC
18	to protect the health safety.
19	But they tried to do this through, and in
20	achieving low core damage frequency than demonstrating
21	the off-site doses. So, think the challenge seems to
22	be to do things to make the dose calculations have
23	credibility.
24	What is saw this morning was particularly
	I

186 encouraging in that regard. Although, I think that 1 2 the calculations that are being considered here are 3 probably not taking full advantage of the technologies 4 that exist. 5 One specific example is dispersion models. 6 There has been a tremendous amount of work in 7 dispersion models in dealing with the dynamics and 8 with the changes in direction of wind, changes in wind 9 speed, changes in stability factor, as a function of 10 the atmospheric conditions. 11 And I didn't see anything of that nature. 12 So, Ι think we've got a lot to do to establish 13 confidence and credibility in the dose calculations. 14 I think we know where to do that. 15 And we've always known that the health effects models are suspicious in terms of being able 16 17 to have high confidence in them. So, there are a lot of uncertainties associated with it. 18 19 And, the point I tried to make this 20 morning is that, if we fix a lot of variables, and fix 21 a lot of processes, and decide that we want to do a 22 comprehensive uncertainty analysis of one two or 23 variables and one or two processes. 24 We may be just kidding ourselves by the

fact that we mask the real uncertainty by all the 1 2 fixes we've made. I just feel there's a lot of 3 opportunity there to improve the credibility of the 4 dose calculations.

5 And I didn't see a manifestation of A, 6 people taking advantage of what we already know and 7 what we've already done, particularly with respect to 8 dispersion models, and B, in the kind of thinking that 9 we've been trying to inject into these types of 10 analyses, namely consistent treatment of uncertainty 11 and ability to propagate that uncertainty through the 12 model. And I think that's pretty much my comment.

CHAIRMAN RYAN: Just to kind of expand on that, John, when you say propagate through the model, would we really propagate through the entire system model? 16

17 MR. GARRICK: Well, certainly do what is 18 reasonable. You know, it turns out that, of course, 19 the dose calculation, a lot of things in are 20 prescribed.

21 And I kind of object to that too. I kind 22 of would like to know what the experts really think 23 the dose is, prescriptions not withstanding. But, I 24 know of its limitations.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

13

14

15

187

	188
1	And those limitations have to be addressed
2	by considering the fact that we don't know as much
3	about them as we like. And the way in which we
4	address that is we assign them a little more
5	uncertainty than the others.
6	But, I think some sort of consistency
7	check so that the reader and the audience realizes
8	that, if you are fixing things and so forth, that they
9	know what it is.
10	And, of course, they did that in the
11	analysis. But, what we didn't see was what the real
12	impact of that was. And that's what it's sort of
13	like we saw in some of the early performance
14	assessments.
15	We saw language like there was no
16	uncertainty with respect to the solubility of some of
17	the actinides. But, when you read the fine print, the
18	reason there was no uncertainty is they assumed it was
19	constant.
20	Well, that doesn't take away the
21	uncertainty. And so, what we need to do is simply
22	expose and make clear what we're doing and why we're
23	doing.
24	And, if we're doing uncertainty analysis,

	189
1	put it in context.
2	CHAIRMAN RYAN: Thanks. Dr. Melson?
3	MR. MELSON: I thought Keith Eckerman's
4	talk was very enlightening for me, because I knew very
5	little about it, which is really the beginning. We
6	make it the end.
7	But I think his comment should have been
8	at the beginning. I mean, this is what people want to
9	know. What's going to get in my lungs, or what's this
10	going to do to me?
11	And, I think this meeting has been really
12	good in linking these things in a way I've never seen.
13	Usually dosimetry sections are separate. So, we're
14	busy talking about the volcanoes, and they're talking
15	in another room about dosimetry.
16	So, I thought this was an excellent way of
17	doing it, in looking at we need to be very considerate
18	about these very small particles. So, in a way, this
19	refines the models of volcanology coming up with.
20	So, in that regard, I was happy when I
21	learned that eh UO_2 assented. Ben Harper pointed out
22	that, even though it is powdered, it's when it goes
23	into the reactors.
24	And that's an important consideration for

	190
1	those of us interested in the fragmentation. And I'm
2	not talking with the powder, but with a more coherent,
3	solid particle.
4	And I think, generally speaking in terms
5	of the modeling, I think Britt and others made it very
6	clear that we're modeling a very complicated
7	phenomena.
8	And we're like an infant just beginning to
9	walk, I believe, in some areas. I think Bruce made
10	that very clear with his comments yesterday about how
11	the magma rising has a very complex number of
12	processes it only will solidify in a place that's
13	water is degassing.
14	It's very hard to model. To keep leaving
15	out these things and making very simple models, we're
16	not going to get the truth. It won't really tell us
17	what's going to happen.
18	And yet, to deal with reality is extremely
19	complicated. But, I'd like to say what I see here is
20	movement in that direction. We've all been very
21	generous in the criticism of everyone's models.
22	And people are going home to think that
23	you know, I hope that they will use it. I want to
24	comment on the erosion rates just very briefly,

	191
1	because a number of us noticed that, in Don Hooper's
2	presentation, he was giving an erosion rate of 15
3	centimeters a years, which is .05 meters.
4	When we go through the calculations,
5	that's about 150 meters in 1,000 years. It's getting
6	to the point where these rates are now these are on
7	slopes.
8	And I'm not sure what the slope rate was.
9	And you're welcome to comment. Yes, that's what I'm
10	asking about because I thought that was extremely
11	high.
12	MR. HOOPER: Yes, Don Hooper from the
13	Center. Are you looking at erosion rate or the
14	precipitation, the rainfall rate?
15	MR. MELSON: I thought you said this was
16	the erosion rate on the slopes.
17	MR. HOOPER: Okay.
18	MR. MELSON: What I heard was and you
19	can correct me. You stated flow rates of hillside
20	erosion. And I wrote in parenthesis after that .5
21	meters a year.
22	MR. HOOPER: The three to 30 cubic meter
23	per square kilometer per year, that's a sediment
24	yield. That's more of the erosion rate.

(202) 234-4433

	192
1	MR. MELSON: Well, what was this .15
2	meters per year?
3	MR. HOOPER: That should be the annual
4	precipitation.
5	MR. MELSON: All right. Well, I must have
6	misunderstood you. I'm glad to hear that. Because we
7	would have to be concerned, if that were the erosion
8	rate, of exposure of the repository within a few
9	thousand years.
10	But, it is true that the erosion rate was
11	not low in these areas. As a matter of fact, one of
12	the highest erosion rates that's been record is for
13	the region these dry areas, because of the lack of
14	vegetation, are extremely rapid, much more so than our
15	eastern erosion rates.
16	So I think, you know, I'd be concerned
17	about how long any load would really last. Now, the
18	other thing is, the casualty variation that was
19	modeled is a critical part of getting at the dose.
20	How much of this is going to be released
21	and what will it be? And, the one thing we talked
22	about over lunch was the possibility of modeling
23	not modeling, but actually doing canister relationship
24	to experiments, versus because there are places

	193
1	where there are large batches of magma where one could
2	begin to do that.
3	I'd rather recommend that specifically.
4	I'd say whenever we can come up with ideas about how
5	we can test our numerical modeling, we must do that.
6	Numerical models need to be constantly tested.
7	About that testing we don't know about the
8	initial conditions. We don't know how well they're
9	going to work. And yet, because they have numbers, it
10	seems so rigorous or so believable by people.
11	So, there is that danger in numerical
12	modeling and need for experimentation wherever we can
13	do that. What I think we experience here more often
14	than not is the need for transparency in regard to our
15	own communications with each other.
16	And if we leave sometimes and
17	misunderstood each other, imagine what the public, as
18	you were pointing out, John, must have in
19	understanding what we're doing.
20	And that call for transparency is a call
21	for doing the job right. So I would encourage
22	wherever we can take some of these processes and make
23	them transparent, and make them available to the
24	public so they can understand what's going on,

	194
1	whatever that takes. I think that's about all I have
2	to say.
3	CHAIRMAN RYAN: Okay. Thank you.
4	MR. JOHNSON: Thank you. I just have a
5	couple of very brief comments. One is to amplify on
6	what Dr. Marsh said. And you'll hear more of it on my
7	wrap-up talk at the end of the afternoon.
8	What I really think we need is some sort
9	of framework to tie all this stuff together. It may
10	help provide the transparency that we need to
11	communicate with each other to make sure that things
12	aren't falling in the crack, and make sure that we
13	understand what each other is trying to say.
14	And I'll amplify on that a little bit
15	later. Just a comment on something that John Garrick
16	said relative to the NRC using surrogate measures to
17	really measure the safety of the commercial reactor.
18	We know that when we do that and when we
19	look at what's important based on these surrogate
20	measures, we get different answers. And there'll be
21	a different answer if we regulate it versus the public
22	health effects.
23	So we have a real danger of biasing our
24	results in our direction of going if we don't use the

	195
1	final end-states as the measures were focusing on.
2	CHAIRMAN RYAN: Thank you. Yes, Bob?
3	MR. BUDNITZ: Yes, I realize I wanted
4	I passed before a couple more comments. I realize
5	I want to say something to reiterate something I said
6	yesterday.
7	And that is that, as I said, we the
8	Department of Energy are going to submit our
9	license application in about three months. And, as I
10	said, we worked as hard as we can to make that post-
11	closure analysis for this new forum.
12	We've also worked diligently to make sure
13	that it addresses the Yucca Mountain review plan,
14	which is the NRC's criteria for reviewing what we sent
15	in and ultimately, we hope, agreeing that what we did
16	is adequate.
17	And that contains acceptance criteria and
18	various requirements for data and models of the like.
19	So, when you see what we've done, you have to
20	understand that we've done that with those two things
21	in mind.
22	And then I just have to be sure to say
23	that our models, just like a model of any analysis
24	ever done for anything, is always an abstraction of

	196
1	reality.
2	There's no such thing as absolutely
3	precise, and accurate analysis of anything physical.
4	It's an abstraction. The abstraction is for that
5	purpose.
6	And, just to give the opposite example,
7	the best analyses of the response of the Golden Gate
8	Bridge, near where I live, to earthquakes, is not an
9	absolutely accurate analysis.
10	But it's way more than adequate for the
11	purpose, which is to assure the bridge would be okay.
12	The same thing is true of the analyses of a large
13	aircraft I'm going to fly in one this afternoon
14	in the face of huge turbulence.
15	It can't handle that exactly, but we know
16	that those analyses are more than adequate for the
17	purpose. And we feel confident the plane is safe
18	enough.
19	And that's going to be true here too. So,
20	please don't expect, because it wouldn't be fair to
21	expect that the analyses you'll see in our license
22	application are realistic in that sense.
23	They won't be, and they can't in the sense
24	that a purist would look. But they're going to be

	197
1	adequate for the purpose. In fact, they're going to
2	be more than adequate for the purposes, we believe.
3	And we hope that you will review them. I
4	don't just mean the NRC staff, the ACNW, but others in
5	the community will review them and understand them in
6	that light.
7	That said, we like everybody else
8	expect that over the years, as more is learned, the
9	analyses will improve and become more realistic. Even
10	though they'll be adequate for the purpose we'll
11	reduce and we'll have even more confidence that we
12	understand things.
13	And I've listed to these last two days in
14	that light, to see if there are things that we could
15	learn to help us improve the analyses which we believe
16	are adequate for our purpose, to help us make them
17	have higher confidence and to reduce some of the
18	uncertainties, and to understand the differences in
19	everyone's models so that we can feel even more
20	confident that we're on the right track.
21	CHAIRMAN RYAN: Thank you. Any comments
22	in this session? Questions for the speakers?
23	MEMBER WEINER: First of all, I wanted to
24	thank the speakers. I thought this morning's session

	198
1	was really wonderful. And I am very sensitive to
2	doing models myself.
3	I'm very sensitive to this notion that, as
4	Bob just said, we have to find some road between what
5	is adequate for the purpose, and what is truly
6	accurate, because we can't model into the distant
7	future with anything approaching accuracy.
8	And, I just had a couple comments to make
9	on the comments that were just made. And one of them
10	is, I think, to Dr. Melson. I think we're all
11	sensitive to the question of communicating with the
12	public.
13	But, I think there is a danger that we run
14	into. And that is to confuse transparency with
14 15	
	into. And that is to confuse transparency with
15	into. And that is to confuse transparency with oversimplification. And I would encourage the people
15 16	into. And that is to confuse transparency with oversimplification. And I would encourage the people who do the communication with public not to do that.
15 16 17	into. And that is to confuse transparency with oversimplification. And I would encourage the people who do the communication with public not to do that. What we hear at this meeting is so much
15 16 17 18	<pre>into. And that is to confuse transparency with oversimplification. And I would encourage the people who do the communication with public not to do that. What we hear at this meeting is so much more informative than much of the public information,</pre>
15 16 17 18 19	<pre>into. And that is to confuse transparency with oversimplification. And I would encourage the people who do the communication with public not to do that. What we hear at this meeting is so much more informative than much of the public information, that there should be some way to incorporate that</pre>
15 16 17 18 19 20	<pre>into. And that is to confuse transparency with oversimplification. And I would encourage the people who do the communication with public not to do that. What we hear at this meeting is so much more informative than much of the public information, that there should be some way to incorporate that information without oversimplifying it to the point</pre>
15 16 17 18 19 20 21	<pre>into. And that is to confuse transparency with oversimplification. And I would encourage the people who do the communication with public not to do that.</pre>
15 16 17 18 19 20 21 22	<pre>into. And that is to confuse transparency with oversimplification. And I would encourage the people who do the communication with public not to do that. What we hear at this meeting is so much more informative than much of the public information, that there should be some way to incorporate that information without oversimplifying it to the point where it's not informative anymore. And I think that's something that we</pre>

	199
1	everything we heard yesterday.
2	We need to always bite the bullet and look
3	very carefully at where we are being conservative and
4	where that conservatism may be excessive.
5	CHAIRMAN RYAN: Let me at this moment
6	throw it out to the audience. Are there any questions
7	or comments from this morning's session, or any
8	technical matters?
9	(No response.)
10	CHAIRMAN RYAN: Going once, going twice.
11	Staff comments, questions? Yes?
12	PARTICIPANT: I just wanted to make the
13	observation on the things that we're not sitting in
14	this meeting the technical exchange has been great.
15	It is essential, and it is useful. But,
16	based on this meeting and other meetings like it
17	before, I believe that this is left out. We haven't
18	heard anything from the technical experts to DOE.
19	You know, DOE is going license
20	application in three months. The other thing, to say
21	right now that might be useful for them. And, in
22	the next six to nine months they are going to review
23	the license application.
24	Some useful, such as I think some are

	200
1	very useful also.
2	CHAIRMAN RYAN: Okay. Thank you.
3	Anything else? Another comment? I guess I'll offer
4	just a summary comment or two. It seems to me that
5	there are a couple of themes that have come out today.
6	One is, it's always good to hear the
7	vigorous technical exchange, particularly in areas
8	where you don't have expertise. I usually learn
9	something everyday that happens.
10	And these meetings have been certainly an
11	example of that. I think the theme that has come out
12	to me is we have to be mindful of and careful about
13	compartmentalization of different disciplines.
14	I think if we do that we tend to lose
15	sight of the big picture or the risk informing aspect
16	of the entire system. So we have to be careful.
17	And I take to heart the comment that we
18	might really like our own ology a whole lot better
19	than the other ologies. But our ology may not be
20	important, even though we want it to be.
21	So, we have to be mindful of that. I
22	think this morning's session in particular was an
23	opportunity for us to see aspects of science and
24	information that transcends some of the ologies.

You know, whether you're health physicist 2 volcanologist, you can sure appreciate or the 3 importance of particle size and resuspension. So, with our presenters this morning, Dr. Harper and Dr. Anspaugh, we heard insights into particle size and 6 resuspension form different points of view sort of 7 independent of this process we're evaluating today.

And that's most helpful to hear. Similarly, we all used dose conversion factors from one handbook or another. Some of us even have to use part 61's ICRP two, which is 50 years old for low level waste.

13 So, you know, there's a broad range of 14 dosimetry. And I think it is very important to 15 understand some of recognize and learn to the variabilities that Dr. Eckerman told us about as well 16 17 this morning.

18 So, I'm mindful of Dr. Melson's comment 19 that integration and somehow sort of putting this on 20 a system level and risk informing it in a detailed 21 way, as Dr. Garrick and Dr. Johnson have pointed out, 22 might be a way to take some advantage from our couple 23 of days together.

So, that's something we need to think

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

4

5

8

9

10

11

12

24

	202
1	about. Any other comments, questions, observations?
2	(No response.)
3	CHAIRMAN RYAN: Well, with that, I think
4	we can successfully close our roundtable discussion
5	and our working group meeting. I want to thank all
6	the participants and speakers from yesterday and
7	today.
8	I do recognize that this close to the LA
9	there have been constraints on speakers, both from the
10	NRC, and for others that may have wanted to
11	participate or offer comment.
12	But, you know, this late in the game that
13	we are close to the end. So, for whatever reasons
14	folks didn't make comment, we certainly recognize and
15	appreciate that.
16	So, with that, I think we're up to our two
17	o'clock. We're a little bit ahead of that session.
18	Presentation by stakeholder organizations or
19	individuals is more than welcome.
20	We have not had any formal request. But,
21	I think Judy you mentioned you might like to make some
22	comments. And I welcome you to make those at this
23	point and anybody else for that matter that wants to
24	have an opportunity to comment is more than welcome to

1

2

3

4

5

6

speak as well.

PRESENTATIONS BY STAKEHOLDER ORGANIZATIONS

PARTICIPANT: Thank you, this is Judy from the Nuclear Waste Task Force. You were talking about being this late in the game and this close to the license application and constraints on people.

And I guess the first thing I would like to say is that this committee meets in order to advice the Commission. And, I would hope that you would advise the Commission that the DOE is probably not ready to submit an LA on the basis of the things that you've heard here and perhaps other things that the rest of us have seen too.

We're not really going to be able to get really compartmentalized. But, the Department of Energy is just restarting its second expert panel because they have finally just started to collect some new information on volcanism.

And, the report from that panel isn't due until mid-2006. So, new information would come in in the middle of a licensing review, I guess, according to the current schedule.

And it would be different if this was sort of an accidental thing or something that just happened

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	204
1	so that new information came in. But, it's being
2	planned that way.
3	And it seems to me that the NRC staff is
4	going to have a difficult time. And it's all sort of
5	like a setup for DOE. All of this stuff should be
6	completely done before there is a license application.
7	This seems to be some kind of a race. And
8	I'm not sure why it is or what the prize is. But, I
9	see it just being done wrong. Another thing that I
10	think is really important when it comes to volcanism,
11	because volcanism is a major failure mode for a
12	repository if one is to be a Yucca Mountain, is to
13	determine actual doses, to know exactly what the dose
14	is to the people in the Amargosa Valley, or wherever
15	it is that the wind heads with the ash.
16	And, John was talking about having
17	confidence and credibility. And I think that's where
18	it starts. You can do probability analysis, and you
19	can do risk calculations and all of that stuff.
20	But I think, beforehand, you should know
21	what the actual dose is, and everybody should know
22	what it is so that it becomes clear and transparent
23	because we know exactly what we're talking about and
24	then how it's being used later.

(202) 234-4433

	205
1	Volcanism is a major failure mode for a
2	repository. The other one would be corrosion of the
3	canister, if the canister somehow didn't last. That
4	would really impact the waste isolation.
5	But certainly so would volcanism. And
6	there's a huge unknown and uncertainties that surround
7	it. But this is vitally important, the more
8	information that's known.
9	The report has been finished. And I think
10	that we're just at a beginning stage on a lot of this
11	stuff. And it's inappropriate to be at this stage
12	when, in fact, they're talking about being at the end.
13	So, those are the comments that I would
14	give. Thank you.
15	CHAIRMAN RYAN: Thank you very much. Any
16	other comments or questions? Yes?
17	MR. SMITHSTEAD: This is Eric Smithstead,
18	DOE. I wanted to perhaps clear something up from
19	yesterday on the probability discussion that went on.
20	I didn't want the Committee to walk away
21	perhaps having a false impression with what the
22	Department is doing in that regard. We embarked on
23	this program of flying an aeromagnetic survey, which
24	we have results on in the drilling program in PVHA.

	206
1	We're not doing this to establish our
2	basis for LA. We've done that with PVHA. This is a
3	confirmatory endeavor no different than any other
4	confirmatory endeavor that would that we would
5	embark on for areas that are important to performance.
6	So, testing and this sort of thing will
7	continue. It doesn't stop at 12/04. There is a
8	requirement for a confirmation program in the
9	regulation.
10	So, that's what this is. This isn't going
11	back and saying oops, and reestablishing a technical
12	accuracy or basis for probability.
13	CHAIRMAN RYAN: Thanks very much. I
14	appreciate your comment. Anybody else?
15	(No response.)
16	CHAIRMAN RYAN: I guess with that session
17	being relatively short, our agenda calls for a panel
18	and committee summary discussion. I guess we just had
19	that.
20	If any panel members or committee members
21	or speakers Dr. Harper, or Eckerman, or Anspaugh,
22	do you have anything else you'd like to add? Please
23	do so now.
24	If not, I think we're up to Dr. Johnson's

	207
1	final summary. Oh, we have one.
2	MR. HINZE: Well, I'd just like to go back
3	briefly to yesterday morning when John Trapp was asked
4	the question of where do we have a chance of modifying
5	uncertainties?
6	And I think his answer was concerned with
7	what we were discussing this morning. And, as I look
8	at that, I see that there are a large number of
9	uncertainties that remain and that, in my view, there
10	has been limited attention paid to these.
11	So, I think John's comments are very much
12	with what we heard this morning, that we can
13	anticipate a decrease in the uncertainties in this
14	whole area of re-distribution, re-mobilization, and
15	doses.
16	And, I think that we should encourage. Or
17	I believe that the Committee should encourage the
18	Commission to put resources into this, because one of
19	the very important points here is to reduce this
20	uncertainty and increase that credibility.
21	And so I say that, from what I've heard in
22	the last day and a half, that John is right.
23	CHAIRMAN RYAN: Thank you. Other
24	comments?

	208
1	MR. GARRICK: I just want to not leave the
2	impression that all I've got to say is critical. I
3	think this has been a terrific working group meeting.
4	The presentations of yesterday and today
5	were really informative. And one of the reasons you
6	can be critical is you learn a lot that you didn't
7	know and you get some real insight as to the status of
8	where we are with some of the analytical process.
9	And I just didn't want to walk away from
10	here without acknowledging that. I think the ACNW
11	should be complimented on these kind of activities and
12	these kind of working group meetings.
13	They are terrific. And I want to see this
14	particular format replicated with any other oversight
15	group. It is very creative for you to do this. And
16	I hope it continues.
17	CHAIRMAN RYAN: Well, again, the credit in
18	large part is due to your leadership up to three weeks
19	ago.
20	MR. GARRICK: Well no, it came before me.
21	CHAIRMAN RYAN: It's a great format. It
22	does allow for a lot of exchange in a pretty efficient
23	way over a very short period of time, relatively
24	speaking.

	209
1	So, I agree. And we do learn a lot that
2	helps in our letter writing process to hear a variety
3	of views. And, thank you for your comment. Any other
4	comments?
5	Dr. Johnson, do you want to summarize for
6	us, please?
7	EPILOGUE REMARKS
8	MR. JOHNSON: Thank you. Can you hear me
9	okay? First of all, I would like to thank the
10	Committee for inviting me to come here and participate
11	in this meeting.
12	I've enjoyed it thoroughly and learned
13	quite a bit. In preparing for the meeting, I tried to
14	absorb as much of that information as is possible.
15	It is an impressive amount of information,
16	very interesting. It confirmed my appreciation for
17	the geo-sciences, and dosimetry folks, and the
18	materials folks.
19	And it confirmed my belief that I should
20	stick with developing probabilistic frameworks and
21	leave that stuff to you experts. But I certainly
22	enjoyed it.
23	If I am contributing something to the
24	discussion again I think Dr. Marsh hit it on the

	210
1	head. What seems to elude me when I read this
2	material and hearing some of the discussion here, is
3	a lack of a framework that really ties all this stuff
4	together.
5	If you ask me what's important, I'm not
6	really sure. We have a lot of very nice analyses,
7	very detailed analyses. But I'm not sure how to
8	identify what's important.
9	I believe that this triplet notation that
10	you have heard about, this triplet formulation is a
11	path forward to help build this bridge that could help
12	us communicate between our disciplines.
13	It's more than just answering the three
14	questions of what can go on, what's the consequence,
15	and what is the likelihood. It is really a
16	perspective that starts with a probabilistic
17	framework.
18	Let's embrace the uncertainties and
19	understand them. Let's identify where there are lots
20	of uncertainties. But, more important, let's look at
21	where those uncertainties are important in making
22	decisions and providing information to the decision
23	makers.
24	It is top-down approach. It really allows

	211
1	us to dig down to see what's important. A little bit
2	of the history of the concept. I first became aware
3	of it in the late 1970's when the crew that John
4	Garrick put together for identifying risks that
5	commercial power plants.
6	He was applying it in risk assessments.
7	Subsequently it was published in 1981. So, the
8	concept has been in the open literature for quite some
9	time.
10	I believe, if we go back further in that,
11	we would see that the basic concept I actually in John
12	Garrick's thesis in the was it the Miocene age?
13	(Laughter.)
14	MR. JOHNSON: I get those geologic ages
15	mixed up. But, it has been there for quite a while.
16	And it has been applied in a large variety of
17	application from the commercial to the power program,
18	to the chemical program, space, transportation, DOD,
19	and marine applications.
20	Just to briefly divert on an example in
21	one marine application that I'm familiar with, we
22	looked at a retired supertanker, if you will, off the
23	coast of South America.
24	It's a tanker that has been through its

	212
1	useful life. So there are some structural questions
2	about how this thing is going to withstand seas and
3	storms, etcetera, etcetera.
4	It is use to accept crude oil from a
5	number of undersea wells. So, it holds about million
6	barrels of oil on this huge tanker. Now, on the
7	tanker they have built a chemical plant, a refinery.
8	And, of course, there is 100 or so people
9	that live on this thing. And so, it was a very
10	complex problem to look at. The decision makers were
11	interested in the workers' health, a number of
12	environmental issues.
13	Probably about doze metrics were of
14	interested to the decision maker. And, of course, it
15	involved a large spectrum of technical experts that
16	needed to understand jet fire from chemical plants or
17	the operations associated with offloading and on-
18	loading sort of things.
19	Like I said, we have a chemical plant
20	sitting on top of a million barrels of oil with the
21	workers living right in this thing. It is the risk
22	framework that the triplet approach offered that
23	really helped us, in my opinion, put this thing
24	together in a coherent form.

(202) 234-4433

It allowed the different disciplines to talk to each other. I'm confident that, if we were to consider using this type of framework for the Yucca Mountain facility, it would open up the communication channels.

I won't say it will solve every problem,
but I'm confident that it probably would. The
fundamental characteristics of the triplet, again,
it's at the beginning a very probabilistic framework.
We seek out where there is uncertainties,

and we want to understand what those uncertainties are. It embraces the uncertainty. We understand that that's a key element in the decision process, and is useful information to pass on to the decision makers.

15 It is scenario based. for most Now, 16 applications, we've seen it start with an initiating 17 event or a set of initiating events leading to a 18 number of steps spectrum of end to а states, 19 consequences.

In the case of Yucca Mountain, you would probably start with a set of initial conditions and step through a set analyses, processes that would lead to the dose to the public.

It does provide a structure to integrate

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

24

1

2

3

4

5

	214
1	various components of the analysis. And it uses all
2	the available information. A lot of the material I
3	saw was deterministic in nature.
4	There's nothing wrong with that. That's
5	a proper way of doing things. This type of framework
6	would embrace that information and bring it into the
7	analysis as evidence.
8	And, just as an observation, in 1998, NRC
9	Commission paper on misinformed the regulation,
10	specifically it adopts to this triplet formulation in
11	their definitions.
12	So, what's the risk of Yucca Mountain?
13	Well, I had a hard time answering that question with
14	the material I've seen. It is rather segmented, even
15	as this meeting has been segmented in terms of the
16	volcanism, some of the trans-work mechanisms, the
17	materials properties, and the dose.
18	We really need to consider this question
19	holistically and not look at the problem in these
20	segments, as it can be broken up. The information
21	after all that decision makers which I think is the
22	NRC Commissioners needs to understand is the
23	probabilistic expression of the dose to the public.
24	And we need to formulate our answer along

	215
1	that line. So, what's important? It is tough to say
2	what's important. We know that there's a lot of
3	uncertainties, a great number of them.
4	The question is, which ones of those are
5	really critical for us to understand the question of
6	is this reasonable to license? And, again, a
7	coordinated, integrated approach is the way to
8	approach that question.
9	It sounds like of course, it is
10	dangerous to conclude on the only course of two days
11	or so and a week or two of studying the material.
12	But, it looks like one could say that the hazard
13	associated with the volcanoes appearing at the site is
14	reasonably well known.
15	Like I said, I'm not an expert in this
16	area. But, if we're talking about a factor of ten
17	uncertainty in the frequency of these things
18	occurring, that doesn't seem to be so bad for events
19	that are in the ten to the minus seven type of range.
20	On the other hand, the question is, are
21	there any uncertainties associated with those analyses
22	that would kind of drive us into a new regime where
23	we're outside of the confidence range of where the
24	experts are really trying to tell us what the numbers
are.

1

2

3

4

5

7

10

11

It gets back to the importance of really the uncertainties articulating as best we can associated with the various parts of the analysis and where that uncertainty comes from.

6 The other thing that seems important, just form what we've heard in the last couple of days, is 8 the source-term associated with those scenarios. In 9 particular, it seems like there's a divergent opinion or philosophy on how to treat the canisters, for example, if it were to interact with magma, in what 12 form the radioactive material might appear in.

13 It seems to me, again, just one the 14 surface, just on the few days of studying this, that 15 if I were to chase on particular issue, the sourceterm is of the most interest in the sense. 16

17 Certainly underlying science associated 18 with any risk assessment has to be sound. There's no 19 question about that. But, there real question is, how 20 accurate does the information that our models produce 21 or the science produce, how accurate does that have to 22 be? 23 I understand what Bob Budnitz was talking

24 about. Basically we need to make sure that the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

217 information that's contained in our various pieces of 1 2 the analysis and of the analysis as a whole is in a 3 sense good enough. 4 Is it good enough to yield high quality 5 information to the ultimate decision makers? 6 Uncertainty is a large part of that information. It 7 doesn't make sense to invest resources to reduce 8 uncertainty just to reduce uncertainty. 9 It makes sense to invest resources to 10 reduce uncertainty where it matters. In the papers 11 I've read before I came here -- and I think we've 12 heard it here also today, it seems that I read that --13 there was only a handful of isotopes that are really 14 driving the picture here in terms of public health 15 effects. 16 That, to me, was a tremendous insight 17 after reading a number of things about volcanoes and 18 transport, etcetera. It seems like here it got down 19 to something that I could almost get my hands around. 20 I think we heard this morning how that 21 kind of insight is kind of filtering back into some of 22 the analyses. But, it really would make a lot more 23 sense, I think, if those little snippets cross the 24 disciplinary boundaries a little bit more so that we

(202) 234-4433

	218
1	focus on what's important.
2	Or we could challenge that conclusion.
3	Maybe there are other isotopes that are important.
4	Again, that's outside my realm of expertise. I
5	suspect that, as we look at different scenarios, and
6	certainly as we look at different timeframes, that
7	small collection of isotopes that are important might
8	change.
9	The next question I asked myself is,
10	what's the relationship between performance assessment
11	and what we're envisioning as a triplet application.
12	That's a tough question for me to answer.
13	I have not really obtained a full appreciation of
14	what's in a performance assessment. So, I'll answer
15	it with some uncertainty myself and recognize that
16	it's a part of the process here.
17	It is my observation that the performance
18	assessment is in a sense a bled of deterministic and
19	probabilistic analyses. It doesn't seem to tie the
20	sequences, if you will, to some sort of initial
21	conditions to the ultimate question of what's the dose
22	to the public or the exposed people.
23	And it's not a top down construction, at
24	least it doesn't appear to be in my mind. Those are,
	I

	219
1	to me, the kind of critical observations, and ones
2	that I think a triplet formulation could supplement
3	this viewpoint and make the good sciences going into
4	it more readily available and useful to the decision
5	makers.
6	In doing my homework for this meeting, I
7	tried to look for what I could find easily about
8	performance assessment, about Yucca Mountain. One
9	paper I ran across was by Leon Reiter.
10	It was a paper he presented recently in a
11	PSAB meeting, entitled What Role for Performance
12	Assessment. And I'm quoting from this paper without
13	permission. So I'm totally
14	MR. GARRICK: There he is, get his
15	permission.
16	MR. JOHNSON: I told him already if I
17	misstate your thoughts here in any way, please correct
18	me. But, I found it to be a very instructive paper
19	for me to get my hands around the concept of
20	performance assessment, etcetera.
21	The thing I want to pull from that paper
22	is the fact t the identifies several advantages for
23	performing a performance assessment. These are that
24	the performance assessment allows for the integration

	220
1	of many models and large amounts of data.
2	The performance assessment takes into
3	account the interaction of different models used. And
4	it takes uncertainty into account. More interesting
5	to me was the disadvantages.
6	Its highly integrated nature and
7	complexity and obscure those elements which drive the
8	results. Its highly integrative nature and complexity
9	can seem to limit can obscure the limitations and
10	assumptions.
11	And, its highly quantitative nature and
12	complexity can lead to false impressions of accuracy.
13	I think those are any observations that are
14	appropriate for any risk assessment, quite frankly.
15	But, the philosophy that we're talking
16	about when we talk about the triplet formulation
17	really addresses those issues head-on. We embrace the
18	uncertainty, we include it in the analysis.
19	We use it as an integrative tool so we
20	hopefully do not obscure the interactions between the
21	disciplines, etcetera. I did want to steal one other
22	part.
23	It attributes to Hammings from his 1962
24	book on numerical methods of complexity. Hammings
ļ	

(202) 234-4433

	221
1	says that the purpose of computing is end sight, not
2	numbers.
3	I think that's a very powerful thing for
4	us to remember when we do any sort of assessment like
5	this. In conclusion, I just wanted to bring up the
6	concept of the triplet.
7	It is more than the three questions. It's
8	really a philosophy about how we approach a complex
9	problem. We treat it probabilistically from the
10	beginning.
11	We treat it end-to-end. We don't try to
12	break it into segments that might obscure the results.
13	And we strive to create a top-down assessment that's
14	supportive of decision making and communication
15	between the different disciplines.
16	I think such a formulism would be very
17	much complimentary to the performance assessment in
18	existing analyses to date. Thank you.
19	CHAIRMAN RYAN: Thank you very much.
20	Let's see, that brings us to closing remarks. I think
21	we have been around the room and the table a couple of
22	times here in the last couple of hours.
23	I don't know if I have any detail to add
24	to that. So, unless there are any specific comments,

(202) 234-4433

	222
1	I think our letter will certainly reflect the content
2	of the meetings in the two days, and some of the
3	summary comments as we prepare our thoughts for our
4	lettering session that will occur in our next meeting
5	in October in Bethesda.
6	So, with that, I'd like to bring the
7	formal working group meeting group to a close.
8	(Off the record.)
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	

PRESENTATION SLIDES

Perspectives on Resuspension Modeling Issues

Presentation to the NRC Advisory Committee on Nuclear Waste Las Vegas, September 23, 2004

> Lynn R. Anspaugh University of Utah, Salt Lake City

Outline of presentation

- Review of what's known about resuspension and resuspension models
- Comments on DOE and NRC methodology
- Possible areas of analysis to improve accuracy and reduce uncertainty

Does resuspension matter?

- Not universal agreement.
- If it is important for accident situations, it is only important over short time periods.
- For cleanup and release situations, it can be important for transuranic radionuclides, or others that do not readily cross biological barriers.
- Pu is the usual concern and application.





Photo by Don Homan



Photo by Barbara Mallon



Past emphasis on resuspension:

- At early times in consideration of need for rapid evacuation of persons in cases of accidental exposure.
- At late times in consideration of possible reoccupation of contaminated lands.
- The two situations are different in terms of appropriate models.
- The DOE and NRC are now combining the two situations with a new type of model.

Much of the following material has been published.

Anspaugh et al. Movement of radionuclides in terrestrial ecosystems by physical processes. Health Phys 82(5):669-670; 2002.

Importance of resuspension

Types of resuspension models

- Resuspension factor: S_f = C_a / D
- Resuspension rate = Fraction of D suspended per unit time
- Mass loading: $C_a = C_m C_s E$

The resuspension factor model is typically used for early times.

The mass-loading approach is typically used for late times (years). However, for late time situations it is preferred to rely on actual measurements of concentration in air. Several types of resuspensionfactor models have been proposed.

 $S_{f} = A \exp(-bt)$ $S_{f} = A t^{-b}$ $S_{f} = A \exp(-bt^{0.5}) + C$ $S_{f} = A \exp(-bt) + C$ $S_{f} = A \exp(-bt) + C \exp(-dt) + E$

Early models of resuspension



FIG. 1. A graphical representation of several time-dependent resuspension factor models. The two curves on the far left represent the models of Langham [16] and Kathren [15]. The remaining two curves represent models developed in the paper, both with and without a constant term of 10^{-9} m⁻¹. The hatched area represents measurements recently reported at an aged source [9].

Anspaugh et al. IAEA SM-184:513-524; 1974

Many persons have reviewed resuspension data and models.

- The problem has been that there are few data sets available at early times.
- It is not very helpful to measure resuspension at late times, as was primarily done for Chernobyl.
- It is dangerous to apply "late time" models to early times.
- Maxwell et al. have recently added a large volume of early data for analysis by using external gamma-exposure rate as a surrogate for deposition (unpublished).

A look at the combined data

- Note the very rapid decline in resuspension with time.
- There is a large amount of scatter in the data, but much is due to f(*t*).
- Some data sets decline more rapidly than others, due to large deposits of mass.

Resuspension model revised on the basis of more data:

 $S_f = [10^{-5} \exp(-0.07t) + 6 \times 10^{-9} \exp(-0.003t) + 10^{-9}] \times 10^{\pm 1} \text{ m}^{-1}$ t = time in days

Uncertainty

- Is high (×10^{±1})for resuspension at any one point in time.
- Would be much less for integrated activity over one year.



Not all "soils" are the same. Photo by Don Homan

Resuspension "models"

- Useful models are based upon empirical data.
- Theoretical models have not been successful.
- The processes are very complicated and not understood.
- The "physics" of blowing sand dunes or soil erosion does not describe resuspension.

Some general comments about particle sizes.

- For any large scale eruptive event there will always be a mixture of particle sizes.
- If there are large particles, there will be small particles.
- If you throw a bucket of sand into the air, settling will not be according to the size of the individual particles.
- Particle sizes change with time.

In terms of human intake, the arithmetic mean is the important parameter.

- The shape of the distribution is interesting, but not as important.
- Whatever is assumed about the distribution, we need the mean value.

The DOE and NRC models

- A search on PubMed for "Yucca Mountain" revealed 64 articles. Two of them dealt with dose assessment, but not with the basics of either model.
- Most articles were concerned with geology or hydrology.
 - Do the geologists and hydrologists have all the money and/or motivation?
 - Hopefully, this situation will be rectified in the near future.



Is the RMEI the meaningful receptor?

- S/he could be evacuated or relocated.
- The collective dose to persons in Las Vegas is probably of more interest:

$$CD = \sum_{i=1}^{n} p_i \times \overline{D}_i$$

Comments on the DOE resuspension model

- It was difficult to find. [Inhalation exposure input parameters for the Biosphere Model]
- It is unique and non-traditional, i.e., a timedependent mass-loading approach is used.
- It is based upon mass loading observed following volcanic eruptions.
- It has not been published in the peerreviewed literature.

DOE model (concluded)

- The model is reasonable and appears to be well founded for times soon after deposition.
- It is not clear that the model will describe accurately resuspension over long time periods.
- The model has not been validated against radionuclide data, which would be a more sensitive indicator of the potential longterm problem.

Comments on the NRC resuspension model

- I did not know it existed until yesterday.
- My only information is from the handout from Keith Compton et al.
- It appears to be exceptionally conservative.
 - Very high mass loading
 - Very slow reduction with time

Areas of analysis to improve accuracy and reduce uncertainty

- More detailed analysis of the time-series sets of data on mass loading from Mt. St. Helens.
- Consideration of other data sets to determine the "critical depth."
- Possible consideration of "background" levels as a function of land use.
- Reconciliation of DOE and NRC models.
- Validation against radionuclide data.


NRC STAFF PERSPECTIVE ON MODELING DOSES DUE TO DISRUPTIVE IGNEOUS EVENTS

Keith Compton 301-415-5495 klc@nrc.gov

Division of High Level Waste Repository Safety U.S. Nuclear Regulatory Commission

Main Contributors: B. Hill, P. LaPlante (CNWRA) R. Codell, T. McCartin, J. Rubenstone, J. Trapp (NRC)

153rd Meeting of Advisory Committee on Nuclear Waste September 23, 2004

September 23, 2004





Review the approach to estimating doses due to extrusive igneous events applied in the current version of the NRC TPA code





Conditional Dose Analysis

- Incorporation of Spent Fuel into Tephra
- Atmospheric Transport and Deposition
- Exposure Assessment
- Dosimetry
- Particle Size Effects

Estimating Risk from Eruptive Events

- Probability-Weighting
- Factors affecting Risk



Code Structure

<u>VOLCANO</u>

Generates eruption parameters such as timing of eruption, area affected, number of waste packages affected, etc.

<u>ASHPLUME</u>

Computes deposition of tephra and incorporated spent fuel in mass per unit area at compliance point

ASHRMOVO

Computes temporal evolution of areal radionuclide densities at the compliance point

DCAGS

Converts areal radionuclide densities into annual total effective dose equivalents



Key Radionuclides

Key Radionuclides for Igneous Activity Disruptive Event Dose





Conditional Dose Analysis

 $D_i(t) = B \cdot C_i(t) \cdot f_e \cdot I_i$

B: Breathing rate (m³/yr) $C_i(t)$: Airborne activity concentration (Ci/m³) f_e : Fraction of the year individual is exposed I_i : Inhalation-to-dose conversion factor (rem/Ci)

 $C_i(t) = S(t) \cdot \eta_i \cdot f_r(t)$

S(t): Mass load (g/m³) η_i : Specific activity of contaminated tephra (Ci/g) $f_r(t)$: Fraction of airborne dust that is originates from contaminated tephra



Incorporation of Spent Fuel into Tephra

- Number of waste packages affected is a function of the conduit diameter
- 100% of the inventory contained in waste packages intercepted by conduit is assumed to be entrained into tephra
- Entire erupted inventory is presumed to be available for atmospheric transport



Atmospheric Transport

- Wind fixed to blow toward receptor
- The windfield is assumed to be constant and onedimensional; i.e., there is no variation of windspeed with time, elevation, or location
- Tephra particle sizes are distributed in a manner consistent with observed tephra deposits. The mean value of this distribution is stochastically varied from 100 microns to 10 mm.
- Deposition based on gravitational settling with turbulent dispersion (i.e., transport model limited to particles greater than ~15-30 um)



Exposure Assessment

- Airborne concentration of radioactivity is a function of the level and specific activity of airborne mass load.
- Airborne mass load is initially elevated and assumed to decline to background levels within 30-100 years





- NRC approach is to use Federal Guidance Report 11 for inhalation and ingestion dose coefficients.
- Inhalation dosimetry assumes mean particle size of 1 micron
- Adult dosimetry
- Conservative dosimetry assumptions based on uncertainty in chemical form of inhaled or ingested material



Particle Size Effects on Dose



Source: DFINT V4.1 (Eckerman 1994)

Risk from Eruptive Events : *Factors Affecting Risk*



South an an an





- Identified key assumptions and approaches in NRC approach to estimating doses from extrusive igneous events
- Identified factors likely to have a significant influence on the risk from extrusive igneous events





Eckerman et al., 1988. <u>Federal Guidance Report No. 11: Limiting Values of</u> <u>Radionuclide Intake and Air Concentration and Dose Conversion Factors for</u> <u>Inhalation, Submersion, and Ingestion (EPA-5201/1-88-020)</u>. U.S. Environmental Protection Agency, Washington, D.C.

Eckerman, 1994. <u>DFINT Ver. 4.1: A Code to Preview the Dosimetric Data of</u> <u>ICRP Publication 30, Parts 1-4.</u> Oak Ridge, TN

Jarzemba et al., 1997. ASHPLUME Code Version 1.0 Model Description and User's Guide (CNWRA 97-004). Center for Nuclear Waste Regulatory Analysis, San Antonio, TX

Mohanty et al., 2002. <u>Total System Performance Assessment Version 4.0</u> <u>Code: Module Descriptions and User's Guide</u>. Center for Nuclear Waste Regulatory Analysis, San Antonio, TX

Suzuki, 1983. "A Theoretical Model for Dispersion of Tephra" pp. 95-113 in <u>Arc</u> <u>Volcanism: Physics and Tectonics</u>. Terra Scientific Publishing, Tokyo, Japan



BACKUP SLIDES



Conditional Dose Analysis: Atmospheric Transport

Deposition of contaminated tephra is modeled by ASHPLUME (Jarzemba et al, 1997) based on the transport model presented in Suzuki (1983)

$$X(x,y) = \int_{\rho=\rho_{\min}}^{\rho_{\max}} \int_{z=0}^{H} \frac{5QP(z)f(\rho)}{8\pi C(t+t_s)^{\frac{5}{2}}} \exp\left(-\frac{5\left\{(x-ut)^2+y^2\right\}}{8C(t+t_s)^{\frac{5}{2}}}\right) d\rho dz$$



Conditional Dose Analysis Exposure Assessment

$$S(t) = (S_0 - S_\infty) \exp(-\lambda_r (t - t_e)) + S_\infty$$

 S_a (Mass load one year after eruption): loguniform between 2.5-33 mg/m³ S_{m} (Mass load above soil): loguniform between 0.05-0.3 mg/m³ $\lambda_{\rm p}$ (Reduction rate constant for mass loading): 0.07 yr⁻¹ (~10 yr half-life) Indoor mass load assumed to be 50% of outdoor value **Receptor is assumed to spend 79% of their time indoors** 21%*100% + 79%*50% = 60.5%



Inhalation Dose Modeling

K. F Eckerman Oak Ridge National Laboratory

153rd ACNW Meeting Sept 22-23, 2004

Dosimetry Systems

- Medical Internal Radiation Dose (MIRD)
 - A pure physical system
 - Limited to short-lived radionuclides emitting low LET radiations
- International Commission on Radiological Protection (ICRP)
 - Radiation protection system
 - Applicable to all radionuclides and radiations



Current ICRP Approach

- Realistic dose coefficients
- Physiological-based models
- Age/gender considerations
- Meaningful doses to tissues at risk
- Reference individuals



Dose Coefficient Compilations

ICRP 30 and FGR 11

- Radiation protection of worker
- Publication superseded

• ICRP 68 & 72 and FGR 13

- Current documents
- Worker and members of public
- Dose coefficients CDs

 ICRP CD (Worker / public data)
 FGR 13 (Dose and risk coefficients)



INTAKE Radionuclide (eg Co-60) [-131			Subject(s) Ages at intake Adult 15 year old	
ZElement53Iodine53Iodine53Iodine53Iodine53Iodine53Iodine53Iodine53Iodine53Iodine	Symbol A I 123 I 124 I 125 I 126 I 128 I 129 I 130	Half-life 13.2h 4.18d 60.14d 13.02d 24.99m 1.57E7y 12.36h	Adult WorkerPublic10 year old 5 year old 1 year old 3 month oldIntake 	
53 lodine 53 lodine 53 lodine	I 130 I 131 I 132	8.04d 2.30b	Ingestion Inhalation 🛪 5.0 microns	
OUTPUT	Number of Period Ten • Five (1 day 7 days 30 days 1 year 5 years 10 years		Organs / Tissues All • with wT • Custom • Adrenals Bladder Wall Bone Surface Brain Breast Oesophagus	
lydrogen (H-3 Phosphorus (P Cobalt (Co-60) Strontium (Sr-9	Load Save), INHL NINGT SIZE(-32), INHL NINGT SIZE , INHL NINGT SIZE(50), INHL NINGT SIZE INHL NINGT SIZE(5.	 5.0) OCCU FULL 2E(5.0) OCCU FULL .0) OCCU FULL (5.0) OCCU FULL	ommand Line: Add Remove Run L Status : Idle	

OAK R **U. S. DEPARTMENT OF ENERGY**

Computational Models



Human Respiratory Tract Model: HRTM / ICRP 66

- Realistic simulation of inhalation:
 - particles, gases, and vapors
 - applicable to workers and members of public
 - enable calculation of biologically meaningful doses to lung and systemic tissues
- Suitable for
 - setting protection standards (perspective)
 - interpretation of exposures (retrospective)
- Major route of intake for workers



Respiratory Model Issues

- Physiology and exposure parameters
- Deposition within airways
- Retention within airways
- Absorption to blood
- Dosimetry
- Radiosensitivity of respiratory tissues



ICRP 66 Respiratory Model





Compartment Model

- Thick arrows denote sites of deposition
- Thin arrows depict mechanical clearancenumerical values are clearance rates (d⁻¹)
- Absorption to blood occurs from all regions except ET₁





Aerosol Considerations

- Log-normal distribution of particles
 GSD of 2.5 above 1 µm
- Density of 3 g cm⁻³
- Shape factor of 1.5
- Dose coefficients on CD for 10 aerosols ranging from 0.001 to 10 μm
- Nuclide assumed to be volume distributed
- Underlying monodispersed particles from 0.001 to 100 μm



Deposition Mechanisms





Deposition of Particles

- Based on theory and experiments
- Nasal and oral intakes
- Tract represented by series of filters
- Aerodynamic process
 - Inertia & gravity
- Thermodynamic
 Brownian diffusion
- OAK RIDGE NATIONAL LABORATORY U. S. DEPARTMENT OF ENERGY



ET and Lung Deposition

- Aerodynamic diameter. Settling velocity accounts for shape and density of particles.
- Thermodynamic diameter. Relates to diffusion





Transfer to Systemic Circulation

- Absorption a two stage process
 - dissolution of particles
 - uptake to blood
- Absorption in competition with
 - mechanical clearance
 - biological clearance
- Absorption can be represented by a function



Absorption to Blood



Body fluids (Blood)



Actinide Biokinetic Model





Proposed Pu Model Changes



Am-241 Inhalation Dose Coefficient

ICRP 30 (AMAD 1 μm) 1.2E-04 Sv Bq⁻¹

ICRP 72 (AMAD 1 μm) 9.6E-05 F, 4.2E-05 M, 1.6E-05 S Sv Bq⁻¹

ICRP 72 (AMAD 10 μm) 9.7E-05 F, 1.9E-05 M, 7.1E-06 S Sv Bq⁻¹


Uncertainties

- Biological variability, model uncertainty, parameter uncertainty
- Application to Reference Individual
- Modeling: Pu good data / Am not as strong
- Effective dose coefficients factor of 10
- Overestimate of bone cancer and leukemia



Brief overview of SNL explosive aerosolization experiments

Fred Harper Sandia National Laboratories Sep/23/2004

Large mobile CsCl irradiator (250000 Ci) Bejing Institute of Nuclear Engineering





Shown here are the strontium cores from two RTGS on the Kola Peninsula.

Radiological Sources

Self-Contained Cs-137 Blood Irradiators

Machine



Radiological Sources

Canister



Sealed Source



- Used to reduce risk of Graft-Versus-Host Disease (GVHD)
- Source: Cs-137, 500 to 5000 Ci
- Number in US: ~ 1000, ~ 20 in NY, ~10 NYC
- Machine weight: 1150 kg

Cobalt pencils used in Irradiators consist of Ni plated Co-60 – experiments Performed on Ni plated Co-59





Radiological Sources

Aerosolization

What is important to aerosolization potential

- Device design
- Material form
 - Metal
 - Ceramic
 - Liquid
 - Powder
- Material properties
 - Thermal properties
 - Shock physics properties
 - Vapor pressure, surface tension, viscosity
 - Fracture toughness, yield strength, etc.

Aerosolization







Quantity, Size, and Shape of Particulate Released is Critical to WMD Consequences

Aerosolization



0.2 µm

Experimental Facility to Characterize WMD Aerosols



Small Particulate Penetrates Deep Lung and is Transported Farther 50 m³ full sample recovery explosive aerosolization chamber





Capacity -- 0.125 lb high explosive Cascade Impactors were used to quantify particle size distribution for particles less than 30 μ m (aerodynamic) and to collect samples for electron microscopy







Aerosolization

Aerosol from Bi/Sn experiment Peak is at .7 µm aerodynamic (Vapor condensate aerosol)









Aerosol from Ta experiment Peak is at 7.5 µm aerodynamic (Solidified liquid aerosol)



Та

Aerosolization



Aerosolization

Cobalt Shrapnel



Ir-192 also difficult to disperse



Aerosolization of ceramics





Sintered SrTiO₃ pellets used in SNL and DF shots

DF4

Aerosolization

LC

N



Image of SrTiO₃ Powder Prior to Sintering.



Images of the fracture surface of high density SrTiO₃ and CeO₂



Low density (open porosity material) fractured manually



Aerosolization



CeO₂ post shot aerosol appears to have been through solid phase fracture

03325 6_21 20kV X2700 16mm

Solid fracture failure modes

- Compressive wave followed by relief wave causing tension induced spallation (ductile metals)
- Compressive wave followed by relief wave causing tension induced crack propagation (brittle ceramics)
- Failure from deviatoric stress like grinding, comminution shear stress important (brittle ceramics)
- We consistently observed peak in the same size range as the grinding limit
- Aerosolization potential for $SrTiO_3$ was reduced when doped with ZrO_2 and TiO_2
- Significant fraction of ceramic particles between 30 and 200 μ m (unlike metals)



Fracture and fragmentation of brittle materials seem to be affected by

- Shock strength
 - Type of HE
 - Quantity of HE
- Loading and unloading paths
 - Geometry of the sample (deviatoric stress)
 - Speed of sound compared to the detonation speed $\boldsymbol{\chi}$
- Material properties
 - Speed of sound
 - Fracture toughness
 - Porosity

SEM images of CsCl powder prior to explosive dissemination





SEM image of CsCl particles following explosive dissemination (CsCl has been through liquid state)





Cut Holder and CsCl Pellet (in -cell)





Extracted Pellet Mass = 0.7 grams

Aerosolization

Courtesy of K.P. Carney, D.B. Chamberlain, M.L. Adamic, P. R. Hart, M. Zacher from Argonne National Laboratory (DTRA DNEA IPR program)

SEM images of CeO₂ powder following explosive testing



Aerosolization



Figure 2.24 Entire active-particle size distributions for Double Tracks and Clean Slate I.

Clean Slate 1 Activity vs Particle Diameter



Specific activity lower that Double Tracks indicated more non radioactive material

Agglomeration/condensation studies

Aerosolization





Ag agglomerated on sand (Deposited on stage 4 -- GMD 8 μm)





Aerosolization
First-Order Conceptual Model for Fluvial Remobilization of Tephra along Fortymile Wash, Yucca Mountain, Nevada

September 23, 2004 Advisory Committee on Nuclear Waste

Presented by Donald M. Hooper 210/522-6649 (DHooper@swri.org) Center for Nuclear Waste Regulatory Analyses San Antonio, Texas



NRC Program Manager John Trapp

> *Contributor* Brittain Hill

Remobilization of Potential Tephra Deposits

- For a potential volcanic event within the repository footprint, volcanic ash (or tephra) could be deposited on hillslopes around Yucca Mountain that are part of the Fortymile Wash drainage basin.
- Through time, water and wind could erode these deposits, transporting ash south down Fortymile Wash with deposition potentially occurring around the RMEI location.
- Surface winds can entrain fine-grained ash particles from the remobilized deposits, which then can be inhaled.
- Is long-term remobilization of tephra potentially significant to risk calculations?

What Do We Know?



- Erosional and depositional zones in part of the Fortymile Wash drainage system (shown with a tephra deposit example)
- Low rates of hillslope erosion
 Rainfall of 0.15 m/yr
- Low rates of sediment yield (~3-30 m³ km⁻² yr⁻¹)
- Episodic (ephemeral) versus continuous (perennial) stream flow
- Erosional characteristics of analog tephra deposits strongly depend on site characteristics

- The sediment budget of a drainage basin is a quantitative relationship that links sediment sources, transport processes, storage and remobilization, and discharge from the basin.
- First-order conceptual model: Simplified mass-balance approach using a sediment budget to evaluate tephra remobilization following small-volume eruptions.
- Analog sites for model development:
 - Parícutin volcano, Mexico (1943-1952)
 - Sunset Crater, Arizona (~1100 A.D.)
 - Cerro Negro volcano, Nicaragua (1995)
 - Nahal Eshtemoa (ephemeral stream), Negev Desert, Israel

Parícutin Volcano, Mexico



- 1943-1952 scoria-cone (violent strombolian) eruption
- Rainfall ~1.8 m/yr, but a reasonable analog because of the eruption type, nature of the deposit, and thorough documentation of subsequent erosion
- Simple comparison with Cerro Negro 1995 deposit

Analog Comparison



From Segerstrom (1960)

- Parícutin in Feb. 1957 (5 years from end of eruption)
- Deposit several meters thick and fine grained
- Rainfall ~1.8 m/yr
- Extensive rilling and gullying
- Underlying older cone and lavas are relatively impermeable

Analog Comparison



- Cerro Negro in 1999, 4 years after eruption
- Deposit several meters thick
- Rainfall ~2-4 m/yr
- No gullying or overland flow
- Underlying cone and lavas are relatively permeable
- Extent and character of erosion is a complex function of site-specific processes and characteristics



- Sediment yield recovers in ~30 years in this wellcharacterized system
- Displays a local balance between runoff, infiltration, and slope
- Simple model for change in sediment yield through time

Hooper (2004)



How long to remove
 100% of the Parícutin
 deposit?

2,200-12,000 years

• How much of the Sunset Crater fall deposit is removed in 900 years?

- Precip. <0.5 m/yr

14% removed after 900-10,000 years

- Analogs scale to appropriate order of magnitude
- Reasonable variation
 between analogs

Hooper (2004)

- Sediment yield for the Fortymile Wash basin is ~3-30 m³ km⁻² yr⁻¹
 - Averages 1,000-10,000 years
- Analogs show a 1-7x increase in sediment yield following an eruption
 - Assume Yucca Mountain would show a similar increase following a potential eruption
- Quantify these relationships, then apply the model to calculate redistributed deposits for future events at Yucca Mountain
- Abstracted model for mass load at the RMEI, with contributions from the i) original deposit, ii) fluvial remobilization, and iii) eolian remobilization

Sediment Budget and Conceptual Model



Sediment Budget and Conceptual Model



- At Paricutin, we see up to a 7x increase in sediment yield immediately following an eruption, dropping to ambient yields in ~30 years.
- Some analogs, such as Cerro Negro, show much lower increases in sediment yield for short periods of time.
- Other analogs, such as Sunset Crater, show substantial tephra deposits can persist for 1,000 years, even with periods of accelerated sediment yield.

General Understanding:

Sediment yields increase by 1-7x for some time after an eruption, but duration critically depends on deposit, local substrate characteristics, and rainfall.

- 80,000-year-old deposits in the Yucca Mountain region are eroded away
 - Analog approach to evaluate potential redistribution processes
- Analog volcanoes show a 1-7x increase in sediment yield for decades following an eruption
- Sediment yield from Fortymile Wash used to develop a mass balance approach for long-term fluvial redistribution
- Work ongoing to model variations in airborne mass load through time at the RMEI location

Evaluation of the Igneous Extrusive Scenario

The EPRI Project Team

Contributors

- M. Kozak, Monitor Scientific
- M. Apted, Monitor Scientific
- M. Bursik, SUNY Buffalo
- S. Findlan, EPRI
- R. James, ANATECH, Inc.
- J. Kessler, EPRI
- F. King, Integrity Corrosion Consulting
- M. Morrissey, Colorado School of Mines
- B. Ross, Disposal Safety Inc.
- M. Sheridan, SUNY Buffalo
- G. Smith, Enviros
- J. van Blerk, Aquisim



Our Continuing Mission: To Boldly Go Where No Federal Agency Has Gone Before



Monitor Scientific

Reasonable Expectation Case

Zero Release

Sequence of Events



Initially Impacted Waste Packages

- Initial impact of magma
- If waste package is severely damaged, account for entrainment of fuel
 - Evaluation of particle size distribution following damage
 - Evaluation of fuel dissolution in magma leading to particulate resizing during rise through the mountain
- Vent Formation
- Contamination released early in the eruption is in lava





Waste Packages Away from Initial Dike

- Vent Widening
- Flow of magma down drift
- Evaluation of "dogleg" magma flow
- Waste package
 failure





New Constraints on Magma Behavior

- DOE magma temperature 1150 1200 C
- DOE Ascent Rate 0.01-10 m/s
- New observations (Nicholis and Rutherford, 2004)
 - magma temperature 975-1010 C
 - ascent rate of ~0.04 m/s
- New information since the assessment of the extrusive scenario



Evaluation of Magma-Drift Interactions

2-Dimensional Version of Woods and others (2002) Model

- Model analysis using SAGE
- DOE assumes initial temperatures of 1200C and corresponding viscosities of 1-40 Pa-s
- The newly constrained eruption temperatures 975-1010C yield viscosities at least one order of magnitude greater with all other factors









Impact Analysis for Waste Packages Over a Dike

Pressure Analysis

- After 0.05 seconds P above the dike reaches 2-3 MPa
- 5-6 MPa is the
- minimum horizontal stress = hydraulic fracture stress limit
- Eventually P above the dike = P_{dike}
- Implication: The dike continues upward, and no dog-leg path will occur



Red = 20 MPa; Blue = 0.1MPa

Shows 200 m of drift



Impact Analysis for Waste Packages Over a Dike

Temperature Analysis

- Assumes no heat transfer at boundaries
- Note complex temperature behavior



Red = 1000 C; Blue = 25 C

Shows 200 m of drift



Implications of SAGE Modeling

- Pressure down drift << pressure above dike
- Pressure above dike > fracture stress limit
- Dike will continue straight to the surface
- Woods et al. shock wave is an artifact of their 1-D model



Mechanical Analysis of Initially Impacted Waste Package

- Dike properties chosen to be extremely conservative
 - 4 m diameter with 100 m/s rise rate
 - Recent information suggests that values on the order of cm/s are more appropriate
- Detailed finite element modeling using ABAQUS/Explicit
- Modeled as impact of a magma jet with the waste package





Deformed shape for damage at 0.01 and 0.015 seconds





Deformed shape for damage at 0.02 and 0.03 seconds





Sequence of damage for center section cut



Monitor Scientific

Summary of Impact Analyses

- The energy applied to the waste package is 100 10,000 times the energy of the dike
- Recent information (June 2004) suggests dike rise rates on the order of cm/s rather than 1-10 m/s
- Even under these extreme conditions, the waste package is not breached
 - Structural dent with possible minor tearing
 - Damage to internal elements, but
 - No rupture of the internal structural shell
- Zero release from waste package



Erosion Effects of Flowing Magma

- Alloy 22 is protected by an oxide (or sulfide) scale
- Erosion-corrosion during the eruption would amount to a maximum of 0.4-2.0 mm
- Erosion-corrosion effects found to be highly unlikely



Failure by Internal Overpressure

- Pressure inside waste packages increases from temperature
- If pressure exceeds threshold, failure may occur
- Material strength decreases at increasing temperature
- Internal pressure is offset by static pressure exerted by column of magma
 - After very short time, stress on waste package becomes compressive
 - Range of magma conditions considered
- Waste package does not fail from overpressure



Creep Failure

- Creep data for Alloy 22 are not available (>900°C); extrapolation from lower temperature necessary
- Contact temperatures of magma on the waste package are expected to be lower than has been considered by DOE or NRC
- For creep rupture to occur, the shell must be able to accumulate sufficient strain
- Creep failure of the Alloy 22 shell is unlikely because geometrical constraints limit the strain



Corrosion in Molten Magma

- Limited available data in magma
- Evaluation of literature data on Ni-Cr alloys in molten electrolytes
- Probabilistic analysis of corrosion based on literature data
- Alloy 22 samples were immersed in magma





Results ~ 1 Hour Exposure

- Alloy 22 sample being removed from graphite crucible
- Magma solidifies
 within seconds






Results ~ 1 Week Test

- "Old" magma used with inert gas purge for all 1 week+ tests.
- C22 remained intact during test and showed surface voiding
- No apparent evidence of Inter-granular Attack (IGA)

(top:~ 125X, lower:~ 250X)





Monitor Scientific

Results ~ 2 Week Test

- Very similar results to 1 week test with increase in void/inclusion density.
- No evidence of Inter-granular Attack

Top: 1000X of surface voids/inclusions. Bottom: 200X with 225 micron bar





Results ~ 1 Month Test

- Surface voiding was more extensive and deeper, up to 600 microns from surface
- No evidence of IGA or other degradation.





The Net Result of Magma Contact

- C-22 shell not breached
- Inner steel shell not breached
- Waste package is embedded in basalt
- Potential increased corrosion rates
 - Leads to increased releases over time scales longer than the eruption
 - To be evaluated in intrusive scenario evaluation





Conclusion:

There is reasonable expectation that no waste packages will fail during a postulated igneous event at Yucca Mountain



Additional Parts of the Analysis

- Ash dispersal modeling
- Biosphere analysis
- Sensitivity studies
 - Conditional results based on the assumption that releases occur
 - Intended to demonstrate defense in depth from each part of the system



Ash Dispersal Modeling

- Evaluation with multiple models
 - ASHPLUME (TEPHRA)
 - BENT
 - PUFF
 - ATHAM
- Focus on results from TEPHRA
- Many realizations showing negligible accumulation
- ASHPLUME overestimates accumulations compared to other extant models
- Particle sizes at the receptor >> respirable size



Comparison of TEPHRA and PUFF



Biosphere Modeling

- Use of past analogues
 - Human behavior in the aftermath of eruptions
 - Variation in behavior depending on depth of ash accumulation
 - Emergency preparedness plans throughout the Western US
- Conclusion: People clean up in the aftermath of an eruption
- This differs from assumptions by DOE and NRC



Cleanup activities following Mt. Pinatubo eruption



Implications

- Dose is predominantly in the first year
 - Doses do not need to be superposed over long time periods
 - Different pathways in first year and in later years
 - Several later years evaluated
- Ash particulates are not respirable
- BDCFs evaluated for differing particle size ranges and differing deposition thicknesses



Use of masks during cleanup



Conditional Analyses Exploring Alternative Assumptions

- Assumes failure of waste packages in the vent
 - The dike is not diverted by thermally-generated stresses
 - The waste package does not limit releases from the fuel
 - No cleanup of ash occurs at the compliance point
 - Ash fall of respirable particles
 - Vents can form in between drifts
- Carried out in spite of the zero release assessment





Conditional Case 1

- Between 1-9 waste package failures
- Temperature
 dependent dike
 diversion
- About 9 orders of magnitude < TSPA-SR





Persistence in the Environment

- The EPRI analysis is not set up to evaluate this
- Carried out in an approximate manner
- Uses a conservative approach
- Increases doses 2-3 orders of magnitude
- Leads to very low doses (9 orders of magnitude below the dose standard)



Monitor Scientific

Effect of Waste Packages

- Assumes fully failed waste package
- Increases doses 5 orders of magnitude
- Leads to very low doses (6 orders of magnitude below the dose standard)



Monitor Scientific

Miscellaneous Effects

- Effect of Dike Diversion
 - Full dike diversion: zero dose for 2000 years, no effect thereafter
 - No dike diversion: < 1 order of magnitude increase
- Particle size respirable < 1 order of magnitude increase
- Conditional probability of a vent between drifts < 1 order of magnitude decrease



Compounding Conservatisms

- Combine all of the conservatisms in our conditional cases
- Assume 10-year persistence in the environment
- At early times, the analysis approaches TSPA-SR doses
- Demonstrates the relative effect of each part of the analysis in providing conservatism





Summary

- Reasonable expectation approaches lead to zero release during the eruption
- Multiple failure mechanisms for the waste package were examined
- Credible waste package failure was not found in any circumstances



Key Lines of Evidence for Zero Release

- Conditions at the drift level are less extreme than has been assumed previously by the NRC and DOE.
 - Magma entering the drifts is less violent than has been assumed in the analyses of DOE and NRC
 - Conclusions drawn by Woods et al. (2002) have been discredited
- The waste package provides a very significant barrier to release
- Magma entering the drifts will cool and solidify to isolate the dike



Conclusions

- DOE's analysis is seen to be extremely conservative
- Despite these conservatisms, the DOE analysis is seen to comply with the applicable regulations
- Any potential changes to the DOE analysis will significantly decrease calculated doses
- The EPRI analysis was able to demonstrate the amount of conservatism introduced by various part of the analysis

