

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Nuclear Waste  
158th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, March 16, 2005

Work Order No.: NRC-286

Pages 1-166

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE (ACNW)

158th MEETING

+ + + + +

WEDNESDAY

MARCH 16, 2005

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at 1:00 p.m. in Room T-2B3 of the Nuclear Regulatory Commission, Two White Flint North, 11545 Rockville Pike, Dr. Michael T. Ryan, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

- MICHAEL T. RYAN            Chairman
- ALLEN G. CROFF            Vice Chairman
- JAMES CLARKE             Member
- WILLIAM J. HINZE         Member
- RUTH F. WEINER          Member

1 ACNW STAFF PRESENT:

2 Neil M. Coleman

3 John Flack

4 Latif Hamdan

5 John T. Larkins

6 Michael Lee

7 Richard K. Major

8 Michael L. Scott

9

10 NRC STAFF PRESENT:

11 Charlotte Abrams

12 Jennifer Davis

13 Matt Blevins

14 Ralph Cady

15 Yawar H. Faraz

16 Scott Flanders

17 Dan Gillen

18 Joe Gitter

19 Paul Harris

20 Charlie Miller

21 Thomas J. Nicholson

22 Bob Pearson

23 Bill Reamer

24 Andrew Schwartzman

25 Jack Strosnider

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ALSO PRESENT FROM FDA:

Adion Chinkuyu

Craig Daughtry

Timothy Gish, via teleconference

Andrey Guber

Yakov Pachepsky

## I N D E X

	<u>AGENDA ITEM</u>	<u>PAGE</u>
1		
2		
3	Opening Statement by Chairman Ryan	5
4	Estimation of Groundwater Recharge at the	
5	Watershed Scale: Implications for Model	
6	Abstractions and Validations	6
7	NMSS Office Director Semi-Annual Briefing	
8	Status of NRC's Review of USEC Inc.'s	
9	License Application for a Gas Centrifuge	
10	Uranium Enrichment Facility	
11	Preparation of ACNW Reports	
12		

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

## P R O C E E D I N G S

(1:01 p.m.)

CHAIRMAN RYAN: We'll come to order please. This is the second day of the 158th Meeting of the Advisory Committee on Nuclear Waste.

My name is Michael Ryan, Chairman of the ACNW. The other members of the Committee present are Allen Croff, Vice Chair, and Ruth Weiner, Jim Clarke, and William Hinze.

During the meeting today, the Committee will hear from the NRC's Office of Research and the Department of Agriculture research staff on field studies to test and evaluate groundwater recharge estimation techniques, methods, and their uncertainties.

You'll be briefed by the Director of the Office of Nuclear Material Safety and Safeguards on recent activities of interest to the Committee.

And we will receive a briefing by an NMSS representative on the status of the license application for the proposed gas centrifuge and uranium enrichment facility in Piketon, Ohio.

After these presentations, we'll discuss potential or proposed ACNW letter reports.

John? Sharon Steele is not here so I will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ask that John Flack will the Designated Federal  
2 Official for today's initial session.

3 MR. FLACK: Will do.

4 CHAIRMAN RYAN: Okay, thank you.

5 The meeting is being conducted in  
6 accordance with the provisions of the Federal Advisory  
7 Committee Act. We have received no written comments  
8 or requests for time to make oral statements from  
9 members of the public regarding today's sessions.  
10 Should anyone wish to address the Committee, please  
11 make your wishes known to one of the Committee's  
12 staff.

13 It is requested that speakers use one of  
14 the microphones, identify themselves, and speak with  
15 sufficient clarity and volume so that they can be  
16 readily heard.

17 It is also requested that if you have cell  
18 phones or pagers, kindly turn them off or place them  
19 in a mute mode.

20 Thank you very much.

21 And with that, we'll proceed.

22 MEMBER CLARKE: Okay, as Dr. Ryan said,  
23 this first set of presentations will update us on  
24 field techniques for estimating groundwater recharge  
25 and also evaluating model abstractions, work that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Office of Nuclear Regulatory Research is doing with  
2 the Agricultural Research Service and others.

3 And I'm pleased to introduce Dr. Tom  
4 Nicholson to you who will get us started. And, Tom,  
5 if you could introduce your colleagues as well.

6 DR. NICHOLSON: Thank you very much, Dr.  
7 Clarke.

8 I'd like to introduce to my left, your  
9 right, Craig Daughtry, who is a Research Agronomist  
10 with the United States Department of Agriculture,  
11 Agriculture Research Service.

12 Next to him is Dr. Yakov Pachepsky, a Soil  
13 Scientist also with the Agriculture Research Service.

14 Sitting at the table a colleague of mine,  
15 Ralph Cady, who is involved in the project, raise your  
16 hand, Adion Chinkuyu, he's also with Agriculture  
17 Research Service, Andrey Guber, with the Agriculture  
18 Research Service. And behind him, Adam Schwartzman,  
19 also from the Office of Research, who has been doing  
20 field work with the Agriculture Research Service.

21 Well, today we'd like to give you just a  
22 very brief series of presentations on estimating  
23 groundwater recharge and evaluating model abstraction  
24 techniques.

25 The two projects are through interagency

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 agreements with the United States Department of  
2 Agriculture's Agriculture Research Service. The first  
3 project, estimating groundwater recharge using state-  
4 of-the-art methods and techniques, started about five  
5 years ago with Jim Starr and Dennis Timlin, also with  
6 Agriculture Research Service.

7 We started on a much smaller scale at the  
8 corn plot scale. Then we moved to lysimeter. Today  
9 we'll be talking about the watershed scale.

10 Also we have a separate interagency  
11 agreement with Dr. Yakov Pachepsky and Rien Van  
12 Genuchten looking at model abstraction techniques for  
13 estimating water flux and transport in soils.

14 The research that we're going to be  
15 talking about today supports work on looking at  
16 infiltration and groundwater recharge estimates.

17 We're looking at very realistic evidence-  
18 based research based on field data to support the NRC  
19 staff evaluations of infiltration recharge. These are  
20 extremely important parameters in estimating  
21 radionuclide leaching and transport in the performance  
22 assessment models being used by the staff primarily  
23 for decommissioning but for other applications as  
24 well.

25 One of the motivating factors for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 research was to look at the variety of methods used to  
2 estimate water flux rates and look at them from the  
3 standpoint of what is realistic and can we say  
4 something about whether they're conservative or not.  
5 In the past, people looked at a percentage of annual  
6 rainfall and they used annual infiltration.

7 Here we are looking at event-based. So it  
8 could be a day or a day and a half recharge event.  
9 How could we estimate in a more realistic sense  
10 infiltration and groundwater recharge?

11 Yakov Pachepsky will talk about his model  
12 extraction technique. This work is to provide a  
13 methodology for the staff to assess simplifying  
14 assumptions in the performance assessment models to  
15 assure that the features, events, and processes  
16 relevant for that site are incorporated in estimating  
17 water flux and transport. And this is primarily in  
18 soils, primarily in the unsaturated zone but also if  
19 at the water table aquifer.

20 Also this work, by being realistic and  
21 being very much based on field evidence, is to look at  
22 uncertainties. We're looking at conceptual model  
23 uncertainty and parameter uncertainty. And Yakov  
24 Pachepsky will talk about that in some detail.

25 And finally, we're very pleased that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have this cooperative agreement with the United States  
2 Department of Agriculture because the field studies at  
3 Beltsville are very expensive. And we're able to  
4 utilize them for a relatively small investment.

5 They provide us with a highly-detailed  
6 database. The one the Tim Gish, who is on the phone,  
7 who will be making the next presentation, who is also  
8 from the Agriculture Research Service, he and Craig  
9 Daughtry have been doing this for many years. And  
10 they have very detailed databases.

11 Often the data is on a ten-minute basis  
12 and so therefore there is intensive data availability  
13 to look at the methods both from the standpoint of  
14 infiltration and groundwater recharge but also looking  
15 at model abstraction techniques.

16 This viewgraph is just to give you a sense  
17 of where we may apply these with regard to complex  
18 conceptual models. This is an example of an  
19 engineered system in the subsurface and how the  
20 environmental system may impact on it. So, therefore,  
21 you could have a variety of infiltration and  
22 groundwater recharge events. You could have failure  
23 of the engineered system due to that and preferential  
24 flow.

25 And Tim will tell us an example at his

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Beltsville site where they have identified  
2 preferential flow in hydrologically-active zones. And  
3 so, therefore, the conceptualization is evolving in a  
4 more realistic sense.

5 As I said before, Tim will give our first  
6 presentation. They are evaluating monitoring  
7 approaches for capturing both short-term and long-term  
8 recharge over a variety of spatial scales. This, as  
9 I said before, is very relevant to decommissioning.  
10 Their site is 21 hectares in size. And they have sub-  
11 watersheds A through D, which are approximately four  
12 hectares in size.

13 And as I said before, they have data over  
14 a long time period on a ten-minute basis. This work  
15 builds on earlier work by Jim Starr and Dennis Timlin.  
16 And you have copies of their NUREG reports.

17 The other talk will be by Yakov Pachepsky.  
18 He will illustrate the model abstraction techniques  
19 and show how a systematic methodology can help reduce  
20 model complexity such as the early one I showed while  
21 still maintaining the validity of the simulation  
22 results. They are relevant with regard to flux and  
23 transport.

24 He also will give field examples showing  
25 the range of simplified models that are appropriate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for site-specific data relevant to water flux.

2 So with that, Craig and Tim, if you could  
3 scoot over here and make the next presentation? Thank  
4 you.

5 MR. GISH: So are you ready for me Craig?

6 DR. NICHOLSON: Just a second. Okay, the  
7 first tree graph is up, Tim.

8 MR. GISH: Okay. First off, I want to  
9 thank Tom for the invitation. And I'm sorry I could  
10 not be there in person. And I appreciate some of my  
11 colleagues willing to be there and answer some of the  
12 questions.

13 One thing that's very important to note  
14 here is that the Nuclear Regulatory Commission has  
15 done a lot of excellent work on the plot lysimeter  
16 scale. But as they start going to larger scales of  
17 observation, i.e., those that are associated with  
18 their Nuclear Regulatory waste decommissioning sites,  
19 they need to start accounting for complex flow  
20 processes, hydrologically active areas, and subsurface  
21 flow pathways.

22 And so that's what my focus is going to  
23 be. And I want to acknowledge some of my colleagues  
24 and some of the information they have given me will be  
25 in this presentation. Craig Daughtry is there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 representing me. Charlie Walthall, also from USDA, of  
2 course Ralph Cady and Tom Nicholson from NRC, Samuel  
3 Kung from the University of Wisconsin, Madison Campus.

4 Adion Chinkuyu is actually a visiting  
5 scientist with us, actually on loan from the  
6 University of California. And then Paul Houser who,  
7 until the last couple of weeks, was actually the  
8 division head at the Hydrologic Branch at NASA.

9 Next slide. On the outline, you'll notice  
10 there are a number of things we're going to try to  
11 cover in this talk and I have a number of slides so  
12 I'll be going fairly quickly. But I think you all  
13 have hard copies and so you can go back and look at  
14 these. And if worse comes to worst, you can contact  
15 me personally.

16 The first four objectives essentially are  
17 going to give us a good insight as to the kinds of  
18 things that are taking place at the OPE3 research  
19 site. Also some significance and some data sets that  
20 are available.

21 And then what will happen is we're going  
22 to -- after we give you an overview of what's taking  
23 place out there, we're also going to talk about some  
24 recent advancement in fluid dynamics and some work  
25 that's actually been done where actually subsurface

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fluxes were actually monitored.

2 And then we're going to actually use some  
3 of that information to help us understand how to  
4 identify hydrologically-active zones at the scale of  
5 observation that you folks are interested, i.e.,  
6 around, you know, 21 hectares.

7 There will be a little brief discussion of  
8 how these data sets would be very useful for the model  
9 abstraction technique and then there are some sources  
10 I've listed.

11 Next slide. Optimizing Production Inputs  
12 for Economic and Environmental Enhancement is a  
13 mouthful. That's what OPE3 stands for. There's been  
14 a recent in-depth outside review just actually held  
15 last week. And one of the overriding recommendations  
16 was is that we have a sexier title. And so that may  
17 be changing in the near future. But right now and for  
18 the publications we have out, this is its title.

19 What I want you to see from this three-  
20 dimensional representation of the OPE3 site is roughly  
21 an idea of what the topography is. The z-axis has  
22 been amplified a little bit just so you could see some  
23 of it.

24 The important thing to take out of this is  
25 that it is essentially hydrologically bounded. The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 top part of the production area actually is the high  
2 point of the region locally for water flow. And it  
3 all drains through the fields to this riparian area  
4 which contains a first-order stream. And being a  
5 first-order stream means the stream actually starts  
6 there due to the site.

7 And so what we have are fluxes we can  
8 actually measure that go into the site and then we  
9 actually measure fluxes coming out. And so that's a  
10 very important aspect of the site.

11 Next slide. This research site is  
12 actually an international project that involves a  
13 number of scientists which we'll talk about in a few  
14 seconds. It has some major components that we're  
15 trying to resolve. One of them is actually measuring  
16 fluxes.

17 Right now there are good methods for  
18 measuring surface runoff fluxes and volatilization  
19 fluxes. But there's actually no good protocol for  
20 measuring or monitoring a subsurface flux.

21 Typically people take samples and measure  
22 water table highs and try to infer what the processes  
23 are that got the compound there. But there's very  
24 little monitoring -- that actually you have a flux  
25 that you are actually monitoring. We're trying to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually develop protocols to do that.

2 And then we're interested in how those  
3 fluxes interact and have an impact on the wooded,  
4 riparian wetland area and first-order stream.

5 In addition to this, we have a lot of  
6 remote sensing activity on this site. And so we'd  
7 like to develop products and techniques for evaluating  
8 and managing spatial variability.

9 And the last aspect is we hope in the long  
10 term, sometime in the future, to actually do an  
11 economic-environmental tradeoff analysis.

12 Next slide. Water and energy balance, of  
13 course, are very important for us to quantify here.  
14 And the larger picture here that you see contains a  
15 couple of towers. The large tower in the middle is  
16 actually a very detailed to complete energy balance  
17 system.

18 So we're measuring things there like  
19 three-dimensional wind speed profiles. And, of  
20 course, there's also temperature profiles and relative  
21 humidity profiles. And then we have heat fluxes that  
22 go into the system.

23 So we actually have the energy balance --  
24 we've got it completely monitored out there. We have  
25 a couple of med stations but this is the detailed one.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And that allows us to quantify the water energy  
2 actually coming in.

3 In the picture on the right, if it is now  
4 phased in, is me holding a moisture capacitive probe  
5 now. Tim Starr has actually done a lot of work with  
6 this and some of the reg reports that you folks have.  
7 And we use this same system out in our site.

8 What's also quite interesting about it is  
9 we have all these inputs coming in but we can also  
10 evaluate a profile and we have approximately 256  
11 sensors out in the field on probes like the one you  
12 see me holding. This one is actually holding seven  
13 sensors. But we actually activate those sensors every  
14 ten minutes, 24 hours a day, 365 days a year. And  
15 essentially it gives us a motion picture profile of  
16 the surface and the subsurface water dynamics.

17 What's also very interesting to note is  
18 that we have about -- a little over 13 million soil  
19 moisture observations every year. So we can link that  
20 detailed soil moisture dynamic information into the  
21 energy balance system.

22 Also on this slide there's a small tower  
23 in front of the energy balance system. And that's  
24 actually something for measuring output. That's  
25 actually a pesticide flux tower. And we usually have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a couple of those out there to essentially measure the  
2 volatilization aspects.

3 Next slide. There's a number of other  
4 outputs as well. You can see surface runoff processes  
5 and groundwater monitoring that is taking place out  
6 there as well as some information in the riparian area  
7 for water table and the upwelling zones and tree sap  
8 flow sensors. And then also we have five weirs that  
9 are actually in this first-order stream. They're in  
10 the riparian area which, again, allows us to calculate  
11 these fluxes exiting the system.

12 Next slide. One thing that is also quite  
13 critical is that even though we have a lot of detailed  
14 information about processes, we also have a very  
15 unique ability to quantify what is happening on the  
16 subsurface.

17 On the left, you will see a graph that  
18 contains the depth to the subsurface restricting  
19 layer. The green areas are roughly three to three and  
20 a half meters below the soil surface where water is  
21 being restricted in those areas. And then it gets all  
22 the way to about a meter below the soil surface on  
23 this side.

24 And what happens we can take the special  
25 relationships of the depths to the restricting layer,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 do some modeling, and actually determine where the  
2 water -- how it is exiting the site.

3 And you can see on the right-hand side  
4 here, those are actually the identification of the  
5 subsurface flow pathways. Now this is done primarily  
6 with ground-penetrating radar data, of which we have  
7 over 40 kilometers' worth of data and we also have  
8 this very detailed digital elevation map.

9 So we take those and use that in the GIS  
10 framework to actually quantify the subsurface flow  
11 pathways. Essentially there are arteries and veins  
12 which essentially water converges to and then flows  
13 subsurface out of the site.

14 Now even though it looks like it occupies  
15 a great deal of the site, these arteries and veins,  
16 the fact is is that they actually comprise probably  
17 less than one percent of the available pore space. So  
18 they are difficult to actually quantify. And that's  
19 very important if we're going to know how or where to  
20 monitor.

21 Next slide. In addition to some of these  
22 things I've already mentioned, this is an  
23 international activity. Dr. Daughtry can talk more  
24 about this if you're interested. But we have over 63  
25 scientists involved from federal agencies and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 universities across the United States and also  
2 industry. And there are some industries and  
3 universities outside the U.S. who are also involved in  
4 the site.

5 And everybody brings their own money.  
6 There's no funds on the site. Essentially if they  
7 want to work with us and use the infrastructure, they  
8 have to bring their own money and work accordingly.

9 Next slide. The next three slides have  
10 some selected OPE3 data collection activities. I'm  
11 not going to go through all these because there's a  
12 lot of verbiage. And I've already mentioned some  
13 things already like, you know, this 13 million-plus  
14 soil moisture observations.

15 But I wanted to let you know that there  
16 are some other data sets which are probably applicable  
17 to some of the things that NRC is interested in. For  
18 example, all the data when we collect samples, we have  
19 a kinematic GPS system which allows us to have an  
20 accuracy of looking at samples one centimeter in the  
21 x- or y-axis and two centimeters in the z-axis.

22 We also have, besides the ground  
23 penetrating radar info, a great deal of  
24 electromagnetic induction data that we have on the  
25 site. And we also have some well data and a great

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 deal of soils data.

2 Next slide. On this slide, I'd like you  
3 to focus on Item No. II, Production Fields - Remote  
4 Sensing Imagery. In addition to the amount of data  
5 that we're collecting at this site, it is probably the  
6 most heavily -- probably the highest density of  
7 instrumentation of any research site probably anywhere  
8 in the world.

9 We also have a tremendous amount of remote  
10 sensing activities taking place. And Craig Daughtry,  
11 this was one of his fortes so he could talk to you a  
12 lot about these various platforms, whether they be  
13 high-altitude aircraft and various satellites.

14 But there's a lot of linkage here with  
15 NASA and industry so that we could actually use the  
16 information that we have to develop surrogate  
17 indicators of various processes and use that to  
18 address the questions that relate to either production  
19 or environment issues.

20 And then on the third slide of the data  
21 collection activities is just a listing of some of the  
22 things that are taking place in the riparian wetlands,  
23 which is also germane to NRC.

24 Next slide. The nice thing about this, we  
25 have this detailed amount of information of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 subsurface process and the instrumentation that we  
2 have on the production fields themselves. It allows  
3 us to cover three very critical areas. The first one  
4 is to actually look at surface and subsurface  
5 interactions.

6           There are very few places in the world  
7 today that actually have the ability to look at  
8 subsurface interactions. And there is no place that  
9 has the detail that we do to evaluate that. So this  
10 is very unique in that we've got that information  
11 already here.

12           Secondly, we have enough information that  
13 is being gathered on various spatial and temporal  
14 domains that we can actually look at the interaction  
15 of variable climate on heterogeneous soil on a scale  
16 that's germane to agricultural production or, in this  
17 case, some of your decommissioning sites.

18           And then obviously one thing we're also  
19 very interested in is to evaluate protocols as to  
20 where and when to sample and how to interpret those  
21 data sets.

22           Next slide. Now I'm going to take just a  
23 quick run through some recent advancements in fluid  
24 dynamics. It's nice to kind of stay on the cutting  
25 edge of what is taking place in the research

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 community. And I want to actually present some  
2 information to you folks that helps you understand the  
3 need to measure a flux and what those new flux  
4 protocols are actually telling us with regard to  
5 chemical transport through soils.

6 Next slide. For many years, people, when  
7 they were evaluating a worst-case scenario, and this  
8 includes me and many of my colleagues, we made a  
9 number of assumptions regarding how chemicals would  
10 move through soil partly because we didn't know where  
11 water was flowing.

12 And we just had to take samplers and  
13 randomly locate them and then collect them frequently.  
14 And we had to -- we didn't know that there was any  
15 fingering effect that we could actually account for or  
16 monitor. So we generally had to assume a piston flow  
17 process, which essentially negates any dispersion.

18 In order to have the fastest possible  
19 transport time, we thought that saturated hydraulic  
20 conductivities would be a good way to go. And then we  
21 generally lump in some kind of linear absorption  
22 process and also other process that might describe its  
23 degradation. This is true for radioactive nuclides as  
24 well as maybe pesticides.

25 Next slide. Now the problem is is that a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lot of the information was gathered using  
2 concentration data and not flux data. And so I have  
3 a little slide here just to kind of bring home the  
4 message of how critical the surface runoff processes  
5 actually are. And also the need to measure flux.

6 If I'm going to measure a surface runoff  
7 process, just taking a sample, for example, out of  
8 this flume and measuring concentration, it doesn't  
9 tell me a whole lot about the relevance of what's  
10 going on in the field because all I have are  
11 concentrations.

12 I don't know whether it was a lot of water  
13 associated with that concentration I'm analyzing or if  
14 there was a very small flow associated with it. So  
15 it's important that you have both the water flow data  
16 as well as the chemical composition.

17 But once you have the chemical composition  
18 and the volume of water flow, then what happens is you  
19 could actually determine a flux. And once you get  
20 that done, you can actually calculate a relevance,  
21 i.e., what percentage of water have I applied that is  
22 actually moving to the soil system, in this case, the  
23 surface runoff process.

24 In the field -- next slide -- piston flow  
25 is not the normal flow process that we see. Whenever

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there is actual rain events or irrigation taking  
2 place, we have a tendency to have these little fingers  
3 that flow throughout the field.

4 The question is is what is the flow rate  
5 associated with some of those flow pathways. And  
6 they're very difficult to quantify. In this case,  
7 that little black circle that's underneath the major  
8 flow line was actually just me trying to simulate that  
9 I got lucky and I actually had a sampler located right  
10 below a flow pathway.

11 But even if I did have that in the field,  
12 you'd have a number of other areas where there wasn't  
13 directly a flow pathway. And so you would say well,  
14 how do I interpret this data? And so just  
15 concentration data itself makes it very difficult to  
16 interpret this kind of phenomenon.

17 Next slide. What's good, though, is that  
18 recently there's been some flux experiments that  
19 they've conducted and recently published. One, this  
20 really comes from a publication in 2000 by Dr. Kung,  
21 and what happens is -- I'm not going to go through a  
22 lot of detail here but this actually says a couple of  
23 things.

24 The take-home message here, and we see it  
25 from both the uniform silt loam, which is actually --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's where it was conducted at West Lafayette at  
2 Purdue and the one on the right is actually an  
3 experiment that was conducted at Cornell under a  
4 little more complex soil profile, but we see a couple  
5 of things which are universally true. And that seems  
6 to be that the travel times to groundwater become  
7 shorter as the soil water content increases.

8 In other words, the system is becoming  
9 hydrologically active. And when it becomes  
10 hydrologically active, these fingering processes or  
11 these veins or arteries, which are draining the soil  
12 system, become very active. And they conduct a great  
13 deal of water much faster than we would normally  
14 anticipate.

15 In fact, the second issue is knowing that  
16 if we use saturated hydraulic conductivities, what  
17 happens is we wouldn't expect the compounds, in this  
18 case tracers that we were putting on the field, to  
19 reach one meter in less than two days. And yet, these  
20 breakthrough curves show that the compounds were  
21 getting there in anywhere from four hours to 12  
22 minutes.

23 And so the idea of saturated  
24 conductivities and piston flow approximations don't  
25 seem to work very well, especially when there's any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 precipitation or irrigation event that is actually  
2 occurring out in the field.

3 Next slide.

4 MEMBER HINZE: Excuse me. But what's the  
5 reason for that? What's the cause of these shorter  
6 travel times?

7 MR. GISH: What happens is there's those  
8 arteries and veins which I showed on a lateral  
9 component but there is a vertical component that also  
10 takes place.

11 And what happens, you have -- when you're  
12 looking at saturated hydraulic connectivity, you are  
13 usually assuming all the porous media is available for  
14 flow. And there's a lot of variability in your  
15 hydraulic connectivity data. You may get coefficients  
16 of variation, at least I've seen them, of anywhere  
17 from 100 to 400 percent as far as spatial variability  
18 of hydraulic connectivity data.

19 So it is where you sampled, how well you  
20 sampled. There is also pore continuity it's  
21 associated with here. And the transit times,  
22 essentially these arteries and veins become saturated  
23 but they are probably less than one percent of the  
24 available pore space.

25 So it's going to be very difficult to get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a saturated hydraulic connectivity for those areas  
2 which are actually conducting most of the fluid when  
3 you an irrigation event taking place.

4 MEMBER HINZE: So there are horizontal as  
5 well as vertical?

6 MR. GISH: Yes, yes there are. The last  
7 slide and this one are actually dealing mainly with  
8 vertical but I'm going to show you some horizontal  
9 ones in a few minutes.

10 Am I clear on that? Is that okay?

11 DR. NICHOLSON: Yes.

12 MR. GISH: Okay. I'll go on then.

13 This is another curve that essentially  
14 says the same thing. Obviously the other two curves  
15 were associated with some work that was done in Purdue  
16 and Cornell. And this one was actually done at  
17 Madison, Wisconsin that I did and reported last year  
18 in the literature.

19 And essentially what we're looking at is  
20 the same field site but using this flux protocol that  
21 Sam Kung developed. And what happens is I'm putting  
22 on two mobile tracers. And I've got it plotted as the  
23 mass of the compound that I'm recovering versus what  
24 was applied as a function of total amount of water  
25 applied. So even though I have two different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 irrigation rates, I'm essentially eliminating that  
2 because I'm just plotting this as a function of how  
3 much water was applied.

4 And as you see, the breakthrough curves  
5 are vastly different between the two. And if you look  
6 at it fairly closely, you can see that after about 150  
7 millimeters of water has come out, that breakthrough  
8 curve that's associated with the little irrigation  
9 event, here 0.89 millimeters per hour, we only have  
10 about two percent of the compound leaving the top  
11 meter after 150 millimeters of water relative to  
12 essentially 40 percent that was coming out at that  
13 irrigation rate of 4.1 millimeters per hour.

14 So even though the same amount of water  
15 was applied, we see a vast difference in the transport  
16 times. So again, this is associated with hydrologic  
17 active zones within the soil system itself.

18 Next slide. And so what that means is  
19 that some of the flux data that has been developed  
20 over the last couple of years -- this flux protocol  
21 has only been available for the last couple of years  
22 -- the idea of piston flow probably isn't a very good  
23 one.

24 Saturated conductivity seems to have some  
25 problems. And when it comes to linear absorption and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 degradation of half-lives, that could also be a  
2 problem because it could be that the water velocity is  
3 so high in these veins and arteries that the residence  
4 time for the chemical really can't be absorbed. And,  
5 of course, obviously that would also change your  
6 anticipation of half-lives if it moves down there much  
7 faster.

8           Next slide. This slide I put the  
9 reference down at the bottom to -- it's not listed out  
10 on the end as far as my data sources -- you may want  
11 to make that note -- in part because it was just  
12 accepted last month. And this is going to be  
13 published in the Soil Science Society of America  
14 Journal.

15           But what I wanted to point out here was  
16 that when we look at this fingering phenomenon that  
17 takes place, it's been very difficult for people to  
18 have reproducible results because they didn't know  
19 where the samplers were actually going to be placed.  
20 And if you till a field, that changes things. And so  
21 it was very for them to actually calculate a flux.

22           And what happens with this flux protocol  
23 that Dr. Kung had developed, we actually show that it  
24 is reproducible. Here you'll look and you'll see a  
25 blue and a green line. Those are actually data sets

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of two fluorobenzoic acids that were applied to a  
2 field on two different years. And so we can actually  
3 see that this protocol, when you're actually measuring  
4 a flux, actually is reproducible.

5 Now the area that we're looking at here is  
6 about 80 square meters. But we get nice reproducible  
7 data that also helps us then understand those kinds of  
8 features that we need to be concerned with that might  
9 influence chemical transport vertically.

10 Next slide. So now we're going to talk  
11 about some applications to the OPE3 site.

12 Next slide. Again, here is the subsurface  
13 flow pathways. And we're talking about some relevance  
14 of them very quickly. And you'll notice that I've  
15 included a color infrared image on the upper right-  
16 hand here.

17 These flow pathways again occupy a small  
18 area of the field. But they also seem to be going to  
19 or draining these areas that have higher biomass. The  
20 darker red areas are areas within the field that have  
21 a higher biomass as a color infrared image.

22 And what happens is the bottom right  
23 figure here is actually some soil moisture data.  
24 There's thousands and thousands of data points. And  
25 those aren't actually line, those are actually data

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 points because we have this real time process.

2 And what it is telling us is we have this  
3 lateral movement of water moving through the field.  
4 And so we have this kind of like a two-dimensional  
5 aspect that you can see from these graphs. However,  
6 there's also a third dimension to these.

7 Let's go to the next slide. And that is  
8 when we look at these small pathways, not all of them  
9 have the same shape, and form, and size. And so some  
10 of them actually conduct a great deal more water than  
11 others.

12 The graph on the bottom is actually water  
13 table heights through one of these flow pathways. And  
14 it consistently has at least a meter of water flowing  
15 through that lense out into the riparian area. And  
16 typically that one also has the highest concentrations  
17 of nitrate and pesticides in it which means that that  
18 one would have a much higher flux than any of the  
19 other two.

20 Next slide. Now this slide it's going to  
21 say well, so we have that -- this neural network  
22 essentially that goes through the fields but it has a  
23 vertical component.

24 And what I've done here is shown that you  
25 can see underneath the large corn plant, there's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 small distance between the top of the soil surface and  
2 the top of this water table. So there could be  
3 capillary action of water that actually feed water and  
4 nutrients to that area during an average or dry year.

5           Whereas opposed to its farther down  
6 gradient you can see in a smaller corn plant and  
7 that's because there is a larger distance between this  
8 cascading subsurface water flow pathway and the plant.  
9 So it doesn't have nearly the benefit of subsurface  
10 water and nutrients. And so its corn growth is  
11 actually stunted relative to the other.

12           Well, what's interesting about this then  
13 is we would expect a three-dimensional flow system  
14 then that is interacting with plants that could  
15 actually be a useful tool then in evaluating through  
16 surrogate indicators where these flow pathways  
17 actually are.

18           Next slide. And it would suggest that if  
19 you look at some of the variable patterns of crop  
20 growth, that we could maybe develop this indicator.  
21 And what we have here is 1998 to 2000 various pieces  
22 of information which allows us to look at the spatial  
23 variability of crop growth. And if we use just the  
24 '99 and 2000 data to develop an indicator, which is  
25 what I'm going to do here, and then I'm going to use

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that data to actually predict yields in 1998.

2 And what that index essentially looks  
3 like, it's an algorithm that uses some normalized  
4 yield data and some climate data. It uses the most  
5 dramatically different years but it actually gives me  
6 a dimensional parameter which we call the surrogate  
7 moisture response index to help me quantify spatially  
8 those areas that are being influenced by the  
9 subsurface flow processes.

10 In the next graph what's going to happen  
11 is I'm going to relate this spatial distribution of  
12 this SMRI to actual yield data for a different year,  
13 in this case 1998.

14 Next slide. And this one is entitled now  
15 Extending SMRI, Comparison with 1998 Corn Grain Yield  
16 Data. And you can see this nice linear relationship  
17 here where we have the dots representing the yield for  
18 1998 with standard deviations. Then on the x-axis, we  
19 have the soil moisture response index.

20 The arrows on the right-hand side  
21 essentially tell us how much of the field is being  
22 comprised by that data so you can see that within the  
23 green lines, for example, 65 percent of product field  
24 is described by that very linear region.

25 So it seems that we may actually start to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be able to -- start to have the capacity to look at  
2 various other tools as an indicator of these flow  
3 pathways.

4 Craig Daughtry could also identify that we  
5 have a lot of remote sensing activities that are also  
6 associated with this.

7 Next slide. That takes us to our data  
8 resource model abstraction. What happens is that  
9 because we have this closed system, we have fluxes  
10 that are usually monitored going in and fluxes of the  
11 standard protocols that are exiting the site.

12 And with this tremendous amount of data on  
13 the inside, various state-of-the-art kind of data set  
14 that is being acquired, we can actually look at the  
15 data and average it over large time periods and have  
16 very simplistic conceptualization of how water is  
17 going in, like just simple mass balance protocols.

18 Or else we can get progressively more  
19 complex and look at the models themselves and also how  
20 you interpret the data and become increasingly more  
21 complex to see if we can improve the ability to  
22 quantify these output fluxes. And then to model them  
23 appropriately and see what the uncertainty is  
24 associated with those.

25 And, of course, we have the ability to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 look at some very dynamic processes since we have good  
2 climate data and soils data being collected at about  
3 ten-minute intervals. And we're also developing  
4 protocols for looking at some fluxes.

5 And, of course, this is very important  
6 because if we have fluxes, as I mentioned earlier,  
7 with reproducible results, it will really dramatically  
8 reduce some of our uncertainties.

9 Next slide. Very close to the end here.  
10 And what I've done here is actually showing you an  
11 experiment we did this last November with NRC. And  
12 this actually uses some information we have from the  
13 OPE3 site and some of this basic information that  
14 we've gotten from our field studies at Cornell,  
15 Purdue, and Madison, Wisconsin.

16 And we developed a protocol for measuring  
17 a flux in the field itself. This graph on the right  
18 is essentially that, it's the cumulative bromide  
19 leached as a percent of bromide applied. And the blue  
20 line is the actual flux data.

21 And what we could see is that it's moving  
22 out very quickly even though the water was only  
23 applied at, I think, 4.1 millimeters per hour. The  
24 breakthrough curve is taking place much faster than we  
25 would have expected it to.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And I put a red line in there so you can  
2 get an idea of what the matrix flow processes would  
3 be.

4           What is also very important to note is  
5 that we got over 98 percent of the tracer that was  
6 applied was recovered, which is very good. In most  
7 transport studies, you're lucky to get, you know, 30  
8 or 40 percent.

9           And that's why they're generally not  
10 reported in the literature is because they don't have  
11 good mass bounces. But here with this technique, an  
12 extension of what is similar to what Sam Kung has  
13 done, we've actually 98 percent of the compound back.

14           So I have now some data sources that I've  
15 listed for you that you could use. Like I said,  
16 there's one that's not listed here but it's actually  
17 listed at the bottom of one of the graphs.

18           And I think you very much for your time.  
19 And that's it.

20           DR. NICHOLSON: Thank you. Thank you very  
21 much, Tim.

22           MR. GISH: Do you have any questions?

23           MEMBER CLARKE: Shall we take some  
24 questions now for Tim? Bill?

25           MEMBER HINZE: Well, I'm very impressed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with the work. That goes without saying.

2 I'm just wondering about the applicability  
3 of this in a broad sense. And that leads me to the  
4 question of what is the origin of these preferential  
5 pathways? And how universal is that origin?

6 DR. NICHOLSON: Tim, do you want to answer  
7 that?

8 MR. GISH: Okay. I think I can capture  
9 part of that. I'm still on a lot of meds back here.  
10 So hopefully I'll make some sense out of this.

11 As far as the applicability, the  
12 preferential flow processes, there have been a number  
13 of studies done throughout the world on trying to  
14 identify that. And most of them were dye studies.  
15 And in most of the dye studies they've been doing,  
16 regardless of the water input rates, they seem to have  
17 noticed that as long as water is being put in the  
18 system, these preferential flow processes are  
19 dominant.

20 And you have -- people talk about the  
21 vertical component now. And you have a number of  
22 reasons for that. You have flow instabilities. You  
23 also have void route channels that are responsible for  
24 that. You also have layered systems, a funnel flow  
25 kind of a process, which essentially can make the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 water converge to a small point.

2           And unfortunately, it's very common. And  
3 that's one reason I think when they try to do  
4 saturated hydraulic connectivity values, they have so  
5 much uncertainty because every once in a while they  
6 may hit one of those channels and then they end up  
7 with coefficients of variation of like I said between  
8 1 and 400 percent. And then they try and interpret  
9 that.

10           And how do they use such large  
11 coefficients of variation to describe chemical  
12 transport on a larger scale? And it's virtually  
13 impossible.

14           And so what happens is you actually have  
15 to know where and how to sample. Well, the vertical  
16 component is very tough. And I'll be more than happy  
17 to talk, some other time probably, about the protocol  
18 that Sam Kung developed and why it shows to be working  
19 and in what way we rigged that to extend to our field  
20 site. But actually it allows us to capture both the  
21 matrix and preferential flow processes.

22           As far as the horizontal one is concerned,  
23 what happens is that through time, there's various  
24 layers of soil horizons that are formed in the field.  
25 And these ecological processes form layers of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accumulated clay, for example, like clay lenses, and  
2 they have a topography to them. Sometimes it might be  
3 due to, you know, massive rain events that took place  
4 that deposited a lot of clay there or actually came  
5 through the clay.

6 And so what happens is you have  
7 essentially this subsurface stratigraphy that vary  
8 spatially a great deal. In our site, you know the  
9 soil isn't that great. We have a fairly large range  
10 in elevation. And if I was to plot that up on a  
11 smaller scale, you could actually see this undulating  
12 surface that is taking place there.

13 Well, what happens is whenever water hits  
14 that, that restricting layer due these ecological  
15 processes either to a clay lense forming or some real  
16 dense horizon, water flow is restricted and starts to  
17 move laterally. And in that past, it's been  
18 essentially impossible to find out where those things  
19 were taking place.

20 But we've actually refined some of GPR  
21 data to identify these flow pathways. Unfortunately,  
22 these flow pathways, even though they can be  
23 identified with the ground-penetrating radar data,  
24 they only can be identified using GPR if you have  
25 probably a loam or a courser textured soil like a sand

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or a sandy loam. And if it is a finer textured soil,  
2 the GPR doesn't work nearly as well.

3 And that's one reason why we're -- even  
4 though we understand the processes will remain the  
5 same. And what we're trying to do is link up with  
6 various remote sensing activities to try and see if  
7 there is landscape and sensors that we can use to help  
8 us refine where these flow pathways are occurring.

9 MEMBER HINZE: Can I follow up there?

10 DR. NICHOLSON: Sure, go ahead.

11 MEMBER HINZE: Do I understand then that  
12 these are predicated on the basis of hydrologic  
13 properties of the subsurface materials?

14 MR. GISH: Yes.

15 MEMBER HINZE: But there are additional  
16 factors as well?

17 MR. GISH: No, that's essentially -- it's  
18 the soil --

19 MEMBER HINZE: Okay.

20 MR. GISH: -- forming processes.

21 MEMBER HINZE: So it's --

22 MR. GISH: So there are actually features  
23 that you should be able to quantify.

24 MEMBER HINZE: Okay. You have  
25 excruciating detail in these subsurface flow patterns.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'm curious. It isn't clear to me -- I must have  
2 missed it in your presentation -- just how do you get  
3 that kind of resolution?

4 MR. GISH: What happens we actually --  
5 when we're doing the GPR data, what happens is we have  
6 two scales of ground-penetrating radar that we  
7 actually pass through the site. But before we even  
8 did that, we put two calibration sites up. One in one  
9 of the coarser-textured areas at the OPE3 site. And  
10 one in the finer textured.

11 And then we buried a series of metal  
12 plates at various steps. And we actually tested a  
13 number of antennae at various frequencies to see what  
14 gave us the best resolution and depth penetration.

15 Obviously the higher the frequency, the  
16 lower the depth penetration. And we wanted to go far  
17 enough to where we could actually see what was going  
18 on. So we actually had to bury plates for that  
19 calibration.

20 And then what happens is for us it was  
21 about 150 megahertz. And then what we did is we had  
22 two scales. One of them was a large scale where we  
23 had transects that went over the whole site every 25  
24 meters. And then what happens is the computer picked  
25 44 25 by 25 meter blocks where we did an essentially

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 continuous measurement of GPR over that entire block.  
2 So we had very, very intense small-scale GPR data as  
3 well as this large-scale data.

4 And that allowed us then to then look at  
5 how the depth of this restricting layer changed with  
6 scale essentially. And one of the papers I've listed  
7 there, that's, I think, in 2004 -- no, I guess it's  
8 not listed there at all -- sorry about that -- there's  
9 one paper that we published I guess about 2003 that  
10 dealt with the GPR technique.

11 And what happens is for us we noticed that  
12 the variogram that describes the spatial relationship  
13 of the depth of this restricting layer didn't change  
14 much for us after four hectares. And from four  
15 hectares to 21 hectares, we had the same variogram.

16 And since we had essentially -- we never  
17 had anywhere in the field where you had to go more  
18 than maybe a couple of meters to get a data point, we  
19 can actually do a pretty good job of covering the  
20 whole site.

21 It took a long time to analyze the data  
22 because like I said, there was over 40 kilometers of  
23 GPR data there. So it's very extensive.

24 It's something that farmers can't afford  
25 to do. And that's why surrogate indicators of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 flow pathways are so important to evaluate because no  
2 one is going to be able to use GPR in a realistic  
3 sense to evaluate subsurface processes.

4 MEMBER HINZE: If I may, let me ask one  
5 last question. We're interested in climate change and  
6 we're interested in recharge under periglacial  
7 conditions. What does your work tell us about the  
8 recharge to the subsurface under periglacial  
9 conditions? Or even in higher mountain areas where  
10 there's frozen ground?

11 MR. GISH: Yes, I'm not really hearing the  
12 question real well. Craig, can you continue through  
13 that?

14 MEMBER HINZE: Well, I'm asking under --  
15 can you extrapolate your work to periglacial  
16 conditions? To frozen ground on an intermittent basis  
17 through the year? And the implications of that?

18 MR. GISH: I'd be real hesitant to do  
19 that.

20 (Laughter.)

21 MEMBER HINZE: I don't blame you.

22 MR. GISH: Yes, that's something I'd have  
23 to think a little bit more about.

24 MEMBER HINZE: Okay.

25 MR. GISH: I don't know if I feel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 comfortable.

2 MEMBER HINZE: Thank you very much. Thank  
3 you.

4 MR. GISH: Sorry.

5 MEMBER WEINER: This is Ruth Weiner. I  
6 was wondering since I live in the desert and I'm  
7 familiar with places where the soil is not only  
8 unsaturated, it's enormously unsaturated. It's very  
9 dry.

10 How applicable are your OPE3 results to a  
11 place like say Hanford?

12 MR. GISH: Okay. I think that's very  
13 appropriate.

14 Actually I think that one of the things  
15 the basic research studies tell us -- maybe I should  
16 address that first -- is that when there is a lot of  
17 water coming around, like anywhere east of the Rockies  
18 where you start to get a lot more water than the arid  
19 West, the hydrologic areas become very critical in  
20 evaluating the transit time of compounds.

21 But at the same time, if you are very arid  
22 and you're very dry and you don't get a whole lot of  
23 water, then they're not going to really be very  
24 important because there's just not going to be enough  
25 water there to make things hydrologically active.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Good.

2 MR. GISH: And so in really dry areas,  
3 it's just probably not going to be nearly as big an  
4 issue. So I think most of this work is going to be  
5 relevant to flow processes that we'll be concerned  
6 with probably east of the Rockies would be my guess.

7 MEMBER WEINER: That's very helpful. I  
8 have a slight follow-up question. And that is one of  
9 the things that we have, in fact, observed in the  
10 subsurface at a place like Hanford is adsorption on to  
11 the soil, chem adsorption. And I notice that you have  
12 rejected the notion of linear absorption isotherm.

13 Can you draw any conclusions or any  
14 extrapolation to what happens when you do have  
15 adsorption in the subsurface soils?

16 MR. GISH: Yes, the adsorption processes  
17 are very chemical dependent. Some things have a high  
18 affinity for organic materials where other things  
19 which are permanently charged molecules have a much  
20 higher affinity for quiet fraction. And I think  
21 that's what you're talking about.

22 And what happens is that can really slow  
23 down transport dramatically. But if there is water  
24 moving through the soil system and you have this  
25 fingering process, there's a fair amount of that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 compound which can be bypassed. But a lot of it  
2 depends on how many of these arteries or veins are  
3 actually moving through the soil system.

4 Like one thing I didn't mention was that  
5 I gave you the -- I showed you a graph that showed how  
6 the transit time from the surface to one meter  
7 decreased as the system became wetter, and wetter, and  
8 wetter for the Purdue and also for Cornell site.

9 What's interesting is that if you actually  
10 look at relevance, which you can if you have a flux,  
11 we found out at the Purdue site that there was a  
12 compound that took four hours to start to get down  
13 there.

14 Even though it's very fast relative to two  
15 days, the relevance was we only got six percent of  
16 that tracer in the three centimeters of water that  
17 were applied to the soil surface. Whereas when the  
18 system was hydrologically active, what happened is we  
19 actually got 20 percent of the applied compound with  
20 a little over one centimeter of water that was applied  
21 to the soil surface. So now that's Purdue.

22 But now if you go to Cornell, it seems  
23 they have fewer flow pathways because even though you  
24 have the same timing that seems to take place as far  
25 as the transit time reducing, I think the rates go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from six percent for the first tracer, just like it  
2 did at Purdue, but then it only goes up to eight  
3 percent at the end. And so apparently that one has  
4 fewer flow pathways.

5 So that goes back again then to the  
6 features of the soil, you know, whether it be  
7 connectivity measurements that we could link up to it  
8 or it has yet to be determined. But there's something  
9 about that soil that is different.

10 And so when we start talking about  
11 adsorption processes for the subsurface, one of the  
12 questions that comes up was how many flow pathways  
13 does it have in a vertical component? The only way to  
14 determine that is actually to have a flux experiment.

15 And that way you can actually determine  
16 relevance because it may be that yes, there's a fast-  
17 moving compound but the fact is it could have -- it's  
18 a very small fraction and so the retardation factors  
19 that you might use might be very applicable. And that  
20 has yet to be determined.

21 MEMBER WEINER: Thank you.

22 MEMBER CLARKE: Allen? Anything?

23 (No response.)

24 MEMBER CLARKE: Mike?

25 CHAIRMAN RYAN: Yes. This is Mike Ryan.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Thanks for being with us today.

2 I'm trying to think about how this applies  
3 to decommissioning sites or other evaluations. Could  
4 you give me a couple of examples?

5 I'm thinking about -- one of the questions  
6 in my mind is that this type of flow, is it fairly  
7 common? Is it expected at most every site? Or are  
8 there sites where you're going to get a more uniform  
9 flow? Or a less complex, near-surface system?

10 Could you give us some perspective on  
11 where this obviously detailed and very good research  
12 fits in?

13 MR. GISH: I'm not hearing real well.

14 DR. NICHOLSON: Okay. Before you answer,  
15 Tim, Mark, do you want to comment? Mark Thaggard is  
16 the person we're doing this research for. He's in  
17 NMSS. Mark?

18 MR. THAGGARD: Well, I think we need to  
19 look at it from a broader perspective. I mean I think  
20 there are two main issues here.

21 One is what are the dimensions we should  
22 be looking at in our analysis? Most of the analysis  
23 we do look at one-dimensional flow vertically. And so  
24 I think this may point to some issue as to whether or  
25 not we should be looking at two dimensions versus one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dimension. So I don't think we need to look at it for  
2 a specific site but maybe some of the broader  
3 application.

4 But the other issue is what time scale  
5 should we look at in terms of trying to come up with  
6 infiltration rates? I mean I think Dr. Weiner brought  
7 up the issue about Hanford.

8 And a lot of the sites that you may have  
9 out in the West where you've got very low  
10 precipitation rate, you know, somebody may be tempted  
11 to look at the infiltration rate trying to come up  
12 with it over a long time period like over an annual  
13 basis or something like that where you're going to get  
14 -- that would tell you that you would get no flux.

15 But if you were looking at a much shorter  
16 time scale, you would actually see that you could get  
17 some flux. So I think we're looking at it more from  
18 a broader application in terms of how we should be --  
19 some of the issues we should be looking at in terms of  
20 doing our analysis.

21 I mean we could get into some of the  
22 specific sites. I mean I see some of these issues  
23 popping up in some of the sites, like some of the weir  
24 work that we're doing. But I'm looking at it more  
25 from a broader perspective.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. NICHOLSON: The two things that I'm  
2 learning from this project is first of all where to  
3 look and how to look is extremely important.

4 And if a site, and I'm sure all sites have  
5 complexities, the question is how relevant are these  
6 complexities to water flux and transport, if they  
7 occur, if there are, for instance in a clay, if you  
8 have a fractured clay, a weathered fractured clay like  
9 a site up in New York State, then you'd want to ask  
10 the question how important is that fracture pattern in  
11 the clay and does it give rise to both a vertical and  
12 horizontal preferential flow?

13 If that's the case, then obviously you  
14 want to monitor to capture the significance of that  
15 event and process.

16 Similarly, Tim was commenting, and I  
17 showed an earlier viewgraph of the Hanford tanks, you  
18 know in the subsurface, there may be things on the  
19 East Coast -- they often talk about fragipans. Out  
20 West it may be caliche layers.

21 There may be some natural soil  
22 morphological textural class that says, in effect,  
23 there is some perching unit or some restricting layer  
24 that gets the water to move a certain distance. And  
25 then it slows down. It may then concentrate, funnel,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and move preferentially if there is a fracture or some  
2 vertical pathway.

3 And so the question you have to go back  
4 and ask yourself is okay, how do I both characterize  
5 the site and, if necessary, monitor to understand if  
6 those features and processes do occur? And how  
7 important are they are in modeling.

8 And, of course, Yakov will be talking next  
9 about how to look at model abstraction techniques.  
10 When is it all right to simply? And when isn't it all  
11 right to simply? Because through those  
12 simplifications, you may ignore significant features,  
13 events, and processes. And also in ignoring those,  
14 you're creating large uncertainties.

15 And one of the things that Tim did mention  
16 is that he's getting a much better understanding now  
17 of conceptualization of water flow and transport in  
18 these heterogeneous, complex sites.

19 So should we move on to Yakov?

20 CHAIRMAN RYAN: Yes, just another comment,  
21 though.

22 DR. NICHOLSON: Okay.

23 CHAIRMAN RYAN: And again I appreciate  
24 both answers, all the above. It gives me kind of a  
25 framework to think about it. I think about other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generalizations, too, like, for example, if you plunk  
2 in a sampling, well, how do you know where you are?  
3 So there's lots of other interesting questions that  
4 factor into that general category. So that's helpful.

5 And I guess I was anticipating what's  
6 coming up next in terms of when is a simplification  
7 okay and when not. So on we go.

8 Thank you.

9 DR. NICHOLSON: Okay.

10 MR. GISH: Tom?

11 DR. NICHOLSON: Yes?

12 MR. GISH: When you're done there, can you  
13 give me a call?

14 DR. NICHOLSON: Yes.

15 MR. GISH: A call back?

16 DR. NICHOLSON: I'll definitely give you  
17 a call.

18 MR. GISH: Okay. Do you want me on the  
19 phone still? Or should I just --

20 CHAIRMAN RYAN: You know we might have  
21 some general questions. If it's okay, if he doesn't  
22 mind staying, that would be great.

23 MR. GISH: I'm sorry?

24 DR. NICHOLSON: He would like you to stay  
25 on the line.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: If you don't mind staying.

2 MR. GISH: Okay. Sure, sure.

3 DR. NICHOLSON: Okay.

4 Jim?

5 MEMBER CLARKE: Yes, let's just take one  
6 or maybe two more questions and then move on to Yakov.

7 DR. NICHOLSON: Okay.

8 MR. HAMDAN: Yes, Tim, my name is Latif  
9 Hamdan. I don't think I know you.

10 But there are many things that I  
11 understood from your presentation. But there are some  
12 things that I did not quite understand.

13 One thing I don't understand is the title  
14 of the presentation on Slide 3. You are talking about  
15 optimizing the production inputs for economic and  
16 environmental enhancement.

17 And just so that I may understand, can you  
18 tell us when you have optimization, you usually have  
19 an objective function. Can you tell us what the  
20 objective function is? And then what variables you  
21 are controlling in order for you to get, you know, the  
22 optimal for the object function that you have?

23 If you explain that maybe I'll have some  
24 more insights.

25 MR. GISH: Okay. Maybe I need to rephrase

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the question. You want to know what processes, what  
2 we're holding constant in order to develop techniques  
3 to optimize? Is that your question?

4 MR. HAMDAN: First of all, I want to make  
5 sure that you are optimizing but really the question  
6 is what is the objective function in this case?

7 MR. GISH: Okay. Well, I'm not -- I'm  
8 still -- I think we've got semantics here. I'm not  
9 really -- people look at objective functions  
10 differently so I guess I'm not really sure what the  
11 question is still. I'm sorry.

12 DR. NICHOLSON: Tim, we'll let Craig try  
13 to answer the question. Craig?

14 MR. GISH: Okay.

15 MR. DAUGHTRY: We're trying to look at  
16 several different agriculture production systems and  
17 whether we're using uniform application rates of  
18 chemical fertilizers, using our best management  
19 practices, or uniform applications of animal manures,  
20 or site specific applications of chemical fertilizers.

21 And what we're using is yield as one of  
22 our factors, grain yields. We're also looking at --  
23 not just at the economic impacts but also some of the  
24 environmental consequences. And we're trying to kind  
25 of balance for different production systems here is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what it amounts to.

2 I don't think we actually have a real good  
3 optimization scheme there. We're essentially  
4 evaluating three different management scenarios.

5 MR. GISH: Maybe I could add one thing to  
6 this, too. You know there's a couple of things that  
7 we are trying to look at. And Craig was talking about  
8 yields. But we're also looking at inputs.

9 And so, for example, on one of the  
10 watersheds, it's what we typically refer to as a site-  
11 specific application practice. And what happens there  
12 is on that particular site, we are using a knowledge  
13 of the subsurface flow pathways and various soils maps  
14 and things like that and past history and yields to  
15 actually develop an algorithm to tell us how much  
16 nitrogen to apply.

17 And one of the big factors there is these  
18 subsurface flow pathways. And what happens is -- is  
19 Craig will have to correct me on this -- but I think  
20 we've applied about what, about 60 percent of what we  
21 are everywhere else for nitrogen, is that about right  
22 Craig?

23 MR. DAUGHTRY: Yes, that's correct.

24 MR. GISH: And yet the yields are the  
25 same. In fact, even one year it was higher than the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 others which we don't understand that one. But we're  
2 actually able to with the knowledge that we have here  
3 of the hydrology, we're actually able to minimize  
4 inputs and have the same output, i.e., the same  
5 yields, no detrimental impact on yields.

6 So it allows us to actually use that  
7 information to optimize the inputs. So that might  
8 come in to one of your functions as well.

9 MEMBER CLARKE: Okay. Thanks, Tim. I  
10 think we really need to keep moving.

11 DR. NICHOLSON: Okay.

12 MEMBER CLARKE: We need to stay on  
13 schedule.

14 So, Yakov, please.

15 DR. NICHOLSON: Yakov?

16 DR. PACHEPSKY: Thanks for this  
17 opportunity to present these results and this project.  
18 It's a collaborative work with Ralph Cady, Tom  
19 Nicholson from the Nuclear Regulatory Commission, and  
20 a group of people from UC-Riverside. And two of us  
21 are from USDA/ARS.

22 The outline of the talk is why we'll be  
23 doing this and a little bit about the review of the  
24 model abstraction techniques. Then a few case studies  
25 for soil-water flow in a humid region. And what did

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we learn so far.

2 Why should we be looking at model  
3 abstraction? There are three reasons for that. We  
4 have increasing evidence that we may have multiple  
5 models with similar accuracy. The reason is that the  
6 complexity of the flow and transport pathways that we  
7 saw in the previous talk and they're easily perceived  
8 but they're very difficult to represent in  
9 mathematical terms without making strong assumptions.

10 Always there are assumptions. And it  
11 leads the result that there may be several models with  
12 completely different conceptual representation of this  
13 complex subsurface process which will give you the  
14 same accuracy. And this is something which is  
15 observed in many modeling field applications.

16 In hydrology, it's just a change of  
17 paradigm. But in other fields, the existence of the  
18 models which have very different complexity and  
19 strikingly different complexity and similar accuracy.  
20 It's almost commonplace. You can find it in marine  
21 biology, in population ecology, in economic  
22 projections, in weather, in many fields where modeling  
23 is applied.

24 And of course there is increasing evidence  
25 that the difficulties in populating and writing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 complex models are mounting. And sometimes they  
2 become basically unsurmountable.

3 Well, if it looks like the complexity of  
4 the model is not inexorably linked to its accuracy,  
5 then we might look for the simplification of the  
6 models.

7 Where does this term come from  
8 essentially? The model abstraction is a methodology  
9 for reducing complexity of simulation model while  
10 maintaining validity of this model. With respect to  
11 the question that this model is used to address, the  
12 logic behind this that there may be reasons or  
13 rationales to simplify.

14 Mostly there are three groups of them  
15 probably. One of them is contextual or regulatory  
16 limitations. There may be limitations in data  
17 resources or other resources. And also there may be  
18 a quest for the transparency.

19 The limitations in terms of the regulatory  
20 or contextual limitations, they basically mean that  
21 you have relayed the model not in terms of all things  
22 that it predicts but in terms of some things which are  
23 of interest for the specific application or specific  
24 judgment.

25 Then the limitations in resources usually

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 often mean that it's a method of populating a model  
2 that you have problems with. And the transparency, of  
3 course, it's the method of communication.

4 So how can you communicate your model so  
5 that the people who will decide on the results will  
6 actually understand what are you doing?

7 Why this process may be important and  
8 useful for this Agency? First of all, the simplified  
9 models reflect the essential components and processes  
10 of complex natural systems. So then your user is  
11 focused on the most important component or processes.  
12 And therefore in the site investigation and data  
13 collection, they also omit -- can omit insensitive  
14 processes.

15 The simplified models are easier to  
16 understand and communicate. They are easier to run,  
17 test, compare, and verify. And also if the model  
18 abstraction is done in a systematic and comprehensive  
19 manner, if you formalize a process to allow a  
20 simplified model to be justified from the proper data  
21 for a specific site.

22 And this work is done in Agricultural Soil  
23 Service so this type of work is also important for our  
24 purposes. One of the reasons is that the models in  
25 our Agency are actual tools to integrate the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 knowledge, accumulate it in research, and deliver it  
2 to the end users. It's essentially a way to package  
3 knowledge.

4 And in this case, the simpler models are  
5 easier to understand and to communicate. There is a  
6 steep learning curve which sometimes we really need to  
7 avoid or want to avoid.

8 It relates parameters to the publicly-  
9 available databases. And simple models are easier to  
10 run.

11 So there is a lot of overlap between the  
12 two interests. And that's why this project is done  
13 with this interagency agreement.

14 And I must say that there was a systematic  
15 research on the model abstraction. It probably  
16 started in the early '80s. And people in different  
17 fields of modeling application, they were doing this.

18 This is the most probably comprehensive  
19 scheme which was done in the Department of Defense  
20 with their battlefield simulations.

21 They identified basically three big groups  
22 of modeling techniques -- model abstraction  
23 techniques, I'm sorry, the model boundary  
24 modification, the model behavior modification, model  
25 form modification. And actually I'm not going to go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into these details because it's really a rich field.

2 What we did actually we tried to see what  
3 kind of model abstraction or model simplification  
4 techniques are available for today to be used in flow  
5 and transport. Essentially it was a big review. We  
6 didn't invent anything by ourselves.

7 We were looking at simplifications by the  
8 number of processes which are considered explicitly,  
9 process descriptions, spatial discretization or scale,  
10 if you wish, temporal scale, the number of  
11 measurements needed to estimate parameters of the  
12 models, computation speed, and also data pre-  
13 processing and post-processing, which sometimes takes  
14 up to 80 percent of the whole effort on modeling.

15 We found numerous techniques that are  
16 applicable and have been applied to flow and transport  
17 in variably situated soils and rocks. This is just an  
18 example from many but it's a graphical example so I  
19 kind of brought it here.

20 We are looking at using the predefined  
21 hierarchy of models. And this is the way how the  
22 subsurface material or media is schematized for  
23 simulation purposes.

24 The most complex is when they have  
25 discrete fracture with matrix. And then a little bit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 small -- simpler, sorry, if you have discrete  
2 fractures without matrix. And then you have the dual  
3 permeability systems with matrix and fracture.

4 An even simpler way to look at it is just  
5 dual porosity and matrix and fracture. Then you may  
6 have equivalent matrix and fracture, which is even  
7 simpler, single continuum, and finally the water  
8 budget. It's like a bucket with which you pour water  
9 and if there's too much water, it flows out.

10 So the complexity goes in this direction.  
11 Model abstraction will go in opposite direction. The  
12 question will be okay, at which stage we can stop  
13 simplifying and still be able to represent the main  
14 features of what we see?

15 I think I'll spend most of my time just  
16 telling about this model abstraction case study. What  
17 we wanted to do, we wanted to understand how model  
18 abstraction can effect assessment of contaminant  
19 transport or migration if you wish at a relatively  
20 humid site where transport may be effected by the  
21 presence of soil macropores and related preferential  
22 flow phenomenon.

23 This is the general layout of the site.  
24 The site was selected in Belgium. And the reason we  
25 actually selected this one was that we wanted to have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 an exhaustive database so that there would be no  
2 question of absence of data for any complexity of  
3 model which is applicable here.

4 So what happened here there was a trench  
5 dug about an eight-meter trench and about a meter and  
6 a half deep. And sensors were placed along this  
7 trench in 12 positions at five soil depths. And  
8 sensors were to measure the soil water content, soil  
9 matrix pressure, so the driving force of the water  
10 flow, the solute concentrations, temperature, and --  
11 yes, that was basically the sensors were doing that.

12 So all this set up was based on this loam  
13 soil which became a silty loam at the depth. And the  
14 grass actually was removed and the gravel was put on  
15 the top so that the influence of the plants was  
16 excluded for these experiments. And those Swedish  
17 boxes were sending continuously the information to the  
18 central site.

19 We also put there -- not we, the people  
20 who were doing this -- they put passive capillary  
21 lysimeters. It's a new family of devices which are  
22 very useful because they actually allow to measure  
23 fluxes. The problem of the Anser-Torwegge zone, which  
24 we are actually focusing here, is that it's very  
25 difficult to measure flux, water or chemical.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           You can measure concentrations, no  
2 problem. Flux is a difficulty. It's not the case in  
3 groundwater. But it is the case here.

4           So this family of passive capillary  
5 lysimeters now we have commercial production of them  
6 here in the United States. The Pacific Northwest  
7 National Lab designed them.

8           But what it is essentially it's a plate at  
9 which you have weaks. And those weaks would support  
10 the same type of tension to soil water as soil  
11 supports. And, therefore, the fluxes which are  
12 collected here in these plates, they're comparable  
13 with the fluxes we are having in soil.

14           And this is just the laboratory situation  
15 when they were actually assembled. And then they were  
16 put into the soil so we actually could measure fluxes.

17           So this is an overview of the database  
18 which was collected during 384 days. The variables  
19 were water content, concentrations, soil pressure, and  
20 temperature, fluxes, and, of course, rainfall. So we  
21 have over 400,000 measurements.

22           So this is the example of soil water  
23 dynamics over one month. So this is the trench. And  
24 the distance along the trench. This is the depth.

25           And this simple animation shows that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have an extremely complex system there which  
2 nevertheless has some persistence in it so that the  
3 places where they are staying wet, places which are  
4 staying dry. The flow of events are changing this but  
5 at the same time, there is some kind of continuity.

6 So now I'm going through several snapshots  
7 of the data. This is the precipitation which  
8 basically shows that it was a wet year. And it was a  
9 wet year even for Belgium. So it was real wet. This  
10 event was the record for 65 years.

11 Altogether there was about 100 centimeters  
12 of cumulative rainfall. It's not what you can have  
13 where you live.

14 I just wanted to show the soil water  
15 fluxes because this is unique information when you  
16 actually can have flux, not the concentration.

17 And this is done at 15 centimeters with  
18 this passive lysimeter. This is 55 centimeters with  
19 this passive lysimeter. And this was computed using  
20 the methodology developed in ARS at BNNL that got work  
21 together. So we had these fluxes at three depths.

22 So the model abstraction is a  
23 simplification with preserving validity with respect  
24 to the question to be addressed. So what is the  
25 question?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We wanted to estimate the cumulative  
2 fluxes, water fluxes at capillary sampler depth over  
3 four drying-wetting cycles. So there was the first  
4 one, the second one, third one, and fourth one. So  
5 it's the wetting phases. And then it dries.

6           This is the water content at 15  
7 centimeters which basically shows well how the soil  
8 water dynamics was developing.

9           This is a 3D picture which would show how  
10 actually we designed this model abstraction. The  
11 arrows here will show the simplification. So we had  
12 the process description abstraction when we had this  
13 Richards equation, which is the continuous description  
14 of soil water flow. And we also had the simpler one  
15 with just the water budget.

16           In terms of the parameter source  
17 abstraction, we were moving from the inverse modeling,  
18 which needs the exhaustive dense field data to fine  
19 tune the model, to the laboratory measurements where  
20 they have one field campaign and then laboratory  
21 measurements of hydraulic properties of soil or  
22 sediment.

23           And finally to the pedotransfer functions  
24 which are essentially the empirical equations to  
25 estimate soil hydraulic properties relevant to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 transport from basic soil properties which are  
2 available let's say from soil survey like soil  
3 texture, organic matter, bog density.

4 And finally we put here the soil material  
5 abstraction so we were looking at the layered soil and  
6 single soil material. So three directions of  
7 simplification.

8 So we used the publicly-available software  
9 here for the both of them. And each of those figures  
10 shows 50 Monte Carlo simulations to estimate  
11 uncertainty. The reason is that if you want to have  
12 anything telling us about the risks and about the  
13 statistical differences about probabilistic pressures  
14 or thresholds, then we need to do the Monte Carlo  
15 simulations which were done.

16 And now I'm going to go through two  
17 examples of steps, actual steps that were done  
18 everywhere here. But one step was here. We were  
19 doing the inverse modeling from the complex model,  
20 which is Richards equation to the water budget model,  
21 which is a simple one.

22 This is water content at two depths.  
23 Symbols are data, lines are simulations. And if you  
24 look at this picture, there's no surprise. The more  
25 complex model does a much better job in reproducing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the water dynamics if you compare this one with one or  
2 this one with this one.

3 The surprise comes when we are trying to  
4 look at the fluxes. And fluxes, that's what we are  
5 interested in. That was pulled as a question for the  
6 model abstraction. And realistically if you want to  
7 know how a chemical moves, you need to know fluxes.

8 The red here is this mechanistic model.  
9 And it does an extremely poor job in estimating fluxes  
10 at all depths. This is one to one line. And the  
11 simple water budget model does well whereas the  
12 mechanistic model just fails.

13 There is some reason for that. The reason  
14 is that the mechanistic model is fitted to the water  
15 content data. So what it wants, it wants to fit water  
16 content data and to do this, it says okay you need to  
17 have surface runoff in this case. And then it gives  
18 you this a great fit.

19 Actually there was no surface runoff  
20 observed on the site at all. So the water budget  
21 model, which does require any runoff, it gives a  
22 fairly decent answer. Besides, what it does it helps  
23 you in terms of the sanity check. You actually can  
24 see what you're more complex model is doing and  
25 whether it's doing anything weird.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Another example from the parameter source  
2 abstraction is this pedotransfer function thing. When  
3 we go from the parameters estimated in the laboratory  
4 to the parameters estimated from basic soil  
5 properties, which is essentially a free ride, you  
6 don't measure anything. You have basic soil  
7 properties and then you just estimate parameters.

8 So what is done here is we use this  
9 ensemble parameter prediction which is -- ensemble  
10 modeling is very common in meteorology and later it  
11 comes to other fields.

12 So we didn't use always one pedotransfer  
13 function, which is often done and is completely wrong  
14 because there is no way to prove that the empirical  
15 equation which pedotransfer function is, developed at  
16 some site, will work at another site.

17 But if you use the ensemble of them, and  
18 the ensemble here was collected from -- this one was  
19 done in Australia, this one in the United States, this  
20 one in Hungary, this one in France, this one in  
21 Scandinavia, so using ensemble removes outliers and  
22 gives you a realistic envelope.

23 And this actually is shown here. The dots  
24 are field data. And the pedotransfer functions don't  
25 really fit them but what they create, they create a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fairly reasonable uncertainty envelope in which we can  
2 then use Monte Carlo simulations to see what kind of  
3 spread we can have.

4 And this is the error in terms of the  
5 water contents. And this is the probability. So it's  
6 the probability solution and errors. This is the  
7 laboratory data which are presumably more precise.  
8 And this is the pedotransfer functions. Then symbol  
9 of pedotransfer functions which gave much smaller  
10 errors.

11 So in this case, simplification actually  
12 also gives you a gain because you still have an idea  
13 about the possibility in the result but at the same  
14 time, you have a better representation of the outcome.

15 And in terms of the fluxes which we are  
16 interested again, both models perform the same. There  
17 is no difference, statistical difference in the  
18 results of more complex or less complex model.

19 So what did we learn so far? First, that  
20 there is a wide variety of efficient model abstraction  
21 techniques that may be applied to containment  
22 hydrology problems. And people are actually applying  
23 them so it's not something which just sits on the  
24 shelf and waits to be applied. Here and there we see  
25 applications.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The model abstraction should be performed  
2           in the uncertainty context. What essentially it means  
3           that we need to have probabilistic simulations, Monte  
4           Carlo-type simulations. And then actually we can  
5           compare models and prove that the simplification is  
6           possible.

7           The issue of this conservatism versus  
8           realism, which pops up here and there, well our  
9           approach to conservatism must not invalidate  
10          abstraction. The observable metrics still have  
11          reproduced with a simple model. It is clear.

12          Results underscore the importance of the  
13          question to be addressed in applying the model  
14          abstraction process. The question we kind of put  
15          forth was flux. And we saw that if the model is fit  
16          to the other variables which are easier to get, like  
17          water contents, we may have the completely wrong  
18          answer.

19          Model abstraction results indicate the  
20          pitfalls that may occur when following inverse  
21          modeling. And inverse modeling becomes more and more  
22          popular. So we actually will see more and more of it.  
23          The more parameters that are there, the more difficult  
24          to understand their physical meaning though.

25          Now the simple water budget model, it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 worked no worse than the mechanistic flow model with  
2 respect to water fluxes at the coarse-time scales.  
3 Actually it worked no worse at the fine-time scales,  
4 too.

5 So the issue of time scale, we didn't  
6 include it directly in this talk but we checked time  
7 scales and we are getting the same results.

8 Laboratory-measured hydraulic properties,  
9 we are not superior to the pedotransfer function  
10 properties when considering uncertainty. And the  
11 spectrum of pedotransfer function gave a good  
12 presentation of uncertainty in hydraulic properties.

13 I didn't talk here about one more approach  
14 that we tried using neural networks to mimic the  
15 formulas of the complex model but it is a promising  
16 direction of model abstraction, metamodeling, so  
17 that's one more thing which actually can be used.

18 And then what we think, at least what we  
19 understand, who should know about this? Well,  
20 probably the licensing staff. And there are questions  
21 do models submitted to support licensing actions  
22 adequately represent the site? And do the  
23 investigation adequately characterize the important  
24 features, events, or process for the site?

25 And managers, if there are requests for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 additional information, do they target the sensitive  
2 site parameters? And then the licensees, can the site  
3 be adequately represented by a simple model that is  
4 easy to understand and communicate to people who are  
5 -- we'll decide on that.

6 Thank you for your attention.

7 DR. NICHOLSON: Thank you.

8 MEMBER CLARKE: I think we have time for  
9 a few questions. Bill?

10 MEMBER HINZE: Let me ask you. What we've  
11 seen here is at the most a three meter depth. We saw  
12 that on the Beltsville site. And you've been showing  
13 us a half a meter or so. So we're looking at the A  
14 and B zone, I assume. Do you still use that  
15 terminology in soils? A and B zones and so forth?

16 DR. PACHEPSKY: Not that I know of but --

17 MEMBER HINZE: Okay. Well, my soils  
18 course was unfortunately 40 years ago.

19 What happens at depth? How does all of  
20 this modulate with depth?

21 DR. PACHEPSKY: From what we know, soft  
22 sediments behave more or less the same way. You may  
23 have scale events so that --

24 MEMBER HINZE: Unconsolidated materials?

25 DR. PACHEPSKY: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: Granular materials and  
2 silt-size fraction and up?

3 DR. PACHEPSKY: Yes.

4 MEMBER HINZE: Okay.

5 DR. PACHEPSKY: You may have scale events.  
6 Essentially you may have the increase in dispersion of  
7 material and increased dispersion of fluxes just  
8 because a particle which enters this media experiences  
9 more and more heterogeneity as it goes along the  
10 pathway. So you may have more dispersion.

11 But mechanisms, from what we know, are  
12 essentially the same.

13 MEMBER HINZE: Essentially the same? As  
14 long as you have those unconsolidated sediments.

15 DR. PACHEPSKY: Unconsolidated --

16 MEMBER HINZE: Because that's very  
17 important in terms of investigating the flow  
18 characteristics at depth which often are quite  
19 important in terms of the sites that the NRC has in  
20 lock.

21 DR. PACHEPSKY: Yes.

22 MEMBER HINZE: Let me ask you another  
23 question if I might, Yakov. I see processes being  
24 coupled all the time and -- within the earth -- and  
25 I'm wondering how much your abstracted models take

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into account the coupling of processes and parameters  
2 that I know must be going on in this zone that you're  
3 looking at? How do you take those into account? And  
4 are there feedback loops on them and so forth? Where  
5 do you get into that?

6 DR. PACHEPSKY: The issue is to have main  
7 feedbacks included, preserved. There are things which  
8 we cannot remove.

9 The simple example actually was given by  
10 Tim in the previous talk so I just want to refer to  
11 it. He was talking that okay, if you have these  
12 preferential pathways, then our knowledge about the  
13 chemical absorption or equilibrium may not work  
14 because the transport is so fast that no interaction  
15 may occur.

16 MEMBER HINZE: Yes.

17 DR. PACHEPSKY: So these type of things  
18 have to be listed and essentially taken into account.  
19 This is something we cannot avoid.

20 So even in simplification of the water  
21 transport in the simplest way, when we're going to  
22 this bucket model, so we have the transporting part  
23 and the non-transporting part.

24 We need to make sure the kinetics of the  
25 chemical equilibrium have to be preserved. This is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 something which we cannot throw out.

2 But there are things which may be not  
3 important. For example, the explicit description of  
4 preferential pathways, which we could see in the  
5 previous talk, they may be not important because we  
6 are actually not -- we may not be interested in  
7 pinpointing them physically but we may be interested  
8 in knowing how they work, what's the function of them.

9 So we may be interested in function. And  
10 we may kind of omit description of structure. So we  
11 may have --

12 MEMBER HINZE: Thank you very much. I  
13 could follow up that. But please, go ahead.

14 MEMBER CLARKE: Okay. Allen?

15 VICE CHAIRMAN CROFF: Let me try  
16 something. I don't know if this will make sense or  
17 not. But what I think I'm hearing is research that  
18 leads to a lot of -- I'll call it lessons learned or  
19 insights maybe as to how the licensing staff or an  
20 applicant should or should not do their -- I'll call  
21 it performance or hydrological modeling. But it's  
22 very complicated. There's a lot of things being  
23 considered going on here.

24 Do you somehow distill the key insights  
25 and lessons at various intervals, continuously in some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 kind of a form?

2 DR. NICHOLSON: Yes. There are a couple  
3 things that I probably should make a little clearer.

4 First of all, the work that Yakov is doing  
5 for us, we first wanted -- we asked the question  
6 everybody talks about model abstraction. But most  
7 people don't understand it can be done in a systematic  
8 way.

9 We've gone -- and as Yakov says, we've  
10 gone to the literature. We've seen what the  
11 Department of Defense and other people have done with  
12 regard to model abstraction.

13 He's applied it to a small scale trench  
14 study in Belgium with exhaustive detailed data.  
15 Yakov, Adion, and Andrey are now modeling the OPE3  
16 site that Tim Gish talked about earlier. By doing  
17 that, we are then imparting these insights to the  
18 licensing staff.

19 Last June, we took the licensing staff out  
20 to the Beltsville site. They walked the site. They  
21 saw all the sensors, the technology. Yakov and Tim  
22 gave presentations last summer. Yakov came into our  
23 training center last summer and went through this.

24 Yes, we are taking into account the  
25 insights. Some of the ideas is do you have to do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 detailed, three-dimensional, highly detailed real time  
2 modeling? And the answer is no. You may not have to.

3 If you don't want to do the detailed,  
4 incredibly exhaustive mechanistic models like he was  
5 describing using HYDRUS, then what other approaches  
6 could be warranted that would be just as accurate and  
7 would comply with your knowledge?

8 And so a water balance approach that Yakov  
9 was describing developed at PNNL, by Glenn and his  
10 colleagues, can work just as well.

11 So we are learning from his application  
12 two field sites that have incredible detailed data to  
13 understand how much uncertainty are you imparting by  
14 simplifying and using much simpler models. And that's  
15 what we're trying to accomplish here.

16 VICE CHAIRMAN CROFF: Okay. Thanks.

17 CHAIRMAN RYAN: Jim, just a quick comment  
18 and to sum up on that point, Tom, you know this is  
19 exciting to me because it's a very systematic way to  
20 look at a long-standing question I've had for a long  
21 time which is when am I done --

22 MEMBER CLARKE: Yes.

23 CHAIRMAN RYAN: -- on modeling? And I  
24 think is a real approach to getting at that.

25 Yakov, you answered many of my questions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in your presentations. So thank you for a very  
2 informative set of talks. It was great -- great  
3 information and it's clearly going to be, you know,  
4 powerful.

5 Now that being said, what's the next step?  
6 Where do you go from this level of research? Are you  
7 going to look at different sites? Or different kinds  
8 of geohydrologic regimes? Or what's next?

9 DR. NICHOLSON: Well, one of the things  
10 that Yakov has pointed out in his talk that we're  
11 learning from is you may not have to do the incredible  
12 detailed site investigations that a lot of people  
13 thought. And so, therefore, we're looking at these  
14 publicly-available databases.

15 He mentioned Rawls and Brackenseik  
16 developed over at Beltsville. But throughout the  
17 world, people are developing this soil textural-based  
18 databases. They're an excellent place to begin to  
19 populate your models to do primary estimation. So  
20 that's the first issue.

21 So we want to impart to the staff this  
22 knowledge of how to populate models. He mentioned  
23 inverse modeling. The PES code, developed by John  
24 Daughtry in Australia and other people, they think  
25 that that has to be used. And it becomes very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 difficult because you have the detailed field data to  
2 use those inverse models to come up with parameters.

3 Now Mary Hill and other people are a very  
4 strong advocate of those. And I didn't want to get  
5 into too much detail. But Yakov every month  
6 participates with us on a Working Group II on  
7 Uncertainty. It's part of the MOU we've talked to you  
8 about before.

9 So there is a very interesting dynamic  
10 going on in the technical community that we have  
11 people from the USGS, EPA, all the federal agencies,  
12 about nine of us now. And Yakov every month brings  
13 these lessons to us and tells us what he's doing.

14 The answer to your question is yes. We do  
15 want to move on to other sites. You mentioned the  
16 Hanford site. Phil Meyer and Shlomo Newman, who  
17 talked last year that you people were impressed with  
18 their uncertainty analysis, they're communicating with  
19 Yakov. They're going to be modeling the 300 area at  
20 Hanford. So we can bring that information in to bear.

21 So yes we do want to move forward with  
22 this. But the most important thing is to help people  
23 like Mark Thaggard, our users, to bring these insights  
24 so we always have training courses here for the staff  
25 and, when possible, have field trips also.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So hopefully that answers your question.

2 CHAIRMAN RYAN: Yes, that's very  
3 important. We'd like to track along with you at  
4 appropriate intervals when we could have these kinds  
5 of informative updates.

6 DR. NICHOLSON: Okay.

7 CHAIRMAN RYAN: But it seems clear to us  
8 that as in the past that this research is very much  
9 aimed at supporting staff decision making and in  
10 making it in a risk-informed and highly-qualified way.

11 So congratulations and thanks for being  
12 here.

13 DR. NICHOLSON: Thank you.

14 MEMBER CLARKE: Let me turn it back to  
15 you.

16 MEMBER WEINER: And my questions were  
17 already answered by Tom. Thank you.

18 MEMBER CLARKE: Okay, great.

19 DR. NICHOLSON: Thank you.

20 MEMBER WEINER: Before I even asked.

21 CHAIRMAN RYAN: With that being said, if  
22 there are no other questions from staff or comments --  
23 Neil? Yes?

24 MR. COLEMAN: Very good presentations.  
25 Here you're looking at characterizing natural sites

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       albeit agricultural sites that do have an upper  
2       disturbed zone from plowing and tilling.

3                   Is one of the outcomes of this research  
4       going to be insights for the design of artificial  
5       covers say for low-level waste sites where you have a  
6       certain amount of control over the layering and types  
7       of materials that will be used?

8                   DR. PACHEPSKY: Frankly, we didn't look at  
9       it. I would think that some issues definitely are the  
10      same. Not everything because here we don't have any  
11      control.

12                   But the issues of selecting the important  
13      processes to look at, using genetic information, using  
14      information from other -- experience from other sites  
15      so that you don't lose anything here, they stay.

16                   Models definitely will stay because it's  
17      the same set of models which is used with artificial  
18      soils that are used here. And actually Andrey Guber  
19      who is working on this project, his previous project  
20      was with the artificial soil layers on the sports  
21      fields though.

22                   So I think it's not directed to that. But  
23      there are useful things. That's my impression.

24                   DR. NICHOLSON: To answer your question,  
25      Neil, Jake Phillip at our branch has a interagency

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 agreement with the Army Corps of Engineers. And one  
2 of their consultants, Craig Benson from the University  
3 of Wisconsin at Madison, recently came in and gave us  
4 a lecture on looking at clay covers and things of that  
5 nature.

6 So we can, at another time, talk to you  
7 about that. But we have the viewgraphs.

8 The answer to your question in a very  
9 short way is yes. It is extremely important how you  
10 create these composite covers and the layering, the  
11 soil cover, all those issues.

12 So the work that we talked about with  
13 Gish, Tim Gish, the antecedent moisturing condition is  
14 extremely important. The layering is extremely  
15 important. The thickness, the role of the vegetation,  
16 all that becomes extremely important.

17 And how you go about modeling it is a  
18 question that Craig Benson and other people have asked  
19 with regard to simple water budget models may be just  
20 as appropriate as detailed mechanistic because you  
21 can't find the parameters to populate it without doing  
22 detailed monitoring.

23 MR. COLEMAN: So is there any cross-  
24 pollination between these projects, to use an  
25 agricultural term?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. NICHOLSON: Yes. It isn't -- it's  
2 through a group called the -- there's a technical  
3 advisory group that the NRC staff has formed. It's  
4 the Groundwater and Performance Monitoring Technical  
5 Advisory Group in which Research and NMSS staff meet  
6 on a regular basis.

7 And a lot of people in the audience here  
8 are from that group because we wanted them to take  
9 advantage of hearing these two gentlemen talk. And we  
10 are communicating back and forth between other  
11 contractors, the Corps of Engineers, or wherever.

12 CHAIRMAN RYAN: Thanks, Neil.

13 We'll probably need to end our discussion  
14 there as we've got to set up for the next  
15 presentation. And stick to our schedule.

16 Again, gentlemen, thank you very much. It  
17 was a very informative session. And we'll look to see  
18 you again in the future.

19 Thank you very much.

20 (Whereupon, the foregoing matter went off  
21 the record at 2:38 p.m. and went back on the record at  
22 2:43 p.m.)

23 CHAIRMAN RYAN: All right. If we could  
24 ask everybody to take their seats, we will reconvene,  
25 please. Our next presentation is the NMSS Office

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Director semi-annual briefing. Jack Strosnider is  
2 here with his staff. I'll let him do the  
3 introductions and lead us into the discussion.  
4 Welcome and thanks for being with us.

5 MR. STROSNIDER: Okay. Thank you. I  
6 appreciate the opportunity to be here today.

7 9) NMSS OFFICE DIRECTOR SEMI-ANNUAL BRIEFING

8 MR. STROSNIDER: As you indicated, I  
9 brought some help along. At the table with me, I've  
10 got Bill Reamer. He's the Director of the Division of  
11 High-Level Waste Repository Safety. Charlie Miller at  
12 the end down there is the Director of Division of  
13 Industrial Medical Nuclear Safety. We've got Paul  
14 Harris, Section Chief in the Spent Fuel Projects  
15 Office; and Scott Flanders, who is Branch Chief in the  
16 Division of Waste Management and Environmental  
17 Protection; and Bob Pierson, Director of Fuel Cycle  
18 Safety and Safeguards.

19 What I am hoping to do today as much as  
20 the presentation is to walk us through some of the  
21 areas in which these have expressed interest in and  
22 that we have interest in and we can have whatever  
23 dialogue you're looking for in those areas.

24 The subjects or the areas that I want to  
25 cover, I want to do a little follow-up on some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meetings that NMSS management had with Dr. Ryan and  
2 John Larkins and ACNW staff. We want to talk about  
3 status of some specific issues that we got feedback  
4 you're interested in. I want to cover some of the new  
5 program development since our last meeting. And then  
6 I want to touch on some highlights of the February  
7 15th waste and March 7th materials briefings that we  
8 gave to the Commission.

9 Before I start on those, though, I just  
10 wanted to say something about our relationship and our  
11 interactions and the value of that. And basically I  
12 want to acknowledge the value.

13 I think historically ACNW and NMSS have  
14 had a very good working relationship. We're looking  
15 forward with the new members to continuing that. I  
16 know since I have taken over as office director now  
17 almost about ten months ago, that was one of my high  
18 priorities. I know that Mike as chairman shares that.  
19 We have been reading periodically. I'll talk a little  
20 more about that.

21 We think it's important that the staff  
22 acknowledge ACNW's role in providing the Commission  
23 independent and objective input and advice on their  
24 actions. And we do recognize that.

25 It's important also, though, that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recognize the need to support you in that effort. We  
2 want to do that. We want to make sure that we get the  
3 right information to you in the right time frame so  
4 that you can use that in fulfilling your mission.

5 I think a good example of that came up in  
6 your briefing this morning when Commissioner  
7 Merrifield talked about disposition of solid waste and  
8 anything to make sure you were able to provide them  
9 timely input. We need to communicate and coordinate  
10 on those sorts of activities.

11 Having said that, recognizing your role  
12 and the importance of our supporting it, I want to  
13 point out that we get a lot back in return, too. So  
14 it's not that unselfish because I think the technical  
15 insights and the other insights that you provide in  
16 our meetings with you and the feedback you give us  
17 helped improve the technical quality of our products  
18 and our programs. And so we highly value that. We  
19 think it really adds a lot to the programs, and we  
20 appreciate that.

21 So, having said that, I think one of the  
22 important things in maintaining this sort of  
23 cooperation and helping each other out is  
24 communications. And I think it's important both in  
25 our planning -- I'll talk a little bit more about that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 -- and in our presentations when we meet with you that  
2 we give you clear information.

3 In that regard, if I could go to the first  
4 slide? We have started some periodic meetings. I  
5 want to talk about this, the importance of the  
6 communication.

7 I mentioned that Dr. Ryan met with myself  
8 and Margaret Federline, the Deputy Director in NMSS;  
9 our staff; and ACNW staff. We have had several of  
10 those meetings now. Those are extremely important in  
11 terms of our sharing information in terms of what  
12 you're interested in and what we think is important  
13 also to keep you filled in on.

14 So we have been doing that. And what we  
15 agreed to at our last meeting on that subject, which  
16 was February 22nd, was that we would do that  
17 quarterly. I think in terms of follow-up actions,  
18 that that is one of the most important things that we  
19 need to maintain.

20 There are weekly meetings of staff  
21 occurring. Sam Jones from NMSS meets with Sharon  
22 Steele and Mike Lee of ACNW staff. I think at least  
23 I can tell you Sam is doing a good job keeping us  
24 informed of what information is coming to him in terms  
25 of your interest and needs.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So I think we've got a good conduit there  
2 to get that information to us and are encouraged to  
3 use that. So we've got those weekly meetings plus the  
4 quarterly meetings and then planning meetings and, of  
5 course, whatever we need to get together.

6           So my main message coming out of this is  
7 that I think those meetings are extremely important.  
8 And as far as follow-up actions, we just need to keep  
9 those going.

10           We get into specific discussions there  
11 about technical issues and also planning the calendar,  
12 agreed to work with this, put together the six-month  
13 rolling calendar now. And, actually, I guess we've  
14 got an annual but a six-month rolling that helps us  
15 plan our interactions.

16           When I look at -- another thing that we  
17 talked about at the last meeting was some thought on  
18 our part of integrating the activities we have with  
19 your Committee into our operating plans.

20           Our operating plans are what drive some of  
21 our day-to-day activities. They feed into our  
22 performance and strategic plans. And so we're looking  
23 at that possibility. It hasn't actually happened yet  
24 across the board, but it would help and perhaps  
25 improve connectivity and make sure that we keep things

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tracked properly.

2 The most important issues on NMSS' plate  
3 that ACNW can help with, what I wanted to point to  
4 here was the list of issues that we presented at the  
5 Commission briefings on waste and materials. And we  
6 can make those available to you, but there's a pretty  
7 long list there.

8 And it includes things such as waste  
9 incidental reprocessing; the potential high-level  
10 waste repository, including Part 63; decommissioning  
11 of complex sites; ICRP recommendations; fuel cycle  
12 facilities, such as mixed oxide, where you have  
13 already had the work with ACRS and you have looked at  
14 that.

15 Those areas that we identified to the  
16 Commission, those are things that we expect to be  
17 bringing up to them in the next 12 to 18 months. I  
18 think it's very important that we look through those  
19 lists and make sure that where there's appropriate  
20 interaction, that we have that.

21 And I think if you compare that list with  
22 what is in your action plan and if you compare it with  
23 what is in our rolling six-month calendar, I think you  
24 will see a pretty good correlation now. But I think  
25 that is what needs to drive our interactions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So I would suggest that we use those  
2           planning meetings and calendar to plan consistent with  
3           Commission priorities and the ACNW action plan our  
4           activities there.

5           Now, there were some specific activities  
6           that -- let's see -- you had expressed interest in --  
7           wait a minute -- some specific activities that you had  
8           expressed interest in that I wanted to cover briefly  
9           today. Those included the package performance study,  
10          decommissioning guidance, the West Valley working  
11          group, and disposition of solid waste.

12          We start off with the package performance  
13          study. I would just in a very brief summary point out  
14          that the SRM on December 10th, the Commission directed  
15          that a demonstration test should be conducted  
16          consisting of a simulated crossing with a train  
17          traveling at appropriate speed and colliding with the  
18          transportation cask.

19          The staff is preparing -- and I would  
20          point out Research has the lead on this, but we  
21          coordinate very, very closely with them, obviously  
22          through our Spent Fuels Projects Office and the rest  
23          of our NMSS.

24          There is a paper being prepared for the  
25          Commission, which would go up, providing the details

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of that, resources, et cetera. And that should be  
2 going up shortly.

3 Another part of the staff requirements  
4 memorandum received indicated that we should use some  
5 of the foreign tests that have been done, in Germany,  
6 in particular, to look to see what sort of scaling  
7 activities our scaling analysis might be able to do  
8 with that. So that is another part of what is being  
9 looked at.

10 So basically in terms of status, that  
11 paper is being developed, but at this point I wanted  
12 to know if there is some other specific interest or  
13 questions you had on that. We've got people here I  
14 think could address that.

15 CHAIRMAN RYAN: Questions, Ruth?

16 MEMBER WEINER: We are also -- in fact, I  
17 have been tasked to prepare a white paper on  
18 transportation. And my question is difficult to  
19 formulate.

20 When your recommendation went up to the  
21 Commission on this demonstration test, ACNW was  
22 informed basically after the fact. We were told this  
23 is what is going to go to the Commission, and that is  
24 that and "Here. You can know about it."

25 What do you envision ACNW's involvement in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this to be? Are we going to be simply told after the  
2 fact: a) we're going to use a European test or  
3 whatever or will you come to us with a draft? I'm  
4 just curious as to since there was relatively little  
5 in the past or at least in that iteration, what do you  
6 envision the future involvement to be?

7 MR. STROSNIDER: I guess what I would  
8 suggest -- and I don't know if we have a  
9 representative from Research here or not, but at least  
10 what I would point out is that at least the  
11 discussion, the interaction with the Commission thus  
12 far has really been in defining almost, if you will,  
13 philosophically what kind of test needs to be done  
14 here. And, you know, there has been a lot of  
15 interaction on that point. I would almost look at  
16 that as a policy issue in terms of here's the type of  
17 test that the Commission is interested in.

18 Now, when we get into the actual design  
19 and the conduct of that test and the analyses and the  
20 results and the implications, that is where I would  
21 expect that we would have interaction with the  
22 Committee in terms of getting your insights in terms  
23 of how that is actually conducted and evaluated.

24 Rob, I don't know if you want to add  
25 anything to that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LEE: I don't have anything more to  
2 add besides reflecting the fact that we are going off  
3 of proposals in the industry to design us a test at a  
4 fixed price cost that they will deliver to us. And  
5 the Chairman will have an opportunity to approve that  
6 package.

7 CHAIRMAN RYAN: I'm sorry? The bid  
8 package you mean?

9 MR. LEE: Yes, the bid package. And when  
10 that package comes in, I don't know what the schedule  
11 is for external involvement. But I hear what your  
12 question is. And I will see if I can get back to you  
13 on that.

14 MEMBER WEINER: If I could just follow up?  
15 We, the Committee, wrote a letter to the Commission  
16 regarding this test and suggesting that from what we  
17 knew at that time, we could not see any new technical  
18 information that would be developed from that test.

19 I would be very interested to know what  
20 new information NMSS thinks will be developed from  
21 that test. I think that that is something that the  
22 Committee is quite interested in.

23 We may have written our letter on the  
24 basis of insufficient information from you all. I  
25 mean, I'm just guessing. But I think that any new

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 technical information insights or other insights that  
2 you hope to gain from this test would be of great  
3 interest to us.

4 CHAIRMAN RYAN: Jack, I think if we're  
5 involved on the front end of the various steps,  
6 whether it's the bid package or not, I don't know. If  
7 that's the right one, that may be more of a business  
8 question than a technical scope. Maybe there is a  
9 technical scope.

10 But as we can get involved on the front  
11 end of those activities moving forward, I think that's  
12 where perhaps all of you could at least confirm what  
13 you have done or maybe add value or get you to think  
14 about different questions.

15 So as your schedule firms up and I think  
16 as you have indicated, Jack, you're going to see about  
17 letting the ACNW's participation into your schedule as  
18 well through the activities and the planning you  
19 discussed. I think that would be a great way to get  
20 in on the front end.

21 I do recognize that -- and I think this is  
22 Ruth's point that a test has been decided in terms of  
23 at least the philosophy. I think that's probably a  
24 good word for it. And you're now about the business  
25 of turning that into a technical program. I think at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that step, that's where we maybe add some value. And  
2 we look forward to that.

3 MR. STROSNIDER: And I would agree that  
4 there can be value added in terms of what are the  
5 objectives, you know, the technical objectives of that  
6 test, what sort of information do we expect to get out  
7 of it, how would we analyze it.

8 My understanding is there is some blind  
9 analyses being planned and that sort of thing. And we  
10 could discuss how those things are going to go  
11 forward.

12 MEMBER WEINER: Thank you.

13 MR. STROSNIDER: Good. The second subject  
14 on decommissioning guidance, there I wanted to  
15 indicate we are having a workshop on April 20 through  
16 21st. And I understand that the Committee -- I don't  
17 know if it's everybody but at least some members of  
18 the Committee plan on attending that.

19 CHAIRMAN RYAN: Well, let me clarify for  
20 the benefit of those who hadn't heard that thought.  
21 We had actually decided that it would be helpful for  
22 us to observe as observers, not necessarily having our  
23 own independent meeting but observing your workshop,  
24 rather than do two things.

25 One is it gives us a chance to hear public

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 input that you might get during that meeting. And,  
2 second, it's very economical that you don't have to  
3 exercise the same people giving the same kinds of  
4 presentations to us.

5 So we have committed two days of our  
6 meeting during that week to actually be attendees and  
7 observers at your meeting. If we can work that out,  
8 that would be great.

9 MR. STROSNIDER: And we really appreciate  
10 that. We appreciate the efficiency in terms of the  
11 impact on staff. And I think it will be interesting  
12 and good to hear firsthand some of the stakeholder  
13 interest. And, you know, we would expect to get into  
14 a fairly detailed level on a lot of the technical  
15 issues associated with this.

16 CHAIRMAN RYAN: And we just want to take  
17 advantage of that.

18 MR. STROSNIDER: From a bigger picture,  
19 this is part of our commitment to continuous  
20 improvement in terms of looking at our processes, our  
21 regulatory processes, and the technical aspects of  
22 this and making sure we have clear communication with  
23 the industry on what their issues are and how we  
24 expect to do this. It helps us to make a better  
25 quality product and make it more efficient. So we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 appreciate your participation in that.

2 We will as a result of that meeting be  
3 working on revising or developing staff guidance with  
4 a summary of the significant issues. And we will  
5 provide that to ACNW. We're looking at trying to do  
6 that by sometime in May for the June meeting so that  
7 you'll have the benefit of having been at the  
8 workshop, see what comes out of it in terms of  
9 guidance, and then have a meeting where we can discuss  
10 what the product is there.

11 Scott or anybody from --

12 MR. GILLEN: Dan Gillen, Decommissioning  
13 Deputy Director.

14 Jack characterized that very well. ACNW  
15 is well-aware of our process right now. Robert  
16 Johnson has been working closely with Rich Major. And  
17 we've got your participation plan for the workshop.  
18 And then following that, we will be providing you with  
19 guidance summaries end of May for the sole purpose of  
20 you then having your own working group session to  
21 address the guidance that we're planning in those LTR  
22 analysis issues.

23 CHAIRMAN RYAN: Great.

24 MR. GILLEN: Is that consistent with  
25 everything that you understand?

1 CHAIRMAN RYAN: Absolutely. Yes, that is  
2 right on target. And it's nice when a plan comes  
3 together.

4 MR. GILLEN: Very good. Thank you.

5 MR. STROSNIDER: Thanks, Dan.

6 The next subject was the West Valley  
7 working group. And DOE is developing an environmental  
8 impact statement and decommissioning plan to support  
9 cleanup of the West Valley site. You have expressed  
10 interest in seeing that, and we would welcome any  
11 feedback or suggestions that you have on that.

12 Scott, do we have anything on the  
13 schedule?

14 MR. FLANDERS: The last information I  
15 heard in terms of schedule is that DOE intended to  
16 provide a draft environmental impact statement to the  
17 NRC for cooperating agency review sometime in the  
18 August time frame.

19 And then I guess there would be some  
20 follow-on discussions with ACNW following the staff's  
21 opportunity to review that draft environmental impact  
22 statement. Is that consistent with --

23 CHAIRMAN RYAN: Yes. I think through no  
24 fault of anybody on the staff, of course, the schedule  
25 for the EIS has slipped some from our expectations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some time ago.

2 In our Commission briefing this morning,  
3 we mentioned that we were interested in the West  
4 Valley. And I believe it's Commissioner Merrifield  
5 or, actually, McGaffigan both that said, "Well, that  
6 certainly is a complex site." And he suggested that  
7 we maybe visit with you on other opportunities for us  
8 to get involved in decommissioning case studies.

9 Commissioner Merrifield, in particular,  
10 suggested the ACNW could be helpful at perhaps looking  
11 at several and then trying to extract lessons learned,  
12 the patterns or trends in other kinds of sites.

13 So I don't know what the answer is, but I  
14 offer that question to you in terms of our setting  
15 priorities. Perhaps we ought to at least examine that  
16 question, think about where the schedule for West  
17 Valley might actually come along, and perhaps make a  
18 higher priority for other things that might be a  
19 little bit more valuable to you in the shorter term.

20 MR. STROSNIDER: We may want to shift to  
21 some other sites, say, that are coming up sooner.

22 CHAIRMAN RYAN: And, again, there was that  
23 exact point. He said, you know, they're actively  
24 working on lots of sites now and maybe looking at  
25 those would add some value in a more timely way now,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rather than wait for West Valley. So we're sure open  
2 to that suggestion and would be happy to work with you  
3 on shifting that around a bit.

4 DR. LARKINS: Mike?

5 CHAIRMAN RYAN: Yes, sir?

6 DR. LARKINS: I sort of got the impression  
7 that the commissioner was saying that maybe some  
8 lessons learned from sites that are being closed or  
9 decommissioned, like one in New Jersey and  
10 Pennsylvania.

11 And if the staff had some lessons learned  
12 from those, maybe we could discuss that and there  
13 would be some value. We could sort of use that as a  
14 platform to move on to the more complex sites.

15 CHAIRMAN RYAN: Yes. And, again, I think  
16 he had mentioned the couple of sites that, Dan, I  
17 think you had mentioned to us previously in your  
18 presentation a couple of months ago. So I just wanted  
19 to give you that feedback from the Commission  
20 briefing.

21 MR. GILLEN: Yes. The lessons learned  
22 aspect is coming from a lot of different angles now.  
23 You know, it was certainly made clear to me in the  
24 last annual briefing I did for the Commission in  
25 October that that was something on their mind. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 previous to that, it's already been something on our  
2 program's mind.

3 Lessons learned can come in many forms.  
4 It's how can we improve our process. What are the  
5 lessons we have learned to improve our process? It  
6 can be one of the technical aspects of decommissioning  
7 that the existing decommissioning sites are learning  
8 that they can apply or other sites can use that are  
9 either going to be entering decommissioning soon or  
10 even new facilities being built for future  
11 decommissioning.

12 So all of those things are on the  
13 Commission's mind, particularly Commissioner  
14 Merrifield. He's made it clear to me through that.  
15 I read the transcript from the ACNW briefing he gave.  
16 And I'm certainly aware.

17 One major aspect of our two-day meeting is  
18 to just get feedback. We have a panel set up  
19 specifically to address lessons learned from various  
20 members of stakeholders that are involved in  
21 decommissioning.

22 So yes, we're working definitely down in  
23 that lane.

24 CHAIRMAN RYAN: Just as a follow-on, Dan,  
25 we've thought about -- and this is speculative not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 knowing exactly how your two-day meeting will provide  
2 information. You know, we could have a follow-on  
3 working group as the ACNW to address information gaps  
4 or other areas or our forward-looking look after your  
5 two-day meeting.

6 So I just wanted to open that door that  
7 maybe we can make an adjustment there and be more  
8 timely and on point with what is current on your  
9 plate.

10 MR. STROSNIDER: Yes. And I think it is  
11 important that we look at this lessons learned area,  
12 if you will, from a more generic, from a broader point  
13 of view. As you pointed out the notion, you can look  
14 at some specific sites, but the intent is really to  
15 pull out of that some things that could be applied  
16 generically.

17 You know, at least part of what I think  
18 Commissioner Merrifield's message is is we won't see  
19 a whole lot of reactors given license renewal. You  
20 know there may be a hiatus. And it might be a long  
21 time before people get back to doing this again. And  
22 we want to make sure that they don't have to reinvent  
23 the wheel.

24 So I think, yes, it's an important area  
25 for us to follow up on and we can look at what sites

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 might be most useful to look at and follow up from the  
2 workshop.

3 CHAIRMAN RYAN: And just thinking out loud  
4 for a second, I'm sure that some sites have gone well,  
5 as planned, on budget. Some sites have been over  
6 schedule, over budget. And it would be kind of  
7 interesting to explore why it went well or why it went  
8 away and from the schedule and budget, those kinds of  
9 things. And you can start to get a plan and dive into  
10 those details.

11 MR. STROSNIDER: Yes. And I'd just note  
12 on that, I think it's sort of interesting. We did put  
13 out -- we have two regulatory information summaries  
14 that were put out in the last couple of years on what  
15 I characterize as lessons learned in terms of what  
16 operating facilities need to be thinking about and  
17 doing while they're operating so that they'll be  
18 prepared for decommissioning.

19 CHAIRMAN RYAN: Yes.

20 MR. STROSNIDER: And I thought there were  
21 some interesting insights in that. And then you've  
22 got the lessons learned from the actual process  
23 itself, which we have captured.

24 CHAIRMAN RYAN: Okay.

25 MR. STROSNIDER: So good. Another area

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that you had expressed interest in was the disposition  
2 of solid materials rulemaking and that there's a lot  
3 of things coming together right now in terms of  
4 completing the environmental impact study and pulling  
5 that package together.

6 The current schedule is to get the package  
7 up to the Commission this month. And, as was noted  
8 this morning, we need to make sure that we've got the  
9 interaction set up to provide you the information on  
10 that so that you can fulfill your role in advising the  
11 Commission.

12 I don't know if there are any other  
13 questions.

14 CHAIRMAN RYAN: We'll be ready.

15 MR. STROSNIDER: Okay. Then in terms of  
16 new programmatic developments, if I could have the --

17 DR. LARKINS: Can I ask a question on  
18 that?

19 CHAIRMAN RYAN: Yes, please?

20 MR. STROSNIDER: Yes.

21 DR. LARKINS: When is the best time you're  
22 thinking of proposed rule for disposition of solid  
23 material? Is it after Commission comments or during  
24 Commission review or once it's been issued for  
25 comment? I'm just trying to get a feel for what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you're thinking.

2 MR. MILLER: This is Charlie Miller.

3 John, I think what we have arranged is  
4 that the paper will go up to the Commission. And then  
5 when the paper is put out for public comment, what  
6 we're looking from the Committee for at that point in  
7 time is to review and provide advice with regard to  
8 public comments received, disposition, and what  
9 recommendations should be made with regard to a final  
10 rulemaking.

11 DR. LARKINS: Okay. So that would be  
12 sometime towards the latter part of the year, it  
13 sounds like.

14 MR. MILLER: Charlotte, do you know the  
15 timing on that? This is Charlotte Abrams from my  
16 staff, who is following this extremely closely.

17 MS. ABRAMS: Too closely. It goes to the  
18 Commission, as Charlie said, the end of this month.  
19 We don't have any idea how long the Commission would  
20 keep it. It's a pretty extensive document with the  
21 EIS.

22 And so the timing for when it would go out  
23 for public comments, your guess is as good as mine.  
24 I guess approximately two months maybe. And then it  
25 would be out for public comment, 90 days. So we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 talking several months.

2 DR. LARKINS: Okay. Thanks, Charlotte.

3 MR. MILLER: What I think that would allow  
4 you to do is you can become more familiar with what  
5 the Commission has put out for public comment during  
6 a 90-day period.

7 And then when the public comments come  
8 back, I think it might help us hit the ground running  
9 with regard to trying to schedule something to have a  
10 fruitful discussion on what we get back.

11 CHAIRMAN RYAN: That would be appreciated  
12 because from the sound of the documents, it's a pretty  
13 good homework problem to read through. So anything  
14 that will get us a lot more contemporaneous with  
15 decision-making steps, that would be helpful.

16 DR. LARKINS: Okay.

17 MR. STROSNIDER: With regard to some  
18 subjects that have come up since the last meeting with  
19 the Committee, the first bullet there on plans for  
20 responding to the State of Nevada query on the waste  
21 confidence rulemaking, as you are aware, I would  
22 think, we did receive a query from the State of Nevada  
23 on that subject. It's being reviewed right now by the  
24 Office of General Counsel.

25 I really can't add a whole lot to that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 until they complete their review and provide us some  
2 guidance on what the next steps are. But depending on  
3 where that goes, obviously we would be very interested  
4 in staying informed and engaged in that.

5 DR. LARKINS: Jack?

6 MR. STROSNIDER: Yes?

7 DR. LARKINS: I guess that could be  
8 handled in several ways. I mean, it could be handled  
9 by the Commission or General Counsel or assigned to  
10 the staff in terms of making a decision or finding on  
11 --

12 MR. STROSNIDER: Yes. I think there are  
13 a number of options. And, like I said, that OGC  
14 review will provide some guidance on how to deal with  
15 the question.

16 DR. LARKINS: So it may or may not  
17 actually come back to the staff. Right. I just  
18 wanted to clarify that.

19 CHAIRMAN RYAN: I appreciate that. Thank  
20 you.

21 MR. STROSNIDER: With regard to DOE's  
22 progress in revising plans for submission of the Yucca  
23 Mountain license application, I think if you have  
24 followed the press in some of our management meetings  
25 with them, they have indicated that they plan to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ready to submit an application by December of '05, but  
2 they haven't actually committed to submitting it then.

3 There are a number of uncertainties, which  
4 everybody is aware of, with regard to certification  
5 and the licensing support network and development of  
6 the revised EPA standard. So I think they're waiting  
7 to see how all of that comes together, but that is the  
8 best information we have at this point.

9 I don't know if there are any questions on  
10 that, but related to that, the next bullet on the  
11 current plans for the high-level waste time period of  
12 compliance, it's our understanding -- and, again,  
13 follow this in the media -- that EPA has indicated a  
14 proposed revised standard sometime this summer.  
15 They're looking at several different options that are  
16 being discussed.

17 We're following that closely because our  
18 Part 63 will need to be revised to reflect what is in  
19 the EPA standards and certainly engaging in that.

20 CHAIRMAN RYAN: I think we're on the same  
21 page there as well. We're continuing with our pre-LA  
22 periodic reviews on various topical area with DOE.  
23 Carol Hanlon from DOE is here and helps us plan those  
24 sessions.

25 So we're going to continue on, at least

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for the next few months, in prelicensing kinds of  
2 reviews, much like the working groups and other  
3 activities we have had up to now. And we are in the  
4 exact same place in terms of understanding what EPA is  
5 going to do in time of compliance

6 We have refreshed ourselves, thanks to  
7 Bill Hinze, who has returned to the Committee, because  
8 has been involved in many of the time-of-compliance  
9 issues, gave us a briefing of those letters and the  
10 past letters on the subject.

11 So we're hoping to be prepared and ready  
12 to support whatever comes forward that we need to deal  
13 with on time of compliance.

14 MR. STROSNIDER: Good. And I think your  
15 comments also go directly to the last bullet in terms  
16 of some of the preapplication activities. We do want  
17 to update you on the igneous activities, what we are  
18 doing there. And so we'll just need to work out the  
19 logistics of how we can provide that information.

20 CHAIRMAN RYAN: Actually, our subcommittee  
21 is going to the center in San Antonio for a visit.  
22 And the igneous work at the center is on the top of  
23 our list. As we come back from that visit and we get  
24 a report from the subcommittee on their findings and  
25 work at the center over that visit, we'll I'm sure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 work with staff on what is the appropriate next step  
2 to bring that to the table here.

3 DR. LARKINS: Yes. I was just going to  
4 say that I would think that after today's briefing,  
5 the Committee would want to try to go back and address  
6 some of those issues that came up before the end of  
7 the fiscal year --

8 CHAIRMAN RYAN: Yes.

9 DR. LARKINS: -- on igneous activity. So  
10 it would be good to have maybe dialogue with the NRC  
11 and DOE prior to that time.

12 CHAIRMAN RYAN: Yes, I agree.

13 MR. STROSNIDER: Okay. We'll move on to  
14 some highlights from the Commission briefing, NMSS  
15 Commission briefing, on waste and materials.

16 We received the staff requirements  
17 memorandum on waste materials. We are still waiting  
18 for that. But a couple of the things that were in the  
19 waste at least, we were asked to provide a response on  
20 our approach to the waste incidental reprocessing.  
21 And we have a paper in development on that which will  
22 describe our plans, technical reviews, how we're going  
23 to go at that technically.

24 And also one of the things they wanted us  
25 to address is the process. And we heard the emphasis

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 again this morning on making this an open process in  
2 terms of how we come forward with the review.

3 So that paper is under development. And  
4 we're working with ACNW staff and tentatively  
5 scheduling a meeting in July to go over that. So I  
6 don't know if there are any other questions on where  
7 we're at on WIR or that planning.

8 CHAIRMAN RYAN: No. I think we have a  
9 good plan forward there.

10 MR. STROSNIDER: Okay. We're also  
11 preparing a paper in response to the staff  
12 requirements memorandum on our possible involvement in  
13 the development of the DOE environmental impact  
14 statement on greater-than-Class C waste. And this is  
15 a question of whether we are a cooperating or  
16 commenting agency and the pros and cons. So we're  
17 working that paper.

18 So those were some of the other areas in  
19 terms of emerging low-level waste. Over the next 12  
20 to 18 months, GAO is expected to complete its study:  
21 storage of low-level waste. And that could point to  
22 a need for greater NRC involvement in this area.

23 We expect also that there could be some  
24 further congressional hearings on the recommendations  
25 that arose from GAO in the 2004 report and also from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the hearings that have happened, that have taken  
2 place. There could be some issues coming out of that.

3 One of the things that came up at the  
4 hearing was the possibility for NRC to collect  
5 information with regard to low-level waste, you know,  
6 how much that needs to be stored.

7 There was also a recommendation at one of  
8 the hearings about the build of a low-level waste  
9 disposal facility on federal land. This is coming out  
10 of the GAO recommendations, I believe.

11 So those are some things that we need to  
12 keep an eye on, recognizing, of course, that Barnwell  
13 plan to no longer accept compact waste in 2008. And  
14 that could create some issues. And it was discussed  
15 at this morning's briefing. So this is an area that  
16 we need to stay closely in touch with as it evolves.

17 CHAIRMAN RYAN: In fact, in our agenda  
18 this week, we're going to take up a list of topical  
19 areas in the low-level waste arena that we're going to  
20 aim at a white paper that we would gather information  
21 and look at issues and try and sort that out.

22 The interesting thing I think I pointed  
23 out at the briefing this morning to the Commission was  
24 that low-level waste is not just low-level waste  
25 disposal. Those definitions touch lots of other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issues, whether it's decommissioning or WIR or other  
2 areas. So we need to think about that.

3 So we're just trying to get our own  
4 thoughts organized and well-structured so we can  
5 participate in a meaningful way.

6 DR. LARKINS: Mike, I think it might be  
7 worthwhile, just reflecting on the comments this  
8 morning from Commissioner McGaffigan and Lyons and  
9 Jaczko that there are a lot of potential obstacles to  
10 getting any type of real reform in the low-level waste  
11 area. It would be good to maybe have a dialogue or  
12 exchange with the staff on this Committee's white  
13 paper at some point.

14 CHAIRMAN RYAN: Absolutely. No. I think  
15 that's very much a two-way street. We've looked to  
16 give you our white paper at several stages along its  
17 development so that we're developing our thoughts  
18 collectively with you, rather than as a separate  
19 activity.

20 Commissioner McGaffigan, in particular,  
21 identified that you may find as you explore that that  
22 you bump up against, I think he used the term,  
23 statutory barriers.

24 MR. FLANDERS: At least legal barriers.

25 CHAIRMAN RYAN: Legal barriers. Thank

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you. And certainly that's true. Nonetheless, there  
2 may be a lot of fruitful work to do at different  
3 levels of advice.

4 For example, if a regulatory guide could  
5 interpret or solve a problem or help licensees or  
6 others deal with an issue in low-level waste, that's  
7 certainly an avenue to go forward and so forth.

8 We're not trying to recommend a solution,  
9 as I mentioned this morning. We're trying to explore  
10 carefully and systematically what the issues are so  
11 that as your thinking moves forward, we can all be  
12 educated with the same information and we're not  
13 crossing purposes.

14 DR. LARKINS: Yes. I wouldn't want to  
15 think the Committee might be going down a path which  
16 has some obvious pitfalls. And if the staff could  
17 point those out early on, it would be helpful with  
18 some issues.

19 MR. FLANDERS: I would just say that in  
20 April, Jim Kennedy and myself are supposed to come  
21 back and talk with the Committee. That may be an  
22 opportunity for us once you have the chance to think  
23 through some of the issues you want to address in the  
24 white paper and also gives us some time to think  
25 through some of the issues that we think may be useful

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and have a dialogue on those.

2 CHAIRMAN RYAN: Absolutely. And Jim was  
3 very helpful in our initial discussion of this topic  
4 last month. He sat through that session and was very  
5 helpful. So we've started it in a good way, and the  
6 point is well-taken.

7 DR. LARKINS: Can I go back on this  
8 greater than Class C waste EIS. Will the Committee  
9 get a chance to see that paper?

10 MR. FLANDERS: We haven't written a paper  
11 yet.

12 DR. LARKINS: Whenever.

13 MR. FLANDERS: Will the Committee get a  
14 chance to see that paper? At this point, the paper  
15 really is focused more on a policy issue. And the  
16 paper is going to focus on the issue of whether or not  
17 the NRC, the Commission, should serve as a cooperating  
18 agency in the preparation of the EIS or whether we  
19 should take a role more as a commenting agency.

20 So it's really a policy issue for the  
21 Commission to make a decision. And we're just going  
22 to lay out the pros and cons of selecting either side.  
23 So at this point it's not really getting --

24 DR. LARKINS: So you can wait and see what  
25 the Commission comes back with at that point. It may

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be better. Right, right.

2 MR. STROSNIDER: The last part on this  
3 slide, Part 61 and WIR, I guess there have been some  
4 discussions. In fact, there was some discussion this  
5 morning about risk-informing Part 61.

6 The thing I wanted to point out here is  
7 that with regard to waste incidental reprocessing, you  
8 know, we've begun some of those reviews under the  
9 Defense National Reauthorization Act.

10 And, as we discussed earlier, we will be  
11 meeting with you to talk about how we're doing those  
12 and the technical approaches that we're using. But  
13 we're not planning any modifications to Part 61 in  
14 order to support that. So they are somewhat separate  
15 activities in our mind.

16 CHAIRMAN RYAN: And I appreciate it from  
17 that perspective and agree with you, but it is  
18 interesting that definition of what is greater than  
19 Class C and so forth and some of the other issues.  
20 They do touch.

21 MR. STROSNIDER: As you say, there are a  
22 lot of cross-cutting issues here. Yes. So we agree  
23 with that, but I wanted to let you know how we're  
24 proceeding.

25 CHAIRMAN RYAN: Yes, yes. And we're on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 track with it. I think, as Allen mentioned, our goal  
2 is to support your efforts in creating that standard  
3 review plan.

4 MR. STROSNIDER: Okay. The last slide --  
5 and I guess it covers a couple, two pages here.  
6 Actually, this the rolling calendar we talked about  
7 and the activities we've gotten here.

8 I would note, I think -- I'm not sure it  
9 shows up on here; we had a little trouble getting this  
10 into the right format -- that our plans on the WIR  
11 working group don't show up on here, I don't believe,  
12 but that is something that is in the plan. It was  
13 just a formatting issue, I think, in terms of trying  
14 to get this to print out right.

15 I don't know if there are any comments or  
16 questions, but I wanted to just put that up there in  
17 case there is any discussion and interest in specific  
18 topics that are on there.

19 CHAIRMAN RYAN: No. I just want to give  
20 a word of thanks to Sam Jones for his ongoing  
21 interaction with the ACNW staff. It's extremely  
22 helpful for members to plan. I think it helps us in  
23 managing our resources. Hopefully it offers you the  
24 same efficiency that we're trying to do this in a way  
25 that's in your flow of work and it's not something

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's burdensome or extra or out of step with your  
2 process.

3 So it seems to be working quite well. And  
4 we'll continue to move it long. So we appreciate it  
5 and appreciate Sam's insights to get along well.

6 MR. STROSNIDER: Yes. I think, as I  
7 stated at the beginning, we've got a good system for  
8 communicating. I think we've got some good tools that  
9 can help guide the interactions. And we want to make  
10 sure those work.

11 With that, I've got people here. I'd just  
12 ask if there are any questions or other topics that  
13 the Committee wanted to discuss.

14 CHAIRMAN RYAN: I'll start with Jim. Any  
15 questions or comments?

16 MEMBER CLARKE: Just one. You mentioned  
17 decommissioning and new guidance that is being  
18 developed in several areas, decommissioning. I think  
19 there are at least five, maybe nine. I don't recall  
20 the exact number.

21 Are there areas that you would suggest we  
22 focus on more than others? What are your thoughts on  
23 that?

24 MR. STROSNIDER: Dan, have you got some  
25 thoughts there on what would be the highest priority?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GILLEN: Yes. Looking at the LTR  
2 analysis, which is the major piece of this, of the  
3 guidance changes, there were nine issues. And I think  
4 we have asked for assistance on what we consider maybe  
5 -- is it three or four, Robert? -- realistic scenarios  
6 and institutional controls; mixing, soil mixing. What  
7 am I leaving out?

8 Yes, yes. It's realistic scenarios is one  
9 issue. Institutional controls for restricted release  
10 sites is a second. And intentional soil mixing is the  
11 third. Those are the main three.

12 We have probably scheduled at the workshop  
13 to have six different breakout sessions. So our top  
14 six issues will be covered. So you could pick and  
15 choose, I guess.

16 CHAIRMAN RYAN: Well, and that's a good  
17 question to jump in here and say help us divide our  
18 time and interest among those working groups because  
19 we want to follow your priorities.

20 MR. GILLEN: I think Robert is working  
21 closely with you to do that.

22 CHAIRMAN RYAN: Right.

23 MR. GILLEN: And we will.

24 MR. STROSNIDER: We'll provide you some  
25 feedback on that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Great.

2 MEMBER CLARKE: Thank you.

3 CHAIRMAN RYAN: Ruth?

4 MEMBER WEINER: I've said my piece.

5 CHAIRMAN RYAN: Bill?

6 MEMBER HINZE: Just quickly. Regarding  
7 time of compliance and speaking with Ray Clarke at  
8 EPA, there has been some discussion about having some  
9 discussion meetings with various groups. And I  
10 understand they have had some with some affected  
11 parties.

12 Do you have any information on whether  
13 that is moving ahead? Can we expect to be involved  
14 with the EPA in their reaching their decision or will  
15 the NRC and the components of it be part and parcel of  
16 providing input to them?

17 MR. STROSNIDER: Yes. There have been  
18 some interagency meetings. And we have been trying to  
19 stay up to speed on their status and where they're at  
20 because we do have the obligation under law to modify  
21 ourselves.

22 So we have a need to understand where  
23 they're at and where they're headed on this so that we  
24 can plan and make our complementary rulemaking as  
25 effective and efficient as possible.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   So we are having that kind of  
2 communication. And it's a routine part of the  
3 rulemaking process and something that we feel is  
4 important for us to be engaged in.

5                   So that is happening. And I don't know if  
6 there is anything you would want to add, Bill.

7                   MR. REAMER: Sure. The article in the  
8 paper last week indicated that they are aiming for a  
9 proposed rule in July. So that's pretty recent  
10 information that that is their track. That is the  
11 date they have been holding out for some time as the  
12 date for their proposed rule, in the July summer time  
13 frame.

14                  EPA has an approach. They have the ball  
15 here. It's their standard that was invalidated. They  
16 have an approach to gather input from other federal  
17 agencies, from affected public interest groups, and  
18 perhaps other stakeholders as well. And I think they  
19 are obviously still doing that.

20                  That's with the meeting that occurred last  
21 week we have an interest and we have to be consistent  
22 with. So we want to stay abreast of what they're  
23 doing and make sure we're ready to propose revisions  
24 to our standard that would be consistent with what  
25 they are proposing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Great.

2 MR. STROSNIDER: If I could add one thing,  
3 I think it is also very important to emphasize for all  
4 the stakeholders and public involved that as you go  
5 through the rulemaking process, the opportunity is  
6 there to engage in the rulemaking process, both on EPA  
7 and NRC.

8 And if you go back and look at the record  
9 from the first round of rulemaking, you know, there  
10 were public comments. And there were changes. You  
11 know, they were reviewed. And there were changes to  
12 those draft rules as they went through the process.

13 So that process is there. And I just  
14 wanted to make sure that everybody understands that  
15 because it's important that people understand they do  
16 have the opportunity. And that I believe is effective  
17 in influencing the outcome.

18 MEMBER HINZE: Thanks. If I may, one  
19 other question. One of the future NMSS activities  
20 that is listed here for May is the status of seismic  
21 design and basis at Yucca Mountain. I'm wondering if  
22 that also includes drift stability. Is that just a  
23 preclosure at the facilities or --

24 MR. REAMER: Can I get back to you on the  
25 scope of that? I'm inclined to think it's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 preclosure, but I don't want to say for sure until I  
2 check. We'll give you an answer to that.

3 MEMBER HINZE: Right. We do have some  
4 interest on that. And any information you could  
5 provide to us, Bill, we would very much appreciate it.  
6 Thank you.

7 CHAIRMAN RYAN: All right, Bill. Thanks.

8 Allen? Again, I appreciate this update  
9 and our ongoing conversations. It's always great to  
10 have a meeting like this and say, "Well, there's no  
11 surprise. Nothing was brand new. And we're on track  
12 and well-planned for our upcoming interaction.

13 So thanks for this briefing. It's a  
14 chance for us to review our schedule and our  
15 activities and our plans in this public forum. So we  
16 appreciate you and your staff coming today, Jack. And  
17 thanks, everybody, for their participation. And we  
18 look forward to the good work ahead.

19 MR. STROSNIDER: Good. And we thank you  
20 for your time and your cooperation.

21 CHAIRMAN RYAN: Thank you very much.

22 We are scheduled to have a break. And we  
23 will resume at 4:00 o'clock, at which time we will  
24 hear a briefing on the USEC facility. Thanks very  
25 much. We'll go off the record until 4:00 o'clock.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Whereupon, the foregoing matter went off  
2 the record at 3:31 p.m. and went back on  
3 the record at 4:02 p.m.)

4 CHAIRMAN RYAN: Back on the record. This  
5 briefing is going to be managed by Allen Croff, Vice  
6 Chair.

7 So, Allen, I'll turn the meeting over to  
8 you.

9 VICE CHAIRMAN CROFF: Okay. Thanks.

10 This briefing is a licensing status update  
11 concerning the USEC application up in Ohio. It's  
12 going to be given by Yawar Faraz -- I hope I  
13 pronounced that right -- a Senior Project Manager,  
14 Division of Fuel Cycle Safety and Safeguards in NMSS.

15 Proceed.

16 MR. FARAZ: Thanks.

17 10) STATUS OF NRC'S REVIEW OF USEC INC.'S

18 LICENSE APPLICATION FOR A GAS CENTRIFUGE

19 URANIUM ENRICHMENT FACILITY

20 MR. FARAZ: I'm the Project Manager for  
21 the USEC application that was submitted last August  
22 for a gas centrifuge enrichment facility. I work in  
23 the Division of Fuel Cycle Safety and Safeguards in  
24 NMSS. And, as was mentioned, I will be providing you  
25 a status of our licensing review that we are currently

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conducting for USEC's application.

2 This is going to be very similar to a  
3 presentation that Tim Johnson had given about six  
4 months or so ago on the LES application. We won't be  
5 discussing anything sensitive or classified in this  
6 meeting because it's a public meeting. And after I  
7 present an overall status of the project, Matt Blevins  
8 will provide you a status of NRC's environmental  
9 review that is also going on.

10 USEC Inc., or USEC, is proposing to enrich  
11 uranium using the gas centrifuge technology in a  
12 facility in Piketon, Ohio. The gas centrifuge  
13 process, as most of you already know, uses high-speed  
14 rotors to separate out the U-235 from the U-238  
15 isotopes, the gas that uses  $UF_6$ . And they're  
16 proposing to enrich the uranium generally up to five  
17 percent, but the license that they're requesting is  
18 for ten percent in case in the future there is a need  
19 for high enrichments.

20 USEC will be setting up their facility at  
21 the Portsmouth gaseous diffusion plant site, which is  
22 in Piketon, in several existing buildings owned by  
23 DOE. USEC intends to lease them from DOE to house  
24 their American centrifuge plant.

25 The centrifuge machine looks fairly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 simple, but it is a very intricate apparatus. It  
2 involves a casing, which is the outside shell. It's  
3 cylindrical in shape. And inside the casing, there is  
4 a rotor, which spins at a very, very high rate. The  
5 arrows that you see are the  $UF_6$ . And it's actually a  
6 countercurrent flow that is induced in the rotor while  
7 the rotor is spinning.

8 The spinning effect, what it does is it  
9 imparts centrifugal forces on the  $UF_6$  that are inside  
10 the rotor. Since U-238 has a higher molecular weight,  
11 the U-238  $F_6$ , it tends to move more to the wall.

12 And with this countercurrent flow that is  
13 induced within the rotor. More of the U-238  $F_6$   
14 molecules tend to move up in the rotor. And there is  
15 a scoop at the top of the rotor where the U-238,  
16 primary U-238  $F_6$  molecules are withdrawn.

17 So the feed comes in somewhere in the  
18 middle. The tails or the depleted  $UF_6$  is removed from  
19 the top. And the enriched  $UF_6$ , which is more U-235  $F_6$   
20 molecules than the feed, that is withdrawn from the  
21 bottom, as is shown in this schematic.

22 You see a bearing. It is a magnetic  
23 bearing, but it's not completely magnetic. It's also  
24 mechanical. And there is a motor, electric motor, at  
25 the bottom of the centrifuge.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The principal hazards associated with the  
2 gas centrifuge enrichment facility that use UF<sub>6</sub> are  
3 primarily chemical. This involves soluble uranium,  
4 which is UF<sub>6</sub> in soluble form. It's very toxic to the  
5 kidneys. So exposure to soluble uranium is a chemical  
6 toxicity issue as well as the fact that when UF<sub>6</sub> is  
7 released and it comes in contact with moisture in the  
8 air, it forms HF, which is a very, very strong acid.

9           So that's primarily the hazard that exists  
10 at this facility. There's also a hazard of  
11 criticality, where enriched UF<sub>6</sub> is processed. I would  
12 say primarily areas where there is liquid UF<sub>6</sub> and  
13 solid UF<sub>6</sub> because you have to have it in solid form,  
14 enrichment in solid form, to have a criticality.

15           Now, unlike the gaseous diffusion plant  
16 that USEC also operates in Paducah, the feed and the  
17 draw stations at the gas centrifuge facility will not  
18 involve liquid UF<sub>6</sub>. So they will not be liquefying  
19 UF<sub>6</sub>, which means they will not be pressurizing UF<sub>6</sub>  
20 above atmospheric pressure to feed or to withdraw it  
21 from the gas case.

22           The gas centrifuge process uses very, very  
23 low pressures. Essentially the entire process is  
24 below atmospheric pressure, so in case there's a leak,  
25 you know, there's inflow, as opposed to outflow.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           However, they do plan on using liquid UF<sub>6</sub>  
2           or liquefying UF<sub>6</sub> at the sampling and transfer  
3           stations. This is where they would sample UF<sub>6</sub>. They  
4           need to have a homogenous sample. So they would be  
5           liquefying it for that purpose as well as to transfer  
6           it from one cylinder into another. So they would  
7           liquify that and then essentially drain the UF<sub>6</sub> into  
8           the other cylinders.

9           The advantage, the primary advantage, that  
10          a gas centrifuge facility has or a gaseous diffusion  
11          plant is that it uses about five percent of the  
12          electricity that a gaseous diffusion plant uses, which  
13          is extremely a major factor for why most organizations  
14          are trying to move into words gas centrifuge.

15          In fact, the only gaseous diffusion plants  
16          that are operating today are in France and the U.S.  
17          And Both France and the U.S. are moving towards  
18          centrifuge as well.

19          The technology, however, is highly  
20          classified, up to the secret, restricted data level.  
21          There's a lot of information associated with the  
22          technology that is classified.

23                 MR. SCOTT: It's classified for  
24                 proliferation concerns?

25                 MR. FARAZ: Primarily, yes.

1 MR. SCOTT: Yes.

2 MR. FARAZ: Some of the unique  
3 requirements associated with licensing an enrichment  
4 facility are listed on this slide. It includes  
5 preparing an environmental impact statement, which  
6 we're doing right now. It involves a formal Subpart  
7 G hearing. So that is required, just as you would  
8 have for a nuclear power plant. And the hearing must  
9 be completed prior to issuance of a license.

10 It's a one-step licensing process, which  
11 means construction and operation at the same time. A  
12 pre-operation inspection is required. And liability  
13 insurance is also required.

14 The next six slides talk about the  
15 licensing status of where we stand in our review of  
16 the application. As I say, it was submitted last  
17 August. The Commission in October issued an order  
18 accepting the application for detailed review. And it  
19 also initiated, the Commission order also initiated,  
20 the hearing process.

21 It set a 30-month review schedule for the  
22 staff, which we intend to meet. The hearing would  
23 obviously cover safety, safeguards, and environmental  
24 issues.

25 We plan to complete our safety and

1 safeguards review in 18 months or less. So that would  
2 mean we would have the SER issued by this February or  
3 sooner.

4 The EIS we plan to issue in 18 months. So  
5 that will be in February of 2006. And then we  
6 anticipate the hearing board completing its hearing in  
7 eight months. So that will take us to October of '06.  
8 And then we anticipate the Commission taking four  
9 months to issuing its decision, which would take it to  
10 February of '07. So that's when the licensing  
11 decision would be made.

12 CHAIRMAN RYAN: Just a quick question,  
13 please, to clarify. If I read the dates right, you're  
14 simultaneously working on the SER and the EIS.

15 MR. FARAZ: That's correct.

16 CHAIRMAN RYAN: They are both due at the  
17 same time.

18 MR. FARAZ: That's correct.

19 CHAIRMAN RYAN: Okay. Thanks.

20 MR. FARAZ: Yes. In fact, I'm responsible  
21 for the SER, and Matt Blevins, who is in the Division  
22 of Waste Management, is managing the EIS.

23 CHAIRMAN RYAN: Okay. Thank you.

24 MR. FARAZ: We received two petitions for  
25 intervention on the February 28th deadline that was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 set by the Commission. One of the groups that  
2 petitioned the NRC has identified itself as PRESS. I  
3 guess there are local individuals involved in this.  
4 And there is a member of the public who has also  
5 petitioned the agency. He resides in New York City.  
6 That's his current address.

7 Some of the contentions that have been  
8 raised in these petitions are listed on this page:  
9 exemption on criticality monitoring, radiation work  
10 permits, UF<sub>6</sub> cylinder labeling, and the rest.

11 Some of the environmental contentions that  
12 they raise are on this page and include compliance  
13 with the National Historic Preservation Act, need for  
14 the facility for decommissioning funding, et cetera.

15 Now, the staff issued its request for  
16 additional information on the application and the ISA  
17 summary. So this would be a safety and safeguards  
18 review on February 7th of this year. USEC had  
19 responded to that RAI. We requested a one-month  
20 response. And they responded on March 9th.

21 The staff also issued an RAI on the  
22 environmental report -- this is associated with the  
23 EIS -- on February 23rd. And we issued a classified  
24 RAI on the FNMC plan, on the classified portion of the  
25 FNMC plan, on March 4th.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Most of the RAIs that we have issued to  
2           USEC are essentially clarifications that are needed,  
3           either in the application or in the response.

4           Now, concerning the ISA, which is the  
5           integrated safety analysis, USEC did not do a PRA.  
6           What they did do is a semi-quantitative risk index  
7           method, which is recommended by our SRP, standard  
8           review plan, NUREG-1520. This is primarily a method  
9           that's favored by most fuel cycle licensees and  
10          applicants.

11          Since DOE and NRC are the primary  
12          regulators at the Portsmouth site, Piketon site. In  
13          fact, we are also the primary regulators in the same  
14          building that USEC would be setting up the American  
15          centrifuge plant.

16          We decided to develop a memorandum of  
17          understanding with DOE to delineate each agency's  
18          roles and responsibilities in terms of regulatory  
19          oversight to make sure that there are no gaps and also  
20          to make sure that there is no dual regulation. So  
21          those are the two primary reasons why we are  
22          developing an MOU.

23          We had developed an MOU for the lead  
24          cascade facility, which is a pilot plant. We had  
25          approved that application in February of last year.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And USEC is proceeding to construct it, maybe operate  
2 it. So we are following the same kind of method and  
3 the same idea in developing this MOU.

4 They drafted MOU and provided it to DOE  
5 for comment last December. We expect DOE to provide  
6 its input to us on the MOU around April or May of this  
7 year. And then we intend to discuss the MOU with USEC  
8 in a public meeting later this summer.

9 Before I turn it over to Matt, are there  
10 any questions?

11 CHAIRMAN RYAN: I have one. Go ahead if  
12 you want to go first. I was curious. You made the  
13 comment in the ISA slide, number 12.

14 MR. FARAZ: Yes.

15 CHAIRMAN RYAN: Why is this method favored  
16 by licensees? Is it just because they're used to it?

17 MR. FARAZ: I think it's recommended in  
18 the SRP. So that they're essentially following that  
19 model, as recommended by the SRP, but I'm not sure if  
20 any -- there might be one or two licensees who might  
21 be doing PRAs for some processes. But generally  
22 they're not doing PRAs for the entire ISA.

23 CHAIRMAN RYAN: You know, with regard to  
24 the risk management questions, particularly Yucca  
25 Mountain, this Committee is on record many times, of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 course, focusing on PRAs as an approach to these kinds  
2 of evaluations.

3 It caught my ear that you said that  
4 licensees prefer this semi-quantitative approach,  
5 rather than a PRA. And I was just curious why they  
6 would prefer it, if they had done some assessment or  
7 analysis of this is better or that doesn't help us or  
8 this is adequate and for these reasons and so forth or  
9 is it just --

10 MR. FARAZ: Yes. It seems to be suitable  
11 for fuel cycle facilities because they tend to have a  
12 lot of accident sequences. And those accident  
13 sequences tend to be fairly simple.

14 So it's not as intricate as a nuclear  
15 power plant might be. You know, for example, it might  
16 involve an individual adding more liquid than he  
17 should in a container for a potential criticality  
18 accident. And then the controls might be fairly  
19 straightforward.

20 So these are accident sequences that can  
21 be analyzed in a fairly simple manner. So a  
22 semi-quantitative methods tends to be quite suitable.

23 CHAIRMAN RYAN: Well, in addition, I asked  
24 the question because of the accident in Japan several  
25 years ago is a human reliability factors issue, --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FARAZ: Right.

2 CHAIRMAN RYAN: -- which is similar to a  
3 PRA. And I guess just recognizing that experience,  
4 which was a human error, I would wonder if it should  
5 be preferred or not.

6 I just throw that out as a question to  
7 think about. I know it's probably not something you  
8 can answer today, but I wonder if that's something to  
9 think about as an improvement to actually look at PRA  
10 as a preferred tool, rather than a semi-quantitative  
11 risk assessment method.

12 MR. FARAZ: Yes. Well, the  
13 semi-quantitative risk assessment also includes human  
14 error. So clearly that is included. It assigns it an  
15 index depending on how reliable that human action is.  
16 And clearly all of those actions have to be  
17 identified.

18 So something like what happened in  
19 Tokaimura if it had been done in an ISA, as our fuel  
20 cycle facilities are done, I don't think they would --  
21 I mean, they would have recognized it and most  
22 probably have prevented an accident from occurring.

23 DR. LARKINS: Trying to follow up on that,  
24 this facility is similar to other centrifuge  
25 facilities that you have numbers related to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reliability of certain processes?

2 MR. FARAZ: The process is fairly similar.  
3 In other words, you know, the UF<sub>6</sub>, large quantities of  
4 UF<sub>6</sub> --

5 DR. LARKINS: I was thinking about it in  
6 the human error arena, where you can assess the  
7 likelihood of a particular process being carried out  
8 correctly.

9 MR. FARAZ: Yes, yes. And, in fact, it  
10 will be similar to the Urenco facilities that operated  
11 safely over the years. So yes.

12 DR. LARKINS: Okay. I guess I was just  
13 curious. I was looking on slide 10, where it talked  
14 about USEC's poor compliance history. How do you  
15 consider that in your human reliability estimates of  
16 factoring human factors?

17 MEMBER WEINER: That doesn't mean it  
18 happened.

19 DR. LARKINS: It doesn't mean it's real,  
20 right.

21 MR. FARAZ: That's right.

22 DR. LARKINS: I understand. Okay. Thank  
23 you.

24 VICE CHAIRMAN CROFF: If I may, I'd like  
25 to move on. And we'll listen to the rest of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presentation. And then we'll go around and do the  
2 usual questions. So we'll just have clarifications  
3 here in the middle.

4 Matt Blevins, I believe.

5 MR. BLEVINS: Yes.

6 VICE CHAIRMAN CROFF: Okay. Thank you.

7 MR. BLEVINS: I'm Matt Blevins, as Yawar  
8 said. I am with the Division of Waste Management and  
9 Environmental Protection. So we've got to throw that  
10 in there. We're actually assisting Fuel Cycle in this  
11 environmental review. It's sort of one of our tasks  
12 up there in DWMEP now.

13 In this first slide, I have just a flow  
14 diagram of the environmental review process. And  
15 we've just completed the scoping process. One of the  
16 things you'll note is we had sort of an extremely long  
17 scoping comment period. And that is sort of related  
18 to the ADAMS being taken down. So that was one of the  
19 hurdles we had to overcome so we could go back out and  
20 complete the scoping process.

21 So Yawar mentioned some of the  
22 deliverables we have had recently, the environmental  
23 RAIs. And then near term we'll have the scoping  
24 summary report, which will sort of discuss how we  
25 handle the scoping comments that were submitted by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 members of the public. We'll talk about some of those  
2 comments here in a second.

3 In terms of major deliverables, we have  
4 the draft environmental impact statement in July of  
5 this year. And we'll be going back out for public  
6 comments again. It's required by regulations. And  
7 then we'll issue the final EIS in February of 2006, as  
8 we previously talked about. And you sort of see how  
9 that feeds into the agency decision with the safety  
10 evaluation report.

11 Next slide, please. Some of the major  
12 scoping comments I've listed here on the slide.  
13 You'll see that if you look at Yawar's slide on the  
14 contentions, they're very similar. And that's  
15 primarily because the same group submitted most of the  
16 scoping comments and also submitted them as  
17 contentions.

18 So some of the bigger ones or the ones  
19 that were questioned more, you know, the need for the  
20 facility, historical and cultural resources, oddly  
21 enough, was one of the major scoping comments we  
22 received. We thought we were kind of out of it. I  
23 don't think we anticipated that based on the fact that  
24 it is an existing facility.

25 And then depleted uranium disposal, as you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 might have guessed, is another major scoping comment  
2 we got, much like with LES, and then some alternative  
3 site uses and some transportation ones. These were  
4 the major ones that we got.

5 Now, on the next slide, please. It's  
6 nothing that we weren't anticipating in the bigger  
7 picture. I mean, this slide here lists the typical  
8 resource areas we typically evaluate in an  
9 environmental impact statement. So I don't think  
10 there are any surprises from the scoping comments in  
11 what we are going to have to go out and evaluate.

12 So I'm not going to go through each of  
13 these. That's my big picture overview of where we are  
14 in the environmental review. So if you have any  
15 specific questions for me?

16 VICE CHAIRMAN CROFF: I'm just going to  
17 take the people here one at a time, let them do their  
18 thing. Ruth?

19 MEMBER WEINER: I have a number of  
20 questions. First of all, what are you going to do  
21 with the tails from the process, the depleted uranium  
22 hexachloride?

23 MR. BLEVINS: Well, they proposed what I  
24 think they called the plausible disposal strategy.  
25 Right now we're looking at different scenarios. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one of those scenarios is near-surface disposal. We  
2 haven't completed that analysis yet.

3 MEMBER WEINER: So at this point, you  
4 don't know what you are going to do with the tails?

5 CHAIRMAN RYAN: What they're going to do  
6 with it.

7 MEMBER WEINER: What they're going to do  
8 with the tails.

9 MR. BLEVINS: Yes. I think what they have  
10 said they are going to do is send them to the  
11 conversion facility that is going to be built there at  
12 Portsmouth. And then some of those programmatic EISEs  
13 have talked about that it's acceptable to send it to  
14 either one of the disposal facilities out west.

15 MEMBER WEINER: Okay. So as U-02 or  
16 U-308?

17 MR. BLEVINS: U-308.

18 MEMBER WEINER: Yes. Okay. I noticed  
19 that you did not mention uranium fluorate as a health  
20 problem. You did mention HF, but when you release UF  
21 to the air, you're also going to get basically  
22 oxidized UF<sub>6</sub>. And that's nasty, pretty nasty, stuff  
23 also.

24 I don't think anybody would be around long  
25 enough to inhale or ingest enough uranium to cause any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 kidney damage. I think the HF is going to get them  
2 first.

3 MR. FARAZ: That's true, yes. If there is  
4 a large release and a person gets exposed to that  
5 release, clearly the HF will get there first.  
6 However, if you look at the smaller releases, the  
7 uranium kind of is a controlling factor, the soluble  
8 uranium is. In other words, the HF concentrations for  
9 the same amount of soluble uranium concentrations  
10 would be not as harmful.

11 MEMBER WEINER: But if you got something  
12 like a pinhole, the very small release, doesn't UF<sub>6</sub> at  
13 ambient temperatures solidify? I mean, it sublimes  
14 from the solid. Doesn't it close off its holes, the  
15 holes themselves, or would you get a hole so big that  
16 it wouldn't close up?

17 MR. FARAZ: The UF<sub>6</sub> would not solidify.  
18 I mean, not necessarily. It can remain as gas. If  
19 it's fairly cold, then yes, it would tend to solidify.

20 But if it's released as gas, it would react  
21 with the water vapor and form U<sub>2</sub>F<sub>2</sub>, which is solid in  
22 particular form.

23 MEMBER WEINER: Yes. That's that fine  
24 powder that you get.

25 MR. FARAZ: Right. And that would tend to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 --

2 MEMBER WEINER: You said you're using,  
3 you're not liquefying to transfer from one container  
4 to the other.

5 MR. FARAZ: They are proposing to liquefy

6 --

7 MEMBER WEINER: They are?

8 MR. FARAZ: -- for transfer, yes.

9 MEMBER WEINER: -- proposing? So that the  
10 sublimation would be just for the centrifuge process  
11 itself?

12 MR. FARAZ: That's correct, yes.

13 MEMBER WEINER: Okay. I just have a  
14 couple of more. So you answered the waste question.  
15 Do you have any new ideas about transportation or are  
16 you going to use 48X and 48Y cylinders or do you know?

17 MR. FARAZ: I believe it's still -- well,  
18 for feed, --

19 MEMBER WEINER: Yes.

20 MR. FARAZ: -- it would be the 48s. And  
21 then for product, it will be the 30Bs.

22 MEMBER WEINER: I'm just curious. Why is  
23 the electrical usage so much less than for the gaseous  
24 diffusion process?

25 MR. FARAZ: The centrifuge machine itself

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is a lot more efficient than the gaseous diffusion.  
2 I mean, the centrifuge process, the enrichment factor,  
3 the theoretical enrichment factor is much, much higher  
4 than a gaseous diffusion.

5 So for a gaseous diffusion plant, if you  
6 need 100 stages, you may only need 10 or I'm just  
7 throwing that out in that example, but you need a lot  
8 fewer stages to get the same amount of enrichment than  
9 for a gaseous diffusion plant.

10 And clearly, you know, when you are  
11 considering Paducah running at 1,500 megawatts, 2,000  
12 megawatts, you know, they are consuming a lot of  
13 power.

14 MEMBER WEINER: Yes.

15 MR. FARAZ: So it's a major savings.

16 MEMBER WEINER: Thanks. That's all I had.

17 VICE CHAIRMAN CROFF: Mike?

18 CHAIRMAN RYAN: One of the points -- I  
19 guess slide 9 is a good place to pick it up -- where  
20 enrichment is going up to ten percent. Currently  
21 folks are enriching up to what, three or four?

22 MR. FARAZ: Close to five.

23 CHAIRMAN RYAN: Close to five. So that's  
24 at least a doubling of enrichment. And again I come  
25 back to the PRA approach. Is that something that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 needs a systematic review? It just caught my  
2 attention that we're doubling enrichment. And how has  
3 that been evaluated?

4 MR. FARAZ: What USEC has done is they  
5 have evaluated their plant, their systems and all  
6 their equipment, at ten percent. So they're safe at  
7 ten percent. And they've assumed ten percent for all  
8 the entire process, even though they would be using,  
9 you know, going up to five percent or six percent.

10 CHAIRMAN RYAN: I think about that in  
11 terms of the normal process. I could understand how  
12 you could get to that. But what about accident  
13 scenarios and other kinds of off-normal circumstances?  
14 You know, again I'm just thinking out of the box here  
15 a little bit. Has that been analyzed? In a more  
16 rigorous PRA, you would approach all of that as well.

17 MR. FARAZ: Again, the ISA, the integrated  
18 safety analysis, assumes ten percent in the worst  
19 case.

20 CHAIRMAN RYAN: What if it's 11?

21 MR. FARAZ: What if it's --

22 CHAIRMAN RYAN: What if it's a little  
23 higher or a little lower? You know, I mean, that's  
24 the kind of thing where I would be more comfortable if  
25 there were some insight into what evaluating at ten

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 exactly means. I mean, I understand the analytical  
2 calculational aspect, but I just wonder if that is  
3 sensitive to a particular parameter or difference.

4 Again, I'm sitting here because I don't  
5 know a lot about this particular technology, but I  
6 just question whether that needs more detail or not.

7 Yes? I'm sorry.

8 MR. SCOTT: I was just going to say from  
9 the standpoint of whether this has been done before,  
10 remember that the military has enriched to a whole lot  
11 more than ten percent.

12 CHAIRMAN RYAN: Oh, clearly. Absolutely.  
13 No. I understand that. But have they shared that  
14 criticality analysis with these folks?

15 MR. SCOTT: I doubt it.

16 CHAIRMAN RYAN: So that's a different  
17 world. Clearly that's true, but I just wonder in this  
18 configuration for the way they have designed it, as  
19 you say, they have analyzed it at ten, but are you  
20 satisfied that is enough?

21 MR. FARAZ: Well, USEC also operated the  
22 Portsmouth gaseous diffusion plant. And that was  
23 authorized to ten percent.

24 CHAIRMAN RYAN: Did they ever operate it  
25 at ten percent?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN CROFF: Portsmouth is  
2 operated all the way.

3 MR. FARAZ: It was operated, you know, up  
4 to, yes --

5 VICE CHAIRMAN CROFF: Ninety plus.

6 MR. SCOTT: Weren't the HTGRs also? The  
7 Fort St. Vrain thing? That was higher, I believe.  
8 Twenty maybe.

9 MR. FARAZ: Even though it wasn't USEC  
10 that was doing that, it was DOE and, you know, its  
11 contractor, but the facility that USEC operated was  
12 authorized at ten percent. And all of the analyses  
13 were upward ten percent.

14 CHAIRMAN RYAN: One of the areas where I  
15 think we might have interest -- I'm going to turn to  
16 this schedule slide -- is as the draft EIS becomes  
17 available, I think that's a point where the Committee  
18 might like to take a second look at the environmental  
19 impact statement and understand the whole system a  
20 little bit better and your analysis of the  
21 environmental impact statement.

22 VICE CHAIRMAN CROFF: And the SER?

23 MEMBER WEINER: And the SER.

24 CHAIRMAN RYAN: And the SER, yes, as well  
25 at that juncture in February of '06.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FARAZ: Okay.

2 CHAIRMAN RYAN: That might be a place  
3 where we could put a mark to revisit this.

4 MR. FARAZ: So this is after those are  
5 published.

6 MR. BLEVINS: The final.

7 CHAIRMAN RYAN: No.

8 MR. FARAZ: No. The draft.

9 CHAIRMAN RYAN: The draft.

10 MR. FARAZ: After the reports are  
11 published.

12 MR. BLEVINS: The draft is this summer for  
13 the EIS.

14 CHAIRMAN RYAN: I'm sorry. You're right.

15 MR. GITTER: This is Joe Gitter, the Chief  
16 of the Special Projects Branch.

17 Because of the schedule on these projects,  
18 we are not planning to do a draft safety evaluation  
19 report.

20 CHAIRMAN RYAN: But they are going to go  
21 out for comment, public comment, or not?

22 MR. FARAZ: Not the SER.

23 MR. GITTER: Not the safety evaluation  
24 report.

25 CHAIRMAN RYAN: But the EIS is.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GITTER: Yes. It's required to under  
2 NEPA.

3 CHAIRMAN RYAN: All right. I've got you.  
4 Well, at least at that point. The reason I ask that  
5 question is that a subcommittee of ACNW participated  
6 with ACRS on a MO<sub>x</sub> and ended up raising an interesting  
7 and from the ACRS' point of view safety question, what  
8 if there's a disruption in waste outlet?

9 And I think that's an important question  
10 to valuate for any facility. If there's an  
11 interruption of a week, it's probably not a big deal.  
12 If it goes into months or years, then safety questions  
13 that could get raised might need to get addressed. So  
14 that's what we ended up offering as our part of the  
15 letter that the ACRS wrote on the MO<sub>x</sub> facility. So it  
16 might be interesting for us to explore that question  
17 and the waste outlet question on this as well.

18 Thank you, Allen.

19 VICE CHAIRMAN CROFF: I want to follow up  
20 on something you brought up, the SER. From what I  
21 take out of this, there's not going to be a clean  
22 opportunity to review and comment on this before it  
23 goes final. Is that a fair understanding?

24 MR. FARAZ: That's correct.

25 MR. SCOTT: And I have to say from my

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 experience in NRR, that is absolutely normal. It's a  
2 different regulatory process.

3 VICE CHAIRMAN CROFF: Okay. All right.

4 CHAIRMAN RYAN: And, to be fair, Allen,  
5 perhaps the actual workings and the licensing of the  
6 facility, the machinery itself is a little bit out of  
7 our scope, but I think the environmental waste  
8 questions certainly are in our scope.

9 MR. GITTER: Yes. Our understanding was  
10 we were coming to you to present an informational  
11 briefing.

12 CHAIRMAN RYAN: That doesn't mean we can't  
13 ask questions, though.

14 MEMBER HINZE: Just a quick question. And  
15 I may be ahead of the game here, but the challenge in  
16 the water resources, is this a matter of an accident  
17 or is this a matter of the waste storage?

18 MR. BLEVINS: This is an issue with some  
19 of the past practices. I think some of the  
20 contentions are that some of the uranium has  
21 previously been released. And the argument is that  
22 they haven't reported it in a correct manner. That  
23 was my read of it.

24 MEMBER HINZE: Previously released as part  
25 of the operational --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BLEVINS: From the gaseous diffusion  
2 facility.

3 MEMBER HINZE: From the gaseous diffusion  
4 facility.

5 MEMBER WEINER: From the facility, yes.

6 MEMBER HINZE: From the old facility.

7 MEMBER HINZE: Thank you.

8 VICE CHAIRMAN CROFF: Any more? Jim?

9 MEMBER CLARKE: I was just curious. I was  
10 at this facility I think a couple of years ago, just  
11 before they put the gaseous diffusion plant into a  
12 cold start status. It's not ready to shut down. It's  
13 ready to crank up again or at least it was at that  
14 time. And this I guess is intended to replace that.

15 MR. BLEVINS: That and Paducah as well, I  
16 believe, as part of the --

17 MEMBER CLARKE: And Paducah as well.

18 MR. BLEVINS: That's what they state in  
19 there. That's consistent with what --

20 MEMBER CLARKE: Are they using --

21 MR. BLEVINS: Yes.

22 MEMBER CLARKE: -- some of the same  
23 facilities?

24 MR. BLEVINS: I'm sorry?

25 MEMBER CLARKE: Using some of the same

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 facilities?

2 MR. BLEVINS: My understanding is some of  
3 the utility facilities, but in terms of the actual  
4 gaseous diffusion buildings --

5 MEMBER CLARKE: No. I know.

6 MR. BLEVINS: -- it's primarily located --

7 MEMBER CLARKE: No. That's a different  
8 deal.

9 MR. BLEVINS: Yes.

10 MEMBER CLARKE: Also, as I recall, they  
11 had a groundwater contamination plume, but I think it  
12 was trichloroethylene. I don't think it was uranium.

13 MR. FARAZ: It's still there.

14 MEMBER CLARKE: Okay. Thank you.

15 VICE CHAIRMAN CROFF: I've got a couple of  
16 questions, I guess. Could we go to page slide 9? I'd  
17 like to understand some of these contentions a little  
18 bit more. I'm not sure I understand what the  
19 technical issue is or what the issue is.

20 Criticality monitoring exemption. I take  
21 from this that USEC is asking for an exemption from  
22 some requirement. Is that --

23 MR. FARAZ: Yes. There's a requirement  
24 for fuel cycle facilities that they have criticality  
25 monitoring where they have enriched uranium. In the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cylinder yards primarily, you know, which tend to be  
2 fairly large, that is one place that USEC would like  
3 not to have criticality monitors.

4 And we didn't grant them an exemption for  
5 the gaseous diffusion plants. So it will be a very  
6 similar type of operation, a very similar type of  
7 request.

8 VICE CHAIRMAN CROFF: Okay. On the  
9 enrichment authorization, Mike sort of started down  
10 this path. What are they assuming in their  
11 criticality analysis about the presence or absence of  
12 -- well, let me back up. I take it they are assuming  
13 they cannot get it in a liquid or a solid form in the  
14 plant, that USEC assumes this in their criticality  
15 analysis.

16 MR. FARAZ: That they cannot get uranium  
17 in solid form?

18 VICE CHAIRMAN CROFF: Yes.

19 MR. FARAZ: There are places where they  
20 will have uranium in solid form as well as liquid.

21 VICE CHAIRMAN CROFF: Okay. And in places  
22 where it isn't planned. Let me rephrase that.

23 MR. FARAZ: Okay. If there is a potential  
24 for the gas to convert into a solid, for instance, you  
25 know, if they get deposits within the facility, there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is a potential for that, then they will assume that  
2 yes, they will have solid over that. And, you know,  
3 primary control tends to be moderation, control  
4 moderation, in those areas. Generally that's how they  
5 ensure.

6 VICE CHAIRMAN CROFF: And a broader  
7 question on the ten percent, if they begin making or  
8 enriching above five percent, it would seem it would  
9 have some implications for the rest of the fuel cycle,  
10 which is generally geared to five percent or less, has  
11 there been any assessment of sort of the implications  
12 to other facilities that might have to handle spent  
13 fuel from this or make fresh fuel or anything like  
14 that?

15 MR. GITTER: I'm sorry. Those facilities  
16 that have to be licensed separately for whatever  
17 enrichment was required for fuel. So, for example, if  
18 you had a requirement for 10-08 percent 235 fuel, the  
19 fuel manufacturer, we would have to do a review to  
20 ensure that they could manufacture that fuel at the  
21 higher enrichment.

22 VICE CHAIRMAN CROFF: But if they went in  
23 that direction at some point, this has significant  
24 implications for the rest of the fuel cycle. Maybe we  
25 would have to do some relicensing or maybe even

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 redesign or whatever.

2 MR. GITTER: That's correct.

3 VICE CHAIRMAN CROFF: Okay. And on the  
4 bottom one here, the need for enriched feed at 3.9  
5 percent, I don't understand, I guess, what's --

6 MR. FARAZ: Okay. The contention states  
7 that to be able to get 10 percent, you know, they have  
8 to feed at 3.9 percent. And they're basing that on  
9 the amount of tails that USEC has said it will  
10 generate.

11 So they use the tails amount. And then  
12 they estimated based on the quantity of tails that  
13 they're going to generate in 30 years of operation.  
14 It would mean that they need feed at 3.9 percent. So  
15 that's what they're contending.

16 VICE CHAIRMAN CROFF: Okay. So they would  
17 be buying 3.9 percent uranium from themselves or  
18 somebody else or running it through twice or --

19 MR. FARAZ: No. They would be feeding  
20 natural uranium primarily for that. This is a  
21 contention that we're reviewing.

22 VICE CHAIRMAN CROFF: I guess I still  
23 don't understand. You're going to have to try it  
24 again. I thought I understood you to say that for the  
25 USEC centrifuge plant to enrich to 10 percent, they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would have to feed at 3.9.

2 MR. FARAZ: I believe they use ten percent  
3 and the amount of tails that they're going to generate  
4 because in the application, it says that they will  
5 generate so many tons of depleted uranium a year.

6 So they took that amount. And they put it  
7 in a formula, the enrichment formula. They assumed  
8 certain tails enrichment. And then they came up with  
9 3.9 percent for feed.

10 MR. BLEVINS: That's the contention, but  
11 the actual proposal is to use --

12 MR. FARAZ: Natural, yes.

13 VICE CHAIRMAN CROFF: I see. Okay. Okay.

14 MR. FARAZ: These are just contentions  
15 that the --

16 VICE CHAIRMAN CROFF: USEC is not actually  
17 proposing this?

18 MR. FARAZ: No, no.

19 VICE CHAIRMAN CROFF: Okay. I thought  
20 they were objecting to USEC's proposal. That's where  
21 I went awry.

22 MR. FARAZ: No.

23 VICE CHAIRMAN CROFF: And, finally, I  
24 think on the waste issue, I'm assuming - well, are  
25 they producing any liquid waste from this facility or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is it all solid?

2 MR. FARAZ: There will be liquid  
3 effluents.

4 VICE CHAIRMAN CROFF: There will be liquid  
5 effluents?

6 MR. FARAZ: Effluents, yes.

7 VICE CHAIRMAN CROFF: Okay. And their  
8 proposal is commercial disposal?

9 MR. FARAZ: For liquid effluents?

10 VICE CHAIRMAN CROFF: No. I'm sorry. Not  
11 for the effluents but for the solid waste, for  
12 low-level waste.

13 MR. FARAZ: Yes. Any solid low-level  
14 waste that they generate clearly would be commercial.

15 VICE CHAIRMAN CROFF: I mean, they're not  
16 giving it back to DOE?

17 MR. FARAZ: That's correct, yes.

18 VICE CHAIRMAN CROFF: And if I could stop  
19 there, does any staff have some question? Latif?

20 MR. HAMDAN: Yes. Actually, I have two  
21 comments. First of all, liquid waste, what are they  
22 proposing to dispose it in?

23 MR. FARAZ: The liquid waste would be  
24 effluents from their decontamination.

25 MR. HAMDAN: Right. Where would they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dispose it?

2 MR. FARAZ: This would go into the waste  
3 treatment facility. And from there, it will be  
4 discharged into the environment.

5 MR. HAMDAN: The other question, actually,  
6 the applicant's use of risk index method, as opposed  
7 to PRA, is mainly because NUREG-1520 recommends they  
8 use that method, right?

9 MR. FARAZ: That's correct, yes.

10 MR. HAMDAN: In other words, if they  
11 recommend some other method, the licensees would  
12 prefer that method.

13 MR. FARAZ: I'm not sure that would be  
14 true, but it just so happens that they're using the  
15 same methodology that 1520 --

16 MR. HAMDAN: Yes. I will mention this.  
17 The applicants prefer to go with that. This way the  
18 review would be easier, a lot more streamlined.

19 MR. FARAZ: There's probably some truth to  
20 that, yes.

21 MR. HAMDAN: Thanks.

22 VICE CHAIRMAN CROFF: Okay. John?

23 MR. FLACK: Yes. I would kind of follow  
24 up on this ISA. How does that enter into the  
25 decision-making process? I mean, you write about that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in your SER. Does that support decisions? When you  
2 have health risks on that list, is that quantitative  
3 health risks or is that qualitative or how do you go  
4 about assessing those?

5 MR. FARAZ: Well, clearly we address --  
6 you know, we look at the ISA, and we review it. What  
7 they submit to us is an ISA summary. Also, we go on  
8 site and look at their ISA and review the actual ISA  
9 documentation. And we look at the accident sequences.  
10 We look at their methodology and all of that. So  
11 clearly that goes into our decision-making process.

12 And the second part of the question was?

13 MR. FLACK: Well, no. I'm not even at  
14 that point. Looking at it for what? For what reason?  
15 I mean, are there some goals that you have assessed?

16 MR. GITTER: Yes, absolutely.

17 MR. FLACK: And then do you do important  
18 measures to find out if there are vulnerabilities that  
19 could be fixed at some reasonable cost or is it just  
20 based on some bottom line frequency number that you  
21 come up with?

22 MR. FARAZ: USEC is required to protect  
23 the workers, the public, and the environment. There  
24 are certain exposure doses, limits that are set. For  
25 instance, the workers should not be exposed to more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 than 100 rem, let's say.

2 MR. FLACK: With some probability.

3 MR. FARAZ: Yes, that is correct. The  
4 likelihood is also considered. So if they are in an  
5 accident sequence that results in exposure of greater  
6 than 100 rem, then they have to make that license  
7 sequence highly unlikely. And that has --

8 MR. FLACK: And that has a probability.

9 MR. FARAZ: There is a likelihood  
10 associated with it, yes.

11 MR. FLACK: Right, right. Yes.

12 MR. FARAZ: Yes. And there is highly  
13 unlikely, and there is also unlikely. So lesser  
14 impact accidents, they would have to make those  
15 unlikely. That's what the regulation says.

16 MR. GITTER: John, just to add to what you  
17 already said, we have performance requirements in Part  
18 70. Part 70 is really call it a risk-informed  
19 performance-based rule. And if you look at Part 70,  
20 you will see a matrix in there.

21 And just as you all describe for high  
22 consequence events, it has to be shown to be highly  
23 unlikely. And, likewise for intermediate consequence  
24 events, it has to be shown to be unlikely.

25 Now, it's not a PRA method. And you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not going to see that in fuel cycle facilities for a  
2 number of reasons. They're not reactors. You don't  
3 have a lot of the failure rate, meant time to repair  
4 sort of data.

5 And in the case of both USEC and LES,  
6 you're relying heavily on operating experience. You  
7 know, with a lot of the operations at the USEC  
8 facility, you had similar operations at the gaseous  
9 diffusion plant.

10 So you do have an operating experience you  
11 can rely on to assign meaningful frequency or come up  
12 with meaningful frequency information. But it really  
13 is frequencies and not probabilities. You're talking  
14 about a range of frequencies.

15 MR. FLACK: Probablistic frequency,  
16 actually.

17 MR. GITTER: Well, you could say that,  
18 yes.

19 MR. FLACK: But as in NEPRA and so on, you  
20 can always separate sequences and drive them as low as  
21 you want by adding more and more things to them.

22 MR. GITTER: Right.

23 MR. FLACK: So you have to be very careful  
24 on how you do that. And I guess when you do a PRA,  
25 you can do things like importance measures, look

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 across sequences, and seeing how things could change.  
2 That's not one sequence but many sequences. But  
3 without a PRA, I don't know how you could do that  
4 using this method.

5 MR. GITTER: PRA is just one approach.  
6 It's a deductive approach. This approach looks at it  
7 differently, but it has concepts very similar to what  
8 a PRA would have. And you look at the unmitigated  
9 consequences. And if your consciences, for example,  
10 are high consequences, then you need to identify items  
11 relied on for safety to drive down the risk.

12 MR. FLACK: Thank you.

13 CHAIRMAN RYAN: I'm reminded by this last  
14 discussion of many of the same and similar comments  
15 that everybody talked about in the ACRS meeting on  
16 MO<sub>x</sub>. And I want to add that, as we think about  
17 probabilistic risk assessment from our perspective and  
18 hear about ISAs, we're not intending any criticism  
19 necessarily. We're just simply trying to understand  
20 differences and similarities.

21 And having sat through many, many hours of  
22 the ACRS asking similar questions, I'm reminded that  
23 we're as much of gaining information as well as trying  
24 to understand.

25 So I don't want you to take away thinking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that this is a bad system, but it's not the system  
2 we're all as familiar with, either on the Yucca  
3 mountain site, for example, or in the reactor area.

4 MR. GITTER: I understand.

5 CHAIRMAN RYAN: So we appreciate your  
6 patience in helping us really appreciate some of the  
7 details. So again thank you.

8 DR. LARKINS: Yes. I was going to clarify  
9 something. To go back to the discussion on the  
10 schedule, so there would be an opportunity to provide  
11 some comments when it's in final, the SER and EIS?  
12 That's the current plan?

13 MR. GITTER: I'm sorry, John? Could you  
14 repeat that?

15 DR. LARKINS: I said there would be an  
16 opportunity when you finish the EIS and the SER to  
17 provide some comments or review?

18 MR. GITTER: Our plan for the final for  
19 the SER was to go ahead and issue a safety evaluation  
20 report without sending it out for comment.

21 DR. LARKINS: So you don't have any plans

22 --

23 MR. GITTER: That's in order to meet the  
24 Commission's order for the 18-month technical review  
25 schedule.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. LARKINS: Okay. I thought we had  
2 discussed this before and it would be some opportunity  
3 for the committees to comment on it.

4 MR. GITTER: My understanding was the ACNW  
5 was going to receive an information briefing only.  
6 That was our understanding.

7 DR. LARKINS: Okay.

8 MS. DAVIS: This is Jennifer Davis. I'm  
9 the Chief of the Environmental and Low-Level Waste  
10 Section.

11 What we can do is go ahead and put you all  
12 on distribution for the draft EIS when that comes out  
13 in June. So that would be an opportunity, as Mike had  
14 suggested, to go ahead and comment in the early  
15 stages. But that is purely the environmental part.

16 DR. LARKINS: Thank you.

17 VICE CHAIRMAN CROFF: Any more questions?

18 (No response.)

19 VICE CHAIRMAN CROFF: Okay. Thanks for a  
20 very informative presentation, appreciate your time.  
21 And we'll look forward to this summer.

22 Back to you.

23 CHAIRMAN RYAN: Thank you, Allen.

24 We do have some other business to think  
25 about. So we'll continue on with our agenda. I don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know that we need to be on the record at this point.

2 Can you advise me, John or --

3 MR. FLACK: No. I think you can stop  
4 recording.

5 CHAIRMAN RYAN: So we can stop the record  
6 for today here. Thank you very much. We're still in  
7 session, though, but thank you all for participating.

8 (Whereupon, at 4:54 p.m., the foregoing  
9 matter was adjourned.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25