

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste
 165th Meeting

Docket Number: (not applicable)

Location:
 Rockville, Maryland

Date: Monday, November 14, 2005

Work Order No.: NRC-742

Pages 1-205

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005

(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE (ACNW)

+ + + + +

165th MEETING

+ + + + +

MONDAY,

NOVEMBER 14, 2005

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear
Regulatory Commission, Two White Flint North,
Room T2B3, 11545 Rockville Pike, at 8:30 a.m., Michael
T. Ryan, Chairman, presiding.

COMMITTEE MEMBERS:

MICHAEL T. RYAN, Chairman

ALLEN G. CROFF, Vice Chairman

JOHN T. LARKINS, Executive Director

JAMES H. CLARKE, Member

WILLIAM J. HINZE, Member

RUTH F. WEINER, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACNW STAFF:

2 NEIL M. COLEMAN

3 JOHN FLACK

4 LATIF S. HAMDAN

5 MICHAEL LEE

6 RICHARD K. MAJOR

7 MICHAEL SCOTT

8 SHARON A. STEELE

9

10 ALSO PRESENT:

11 JANET KOTRA, NMSS

12 TIM McCARTIN, NMSS

13 DADE W. MOELLER, Dade Moeller and Associates

14 THOMAS TENFORDE, NCRP

15 MATTHEW KOZAK, EPRI

16 MARTIN MALSCH, ESQ., State of Nevada

17

18

19

20

21

22

23

24

25

I-N-D-E-X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

| <u>AGENDA ITEM</u> | <u>PAGE</u> |
|--|-------------|
| Opening Remarks by the ACNW Chairman | 4 |
| Observations from the U.S. Environmental | 5 |
| Protection Agency's (EPA's) October 2005 | |
| Public Meeting on its Proposed Revisions | |
| to 40 CFR Part 197 | |
| U.S. Nuclear Regulatory Commission's (NRC's) | 14 |
| Plans for the Implementation of a Dose | |
| Standard After 10,000 Years | |
| Public Comment Session | 61 |

P-R-O-C-E-E-D-I-N-G-S

(8:36 a.m.)

CHAIRMAN RYAN: This is the first day of the 165th meeting of the Advisory Committee on Nuclear Waste.

My name is Michael Ryan, Chairman of the ACNW. The other members of the committee present are Vice Chairman Allen Croff, Ruth Weiner, James Clarke, and William Hinze.

Today the committee will receive a report from ACNW member Dr. Ruth Weiner, who attended the U.S. EPA's October 2005 public meeting on the proposed revisions to 40 CFR 197. We will discuss the U.S. Nuclear Regulatory Commission's plans for the implementation of a dose standard after 10,000 years.

We'll hear presentations and comments from stakeholders on revisions being proposed to the Yucca Mountain regulatory framework. We'll hold an ACNW roundtable discussion later in the day on the matters discussed in the morning and early afternoon sessions. And we will discuss proposed committee letters and reports.

Mike Lee is the Designated Federal Official for today's session.

This meeting is being conducted in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accordance with the provisions of the Federal Advisory
2 Committee Act. We have received no written statements
3 or requests for time to make oral statements from
4 members of the public regarding today's sessions,
5 other than those already on the agenda.

6 And should anyone wish to address the
7 committee, please make your wishes known to one of the
8 committee staff. It is requested that speakers use
9 one of the microphones, identify themselves, and speak
10 with sufficient clarity and volume so they can be
11 readily heard.

12 It is also requested that if you have cell
13 phones or pagers that you kindly turn them off.

14 Thank you very much.

15 And without further ado, I'll introduce
16 our first speaker, ACNW Member Dr. Ruth Weiner, who is
17 going to share with us her observations from the U.S.
18 Environmental Protection Agency's October 2005 public
19 meeting on its proposed revisions to 40 CFR 197.

20 Good morning, Ruth, and thank you.

21 MEMBER WEINER: Thank you, Mr. Chairman.
22 I want to make it very clear that these were my
23 impressions. I sat through the meetings and took
24 notes, and this is in no way an official record of the
25 hearing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The way that these meetings -- public
2 meetings and hearings are conducted is that there is
3 a relatively informal roundtable session that goes on
4 for about an hour before the formal hearing. The
5 informal session gives people a chance to ask EPA
6 questions and get informal answers, and to make
7 points.

8 As it turns out, many -- in fact, I would
9 say all of the people who spoke at the informal
10 session then went ahead and made the same points for
11 the public hearing.

12 Should I just do my own slides here, or --
13 oh, okay.

14 These are just some statistics. The
15 evening meeting was much better attended than the
16 meeting the following morning. I did not stay for the
17 third day.

18 About 50 people came, exclusive of the
19 various federal observers, and there was a
20 demonstration and I picked up a number of handouts,
21 which Mike Lee has. We're going to scan them and
22 attach them as a .gif file to the final report, if you
23 wanted to look at them. They were hard copy handouts.
24 I was not in a position to do anything electronically
25 with them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The following morning there was an open
2 meeting at 10:00, and about 20 people attended,
3 exclusive of the EPA people.

4 Next slide, please.

5 Should I just do this? Yes, okay.

6 The major points were made by EPA in
7 response to questions. They reviewed the history of
8 the standard, the role of EPA in the Nuclear Waste
9 Policy Act, and the basic points in 40 CFR Part 197,
10 explained the court's decision to vacate the 10,000-
11 year standard and explained how the new standard was
12 arrived at.

13 The major points made by EPA were the
14 following: 350 millirem a year was chosen because
15 much of the State of Colorado has a background of
16 about 700 millirem per year. I might point out this
17 is EPA's contention. I made no judgment about whether
18 they were right or wrong.

19 And I thought their argument was quite
20 interesting. Colorado has very similar demographics
21 to Nevada, very similar climate, very similar
22 geography. So they took Colorado as a comparative
23 state.

24 Pointed out that 36 states have a higher
25 background radiation than the average United States

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 background, and they said that international standards
2 were consulted, though they went into no detail about
3 what countries, what particular international
4 standards were consulted.

5 The speakers made a number of points, and
6 the two that I thought were the most critical to the
7 discussion of the standard -- and this is my own
8 personal choice of importance -- the first was that
9 EPA has chosen the median rather than the mean for the
10 longer time period, from 10,000 years to a million
11 years. And, of course, choosing the median greatly
12 increases the allowed upper limit to the dose from the
13 repository.

14 Many of the speakers, almost all of the
15 speakers, reiterated this point that they objected to
16 the choice of the media rather than the mean. And I
17 might say there was no particular explanation given
18 for this, that I heard in any case.

19 The second point that I thought was quite
20 important was EPA has been in the past very firm that
21 15 millirem per year was the largest dose that could
22 protect health. And the question was raised by many
23 speakers: how can you say that before 10,000 years 15
24 millirem per year is the highest you can go? And now,
25 after 10,000 years, it's okay to go to 350 millirem

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 per year, that that is now adequately protected. The
2 step function aspect of the new standard was what came
3 into question.

4 The tribal speakers made a number of
5 interesting points. There were several members of
6 various Native American tribes there, and they all
7 made approximately the same points. In particular,
8 the Western Shoshone said this is their land,
9 traditional land, and they don't want to poison it.
10 All of the tribal speakers pointed out that members of
11 the tribe have become ill since nuclear weapons were
12 developed.

13 They pointed to a lack of logic that went
14 into writing the new standard, particularly focusing
15 on that 15 millirem per year, 350 millirem per year
16 dichotomy. Other standards are not nearly as lenient
17 as the proposed million year standards. And, finally,
18 they said that to take into account the tribal
19 communications with the tribes, the comment period
20 should be extended for a matter of years, not just 90
21 days.

22 State and local governments made several
23 additional points, and I want to point out these were
24 additional to the points that everyone made.

25 The Nevada Attorney General and Governor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Guinn's representative, Mr. Loux, pointed out -- or
2 claimed that EPA had developed the standards in
3 collusion with the Department of Energy, that EPA has
4 abandoned its responsibility to protect public health.
5 They feel that an entirely new rule is needed.

6 Clark County gave a history of the
7 activities of the Atomic Energy Commission in Nevada,
8 and showed -- said that this showed that people -- the
9 reason why people don't trust the government.

10 Several organization speakers were up.
11 The Sierra Club made the point that EPA is cooking the
12 numbers. That was their term, not mine, by changing
13 from mean dose to the median. That using the median
14 means "a statistical 100 percent chance of cancer."
15 That was their concern.

16 That the standard showed no concern about
17 radiation effects on non-human species. They
18 suggested/recommended that the waste be left at the
19 powerplants, that spent fuel be recycled, and said
20 that transportation is harmful to the public.

21 And a two-tier standard, the word that the
22 Sierra Club representative used, was that it was not
23 stable.

24 Citizen Alert made the same points
25 everyone else had made, and then said that the hearing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- the public comment period was not an open process,
2 and said that EPA's fix to the standard subsequent to
3 the core position was totally unacceptable.

4 Several speakers had a completely
5 different perspective. The speakers -- most of the 50
6 people who attended were in one way or another opposed
7 to the repository, opposed to/critical of EPA.

8 A professor from University of Nevada Las
9 Vegas made the point that 15 millirem per year is too
10 small. It's too conservative, in effect, and said we
11 spend too much money protecting against fictional
12 risk. If 10 rem doesn't seem to cause health effects,
13 why are we wasting the public's money on this? Ten
14 thousand years is not set for any other pollutant.
15 The time scale should be shorter, not longer, and we
16 need international cooperation.

17 Two former test site workers testified
18 that -- and the primary points they made were
19 Hiroshima is currently a big city, people live there,
20 and without any apparent detriment to their health,
21 and made the point nobody is going to build a big city
22 at Mercury, Nevada.

23 One member said -- and this was almost a
24 quote, it was just too good to pass up. "I'm pushing
25 80, and none of us are dead, and we're in pretty good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shape."

2 Both of them -- both of the test site
3 workers said that Yucca Mountain is a necessity.

4 And that ends my report. I'd be happy to
5 answer any questions, comments.

6 CHAIRMAN RYAN: Questions? Yes, Jim.

7 MEMBER CLARKE: Ruth, I think it's your
8 slide 8 -- one of the comments was the standard should
9 have been more stringent than 15. Was that all-
10 inclusive or just for the 10,000 to a million?

11 MEMBER WEINER: They didn't say. I think
12 that the idea was just for the -- for the entire
13 period.

14 MEMBER CLARKE: For the entire period.

15 MEMBER WEINER: It should be strict --
16 whatever it was, the number was too big.

17 CHAIRMAN RYAN: Bill, questions? Anybody
18 else? Latif?

19 MR. HAMDAN: Yes. Ruth, did the omission
20 of the barometer standard beyond 10,000 years -- was
21 it in the discussion at all?

22 MEMBER WEINER: I think it was very
23 casually mentioned, and that's why I didn't put it on
24 the slide. As I recall, one speaker mentioned it, and
25 I -- I didn't have it in my notes, so I didn't put it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on the slide. So it was a very passing mention of
2 that.

3 That did not seem -- the details did not
4 -- that particular detail did not seem to be of
5 enormous concern, even to the Governor's
6 representative.

7 CHAIRMAN RYAN: Any other questions?

8 Well, thanks, Ruth. I think we're going
9 to hear some interesting insights through the day on
10 the technical aspects of some of the issues that you
11 raise, and I'll look forward to hearing some of those
12 technical points as we go through the morning.

13 Next on the agenda we are -- we will hear
14 from U.S. Nuclear Regulatory Commission on plans for
15 implementation of a dose standard after 10,000 years.

16 Good morning.

17 DR. KOTRA: Good morning. Good morning,
18 Mr. Chairman, members of the committee. It's a
19 pleasure to be here, and I welcome the opportunity to
20 give a -- provide an overview of --

21 CHAIRMAN RYAN: And, I'm sorry, this is
22 Dr. Janet Kotra. I forgot to introduce you when you
23 came in.

24 Thank you. Good morning.

25 DR. KOTRA: It's working here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Oh, the bulb is burned
2 out. Okay. I thought we were --

3 (Laughter.)

4 -- at one of those exciting pauses there.
5 Why don't we go off the record for a few minutes, and
6 we'll resume here in just a minute.

7 Thanks. Everybody just hold your spot,
8 and we'll change the bulb, and on we go.

9 (Whereupon, the proceedings in the
10 foregoing matter went off the record at
11 9:50 a.m. and went back on the record at
12 9:57 a.m.)

13 CHAIRMAN RYAN: Here we are with Plan B.

14 DR. KOTRA: Thank you very much.

15 CHAIRMAN RYAN: Thank you.

16 DR. KOTRA: I welcome the opportunity to
17 be with you here today, and to provide an overview of
18 NRC's proposed regulations as we have revised them
19 recently.

20 I assisted Tim McCartin, who had to leave,
21 in drafting these proposed regulations, along with
22 representatives of the technical staff, the Office of
23 General Counsel, and technical support from the Center
24 for Nuclear Waste Regulatory Analysis.

25 As you know, these revisions are necessary

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to make our regulations consistent with the new EPA
2 standards governing doses that might be received more
3 than 10,000 years at the potential -- after disposal
4 at the potential repository at Yucca Mountain.

5 The comment period for both proposals have
6 been extended, as you may know, and I urge any members
7 in the audience today that may wish to comment on
8 either proposal to be sure to submit their comments to
9 EPA by November 21st, or to NRC by the 7th of
10 December. To that end, I've brought with me a number
11 of sheets that have the relevant addresses and closing
12 of the comment period dates. They're in the back of
13 the room, for anyone who wishes to pick them up.

14 With that taken care of, I want to touch
15 briefly on the proposed -- the purpose of our proposed
16 rule, which is, first and foremost, to implement the
17 new standards. The Nuclear Waste Policy Act, and
18 later the Energy Policy Act of 1982, required that the
19 -- 1992, excuse me -- require that NRC and technical
20 licensing criteria for the Yucca Mountain proposed
21 repository be consistent with EPA environmental
22 standards.

23 In other words, the Congress has assigned
24 the responsibility for making the risk management
25 decision with regard to the appropriate level of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radiation protection for potential releases of the
2 repository to the Environmental Protection Agency.

3 It is NRC's job, then, to modify our
4 regulations to be consistent with final EPA standards
5 when they are published, and to implement them as part
6 of NRC's licensing process.

7 In its proposal, EPA specified that NRC
8 provide a treatment for climate change at Yucca
9 Mountain in the period between 10,000 years and a
10 million years. The second purpose of our proposal is
11 to designate a specific range of values that DOE must
12 use when assessing repository performance in order to
13 account for the effects of climate change.

14 And, lastly, because the proposed rule
15 specifies that estimates of public doses be based upon
16 current dosimetry, the NRC proposal makes provision
17 for the same current weighting factors to be used for
18 both calculations of worker dose and public dose,
19 consistent with EPA's proposal.

20 Before I discuss these in any more detail,
21 I wanted to give a little bit of background. I'll go
22 through this very quickly, as I'm sure the committee
23 is well aware of it -- that the NRC issued its final
24 regulations for Yucca Mountain Part 63 in November of
25 2001.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They implement the final standards that
2 EPA put in place in June of that year, and that EPA,
3 in developing these standards, was obligated under the
4 law to make them based on and consistent with findings
5 and recommendations of the National Academy of
6 Sciences.

7 The State of Nevada and other parties
8 challenged EPA's standards and NRC's regulations in
9 court, and the court upheld EPA's standards and NRC's
10 regulations on all but one issue. As you know, the
11 court disagreed with EPA's specification and NRC's
12 adoption of a 10,000-year compliance period, and
13 remanded the standard to EPA.

14 The court found that EPA's compliance
15 period was not, in fact, based on and consistent with
16 the National Academy findings as required by law.

17 To address the court decision, EPA
18 proposed revisions to its standards last August, and
19 NRC must now revise Part 63 to be consistent with the
20 final standards when EPA issues them.

21 In response to the ruling, EPA proposed
22 these standards, as I said, in August, and we are
23 prepared to revise Part 63 to be consistent.

24 The general overview of EPA's proposed
25 approach -- and it's not my intent to explain or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discuss EPA's standards here -- but they, first and
2 foremost, continue to apply the existing standards for
3 the first 10,000 years after disposal. They have left
4 the existing standard undisturbed for that first
5 10,000 years.

6 They have added separate additional
7 requirements for the peak dose after 10,000 years
8 within what they call the period of geologic
9 stability, which they have defined as one million
10 years after disposal. And as I indicated earlier,
11 they intend to update all calculations of doses to the
12 public based upon current dosimetry.

13 They limit the peak dose after 10,000
14 years. The EPA proposal specifies criteria that the
15 Department of Energy must use in its performance
16 assessment whereby this peak dose is calculated for
17 estimating doses in this -- these outyears. They
18 specify weighting factors in a separate table in
19 Appendix A of the standard for calculating individual
20 dose, and they state that NRC should specify values
21 that DOE should use to represent the variation in
22 climate in these outyears.

23 The EPA proposal, as Dr. Weiner indicated
24 and they discussed in their public meetings in Nevada
25 in October, would limit the median value of this peak

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dose -- these peak dose estimates to 3.5 millisieverts
2 per year or 350 millirems per year. NRC has proposed
3 to incorporate this dose limit into Part 63.

4 EPA has also proposed that the performance
5 assessments done for the first 10,000 years are
6 suitable as a basis for projections beyond 10,000
7 years, with some additional specifications. To limit
8 uncertainty, they make these specifications dealing
9 with the treatment of features, events, and processes,
10 often known as FEPs, that need to be evaluated in
11 these performance assessments beyond 10,000 years. In
12 particular, they include seismic activity, igneous
13 events, climate variation, and general corrosion.

14 Again, NRC proposes to incorporate these
15 criteria in Part 63.

16 As many of you know, dosimetry has
17 advanced, and international recommendations and
18 standards with regard to weighting factors have
19 advanced, and EPA has proposed the use of current
20 dosimetry in making the calculations of dose to
21 members of the public.

22 They have included a separate Appendix A
23 to 40 CFR 197 that includes these weighting factors,
24 and indicated that the Department of Energy should use
25 these weighting factors in making their calculations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The NRC proposes to adopt the
2 specification in Part 63, and we go on recognizing
3 that the EPA environmental and public health standards
4 address only doses to the public. Our implementing
5 regulations also cover doses to workers during
6 operations and closure activities. So consistent with
7 EPA's proposal, we would extend the application of
8 these current weighting factors to the calculations
9 and insist that the same weighting factors be used for
10 calculating doses to both populations.

11 Perhaps the more interesting, from our
12 point of view in terms of the area where we were given
13 some latitude, was to determine how climate variation
14 should be handled in these very long -- long-term
15 projections.

16 The EPA specified that the Department was
17 to assume that climate change after 10,000 years
18 resulted -- that the effects of that climate change
19 resulted solely from increased water flow through the
20 repository, and directed NRC to specify steady-state
21 values for DOE to use in projecting the long-term
22 impact of climate change.

23 In studying EPA's proposal, we considered
24 what parameter or set of parameters would be best to
25 reflect the average climate conditions. The obvious

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 choices are rainfall and temperature, but, really,
2 when you think about it it is the deep percolation to
3 the repository horizon that really affects the
4 performance of the repository.

5 And, therefore, the Commission chose to
6 specify a range of values for deep percolation rate
7 and assume a log normally, uniformly distributed
8 range, with a mean value approximately six times the
9 current range.

10 Now, you need to be careful. This is a
11 little bit tricky, because the assumption is here that
12 with each iteration of its performance assessment the
13 Department would sample over this specified range. It
14 would sample over this specified range to select a
15 constant for that iteration, but they would not apply
16 that constant for all iterations. Each iteration
17 would sample again.

18 So, and this range would represent cooler
19 and wetter climates, which paleoclimate data suggests
20 that over the last million or so years that climate at
21 Yucca Mountain has been cooler and wetter. For this
22 reason, the Commission has proposed a range of values
23 that represent a cooler and wetter climate consistent
24 with what we know has been the case at Yucca Mountain
25 in the past.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In summary, our proposal is to adopt the
2 EPA limit for peak dose after 10,000 years, adopt the
3 EPA criteria limiting the consideration of features,
4 events, and processes to be used in performance
5 assessment for doses after 10,000 years, adopt the EPA
6 weighting factors for calculating individual doses,
7 and require that those same current weighting factors
8 be used for calculating worker doses as well.

9 And, lastly, and you will hear more about
10 this in your meeting in December on the details of how
11 we selected a method for projecting long-term impact
12 of climate variation, we will have other members of
13 the technical staff, as well as someone from the
14 Center for Nuclear Waste Regulatory Analysis, to go
15 into a little bit more detail for the technical basis
16 for making this selection.

17 But suffice it to say that in our proposal
18 we have designated a range of values over which the
19 Department must select in projecting a long-term
20 impact of climate in the 10,000 to one million
21 timeframe.

22 In closing, I want to leave you with the
23 message that the NRC continues to believe that its
24 existing regulations at Part 63 are protective. We
25 have proposed additional requirements on top of those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 protective standards and regulations that are
2 consistent with EPA's new proposal for Yucca Mountain.
3 And that the NRC stands ready to revise its regulation
4 to be consistent with final EPA standards when they
5 are issued.

6 And with that, I am happy to answer any
7 questions. And Tim McCartin, the chief author, is
8 also here with me today. And I'm sure he will be
9 happy to address your questions as well.

10 Thank you.

11 CHAIRMAN RYAN: Thanks, Dr. Kotra. We
12 appreciate this summary of your activities to date.
13 I think we recognize, too, that while the comment
14 period for the EPA standard is underway and ongoing,
15 that that means that what you've based your efforts on
16 so far may, in fact, change some perhaps, perhaps not.
17 Who knows?

18 So it's a -- in that spirit, I think I'll
19 ask you questions about where you are in time.

20 DR. KOTRA: Okay.

21 CHAIRMAN RYAN: My question, as you were
22 talking about the worker calculation, led me to think
23 immediately about 10 CFR 20. Are you going to make
24 the same change for weighting factors across the
25 board?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KOTRA: At this point, no. Our
2 proposal is limited to Part 63 because of the
3 requirement that we be consistent with EPA's proposal.

4 CHAIRMAN RYAN: I guess I haven't thought
5 enough about it, but it would be interesting to
6 explore what that means, because if -- if you use
7 different weighting factors, that has to go through
8 the entire system of ALIs and DACs and all the rest.

9 DR. KOTRA: We recognize that.

10 CHAIRMAN RYAN: So that would be a huge
11 overhaul of radiation protection requirements, and I
12 just -- I wonder if it's worth thinking about that a
13 little bit more. Maybe you have already, Tim.

14 MR. McCARTIN: The wording in our
15 regulation was chosen very particular, and the
16 weighting factors will be used for the calculation of
17 doses. And so when you're doing the preclosure safety
18 assessment where you're calculating worker doses, you
19 would use those weighting factors in the calculation.

20 Now, in terms of Part 20, other things
21 that are in Part 20 that are not calculating would not
22 use those weighting factors. And so we're interested
23 in getting public comment -- the words "calculation"
24 were chosen very deliberately. It's for the
25 calculation of doses and --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: I hear you, but I think
2 that meaning is not going to be readily apparent to
3 the average person who is operating under 10 CFR 20 or
4 an agreement state equivalent, and --

5 MR. McCARTIN: Well, certainly. But this
6 rule only applies to Yucca Mountain. So agreement
7 states and other -- this is not a change to --

8 CHAIRMAN RYAN: I hear you, but --

9 MR. McCARTIN: -- the application of Part
10 20 to other facilities.

11 CHAIRMAN RYAN: -- we all reach for the
12 most recent dosimetry whenever we have to make a
13 calculation. So let me just throw out a for instance.
14 I'm a licensee, and I have an internal exposure to
15 assess. Do I use the NRC's Part 20, or do I rely on
16 the most recent thinking, which happens to be applied
17 in 63 to Yucca Mountain, but seemingly would reflect
18 what they view to be appropriate science?

19 DR. KOTRA: It is my understanding that
20 many licensees have applied for and readily received
21 exemptions to use the more current dosimetry.

22 CHAIRMAN RYAN: Some. I wouldn't say many
23 perhaps, but -- but I guess I just -- I just want to
24 think a minute about, and probably more than a minute,
25 about, you know, is there an appropriate way to deal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with that.

2 I'm also mindful of the fact that in a
3 previous letter we addressed neutron, you know, dose
4 factors, and so forth, that the ICRP recommended and
5 talked about that at an appropriate time when
6 regulations were changed for another reason that might
7 be a good place to pick that up. So I'm -- want more
8 to think about.

9 But I think it is an issue to very
10 carefully either deal with it, so it's clear it
11 doesn't mean people that use 20 for worker protection,
12 you know, have to change, but you can see immediately
13 there's a conundrum here that workers at a repository
14 will be looking at something different than the
15 performance assessment calculations which licensed it.

16 DR. KOTRA: Dr. Ryan, I'd like to also add
17 that we recognize that this is a long-term program,
18 and EPA recognized it and explicitly gave NRC the
19 latitude in its proposal to require even new -- newer
20 dosimetry, should that become available before the
21 repository is operational.

22 So the EPA recognized that this is sort of
23 a moving target as to the time --

24 CHAIRMAN RYAN: Sure.

25 DR. KOTRA: -- and that the NRC could,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 under Part 63, specify -- make another revision and
2 specify even newer factors, should they emerge.

3 CHAIRMAN RYAN: You know, it has roughly
4 been, what, every 15 years or so we get a new set of
5 stuff from ICRP. So it's worth perhaps some detailed
6 thought on --

7 MR. McCARTIN: Sure.

8 CHAIRMAN RYAN: -- how the use of and
9 updating of and implementation of all this might flow.

10 MR. McCARTIN: Right. But certainly the
11 intention was we were not in any way affecting the
12 application of Part 20 by this change in --

13 CHAIRMAN RYAN: And, in particular, DACs
14 and ALIs and all those radiation protection activities
15 --

16 MR. McCARTIN: Right. That's why --

17 CHAIRMAN RYAN: -- and so forth.

18 MR. McCARTIN: Yes.

19 CHAIRMAN RYAN: Maybe saying that actually
20 explicitly would be --

21 MR. McCARTIN: Well, certainly the Yucca
22 Mountain standard in itself, in the preamble, is that
23 this is a regulation that's applicable to Yucca
24 Mountain period. It doesn't even apply to another
25 high-level waste facility.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Right.

2 MR. McCARTIN: So, I mean, it --

3 CHAIRMAN RYAN: Okay. Well, again, I just
4 think the clearer and more transparent it can be the
5 better.

6 MR. McCARTIN: Yes.

7 DR. KOTRA: We'll take that to heart.
8 Thank you.

9 CHAIRMAN RYAN: Let's see. Bill?

10 MEMBER HINZE: Janet, my recollection is
11 that the NRC did comment on the original regulation
12 197.

13 DR. KOTRA: Yes, we did.

14 MEMBER HINZE: Is it the plans of the NRC
15 to make any comments to the EPA on their proposed
16 standard?

17 DR. KOTRA: As far as we were aware, the
18 Commission has no intent to comment.

19 MEMBER HINZE: I see. I'm curious about
20 these peak doses. Reading from some of the NRC
21 material, for this comparison -- that is, the
22 comparison to the 350 millirems -- for this
23 comparison, EPA proposes that DOE use the median value
24 of the dose distribution of peak doses -- doses --
25 after 10,000 years.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What evidence do we have that there are
2 going to be multiple doses in that period of time?

3 DR. KOTRA: I think what's referred to
4 there is the multiple iterations that are done.

5 MEMBER HINZE: The multiple iterations.
6 Okay.

7 DR. KOTRA: And then, you get dose
8 estimates.

9 MEMBER HINZE: Okay. Is there any
10 evidence that there will be multiple doses in any of
11 the preliminary performance assessments out to a
12 million years?

13 DR. KOTRA: Since I'm not sure I
14 understand that question, Tim, would you like to --

15 MR. McCARTIN: Do you mean --

16 MEMBER HINZE: Is there any evidence that
17 there will be --

18 MR. McCARTIN: -- more than one --

19 MEMBER HINZE: -- more than one peak dose?

20 DR. KOTRA: Oh, okay, more than one peak.

21 MEMBER HINZE: There's a volcanic effect
22 after a few thousand years, that peak dose, and then
23 we continue on. And I'm wondering --

24 MR. McCARTIN: Yes. By definition, I
25 think we would say there can only be one peak. Now,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the dose -- it isn't necessarily one smooth rise to a
2 peak dose and a drop. It could be more rollercoaster-
3 ish if you will that it goes up and comes down, as
4 different nuclides come in and go out.

5 But overall there can only be one where
6 it's the largest, most -- you know --

7 MEMBER HINZE: But is there any evidence
8 that there are these local peaks?

9 MR. McCARTIN: Well, certainly, I mean,
10 you bring up the prime one that -- that the dose curve
11 we're talking about is the composite dose curve of all
12 the scenarios. So clearly igneous activity, which has
13 the potential to produce a dose early on, will have a
14 -- some type of what I'll call a local peak in the
15 first, let's say, couple thousand years.

16 MEMBER HINZE: Right.

17 MR. McCARTIN: Later on there could be
18 another local peak due to -- that may be the actual
19 peak due to neptunium and some other slower
20 transported things in the groundwater. But, you know,
21 which one actually dominates depends in part on the
22 analysis, and certainly the newer dosimetry will have
23 an impact on that also. But the curve is certainly
24 more like a rollercoaster --

25 MEMBER HINZE: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. McCARTIN: -- that you would expect to
2 see a few undulations, or it's certainly not gradually
3 up and then down.

4 DR. KOTRA: There's nothing in either the
5 EPA standard or the NRC regulations that presumes any
6 particular shape. It just says whatever the highest
7 value is in that period, we call that the peak dose.
8 And so that would be, as Tim indicated, the result of
9 a composite of all the scenarios.

10 MR. McCARTIN: And that's why you
11 certainly need to do the calculation out to a million
12 years, because prior to that you're not going to know,
13 well, did the peak occur at 10,000 years, 200,000
14 years, 500,000 years. Until you actually do it, you
15 won't know.

16 MEMBER HINZE: Let me ask a question about
17 the climate change. And I understand that we're going
18 to be hearing next month about the details of this, so
19 I'm not going to get into that at this point, and all
20 of the factors that go into the deep percolation that
21 you are recommending.

22 But I am wondering, the reason that
23 climate change has been isolated out is -- I assume is
24 that it is the belief that -- by EPA that this is
25 where the major uncertainties are in extending out to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the period of radiological stability.

2 DR. KOTRA: That's correct. And the basis
3 for that, as I understand it, is if you go back to the
4 National Academy recommendations there were specific
5 features, events, and processes that were called out
6 in those recommendations. And they were igneous,
7 seismic, and climate variation.

8 So it was incumbent upon EPA, particularly
9 given its burden to be consistent based on those
10 findings and recommendations, to address them. They
11 specified the limitation rather -- in a
12 straightforward manner for both igneous and seismic as
13 to what the limitation would be, and that was limited
14 to the analysis of the effects of igneous and seismic
15 to the effects on the waste packages that would result
16 in releases.

17 They felt that it was important that NRC
18 specify the best treatment of climate variation, which
19 we have proposed in our -- and there was also a
20 recommendation that while generalized corrosion may be
21 less of an influence during the first 10,000 years, it
22 might dominate in this very long period after 10,000
23 years. And so they included general corrosion among
24 those specific features, events, and processes that
25 need to be considered.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: One of your bullets here is
2 that the proposed revisions that you specify -- that
3 DOE must use in performance assessments after 10,000
4 years. Does your technical staff -- has your
5 technical staff found any areas in which there may be
6 large uncertainties that must be taken into account,
7 for example, in the seismic activity in that post
8 10,000 years that would suggest that you should give
9 some advice to DOE on how to specify their performance
10 assessment criteria?

11 DR. KOTRA: Well, I'll let Tim get to
12 that. But before I do, I would just say that it's
13 important to keep in mind that that statement up front
14 that EPA makes about the suitability of the
15 performance assessment for the first 10,000 years as
16 being a suitable starting point is based upon the fact
17 that the consideration of features, events, and
18 processes are not limited in setting up that original
19 performance assessment.

20 We're not limited to just the last 10,000
21 years at Yucca Mountain. Careful consideration went
22 into the selection of those features, events, and
23 processes, based upon a thorough understanding of the
24 site over the quaternary.

25 So a lot of the uncertainties that you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talking about have already been taken -- would have
2 already been taken into effect in identifying. That's
3 not to say that there aren't new and more significant
4 effects over that longer timeframe that might emerge
5 as important.

6 But, Tim, how do you -- do we have any
7 additional guidance that we're going to give to the
8 Department for treating seismic in the 10,000 to one
9 million period that we haven't already given them for
10 the first 10,000?

11 MR. McCARTIN: Not that I'm aware of. I
12 think you characterize it very well. There may be --
13 once again, it may be another subtlety here that may
14 not be fully appreciated. But, say, in the first
15 10,000 years, we have -- the probability cutoff is 10^{-8} .
16 So say a 10^{-6} , 10^{-5} seismic event is considered in
17 the first 10,000 years analysis, the uncertainties
18 associated with estimating that 10^{-5} , 10^{-6} earthquake
19 are in that analysis, it will be in the analysis
20 beyond because you're using that 10,000 year
21 assessment.

22 And so a 10^{-5} earthquake and the
23 uncertainties with it is included in the million year
24 analysis. One might argue that you may not see it
25 very often in the first 10,000 years, but you go out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to a million years, the probability in the number of
2 10^{-5} events, you will see them more often, and that is
3 included in the analysis.

4 But you have a basis for estimating its
5 probability and its magnitude in the first 10,000
6 years. You're just extending that. And as Janet
7 indicated, there was certainly a lot of long-term
8 information well beyond 10,000 years that was used to
9 determine what that 10^{-5} seismic event would look
10 like.

11 So there is -- these kinds of things are
12 still being -- the evolution of the site still has
13 these low probability events, and one would argue that
14 certainly you would expect to see them more often in
15 a million year analysis than you would in a 10,000
16 year analysis, and that should show up in the
17 calculation.

18 MEMBER HINZE: There's no evidence in the
19 technical -- from the work that your technical staff
20 has done on this that the probabilities of the 10^{-5} ,
21 for example, will be changing and leading to large
22 uncertainties in that post-10,000 year period.

23 MR. McCARTIN: Well, that's where I think
24 we would go with -- the period of geologic stability
25 would suggest that indeed the kind of information you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have is -- the system is geologically stable. That
2 there wouldn't be any, certainly, radical changes to
3 the prediction of geologic events.

4 MEMBER HINZE: Thank you.

5 A final question, Janet, if I might.
6 Referring again to the performance assessment, have
7 you -- has the NRC done any exercising of their codes
8 out to a million years to try to ascertain if there
9 are problems that might lead to some guidance to the
10 DOE for that post-10,000 year period?

11 DR. KOTRA: I believe the short answer to
12 your question is yes. But, again, Tim, you have more
13 experience in that area than I. Would you --

14 MR. McCARTIN: Certainly we are in the
15 process of enhancing our code to account for the
16 longer term. And that's both trying to get a better
17 handle on what nuclides need to be included. There
18 might be some plutoniums that we didn't have in our
19 previous calculation that we want to add in.

20 And there is certainly -- just the hardest
21 thing we're probably working on is just the
22 efficiency. It's one thing to do a 10,000 year
23 analysis. Going a million years is quite a bit
24 longer, and we're looking at ways to make the code a
25 little faster to get the results. But to date, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't know if there's anything truly dramatic that
2 we're doing other than possibly, you know -- and I
3 wish I could remember.

4 But one of -- we've added a plutonium into
5 the data set, and I -- I, for the life of me, can't
6 remember, is it 238 or 239. But I --

7 CHAIRMAN RYAN: 238 is in 84 years, so
8 probably --

9 (Laughter.)

10 MR. McCARTIN: Yes. Then it's not that
11 one. But that's probably the biggest thing we're
12 looking at -- what's the impact of adding that
13 additional plutonium in there. And certainly the
14 newer dosimetry is -- does make a difference. It
15 increases the dose conversion factors for some
16 nuclides, decreases it for others, and so -

17 CHAIRMAN RYAN: Tim, one thing that would
18 I think help the committee in looking ahead to
19 December a bit is if we could get some insights from
20 what you've done on inventory from 10,000 to a
21 million. I think that would be very helpful to keep
22 us focused on -- you know, from a radionuclide
23 inventory standpoint what the players are in your
24 mind, just -- and, again, not from any other aspect,
25 but just the inventory from 10,000 to a million years.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That might be something helpful for us to hear and
2 discuss.

3 MR. McCARTIN: Yes.

4 CHAIRMAN RYAN: And then, I think if we
5 could learn from you all as well on the insights that
6 you've got from the dosimetry aspects, those might be
7 two things if you're ready to talk about that would be
8 -- that would be great . That would be real helpful to
9 us.

10 MR. McCARTIN: Yes. That's a good heads
11 up, and we can have something on that.

12 CHAIRMAN RYAN: Right. The third one, as
13 I recall from previous meetings over the last several
14 years, you did some ranking, you know, on the basis of
15 inventory and on the basis of other key parameters,
16 and so forth. I'm going to guess that's a little
17 further out down the line.

18 MR. McCARTIN: Yes. Yes, we haven't gone
19 quite that far, but it --

20 CHAIRMAN RYAN: But aiming at something
21 along those lines, again, in that context --

22 MR. McCARTIN: Sure, yes.

23 CHAIRMAN RYAN: -- would be real helpful.
24 That was very, very helpful to our insights. And,
25 again, if we could think ahead to that, that would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 terrific.

2 MR. McCARTIN: Yes. I mean, there are
3 certainly some variations that are very -- that are
4 interesting, that we, you know, just didn't have. And
5 like I say, plutonium I think -- like, say, the
6 inventory, in terms of fraction of the inventory, it
7 probably peaks around 300,000 years for all the
8 plutoniums considered, and then -- but then starts
9 fading away and other things come in, say, at the 5-,
10 600,000 year. So, yes, we can -- we have information
11 on that.

12 CHAIRMAN RYAN: And as you did on your
13 previous analysis for 10,000 years, that -- those
14 insights into the inventory I think set the stage for
15 what should be the risk-significant kinds of things to
16 think about from that point on. So I think that would
17 be helpful.

18 I'm sorry, Bill, I interrupted you.

19 MEMBER HINZE: That's fine. Can I ask --

20 CHAIRMAN RYAN: Please.

21 MEMBER HINZE: -- take time for one more
22 question. I've got to ask you one climate change
23 question, and I'll try to leave the rest until next
24 month.

25 But I'm wondering if, in the consideration

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the deep percolation, that you have taken into
2 account the work that's been going on now for half a
3 decade by the U.S. Geological Survey on the deposition
4 of calcite and opal on the fracture openings in the
5 tufts, which would indicate that -- dating of those
6 would indicate that there has been a rather consistent
7 depercolation through the repository types of --
8 through the repository level, even during the monsoon
9 period of the last glacial period.

10 And there is -- and yet you have come up
11 with that it's -- that you have six times the deep
12 percolation of the present as kind of the average.
13 I'm wondering if that information has been taken into
14 account, and the possible buffering of the tufts.

15 DR. KOTRA: We will be prepared to address
16 that in a lot more detail in December, but let me say
17 this. We know that roughly about four percent of the
18 precipitation that lands on the surface of the
19 mountain makes it to depth, roughly. That's a rough
20 estimate. We know that in cooler and wetter climates,
21 which we have evidence for at Yucca Mountain, that
22 that can go up to as high as 20.

23 And so in a very general sense, there was
24 an effort to make an estimate of a suitable range that
25 would take into account, recognizing that we're not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to peg it at that high, extreme value, but allow
2 the Department to sample over the range.

3 In addition, I would have to -- I'm not
4 familiar with the particular USGS data that you're
5 mentioning here. But there was a great deal of effort
6 on our part, recognizing that there are some questions
7 that have been raised about data from the USGS in that
8 particular area. There was a great deal of care taken
9 to make sure that the technical basis for our
10 selection was reinforced by peer reviewed data from
11 other sources.

12 Our hope and expectation is is that the
13 USGS data that also corroborates this will be found to
14 be robust as well, but those investigations are
15 ongoing.

16 Tim, did you want to address that any
17 further?

18 MR. McCARTIN: I think that's -- for
19 today, that's a very good answer. I mean, it -- you
20 know, there was -- you know, we put out a -- what we
21 consider to be fairly simple. It's not a very
22 complicated approach for this. And we're very
23 interested, as in everything in our proposal, to see
24 what public comment -- if people are aware of other
25 information.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: Thank you very much.

2 DR. KOTRA: You're welcome.

3 CHAIRMAN RYAN: Okay. Thank you. Allen?

4 VICE CHAIRMAN CROFF: Is there any place
5 where the NRC's proposal to implement the EPA standard
6 differs from what the EPA has proposed?

7 DR. KOTRA: I would say no. I would say
8 that in that -- in those areas where the EPA
9 specifically directed NRC to do a piece of it, which
10 was the treatment of climate variation, we went beyond
11 what was proposed by the EPA.

12 In the case of the current dosimetry,
13 EPA's standard only reaches calculations of the
14 public. Because our responsibility extends to
15 protection of the workers, we went beyond the EPA
16 proposal in extending that philosophy to the worker
17 dose calculations as well.

18 But in terms of any other area, no, there
19 has been no -- we -- our job is to implement the EPA
20 standard.

21 VICE CHAIRMAN CROFF: Okay. And with
22 regard to determining whether the dose limit is met,
23 the 350 millirem per year, my understanding is it's --
24 that DOE has to -- there has to be a reasonable
25 expectation that DOE will meet the dose limit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Given that it's specified that you have to
2 -- that a median has to be used, what does "reasonable
3 expectation" mean in that context? I mean, a median
4 is sort of mathematically defined. And if they
5 calculate a number, you know, it's less than, greater
6 than, or equal to. End of story.

7 So how does the judgment associated with
8 reasonable expectation get implemented?

9 DR. KOTRA: Well, that's true in making
10 any regulatory determination. I mean, you could just
11 say, is it, you know, above the line, is it below the
12 line, is it at the time. But I think that it's
13 incumbent upon a conscientious regulator to look very,
14 very hard at the technical basis underlying the
15 approach to calculating those estimates, the models
16 that are used, the robustness of the data that
17 supports them, the adequacy of the peer reviewed
18 literature that supports the selection of the models,
19 etcetera.

20 And that's the basis, as it has always
21 been, in NRC regulatory decision-making to reach some
22 level of either reasonable assurance or reasonable
23 expectation that a standard has been met. So it's not
24 just looking at the value, as you indicated, but it
25 goes far deeper than that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN CROFF: Okay. Thanks.

2 CHAIRMAN RYAN: Ruth?

3 MEMBER WEINER: Since Dr. Hinze asked some
4 of my questions, I don't have so many left. But let
5 me ask you maybe a difficult question. This is a
6 draft regulation that EPA has put out for public
7 comment. Suppose for a moment the public comment is
8 such that EPA either changes its regulation, changes
9 its draft completely in some fundamental way, or says
10 we're going to go back to Congress -- in other words,
11 does something to radically and greatly change this
12 draft. Where does that leave you?

13 DR. KOTRA: Right where we would expect to
14 be. I would be surprised that they wouldn't make some
15 changes. If those changes are relatively minor, it is
16 our obligation to implement the final EPA standards.
17 If there is a radical departure from what has been
18 proposed, then the Commission would have to consider
19 reproposal.

20 And part of -- you know, depending upon
21 how radical, you mentioned going back to Congress.
22 That could change the entire framework, which might
23 also touch our responsibility to implement EPA
24 standards. But assuming that that stays in place, if
25 the approach is radically different than the basis for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our proposal here, then I think the Commission would
2 have to take under consideration the possibility of
3 reproposal, or what other alternatives might be
4 available.

5 But our expectation is certainly that it's
6 a proposal. Our obligation is to be consistent with
7 a final. But it is important that we went out with
8 the proposal when we did to make the broader public
9 aware of the fact that we are under this obligation,
10 and this is what our rules would look like if this
11 proposal were to be enacted.

12 And so we will -- we will respond
13 accordingly once we see what the final standard is.

14 MEMBER WEINER: Responding to some of the
15 public informal comments I have heard, I would say --
16 I would encourage you to make that last observation
17 very clear in your public pronouncements. That you
18 are exercising your responsibility under the Act to
19 react in a timely fashion, to come up in a timely
20 fashion with a regulation that is consistent, but that
21 if there were to be a different or a substantial
22 change in the regulation, you would, of course,
23 accommodate that as well. I think that's -- that's an
24 extremely important thing to get across to the public.

25 DR. KOTRA: I appreciate that observation,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and we'll take that to heart.

2 MEMBER WEINER: Now, how do -- you're
3 going to get the same questions EPA got, whether --
4 you know, whether this is within the law or not. How
5 would you respond to the step function question?
6 Fifteen millirem per year is what we had to do for the
7 first 10,000 years, but after that it's okay to go to
8 350 millirem per year, and, in fact, I heard
9 statements that said 10,000 years and one day we can
10 go -- raise the standard by a factor of 20.

11 DR. KOTRA: Well, we made it very clear in
12 our proposal that our proposal addressed the
13 implementation of the risk management judgment that
14 EPA was tasked to make by the Congress. And we would
15 direct comments on the nature of that judgment to EPA.

16 To the extent that those comments touch on
17 our ability to implement, then we would clearly have
18 to address them thoroughly in our response to comments
19 on our rule. But the -- as I indicated, we have not
20 been made aware of any desire on the part of the
21 Commission to comment directly on EPA's judgment.

22 And so in terms of responding to comments
23 on this rule, I think we would say that it's outside
24 the scope.

25 MEMBER WEINER: It's just outside the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scope of your --

2 DR. KOTRA: Yes.

3 MEMBER WEINER: -- comment.

4 DR. KOTRA: Tim, did you want to add
5 anything on that?

6 MR. McCARTIN: Yes. I think that's a fair
7 statement. But there is one additional thought that
8 I think, if indeed, just with the previous standard,
9 that had no measure after 10,000 years, if there was
10 a dose that year 10,001 that was much larger than 15
11 millirem, we would certainly -- the Commission would
12 look at the assumptions in the performance assessment
13 that resulted in that dose being just beyond there and
14 making sure that, indeed, there was a basis for saying
15 that did not occur in the first 10,000 years.

16 So, I mean, there is a -- a -- I mean, I
17 appreciate the idea the standard does go up. But, you
18 know, there are uncertainties, and we would look at
19 the basis for -- as we would have previously, that if
20 the dose went beyond 15 just after 10,000 years, what
21 in the performance assessment is causing that to
22 occur, and why? And so --

23 DR. KOTRA: I've been with this program
24 long enough to remember when there was a time when we
25 thought we would have to implement 191. And that also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 had a step function associated with it, and we were
2 prepared to implement that. And we can implement the
3 standard as well.

4 MEMBER WEINER: Again, I would encourage
5 you to make these things clear in any public
6 statement, because this -- one of the things I took
7 away from sitting through the hearings, and Tim may
8 have also -- he sat through the same hearings -- was
9 that these points are not clear to the general public.
10 They are very -- they are quite confusing, as is the
11 mean versus median question.

12 And, again, you are simply implementing,
13 but how would you respond to that? Why go to the
14 median instead of the mean?

15 DR. KOTRA: Again, as long as we believe
16 that the proposal is fundamentally protective, which
17 considering it adds additional criteria on top of a
18 standard that we already believe was sufficient
19 protective, meaning the existing standard, we are not
20 prepared to say that that is insufficiently
21 protective.

22 But we will pay very close attention, and
23 we've been directed by the Commission to pay very
24 close attention to the public comments that EPA
25 receives on both the level of protection and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 statistical measure used to evaluate it. and we will
2 be prepared to implement that final judgment of EPA's.

3 MEMBER WEINER: Okay. Thank you.

4 CHAIRMAN RYAN: Clarke?

5 MEMBER CLARKE: Most of my questions have
6 been answered as well. Sometime ago we heard an
7 excellent presentation on waste isolation in the
8 geosphere and risk insights, and I just want to second
9 Dr. Ryan's suggestion that you update the inventories
10 and take a look at it that way. I think that would be
11 very informative for us.

12 CHAIRMAN RYAN: Any other questions from
13 staff? John Flack.

14 MR. FLACK: Just for a tidbit of
15 information, John and I have --

16 CHAIRMAN RYAN: Let me remind everybody
17 that uses a microphone, would you tell us who you are
18 and who you're with.

19 MR. FLACK: Okay.

20 CHAIRMAN RYAN: And pull the microphone
21 close to you. And if you haven't already, please, I'd
22 ask that you sign in on the sign-in sheets for those
23 that haven't.

24 MR. FLACK: Sure. I'm John Flack with the
25 ACNW staff. I was just saying that John and I were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 both fellows at the same time, many moons ago, at the
2 ACRS. So nice to see you again.

3 I just have a question. It goes back to
4 the mean versus the median. Does the staff intend to
5 -- since it doesn't take any additional effort,
6 really, to calculate the mean and compare it to the
7 median, does the staff intend to compare these two
8 numbers, and if there's a large discrepancy between --
9 or I shouldn't say -- I should say difference between
10 the two, that they would somehow try or attempt to
11 reconcile those differences?

12 DR. KOTRA: I think that we routinely
13 calculate means now. I expect that we would continue
14 to do that, and it would provide the basis for any
15 recommendation the staff would make in a safety
16 evaluation report on reasonable expectation.
17 Certainly, that is information that we -- we will
18 acquire and calculate.

19 The judgment on the basis for the safety
20 standard, of course, is EPA's to make. And as I
21 indicated, we will implement that. But in terms of
22 exercising our own independent capability to evaluate
23 DOE's performance assessment, we would, of course, use
24 any information available to us, including those
25 calculations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLACK: Can I ask one other question?

2 CHAIRMAN RYAN: Sure.

3 MR. FLACK: Is there any difference in the
4 calculation with going from 10,000 to a million years?
5 In other words, are there conservatives --
6 conservatisms in the first 10,000 years that would
7 need to be removed and calculated out to a million
8 years because they wouldn't be tolerated in that kind
9 of additional timeframe?

10 DR. KOTRA: No. I think EPA has made it
11 very clear, and we agree, that the basis for the
12 original calculation of 10,000 years is a suitable
13 basis for projection, with some caveats with regard to
14 treatment of uncertainties. And they have identified
15 those areas -- igneous, seismic, climate variation,
16 and general corrosion -- that need to be explicitly
17 taken into account.

18 I think it goes the other way, and that is
19 that for the original 10,000 years general corrosion
20 is really not an issue. But when you go out to a
21 million years, then general corrosion is extremely
22 important, and it has to be treated. You don't want
23 a situation where they would not examine that process.

24 So, therefore, EPA has included that and
25 told us that we have to specifically include it when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we evaluate DOE's performance assessments. But
2 recognize that the basis for that 10,000-year
3 calculation took into account a much more global
4 understanding of the site, and events that have taken
5 place at the site for several million years before
6 present.

7 So it's not like this is a whole new area.
8 We are extending calculations based upon as much
9 knowledge of the site as has been gathered.

10 MR. FLACK: So you would consider both
11 calculations as being realistic.

12 DR. KOTRA: I didn't say that.

13 (Laughter.)

14 I think that it is important to keep in
15 mind that there are huge uncertainties with both
16 estimates. And it's important to understand what --
17 the limit of the knowledge you have and where it can
18 take you and where it can't.

19 The National Academy provided guidance on
20 that, and it's very important that the -- and I think
21 they spoke very eloquently about that. But their view
22 was that for the period of geologic stability, where
23 our understanding of processes are sufficient to be
24 governed by the same general mechanisms, the things
25 that caused climate variation in the past are the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things that are going to cause climate variation in
2 the future.

3 There's not going to be some new
4 phenomenon that's going to emerge that's going to
5 cause some dramatically different approach. Those
6 types of assumptions are being played out over a
7 longer compliance period, but it is --

8 MR. FLACK: Same assumption.

9 DR. KOTRA: Right. And EPA has
10 specifically stated in its proposal that the basis for
11 making that 10,000-year performance assessment is a
12 sound starting point for extending that calculation.

13 Did I answer your question?

14 MR. FLACK: Yes.

15 CHAIRMAN RYAN: Professor Hinze?

16 MEMBER HINZE: Can I throw out a question
17 here? And this goes to I guess both Ruth and Dr.
18 Kotra. Ruth, in your fourth slide, you define the
19 major points, and one of the points that was made over
20 and over again is that the choice of the median
21 greatly -- and I emphasize that adjective -- greatly
22 increases the allowed upper limit from the repository.

23 What does that "greatly" mean? And I
24 guess this gets back to what John was talking about.
25 Do we have any sense here of what the difference is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between the mean and the median?

2 MEMBER WEINER: Well, I can only quote
3 what people said. The median is the middle value, so,
4 in theory, it could go as high as you want. The sort
5 of numbers that were bandied about -- and I'll ask Tim
6 what his recollection was -- was something like 1,050
7 millirem per year, one rem per year, numbers of that
8 -- of that order of magnitude.

9 Is that your recollection, too, Tim?

10 MR. McCARTIN: Yes. Numbers like that
11 were used. But what assumptions that were used to get
12 to there --

13 MEMBER WEINER: We have no idea.

14 MR. McCARTIN: -- was unclear.

15 MEMBER WEINER: Yes. There was no
16 explanation of where that number or any other number
17 came from. But, of course, the crux of the objection
18 was that in theory you could have a very -- a number
19 as high as you wanted as long as you looked at the
20 middle of the range.

21 DR. KOTRA: And I think that's the
22 important point, in theory. I am no statistician, but
23 my understanding is is that the mean and the median
24 are fundamentally different measures of statistical
25 tendency. And that, in principle, there is -- the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 median places no upper bound --

2 MEMBER WEINER: That's correct.

3 DR. KOTRA: -- whereas the mean would be
4 much more sensitive to extreme outliers at the high
5 end. That being said, at least my understanding of
6 our preliminary calculations is that it's not making
7 that dramatic a difference. But, again, until the
8 performance assessments are completed, and we are able
9 to independently verify them or dispute them, we can't
10 say with certainty how big a difference that's going
11 to be.

12 But as always, the mean would be higher
13 than the --

14 CHAIRMAN RYAN: Ruth, let me ask -- I
15 think this would be a topic as well for -- if it's a
16 right topic for December that we'd like to hear a
17 little bit more about. I mean, obviously, you can
18 think about lots of statistics, the mean being one
19 and, you know, other parameters of, you know,
20 geometric standard deviation, a log normal case, or
21 whatever you want to think about. There's lots of
22 ways to think about in gaining insight from the use of
23 statistics.

24 So I think if we could maybe look ahead to
25 a presentation addressing some of that aspect of it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from your standpoint of how you're entering the
2 analysis, or what your thinking is as you enter it,
3 that might be helpful. Is that a reasonable topic for
4 December, or is that pushing it?

5 MR. McCARTIN: Well, we certainly can use
6 some past results --

7 CHAIRMAN RYAN: Okay.

8 MR. McCARTIN: -- to look at the -- how
9 the distribution of doses varies. Both, you know,
10 DOE's FEIS results are available, you know -- you
11 know, in terms of the newer dosimetry, and things
12 might change some, but -- but certainly looking at the
13 -- at what does the distribution look like? And I
14 think --

15 CHAIRMAN RYAN: And real specifically,
16 what does the mean versus the median create in terms
17 of statistical inference?

18 MR. McCARTIN: Yes. I mean, in general,
19 I mean, I'll say that for the 10,000-year analysis,
20 generally the mean was a very high percentile. But
21 that, in part, was dominated by the lifetime of the
22 waste package. That depending on how the waste
23 package performed, and if you had some -- a few small
24 realizations that had waste -- more waste package
25 failures, it dominated the 10,000-year dose.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In the million-year calculation --

2 CHAIRMAN RYAN: And you could think about
3 weighted means and things of that sort.

4 MR. McCARTIN: Well, it's a different
5 situation. What we've seen in DOE's results
6 certainly, and ours, that the -- the mean is a much
7 lower percentile in the beyond 10,000 year than it was
8 for the 10,000-year analysis.

9 CHAIRMAN RYAN: Thanks.

10 MR. McCARTIN: But we can certainly get
11 into more detail.

12 MEMBER WEINER: Can I just ask a
13 clarifying question of both of you? Are you saying
14 that by doing the performance assessments out to a
15 million years you will identify some kind of maximum
16 -- some kind of upper limit dose? That's -- you
17 expect that to come out of the performance
18 assessments, or am I misunderstanding?

19 DR. KOTRA: Well, that is the criteria
20 that EPA has established as the basis for comparison
21 to the 350 millirem limit, yes. But what that will be
22 when the Department of Energy conducts that, and then
23 we independently evaluate it, I'm not prepared to say.

24 MEMBER WEINER: No. I'm not asking. I'm
25 just asking about the method.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KOTRA: Right.

2 MEMBER WEINER: Thank you.

3 CHAIRMAN RYAN: Any other questions? Yes,
4 Mike Scott.

5 MR. SCOTT: Mike Scott, ACNW staff. I
6 just wanted to ask a clarification question of Tim.
7 Regarding the statement about the difference between
8 the mean and the median at a million versus 10,000
9 years, is that because -- is that a different
10 conclusion because essentially all of the waste
11 packages have failed out towards a million years?
12 And, therefore, there aren't any, you know, small
13 number of realizations that cause the mean to be much
14 higher?

15 MR. McCARTIN: I won't say that all of the
16 waste packages are failed, because I'd have to go back
17 and look. But certainly the majority of waste
18 packages are failed after 10,000 years. And prior to
19 10,000 years most analyses have a small subset of
20 waste packages failed.

21 And so that is -- in looking at the
22 results, that's why, you know, it would appear that
23 the mean was dominated by the cases, and not
24 surprisingly, where the waste packages had some
25 percentage of failures, whereas you just don't have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that in the long term. And, plus, you have neptunium,
2 which is a very long, protracted release. In 10,000
3 years, you have the spiky iodine technetium releases.
4 So the combination I think.

5 But primarily waste package failure, yes.
6 And as the Academy said in their report, eventually
7 you get to some point where the waste packages are
8 failed. And that's sort of -- that's what you see in
9 the after 10,000 versus the before.

10 MR. SCOTT: Thank you.

11 MEMBER HINZE: Can I ask one more
12 question, if I might, please? Do we have time?

13 CHAIRMAN RYAN: Okay.

14 MEMBER HINZE: Briefly, in the current 63,
15 we have this rather arbitrary 10,000-year cutoff. But
16 the recommendation is that the performance assessment
17 extend beyond the 10,000-year period. Now we put that
18 up to a million years, and we call that the time of
19 geological stability.

20 I would suggest that that one million
21 years -- tying one million years to the period of
22 geological stability is a very iffy -- is a very iffy
23 concern that the time period of stability --
24 geological stability may extend much beyond the
25 million years.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 My question is: are you going to
2 recommend to the DOE that they look beyond that
3 10,000-year period in the performance assessment,
4 because this period of geological stability may extend
5 beyond that?

6 DR. KOTRA: Well, they are definitely
7 planning to look beyond 10,000 years. They're going
8 to --

9 MEMBER HINZE: No. Look beyond the
10 million.

11 DR. KOTRA: No.

12 MEMBER HINZE: No.

13 DR. KOTRA: Not as far as I'm aware.

14 Tim, is that correct?

15 MR. McCARTIN: No. It's not in the
16 standard, and so that -- that part -- the part you are
17 referring to in 63 was also part of the standard that
18 we implemented in looking beyond 10,000 years. So --

19 DR. KOTRA: That was for purposes of
20 inclusion in the EIS.

21 MR. McCARTIN: Yes.

22 DR. KOTRA: According to EPA. And so we
23 included that, because we were implementing the then
24 extant EPA standard which required that look beyond
25 10,000 years for purposes of inclusion in the EIS. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do not intend to go beyond what EPA has recommended.

2 MEMBER HINZE: So you're not going to
3 worry about the one-million-and-one-year peak event?

4 DR. KOTRA: No.

5 CHAIRMAN RYAN: Okay. We're at our
6 scheduled break period. So I think we'll recess here
7 until 10:15, and we'll resume with our presentations
8 for stakeholders.

9 Thank you, all.

10 (Whereupon, the proceedings in the
11 foregoing matter went off the record at
12 9:57 a.m. and went back on the record at
13 10:16 a.m.)

14 CHAIRMAN RYAN: On the record. All right.
15 Over the course of the next session, before the lunch
16 break and after the lunch break, we'll be hearing from
17 four stakeholders. The names of these four folks are
18 Dr. Dade Moeller, Dr. Thomas Tenforde, Dr. John
19 Kessler and Mr. Martin Malsch. I'll introduce them
20 each and their affiliations at the time they speak.

21 It's my pleasure to welcome Dr. Dade
22 Moeller who is Professor Emeritus from Harvard
23 University and Chairman of the Board of Dade Moeller
24 and Associates. Dade also was Chairman of the
25 Advisory Committee on Reactor Safeguards and the first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Chairman of the Advisory Committee on Nuclear Waste
2 and served in that capacity through 1996.

3 DR. MOELLER: '93.

4 CHAIRMAN RYAN: '93, I'm sorry. So
5 without further ado, let me ask Dade to give us his
6 presentation on the EPA proposed Yucca Mountain
7 standards. Welcome, Dade. Welcome back.

8 DR. MOELLER: Thank you, Dr. Ryan. It
9 certainly a pleasure to be here and I have listened
10 with deep interest to what has taken place up to this
11 point.

12 What I'm going to do is look at the EPA's
13 proposed standards and I'm going to review, evaluate
14 and provide you an independent assessment. In other
15 words, if someone else did those same comparisons of
16 the Amargosa Valley to the State of Colorado, what
17 sort of an estimate might they have come out with? I
18 hope to provide you as I move along with details of
19 what we did and in every case, we cite exactly the
20 reference or the source of particular number. Not
21 only do we cite the source, but we tell you the page
22 number and the paragraph so that you can find it
23 equally.

24 If you disagree with what I present and
25 you can provide a better approach or refine on what we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have done, that's fine. This is a work in progress
2 and we do not claim that our word is the final word.
3 And we certainly do not claim that we have thought of
4 everything.

5 But the underlying factor of all of our
6 work is to apply the principles of good science. I've
7 listened to the discussion this morning and I've heard
8 very little about the principles of good science.
9 I've heard about estimates and so forth but to repeat,
10 that was our approach.

11 Now when I say "we" this is a presentation
12 that was financed totally by Dade Moeller and
13 Associates. We wanted to provide an independent
14 assessment and had we gone to DOE or EPA or the NRC
15 and asked for a contract to do this, we would have
16 been beholden in a sense to the contractor or the
17 agency that provided the funds and we wanted to state
18 categorically that this is our own assessment and no
19 one has influenced what we did.

20 Now I almost ruined that this morning as
21 coming into the building, I thought I'll get through
22 that gate in a real timely manner and I gave them my
23 DOE badge. I thought "Good grief. What a mistake.
24 Now I'm biased on favoring DOE." But thanks to the
25 guard. He said, "What's this thing?" And I said, "A

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DOE badge." He said, "That's worthless. That doesn't
2 mean anything here." So I'm coming to you totally
3 unbiased with a good science presentation.

4 If you read back on the proposed
5 standards, the objective of our work is to provide
6 scientific data for the establishment of a dose rate,
7 again, the same as you've heard from 10^4 to 10^6 years
8 after repository closure. Now the way it's stated in
9 EPA standards is to ensure that releases from Yucca
10 Mountain will not cause exposures to the RMEI, the
11 reasonably maximally exposure individual, which is the
12 average resident of Amargosa Valley to a dose that
13 will exceed natural background levels with which other
14 populations live routinely. And again, in line with
15 what I just told you, that's in EPA 2005 page blah,
16 blah, middle column. Okay. Let's move on.

17 Now we are using as one of our references
18 is the EPA proposed rule that you've already heard and
19 where it's accessible and so forth. So you've heard
20 that discussion.

21 What is the basis of the EPA's proposed
22 rule? What was the basis of using variation in
23 natural background? If you search out the literature
24 on this, particularly the international literature,
25 you will find that this is in accord with a long-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 standing recommendation of the ICRP, the International
2 Commission on Radiological Protection. When you look
3 at it, what they say, now this is from their 2005
4 Proposed Standards, they consider that the annual
5 "effective dose," please note those two words
6 "effective dose," not the dose from radon or the dose
7 from cosmic or anything, it's a combination and it's
8 the effective dose from natural radiation sources and
9 its variation from place to place is of relevance in
10 deciding the levels of maximum constraints that it now
11 recommends.

12 It's unfortunate in my opinion that EPA
13 didn't cite something like this in their proposed
14 rule. Now here is the reference for it. Let's go on.
15 You can have those in the handout. I have 107 slides.
16 So I'm going to be moving along. What I'm trying to
17 do though in essence is present not only our findings
18 but a tutorial on how if you apply good science, you
19 would have estimated the natural background dose rate
20 to the people of Amargosa Valley and whatever other
21 group you want to compare them to.

22 Now the ICRP has also stated in its 1991
23 Publication 60 the following. They say although
24 natural background may not be welcome the variations
25 from place to place (excluding the large variations in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the dose from radon in dwellings can hardly be called
2 unacceptable). Now they do mention there variations
3 in radon and of course, if you selected as your
4 comparison group some of the people that live on the
5 Reading Prong where the radon concentrations in the
6 homes are very high or if you compared it to a
7 population residing on the Colorado Plateau where it's
8 high uranium content and so forth, you could biased
9 the data.

10 So we have tried to avoid that. We have
11 select comparable groups to compare Amargosa Valley
12 to. So we'll be doing that. That's the reference for
13 that information.

14 Now for purpose of EPA assessment, this is
15 the way they define natural background. They said
16 external exposures from cosmic and terrestrial sources
17 and internal exposures to naturally occurring radon.
18 That is a rather nebulous statement because external
19 exposures from cosmic, outdoors or indoors,
20 terrestrial doses, outdoors or indoors, radon doses,
21 outdoors or indoors, that's not clarified. So go
22 ahead. The next one.

23 Serving as a basis for the data that EPA
24 used in its proposed rule is this report that was
25 prepared by John Mauro and Nicole Briggs of Sandy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Cohen and Associates. You'll notice as I go along I
2 will find fault with this report. However, I always
3 try to put myself in the other person's shoes and I
4 don't know how long they had to prepare the report.
5 I'm sure they were under heavy pressure because EPA
6 wanted to get out its proposed rule. So they
7 undoubtedly cut corners and so forth to get it out.
8 But we'll go on now and see some other comments.

9 Their report, the Mauro and Briggs report,
10 covers the Indoor Cosmic and Terrestrial Radiation
11 doses and the Indoor Radon and the radon
12 concentrations as you see there were based on EPA's
13 National Data Bank. There's no discussion of outdoor
14 cosmic or outdoor terrestrial or outdoor radon.
15 Furthermore, according to the calculations that they
16 used as best I can decipher what they did, they
17 assumed the person remains indoors 100 percent of the
18 time. You'll see later on we generally for our
19 standard calculations you adopt an indoor occupancy
20 factor of 80 percent and an outdoor occupancy factor
21 of 20 percent.

22 What are the omissions? The outdoor dose
23 rates from cosmic and terrestrial. The outdoor dose
24 rates from radon. The dose rates from ingested
25 radionuclides. Your primordial radionuclides in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cosmogenic. The primordial are the decay products of
2 uranium and thorium in the soil. The cosmogenics are
3 what the cosmic rays and so forth produce in the
4 atmosphere, one radionuclide being carbon-14. Now of
5 that is there.

6 The dose rates from building materials.
7 If you live inside of a concrete block or a brick
8 house, you receive a certain dose from external
9 sources, namely the consumer products that were used
10 in building your home.

11 The dose rates from airline travel. Today
12 for cosmic ray dose rate estimates you add in the
13 amount of air travel. This is easier to do nationwide
14 but the NCRP adds in the added dose from cosmic rays
15 due to such a high percentage of our population who
16 travel by air. I know one or two of you here who fly
17 once and a while.

18 It's affected by the influence from
19 housing, the type of housing. You'll see that when I
20 cover and discuss the Amargosa Valley or when I talk
21 about another site. I'm getting ahead but I'll be
22 calculating for you the dose rates in Leadville,
23 Colorado. Leadville about 30 to 40 percent of the
24 homes are brick or concrete block.

25 We took into account, and because it was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 omitted and because we knew it belonged there, the
2 influence of snow on the roofs on homes and on the
3 ground in terms of external cosmic and terrestrial
4 dose rates. If you are going to do a scientific
5 approach, if you're going to apply the principles of
6 good science, you have to consider these things.

7 Then we also thought about it but we did
8 not, well, we did and we didn't, you'll see when I get
9 to it, the influence of snow cover on the ground in
10 terms of radon dose rates.

11 Although it is not clear, I've already
12 said this, EPA apparently assumed 100 percent indoor
13 occupancy and this would yield estimates that they're
14 not quite 20 percent higher because outdoors you get
15 some radon dose. So I probably should have said 15 to
16 20 percent too high.

17 All right. Here's the number one
18 important observation. There will probably, I hope,
19 be ten important observations in what I have to say.
20 No. 1, the dose rates from radon and its decay
21 products in the Sandy Cohen's report were based on a
22 conversion factor you might call it of 9.6
23 millisieverts per working level month. The NCRP
24 Scientific Committee 85 whose report I talked to Dr.
25 Tenforde this morning and he tells me it will be out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 perhaps between six and 12 months from now in that
2 report they recommend a ratio of 4.8 millisieverts per
3 working level month.

4 Now you could say first of all that's half
5 the dose. 4.8 is half of 9.6. Why did this come
6 about? It came about because the experts, the
7 scientific group, for example, Naomi Harley, one of
8 the world's experts on radon, chaired NCRP Scientific
9 Committee 85, those people reached the conclusion that
10 the radiation waiting factor for radon decay products
11 in the bronchial epithelium of the lung should be 10
12 not 20.

13 Generally, those of you who are health
14 physicists, you know that when we're dealing with the
15 biological effects of alpha radiation, internally
16 deposited alpha-emitting radionuclides, we apply a
17 tissue waiting factor of 20. For the unique
18 characteristics of the manner in which the radon decay
19 products deposit in the bronchial epithelium, they
20 have concluded that 10 is the correct radiation
21 waiting factor. Now let's go ahead.

22 This is not something brand new. If you
23 look in UNSCEAR, their scientific report of the year
24 2000 and let me pause and say that is the best bible,
25 that is the best guideline you will ever find in terms

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of estimating dose rates from natural background. It
2 is a superb report. It includes, of course, the doses
3 from flying, airline travel and so forth. It is just
4 a super report.

5 In that report issued in the year 2000,
6 they said that the dose rate from radon decay products
7 deposited in the bronchial epithelium is 9
8 nanosieverts per Becquerel hours per cubic meter. Now
9 I should have said it back on the previous slide.
10 Flip back please.

11 Here the working level month is an
12 expression of an integrated dose. You have been
13 exposed to a concentration of some many working levels
14 for so many months. The product of the two is an
15 integrated dose. The working level month, the working
16 level concept, was developed back when the U.S. Public
17 Health Service was first doing the epidemiologic
18 studies of the uranium miners right after World War II
19 and during those studies, they needed some way of
20 expressing the dose rates from radon decay products
21 and Duncan Holaday who shepherd that program the
22 entire time came up with this concept which had lived
23 on today.

24 Here 9 nanosieverts per Becquerel hour per
25 cubic meter is the same thing said in a different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 slightly way of a working level month. You are
2 exposed to so many Becquerels per cubic meter for so
3 many hours. That's a product. A concentration times
4 the time you were exposed to it, an integral of the
5 two and therefore it is the same as a working level
6 month.

7 Now because UNSCEAR use slightly different
8 lung model and because they are converting from
9 picocuries to Becquerels and from millirem to sieverts
10 and so forth, there were certain little factors,
11 differences, in the two. To make it exactly
12 equivalent to 4.8 working level months, we upped the
13 9 to 9.6. There was a seven percent difference and
14 since we were doing calculated using both sets of dose
15 conversion factors, we upped it to 9.6 simply so
16 regardless of what approach we used we got the same
17 answer.

18 Again, you may say you shouldn't have done
19 that. Fine if you don't think we should have. I'm
20 telling you what we did. You can go back and do it
21 your way. The reference. Go on please.

22 The original U.S. EPA plan, you heard it
23 earlier this morning which set a standard that would
24 represent a level of incremental exposure again so
25 that RMEI could be comparable to the total natural

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radiation exposures incurred now by current residents
2 of well populated areas. Go ahead.

3 They also stated that although they wanted
4 to do dose estimates for Amargosa Valley, the data
5 were not available and therefore they did not do it.
6 So what they did was they took the estimate of the
7 average dose to the average member of the public in
8 the State of Nevada and they adjusted that to match
9 what they assumed to be the dose rate to the residents
10 of the Amargosa Valley.

11 How did they do that? The estimated
12 average for the State of Nevada was 2.22 millisieverts
13 per year. However, two-thirds of the population of
14 the State of Nevada resides in the area around Las
15 Vegas or Clark County and that is an area of
16 relatively low radon concentrations compared to the
17 Amargosa Valley, to Nye County, which has Yucca
18 Mountain in it and the Amargosa Valley. So they
19 modified the 2.22 taking into account the differences
20 in Clark County and Nye County and they came up with
21 their 3.5 millisievert difference and so forth between
22 what they call the State of Nevada meaning Amargosa
23 Valley and the State of Colorado.

24 So just keep that in mind. Often times,
25 even when I'll say State of Nevada, I'm really meaning

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Amargosa Valley if I'm quoting EPA's numbers.

2 Now what did we do? We tried to apply the
3 scientific approach. We indicate clearly the
4 assumptions we make. We cite the detail references.
5 When options are available, we were very careful to
6 always go to direct measurements. That's your best
7 sources of data and cross check to insure
8 compatibility with other people's measurements or
9 measurements made close by and so forth. We tried
10 again good science every step of the way.

11 We exercised care and we call this later
12 conservatism and that's probably a misuse of the
13 term. But what we tried to do was to estimate the
14 dose rates for the higher natural background levels.
15 We tried not to overestimate those and we tried not to
16 underestimate the dose for the Amargosa Valley to make
17 that difference bigger than it should be.

18 We tried to be conservative. In other
19 words, if there was a choice, we would underestimate
20 the high area and if there was a choice on the low
21 area we would overestimate it there so that difference
22 wouldn't be something that you could say, "Good grief.
23 No wonder you got the differences you did."

24 A search of the literature after EPA said
25 the data for Amargosa Valley are not available, a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 search of the literature showed that there was quite
2 a bit of data for the Amargosa Valley and then the
3 same proved true for Leadville, Colorado. And we
4 thought we're comparing one community. Why not
5 compare it to another community that has a higher dose
6 rate and where people have lived for hundreds of years
7 and so forth. So that was the approach that we took
8 and the effective doses, we included all the sources
9 of natural background.

10 Now the reference for Amargosa Valley that
11 we used was Steve Maheras's. Now let me pause for a
12 moment here. This is a bias but once I see a name and
13 once I see data, I say first of all, is he a health
14 physicist. Well, he is. No. 2, is he board
15 certified? Yes, he is. Those are the things that
16 count. If you want good data, you go to a board
17 certified health physicist.

18 Leadville met the requirements of the ICRP
19 and has a relatively high cosmic radiation dose rate.
20 It's at 3200 meters altitude, 10,500 feet. I don't
21 know how. They must have powerful lungs or something
22 because I was stationed in Los Alamos for three years
23 and it's only at 7,500 feet. But when you first get
24 there, you pant for awhile. But you do get used to
25 it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It has a high terrestrial dose rate. It's
2 interesting. Several references that we reviewed
3 showed that the higher the altitude the higher the
4 terrestrial dose rate. I think God made a mistake.
5 If the terrestrial had gone down with altitude as the
6 cosmic went up, we wouldn't have these differences.
7 Of course, then EPA wouldn't have a good number. And
8 it also has a relatively high but not excess indoor
9 radon concentration. Of course, if it has high
10 terrestrial, it's going to have some high radon in the
11 homes.

12 The two communities, they're located in
13 similar regions. The population of Leadville about
14 2,600. The Amargosa Valley 1,100, 1,200. Site
15 specific data are available. Uncertainties are
16 reduced. Let's run with it. Now we ran with it but
17 we also, and I'll really go fast, did calculations for
18 the State of Colorado, the average, and the average
19 for the State of Nevada. We'll give you all of the
20 comparisons when I'm finished.

21 Both indoor and outdoor dose rates were
22 estimated. We used the occupancy factors I've already
23 discussed and we included the dose rates for ingested
24 radionuclide building materials and so forth.

25 The shielding factors. Now again, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 UNSCEAR report and the NCRP Report No. 94 is superb.
2 Of course, it's the definitive other than adjustments
3 and again Dr. Tenforde reminded me that they're doing
4 a complete recalculation of the natural background
5 dose to the U.S. population but that report has the
6 same shielding factors and the same occupancy factors
7 as the NCRP, in other words, endorses the same numbers
8 that UNSCEAR uses. That's the bottom line.

9 Now the effective dose rates from ingested
10 were included. I've said that. The site specific
11 refinements were also incorporated. Now I'm going to
12 discuss some of our site specific adjustments for
13 Leadville and the Amargosa Valley. Let's go on.

14 Snow cover. UNSCEAR estimates that snow
15 cover on the ground per centimeter of depth reduces
16 the terrestrial dose rate by one percent. Now that's
17 a very useful guide and we considered that. Snow
18 cover also retards the releases of radon into the
19 outdoor air.

20 I'm jumping ahead to Leadville.
21 Fortunately, I had a lady contact, let me back up
22 though. One of our employees lived in Leadville for
23 three or four years. So he was able, he happened to
24 be a man, to tell me a lot about the snow cover and he
25 said that the winter begins in October and it doesn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 end until the end of April, high up and cold and so
2 forth. He told me the average depth of snow in
3 Leadville is three to four feet for the winter months.

4 I was flying a couple weeks ago from
5 Denver to Boston and a nice lady sat next to me and I
6 don't usually chat but I did for a moment with her and
7 I'm glad I did because she was chief librarian for the
8 public library in the City of Denver. I said
9 Leadville. She said we go up there all the time. We
10 ski and we just love it. It's a wonderful community.
11 I independently, I wanted an independent assessment
12 basing this on the principles of good science and her
13 name was Shirley Smith. It's an interesting name. I
14 said depth of snow in Leadville. Three to four feet
15 all through the winter. So she had the same number.
16 I know it's good science and I'm rolling with it.

17 Now there's No. 1 important fact. Ninety-
18 one percent of the people who live in the Amargosa
19 Valley live in mobile homes. Factors that need to be
20 considered are not only the structural implications of
21 a mobile home in reducing cosmic rays coming in or
22 terrestrial radiation coming underneath.

23 I think I skipped over that paragraph but
24 the standard factor that you apply is you assume that
25 the roof and the attic and all the rafters and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 everything in a typical everyday home reduces incoming
2 cosmic radiation by 20 percent. You similarly assume
3 that the floor structure and foundation of a home
4 reduces the terrestrial coming in by 20 percent.

5 I said what about a mobile home. I don't
6 know. So fortunately there were five boys in our
7 family and No. 3, I'm No. 2, lives in Knoxville. He's
8 No. 4. I'm sorry. That's not good science. No. 4
9 lives in Knoxville. So he said, "Dade." He always
10 call me Dade. He said, "Dade, why don't I run down to
11 Merryville where Clayton Holmes, the biggest builder
12 of manufactured homes in the world, where they're
13 located." So he checked it out for me. He got all of
14 the details on the structure of a mobile home, the
15 floor structure, the supports. If it's going to be
16 rolled down the highway, it can't just be 2 X 4s. It
17 has to be steel beams underneath that mobile home to
18 keep it from sagging at each end. So we checked all
19 of that out and the factors that needed to be
20 considered is whether a mobile home supports the floor
21 and the ceiling the same as a regular home.

22 There's our reference for the 91 percent.
23 I wanted to point out. Even in North Carolina, eight
24 percent where I'm from in North Carolina of the people
25 live in mobile homes. The next slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now furthermore, mobile homes must meet
2 the code of the National Manufactured Home
3 Construction and Safety Standards. So those were
4 promulgated in 1974 and it's 31 years later. I
5 assume, now we did not have time to check out when the
6 mobile homes that the people in the Amargosa Valley,
7 when they were made, but we assume if this has been in
8 place for 30 years that the structural shielding for
9 the ceiling and the floor reduce the cosmic and the
10 terrestrial by 20 percent and as such, they provide
11 the same shielding reduction factors for cosmic and
12 terrestrial.

13 What about a mobile home? How many of
14 you, maybe some of you live in a mobile home, have
15 really studied or examined a mobile home? It's up a
16 foot or more above the ground, usually on some sort of
17 concrete blocks or something and they may have a dress
18 curtain around but the air can blow through. And what
19 is the concentration of radon inside a mobile home?
20 It's roughly the same as the concentration outdoors
21 because there's no pressure gradient to push radon in
22 the homes.

23 So what is the indoor radon concentration
24 in Amargosa Valley? It's not the average for the
25 State of Nevada. It's not adjusted higher level to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 account for them being in Nye County. It's roughly
2 equal to outdoors. Now that's the concentration, but
3 what about the dose rate from the radon? Before I go
4 on, I called Florida and the top radon person there.
5 They're all in the back of the health physics
6 membership book and I called North Carolina and they
7 both said, "Sure, Dade. It's the same as outdoors."

8 I thought I really want to the clincher. I'll call
9 EPA. So I called and the same as outdoors. Okay.

10 Now confirm that in addition, the indoor
11 radon, this is an important thing and I want to
12 digress for a moment to go over with you what it is
13 that determines the dose from radon. Radon doesn't
14 give you much of a dose at all. It's a gas. You
15 inhale it. You exhale it. The only dose you get is
16 whatever decay takes place during that moment it's in
17 your lungs and out. It's the radon decay products
18 that cause the dose.

19 How does the dose relate to the
20 concentration of radon? The dose relates to the
21 concentration of radon in terms of the state of
22 equilibrium of the decay products with the parent
23 radon. Outdoors where the radon there's forever and
24 the decay products are forming, being produced, you'd
25 think maybe it's 100 percent equilibrium. No,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 outdoors is about 60, the maximum.

2 Roughly the equilibrium level outdoors is
3 about 60 percent. Why? Because the wind is blowing
4 the air around. If those decay products come near a
5 leaf of a tree or grass or anything, they've plated
6 out and once they've plated out they're no longer in
7 the air. So outdoors it's about 60 percent.

8 Indoors, it's 40 percent. The average
9 indoor is 40 percent. Now why is lower indoors?
10 You're in a confined space. As the air moves around,
11 it has all kind of chairs, tables, walls. It has a
12 lot of things to interact with and plated out. And
13 indeed it plates out and once it plated out, an alpha
14 emitter is of no concern externally and you can say
15 maybe a baby rubs his or her fingers and licks them
16 but it's peanuts. It's a very low dose.

17 So indoors about 40 percent equilibrium.
18 What does that mean? That means that even if the dose
19 inside the homes, even if the radon concentration
20 inside the homes, is the same as outdoors the dose
21 will be 4.6 two-thirds of the dose outdoors breathing
22 decay products with the same parent radon
23 concentration.

24 Furthermore, I'm going to jump ahead, I
25 called this just a work in progress and I don't think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it will ever be finished, but I called Clayton
2 Manufacturers. I don't prefer them but they were nice
3 to talk to and they are a major manufacturer and I
4 said, "What percent of your mobile homes" -- They
5 said, "Hush. They're not mobile homes. They're
6 manufactured homes." So you have to learn that. You
7 don't say mobile when you're talking to them.

8 But they said the majority of the ones
9 they sell today have ceiling fans. Okay. We did not
10 include that in our assessment. But if the majority
11 of the homes in Amargosa Valley have ceiling fans,
12 this reduces the concentration of the decay produces
13 by another factor of two, by 50 percent. So now you
14 have one-half of two-thirds or a third. So if you're
15 in a mobile home, excuse me, a manufactured home, and
16 you have a ceiling fan, your dose through comparable
17 concentration of radon compared to the outdoors will
18 be one-third of that indoors.

19 I've already covered this if they have
20 ceiling fans. Let's skip that. What's the reference
21 on the fact the ceiling fans reduced the dose by a
22 factor of two or more? This is the reference in 1983.
23 You can look it up sometime. These people it doesn't
24 show but they're all faculty coworkers of mine when I
25 was at Harvard.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now here's one that sort of gives me
2 chuckles. You can say the people in Amargosa Valley
3 may live in manufactured homes today but as they
4 become more affluent, they build their own homes. In
5 10, 50, 100 years, they're all going to be living in
6 conventional homes.

7 So how can you apply in your assessments
8 the fact they now live in manufactured homes? Bless
9 the EPA for that. They stated that RMEI is a person
10 who lives in Amargosa Valley and has the same habits,
11 food consumption and living style of current residents
12 and they forbid you to project ahead and estimate
13 they're going to change their ways. So you're stuck
14 with it. Good science. I'm stuck with it and so
15 that's what we use.

16 I'm going to be looking at all of these.
17 Go ahead. We've already talked about it. I'm going
18 to first do the Amargosa Valley. Then I'll do
19 Leadville. Then Colorado and then Nevada. By the
20 time we get to Colorado, you'll be tired and I will
21 and we'll zip through those slides in a hurry. But
22 it's all there, all the numbers are there, if you want
23 to check them out.

24 According to Maheras, the dose rate
25 outdoors from cosmic radiation in the Amargosa Valley

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is 0.39 millisieverts. Now all you have to factor in
2 there is a two-tenths reduction due to the rafters and
3 the ceiling steel beams and all in the mobile home.
4 So you multiply it by ten-tenths. Excuse me. Here.
5 I'm jumping ahead. I'm talking outdoors. I had
6 already jumped to indoors. Talking about outdoors,
7 outdoor occupancy factor is 20 percent of the time.
8 So the prorated dose rate outdoors is the full dose
9 times 20 percent outdoors or this.

10 Now let's do indoors. For indoors, you
11 take the occupancy factor, well you first adjust it
12 for structural shielding. It's unfortunate. The NCRP
13 and ICRP only have two numbers, eight-tenths and two-
14 tenths, and it applies to occupancy factor or
15 structural shielding of anything. So if you first
16 take this structural shielding, reduce the cosmic by
17 20 percent, multiply it by eight-tenths, you get the
18 cosmic ray dose inside the home but their occupancy is
19 eight-tenths 80 percent of the year. So the prorated
20 dose indoors is 0.25. The next slide you add the two
21 together and the average cosmic ray dose to the people
22 in the Amargosa Valley is 0.33 millisieverts per year.

23 My tutor is saying I should be doing this.
24 Amargosa Valley outdoors for terrestrial. It's 0.56
25 millisieverts per year. That's coming up from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ground. Twenty percent of the time you're outdoors
2 gives you this much per year.

3 Now 80 percent that you're indoors, you
4 first have to reduce it by 20 percent for shielding.
5 That's this factor of eight. Then a factor of 80
6 percent for occupancy and you get the net result for
7 the terrestrial dose rate. Very straightforward. The
8 total Amargosa Valley is outdoor plus the indoor or
9 0.47. These are all based on measurements made in the
10 Amargosa Valley and provided in Maheras's report.

11 Now outdoor concentration was 0.34
12 picocuries, this is for the radon, which is 12.6
13 Becquerels. Now this is the UNSCEAR. That's why I
14 tell you. If you want to know about natural
15 background, get a hold of that report and read it.
16 Instead of saying an occupancy factor of two-tenths,
17 they say two-tenths of a year, a year has 8,760 hours
18 in it. One thousand, seven hundred and sixty you
19 spend outdoors and 7,000, the other, you spend
20 indoors.

21 So you just put the hours right in there,
22 no eight-tenths, no two-tenths. You apply their
23 equation. Now outdoors, 60 percent equilibrium times
24 the hours times their factor and you get the outdoor
25 dose rate from radon of 0.13 millisieverts per year.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now that applies to the 91 percent who live in the
2 mobile homes as well as the nine percent who live in
3 conventional homes. However, in terms of indoor, we
4 did them separately.

5 Indoors. The outdoor concentration is
6 that. This is to do the indoor radon to the occupants
7 of the Amargosa Valley and this would be here 12.6 and
8 prorated for an occupancy factor of eight-tenths which
9 is the 7,000 hours per year and an equilibrium factor
10 indoors of four-tenths, we're not including the
11 ceiling fans, times the 91 percent. That means for
12 the 91 percent who live in the mobile homes, they're
13 getting that many millisieverts per year.

14 Now for those in the other homes which I
15 call conventional homes, the average radon
16 concentration in homes in Nye County is this and this.
17 Then we prorated again for only nine percent of the
18 people live in those homes. Four percent equilibrium,
19 nine percent who live in those homes times this
20 concentration gave the annual radon dose to the nine
21 percent who live in conventional homes and the next
22 slide you add the two and 31, you get the total.
23 Combine that with the outdoor and so the total cosmic
24 ray dose, I mean total radon is 0.55 millisieverts per
25 year.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Let's go on and look at ingested. Here we
2 took the NCRP long established number of four-tenths
3 of a millisievert per year due to radium, lead, all of
4 the radionuclides in food and in water and so forth,
5 but primarily in food. Then the cosmogenic threw in
6 another one-hundredth of a millisievert, one millirem.
7 So you get a total from ingested radionuclides of 41.
8 Now the reference on that is that Report 94.

9 And now having done that, we said to
10 ourselves we had data on the radium concentrations in
11 the groundwater in the Amargosa Valley and we said if
12 they have relatively high concentrations of radium-226
13 and radium-228 we ought to factor that in. So indeed
14 we did a run on it and assumed the concentration.
15 Well, they gave us the concentrations in the
16 groundwater and we put them in and it came out 6.54
17 millisieverts per year. That's six-tenths of
18 millirem. And we said because that is so small and
19 because the people in Leadville that we're going to
20 compare it to they drink surface water from melting
21 snow in mountain streams and lakes and so forth, since
22 that's the case, we would just neglect this. We felt
23 we were justified in doing it.

24 Here's the summary for Amargosa Valley
25 cosmic and terrestrial and radon and the total is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 1.76.

2 Now we'll look at Leadville. Leadville is
3 again at the 10,500 feet and a longest average number
4 is 1.25 millisieverts per year. That is in NCRP
5 Report 94 which was published in 1987. The chair of
6 the group that developed that report was Dr. John
7 Harley and the Director of Environmental Measurement
8 Laboratory, DOE's lab in New York. And cosmic dose
9 doesn't change. So we stuck with that number. It's
10 well established. It's well quoted.

11 Once again, outdoors you just multiply it
12 by two-tenths for the occupancy factor and it comes
13 out 0.25. The reference. Sorry, jump back. This
14 reference was another one we used to back ourselves up
15 on Report 94. They did a lot of wonderful cosmic ray
16 dose work and we just wanted to double check our
17 numbers.

18 Now indoors, we divided Leadville for
19 cosmic into indoors and outdoors but we also had it
20 indoors during the summer and indoors during the
21 winter. I'll get it out sooner or later. Okay. In
22 the winter for the cosmic, accounting for structural
23 shielding. Now the occupancy factor is four-tenths.
24 That's half. Forty percent of the time is the winter.
25 We assumed equal, six months of winter, six months of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 summer because again the librarian whom I talked to
2 said they have snow early in the year and so we took
3 that.

4 The prorated indoor summer thing would be
5 1.25 millisieverts per year times a building roof
6 shielding factor decrease of 20 percent. So we've
7 multiplied it by eight-tenths and then an occupancy
8 factor of half of the 80 percent and we got that as
9 the indoor for the summer.

10 Now for the winter, we again took the 1.25
11 but it had to be adjusted not only to account for
12 structural shielding and occupancy but also for the
13 snow cover. The snow cover you heard reduced it, the
14 terrestrial, one percent per centimeter. Cosmic
15 radiation in general is much higher energetic,
16 relatively higher energetic photons than terrestrial
17 radiation. So even knowing that, we still assumed one
18 percent reduction per centimeter depth of snow.

19 Here we were in a quandary what to do but
20 we assumed that it's three to four feet on the ground
21 that it certainly won't stay on the roof at a depth of
22 three to four feet. The sun and the heat in the house
23 will warm it and it melts. So we assumed about 20
24 inches as I recall depth on the roofs.

25 If you want to pursue it further, I hope

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 EPA or NRC will, you can pick a better number or find
2 that our number was reasonable. But anyway, doing
3 that, again we think we over-estimated the reduction
4 in the cosmic ray dose in the winter. So again, we're
5 not making Leadville appear higher than it should.

6 And then assigning occupancy, it comes out
7 that the indoor winter cosmic ray dose is 0.20
8 millisieverts. Then if you add the two together, you
9 get four-tenths and two-tenths. You get six-tenths of
10 a millisievert for cosmic radiation in a city such as
11 Leadville with lots of snow. The last one wasn't a
12 total. That one was a total for that portion. The
13 total is actually here, 0.85 millisieverts.

14 Now the terrestrial dose rate outdoors and
15 the terrestrial dose rate according to various reports
16 and we can give the references was about 1.20
17 millisieverts per year and this compared to 1.17 in
18 Oakley's EPA report of 1972. It compared to 0.90 for
19 the Colorado Plateau. So we thought it looks like a
20 reasonable number.

21 The references.

22 Then outdoors in the winter, the winter
23 typical grounds snow cover is 90 to 127 centimeters.
24 However, you don't walk on top of the snow. Either
25 the husband or the wife goes out and shovels the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sidewalk off. We figured if you do that, then you're
2 going to get the full dose from the terrestrial
3 regardless whether it's summer or winter. So that's
4 what we assumed.

5 And on this is the outdoor dose rate for
6 the entire year would be 1.20 and put in the occupancy
7 factor and you have the dose.

8 Now the snow cover won't bother the
9 internal dose from terrestrial radiation because the
10 snow is not under your house. So that would be 1.20
11 times 80 percent occupancy factor and by eight-tenths
12 for the shielding of the floors and so forth. So you
13 get that for the indoor terrestrial. Then if you
14 total them up. Well, for indoor we added in the
15 building materials and according to NCRP Report 93 on
16 consumer products, they estimated that the average
17 increase in dose to people living in concrete or brick
18 houses is about 7 millirem a year, .07 of a
19 millisievert per year.

20 We assume that 40 to 50 percent as I
21 recall of the homes in Leadville are concrete and so
22 forth. So we estimated about 2 millirem, about 0.02
23 millisievert addition. Again you develop a better
24 number. Put it in.

25 The reference is NCRP -- I'm sorry. It's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 `95. I was saying it was `93. `93 was another one.
2 Okay, `95. Now this is the total from terrestrial
3 outdoors and indoors. It's the numbers that we've
4 added there including the building materials and it
5 comes out 1.13.

6 Now we had to do the outdoor radon for the
7 summer. Here we used these people's work and they
8 estimated a concentration of 31 Becquerels. We did
9 the summer. Thirty-one Becquerels outdoors, six-
10 tenths equilibrium, 880 hours for the summer, half of
11 1760 hours times the 9.6 and you get 0.16
12 millisieverts due to the prorated dose rate from
13 outdoors.

14 The references. Go ahead.

15 Now outdoors in the winter, here you again
16 if you have a better idea and can support it
17 scientifically, full steam ahead. We knew that the
18 winter snow cover essentially seals the radon in the
19 soil. And you can say you said they shoveled off the
20 sidewalks or they probably undoubtedly plow the
21 streets. But the streets have the paving which also
22 can be a sealant and even if you shoveled off a dirt
23 walkway, moisture and all in that soil, moisture will
24 have seeped down into it. Near the surface, it will
25 be frozen. We just said we're going to assume it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seals the radon during the winter in the soil, seals
2 it and keeps it down there.

3 So what did we do? We assumed, again try
4 your own technique and we encourage you to do so, we
5 the concentration of radon in Leadville during the
6 winter was the average for outdoor for the whole
7 United States, the northern hemisphere air over
8 continents. If it's six-tenths equilibrium there
9 outdoors, winter, 880 hours, we got that dose rate
10 from the radon.

11 Then Leadville outdoor total are those
12 two. It comes out 0.20.

13 Leadville, indoors. Now here we used the
14 Lawrence Berkeley Lab National database and we tended
15 to favor it because they have compiled a databank that
16 covers every county and every state in the United
17 States and knowing the scientific quality and
18 expertise of the people working at Lawrence Berkeley,
19 we decided to go with that in contrast to using EPA's
20 numbers. It's a wonderful databank. It not only
21 gives the numbers but it gives the error range and
22 loads of supporting information.

23 The average radon concentration in
24 Leadville homes indoors is this, prorated eight-tenths
25 for occupancy, coming out 3.47 millisieverts per year

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from radon.

2 The reference, I told you about it.
3 Here's your website and all if you want to look it up.

4 Here's the summary for Leadville and I've
5 repeated the Amargosa Valley here just so you can get
6 a quick comparison. All the dose rates are in
7 millisieverts. It came out if you total up all of
8 these numbers 5.96 versus 1.76 and you're going to see
9 now in spite of the point that EPA used a dose
10 conversion factor for radon that was twice too high
11 you still come up with a 4.2. Leadville is 4.2
12 millisieverts a year higher than the Amargosa Valley
13 and the points there are that we have tried to be
14 conservative in Leadville again according to my
15 definition. We tried to be conservative in the
16 Amargosa Valley.

17 CHAIRMAN RYAN: Dade, just a quick
18 question. I just want to make sure I understood you
19 right. You said that it would be 4.2 versus 1.76. Is
20 that right?

21 DR. MOELLER: No. The difference in.
22 This minus that.

23 CHAIRMAN RYAN: Okay. I just wanted to be
24 clear about that.

25 DR. MOELLER: I'm sorry. 5.9 minus that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: You said it right.

2 DR. MOELLER: Now the total again some
3 number 90 percent of the difference is due to the fact
4 that those people in Amargosa Valley don't live in
5 conventional homes or 91 percent don't.

6 Here's the 4.2. Go ahead.

7 Again, we included the revised radon dose
8 coefficient or dose conversion factor. We accounted
9 for snow cover. We accounted for the removal of the
10 snow. Now this is something that we could have
11 accounted for and we avoided it because I didn't know
12 what the right numbers were. But if the snow is
13 covering the outdoor ground and you have a home over
14 here it could increase the pressure gradient of the
15 radon beneath that home.

16 Now the problem with that is, I don't
17 know, does snow cover block away increasing? Does
18 radon flow that far underground? I don't know. So we
19 did not factor it in but it's one of our
20 conservatisms.

21 We also assumed that the snow cover
22 reduced the cosmic as the terrestrial. Now that may
23 not be true and we did not account for ceiling fans.

24 For Colorado, we went through the same
25 thing and I'll looking at the clock. So we're going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to go rather rapidly. The State of Colorado, now we
2 did not take account of snow cover because we had no
3 data for the State as a totality and in general, I
4 have lived and been in Nevada a long time, New Mexico
5 and so forth. I've never lived any time in Colorado.
6 But I just assume that snow cover may be there for a
7 while but it's gone, meaning in the more inhabited
8 areas.

9 The cosmic rate dose rate, this was
10 Mauro's number. All of the Mauro and Briggs numbers
11 had already been adjusted for structural shielding of
12 the ceiling for cosmic and structural shielding for
13 the floors for terrestrial. We had to extract that
14 adjustment and at eight-tenths occupancy, let's rip
15 along now.

16 Then we did indoors and then we summed
17 them up for the total.

18 And then terrestrial we did just very
19 straightforward. Occupancy factor for outdoors of 20
20 percent.

21 Then indoor terrestrial and then we got a
22 total terrestrial of 48.

23 Then radon outdoors, we used the outdoor
24 average concentration for Colorado and the occupancy
25 factor of 20 percent, again 1760 hours.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Then their database, we used the indoor
2 Lawrence Berkeley Lab database.

3 We got that. Then the total for radon in
4 the State of Colorado is that, 3.06 and then here's
5 the State of Colorado compared to the Amargosa Valley.

6 Now I'll subtract, 2.69 difference.

7 And then Nevada, let's just ripple through
8 the Nevada. Here, Nevada bottom line is that. Let's
9 go another slide or two.

10 See now, this is interesting. The
11 difference between the State of Nevada and Amargosa
12 Valley, the State is higher than the Amargosa Valley
13 by 1.06 millisieverts on the average.

14 The mobile homes, the big difference.
15 Keep going.

16 Here, several people have said and in fact
17 in a sense what EPA tended to do was to compare the
18 State of Colorado in essence to the State of Nevada
19 although modified for the Amargosa Valley. We
20 compared those two just to show you the difference.

21 Now here's the bottom line. If you
22 compare the Amargosa Valley to Leadville, Leadville is
23 4.20 millisieverts higher. Compare it to Colorado,
24 it's that. Compare it to the State of Nevada, it's
25 that. So you can take your choice. An independent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assessment, we think we're right on target with
2 Leadville because we're comparing two comparable
3 communities and we have site specific data and we
4 think the uncertainties, they're still there but
5 they're far less than they might have been.

6 Now what are your options? You could
7 compare it to Leadville.

8 You could compare it to the State of
9 Colorado.

10 You could compare it to the State of
11 Nevada.

12 And the primary goal of this exercise was
13 to provide all three, I don't know why and I don't
14 know what agency "AND" is but it's one of them. We
15 thought we used the best available scientific
16 information. How people interpret it and so forth is
17 a decision of theirs to make.

18 And one of the primary questions is back
19 on that. The ICRP excludes large variations in dose
20 rates from radon. However, in the newer 2005 proposed
21 recommendation, they say the effective dose. But any
22 kind of scientific work where you're comparing two
23 groups, you don't want to choose some group that is
24 way out of the normalcy, the normal picture, and try
25 to claim that that's a good comparison. It isn't.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You've been waiting for the next slide
2 patiently and I appreciate it. Thank you.

3 CHAIRMAN RYAN: Thanks, Dade. We
4 appreciate the detailed presentation. Let me start
5 with Jim Clarke this time. Do you have questions?
6 Ruth?

7 MEMBER WEINER: I have a couple questions
8 and as a sometime resident of Colorado, I have to tell
9 you. They don't shovel the sidewalks in Leadville.
10 You just wear your ski boots all the time. My overall
11 question is what are the sources of the major
12 uncertainties in your calculation.

13 DR. MOELLER: I would say the outdoor
14 concentrations of radon. That's certainly an
15 uncertainty because it baffles me. Everybody is
16 worried about indoor but no one seems to be interested
17 in measuring the outdoor. There are all types of
18 uncertainties. I think I pointed out a number.

19 You've caught me on one, a large
20 uncertainty. If they don't shovel the snow off, then
21 the terrestrial is definitely reduced in the winter.
22 Fortunately, that would not be a big number and
23 outdoors is only two percent occupancy. So I'm trying
24 to cover up for myself on that mistake.

25 I would love to have good solid

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information on all of the input factors. Even the
2 1.25 millisieverts for the cosmic in Leadville which
3 I pointed out is a long time honored estimate, I would
4 like to see new data. So there are many uncertainties
5 but they're in my opinion in our analysis far fewer
6 than in comparing State of Colorado to State of
7 Nevada.

8 MEMBER WEINER: What I was trying to lead
9 to was just in your overall rough estimate, do you
10 think the accumulated uncertainties would make a
11 significant difference in your results or a not
12 significant difference? Just what's your assessment
13 of it?

14 DR. MOELLER: I am the world's worst to
15 respond but I would say broadly speaking the results
16 would not change that much. I think we have some
17 pretty solid information.

18 MEMBER WEINER: I'm also curious. You
19 used the Lawrence Berkeley estimates for everything
20 except for Amargosa Valley and there you used Steve
21 Maheras's. Did Lawrence Berkeley lab not cover
22 Amargosa Valley?

23 DR. MOELLER: I think they had a number of
24 Nye County and several times that flashed through my
25 mind to compare the two and I never did it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: It was just one of those
2 things.

3 DR. MOELLER: Yes, you're correct.
4 Absolutely, that should have been done.

5 MEMBER WEINER: And finally, on the basis
6 of your estimate of the natural doses to people who
7 live in these places now, would you make any
8 recommendation about the 15 millirem per year standard
9 for the first 10,000 years?

10 DR. MOELLER: No, we didn't comment for
11 example even on EPA's 3.5. We just showed what we got
12 because we concluded upon reading EPA's proposed rule
13 that we didn't see the science and we were looking for
14 some science.

15 MEMBER WEINER: That was the purpose of
16 yours.

17 DR. MOELLER: Yes.

18 MEMBER WEINER: Thank you.

19 DR. MOELLER: Thank you.

20 CHAIRMAN RYAN: Bill.

21 MEMBER HINZE: As usual, Dade, a very
22 thorough presentation and excellent piece of work.
23 Very interesting. As a sidebar, I might mention that
24 you referred to the increase of terrestrial radiation
25 with elevation on a general basis and this follows

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 along with the general increase of heat flow in the
2 terrestrial areas and that's due to the fact that in
3 general the higher areas, the higher elevations, are
4 associated with the lighter rocks and these are
5 isostatically buoyed up just like a cork in a pail of
6 water and those rocks are notably high in uranium and
7 thorium. So there is very legitimate reason for that.

8 That really bears upon the question that
9 I have. I'm kind of surprised that in view of the
10 fact that Leadville and the reason that Leadville is
11 named Leadville is that it's a mining area and this is
12 an area where there are outcrops of these enriched
13 uranium-thorium types of rocks and therefore the
14 terrestrial radiation would be expected to be high
15 there.

16 And this, I think, would be quite in
17 contrast to the situation of Amargosa Valley where it
18 is sitting out there on the sand flats and we have a
19 difference of elevation. I don't know. Amargosa
20 Valley has to be about 3,000, 3,500 feet versus
21 10,500. In my pass at it, these are quite different
22 areas.

23 DR. MOELLER: Yes.

24 MEMBER HINZE: So I wonder why your
25 comparison didn't take into account an area of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Colorado which would be much more comparable in my
2 view from a geological, from a physiographic
3 standpoint, than is Leadville.

4 DR. MOELLER: We did not identify an area
5 where there were data, the detailed data, that we
6 wanted. Now maybe we should have used, I'm trying to
7 think. There's one town that they've done a lot of
8 radon measurements in that escapes me at the moment.
9 I'll think of it in Colorado. But we did not find
10 like Maheras's report. We didn't find a Maheras
11 report for any community in Colorado.

12 MEMBER HINZE: I see. Okay. Thank you.

13 CHAIRMAN RYAN: Allen.

14 CHAIRMAN RYAN: Dade, again, it's a
15 fascinating presentation. I second Bill's comment.
16 When I think about your result, you get a comparison
17 that says there's a difference on the order of 425.
18 I think folks jump to the idea that that compares in
19 some way to 350 and I guess I'd caution that thinking
20 that with uncertainties they may in fact be the same
21 number.

22 And it's sort of begs a question in my
23 mind. What do we do about the statistics or the
24 uncertainty analysis in a more rigorous for these or
25 any other estimates that we want to use to establish

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this against the background kind of concept and in
2 even a generic way, not necessarily related to the
3 standard? Do you have any thoughts on that? Could we
4 pick Leadville and ten other communities or do you
5 think this exercise should be repeated?

6 DR. MOELLER: It probably should be
7 repeated independently because not only was it
8 independent but it was almost me and I think other
9 opinions should be factored in.

10 Now one thing we did do which was of
11 interest to me, we took the average for Colorado minus
12 the average for Nevada and then we doubled that
13 difference and it was close. Our difference between
14 Colorado and Nevada as we calculated it was roughly
15 half of 3.5. So it shows that EPA in taking a short
16 cut and assuming 100 percent occupancy and all those
17 other things they weren't that far off other than
18 being twice too high.

19 CHAIRMAN RYAN: And I think some of those
20 kinds of analyses perhaps are the next steps to really
21 assess what you've done and to me, I take away a
22 couple of points and tell me if you think I'm right.
23 One is that you really need to be pretty rigorous and
24 account for things that you even think are small and
25 I think Dr. Garrick would agree that if you just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assume a conservative value it may be masking
2 uncertainty or masking the true answer. So that
3 lesson is one that I think we clearly take away that
4 you really have to treat all the components even the
5 small ones carefully.

6 DR. MOELLER: Yes, and that's what we
7 tried to do. Like to have estimated Amargosa Valley
8 and never given thought one to what they live in and
9 I must admit. When I got into it, I never thought of
10 that. But I had searched the literature as thoroughly
11 as I could and there it was big as a mountain in front
12 of me. There's no way I could avoid it.

13 CHAIRMAN RYAN: The second point that I
14 take away is that I think to really understand the
15 choice of a given number over another you really
16 probably need to think about how you would either
17 evaluate uncertainties in a limited number of
18 exercises a little bit more formally or to do the same
19 exercise with the same rigor that you've done in a
20 number of comparative communities that you can
21 establish a basis for comparison on. Is that a fair
22 comment?

23 DR. MOELLER: Yes, and again if the
24 committee wants that done and if EPA/NRC/DOE is
25 interested, we'd certainly be willing to undertake it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It would be probably be other people in the company
2 because I'm not really qualified to delve into the
3 uncertainties. But certainly, we have the people.

4 CHAIRMAN RYAN: Okay.

5 DR. MOELLER: And I also want to say as of
6 this point, we are pretty much, we've gifted all we're
7 going to give. It could go on and on. I've put 200
8 hours into this I'm sure.

9 CHAIRMAN RYAN: And maybe when Dr.
10 Tenforde comes up after lunch break, he'll tell us a
11 little bit about the update to the background report
12 that I think NCRP is working on. So maybe we'll get
13 some further insights and get some understanding of
14 where that kind of assessment may be going.

15 DR. MOELLER: And a lot of what you're
16 saying, Tom was telling me all these subcommittees of
17 the scientific community that he has. They're delving
18 into all of this and it's just not something -- I
19 could ask him. How many people are involved, Tom?

20 DR. TENFORDE: I'm Tom Tenforde, President
21 of NCRP. The committee itself has 37 members and we
22 have a couple of technical consultants assisting the
23 committee.

24 DR. MOELLER: You see, we can't compete
25 with that. And you know we're not interested in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 competing.

2 CHAIRMAN RYAN: And again, I'm certainly
3 taking from your presentation an endorsement of a
4 rather rigorous and detailed look perhaps as the NRCP
5 is undertaking.

6 DR. MOELLER: Definitely.

7 CHAIRMAN RYAN: It is there that I think
8 not only will good average numbers come forward but
9 perhaps some better approaches to and insights into
10 uncertainty might be coming forward.

11 DR. MOELLER: And if you have, I'm sure
12 this is a bias statement, people from the
13 Environmental Measurements Lab in New York, the DOE
14 lab, they've done loads of studies. Carl Gogolak,
15 I've talked to him and he helped me a lot. There are
16 a lot of good people there.

17 CHAIRMAN RYAN: Thank you. Any other
18 questions? Comments?

19 DR. MOELLER: Thank you.

20 CHAIRMAN RYAN: Thank you very much.

21 DR. MOELLER: Thank you for your patience.
22 You can tell someone you heard a speaker with 107
23 slides.

24 PARTICIPANT: That's a movie.

25 CHAIRMAN RYAN: In record time. Thank

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you. Based on our hour, I'm going to suggest. Tom,
2 would you like to begin now and we'll just run a few
3 minutes long or wait until after lunch? It's your
4 choice. Let me hasten to add that based on the
5 interest from folks that might want to attend as the
6 schedule is published, we could break now and just
7 resume at our normal hour.

8 John, what do you think would be best?
9 That gives you a full measure or if we wanted to
10 switch order of folks or whatever we could. But I
11 guess my first choice is maybe we'll just adjourn here
12 and reconvene at our session at 1:30 p.m. That way
13 we're on schedule and you could pick up there and
14 we're not short-changing anybody that might want to
15 participate. Is that all right?

16 DIRECTOR LARKINS: That's fine. We could
17 change the order of speakers. I don't know that it
18 would matter necessarily.

19 CHAIRMAN RYAN: Why don't we just stick
20 with our original game plan? Then we'll just have a
21 little longer lunch break for everybody's benefit if
22 that's all right. Thanks Tom. All right. With that
23 and no other comments or questions at this, we'll
24 adjourn until 1:30 p.m. when we're resume our
25 afternoon session. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Whereupon, at 11:38 a.m., the above-
2 entitled matter recessed to reconvene at 1:31 p.m. the
3 same day.)

4 CHAIRMAN RYAN: Dr. Tenforde will offer
5 his views on the EPA proposed standard revision.

6 DR. TENFORDE: Thank you.

7 CHAIRMAN RYAN: Welcome, Dr. Tenforde.

8 DR. TENFORDE: Thank you. I'd like to
9 thank you, Dr. Ryan, and the entire committee for
10 inviting me to provide some of my personal
11 perspectives on the EPA proposed regulations on Yucca
12 Mountain public doses.

13 I want to emphasize from the outset and
14 for the record that the views I'm presenting today are
15 my own as a radiobiologist and biophysicist and do not
16 represent any official views of my organization NCRP.

17 I also have some good news and some bad
18 news. The good news is that I only have a fourth as
19 many slides as my honorable colleague, Dr. Moeller.
20 The bad news is he talks twice as fast as I do.

21 (Laughter.)

22 DR. TENFORDE: Well, let me just briefly
23 indicate the topics I'd like to discuss with you.
24 First, although I think nearly everyone here is aware
25 of NCRP, I'd like to just quickly summarize our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 charter and our missions and some of our scientific
2 reports, a number of which I will refer to during the
3 course of my presentation.

4 Secondly, I would like to give a
5 historical perspective on public dose limits. I think
6 it's interesting to put the Yucca Mountain
7 recommendations in the context of the evolution of
8 public dose limits over the last five decades.

9 Third, I'll provide a critique,
10 emphasizing, again, my personal views on EPA's
11 recommended public dose limit for less than 10,000
12 years and then for the long term out to one million
13 years, the period of projected geologic stability.

14 And then finally I'll summarize the
15 recommendations on some alternative public dose limits
16 that I would like to recommend hopefully for fairly
17 well founded reasons.

18 Historically NCRP is now in its 76th year.
19 It was founded shortly after the Second International
20 Congress of Radiology in 1928, and at that event ICRP
21 was officially formed, and the representatives from
22 many nations were encouraged to begin similar
23 organizations in their own country, and a young
24 physicist in his mid 20s at the time, Lauriston Taylor
25 working with NBS came back and founded the U.S.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Advisory Committee on X-ray and Radium Protection.

2 Of course, in those days the use of X-rays
3 in medicine and the use of radium both for medicine
4 and other applications were the main health protection
5 issues, and over the next 15 years, many reports were
6 produced by this advisory committee.

7 Then after the A bombs, of course, the
8 range of radiations for which there were health
9 protection concerns, as well as measurement issues,
10 grew tremendously and the original committee was
11 changed to the U.S. National Committee on Radiation
12 Protection and greatly expanded in size and scope.

13 Finally, in 1964 under Public Law 88-376,
14 NCRP was formally chartered by the United States
15 Congress. Laurie Taylor was the chairman of these
16 committees and served as president of NCRP for the
17 first 13 years of its existence, and we were all
18 saddened when he died shortly after Thanksgiving last
19 year, but it was at the age of 102, and he certainly
20 had a life and career to be very proud of. He was
21 certainly a leader in radiation measurements and
22 health protection through much of the 20th century.

23 The key elements of the charter are these
24 four items. First, NCRP under its mission is to
25 provide information and recommendations on protection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 against radiation and radiation measurements
2 quantities and units.

3 Secondly, and very importantly, we are
4 charged with developing the basic concepts, the
5 scientific principles that underlie radiation
6 protection limits.

7 And the third and fourth items are ones
8 that I've been putting a lot of emphasis on in my term
9 as president for the last three and a half years, and
10 that is to facilitate effective use of the combined
11 resources of organizations that are concerned with
12 radiation protection, including a number of
13 international organizations with whom I've been trying
14 to strengthen our relations, ICRP being one example.

15 Since being founded, we have had four
16 productive decades. We are now issuing report number
17 150 as of next month, and since 1964, we have
18 published 121 full reports and more than 90 other
19 documents, including our commentary statements,
20 proceedings of our annual conference, which are
21 published for the last several years in the Health
22 Physics Journal.

23 We've enjoyed our relationship with Dr.
24 Ryan in his capacity as Editor-in-Chief, and Taylor
25 lectures are also published there in the president's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reports that we've begun issuing in the last few
2 years.

3 There are a number of contributions I'd
4 like to just summarize in five bullets. Certainly our
5 reports on basic exposure criteria and their
6 scientific basis are well known in the United States
7 and worldwide.

8 We've done a great deal of work on
9 population exposures, as Dr. Moeller mentioned. One
10 of our reports and a number of satellite reports
11 that's widely cited was Report 93, but that was
12 published 18 years ago, and times have changed.
13 Indeed, medical exposures today are much higher than
14 they were then, largely due to the use of CT, and the
15 radon exposure estimates have gone somewhat down, in
16 fact, significantly downward, as Dr. Moeller has
17 shown, I think, very well and is also included in an
18 upcoming NCRP report.

19 We are currently updating the older
20 reports. As I mentioned before, we have this huge,
21 37-member committee, and I think that will be an
22 effort that will be complete in about two and a half
23 to three years.

24 We have many reports on radiation
25 protection practices and industry in medicine with a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 growing emphasis on medical practice and good support
2 for that from the National Institutes of Health.

3 Environmental radiation and, in
4 particular, waste disposition and management has been
5 a topic of many recent reports, and I'll very briefly
6 summarize them in a moment.

7 And then radiation dosimetry and
8 measurements has been a traditional area, and that is
9 once again growing. We have reports underway on
10 uncertainties in measurement and dosimetry of both
11 external radiation and internal radiation, and those
12 committees are fairly -- the one is fairly far along,
13 the one on external radiation, and the one on internal
14 dosimetry uncertainties is just at the starting point,
15 but within two to three years we expect these reports
16 to be published, and they should be extremely useful.

17 Let me just give you a very quick tour
18 through some recent reports and reports that will be
19 issued in the coming year, and the reason for doing
20 this is not just to show off that NCRP had published
21 a lot, but I will refer to a number of these reports
22 as I make my comments related to Yucca Mountain.

23 Report 129 was issued in 1999 on
24 screening limits for contaminated surface soil.

25 Report 139 was produced by a committee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chaired by Dr. Croff, and it's on risk based
2 classification of radioactive and hazardous chemical
3 waste, a very useful report that tried to put
4 different types of hazards on a common ground using a
5 risk index, and there are many, many applications of
6 this, Ellen. I keep thinking of more almost every
7 day, and we're going to make very good use of this, as
8 others have already.

9 Report 141 was on managing disposition of
10 potentially radioactive scrap metal, a huge issue for
11 the nuclear industry. There will be many reactors de-
12 commissioned, probably about eight million metric tons
13 of slightly radioactive of nonradioactive scrap metal
14 and about ten times that much concrete will be
15 generated, and the issue is what to do with it. What
16 are the clearance and possible release criteria for
17 that?

18 This report, I think has been very useful
19 to NRC amongst others.

20 Then report 143 was on managing the
21 development of management techniques for small
22 administrational generators to minimize the off-site
23 disposal of low level waste.

24 And I think this also has proved to be
25 very useful.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, Report 146 I will come back to
2 because this really, I think, is one of the most
3 important environmental reports we've published in
4 recent years. The goal of this report was to compare
5 the closure guidance from EPA under CERCLA and NRC
6 under the license termination rule on remediating
7 radioactively contaminated and decommissioned nuclear
8 sites.

9 This report discusses both commonalities
10 and differences between dose based and risk based
11 remediation goals, and it demonstrates, I think, very
12 clearly -- and I'll come back to this -- that the
13 interpretation of federal guidance is very dependent
14 on exposure scenarios.

15 And then finally, this report, I think,
16 brings home very clearly with a number of examples
17 where there is a definite need for collective decision
18 making on remediation goals involving representatives
19 of federal and state regulatory organizations, as well
20 as members of the public. The public really needs to
21 be factored into the decision process, and there are
22 some excellent examples of that, for example, at West
23 Valley.

24 This year we held our annual meeting on
25 managing disposition of low activity radioactive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials. There were participants representing
2 stakeholder groups from industry, regulatory
3 authorities, consumer groups, and the general public.
4 All of the papers are in. They're undergoing rigorous
5 peer review, and I expect they will be published by
6 the middle of next year in the Health Physics Journal.

7 We have other reports that are in the
8 final stage of preparation. I think this one is a
9 very important report that will be welcomed by federal
10 agencies on performance assessment on near surface
11 radioactive waste facilities, and that is currently in
12 final stages of comment resolution from the peer
13 reviewers who are members of NCRP Council, and I
14 expect this will actually be published by the end of
15 this year.

16 Scientific committee, 6422 on design of
17 effective effluent and environmental monitoring
18 programs, has completed a draft of its report. It's
19 currently being edited and the references validated
20 and all the things we owe are just routinely due
21 before it goes to counsel for review, and that should
22 happen early in next year. There's a possibility the
23 report may be issued next year.

24 Cesium in the environment is a report
25 that's being looked forward to by many. This is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really the definitive compendium of information on
2 cesium, including all of its environmental pathways,
3 bioaccumulation, and so forth.

4 This report is also now in a complete
5 draft form, and is undergoing rigorous editing
6 procedures prior to submission to counsel for review.
7 I do expect this report to be published in 2006 as
8 well.

9 So we do have a lot of work that's either
10 recently been completed or will soon be completed
11 that's relevant to management disposition of nuclear
12 materials, and I will reference some of these as I go
13 forward in my presentation. What I'd like to do now
14 is just give you a quick tour through the evolution of
15 public dose limits over the last four to five decades.
16 I'll focus on NCRP. I've done this analysis for ICRP
17 also, although I won't go through all of the details
18 for ICRP.

19 In 1971, the first formal recommended
20 standards for public exposure were issued in Report 39
21 recommending a 500 millirem per year public standard.

22 Then in 1984 at the time of the Clean Air
23 Act, EPA asked us to do a quick study on and make
24 recommendations on control of air emissions
25 radionuclides, and it was recommended that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exposure under continuous conditions of a member of
2 the population should not exceed one millisievert per
3 year.

4 Infrequent or noncontinuous exposures
5 could reach a level of five millisieverts. I will
6 come back to that in a later document.

7 And then it was clearly emphasized in that
8 statement that's very short, several pages, that
9 recommendations on limits are really only part of a
10 total system of dose limitation which must include
11 justification, ALARA or optimization as ICRP calls it,
12 and individual dose limitation.

13 Now, a very important additional provision
14 was added in Statement No. 6 that I believe is
15 relevant to the Yucca Mountain standards, and so I'll
16 spend a little time discussing this. I won't read
17 this word by word, but basically what is recommended
18 in Statement 6 is that if you have potentially
19 multiple dominant sites of exposure of members of the
20 public, that the limit for any one source under the
21 control of an individual or single management group
22 must not exceed 25 percent of the one millisievert per
23 year annual limit. This is basically saying you could
24 have four dominant sources of radiation, and if you
25 follow this guideline, then you're going to maintain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the exposure of any individual in the public to less
2 than one millisievert per year.

3 And I believe this is a very important,
4 new concept that was first discussed in Statement No.
5 6 a little over 20 years ago.

6 In Report 91 on recommendations of limits
7 for exposure to ionizing radiation, NCRP recommended
8 the effective dose limit should not exceed one
9 millisievert per year for any individual, and for
10 infrequent annual exposures, while that is not really
11 quantified. Infrequent has the context of being
12 something that might occur, oh, once a year or a few
13 times in a lifetime, but not often. It was
14 recommended that an annual dose of up to five
15 millisievert per year be allowed, and again, it
16 reemphasized the recommendation of Statement 6 that
17 under conditions where individuals are potentially
18 exposed to multiple sources at multiple sites with
19 different operators, no individual site should provide
20 or cause more than one quarter of a millisievert
21 effective dose to that individual.

22 And this report also first introduced the
23 concept of negligible individual dose of one millirem
24 per year.

25 In 1993, the report that you're probably

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all most familiar with on limitation of exposure to
2 ionizing radiation, it contained the same public dose
3 limit recommendations as in Report 91, and it added
4 the cautionary statement that under conditions where
5 an individual receives up to five millisievert on an
6 infrequent basis, that over a period of years the
7 average exposure of this individual should not exceed
8 about one millisievert per year.

9 And it also adopted the .25 millisievert
10 per year recommendation on limits from any individual
11 single source.

12 ICRP has evolved over the years in a very
13 similar way. I won't trace the history, but the
14 recommendations that are most cited, of course, are
15 Report 60 and the recent recommended update of Report
16 60, which is still in a discussion phase, but this,
17 again, endorsed the public exposure limit of one
18 millisievert per year and specified that larger
19 exposures can be allowed in a single year provided
20 that the average exposure over five consecutive years
21 does not exceed one millisievert per year.

22 So they were a little bit more
23 quantitative in defining the averaging period and the
24 concept of infrequent or noncontinuous exposure. They
25 followed NCRP in terms of making a recommendation on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a constraint for any single source of .3 millisievert
2 per year, 30 millirem, and the idea there was
3 basically that there might be three dominant sources.
4 NCRP allowed for as many perhaps as four dominant
5 sources where if you maintained the limit at a quarter
6 of a millisievert, you wouldn't exceed one
7 millisievert per year. In the case of ICRP they
8 wanted to be a little different than us, I guess, so
9 they recommended .3 of a millisievert, which is really
10 an almost indistinguishably different recommendation.

11 Now, I do want to point out because I'll
12 come back to this that regulatory recommendations on
13 limits are often very scenario dependent, and NCRP has
14 recognized this for many years, and we had many
15 reports, the latest being Statement No. 10 issued last
16 year, and the reason that I backed that publication
17 was because there seemed to be a lot of confusion
18 about exceptions to the public dose limits that have
19 been recommended by both NCRP and ICRP, and we went
20 through a lot of scenarios where there are exceptions
21 and exposures that differ from the basic
22 recommendation.

23 The basic public dose limit is one
24 millisievert per year, period, but there are
25 circumstances under which different exposures can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 occur. For example, a family member caring for a
2 patient that receives high dose radionuclide therapy
3 can receive up to 50 millisievert, five rem, with
4 appropriate training and monitoring.

5 Secondly, we have recommended in
6 Commentary 17 that under security screening for
7 purposes of homeland security, stowaways in cargo
8 containers can receive up to five millisievert, and
9 that's been looked at very seriously by TSA, for
10 example.

11 For lifesaving measures, exposure of an
12 individual during emergency operations can approach or
13 exceed half a sievert, 50 rem under conditions where
14 the exposure involves a large part of the body for
15 short periods of time, and this you'll find in our
16 commentary that's about to be issued on radiation
17 protection for first responders.

18 Then exposure to the embryo/fetus should
19 not exceed half a millisievert per month.

20 So those are some of the main examples of
21 scenario dependent exceptions to the basic guideline
22 of one millisievert per year.

23 Now, I'd like to turn to the EPA proposed
24 regulations under 40 CFR 191 for the period up to
25 10,000 years. EPA has recommended their generic risk-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 based public dose limit of .15 millisievert per year
2 that has been used in a number of different scenarios
3 by EPA, including, for example, CERCLA requirements on
4 the clean-up of a contaminated site, the WIPP, the
5 waste isolation pilot plant project public dose limit
6 is specified at 15 millirem per year, and so there's
7 a lot of history here behind this recommendation, and
8 they've specified in 40 CFR 197 that compliance should
9 be based on design considerations based on a rural
10 resident exposure scenario of a reasonably maximal
11 exposed individual in Amargosa Valley or nearby and
12 not based on a subsistence farmer.

13 And I'll come back in a moment to show why
14 this scenario is so important in interpreting the
15 proposed EPA regulation.

16 And they also specified that existing
17 groundwater standards should be imposed.

18 Now, this is a summary of one of the
19 conclusions from our Report No. 146 comparing risk
20 management in the decommissioning of nuclear sites and
21 the subsequent clean-up, comparing the risk-based
22 approach of EPA under CERCLA and the dose based
23 approach of NRC under the license termination rule.

24 The committee that prepared this report
25 concluded that you simply cannot just look at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 numbers of 15 millirem per year recommended by EPA
2 versus 25 millirem per year recommended by NRC because
3 the interpretation of those numbers depends so much
4 upon the exposure scenario.

5 And in this case, comparing CERCLA and the
6 license termination rule recommendations for EPA, they
7 commonly use a scenario the 30-year exposure to a
8 suburban resident or a rural resident, as it's called
9 here in the Yucca Mountain context, who doesn't drink
10 the groundwater or doesn't eat food produced on the
11 remediated site.

12 In contrast, NRC usually uses a lifetime
13 exposure to a resident farmer, drinks the groundwater,
14 eats food produced on the remediated site, and NRC
15 also recommends the use of measures that achieve ALARA
16 exposures.

17 So there are very fundamental differences
18 in the scenario and the context in which to view a
19 recommendation such as EPA's 15 millirem per year, and
20 when you get to the bottom line and compare the impact
21 of different exposure scenarios on the meaning of
22 these dose-based limits, it really obscures
23 differences between them, and so I think that's very
24 important to keep in mind.

25 These are not hard and fast numbers.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Their interpretation and their implementation in
2 practice really depends a lot on your exposure
3 assumptions.

4 Well, let me turn to a critique of the
5 public dose limit proposed in 40 CFR 191. First,
6 Yucca Mountain is a single NRC radiation source
7 maintained by one primary operator, DOE and its
8 subcontractors, and it is my view -- and I emphasize
9 personal view -- that if you look at the history of
10 development of regulations for individual sites of
11 public exposure to radiation, then I believe that the
12 limits, the appropriate limits of the regulations on
13 a new radiation source rather than relying upon
14 generic risk-based limits for remediated nuclear waste
15 sites.

16 And it is a given that other radiation
17 exposures to members of the public from manmade
18 sources are unknown, but they must be limited to one
19 millisievert per year total exposure, and it is my
20 view that the regulations for the public in the
21 neighborhood of Yucca Mountain should, therefore, be
22 consistent with consensus national and international
23 public dose constraints of either one quarter of a
24 millisievert per year in the case of NCRP or one third
25 of a millisievert per year in the case of ICRP for any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 given single source.

2 I'm basically saying I think that many of
3 the considerations of EPA were correct and proper, but
4 I believe they really impose the wrong limit and that
5 the appropriate limit would be a consensus national or
6 international limit based on radiation protection
7 against a single source of radiation under the control
8 of a single operator.

9 Now, I'd like to give some further
10 arguments for using these international or national
11 limits rather than the EPA generic limits. First of
12 all, the guidelines from NCRP and ICRP and others are
13 dynamic, and they're driven by new scientific
14 knowledge on radiation health effects.

15 In general, these guidelines are designed
16 to limit maximally exposed individuals and are not
17 strongly scenario dependent. There are some
18 exceptions I mentioned before, but those aren't really
19 relevant to this particular scenario of individuals
20 exposed near Yucca Mountain, and so I think you want
21 some regulations that are designed to protect the
22 maximally exposed individual.

23 And I am concerned that EPA's regulatory
24 process may not be adequately responsive to new
25 scientific knowledge that can strongly impact national

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and international recommendations on public dose
2 limits.

3 Let me put my radiobiology hat on and talk
4 about some of those. I anticipate some significant
5 changes in regulatory ideas and concepts over the
6 coming decades and perhaps beyond.

7 First, as I'm sure all of you know, there
8 is a very large study headed by DOE with support from
9 NASA as well, looking at non-targeted radiation
10 effects, bi-standard effects, genomic instability,
11 adaptation to radiation.

12 And in due time as those effects are
13 better understood and translated from the single cell
14 level up to the tissue and organ and whole animal
15 level, it may have some impact on the estimate of dose
16 response characteristics at low doses.

17 Secondly, through studies on Japanese bomb
18 survivors and others, we are getting an improved
19 understanding of the risk of potentially fatal non-
20 cancer diseases caused by radiation. We don't have
21 good risk coefficients yet, but we do know these exist
22 and that they are significant, including, for example,
23 cardiovascular nervous tissue diseases.

24 I think there will also be an impact on
25 our understanding of radiation effects through the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 growing field of molecular epidemiology, looking for
2 early, intermediate, and late markers of disease, and
3 this could have some impact ultimately on our estimate
4 of dose response characteristics and suitable
5 radiation protection measures.

6 And then finally, it's important to
7 emphasize that medical technology is evolving very
8 rapidly, and methods for identifying, treating, and
9 preventing radiation induced illnesses can be
10 anticipated over the coming years, and this was
11 emphasized ten years ago in NCRP Report No. 121, and
12 I do believe we are beginning to see directions within
13 medicine that may lead to some very significant
14 advances in managing disease caused by radiation, and
15 this could also have some influence on consensus
16 public dose limits.

17 So to get to the bottom line, my first
18 recommendation on the Yucca Mountain public dose limit
19 for less than 10,000 years post closure is that a
20 national consensus recommendation of NCRP for limiting
21 annual exposure of individual members of the public to
22 less than one quarter of a millisievert or 25 millirem
23 from a single source be employed as the regulatory
24 criterion.

25 I believe that the application of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 limit should have no time restriction, that it should
2 go well beyond 10,000 years, and that it should be
3 modified as appropriate in accord with science based
4 changes in national and international consensus
5 guidelines on public exposure, and this should be at
6 any time post closure of the Yucca Mountain
7 repository, not just within the first 10,000 years.

8 Let me turn now to the recommendation of
9 3.5 millisievert per year, at times in excess of
10 10,000 years post closure maintained up to a million
11 years, which is the projected period of geologic
12 stability.

13 The argument in support of this increase,
14 as discussed by Dr. Moeller and which you're all
15 familiar with, I'm sure, is to compare differences in
16 background radiation exposure residence in Colorado
17 compared to Nevada, and particularly in Amargosa
18 County.

19 In some ways this is not intended as an
20 environmental justice type argument, but it has the
21 flavor of that in a sense. It's basically saying look
22 at the background of the residents near Yucca Mountain
23 and look at a comparable location in a neighboring
24 state, Colorado. There is a difference of they have
25 estimated of about three and a half millisieverts

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which may not be quite right based on Dr. Moeller's
2 analysis, but it's not terribly far off, and then say
3 that, well, that's the amount of exposure you could
4 allow from a manmade source at Yucca Mountain.

5 Now, you know, I want to point out that in
6 many documents by NCRP and ICRP and others it is, I
7 think, generally recognized that you cannot do a side
8 by side comparison of exposures from natural
9 background radiation and manmade radiation. There are
10 many reasons for this. The mix in qualities and types
11 of radiation may differ and the dose rates at which
12 people receive the radiation from those sources can be
13 very different, and so in a way there's a bit of an
14 apples in comparison here if you say that background
15 plus radiation from Yucca Mountain in Nevada near the
16 site should not exceed that of background radiation on
17 a routine basis of residents of Colorado.

18 So I don't completely agree with the
19 arguments there, and let me though say that natural
20 background has been a major factor in many of the
21 regulatory activities of NCRP and ICR -- not
22 regulatory, but dose limit recommendations -- of NCRP
23 and ICRP for several decades. I did a little
24 historical search and discovered that in 1959 an ad
25 hoc committee of NCRP that was chaired by Lauriston

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Taylor discussed various options for recommending
2 maximum permissible public doses. They considered
3 using a fraction of the occupational dose limit, let's
4 say, one-tenth, compared to other risk and light, and
5 we know that in the public it's about ten to the minus
6 four to ten to the minus five per year, or in
7 comparison to natural background radiation, which
8 excluding radon is on the order of a millisievert per
9 year.

10 And that committee, very prestigious
11 health protection experts and radiobiologists decided
12 that the third option is really probably the most
13 appropriate benchmark.

14 Now, actually, interestingly, in the 1970s
15 when Report 39 was issued recommending one half or I
16 should say five millisieverts per year, that options
17 one and two were very major considerations of the
18 committee. They limited the public dose to one-tenth
19 of the occupational dose limit, and they made some
20 direct comparison to other risks, and they did
21 consider background, but didn't really put that up
22 front.

23 Interestingly, by the early 1980s, when
24 the recommended regulations on the public dose limits
25 was changed to one millisievert to five millisieverts,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you'll find all of the subsequent reports discussed at
2 some length, the natural background radiation levels,
3 and compared them to the recommended public dose limit
4 of one millisievert per year.

5 So there's a long history of comparing
6 radiation doses from background sources with doses
7 from manmade sources.

8 Let me give you a critique from my own
9 perspective of the public dose limit recommended by
10 EPA after 10,000 years. I believe that this large
11 step-wise change, 23-fold change at 10,000 years is a
12 rather difficult change to justify within a regulatory
13 framework. Normally government and state and other
14 regulators don't do things that way. They don't make
15 order of magnitude adjustments.

16 And it's rather difficult not only to
17 justify scientifically or sociopolitically. It's also
18 very difficult to implement, and I believe that this
19 really does raise a very fundamental question of
20 intergenerational equity. Over the next 1,000 years,
21 there will be about 350 generations. Over the next
22 10,000 years, multiply that by ten, you're looking at
23 3,500 generations.

24 And here, today in 2005, some regulations
25 are being recommended that are of much higher doses

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that would be experienced by these generations far in
2 the future than would be experienced by people living
3 at this time. And I really question the equity of
4 making such recommendations.

5 So my recommendation is that, first, I
6 believe that the pre-10,000 year public dose limit
7 should be continued with the understanding that that
8 limit will be changed based upon science based
9 changes in national and international consensus
10 organization recommendations. We need to bring
11 science into the picture, and that's one way to do
12 it, and I do see some merit in looking at background.
13 I wouldn't argue with that point at all.

14 But I would view the three and a half
15 millisieverts per year as really a recommended maximum
16 level or ceiling for exposure of any member of the
17 public should there be a need to impose that. There
18 may well not be any need.

19 It could be that the design assumptions
20 for Yucca Mountain are sufficiently conservative and
21 that there won't be major seismic or volcanic events
22 or human intrusion events, and it could well be that
23 the dose levels will not increase dramatically over
24 the next several millennia.

25 And should there be a need, however, for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some approach to deal with such circumstances, then I
2 think that this would not be an unreasonable level to
3 set as a maximum for exposure of any member of the
4 public.

5 And, of course, if it is necessary to
6 impose controls, then there are lots of ways of doing
7 that, one of which is to increase the size of the
8 controlled area relative to what's specified in 40 CFR
9 197, restrict use of contaminated water, and so forth.

10 So there are ways to deal with a large
11 increase in the radiation from this source.

12 Well, let me summarize. This is my last
13 slide. My personal opinion is that Yucca Mountain
14 should be subject to public dose limits recommended by
15 NCRP and very similar recommendations from ICRP of
16 limiting the public dose to a quarter of a
17 millisievert per year, treating Yucca Mountain as a
18 single radiation source under the control of a single
19 operator, and this would be the limit for a maximally
20 exposed individual in Amargosa County or nearby.

21 I believe that this limit should be
22 updated, in step with science based evolution of
23 national and international consensus guidelines on
24 acceptable dose limits, and this would be an ongoing
25 process with no specific time frame. It would go on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well beyond 10,000 years one would hope.

2 And if necessary for regulatory control,
3 one possible future approach would be to utilize the
4 difference in background in Nevada and Colorado or
5 some other similar comparison, such as Dr. Moeller
6 discussed, of about three and a half millisieverts per
7 year as a recommended maximum level, not a median, but
8 a maximum level for exposure of any member of the
9 public.

10 And finally, I'd like to end on a
11 cautionary note because I think we all recognize it's
12 impossible to know to any precision the level of
13 radiation exposure from Yucca Mountain or, for that
14 matter, natural background levels of radiation. They
15 could be significantly impacted by seismic events or
16 volcanic events, et cetera, over the next million
17 years.

18 I think that there should be flexibility
19 built into the regulations in a way that is fully
20 consistent with protection of public health.

21 So with that, I'll conclude. I'd be happy
22 to answer any questions, and thanks again for allowing
23 me to express my thoughts on this subject.

24 CHAIRMAN RYAN: Tom, thank you very much.
25 We appreciate your well thought out and well delivered

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presentation.

2 I'd like to start with just a couple of
3 questions. If I understand 116, the public dose limit
4 is 100 millirem per year, and then it goes to 25 if
5 you have multiple sources, particularly if you don't
6 know.

7 DR. TENFORDE: Right, exactly.

8 CHAIRMAN RYAN: In the cast of Yucca
9 Mountain, I would suggest that perhaps we do know.
10 There are no other sources perhaps.

11 DR. TENFORDE: That's right. As I've
12 pointed out --

13 CHAIRMAN RYAN: Did you change your mind
14 and then move to 100?

15 DR. TENFORDE: Oh, well, what I said was
16 based on the idea it is a single source under the
17 control of a single operator. That's a very important
18 component of that argument and as such, it should be
19 subject to 25 millirem.

20 CHAIRMAN RYAN: But that to me doesn't
21 gibe exactly with the 100 millirem or one millisievert
22 standard from any single source, given you know there
23 are no other ones.

24 DR. TENFORDE: If you know that.

25 CHAIRMAN RYAN: Yeah.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. TENFORDE: But, I mean, do you
2 really --

3 CHAIRMAN RYAN: In New York City you might
4 not, but in Yucca Mountain you might. I'm just asking
5 a question if that turned out to be the case.

6 DR. TENFORDE: There might be rural
7 residents who are working with DOE or a contractor
8 organization and getting some occupational exposure.

9 CHAIRMAN RYAN: Sure, but I'm just asking.
10 I think it's an interesting thought to think about
11 because it is probably one of the more rural places,
12 but --

13 DR. TENFORDE: And they might discover
14 some minerals that are worth mining --

15 CHAIRMAN RYAN: Sure.

16 DR. TENFORDE: -- somewhere south. Who
17 knows?

18 CHAIRMAN RYAN: Sure, but that door is
19 open, I guess.

20 DR. TENFORDE: It is.

21 CHAIRMAN RYAN: Okay. The other one, I
22 just wanted to touch on. It was a few slides ago when
23 you talked about some of the recent radiobiology. I
24 was curious if you could give us your insights. So
25 could you back up? I'm sorry. There's no slide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 numbers here. It's factors that could significantly
2 influence recommendations.

3 DR. TENFORDE: Yes.

4 CHAIRMAN RYAN: There we are. And tell us
5 your thoughts on BIER VII and what's coming after BIER
6 VII because they seem to have commented on some of
7 those key issues you mentioned in the first bullet and
8 basically said at this point there doesn't seem to be
9 any conclusive or directive information at hand.

10 DR. TENFORDE: Well, first of all, in
11 defense of BIER VII --

12 CHAIRMAN RYAN: Well, I'm not criticizing
13 it.

14 DR. TENFORDE: No, I mean, I know you're
15 not --

16 CHAIRMAN RYAN: I'm just saying that's
17 what they --

18 DR. TENFORDE: -- criticizing it, but the
19 Director of the Office of Science at DOE wrote a
20 stinging letter to the President of the National
21 Academy criticizing the report as being inadequate and
22 scientifically poorly done, and there was a toe
23 stepped on there, and that is that DOE is the main
24 sponsor of research on non-targeted radiation effects,
25 and they don't want anything to get in the way of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 \$30 million a year in research funding, and I hope
2 nothing does.

3 The thing that is misunderstood about BIER
4 VII, and in part it's the Academy's fault for the way
5 it was advertised before it was released, is if you
6 read it carefully, they're basically saying that
7 they're looking at radiation health effects above the
8 level of 20 rem.

9 The emphasis of the DOE program is on
10 doses below five rem because when you look at
11 bystander effects and adaptation and genomic
12 instability, they could have some very significant
13 effects down in that low dose range where your
14 epidemiology data is in the noise, and if you could
15 understand that and translate it to the human level,
16 you might predict a different dose response curve.

17 And we would expect, for example, the
18 bystander effect is going to plateau out. That's
19 where you have a few cells hid in a group of cells,
20 and the others suffer injury as a result due to
21 transmissible factors, humoral factors, whatever.

22 And so the impact of these non-target
23 effects will largely be at very low doses, well below
24 what BIER VII considered.

25 And they didn't make that really clear in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 their press release, but if you read the report,
2 they're pretty candid about it.

3 The direction things could go in terms of
4 recommended exposure limits vary for each of these.
5 They can go up or go down. I think as we understand
6 potential nonfatal cancer effects, it's going to have
7 a significant impact on the risk coefficient. There
8 is some discussion of that in BIER VII, although they
9 don't come out and give quantitative estimates, but if
10 you look at the evolving Japanese data on non-cancer
11 effects, you can see it's a significant fraction of
12 the number of cancer incidences or fatal cancers, and
13 so this could increase our conservatism on public
14 doses if it plays out that way.

15 What epidemiology will tell us at the
16 molecular scale I have really no idea. It could go
17 either way, and then certainly advances in medical
18 technology would tend to mitigate estimates of risk
19 for humans.

20 CHAIRMAN RYAN: That's really the
21 clarification that's real helpful on this slide, is
22 that there are some that would move things up or down
23 the risk scale based on at least early indications
24 that perhaps could be either way, but that's really a
25 helpful clarification. Thanks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. TENFORDE: Oh, you're welcome.

2 CHAIRMAN RYAN: And then the third to last
3 slide with critique of EPA's proposed public dose
4 limit. The first bullet caught my eye. Large step-
5 wise increases in the public dose limit at 10,000
6 years is difficult to justify in a regulatory
7 framework, but earlier on you gave us, if you take 25
8 as the number and you allow 500, that's a pretty
9 significant factor increase for the care giver
10 example.

11 DR. TENFORDE: Yeah.

12 CHAIRMAN RYAN: So there are justified
13 increases in a regulatory framework. It happens to be
14 a specific case.

15 DR. TENFORDE: But that's an uncommon
16 event.

17 CHAIRMAN RYAN: Oh, it's not uncommon at
18 all.

19 DR. TENFORDE: No, no, for an individual
20 it's an uncommon event. For example, how many times
21 would you expect a family member to have to care for
22 a fellow family member that's treated with high dose
23 nuclear medicine technology that might occur once or
24 maybe twice in the lifetime of the caregiver? That's
25 a very different scenario than you have with a more or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 less continuous exposure at this much higher level.

2 CHAIRMAN RYAN: Yeah, and again, I guess
3 I would think a little bit further about that before
4 I concluded as boldly as you have that it's difficult
5 to justify because that limit at the dose may be for
6 the REMI (phonetic) or a critical group, not, you
7 know, the population at large, and if you take all
8 caregivers as a group, that's not a trivial number of
9 folks either.

10 DR. TENFORDE: Collectively, you're right.

11 CHAIRMAN RYAN: So just a little caution,
12 not a criticism, but just a caution that I think there
13 are lots of examples where we will allow exceptions,
14 and you mentioned several: emergency responders, and
15 you know, there are several others in your list, and
16 some are okay in a regulatory framework, and it's the
17 details of individual doses, repeats, collected dose
18 perhaps, even though I don't think much of collective
19 dose as a useful metric. That can allow you to at
20 least do comparisons perhaps, but I just urge some
21 caution when we think about the details that really
22 tell you what's what.

23 CHAIRMAN RYAN: But one common theme here
24 for these people who are permitted to get higher doses
25 than an average member of the public is that it's done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 under conditions where they are trained and monitored.
2 So we know what they receive and we can mitigate
3 effects, both in advance and following their high
4 radiation exposures, and --

5 CHAIRMAN RYAN: There is one exception,
6 and that is the patient.

7 DR. TENFORDE: Well, we're out of --

8 CHAIRMAN RYAN: Not recorded. I mean, the
9 machines are regulated very carefully and all of that,
10 but dose to the patient is a whole separate arena.

11 DR. TENFORDE: Well, it is, but remember
12 we're not entering the medical theater here.

13 CHAIRMAN RYAN: But on an individual
14 basis, for me as an individual, when I think about my
15 radiation exposure, I think about my occupation, my
16 plane rides, and my medical exposure. That's where my
17 risk comes from.

18 So, again, I think that is at least
19 instructive to think about individual procedures and
20 procedures that one gets over a lifetime at least
21 having some insight as to acceptable risk.

22 DR. TENFORDE: Well, they are a form of
23 benchmark for preparing inadvertent or unknown
24 exposures as a member of the public.

25 CHAIRMAN RYAN: Right. Thanks, Tom.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Again, I appreciate the insights and the
2 clarifications.

3 Jim, let's go to you.

4 MR. CLARKE: Could you take us to the last
5 slide, please?

6 DR. TENFORDE: I'll take you there.

7 MR. CLARKE: There you go. Your second
8 bullet, I like that. It makes a lot of sense. I just
9 wondered how you see that playing out, given the fact
10 that compliance will have to be demonstrated in
11 advance to a standard whatever it is at that time.

12 DR. TENFORDE: Well, it's hard to predict.
13 I mean, as I mentioned before, we saw a fivefold
14 decrease in the acceptable limit of public exposure
15 between the 1970s and the 1980s. So there could be
16 step-wise increases or decreases depending on the
17 growth of our scientific knowledge.

18 And I think, again, we're at a point where
19 there's a need to build vigilance into the regulations
20 so that there's periodic reassessment of doses to the
21 public and an assessment of the international/national
22 recommendations on exposure, and then those need to be
23 brought into some regulatory framework to perhaps
24 adjust the allowable public dose in one direction or
25 another.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: I was going to sneak in
2 one more that I forgot to ask you, Tom, and that was
3 when Dave was talking earlier we talked about
4 background radiation in the United States, and of
5 course, anybody that know NCRP reports has that one
6 pretty well thumbed through.

7 Is there a plan to update that report?
8 And you mentioned a committee, and can you give us a
9 little bit more information there?

10 DR. TENFORDE: Yes. This committee that
11 is updating not only Report 93, but the information
12 that was contained in four other reports published in
13 the 1980s has give main components. Medical exposure,
14 a very large team with representatives of
15 organizations that have large databases, like ACR, for
16 example.

17 Then natural background radiation,
18 including cosmic, terrestrial and radon exposures.
19 That also is a large team, people like Dan Strom and
20 Alan Birchall and Dave Brenner and people who have
21 thought deeply about radon dosimetry because, I mean,
22 I've been aware for some years of the change in risk
23 coefficients, and Dave has very nicely quantified what
24 the impact is. There's almost a decrease of 40
25 percent in the estimated annual dose of a member of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the public, and we need to get our arms around that.

2 And then there is a team looking at
3 industrial sources, including nuclear power, another
4 team looking at consumer products.

5 And one thing that I might mention is
6 Report 93 backed out of any firm estimates on
7 radiation from cigarette smoking. As you know,
8 there's exposure to Plutonium 210 and Lead 210, and
9 they felt at the time they were doing the report 20
10 years ago they didn't have enough data, and I don't
11 agree with that because I'm aware of a lot of older
12 data, and I want this new team to estimate the
13 radiation exposure from cigarette smoking and maybe
14 even take a look at the decline, another good argument
15 for people to quit smoking, I guess.

16 And then let's see. We covered
17 industrial, medical, natural background, consumer
18 products, and --

19 PARTICIPANT: Internally deposited --

20 DR. TENFORDE: No, no. That's not
21 separate. Industrial, occupational, background -- oh,
22 I think I covered it. I didn't realized I had named
23 five. It's industrial, occupational, medical,
24 background, and consumer products.

25 And so we've got three dozen people hard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at work starting at the first meeting next month, and
2 we hope in three years to get our arms around these,
3 and not only estimate mean values of exposure from all
4 of these sources, but to look at the range of
5 exposures.

6 CHAIRMAN RYAN: Are you looking at one big
7 report or five individual reports?

8 DR. TENFORDE: I think we're looking at
9 one big report. Should there be a reason to do so, I
10 wouldn't have any problem with breaking it into some
11 smaller reports, but I'd like to have it all in one
12 place.

13 CHAIRMAN RYAN: Sure. Well, thanks for
14 the update. That's helpful to get your insights
15 there.

16 Ruth.

17 MS. WEINER: thanks for a very
18 illuminating discussion. I have to say that between
19 you and Dr. Moeller this has been one of the most
20 informative and illuminating presentations that I've
21 had. Both of them were.

22 DR. TENFORDE: Thank you.

23 MS. WEINER: I'd like to do back to this
24 slide, and I would assume that to bring your third
25 bullet into play, it says if necessary for regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 control of public exposures, then in my mind I
2 translate that to meaning if you do an appropriate
3 performance assessment, you find that you do violate
4 the first bullet.

5 Is that what you had in mind, that if a
6 performance assessment carried out to a million years,
7 let's say, brings your public dose above a quarter of
8 a millisievert, that you then bring the third bullet
9 into play because you can't make it on the first one,
10 or what criteria do you impose that you translate from
11 the phrase "if necessary for regulatory control"?

12 DR. TENFORDE: Well, I was waffling a
13 little bit there because I'm not really a fan of this
14 three and a half millisieverts, as you may have
15 assessed. Really my main point is the second one,
16 that there needs to be an evolution of guidance that's
17 in step with science driven national consensus
18 guidelines.

19 Should for some reason these guidelines
20 rise to a higher acceptable level, I really feel this
21 is not an unreasonable ceiling to put on exposure of
22 any individual. We can look at the lifetime risk.
23 You're starting to approach one percent fatal cancer
24 significant genetic disease.

25 And the other thing that could happen, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I put a little wiggle room in here because I'm sure
2 that this is on the minds of the EPA people, is that
3 sociopolitical issues may be very dominant at some
4 point in terms of regulating public exposure. I mean
5 at some point if the level of radiation rises and you
6 do what I said on an earlier slide of taking remedial
7 measures like increasing the exclusion zone or
8 avoiding the consumption of contaminated water, then
9 pretty soon you may have a nonhabitable area that's
10 rather large, and at that point, social and political
11 processes come into play and say, "Well, what can we
12 live with," and under those conditions it may be
13 necessary to say, "Well, I realize we're only supposed
14 to have exposure at, let's say, 50 millirem a year
15 based on our consensus guidance, but people are
16 getting more than that or they will soon get more than
17 that. What can we allow?"

18 And so then you have the regulatory
19 agencies and the public and all of the stakeholders
20 coming together trying to decide what might be
21 acceptable, and that might be a higher number. It
22 could be 350 millirem.

23 I don't think that a median dose of 350
24 millirem is reasonable at all, but I could see it as
25 a ceiling on what might be collectively decided as an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acceptable level above and beyond the agreed upon
2 consensus dose standard.

3 So that's where I'm going on that, and I
4 didn't explain it very much because, well, it would
5 have taken a lot of slides, and I'm still thinking
6 myself on this.

7 MS. WEINER: Well, without harping too
8 long on it, we're in 2006 now, and we project these
9 doses using performance assessment. So let us just
10 suppose that we have a realization in performance
11 assessment, one or more realizations, perhaps not a
12 very likely one, but nonetheless that where the public
13 dose limit of .25 millisievert would be exceeded.
14 Would you, just for your personal estimate, would you
15 then say, "Okay. This is an unacceptable site," or
16 would you say, "Well, we can consider a larger dose"?

17 How would you handle that situation?

18 DR. TENFORDE: Well, you might then be in
19 a situation where you have to look at several
20 alternatives. One is under 40 CFR 197, there's a very
21 carefully prescribed area in terms of numbers of acres
22 that are the controlled site. You may have to relax
23 that, go down to Lathrop Pond or whatever, and you may
24 also then have to put some very rigorous measures in
25 place to handle contaminated groundwater.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You know, there are a lot of examples of
2 that. The mining industry has had to deal with that
3 for years. The so-called Berkeley mines up in
4 Montana, you know, they were mineral mines that they
5 flooded with water and tried to recover minerals and,
6 you know, heavily contaminated a lot of water supply
7 around there, and now they are using electrochemical
8 techniques to recover all of those things.

9 So, you know, there may be ways of
10 introducing cautionary measures to maintain high water
11 quality over a long period of time. Of course, these
12 will be built and used in generations far beyond us,
13 you know, but I mean, they're not inconceivable. I
14 mean the public is always going to try to protect
15 itself in my view, and if there is some guidance that
16 this should be the plan, then I think you could use
17 it.

18 And if you run all of the scenarios and
19 you decide that these measures, these cautionary
20 measures simply are not enough, then I think what's
21 needed is this collective government-public process to
22 decide what is acceptable. And you know, you have to
23 put hard numbers on the table. You can look at this
24 and it's, you know, five times ten to the minus five
25 per millisievert annual risk. You can multiply that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out for, say, a 70-year lifetime, and you come up with
2 about a percent lifetime risk.

3 Will the public accept that? I don't
4 know.

5 And so I guess my answer as best I
6 understand it, which is an evolving process for me, is
7 twofold. One is that you can build cautionary steps
8 into the regulations that would diminish public
9 exposure certainly. The other would be then if you're
10 going to still exceed what you might expect to be the
11 consensus guidance limit, say, 25 millirem, then
12 engage this collective group from public, state,
13 federal regulators, and you know, try to reach some
14 agreed upon intermediate position that people can buy
15 into.

16 I don't know how else to do it. I mean,
17 EPA has done this. They've done this very nicely with
18 some of the decommissioned nuclear sites. West Valley
19 is a wonderful example where the public and other
20 stakeholders were engaged in deciding on what the
21 clean-up targets are.

22 So, you know, I think the public will be
23 open to the idea. In fact, they welcome the
24 opportunity to participate.

25 CHAIRMAN RYAN: Ruth, in the interest of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time, I'm going to ask that we defer any additional
2 question to the round table portion of our meeting.
3 We have two other speakers, and I want to give them
4 their due time.

5 So I'm told that I think I said Dr.
6 Kessler would be here this morning, but Dr. Kessler
7 looks an awful lot like Dr. Kozak. So Dr. Matt Kozak
8 will be standing here himself.

9 Now, please, take it away.

10 And, again, to be mindful of time, we're
11 scheduled to take a short break in about an hour. So
12 that means you have about half of that or so to give
13 your presentation, and I think we'll go into the break
14 as necessary.

15 So fire away.

16 MR. KOZAK: Yes, today you'll have to
17 imagine me a little taller, a little thinner, and a
18 little grayer and with a beard.

19 MR. HINZE: Did you just describe Matt?

20 (Laughter.)

21 MR. KOZAK: No, he's a little shorter, but
22 he's got a beard, too, and he's less gray.

23 I am going to try to focus my comments a
24 little bit on primarily the future climate issues,
25 which are the issues that come out of the EPA standard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that more directly bear on Part 63. So I'm not going
2 to be talking about the more general EPA issues as
3 we've just heard.

4 I feel a little bit compelled after the
5 last discussion just to put in my personal viewpoint,
6 and I think that the report that we put out last year
7 we laid out some of the waste management kind of
8 arguments, I think. Dr. Tenforde put out some nice
9 radiation protection arguments about what the 3.5
10 millisieverts mean, but when you start to look at
11 stylization as you go into the future and things like
12 that.

13 There are some logical arguments that lead
14 you to it. I don't think it's quite in as much of an
15 outlier as his opinion holds it to be.

16 I would like to acknowledge that I'm
17 pretty much plagiarizing other people's work. You saw
18 Professor Huber I think it was your last meeting out
19 in Vegas, and so you see the type of quality and depth
20 of the work that he's been doing that lead to some of
21 the conclusions that really that I'll be presenting
22 today and the implications for the rule and for TSPA.

23 The other person that has been a long time
24 contributor to the EPA program is Stuart Childs, Dr.
25 Stuart Childs from Kennedy-Jenks, and he is our net

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 infiltration contributor, and of course, this is
2 supported by John Kessler.

3 So what I want to address is this issue of
4 what are the long-term climate states that ought to be
5 considered in the rule and what we need to consider
6 for modeling. I also would like to comment on the
7 proposed NRC interpretation of the EPA guidance. So
8 to the extent that I need to, I'll dabble a little bit
9 in the EPA, but I'll try to stick with NRC issues
10 today.

11 I also want to just point you, give you
12 some finger posts in the direction of some other
13 things that we're doing on igneous intrusion out to a
14 million years. That new work that we've done on
15 neptunium solubility, which has some obvious
16 implications toward peak dose and putting all of that
17 into some updated analyses that we've done for a
18 million year TSPAs.

19 So we're starting to try to look at --
20 someone brought up this morning about the NRC and how
21 they go through their risk informed decision making
22 out past a million years. We've started to try to
23 dabble into this to look at what some of the key
24 things are out past 10,000.

25 The draft EPA guidance for the compliance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assessment is to fix the climate state to avoid having
2 to justify details of the changes in the climate state
3 in the long term.

4 We agree that this is an appropriate and
5 practical approach to addressing the NAS guidance and,
6 again, we have the report out in which we had talked
7 about that as a concept for dealing with some of these
8 uncertainties.

9 EPA proposed that the long-term climate
10 state should be fixed at twice the present day
11 precipitation reflecting some type of rough concept of
12 a long-term average.

13 The assumption that was talked about a
14 little bit earlier today is that the assumption here
15 is that the past is a mirror to the future, that past
16 climate record can be used to drive how things are
17 going to evolve into the future.

18 And the question we asked ourselves is: is
19 this a reasonable and practical interpretation. And
20 our conclusion based largely on some of the work that
21 Professor Huber presented to you last time is that the
22 future climate will be different than the past, and
23 that , therefore, the past does not form an accurate
24 reflection of what the future will look like.

25 If we set aside greenhouse gas influence

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for a moment, which are, as you know, from reading the
2 newspapers tend to be relatively controversial,
3 orbital mechanics are not, and so if we take models
4 based solely on the insulation variations and just
5 look at orbital mechanics and what the future climate
6 may look like based on orbital mechanics, we have a
7 fair amount of uncertainty on whether or not there's
8 going to be glaciation over a considerable period of
9 time into the future, past 10,000 years, probably.

10 The earliest in just personal discussions
11 with Professor Huber, he had mentioned something on
12 the order of 40,000 might be the first time that we
13 might see our next glaciation purely based on orbital
14 mechanics. That's assuming no greenhouse gas
15 emissions.

16 The range of forecast values at this stage
17 includes everything from glaciation to non-glaciation
18 over a considerable period of time into the future,
19 and I think these quotes here are probably related to
20 about a 10,000 year time frame, but actually I'm not
21 sure since I'm plagiarizing other people's work.

22 If we then put greenhouse gas emissions on
23 top of that, we have to consider the long atmospheric
24 half-life of greenhouse gas, carbon in the atmosphere.
25 So once it gets into the atmosphere it takes a long

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time to get back out.

2 The global climate change model
3 conclusions from anthropogenic carbon that we are
4 looking at is -- the way he works this out as you saw
5 previously is he takes a variety of scenarios,
6 assumptions about what people may do in terms of
7 producing anthropogenic carbon going into the future,
8 and if you assume one thing, you get one future
9 climate state history or at least a distribution of
10 histories since it's a probabilistic calculation. If
11 you assume a larger release you get a different suite
12 pretty much like we do TSPAs.

13 You make an assumption about some forcing
14 function and carry it forward into the future and get
15 a distribution of results.

16 Some of the interesting ones to point out,
17 one of the sort of a mid-range value for assumptions
18 about greenhouse gas emissions is the 1,000 gigaton of
19 carbon by year 2100, and the models currently show
20 that that's going to delay the onset of the next
21 glaciation out to no the order of 100,000 years or
22 more.

23 Some of the higher assumptions that we
24 could make about what people are going to do over the
25 next hundred years or so, 5,000 gigaton carbon, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's no probability attached to these human
2 assumptions about what humans are going to do with
3 anthropogenic carbon, by the way. So they're spun out
4 just as we do. We don't try to put a probabilities to
5 human behavior. So they're spinning out these
6 different scenarios.

7 Five thousand gigaton carbon delays the
8 onset of glaciation for at least 500,000 years. So we
9 can conclude from that that full glaciation conditions
10 in the future are going to be shorter and weaker than
11 in the past. Some of the realizations and some of the
12 scenarios show that they are not too much different,
13 but they are still delayed compared to the past just
14 because of orbital mechanics.

15 And so the predominant interglacial
16 conditions going out into the future are likely to be
17 both warmer and drier at Yucca Mountain, not
18 universally across the whole world, of course.

19 Here's an example of some calculations.
20 This is for the 5,000 gigaton release, and you'll see
21 that you have a cumulative distribution function here
22 that ranges from a fairly low probability potential if
23 you look at the axis on the bottom, a fairly low
24 potential probability of there being some monsoon
25 conditions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The majority of this is it was within an
2 interglacial kind of condition. This whole band in
3 here is a continuation of the interglacial out to
4 500,000 years.

5 Here is an insulation threshold for
6 glaciation and none of the realizations get there.

7 One of the interesting things about this,
8 if you accustomed to reading cumulative distribution
9 functions is it's pretty much uniform. There's not
10 very much distinction, and so what is the best
11 analogue to choose within that is an interesting
12 question that comes out of that.

13 There's a lot of uncertainty in this is
14 what that's saying.

15 So to summarize, the climate state and the
16 details of the transition are highly uncertain. They
17 will be difficult if we were to impose a full climate
18 change type of approach. They would be difficult to
19 defend in a licensing process. So we think that the
20 EPA solution is a good one to fix the climate which is
21 at some steady state.

22 The EPA choice of the fixed climate
23 really doesn't reflect this current emerging
24 understanding, and this isn't necessarily even a
25 criticism of EPA. If you look at how rapidly this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 field is developing, if you look at literature from
2 five years ago, they are saying things that were quite
3 a bit different than what they are now. This is
4 emerging within the last couple of year even.

5 The doubling of present day precipitation
6 implies that EPA believes that full glacial
7 conditions will occur frequently. They're using the
8 past as a mirror to the future. If you factor in the
9 greenhouse gases, the full glacial conditions are not
10 nearly as likely and won't be as -- they will be a
11 fairly small proportion of the next million years.

12 And a lot of those interglacials are going
13 to be dryer than the ones that we see in the current
14 day.

15 So given all of those uncertainties, our
16 conclusion is that it would probably be a better
17 foundation for the rule to go to present day climate.
18 We've got everything from present day or drier to
19 something that could continue on almost indefinitely.
20 In some of the realizations we are out of the
21 glacial/interglacial cycling. So that is a
22 reasonable possibility that we may not see anymore
23 glacial cycles.

24 So full glacial maximum conditions will be
25 infrequent based on current understanding. A large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fraction of the next million years is likely to be
2 similar to the current interglacial conditions.
3 Present day climate state is going to be more
4 implementable. We can go out and we can measure
5 things about the current climate and the current
6 infiltration and rainfall and so forth, which we can't
7 do when we start speculating about what an average
8 over the next million years would be with glacial
9 cycling.

10 Now, I'll come back to that in a little
11 bit.

12 Okay. So that's what we actually think
13 would be a better foundation, would be to use current
14 day climate, but right now, assuming that the EPA
15 standard goes forward as it stands, we're stuck with
16 their current assumptions on double precipitation.

17 So if you assume that there's double
18 precipitation, we would like to comment. Now, these
19 are comments more directed toward the NRC. Taking the
20 EPA guidance up to this point, what has NRC proposed?

21 They've proposed to specify net
22 infiltration values rather than the details of the
23 precipitation, and the specification ranges 13 to 64
24 millimeters per year, and that's founded on an
25 assumption of five to 20 percent of the precipitation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 being converted into infiltration.

2 First of all, we're concerned with the
3 notion of specifying actual values in the rule, not so
4 much from an implementability standpoint, but because
5 our understanding of these things is going on, if
6 there is a general scientific consensus a few years
7 from now that we are out of the glacial cycling, then
8 we would have to go back and fix the rule. We'd have
9 to go back and change the numbers or it wouldn't
10 reflect current best understanding.

11 So there's a concern about actually
12 putting numbers into the rule, but if you're going to
13 put numbers into the rule, it's probably implementable
14 or it is implementable. It's a reasonable way to make
15 it implementable as long as the numbers make sense.

16 And that's our second disagreement, is
17 that we think that the specific range of net
18 infiltration that are in there are not well supported.

19 Okay. Do going back to net infiltration
20 estimates for Yucca Mountain based on present day
21 climate, we've got some review of a lot of work that's
22 been done over the years, and this is a synopsis of
23 work that's gone on within the EPRI team during that
24 same period, too, to take that work and interpret it
25 and to come up with our own independent estimates.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Precipitation ranges are there. You can
2 see them. Net infiltration ranges. The bottom line
3 to all of that is that the percentage of precipitation
4 is on the order of two to 8.8, nine percent of
5 infiltration.

6 If we look at infiltration estimates for
7 Yucca Mountain for the transition and glacial climates
8 we get this table, and I don't want to go through all
9 of them, but one of the things that stands out here is
10 the NRC ones are consistently high. They have
11 particularly these numbers that go up to 20 don't show
12 up anywhere else in anybody else's estimates.

13 So for this case where we're looking at
14 double present day precipitation, the upper end of the
15 NRC proposed range doesn't, in our opinion, reflect
16 EPA's long term climate average guidance. It reflects
17 full glacial maximum. So we would be applying a full
18 glacial maximum for the entire time period of the GSPA
19 or at least for the post 10,000 years. Sorry.

20 We believe, based on all of the other
21 estimates and our own independent estimate, that a
22 more appropriate net infiltration as a percentage
23 of --net infiltration as a percentage of precipitation
24 is on the order of five to ten percent. So it's
25 considerably lower than what's currently in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 proposed Part 63.

2 We're still looking at this. We're still
3 looking at some of the appropriate precipitation
4 range, but one of the things that I'd like to bring
5 out is that the approach that I mentioned earlier, the
6 use of the current present day climate fixes some of
7 these problems.

8 If we use current day climate as the basis
9 for the rule, if we can get EPA to take current day
10 climate as the basis for the rule, NRC wouldn't be
11 obligated to specify actual numbers in Part 63. They
12 could just say use a range based on current
13 understanding of current infiltration values at Yucca
14 Mountain, and it would be able to evolve as scientific
15 understanding of Yucca Mountain evolved or as new data
16 were collected or what have you.

17 But as it stands now, if new information
18 is collected and it's at odds with Part 63, then you
19 either have a compliance case based on conflicting
20 information or you have to change the rule, and we
21 don't want to go through anymore rule changes if we
22 don't have to, I'm sure.

23 Okay. So those are our recommendations
24 based on the climate and on the infiltration work.
25 I'd like to just, again, put some sign posts up to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where you can find some of our other recent work.
2 We've done quite a bit over the last few months, and
3 there's more that's coming out over the next few
4 months.

5 We've done work on the igneous intrusion.
6 We had talked last year I guess it was about the
7 extrusive scenario. We've got a companion report on
8 the intrusive case that I'll talk a little bit about
9 today, but just to give you the highlight and to point
10 you in the direction where you can get the full
11 report.

12 We've gone through a major update to our
13 TSPA model for the nominal case, really trying to look
14 at some of these issues out past 10,000 years. We've
15 got a new neptunium solubility report that we've
16 imbedded into our new TSPA calculations. We went back
17 and we updated the geosphere model. It was several
18 years out of date, and so we went back and really
19 looked at it, and one of the big impacts that we found
20 was updating our Kds for thorium, in particular, was
21 a bad actor in our TSAP, and the EBS degradation
22 model. We've got a new EBS degradation model that we
23 believe is a bit more realistic.

24 One of the things that we've tried to do
25 very much over the last few years is to reflect a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reasonable expectation philosophy. There's an error
2 on this slide, and it actually reflects the conundrum
3 that we find ourselves in frequently, that as
4 performance assessors, we always fall back into a
5 reasonable assurance mode of thinking. When we're
6 faced with an uncertainty, we end up being
7 conservative and we keep on trying to fight that even
8 internally to make sure that we're trying to come up
9 with a reasonable expectation approach, and you can
10 see that even when I'm putting together slides, I fall
11 back on that.

12 Okay. So the neptunium solubility
13 estimates, this is based -- this is actually a work of
14 -- predominantly the work of Professor Langmire from
15 Colorado School of Mines who many of you probably know
16 quite well.

17 There is a report completed. The Web site
18 that you can get a PDF copy are there, but the bottom
19 line is that the neptunium solubilities are --
20 reasonable expectation values for neptunium
21 solubilities are orders of magnitude lower than what
22 DOE is using in TSPA. My personal feeling is that
23 they're probably looking to minimize their licensing
24 risk by using conservative values, but it ends up
25 having a very major impact on the post 10,000 year

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluations.

2 We have this updated EBS degradation
3 model, and I don't want to go into this too much,
4 based on work by Dr. Fraser King, who's a consultant
5 out of Canada with a lot of years of waste management
6 experience, and it's looking at corrosion of C22 and
7 corrosion of the titanium drip shields.

8 And in contrast to what Tim McCartin said
9 earlier this morning, our waste packages don't fail.
10 The waste packages we find based on the corrosion
11 science that goes into our models, that the waste
12 packages are lasting quite well. You have to count
13 the zeroes out here. I can see Allen leaning forward.
14 This is a million years out here.

15 VICE CHAIRMAN CROFF: Commas, you can at
16 least give us commas.

17 MR. KOZAK: Yeah, this is actually a
18 million years here. So we still have some of our
19 waste packages surviving well past a million years.

20 CHAIRMAN RYAN: you need to get Kessler
21 make that a slide.

22 (Laughter.)

23 MR. KOZAK: Our revised base case TSPA,
24 again, the details of the values and the curves are
25 not necessarily that important, but one of the things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that is important now, with the lower neptunium
2 solubility, it's no longer the key radionuclide and
3 the decay products are no longer the key.

4 The iodine and technetium come up being
5 the worst actors out at the peak dose out at a million
6 years.

7 So obviously this issue of what the
8 appropriate neptunium solubility is a very important
9 thing, and depending on the technical basis you choose
10 for your neptunium solubility, you can get these
11 orders of magnitude difference, and actually
12 ultimately what it means is that it's going affect
13 which of your radionuclides are key, and since they
14 are released by different mechanisms, it's going to be
15 very risk -- it's a very important feature for being
16 risk informed.

17 And we're identifying conservatism in the
18 EBS degradation model, and we're continuing to carry
19 that forward.

20 The igneous intrusion model, here again,
21 there is information on where you can get the full
22 report on all of the details. Both from the EPRI team
23 and other presenters that you've had in front of you,
24 you've heard this idea that the eruptions are a much
25 lower temperature, much higher viscosity, and much

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lower energy than what has been assumed in the past
2 TSPAs by both DOE and NRC.

3 And so when you take that into account,
4 there is relatively limited magma entry into the
5 drifts, taking into account the cooling of gases as
6 they move away from that magma front as it goes into
7 the drift.

8 There's a relatively little impact on the
9 number of waste packages that will fail. I don't want
10 to get into the details of this, too much, but the
11 bottom line is that based on that type of conceptual
12 model of the eruption, that there are additional waste
13 package failures, but when you weight them by the
14 probability, the overall scenario becomes relatively
15 unimportant compared to the nominal case.

16 So to summarize, best long-term climate
17 state to use in our opinion is the present day. We
18 have data for it. It frees up NRC to not actually
19 specify values in the rule that can cause them issues
20 later on, but if we continue to go forward with the
21 currently proposed EPA rule, we think that the net
22 infiltration range is a bit high based on what
23 everybody else's estimates seem to be, and the
24 reasonable -- again, making the same mistake again --
25 reasonable expectation approach to modeling and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recent insights that it provides us, that the igneous
2 intrusion does not contribute significantly to the
3 performance of the repository, and our latest TSPAs
4 for the nominal case are showing below .1 millirem per
5 year.

6 And that's all that I had for you.

7 CHAIRMAN RYAN: thanks. We appreciate,
8 and I guess I'll take the other topics that you
9 brought up in addition to the EPA standards as you're
10 volunteering for new presentations.

11 MR. KOZAK: Sure.

12 CHAIRMAN RYAN: Great. Rather than take
13 questions now. I'd like to ask our last speaker of the
14 afternoon.

15 VICE CHAIRMAN CROFF: We don't have his
16 slides. I have a clarification on one of them.

17 CHAIRMAN RYAN: Let's take it at the end
18 because I want to make sure we have plenty of time for
19 our speaker if you don't mind.

20 MR. KOZAK: Sir, you didn't have copies of
21 it?

22 VICE CHAIRMAN CROFF: Yes. I'm sorry. I
23 do.

24 MR. KOZAK: Oh.

25 CHAIRMAN RYAN: We'll take it up after the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 next speaker. So we can cover questions then if
2 that's all right.

3 I'd like to ask Mr. Martin Malsch to come
4 on up and make his presentation, and then we'll handle
5 questions afterwards. I just want to make sure we
6 have plenty of time for all speakers before we reach
7 the ending for the day.

8 MR. KOZAK: Do you want this?

9 CHAIRMAN RYAN: Welcome, Mr. Malsch.

10 MR. MALSCH: I thank you very much for
11 having me.

12 (Pause in proceedings for fire alarm.)

13 CHAIRMAN RYAN: I'm going to suggest that
14 we maybe say "fire alarm went off."

15 (Whereupon, the foregoing matter went off
16 the record at 3:03 p.m. and went back on
17 the record at 3:06 p.m.)

18 CHAIRMAN RYAN: We're back on the record
19 now. Mr. Malsch, thank you very much.

20 MR. MALSCH: I was going to say I hadn't
21 planned on making any incendiary comments --

22 (LAUGHTER.)

23 MR. MALSCH: -- but now that you're all
24 prepared, maybe I should go forward.

25 CHAIRMAN RYAN: It's a hard act to follow.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MALSCH: Thank you very much. My name
2 is Marty Malsch. I'm with the law firm of Egan,
3 Fitzpatrick, Malsch & Cynkar, who represent the state
4 of Nevada on Yucca Mountain matters.

5 We are still working on our NRC and EPA
6 comments, so what I can tell you today is still very
7 preliminary. In fact, we are only in the preliminary
8 stages of working on our NRC comments and we are, as
9 I speak, working on our comments to the EPA.

10 Let me begin with, though, some
11 preliminary comments about what we think so far about
12 the EPA standards and then I'll follow with a few
13 comments about the NRC standards.

14 From what we've seen so far on the EPA
15 standards, they appear to suffer from at least nine
16 utterly fatal defects. First of all, they appear to
17 be scientifically unfounded. To the extent that they
18 are premised upon the belief that there are dramatic
19 increases in their conservatisms or uncertainties
20 after 10,000 years, we believe, that premise is
21 unfounded. As near as we can tell, the major
22 uncertainty is not based upon the analysis done to
23 date, not in the magnitude of the calculated peak
24 dose, which is what you would need to see to justify
25 an increase in the magnitude of the standard, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rather the major uncertainty is in when the peak dose
2 would occur, which (a) illustrates the wisdom of the
3 National Academy of recommendations that the standard
4 be focused on the peak dose whenever it occurs, and
5 (b) illustrates the arbitrary nature of any standard
6 that increases in a step-wide fashion at any
7 particular time.

8 Two, we think it's contradicted by the
9 Coen Report itself, which we think does not support
10 the EPA's conclusions about uncertainties or
11 conservatism.

12 Three, it's completely illogical. After
13 premising the selection of 350 millirem on various
14 uncertainties, most notably climate change
15 uncertainties after 10,000 years and uncertainties in
16 specifying so-called BEPPS after 10,000 years, EPA
17 then proceeds to undercut the very basis for its own
18 recommendation by specifying climate states and
19 specifying BEPPS. So the rule is internally
20 inconsistent.

21 Fourth, it's inconsistent with established
22 NRC and EPA policies with no rational explanation, is
23 inconsistent with prior treatments of the relevance of
24 background in establishing acceptable levels of risk.
25 It is inconsistent with prior EPA statements about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 strict intergenerational equity, and it is
2 inconsistent with prior EPA statements and treatment
3 of uncertainty. In all prior locations in which we've
4 been able to examine, uncertainty had led to either
5 the use of enveloping assumptions or to the use of
6 more stringent standards, not in the use of less
7 stringent standards.

8 Fifth, the standard appears to be in
9 violation of international law. There is an
10 international convention to which 30 or more
11 countries, including the U.S., have subscribed. That
12 convention adopts a rather strict principle of
13 intergenerational equity which this EPA rule rejects.

14 Sixth, it's beyond EPA standards -- EPA's
15 authority to set standards in two respects. First, it
16 is an unnecessary and unlawful intrusion into NRC's
17 licensing function and, two, to the extent that we can
18 tell, it is actually not a health-based standard,
19 which it is supposed to be.

20 Next, it is contrary to well-established
21 principles of ethics and morality, that at this point,
22 both NRC and EPA have espoused. This is an especially
23 interesting topic for us, and we have actually engaged
24 the services of a nationally recognized ethical
25 scholar to comment upon the EPA rule and, while her

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 report is still in the various stages of preparation,
2 she has provided us with some very interesting
3 insights on how EPISIS view intergenerational equity.

4 There is apparently a point of view among
5 some in the ethical community that would say that
6 since we cannot possibly imagine what future human
7 beings or future generations would be like, that it
8 follows therefore that we have no ethical duty to this
9 and future generations. While that is a view which
10 some espouse, it is, if you think about it, contrary
11 to the NES recommendation and contrary to the concept
12 that we should have a standard to focus upon those
13 whenever it occurs because, after all, if after a
14 certain point, we know unknown duty to a future
15 generation, at that point, there should be no
16 standard.

17 However, once you accept that there is a
18 -- some principle of duty, some duty that we do owe to
19 future generations, knowing, as Edward supposed, as
20 near as we can tell, that one's duty to a --

21 (FIRE ALARM DRILL.)

22 MR. MALSCH: No one who believes that they
23 do owe a duty to future generations has ever supposed
24 that the nature of that duty depends upon one's
25 birthday. One's birthday has never been considered to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be a relevant factor.

2 Now, some people think when the trade off,
3 the public health and safety needs of the current
4 generation, as against social economic needs of other
5 generations, and people have also wondered about the
6 ethical dilemma that is posed if you -- if we have a
7 situation where we are trading off between a health
8 and safety interest of a future generation and the
9 health and safety interests of the current generation,
10 that situation poses a classical ethical dilemma. The
11 difficulty we have, assuming we assume that that
12 dilemma is posed by establishing standards for Yucca
13 Mountain, the problem with the rule making is EPA
14 hasn't identified what the trade-off is. It's not
15 possible to comment intelligently about a trade-off
16 unless we know what the trade-off is. On the future
17 generation side, you know the trade-off is an
18 incremented risk beyond -- above and beyond what we
19 would consider ourselves acceptable today. But we
20 don't know what the benefit or risk is to the current
21 generation that we're trading off. EPA doesn't
22 identify it in the rule.

23 One has the suspicion that we're talking
24 about the risk associated with no Yucca Mountain, but
25 if that were the case, the world would be completely

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 circular. If it's not another Yucca Mountain, then
2 EPA has not identified what the trade-off is and it's
3 impossible to comment intelligently upon any kind of
4 a trade-off. The rule making becomes completely
5 defective.

6 Another fascinating thing, which is
7 discussed in the EPA rule making, is the concept of a
8 rolling presence in which each generation sort of
9 engages in the kind of reevaluation of its ethical
10 principles and duties to future generations. That was
11 an especially interesting thing for the EPA to suggest
12 because along with that suggestion comes, necessarily,
13 the institutional mechanisms to accomplish such a
14 trade-off. EPA's rule does not postulate the
15 existence of any such mechanism and, in any event,
16 you'd probably just see how it would be relevant once
17 the repository is closed and we are more or less
18 committed to whatever consequences there will be.

19 Lastly, -- well, next to lastly, is
20 contrary to the recommendations of the National
21 Academy of Sciences. This is most particularly
22 obvious when we see that the EPA has recommended use
23 of the median as a measure for compliance and the NES
24 specifically recommended use of the means.

25 And finally, I think we can see that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rule is in danger of complete collapse when it is
2 actually applied. What will happen, for example, if
3 when the rule is applied, it turns out that the total
4 system performance assessment upon which the LA
5 relied, or upon which the Commission relies for
6 licensing, contains none of the uncertainties or
7 conservatisms on which the EPA relies.

8 In an early meeting with EPA, we warned
9 EPA about the dangers of establishing a rule that was
10 premised upon a particular snapshot of the DOE Federal
11 Assistance Performance Assessment as it existed at
12 that point in time and pointed out to them that if in
13 licensing the PSGA is in any respect different, then
14 the basis for the rule collapses. They seem to have
15 rejected our advice.

16 As a sort of aside, it seems to me, just
17 speaking personally here, that it's a sad day for
18 nuclear power when a federal Agency actually believes
19 that the price for nuclear power is a diminished duty,
20 ethical duty of the future generations, and I would
21 question whether Yucca Mountain is really worth that
22 price.

23 From Nevada's perspective, the rule is so
24 over the top that it illustrates the extreme and
25 unprecedented measures the proponents of Yucca are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 prepared to go to, thus, to a doomed project.

2 We would predict that when all the
3 comments are in, the EPA proposal will look like New
4 Orleans after Katrina. The EPA and the real moving
5 force behind the real DOE will look even worse than
6 FEMA.

7 Although EPA is here to have played some,
8 as yet undefined, role --

9 (FIRE ALARM DRILL CONTINUES.)

10 MR. MALSCH: Although NRC appears to have
11 played some undefined rule in developing the EPA
12 proposal, and NRRC has actually not, in the past,
13 shied from publicly criticizing EPA rule-making
14 proposals, the staff appears to be in a mode whereby
15 the theory seems to be if you can't say anything good
16 about the EPA rules, don't say anything about it at
17 all.

18 In any event, with this premise in mind,
19 though, let me proceed to make a few comments about
20 the NRC rule. As I said, we're just now working on
21 the EPA comments. We do have a few preliminary
22 observations or really, I guess, what I should say is
23 a few sort of preliminary questions.

24 The first question I would ask about the
25 NRC rule is, has the Commission failed to implement an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 important EPA recommendation? EPA stated in its
2 proposal that, "NRC has the authority to consider not
3 only the magnitude of the peak, but also the timing
4 and overall trends of those projections as it
5 evaluates the license application." Where is this in
6 the NRC rules? One has the impression that NRC will
7 find post-closure performance acceptable based solely
8 on whether the peak dose meets the EPA standards. Or
9 is it NRC's opinion that the EPA rule is a necessary,
10 but not sufficient, basis for dose closure safety?

11 I heard Dr. Kotra speak earlier about how
12 they might be examining not only the median, but also
13 the means. This suggests that it is NRC's view that
14 the EPA standard is, indeed, a necessary condition for
15 licensing, but not a sufficient condition for
16 licensing. If that's the case, I think the rule
17 should say so specifically.

18 Second, why is NRC proposing to specify
19 climate states specification and invocation rates in
20 its rule and thereby preclude these things from being
21 questioned in the staff review or licensing hearing?

22 Now, true, EPA says in its proposal that
23 NRC shall specify in regulation the values to be used
24 to represent climate states, climate change, such as
25 temperature, precipitation, or infiltration rates.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But why isn't this a clear intrusion of NRC's
2 licensing function? In the past -- and I can give you
3 examples of this -- in the past, NRC has objected
4 strenuously to EPA proposals of this sort that intrude
5 upon NRC's licensing implementation function. Why
6 isn't NRC objecting here? After all, an EPA direction
7 to NRC to do a rule is not itself a rule. This is not
8 a standard that's being implemented. This is simply
9 a bare instruction. So it's not the sort of thing NRC
10 is obligated to implement.

11 It also blurs the classic legal
12 distinction between what is appropriate for rule
13 making which is generalized findings of fact that are
14 not cite-specific and un-use of policy as opposed to
15 findings of adjudicatory facts. The sort of things
16 that are typically appropriate only for individual
17 licensing cases.

18 Why aren't these things appropriate for
19 the licensing views and licensing cases? Why are we
20 specifying not that rule?

21 Our experts are telling us preliminarily
22 that using, for example, steady, safe precipitation is
23 not appropriate, that doing so may mask important
24 affects that vary year to year, and that may
25 underestimate infiltration and clear estimates in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 infiltration are highly uncertain, that the models may
2 be inadequate, that the models have been criticized in
3 the past by NRC's own experts, that some of the data
4 may have been overlooked, that future climate states
5 may affect changes in soils and vegetation and may
6 need to be considered.

7 (FIRE ALARM DRILL ENDED.)

8 MR. MALSCH: And that there may be no
9 basis to limit the effects of climate change to
10 increase flow to the repository.

11 Now our final views will be in our
12 comments, but this raises a very fundamental question,
13 like I think was also raised by the EPRI comments. Is
14 the state of knowledge of future climate states,
15 infiltration rates, and the like so complete, and the
16 results so conclusive that they must be eliminated
17 from any further review and licensing years before the
18 license application is even filed? What if the
19 results of new studies undertaken in the aftermath of
20 the US/DS scandal, show the NRC is wrong or that EPA
21 is wrong?

22 We know that NRC and DOE calculations so
23 far did not include the effects of global warming and
24 that models are being developed in Europe and
25 elsewhere that could be used to project the effects of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 global warming in the southwestern United States. Why
2 not wait?

3 In one, EPA has suggested -- EPRI has
4 suggested, for example, that there is an emerging
5 understanding in this field and that, for example,
6 infiltration rates may not be suitable for
7 specification by rule-making because they would
8 preclude consideration of the results of emerging
9 science.

10 Why are EPA and NRC so afraid to consider
11 these things in licensing? Why are they insisting
12 that now, at a very preliminary stage, that it is
13 specified by rule?

14 In terms of intrusion on the NRC licensing
15 process, how far will this EPA incursion in the
16 licensing process go? Would NRC have to comply with
17 an EPA rule tied in to abolish all QA requirements or
18 imposing the draconian new QA requirements? Would NRC
19 have to comply with an EPA direction to forget about
20 natural analogue? Would NRC have to comply with an
21 EPA direction to assume that all the contents of waste
22 packages are released immediately when the first drop
23 of water penetrates the cladding? And how is it EPA's
24 role to tell us now, definitely, after only a few
25 month's effort and no peer review whatsoever, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DOE's performance assessment for the pre-10,000 year
2 period is sufficient scientifically for projecting
3 performance after 10,000 years?

4 Besides, you and your staff have
5 undoubtedly talked to some of the very pleasant EPA
6 people who have always been very aware of this rule.
7 Did you get any sense of confidence that they knew
8 enough about the CDSA to be making definitive
9 judgments of this sort? Are you aware, for example,
10 that EPA originally proposed, quite sensibly, that in
11 some depth might manifest themselves only after 10,000
12 years, that the NRC should have broad discretion to
13 include additional steps in the post-10,000 year
14 performance assessment period if they would
15 significantly increase peak dose. This matches
16 exactly NRC's proper role in implementing an EPA dose
17 standard. However, OMB apparently made EPA delete
18 this from the final proposal. Of course, OMB doesn't
19 know anything at all about high-level performance
20 assessments, so one can imagine the source of this
21 recommendation is probably DOE. Who knows what NRC's
22 role was in all of this, but it basically illustrates
23 the dangers of intruding on NRC's licensing function
24 and specifying things by rule when really it is
25 premature to do so.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Finally, one last comment about the EPA
2 rule. What on earth is the intended effect of EPA's
3 proposed 10(c) FAR 66.114(b)? This says that the
4 post-10,000 year performance assessment must be based
5 upon performance assessment specified in Paragraph
6 (a), which is the pre-10,000 year performance
7 assessment. And we already see in a separate
8 provision of the NRC rule provisions that limit post-
9 10,000 year performance assessment steps that specify
10 how indigenous and stein and seismic vents are to be
11 Considered, to specify how climate change is to be
12 considered and specify that general corrosion to be
13 considered. What additional limitations does 66.114
14 (b) impose? We have no idea and we can't tell.

15 In the end, we hope that in the final
16 analysis, NRC will decline the EPA's invitation to
17 pre-judge technical issues that are more appropriately
18 a part of the NRC licensing process and reassert its
19 role to judge the adequacy of the DOE sole system
20 performance assessment.

21 That pretty much concludes what I have to
22 say here today. I'm happy to answer any questions you
23 have, although I've indicated these are very
24 preliminary comments, we're still working on the EPA
25 comments, and we're just beginning to work on our NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comments.

2 Thank you.

3 CHAIRMAN RYAN: Thank you. I guess
4 perhaps we ought to get them back up and we'll take
5 any questions for our last two speakers as they come
6 up. We'll start with any questions for Mr. Malsch?

7 (NO RESPONSE.)

8 CHAIRMAN RYAN: I'll get to you. Ruth?

9 MS. WEINER: This is a hypothetical
10 question, and I'm always nervous asking lawyers
11 questions.

12 MR. MALSCH: Oh, lawyers love hypothetical
13 questions. We may not just answer them, though.

14 MS. WEINER: Could anybody have come up
15 with a rule that you would have approved of?

16 MR. MALSCH: Yes, we proposed one. We
17 proposed simply extending the 15 millirem standard out
18 to --

19 MS. WEINER: So if EPA had simply done
20 nothing else, extend no direction to NRC, to just
21 extend to the 15 millirem per year dose out to
22 infinity or a million years or whatever, you would
23 have said "great, we approve of it?"

24 MR. MALSCH: We actually told EPA that in
25 our meetings before they published the proposed rule.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. WEINER: Thanks.

2 MR. MALSCH: We thought that was the
3 simplest, most straightforward application of the core
4 decisions and NAS recommendations.

5 MS. WEINER: Well, it's nice to know you
6 did have something in the line.

7 CHAIRMAN RYAN: None from Alan. Bill?

8 MR. HINZE: Briefly. The state of Nevada
9 has no problem with having essentially a time of
10 compliance of one million years, without assurance
11 that that reaches a peak dose?

12 MR. MALSCH: Well, we were just assuming
13 that a million years approximated the geologic
14 stability. I don't think we've looked any further
15 into it. I think we just made that assumption so far.

16 MR. HINZE: So essentially, you fabricated
17 the concern regarding the peak dose and as long as
18 it's a million years, that's fine with you, despite
19 the fact that this is not what the National Academy
20 Committee said, stated?

21 MR. MALSCH: Well, they said peak dose, we
22 were in a period of geologic stability and there was
23 an aside that said that appeared to be on the order of
24 a million years. Frankly, we've not actually
25 evaluated whether that was a valid assumption or not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We just assumed it was true.

2 MR. HINZE: Thank you.

3 CHAIRMAN RYAN: Michael Lee, do you have
4 a question?

5 MR. LEE: It's just more a point of
6 clarification. The Committee was not involved in the
7 OMB review process and EPA declined an opportunity to
8 speak to the Committee publicly or privately, for that
9 matter. So, we're --

10 CHAIRMAN RYAN: We're reading the Federal
11 Register.

12 MR. MALSCH: Yeah. Just also for
13 clarification, my remarks about what OMB did are
14 available in the EPA docket because the EPA docket
15 includes what is apparently the OMB mark-up of the EPA
16 proposed rule, and that mark-up shows the deletion of
17 the invitation to NRC to specify additional steps.

18 CHAIRMAN RYAN: Thank you for that
19 reference. That will be helpful.

20 Again, I apologize for the fire alarm. I
21 know it's not something I can control, but I
22 appreciate your patience and everybody's attention to
23 your comments.

24 Just in closing, I'd like to mention that
25 we heard this morning that we're going to have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 follow-up briefing from NRC staff in December, and I
2 think we'll be working on perhaps other follow-up
3 briefings and would welcome any further comments you
4 might have. As you finalize your comments, we welcome
5 you back to provide those to the Committee in a more
6 formal forum, if you like.

7 MR. MALSCH: Yeah, I'd --

8 CHAIRMAN RYAN: At the December or a
9 future meeting that's appropriate.

10 MR. MALSCH: Yeah. I'm sure we'd be happy
11 to do that. As I said, we've not just assembled our
12 comments based upon what a bunch of lawyers think
13 about the rule in a room. We've actually engaged
14 technical experts to comment on the technical aspects
15 of this.

16 CHAIRMAN RYAN: And, again, hopefully, we
17 won't have a fire alarm during that next presentation.
18 But thank you very much for your patience and your
19 presentation today.

20 MR. MALSCH: Thank you.

21 CHAIRMAN RYAN: Are there any further
22 questions for Mr. Malsch?

23 (NO RESPONSE.)

24 CHAIRMAN RYAN: And I welcome you to stay
25 to add any other comments.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If not, are there any questions for Dr.
2 Kozak? Allen, you had a comment?

3 MR. CROFF: I had -- well, a couple of
4 questions. My clarification question, just to get it
5 on the record, Matt, it had to do with his Slide 16,
6 which is the updated engineering barrier system
7 degradation model, and there was a legend at the side
8 going with the curves with things like "DSWP," et
9 cetera. And I was wondering what those stood for.
10 And I guess -- do you want to run through them?

11 DR. KOZAK: Yeah, if we could. Maybe just
12 briefly. They're individual components either of the
13 waste package or of other elements of the EBS. So,
14 yeah, "WP" is waste package. "DS" is drift shield.
15 The ones with "Ls" in them relate to localized
16 corrosion at the lid, so it's outer lid, middle lid --
17 to be honest, I'd have to go back and look at the
18 report. I'm congenitally incapable of retaining
19 acronyms.

20 (LAUGHTER.)

21 MR. CROFF: And a second question of maybe
22 some more substance, on the next slide, your TSB Base
23 Case goes off to a million years, but has not peaked
24 yet.

25 DR. KOZAK: And to a large extent, that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a function of the engineered barrier system. We get
2 a lot of credit from the engineered barrier system,
3 but in point of fact, all that does is shift things
4 out to later times. It doesn't change the peak very
5 much. If you can spread it out over a long period of
6 time, but it -- it doesn't actually do that. It -- we
7 get longevity, but we don't get a spreading of the
8 failures.

9 MR. CROFF: It doesn't change the
10 magnitude of the peak, just the timing of it?

11 DR. KOZAK: Yes.

12 MR. CROFF: When is the peak? It runs off
13 the end of the curve here.

14 DR. KOZAK: We have run it out and it's
15 not too much further out than a million years.

16 MR. CROFF: How about up?

17 DR. KOZAK: It doesn't go up much higher
18 at all.

19 MR. CROFF: So it doesn't reach down to
20 minus one?

21 DR. KOZAK: No.

22 MR. CROFF: Okay.

23 CHAIRMAN RYAN: Again, I think -- thinking
24 ahead of that, simply if we do get into more detailed
25 presentations on that, clearly we'll need to know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where the peak is, both in terms of magnitude and time
2 to help understand the question a little bit.

3 Thank you.

4 Are there any other questions? Are you
5 all set, Allen?

6 MR. CROFF: Yes.

7 CHAIRMAN RYAN: Bill?

8 MR. HINZE: Just a brief question. You
9 related the duration between -- the period of time
10 between glacial cycles to the intensity of the glacial
11 activity, if I understood you correctly, that because
12 of a long duration, is the same factors would lead to
13 a lower intensity of the glacial activity. I was --
14 I am unaware of any evidence for that.

15 DR. KOZAK: I don't think I was intending
16 to link them. It was just a statement that because
17 the overall -- because of the overall warming that if
18 the glacials do occur, that they are not deep. That
19 the -- my understanding of it, and this is Professor
20 Huber's expertise, obviously, but that -- because the
21 overall insulation rate is higher, that then the depth
22 is not -- the intensity --

23 MR. HINZE: I think that he had an
24 argument regarding that because during some of the
25 warming periods, some of the glacial cycles -- some of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the cooling cycles have been extreme.

2 DR. KOZAK: Yes.

3 MR. HINZE: Very rapid and quite extreme.

4 So I think we have to be a little careful about
5 extrapolating the work that Matt has done too far into
6 intensities.

7 DR. KOZAK: Agreed. He's seen those
8 slides. I didn't do these in the absence of him.

9 CHAIRMAN RYAN: Thanks. Jim?

10 MR. CLARKE: Just to clarify a matter.
11 When you say "net infiltration --

12 CHAIRMAN RYAN: Use the microphone,
13 please, Jim.

14 MR. CLARKE: When you say "net
15 infiltration," that's what other people call "deep
16 percolation?" That's --

17 DR. KOZAK: Yeah.

18 MR. CLARKE: -- the water that could reach
19 the depository?

20 DR. KOZAK: Yeah. Yeah, that's right.

21 MR. CLARKE: And also, on your igneous
22 event, damaged waste packages are damaged in the sense
23 that they're potential sources due to subsurface, but
24 not to the atmosphere, is that right?

25 DR. KOZAK: That is correct because for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 them to be sources to the atmosphere, they have to be
2 in the conduit after the formation. The ones that --
3 I didn't go into the detail, but we broke it down into
4 several zones. You have ones that are essentially --
5 waste packages that are essentially embedded in the
6 salt afterwards. So after things have cooled back
7 down, they're embedded in the salt. And then you
8 would have ones that may be partly contacted and then
9 if it doesn't flow all the way down to the end of the
10 drifts, you would have a third area that's only
11 contacted by hot gasses. And we have different
12 failure functions for each of those. The predominant
13 failures are in the second zone. In other words, the
14 ones that are embedded, you have additional effects
15 that tend to preserve the waste package because you
16 have counter-pressure and things like that. But if
17 you have -- if you have the magma flowing down the
18 drift and it only reaches halfway down a waste
19 package, that's sort of a worst case, where you have
20 internal pressurization; you don't have the counter-
21 pressure on it and it can pop the lid a little bit.
22 But that's the type of failures that we'd be looking
23 for.

24 MR. CLARKE: If I understand your results,
25 you're not predicting any release in the ash of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radionuclides, is that right?

2 DR. KOZAK: For the extrusive case, that
3 is correct. Our expectation case was that there would
4 be no releases. So this is -- these are ones that
5 would be outside of the conduit, but they may suffer
6 some damage because of the heat and chemical effects.

7 MR. MALSCH: Mr. Chairman, I wanted to --
8 I forgot to give you two references I thought you
9 might be interested in. For an official NRC position
10 about the proper role of EPA vis-à-vis NRC in the
11 waste area and for, in fact, a statement of position
12 that resembles almost exactly the position of the
13 state of Nevada here today, let me refer you to two
14 documents on the LSN and these are letters from NRC to
15 EPA and Commission papers. One is -- I'll just give
16 you the numbers and you can have your staff look them
17 up. They are NRC000024461, that's NRC000024461, and
18 NRC000024406. The second one is NRC000024406.

19 CHAIRMAN RYAN: Okay. Thank you very
20 much.

21 MS. WEINER: This is for Matt, who is
22 clearly busily writing something down. On your Slide
23 12, where you showed all the different net filtration
24 rates and precipitation rates. To what do you
25 attribute the fairly large range in infiltration rates

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that is predicted? Is there some general overall
2 thing or is it a different thing for each rate?

3 DR. KOZAK: I think it's a different thing
4 for each rate. They're all different. They're
5 different studies done by different methods. Some of
6 them are modeling; some of them are experimental. So
7 I think it's just --

8 MS. WEINER: Is there a way that you could
9 identify the experimental ones or the modeling ones?
10 Is there a trend that you can, or are the experimental
11 ones always bigger, smaller, whatever?

12 DR. KOZAK: I'll take that under
13 advisement. This is still in progress, this work. I
14 can take that back to Stewart and see if he can do the
15 correlation.

16 MS. WEINER: That would be very helpful.
17 I tend to kind of understand experimental things more
18 than just modeling things and it would really be
19 interesting for us --

20 DR. KOZAK: Yeah, sure.

21 MS. WEINER: -- to see that. My other
22 question is kind of -- depends on a paper that I heard
23 just recently. Do your estimates of carbon dioxide
24 emissions include emissions, the projections of
25 greatly increased CO₂ emissions, coal burning from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 India and China? Because I heard a paper just a
2 couple of days ago that looked at these enormous
3 increases and could swamp anything we do.

4 DR. KOZAK: I'm not sure. I'd have to go
5 back to Professor Huber and find out what the basis
6 are for the different values. He's part of -- he's
7 heavily involved in the IPCCs, so I'm sure they're
8 involved with all those things. They're probably the
9 same people publishing the reports, I would guess.

10 MS. WEINER: Thank you.

11 CHAIRMAN RYAN: Again, thinking ahead a
12 bit to perhaps December and beyond, as we get our arms
13 around some of the technical aspects of the proposed
14 standard and the EPA standard both. Getting a handle
15 on risk significant issues, I think, is going to be a
16 task that we'll probably all have in front of us, and
17 us in particular, to think about what's important and
18 why in terms of risk. And that is the question of the
19 dose and its magnitude, the dose and its temporal
20 location because that has an impact on what
21 radionuclides might contribute and so forth, and some
22 of these issues that now you've talked about today of
23 infiltration rates and it's rightly commented on,
24 what's experimental and what's calculated and what's
25 a model and what's not a model, and those kinds of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things. And I think as we move ahead, any insights
2 you can share on risk insights that are really in that
3 realm, not a reasonable assurance, but reasonable
4 expectation of going and correcting itself, that's an
5 essential element of this discussion, I think, to
6 really get at what are reasonable expectations and why
7 and what is risk significant and why. And then some
8 focus on, I guess, equally as important, what is not
9 risk significant and why. And then we can sort of
10 begin this process of sorting out this timeframe from
11 kind of the fourth to kind of the sixth years a little
12 bit better. So I just offer that comment to everybody
13 that as we think about presentations down the line and
14 what will be helpful to us as we formulate our advice
15 to the Commission, that any insights you can bring
16 back with that in mind would be helpful. Dr. Huber's
17 climate work, for example, I think he was asked this
18 question. I may not have it just right, about the
19 uncertainty in some of his modeling and he said, oh
20 the models are very well known, as if they were fact,
21 true, you know. So the uncertainty aspect of those,
22 of course, I think we all accept the fact that a
23 global multi thousands of years carbon model or
24 temperature model probably has some uncertainty with
25 it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HINZE: I think he also went on to say
2 that the data wasn't that certain. The models might
3 have been, but the data wasn't.

4 CHAIRMAN RYAN: My own definition as a
5 model is often challenged by the quality of the worst
6 piece of data in it.

7 MR. HINZE: Amen.

8 CHAIRMAN RYAN: Again, it's that
9 perspective of certainty and uncertainty that I think
10 we would ask that people do their best in addressing
11 in future presentations because that will be a help to
12 us.

13 Are there any other questions or comments?
14 I'd invite our other speakers from your earlier, Dr.
15 Waller or Dr. Penfoyer, if you'd have any other
16 comments you'd like to make, please feel free to do
17 so.

18 John, you had a question?

19 MR. FLACK: Well, yeah. I think --

20 CHAIRMAN RYAN: And, again, if you'd just
21 help the Reporter and tell us who you are again.

22 MR. FLACK: Sure. This is John Flack,
23 ACNW staff. Just to follow-up on your comment about
24 -- question about what's risk significant. I'm
25 looking at this chart on Page 16 about the degradation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 model and --

2 CHAIRMANY RYAN: This is from Dr. Kozak's
3 presentation?

4 MR. FLACK: Yeah. And it says that
5 removing these conservatisms really has a substantial
6 impact on the time when these packages degrade and I
7 would then question what are these conservatisms
8 because they would certainly would be risk significant
9 because they're really affecting the calculi -- I mean
10 just from that chart, it's -- it really comes across,
11 so maybe if -- I don't know if you could go through
12 those conservatisms that were removed that made these
13 packages last so much longer?

14 DR. KOZAK: I will attempt to, but I'm not
15 a corrosion expert.

16 CHAIRMAN RYAN: Rather than do that at
17 this point, I would request that we ask you to take
18 that question back and that we have a presentation on
19 it very specifically because it is, as John's pointed
20 out, an eye-catcher and that's why I invited -- I took
21 all those as volunteering to come back for more
22 presentations so we can understand the details of
23 those issues.

24 DR. KOZAK: Quite right. And the details
25 of those -- of the corrosion model are in our end of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the year report, which is not in the list that you've
2 got in front of you now because it's not done yet.

3 CHAIRMAN RYAN: Okay. Well, we'll --

4 DR. KOZAK: But it will be in the near
5 future.

6 CHAIRMAN RYAN: -- look forward to that.
7 Okay, great.

8 MR. HINZE: Could you give us a heads-up
9 on that?

10 DR. KOZAK: Absolutely.

11 MR. HINZE: So the staff, you know, will
12 have it.

13 DR. KOZAK: Sure.

14 CHAIRMAN RYAN: Latif, yes, please?

15 MR. HAMDAN: I have a question for Tom
16 Tenforde. Thank you for your interpretation. I just
17 have one question. When did the NCRB or you
18 personally give comments on the EPA proposed rule to
19 the EPA and, if not, why not? You seem to have very
20 good comments.

21 DR. TENFORDE: Well, thank you. I'm
22 encouraged to take a little time to try to write my
23 thoughts down in a narrative form and I'll do my best
24 to do that on time. I believe the deadline is a
25 couple of weeks down the road, isn't it? What is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- well, we've got that from the package of
2 information, so I'll try to meet the deadline. Thank
3 you.

4 CHAIRMAN RYAN: Is there anything else?

5 (NO RESPONSE.)

6 CHAIRMAN RYAN: Well, we'll take our 15-
7 minute break and reconvene at 4:00 p.m. Again, thank
8 you all. We'll see you in 15 minutes.

9 (Whereupon, the above-entitled matter went
10 off the record at 3:44 p.m. and resumed at 4:08 p.m.)

11 CHAIRMAN RYAN: At this point, Mike, we're
12 just going to do letter writing. Do we need to have
13 the Reporter?

14 MR. SCOTT: No.

15 CHAIRMAN RYAN: We do not. So I guess
16 we'll end. We're not having any new input. So we'll
17 end the official transcript at this point and we'll
18 move on to letter writing.

19 (Whereupon, the above-entitled matter was
20 concluded.)

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701