

Official Transcript of Proceedings

**NUCLEAR REGULATORY
COMMISSION**

Title: Advisory Committee on Nuclear Waste
165th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, November 15, 2005

Work Order No.: NRC-742

Pages 1-166

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE (ACNW)

165TH MEETING

+ + + + +

TUESDAY,

NOVEMBER 15, 2005

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at 8:30 a.m. in Room T-2B3 of the Nuclear Regulatory Commission, Two White Flint North, 11545 Rockville Pike, Rockville, Maryland, Dr. Michael T. Ryan, Chairman, presiding.

MEMBERS PRESENT:

MICHAEL T. RYAN, Chairman

ALLEN G. CROFF, Vice Chairman

JAMES H. CLARKE, Member

WILLIAM J. HINZE, Member

RUTH F. WEINER, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACNW STAFF PRESENT:

2 NEIL M. COLEMAN

3 LATIF HAMDAN

4 RICHARD K. MAJOR

5 SHARON A. STEELE

6 MICHAEL LEE

7

8 ALSO PRESENT:

9 SUSAN ALTMAN, Sandia

10 RANDALL CYGAN, Sandia

11 JIM LIEBERMAN, Consultant

12 TODD LOVINGER

13 BRUCE MARSH, ACNW Consultant

14 BILL OTT

15 JOHN FLACK, ACNW

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

Opening Remarks by ACNW Chairman	4
Reactive Transport Research	6
Preparation for Commission Briefing on January 11, 2006	
Generalized Composite Modeling	36
White Paper on Low-Level Radioactive Waste	143
Adjourn	

3

P R O C E E D I N G S

8:51 A.M.

CHAIRMAN RYAN: The meeting will come to order. This is the second day of the 165th meeting of the Advisory Committee on Nuclear Waste. My name is Michael Ryan, Chairman of the ACNW. The other Members of the Committee present are Vice Chairman Alan Croff, Ruth Weiner, James Clarke and William Hinze.

During today's meeting, the Committee will hear a briefing by and hold discussions with representatives of the Office of Nuclear Regulatory Research on radionuclide sorption in soils and its impact on reactive transport. We'll make preparations for the Commission briefing on January 11, 2006 and we'll hear presentations and hold discussions with representatives of the U.S. Geological Survey and the Office of Research regarding demonstrations of the generalized composite approach to modeling reactor transport.

We will discuss the Committee's draft white paper on low-level radioactive waste and discuss draft committee letters and reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Alan Pasternak of the California

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Radiation Forum will be participating by phone during
2 discussion of the low-level waste white paper.

3 It is requested that speakers use one of
4 the microphones, identify themselves and speak with
5 sufficient clarity and volume so that they can be
6 readily heard. It is also requested that if you have
7 cell phones or pagers that you kindly turn them off.
8 Thank you very much.

9 I have one item with regard to staff that
10 I'd like to bring to everybody's attention. Ms. Jesse
11 Delgado of the Advisory Committee on Reactor
12 Safeguards and Advisory Committee on Reactor Waste was
13 honored at the Hispanic Employment Program Advisory
14 Committee dinner last week. Jesse received this
15 year's Equal Employment Opportunity Award, co-
16 sponsored by the Office of Small Business and Civil
17 Rights and the KEPAC organization for her outstanding
18 service over a number of years. The EEO award is
19 presented in recognition of outstanding contributions
20 to the advancement of equal employment goals and for
21 promoting diversity within the Nuclear Regulatory
22 Commission.

23 Jesse, we congratulate you on this
24 recognition and I'd like to make that part of the
25 record.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Applause.)

2 Thank you very much for all that you do
3 and all that's ahead and we appreciate your service.
4 Thank you very much.

5 With that, I will turn over the gavel to
6 Ruth Weiner who will be leading us through the two
7 presentation sections today.

8 MEMBER WEINER: Thank you, Mr. Chairman.
9 This morning we're going to have several presentations
10 on research on reactive transport and I'm going to ask
11 Bill Ott from the Office of Nuclear Regulatory
12 Research to lead off and to introduce our speakers.

13 Do you want to speak from back there,
14 Bill?

15 MR. OTT: This will be fine.

16 CHAIRMAN RYAN: Just for the reporter, if
17 you will identify yourself and who you're with. NRC
18 is fine and then every other speaker do the same, and
19 that will be great. Thanks.

20 MR. OTT: Okay, I'm Bill Ott. I'm from
21 the -- I'm a section chief in the Office of Nuclear
22 Regulatory Research for the Nuclear Regulatory
23 Commission.

24 And just one minor correction. Ruth knows
25 Jim Davis couldn't be with us today, so the afternoon

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 session is actually not going to take place. We're
2 going to extend the morning session a little bit and
3 cover a little bit of what Jim was going to deal with
4 with regard to the OACD Nuclear Energy Agency. I'll
5 do that presentation.

6 Hopefully, if it meets with your schedule
7 and Jim's, we can bring them in in December, to talk
8 about the Naturita Project which is really the second
9 phase of this work that we're talking about today.

10 And basically what we're talking about
11 today is how we deal with chemical interactions in
12 soils with graduated radionuclide transport processes.
13 It's been a thorn in the side of PA modelers for years
14 and we've extended considerable effort in trying to
15 come to grips with this problem and we're going to
16 talk to you about some of those efforts that we've put
17 forth today.

18 First talk is going to be Randy,
19 presenting something that Jim Davis and he
20 collaborated on with regard to sort of an overview of
21 the research that we've been putting together. Then
22 Randy, Randy Cygan and Susan Altman will present the
23 work that's been done by Sandia and will give you a
24 fairly detailed overview of that work. They'll end
25 with a discussion of the MOU which was -- there's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Memorandum of Understanding with many federal agencies
2 dealing with multi-media environmental modeling,
3 research and development of those models. And we have
4 a working group on reactive transport. We had a major
5 workshop about a year ago and they're going to discuss
6 the results of that workshop.

7 The next presentation was supposed to be
8 Jim Davis. That's not going to happen and then I'll
9 end up this morning with a discussion of the NEA
10 sorption project which is an international effort
11 that's been trying to deal with the sorption effort.

12 With that, I'll turn it over to Randy
13 Cygan.

14 Randy?

15 MR. CYGAN: Does the Committee prefer that
16 I sit? I'd rather stand or --

17 CHAIRMAN RYAN: We'll have to get a lapel
18 microphone for you, if we do that and you're welcome
19 to do it any way you're comfortable.

20 MR. CYGAN: I should be much more
21 comfortable standing, if you don't mind.

22 CHAIRMAN RYAN: You need a microphone.
23 We're recording.

24 MR. CYGAN: I assume you can hear me?
25 Okay. Randy Cygan, Sandia National Labs for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 record. Thank you, Mr. Chairman, Dr. Weiner and the
2 rest of the Committee Members.

3 I appreciate this opportunity to present
4 our summary of our studies, the results of our work
5 this morning. Sort of just recently we learned about
6 Jim Davis not being able to attend today, so Jim was
7 able to e-mail me some introductory slides. I got
8 them on Saturday and I'm going to present them now.
9 These were prepared by Jim, and hopefully I'll be able
10 to represent best as I can some of the findings.

11 They're really meant to be an overview of
12 where all of our projects fit together. It's sort of
13 how they dovetail together and relate to performance
14 assessment for looking at either decommissioning of
15 nuclear power plants or dealing with nuclear waste
16 sites, mining, tailing operations and that sort of
17 thing.

18 We all agree, at least in the geochemistry
19 discipline, the critical need for understanding how
20 radionuclides migrate through the environment. We're
21 most concerned, the USGS and Sandia were most
22 concerned with sorption processes and trying to
23 understand how we can best describe the chemistry and
24 then transfer those into reactive transport modeling
25 and hydrologic transport codes that eventually get the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 answer, if you will, with regards to performance
2 assessment, ultimately the dose rate that eventually
3 goes into the water supply, for example.

4 So we do have some issues about making
5 this combination, just ground water flow mixing in
6 flow environments, fractured flow, porous media flow.
7 We know that there are some concerns across the
8 extensive parameters of being pH, carbon dioxide
9 content, these partial pressures, radionuclides
10 concentration, temperature, ionic strength and so on.

11 Throughout the presentations this morning,
12 you'll hear a lot more of these details being brought
13 out, but in this overview, what we're trying to do is
14 combine the more standard approach, combine it with
15 very detailed chemistry and try to get a fairly
16 generalized and detailed reactive transport model
17 that's presented here, essentially looking at
18 concentration profiles, a radioactive plume that goes
19 downstream from the source. And then trying to
20 incorporate that, as I said, into performance
21 assessment.

22 To back up a few steps, to give you an
23 idea of what's involved in looking at the
24 thermodynamics, trying to generalize the
25 thermodynamics to better look at sorption processes,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 typically, we always -- geochemists will go back to
2 just looking at standard solubilities and this is a
3 plot of the law of concentration of some aqueous
4 species as a function of pH. There's a fairly narrow
5 pH range from 5 to 7.5. This is showing you the
6 solubility curve for schoepite, a uranium ore.

7 Essentially, this dotted line represents
8 that solubility curve, knowing that at low pHs we have
9 higher solubility. Middle range, it drops. Greater
10 solubility off on the right, but underneath this
11 solubility line, this limit, are a set of lines that
12 describe the speciation in this aqueous solution,
13 above the uranium materials that can come out when you
14 dissolve the schoepite. These range from uranium --
15 uranyl sulphate, uranyl oxide, the standard uranyl
16 cation and then as you go up to higher pHs, especially
17 where you have CO₂ being involved in the reactions,
18 you start to form these quite stable uranyl carbonate
19 complexes. But this is the standard approach aqueous
20 geochemists having been using to just look at
21 solubility limits and what the speciation might be.

22 Now these details are quite important,
23 especially at the high pH ranges where we start to
24 form these carbonate complexes. And you'll see later
25 on how critical they are.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now we also have the availability to look
2 at the speciation across pH range and how it varies
3 each of these species. What we have here is an
4 overview, an overlay of all the different compounds:
5 low pH, typically uranyl; middle pH range, we have
6 these hydroxides that come out as species and then
7 again as I'm repeating, the carbonate complexes is at
8 the high pH. You start to see this trace of these
9 curves and they sort of map out what I showed on the
10 previous slide for the solubility of schoepite.

11 Now that's the standard geochemical
12 thermodynamic approach, knowing that we have a solid
13 phase that can dissolve and precipitate, if you will.
14 We have species that occur in solution as a result of
15 that dissolution and we're taking that one step
16 further. And throughout the rest of the presentation
17 you'll be hearing more and more about how the solids
18 come into play and what are the sorption processes
19 that occur on these solids.

20 And this is a representation of hematite
21 and what we're able to see using some fairly advanced
22 analytical methods, specifically extended x-ray fine
23 structure, absorption fine structure ex-outs, you can
24 get the details of what a sorption complex might be.
25 And we know from those studies that we can form a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uranyl(VI) carbonate complex right on the edge of this
2 particular polyhedron representation, the octohedran
3 in hematite. So this is a very fine detail that we're
4 getting. And what we're trying to do is combine these
5 data to develop the reactive transport models.

6 This is a set of results now for uranyl
7 complexes on hematite and you can see the detail. You
8 get the coordination of the uranyl group. It's
9 coordination with carbonate groups, other oxygens, and
10 then with the substrate itself, the iron oxide.

11 So in the first part of the slide you
12 essentially see the thermodynamics, how you would
13 write an association constant, an equilibrium constant
14 for how uranyl will complex with sulphite in this
15 example. This is an aqueous solution. Simple K is
16 just the concentration of the complex divided by the
17 reactives. Okay?

18 Now when you have a substrate and you
19 start to look at the association of these complexes or
20 some subset of those complexes with the substrate, you
21 can write very similar thermodynamically grounded
22 reactions as well. Here we have a mineral surface, in
23 this case it's an iron oxide reacting with the uranyl
24 (VI) cation and with water and you form this now
25 stable sorption complex here, represented on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 right.

2 And just like you would for the aqueous
3 system, you could write a sorption reaction here and
4 an equilibrium constant. We're using fundamental
5 thermodynamics now, using mass action laws to
6 understand now surface species, analogous as you would
7 with solution complexes.

8 Now this is just a repeat of the previous
9 slide, but we want to know that when you write these
10 Ks you also have Ks that are involved with the aqueous
11 solution, so what we want to look at is what's going
12 on in the solution and how it might affect the uranyl
13 concentration here. And I could step up in this slide
14 and you can start to see now that we have a set of
15 mass action laws, a set of equilibrium constants that
16 now will affect, for example, the carbonate
17 concentration in this system. And we know that the
18 uranyl will be reacting with the carbonate to form
19 these, for example, these type of complexes and
20 solution.

21 And this rigorous description of the
22 thermodynamics will control ultimately how much uranyl
23 is now going to be available to form these complexes.
24 The point I'm trying to make here or I should say the
25 point that Jim's trying to make here is that it's not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a simple Kd. It's a very complicated chemical system
2 that you're trying to describe and a Kd may work in
3 some cases, but it's just not going to work if you
4 want to be rigorous and general in describing how
5 uranyl will sorb, for example.

6 This is an example if you take it one
7 further step going into a reactive model where you
8 look at a breakthrough curve for let's say a plume
9 going downstream. In one case, you might have a
10 sorbing solute, some substrate here that's going to be
11 reacting with some component. And the blue case, it's
12 a nonreactive tracer, so obviously this guy is going
13 to be going downstream and not sorbing, whereas this
14 guy is going to be sorbing and you could use the
15 classic Kd to describe it. There is a retardation
16 factor that's involved here in how you might attenuate
17 the transport of the sorbing solute.

18 But we know and I'll be showing you
19 example of how variable that result will be if you
20 start to compare Kd with the more rigorous
21 thermodynamic sorption model. Jim uses TSM to
22 describe that as thermodynamic sorption model. I'll
23 be using SCM, surface complexation model to look at
24 the specifics of how you describe the sorption.

25 This past slide is sort of a general

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 slide, showing you the different levels of complexity,
2 as you go from a simple KD model which is very typical
3 of performance assessment codes, where you have a
4 fairly simple chemistry, constant chemistry and a
5 simple linear absorption. You could step up a little
6 bit by looking at isotherms, nonlinear isotherms such
7 as a Freundlich and then what we're proposing and all
8 the studies that you'll be hearing later about
9 variable chemistry where we have aqueous reactions
10 that are involved with the sorption reactions much
11 more sophisticated approach, but in this case we have
12 the fractionation being represented as a function of
13 chemistry, so these are the TSMs.

14 So obviously in the bottom slide,
15 demonstrate how TSM can benefit PA by increasing the
16 scientific credibility and reducing uncertainty in
17 representation of the sorption process and I think
18 that's a nice little summary statement that Jim has
19 generated, just demonstrating that if we spend the
20 effort, look at the chemistry, try to generalize it,
21 be thermodynamically solid in how you evaluate it, you
22 can get a much better description of sorption. You
23 could allow all the variables to be introduced and
24 understand those variables and how they influence
25 sorption. And this way you could also reduce the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty.

2 Now I'm going to step into the next
3 presentation. I don't object to having questions in
4 the middle of the presentation. What does the
5 Committee --

6 MEMBER WEINER: I was just going to ask if
7 the Committee has any questions now.

8 MEMBER CLARKE: Randy, this may becoming
9 up. So far everything you've been talking about is
10 equilibrium sorption, is that correct?

11 MR. CYGAN: Yes.

12 MEMBER CLARKE: Are you doing any non-
13 equilibrium work at all?

14 MR. CYGAN: There are ways to introduce
15 the non-equilibrium component, trying to get kinetic
16 factors in there. Those have been introduced at some
17 level of sophistication. As you probably know, we
18 have difficulty with even thermodynamic parameters.
19 Kinetic factors parameters, reaction rates are much
20 more difficult to ascertain, either experimentally or
21 from theory.

22 We do have the structure together to
23 incorporate them, but there's some hesitancy in just
24 automatically dumping in parameters.

25 MEMBER CLARKE: I understand.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CYGAN: So yes, some studies have been
2 done and quite successfully, but I'm not going to be
3 presenting those in this morning's presentation.

4 MEMBER CLARKE: Fair enough, thank you.

5 MR. CYGAN: That's a good question.

6 MEMBER HINZE: Randy, what is the order of
7 magnitude of the difference when you consider the
8 thermodynamic model versus a simple K_d ? What kinds of
9 orders of magnitude are we working with?

10 MR. CYGAN: I'll be showing you in a
11 second some examples of what that comparison might be,
12 but there are some where they're in fairly good
13 agreement within an order of magnitude, for example,
14 some factor, wherein in other cases you might see many
15 orders of magnitude comparing K_d to the thermodynamic
16 model. But it's so site specific on application.

17 MEMBER HINZE: What about other variables,
18 temperature and the like? Are these affecting the
19 results in a meaningful way?

20 MR. CYGAN: Oh certainly. You could use
21 the structured thermodynamic approach to look at heat
22 capacity effects and enthalpies and how they might
23 influence some of these constants, some of the
24 thermodynamic parameters. A lot of systems, we know
25 these values quite well and we could easily

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extrapolate from the room temperature values for
2 reaction constant. We could certainly get them scaled
3 up to the right temperature for the application. Our
4 reactive transport models often are polythermal, going
5 through several different temperature excursions and
6 we have a good feel for a lot of the parameters, how
7 they vary with temperature and so there is some
8 consistency there.

9 With sorption data, there's some
10 uncertainty with regards to higher temperature
11 extrapolations, but there are a handful of people.
12 We're not doing this work, but I know there are
13 several groups that are looking into how high
14 temperature processes will affect sorption.

15 MEMBER HINZE: And these are effective
16 both in the unsaturated as well as the saturated zone?

17 MR. CYGAN: Yes. In fact, part of the
18 MOU, one of the findings of the MOU and our workshop
19 from last year is to essentially start looking at
20 betyl zone scenarios, trying to get a better feel of
21 the saturation rate and looking at the cyclic nature
22 of wetting and that sort of thing.

23 MEMBER HINZE: That will be interesting.

24 CHAIRMAN RYAN: I guess I'm thick in the
25 head for the day. I'm kind of interested in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certainty or uncertainty questions and when I hear
2 that -- and measurement, I guess. You know, what do
3 you measure and what are you calculating and how does
4 this improve my ability to really tease out what is
5 risk significant?

6 Don't answer that necessarily with your
7 introductory stuff, but I would be kind of interested
8 in how this view of transport will give me a better
9 insight into what's moving where, when so I can then
10 have a better estimate of ultimate risk from that
11 activity. I understand it has its own merit as the
12 science of transport, but I want to think about and I
13 always think about well, does this help me to make a
14 better dose estimate.

15 MR. CYGAN: It comes down to a
16 philosophical question in some cases when we start to
17 look at some of these sensitivity and uncertainty
18 analyses and you'll see some examples that might help
19 explain that better, but yeah, when you try to look at
20 how all these different parameters, especially if some
21 are parameterized from empirical measurements, it's
22 interesting to see how those areas are propagated down
23 the radionuclide, the path and then ultimately to
24 dose.

25 CHAIRMAN RYAN: Sure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CYGAN: That's a critical question,
2 obviously for PA.

3 CHAIRMAN RYAN: And I think from my point
4 of view and perhaps the Committee's focus is that's
5 probably the critical value of these kinds of
6 improvements, if we can do a better job of performance
7 assessment or risk-informed performance assessment.

8 So just the thought as you and the other
9 speakers come along that those kind of questions are
10 on my mind.

11 MR. CYGAN: We'll be addressing them.
12 You'll see shortly some examples.

13 CHAIRMAN RYAN: Great. Thanks.

14 MEMBER WEINER: Any of the staff have any
15 questions at this point?

16 Go ahead then, Randy.

17 MR. CYGAN: Okay, now I'm going to switch
18 to specifically the Sandia effort. And I'll be
19 leading off and then Susan Altman will be following me
20 on some of the characterization studies.

21 Specifically, the contract --

22 MEMBER WEINER: Before you start, could
23 you tell us what JCN is?

24 MR. CYGAN: That's a good question for my
25 NRC manager, I guess.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. OTT: Job Control Number.

2 MEMBER WEINER: Thank you.

3 MR. CYGAN: We were working with JCN for
4 so long, it's sort of one of these things you just
5 accept. We've been working on JCN for the last three
6 years, this particular JCN. We've been funded
7 previously through contracts with the NRC. Our
8 earlier work has always -- well, we've always been
9 looking at sorption processes and we did a lot more
10 lab benchwork during that previous and I'll mention it
11 briefly coming up here.

12 Actually, here it is. Here's another JCN,
13 the W6811. In that effort, we were looking at more
14 lab bench based analysis of sorption. We were looking
15 at sorption of cesium, sorption of strontium, looking
16 at their behavior on goethite, ferrihydrite. We also
17 did some theoretical work for that effort and
18 ultimately what came out of that were four summary
19 NUREG reports and there are a handful of journal
20 articles and book -- articles in books that related
21 specifically to sorption.

22 The present one we started in July 2002,
23 we met all these deliverables since right now we're
24 under -- I forgot the term -- no cost extension. We
25 are in the midst now of writing up a lot of our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 studies, trying to finish those in terms of journal
2 articles, but we submitted all of our NUREG reports.

3 I took this directly from our original
4 189, the proposal for the current project and
5 obviously, I don't want to read it, but I think it's
6 a very good description of why we want to get beyond
7 the Kd approach and what the projects' objectives
8 were.

9 In this effort, what we were trying to do
10 though is get beyond the Kd generalized sorption
11 models. We had a task that's related to looking at
12 the uncertainty as brought up by the Chairman, looking
13 at how the uncertainty and sorption parameters will
14 ultimately affect what's observed downstream, for
15 example, the evolution of a contaminant plume. We
16 have a component that Susan is going to be describing
17 shortly on the characterization of sorption in soils,
18 complex soils, mineral mixtures. And then we also had
19 a theoretical effort that involves molecular modeling
20 which might be the more unusual approach to looking at
21 sorption and I'll be presenting that next.

22 I guess this is just a summary of the
23 formal tasks. Task 1 was the work plan. Molecular
24 modeling is Task 2. We're looking at uranyl and
25 cesium. There was a probabilistic approach; and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 characterization, and then finally our last task was
2 added on about two years ago and this is related to
3 the interagency MOU and related to also our workshop
4 that was held in Albuquerque.

5 In terms of deliverables, these are some
6 recent NUREG reports that came out. The starred
7 entries are the topical reports that were required
8 under our contract and those were delivered just
9 recently. I can provide hard copies to any -- or
10 electronic copies to any of the Committee Members, if
11 they request one.

12 And then in the last two years we've had
13 these peer-reviewed journal articles. I believe all
14 are published and one is about to be submitted and I
15 provided those to the Committee this morning,
16 reprints.

17 MEMBER WEINER: Let me just interrupt a
18 moment. Randy has supplied copies of a number of
19 publications and we have -- and we can have CDs made.
20 We have several CDs of the presentation and these will
21 be supplied to the Committee.

22 MR. CYGAN: Okay, I'm now going to talk
23 about Task 2 and spend about 10 minutes discussing how
24 we're using molecular modeling to help us towards
25 understanding how sorption occurs and one might

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extrapolate fairly fundamental approach to looking to
2 atoms interacting with other atoms, specific chemical
3 species on the surface of a substrate, such as a
4 mineral, in this case a clay; how we might use that
5 type of fundamental interaction, how we might
6 extrapolate that to looking at Kds. And I'm using Kd
7 in the PA sense, you know, how we could get out a
8 fundamental property, albeit a Kd, but how we can
9 generate those numbers from almost first principles,
10 methods.

11 And I'm appreciative of the NRC in helping
12 us start a lot of this work. I should also
13 acknowledge that BES funded some of the force field
14 development. That's the fundamental set of
15 interaction parameters.

16 So let me just describe why this is a
17 difficult task and I've sort of been heading this
18 aspect of the project, so this is one of my pet
19 projects, is to look at how we can use a clay and how
20 we describe atomistically how the components of a clay
21 interact with each other, and then how that clay
22 surface then interacts with the aqueous system and the
23 species in that system.

24 The problem with clays, and this is sort
25 of a coined term now, a nanocrystalline or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nanomaterials, they are almost cryptocrystalline. We
2 don't know the structure of a clay. They don't occur
3 in large crystals that could be on a diffractometer and
4 develop a refinement through a refined crystal
5 structure. Clays just don't have that type of
6 ordering, the crystallinity needed to get that type of
7 detailed picture. And often a clay mineralogist will
8 rely on a molecular model, at least the models that
9 we've been developing to have a better feel for how
10 that clay behaves, what its structure is like, how the
11 interlayer varies and just its normal dynamic and
12 structural behavior.

13 One uncertainty here though is that it's
14 hard to get hydrogen positions, hydroxels. You need
15 to go to sophisticated methods such as like the
16 neutron source up at -- neutron diffraction methods
17 like at Los Alamos which we often use. Clays
18 typically are multicomponent systems, have lots of
19 disordering, obviously some vacancies as well. They
20 have very low symmetry, monoclinic or triclinic and I
21 think I already mentioned they have this disordering,
22 especially in the stacking level. So if you have clay
23 layers, they don't stack in a very long-range
24 ordering. They have a lot of disorder here and that's
25 the critical factor and why we don't understand clays

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with standard techniques.

2 However, with atomistic methods, we can
3 start to unravel what's going on on the clay
4 structures and behavior. Typically, we require an
5 accurate, empirical energy force field and this is a
6 work that DOE3 BES helped to fund as well. Quantum
7 methods are way too costly. These systems are quite
8 large, many hundreds of atoms. They have large
9 electrostatic fields because of the layered structure
10 and often it's difficult to validate the models.

11 So here's an equation that pretty much
12 describes atomic interactions, at least the style that
13 we use to do our molecular modeling. It's fairly
14 simple and that's why it's so successful, is that we
15 parameterize interaction parameters, these A, B and Q
16 terms to describe how atom A interacts with atom B or
17 in this case I with J.

18 If you remember back to chemistry and
19 physics classes, the bulk of interactions are going to
20 be Coulombic in nature. That's simply a $1/R$
21 term, very long-ranging and in this case Qs are the
22 ion charge or partial charge, okay? And then the
23 short-range interactions are described by these A and
24 B terms. One over R to the 12th and 1 over R to the
25 sixth. This is a Vandervals interaction term.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Essentially, you have the electrostatics of like
2 charges interacting. They'll collapse on each other,
3 unless they have a Vandervals term that keeps those
4 two ions apart. Okay?

5 And what we've done is parameterize all of
6 these terms here by looking at simple oxides, simple
7 hydroxides. We've often done quantum calculations
8 using some high level bases set to look at the
9 structure and as a result of all this effort, we were
10 able to generate a set of force field parameters.

11 The force field parameters are the key for
12 how we describe atoms interacting with each other.
13 They are analytical expressions that the computer can
14 essentially evaluate for given distance of separation
15 for certain geometry of atoms, okay? So now we take
16 one huge step and we go to a simulation of a solution
17 interacting with the clay.

18 We've taken lots of baby steps leading up
19 to this. In fact, we've probably taken about six
20 years of baby steps in trying to take force fields for
21 clays into something as complex as an aqueous uranyl
22 solution interacting with a clay.

23 We've done a lot of validation work on
24 looking at just the standard structure for clays when
25 we do know their structures. They've all been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 validated with this method. We've done a lot of
2 quantum work as well to go along with this, but we
3 have a lot of confidence that this force field is
4 doing what it's supposed to do. The force field is
5 very sophisticated in that it also allows you to look
6 at vibrational spectra, something that is well beyond
7 the typical molecular modeling approach and this is --
8 this Clayff has been quite successful.

9 So here's the simulation cell. Obviously,
10 these are done on clusters or super computers. These
11 are nontrivial calculations. This is an aqueous
12 system of uranyl and sodium and there's some carbonate
13 up here in this aqueous system. Here's our clay
14 substrate. It has an inner layer of sodiums here and
15 there's also an external surface down here. This is
16 a periodic image, periodic boundary conditions, so you
17 could extrapolate this cell in three dimensions. And
18 so part of the calculation requires that we do that.

19 What we're trying to look at is how often
20 we start to form these uranyls and here's the uranyl
21 here, the central uranium and the two oxygens
22 associated with the uranium and then it's coordinated
23 with carbonates.

24 What we're trying to do is run a molecular
25 dynamics simulation of this system. We did it for a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pryopphyllite substrate, as well as two different
2 montmorillonite substrates. The pryopphyllite was
3 chosen because it has zero charge. Montmorillonite
4 clays have charge developed in the octahedral layer by
5 substitution, very standard soil mineral.
6 Montmorillonite has some variability in its charge,
7 but here's a low charge montmorillonite and a high
8 charge montmorillonite.

9 Sorption is primarily going to be directed
10 by the charge, electrostatics, okay? So we didn't
11 expect to see much sorption of pryopphyllite. If it
12 does occur on pryopphyllite, it's a very local effect.

13 We run MD simulations under these
14 conditions and let me just show you what we can get
15 out of these simulations. This is backing up a second
16 here. Typical property structural data we can get
17 from these simulations, obviously, we compare that
18 with the fraction. So this is our validation approach
19 on the right.

20 We can look at local atomic coordination
21 through simulation with the generate RDFs, the radial
22 distribution function, knowing the local geometry and
23 obviously, I mentioned earlier we could associate that
24 with sorption x-ray spectroscopy, in this case, x-
25 axis, for example.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We could also look at interfacial
2 structure through atomic density profiles and
3 experimentally, we can work with the advanced photon
4 source at Argonne, for example, or Brookhaven and
5 generate a high resolution x-ray scattering work to
6 compare.

7 And then as I mentioned earlier, we can
8 also get vibrational data with this force field,
9 something called the power spectrum and compare that
10 directly with observed infrared and Raman data.

11 This is just background on the force
12 field. Clayff is the main emphasis for the clay.
13 Some of the other aqueous species are brought in
14 through some other force fields, just an idea of what
15 the charges might be.

16 What we did in this particular case, we
17 ran 10 simulations of 1 nanosecond each. That means
18 we took a million time steps. This is a very high
19 level amount of calculation time, taking one million
20 time steps of one phempto second. So we're looking at
21 very detailed time scales. This is well below what is
22 expected for vibration of an Oh, for example.

23 Here's an example of the RDFs. This
24 essentially is showing you the uranyl carbonate
25 interaction in black. The uranyl water interaction,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the other coordination ligands here and then you can
2 get off into the diffuse region. This happens to be
3 the second oxygen on the coordinated carbonate group
4 to the uranyl, this black one there.

5 We started looking at the aqueous
6 speciation --

7 MEMBER WEINER: Randy, excuse me. What is
8 your X axis?

9 MR. CYGAN: Oh, RDF, radial --

10 MEMBER WEINER: That's the Y axis.

11 MR. CYGAN: Oh, I'm sorry, the abscissa is
12 R, distance in angstroms.

13 MEMBER WEINER: Thank you.

14 MR. CYGAN: Now I'm presenting this detail
15 so you can see the extrapolation now into generating
16 a reaction constant for a sorption. We're going to
17 look at uranyls sorbing on to the clay to get this
18 association. And obviously, you could write a
19 reaction constant for that and convert that to a Kd.

20 And this is essentially the mechanics of
21 how we go about doing it, essentially flip the cell on
22 its side and we generate an atomic density profile
23 that is the density of a particular atom over the
24 whole simulation time as a function of distance and we
25 try to correlate the actual image with the profile

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 below and you can start to see the sodiums in the
2 inner layer. Here's a sodium peak. There's another
3 sodium peak. These are sort of the aqueous like
4 sodiums and this is the clay. This is the clay. And
5 then all the action that's critical for deriving Kds
6 is out here. Here's the sorb uranium peak that occurs
7 right here. There's two uranyl that are sorbed to
8 this particular surface and then we have a diffuse
9 region where the uranyl concentration changes as we go
10 out into the bulk.

11 So taking all those simulations, I forgot
12 to mention that we did 10 simulations of a nanosecond
13 each. From that, we could generate a Kd and here I
14 plotted Kd for the montmorillonite, high charged;
15 montmorillonite, low charge and the pryopphyllite as
16 a function of the carbonate concentration. We vary
17 the carbonate concentration in the solution.

18 Now this is just showing the extreme
19 detailed level that sorption can occur differently on
20 the same mineral, but a mineral having different
21 charges, low charge, this is high charge. Obviously,
22 the Kd, almost by a factor of 10 variation in this
23 single phase. Okay? Comparing that to pryopphyllite,
24 and this is a log scale, you can see that
25 pryopphyllite, as expected, has low sorption

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 represented here.

2 Now we extended some of the simulations
3 out to a large carbonate region without modifying the
4 uranyl just to get an end limit.

5 We showing the results as Kds. Obviously,
6 we could generate a surface complexation model on
7 these data. But if we're just generating Kds, this is
8 demonstrating what we wanted, so the point that we got
9 out of all of these simulations is that we form
10 carbonate species out in solution and I think in Jim
11 Davis' introduction we talked about the carbonate
12 complexes that form with uranium and here we are in
13 this force field with this simulation, we're
14 generating the same type of carbonate groups. This is
15 a tryscarbanato uranyl complex that occurs out here.

16 And we could plot sort of like the species
17 diagrams, we could plot the species as a function of
18 carbonate concentration and then you can see that the
19 uranyl species decreases as carbonate increases and we
20 start to form, even for pryopphyllite, we start to
21 form these carbanato complexes. For the
22 montmorillonite, you can see the uranyl dropping at
23 the sake of forming the uranyl carbonate.

24 And this is just a summary slide of what
25 we're seeing here, the fact that you have absorption

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 occurring as the clay layer charge increases, going
2 from pyrophyllite to montmorillonite. And then as
3 the concentration of either carbonate or uranyl
4 increases, we start to form these aqueous species. So
5 this is almost a validation approach for our molecular
6 model, seeing that we're on the right track. We can
7 look at exactly at what's happening in the real world
8 in terms of forming carbonate complexes with uranyl,
9 especially if the concentration goes up, these guys
10 are stable in solution and therefore they're going to
11 have major effect on the transport. You're not going
12 to be sorbing uranyl as strongly if you have high
13 carbonate concentrations and therefore you're going to
14 have further transport down into the groundwater
15 stream.

16 I'm going to move to the next task.

17 MEMBER WEINER: I think we have some
18 questions.

19 MEMBER CLARKE: Randy, this may be
20 premature or this may be where you're going, but are
21 you looking at desorption as well?

22 MR. CYGAN: Yes. These studies are
23 looking at local equilibrium if you will, in some
24 cases that has both sorption and desorption. For the
25 time period of the simulations, you do have these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sorption processes, so you're looking at competition
2 from sorption, desorption and ultimately an
3 equilibrium.

4 MEMBER CLARKE: You can look at the
5 concentration in the water and look at what comes off
6 the clay as well.

7 MR. CYGAN: We could if we had the
8 confidence in our force field that we would be
9 representing that properly, but we have not done that.
10 We've always looked at full saturated systems.

11 MEMBER CLARKE: Thanks.

12 MEMBER WEINER: Anyone else at this point?

13 MR. CYGAN: All right, well, forgive me
14 for the indulgence here in terms of getting the
15 beginning talk being fairly heavy on the molecular
16 modeling, but I think it demonstrates the build up
17 into all the other aspects.

18 Now I'm going to presenting work that
19 Louise Criscenti headed with regards to uncertainty
20 analysis and how you look at different sorption
21 modeling and how scaling comes into play and how well
22 this can be used to predict sorption processes.

23 This is just to demonstrate one of the
24 failings of a Kd approach looking at the activity or
25 concentration of an absorbate, just the ratio of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sorption to the aqueous solution. When you measure a
2 K_d , it's at a very specific composition, a very
3 specific ionic strength, a very specific pH and here's
4 an example of a sorption isotherm that is percent of
5 some radionuclide or some metal. In this case, I
6 believe it's cobalt, percent of sorption as a function
7 of pH. And you can as you increase the pH, you start
8 to sorb more and more of the cobalt. That's because
9 the surfaces of the gypsum are getting more and more
10 negatively charged, as you increase the pH. The
11 surface chemistry is changing. There is more deep
12 protonation of the surface, more exposed oxygens with
13 negative charge. The cobalt increases on the surface.

14 But if you do the same experiment at a
15 different concentration, you could see fairly drastic
16 differences in the percent sorbed, for example. Here,
17 you have one occurring at 50 percent for .01, but if
18 you go to one molar concentration, it's going to be
19 about 85 percent sorb.

20 So very specific conditions are involved
21 in doing a sorption isothermic experiment. Okay. And
22 you just can't take the K_d and extrapolate it to other
23 environments, different chemistry, different
24 compositions.

25 Louise has this sort of a conceptual model

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of what happens when you have a landfill, for example,
2 being leached, contaminates being leached out and
3 going into the ground water system, interacting with
4 various oxides. You see the pH change, concentration
5 changes, obviously, as we go through this
6 chromatograph, if you will.

7 This essentially fundamentally what's
8 involved in a reactive transport model and how we
9 incorporate sorption into that reactive transport
10 model will be extremely important. Aqueous speciation
11 solubility will come into place and the sorption here
12 is either going to be a Kd or a surface complexation
13 model. And we'll be comparing those.

14 So what are the uncertainties in a
15 conceptual model? Let's define -- first off, you need
16 to define the system in terms of the expected aqueous
17 speciation and in this case for calcium system with
18 carbonate, carbon dioxide equilobrating with the
19 water. You need the fugacity of the CO₂. Obviously,
20 we form calcites and carbonates within the aqueous
21 system. Calcium species, calcium complexes. We have
22 the possibility of having precipitation of calcite,
23 also the dissolution as well. We can form some
24 ferrihydrite which is a very common sorbing phase.
25 It's coating most quartz feldspar in the ground water

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system in soil systems. It's the coatings that are
2 critical players.

3 And then as noted earlier, we have to
4 compare kinetic versus equilibrium models, see if we
5 can incorporate these rate terms and then our emphasis
6 here has been on the absorption model, which one
7 should we use.

8 In the field, there are some concerns
9 about making these measurements. Jim Davis in the
10 USGS have done a great job, spectacular job, if I may,
11 at the Naturita site, and it's sort of being used as
12 a test bed for applying surface complexation modeling.
13 There they've collected tons of aqueous data. They're
14 looking at certain minerals and Susan is going to
15 discuss some of the characterization studies of the
16 minerals, what specifically are the minerals that are
17 absorbing the contaminants.

18 I already mentioned ferrihydrite. I
19 mentioned earlier clays being critical players in the
20 sorption. We also need to know the reactive surface
21 area of each of these solids.

22 That didn't get translated right, but for
23 a surface complexation model, you have several flavors
24 to choose from: semi-empirical models, where you
25 essentially fit parameters to observed data and Jim

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Davis will describe for Naturita the use of the
2 generalized composite model. Essentially, it's a
3 matter of taking some soil from the field, doing some
4 bench experiments, looking at some tracers and seeing
5 how they're sorbed and from that you fit something
6 like a surface complexation model to those data and
7 you essentially have the fundamentals of the
8 thermodynamic sorption model.

9 There's something called the single site
10 model which is pretty standard in a lot of the
11 geochemistry codes. And there are several flavors of
12 these. And I'll talk about those shortly.

13 And then the more sophisticated models,
14 the multi-site model involves looking at a very
15 specific chemistry of that substrate, of that mineral
16 surface. In other words, do we have a protinated site
17 or do we have a de-protinated site? Do we have a
18 cleavage surface of a mineral that has different
19 groups being exposed, different coordinating ligands?
20 And so the music and CD music model address that
21 issue.

22 The fundamental question is in how much
23 detail do we have to go to describe the interface
24 where the sorption is occurring? Can we extract
25 acceptable reactions to alchemitries from bulk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sorption data?

2 Do we have to get the particulars of the
3 surface species? Do we have to use spectroscopic or
4 even molecular modeling tools to be able to write the
5 sorption reactions?

6 Then questions that come up on the surface
7 sites: can we treat all the sites as being some
8 average value that represent all the chemistries
9 occurring at that substrate surface? And then that's
10 for a mineral and then can we use these same average
11 sites to describe a more complex mixture of minerals
12 such as in a soil.

13 These are pretty fundamental questions and
14 hopefully, so far this morning, I've given you some
15 examples of how complex these systems can be.

16 We have the Star of David now instead of
17 the electrostatic potential, but this will do.

18 (Laughter.)

19 This is electrostatic potential. That's
20 a function of distance from an interface. The
21 constant capacitance model, diffuse layer model and
22 a triple layer model. The surface is to the left.
23 This is a surface and this is going into solution from
24 left to right.

25 Each of these models has its own level of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 complexity in describing sorption. As I already
2 mentioned from the molecular modeling approach, the
3 electrostatics are crucial. If you don't know the
4 charge distribution, the electrostatic potential at
5 that interface, you're going to have a very difficult
6 time describing where the cations and anions are going
7 to go.

8 So the diffuse layer model, CCN, was like
9 the first attempt to try and describe how the
10 electrostatics change as a function of distance. And
11 here you have two sorption -- thermodynamic parameters
12 plus a capacitance. And the diffuse layer model, you
13 have a different description of it which is two
14 sorption parameters. The more complex, triple layer
15 model actually tries to look at the distribution on
16 the interface and the zero plane. This is where
17 you're looking at protination schemes on the
18 interface. And a beta plane where the sorption
19 occurs, and you try to fit these parameters or try to
20 get those parameters.

21 MEMBER WEINER: Excuse me, could you give
22 us some idea of the scale of the axis, the scale of
23 that X axis?

24 MR. CYGAN: Well, on this schematic,
25 deliberately we tried not to, but in practice, you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expect a lot of this action to be occurring in the
2 first maybe within five angstroms of the interface.
3 And some systems, based upon the dielectric of the
4 substrate, this can be quite substantial, maybe up to
5 10 angstroms or 20 angstroms. So also depends upon
6 the sorbate, what material is sorbing to the service.

7 MEMBER WEINER: But it is of the order of
8 angstroms or a chance of angstroms?

9 MR. CYGAN: Yes.

10 MEMBER WEINER: Thank you.

11 MR. CYGAN: But trying to describe this
12 type of detail, obviously, is a tough one.

13 I already showed you a molecular model.
14 This happens to be water on gibbsite and here, in this
15 case, we show that electric double layer to be on the
16 order of about 8 angstroms, I believe, or 10 angstroms
17 here.

18 It's really looking at this fine structure
19 from the atomic profiles. You can start to see, in
20 this case, here's a water oxygen in red that's fairly
21 well coordinated. Water is a sorbing material. The
22 water molecule sorbs to the surface quite structured
23 and it sets up an electrostatic potential because of
24 the partial charges on the oxygen and the hydrogens.
25 And then you can start to see some structure and as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you go into the second part of the double layer where
2 the protons and then second water has occurred.

3 One thing that we had done and Louise
4 Criscenti headed this particular task, we were looking
5 at what the uncertainties in a surface complexation
6 model, how they're passed along in the calculation.
7 We wanted to look at the fundamental variation in the
8 log Ks, in this case for deprotonation and in this
9 case for sorption.

10 In this reaction, you have let's say
11 gibbsite or clay or something that sorbs, the aluminum
12 compound. We know that in order to sorb a uranyl onto
13 this aluminum compound, we need to first deprotonate
14 the surface or excuse me, to protonate the surface to
15 form ALOH. Now we're going to look at a log K for
16 this reaction here and from the literature, we got a
17 value around 9.7.

18 We then looked at another log K for the
19 same surface reaction site, but now the formation of
20 the complex, the uranyl complex, given by this
21 reaction here. And here we had a mean value of -2.7.
22 It's a fairly complex system. These aqueous
23 components are aqueous components -- are complexes
24 formed. Again, there's the ubiquitous carbonate
25 uranyl complexes that can form. And what we did, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looked at a smectite, a smectite clay. And the
2 aluminum is an edge site on this particular clay.
3 There's the aluminum. If you cleave the clay surface,
4 you're going to expose the aluminum. The aluminum
5 oxygens will interact with the aqueous system and
6 there's an acid base reaction that occurs. And that's
7 pretty much described by this log K here.

8 So what we did was ran reactive transport
9 models on this system. We did 100 realizations based
10 upon Latin hydrocube sampling. So we took this mean
11 value for the log K here. Took this mean value for
12 this log K and ran 100 realizations and we plotted the
13 breakthrough curve, at least we monitored the
14 concentration front as a function of distance for two
15 years. And we wanted to see how the variation of
16 these two log Ks would affect this value.

17 So immediately, we saw that the data broke
18 up into two different groups. Group A, a Group B.
19 The base line is right in the center here. This is
20 actually a Kd model that we used, just for comparison
21 sake. You can see the difference here is enormous in
22 terms of after two years, the distance for the
23 concentration front varies from let's see, around 10
24 meters in one case, up to about 250 meters in the
25 other case on the two extremes of the log K.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Anyway, we could break down the data into
2 distance as a function of log K of the complex former,
3 the uranyl complex and this is the acid dissociation.
4 And you can see the acid dissociation of log K
5 actually makes this distinction between group A and
6 group B.

7 I know the Survey has also done work for
8 Naturita in a similar fashion, using some statistical
9 approach to sample of the Log Ks into surface
10 complexation model and I believe Jim Davis will be
11 talking about that at your next chance to review his
12 program.

13 Louise was concerned in setting up this
14 part of the project, just trying to see how far we can
15 bridge this gap between the field out here and the
16 atomistic level down here. And this is just a
17 standard log plot of the distance versus time and
18 where our simulation methods fit in. Obviously the
19 application is up in this right hand corner, the
20 atomic detail down here. And trying to see how far we
21 can push the information that we gained down into
22 understanding what's going on up there and how we
23 apply surface complexation models.

24 I think I'll skip this. I just said that.

25 I'm just repeating here the need for an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 internally consistent set of parameters is critical in
2 understanding sorption. To date, a lot of the
3 researchers are relying on the classic, I believe it's
4 Zomback and Morrell. I think it's 1990 or 1991. It's
5 a compilation of sorption parameters that are
6 available for looking at how a variety of different
7 metals will sorb onto ferrihydrite, some iron oxide
8 face and a lot of people rely on those data sets and
9 that's getting pretty dated.

10 There's a need for a lot more data, a
11 larger number of substrates, so a lot of work is being
12 done and heading in that direction.

13 MEMBER WEINER: I'd like to stop at this
14 point and entertain questions.

15 MEMBER HINZE: A simple question to make
16 certain I'm understanding. Should we be concerned
17 about saturation in the sorption and how well can you
18 predict that modeling?

19 MR. CYGAN: You mean a saturated surface
20 with some species?

21 MEMBER HINZE: Yes, is that a concern?

22 MR. CYGAN: It's going to be a concern,
23 but if you have the right mass action laws and you
24 know your sorption densities, it will be handled by
25 the surface complexation model.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Not all these models are capable of doing
2 that, but we know what the loading is. If you get to
3 some of these more complex sorption models, you could
4 examine that. Obviously, for these concentrations,
5 let's say in molecular models, we know we're not at
6 saturation. But if we had enough solute in the
7 solution, we could certainly saturate, as long as
8 we're meeting charge needs to get the sorption to
9 occur.

10 MEMBER HINZE: If you have enough time
11 too.

12 MR. CYGAN: And enough time, certainly.
13 But part of the input into all these -- into the
14 diffuse layer model, the triple air model and all that
15 you need, site densities, knowing how many sites are
16 available. You need to know the surface areas.

17 MEMBER HINZE: How well can that be
18 predicted, for example, if you characterize a site in
19 terms of its mineralogy?

20 MR. CYGAN: Well, you know, a lot of these
21 are generated by empirical fits. You do the sorption
22 experiments and you'll be able to generate those if
23 you look at titration curves, for example, then the
24 sorption isotherm. You can do it that way. It
25 depends on the quality of those data. And you know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certain groups do great work. Other groups do not.
2 So you see a lot of variability in that.

3 So the molecular models help a little bit
4 in terms of site density, assuming you have
5 equilibrium, but yeah, there's a lot of complications
6 that are involved in that.

7 MEMBER HINZE: There are modeling
8 procedures for this, but not all of them include that,
9 that's the bottom line.

10 MR. CYGAN: Right, right.

11 MEMBER HINZE: Thank you.

12 MEMBER CLARKE: Allen?

13 VICE CHAIRMAN CROFF: No questions.

14 MEMBER WEINER: Jim, I know you have
15 questions.

16 MEMBER CLARKE: This is a quick one,
17 Randy. As you mentioned, you're working with very
18 complex systems, aqueous systems with different
19 species. Have you done any vapor phase work which
20 might be a little simpler and just to check out your
21 predictions and your agreement with experiments?

22 MR. CYGAN: With regards to --

23 MEMBER CLARKE: Something simple with
24 enclave -- maybe not a radionuclide, maybe an organic
25 solvent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CYGAN: We have done studies on the
2 molecular level with vapor, looking at what happens at
3 the liquid vapor interface and we have a good feel for
4 partitioning there.

5 We never really pursued it in depth for
6 unique systems that can be validated.

7 MEMBER CLARKE: It seems like it might be
8 a simpler system. You're looking at a molecular
9 level.

10 MR. CYGAN: Yes. That's a good bit of
11 validation set of experiments. That's a good idea.
12 That on its own is a very -- it's nontrivial, just
13 what I've demonstrated here. We just have not put our
14 effort into that aspect.

15 We often rely on how well our molecular
16 models, for example, we have enough experimental
17 spectroscopic data, defraction data to help keep us
18 honest and validate it. So we don't feel that we're
19 pushed in a corner with our models. We think they're
20 robust enough that they're doing a pretty good job,
21 especially with the results I presented on performing
22 the uranyl carbonate species and showing their correct
23 trends.

24 Some of the other surface complexation
25 models, the more macroscopic type modeling, they do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pretty well on some idealized systems, but I don't
2 know of any vapor aspects.

3 MEMBER CLARKE: It's very interesting
4 stuff.

5 MEMBER WEINER: I just have a simple
6 question. Have you looked, theoretically, as well as
7 actually, at other complexants than carbonate?

8 MR. CYGAN: For right now, all of our work
9 has been concentrating on either cesium or uranyl in
10 terms of the modeling, the molecular modeling. So no,
11 we haven't gone beyond those. We could easily
12 introduce them into the molecular model for that type
13 of system.

14 MEMBER WEINER: Are there any that you
15 think might be particularly interesting in this kind
16 of system?

17 MR. CYGAN: Take your pick. Carbonates,
18 sulphate systems, anions. I know the NRC Research
19 Office has been very concerned, for example at looking
20 at iodine for example, but we haven't gone that route
21 yet.

22 MEMBER WEINER: That's for another time.
23 Do any member of staff -- Neil?

24 MR. COLEMAN: Neil Coleman, ACNW Staff.
25 To use the specific field example in terms of the area

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 available for complexation, at Yucca Mountain, the
2 terminal part of the saturated zone flow system is in
3 valley falaluvia, so you're outside of this realm of
4 fracture flow.

5 What's your sense of the efficacy of
6 complexation and the volume of material that's
7 available when you also consider matrix diffusion
8 processes which you hadn't been talking about here in
9 that sort of environment?

10 MR. CYGAN: I don't know. I don't have a
11 good feel for that myself. I think Jim Davis and the
12 Survey people would be better at answering that
13 question.

14 I think if you saw the -- I don't know if
15 you personally have reviewed the Naturita material,
16 but the Naturita has some aspects of that alluvial
17 fill type basin and gives you a better feel for some
18 of those concerns that come up. I don't know
19 specifically about the matrix diffusion effects
20 though.

21 MEMBER WEINER: Will Jim be talking about
22 the application to the Naturita site when he talks to
23 us?

24 MR. CYGAN: Yes. He will give you a lot
25 more of the hydrologic detail and how SCM fits into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that model. I just can't answer that. It's not
2 something I'm familiar with right now.

3 MEMBER WEINER: Anyone else? Soldier on.

4 MR. CYGAN: Okay. I'm almost done here on
5 my part. The last thing I'm going to mention is
6 trying to implement how one would go about making the
7 decision about using surface complexation models
8 versus a Kd. And part of that is just providing a
9 tool and this tool was generated in response to the
10 NMSS group, trying to have something they could give
11 to the licensees that they could test to a particular
12 site, be it a containment facility at a power plant or
13 some tailings at a mine, trying to figure out when is
14 a Kd appropriate, when is an SCM appropriate.

15 And so Geoquimico, Glen Hammond is one who
16 generated the -- did all the programming for this
17 particular tool. He wanted to keep a Southwest flavor
18 to it and so he used Geoquimico as the name for the
19 software tool.

20 But anyway, it essentially take surface
21 complexation models to diffuse layer model and
22 implements it into a nice easy-to-use, user-friendly,
23 graphical-base interface and I don't want to read off
24 all the slides here, but there is concern about trying
25 to make it user friendly and using up-to-date codes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Actually, it's written in C++ and in Java. And so
2 it's fairly easy to convert to other platforms.

3 There was some concern about a lot of the
4 active codes that are available now, is that it's very
5 difficult to input the data and also to have post-
6 processing, obviously not very user friendly. And the
7 decision was here trying to get something that was
8 fairly easy to use, something that's state-of-the-art
9 in terms of conceptual modeling for surface
10 complexation models, also, with the support of the
11 NRC, something that the users, the regulators can
12 provide to their licensees.

13 It also allows a basis for comparing
14 sorption models, trying to figure out the validity of
15 one versus the other. I think a lot of this I'm
16 repeating with regards to the licensees. User
17 friendly. And the last one here is something that we
18 were pushing, trying to make it web-based. So it
19 would be fairly easy to send out to the licensees,
20 also fairly easy to maintain and that's why it has
21 some Java component.

22 Less steep of a learning curve. I already
23 mentioned the input is less complicated. Let's see,
24 faster turnaround, more defensible results. Allows
25 you to compare the different models, sophisticated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 models. Let's see, updates available, fairly easy to
2 deploy updates. It's independent of a platform and
3 the GUI. So forgive me for just reading off the
4 slides here, but in this case I could describe much
5 better.

6 This is a standard input and I won't
7 mention the code, but this is what you typically have
8 to deal with surface complexation models, okay?
9 That's the problem. You have to be an expert. These
10 are typically academic codes, very user-specific
11 generated codes and not often codes you just pass out
12 to the general public. There are a couple out there,
13 some commercial codes now that are a little bit
14 easier, but there's some licensing issues with those.

15 Object-oriented, platform independent.
16 The GUI I already talked about.

17 There are some disadvantages. There's a
18 question about speed and then also the legacy issue,
19 do people really want to convert over to yet again
20 another code? And with what Glen has generated, we
21 have a nice little package here. This is essentially
22 the interface for Geoquimico, fairly straight forward
23 in terms of adding your components. You obviously are
24 not going to be able to read these up on the screen,
25 nor probably in your handout, but essentially, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have pull downs for all of your basis, for all the
2 species that you want to look at. You also could put
3 in your sorbate information, the species here. This
4 example happens to be for lead.

5 We chose in debugging this code a lead
6 system that had been published and a lot of work had
7 been done in validating that model, so we use that as
8 our comparison, our standard. Right now, Glen -- well
9 not actually -- Glen was working on trying to generate
10 some uranyl scenarios that are much more specific for
11 radionuclide studies.

12 He uses a 1D transport, finite volume,
13 formulation for the fluid flow; aqueous complexation,
14 sorption, given one of these three possibilities.
15 Surface complexation, a Kd and even an ion exchange.
16 There are a series of preconfigured schemes that can
17 be tested, just for examples. And then in the last
18 couple of months, this summer, he's introduced
19 uncertainty analysis, trying to look at these
20 parameters and how they might vary. So he included
21 some Latin hypercube sampling. He has some log normal
22 distributions for the input parameters.

23 And here's an example. This is a
24 breakthrough curve for lead. I believe it's lead
25 sorption onto a ferrihydrite using a Zomback Morrell

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 database. Essentially, this is a log of the
2 concentration as the function of time and he gives a
3 direct comparison of what happens with a simple Kd
4 model versus this diffuse layer model, the surface
5 complexation model in terms of the long tail that goes
6 over, in this case, 2,000 years, still above the MCL
7 value, whereas the Kd model and this is a very good
8 example, at least for the case of lead, the variation
9 and the major significant difference between the
10 simple versus the more generalized model.

11 MEMBER WEINER: Do you have -- before you
12 leave that slide, do you have any comparison with
13 actual measurements to see which one is closer?

14 MR. CYGAN: Nobody has been working on
15 this. I don't mean -- nobody has been working on this
16 for 2,000 years, so -- but that's one of the issues we
17 have here. I don't know the experimental data
18 associated with this particular problem. So I don't
19 have an answer for that. I don't mean to be glib
20 about it. But yeah, that would be the critical thing
21 and make that comparison.

22 The best test for this is to do a Coloumb
23 experiment and start to compare one versus the other
24 and I'll actually address that at the very end.

25 For this code development, there's a wish

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to continue on with regards to having more uranium-
2 based scenarios or other radionuclides. There's a
3 need to improve the plotting capabilities, vary the
4 distributions in something more non-standard for the
5 uncertainty analysis and modifying some of the
6 sorption species and some of the ability to save the
7 scenario, save in load features.

8 I think I will stop here and I will pass
9 it along to Susan, unless I can answer any questions
10 now.

11 MEMBER WEINER: Are there questions?

12 CHAIRMAN RYAN: Why did you pick uranium
13 instead of plutonium or --

14 MR. CYGAN: The uranium was emphasized
15 primarily because of Naturita. We were trying to work
16 with our collaborators at the Survey. Susan will
17 emphasize that when she presents the characterization
18 study next. But the Survey was trying to demonstrate
19 surface complexation modeling, its benefits,
20 specifically for the Naturita site.

21 CHAIRMAN RYAN: So the uranium was there
22 and you picked it for that reason?

23 MR. CYGAN: Yes. Naturita is an UMTRA
24 site and it has the contaminated ground waters there.
25 Even though it's been cleared off the top soils.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: The reason I ask is it
2 would be unusual for uranium to crop up at the top of
3 the hit parade for PA.

4 MR. CYGAN: Right, understanding that.
5 Everything we've been working on has been trying to
6 coordinate with that, but I understand.

7 CHAIRMAN RYAN: Gotcha.

8 MR. OTT: I'm going to add a little
9 perspective right here. About six or eight years ago,
10 you remember, Randy, we had a little workshop out in
11 Menlo Park that was associated with the end of one of
12 the Alligator River programs.

13 We were raising a lot of questions at that
14 time, based on a lot of resources being spent on
15 sorption work and were we ever going to get anywhere
16 because we still weren't being able to use these
17 things in PA.

18 And I asked the question to the group if
19 there was anyplace that would actually apply this
20 stuff and Jim Davis came back and said well, based on
21 the work they'd done at Alligator River and they had
22 been studying Alligator River for almost 10 years at
23 the time, he said they thought they had enough
24 information on uranium to actually do a field
25 demonstration site someplace in the U.S.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So the next thing we did was challenge
2 USGS with a demonstration project to go out and find
3 a fairly chemically complex uranium recovery site
4 where uranium was the species they were interested in.
5 So it was a fact that we had developed enough
6 information on uranium that drove us to continue using
7 that as the way of demonstrating the technology.

8 CHAIRMAN RYAN: No, I fully appreciate
9 that, Bill, thanks, but again, it's a low priority in
10 the PA world.

11 MR. OTT: It probably dominates a lot of
12 systems like low-level waste sites where they put a
13 lot of depleted uranium. I mean the chemistry of the
14 uranium is probably fairly important.

15 CHAIRMAN RYAN: It's a toss up. But I
16 understand your point.

17 MEMBER WEINER: Allen, I have a question.
18 Why Latin hypercube sampling and not Montecarlo
19 sampling?

20 MR. CYGAN: For Geoquimico?

21 MEMBER WEINER: Yes.

22 MR. CYGAN: I can't answer that. WE've
23 been using -- Montecarlo sampling has been used before
24 for these type of comparisons for uncertainty. I
25 believe he actually has an option to get both in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there. I don't know why that was the one that was
2 chosen initially.

3 MEMBER WEINER: Normally, you use Latin
4 hypercube sampling when the number of samplings you
5 can do is fairly limited and you want to get the whole
6 curve. But we found that if you have enough samples,
7 that's not a problem and you don't over emphasize any
8 section.

9 MR. CYGAN: Well, for the reactor
10 transport modeling from Louise's effort, that
11 comparison with the sample A and sample -- or Group A
12 and Group B, that was obviously a Latin hypercube
13 sampling approach that's needed.

14 MEMBER WEINER: Yes.

15 MR. CYGAN: The geochemico probably is
16 less constrained and certainly Montecarlo may be a
17 better option. I just know he has several options for
18 the uncertainty analysis. But I don't know why one
19 specifically was chosen over the other first.

20 MEMBER WEINER: Thank you. Neil, you had
21 a question? Latif?

22 MR. HAMDAN: Randy, good presentation,
23 thank you.

24 The question I have from the standpoint of
25 that this is your maker, you give him these two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 options. The Kd based approach and surface
2 composition model and leaves the impression who does
3 that. Are these the only two options actually
4 available that state, for example, if a particular
5 site, just one site, is it an option, for example, if
6 uncertainties are so large that the envelope will do
7 or no nothing maybe is equally good?

8 MR. CYGAN: An excellent question. I
9 think to answer that is that you really want to have
10 something that's defensible when you have a PA code.
11 And I think the point here is that you're relying on
12 the state-of-the-art thermodynamics to describe the
13 simple sorption process or the not to simple sorption
14 process, if you will and taking the short cut with the
15 Kd is going to be introducing substantial amount of
16 additional error that cannot be accounted for.
17 Essentially, you're not describing what's happening,
18 especially if you're trying to push PA codes to 10,000
19 years. We know that the solution concentration is
20 going to change here on its strength pH. Dissolution
21 precipitation so on and so on.

22 A Kd is a very specific sort of an ad hoc,
23 that's my term, way to describe partitioning and it's
24 only that, where as the SCM has a lot of history, a
25 lot of theory, a lot of modeling basis that describes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exactly how activities or concentrations will change
2 in a complex system.

3 So to generalize it with an SCM is
4 critical and defensible, whereas a Kd it's more of a
5 stab in the dark if you will.

6 Now there are some systems that are
7 simple, simplified that you can get away with a Kd, as
8 long as you have the constraints of words of
9 isothermal, iso -- the pH doesn't vary, ionic strength
10 is invariant and that sort of thing. And it might be
11 applicable. But it would be hard pressed to defend
12 that when you have to start defending the transport
13 behavior at 10,000 years down the road.

14 So I think you do have the choice, but
15 you're playing sort of on the -- on the uncertain
16 side.

17 MR. HAMDAN: I'd like to see and this is
18 the -- I think about that. Is a third choice. Things
19 are those complex, so far in the future. Let's say
20 10,000 years. Can you model -- can you, for example,
21 just as an example, you can say in this case I can
22 model for 500 years or a thousand years, end of story,
23 the farthest I will go and that happens between now
24 and in 50 years somebody will -- the chronology will
25 improve or the modeling will improve -- why isn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there a third choice? We are presented with choices
2 that are the researchers are working with and there's
3 no third choice, it seems to me, all the time.
4 There's no third choice.

5 MR. CYGAN: Well, actually, there is a
6 third choice and that's why Jim Davis' presentation is
7 somewhat critical because Jim has actually introduced
8 the generalized composite model. It's something that
9 we allude to in our work, but really the generalized
10 composite model is being applied to the Naturita site
11 as a way to get beyond the complexity of a surface
12 complexation model that has perhaps too many
13 parameters, too many new parameters that might lead to
14 additional uncertainty. And in a generalized
15 composite model I alluded to is essentially where you
16 do some field testing, lab bench experiments,
17 collecting field samples, do the lab bench experiments
18 and then fit those data to try to get new parameters
19 for new complexation model.

20 So it's sort of like an in-between
21 approach. It's somewhat semi-empirical.

22 So in a sense, that's probably a good
23 option, a viable option, at least for the Naturita
24 uranium issue and perhaps for some of these other
25 issues with more critical PA type radioisotopes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: John?

2 MR. FLACK: John Flack, ACNW staff. I
3 have a question with respect to where we have just
4 been over in West Valley and I guess the question, of
5 course, is you know there's a strontium plume there
6 that they are collecting information on and whether or
7 not that information provides an opportunity for using
8 that to validate your model. So have you thought
9 about that? Or has research thought about that at
10 all?

11 MR. CYGAN: Actually, yes, we have talked
12 in the last year and a half about considering West
13 Valley as an optimum site for us and that remains to
14 be seen if we're going to pursue that. But we talked
15 with people who have had some experience at West
16 Valley. The strontium plumes have been described and
17 there's a lot of complications involved in
18 understanding that.

19 I don't have an answer as to it's
20 appropriate or not in terms of applying some of these
21 until we have a better chance to analyze the available
22 right now. I know there's some difficulty in terms of
23 DOE and EPA and the NRC in trying to get access to the
24 site, to this type of analysis. So but yeah, that was
25 being considered, but our contract was coming to an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 end and we sort of stopped pursuing that.

2 I don't know, Bill, you want to make
3 additional comment or not on what's going -- okay.

4 MR. FLACK: But there's no reason not
5 consider that information if it's available.

6 MR. CYGAN: Frankly, I'm surprised why
7 they haven't done it already. I think it's been
8 mostly the sampling and trying to characterize the
9 plumes, but not much work has gone into getting more
10 sophisticated groundwater flow models, reactive
11 transport type models into it.

12 It's a good challenge, I'd say.

13 MEMBER WEINER: Actually, I have a
14 somewhat similar question about the Hanford site,
15 because there you have a number of radionuclides in
16 various stages of absorption and dissolution flow on
17 subsurface level and they've been doing it for 50
18 years. So have you look at that site at all?

19 MR. CYGAN: Colleagues and collaborators
20 have been working up at Hanford and looking at the
21 leaky tanks and so I know some work is done. I don't
22 know the particulars of it and I don't know how
23 sophisticated the surface complexation models. I
24 could provide some names for you to contact, if you
25 want to get more information, but I don't know them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first hand.

2 MEMBER WEINER: I was thinking for more to
3 you to use this as a validation and not just the leaky
4 tanks, but from the radionuclides from the French
5 drains which were -- don't directly enter the
6 subsurface.

7 MR. CYGAN: That's obviously one of the
8 applications that can be done. We just have not
9 pursued that.

10 MEMBER WEINER: Any further questions or
11 comments? Hearing none, let's continue.

12 I'll speaker while they're transferring is
13 Susan Altman from Sandia Labs.

14 MS. ALTMAN: Thank you. I'm Susan Altman.
15 I 'm actually an experimental hydrogeologist working
16 with Randy's team and I'm going to talking about some
17 characterization work we did on soil aggregate
18 samples, mostly from the UMTRA site, although I have
19 one slide on some samples we recently analyzed on the
20 Cape Code site. So this is getting at the data to
21 provide the model.

22 So the purpose of this, well, let me just
23 talk quickly what we did. I've divided this talk into
24 two sections, destruction characterization using
25 microanalytical techniques and I'll go into more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 details and explain the acronyms later. And also,
2 nondestructive methods using microtomography. And
3 we're looking at two things. One is examining the
4 association of uranium with different uranium
5 absorption with different mineral phases and also with
6 the tomography work, we use cesium as a proxy for
7 uranium.

8 And then the second part is to
9 characterize the iron-bearing minerals. And I put
10 this beyond XRD as a reminder, you know, generally use
11 XRD refraction to characterize the samples. But we
12 found in a few samples is the iron-bearing content is
13 such a small volume that when you do this you have an
14 overwhelming signal from the cords of feldspar and
15 you're not going to see the iron. So that's why we
16 had to get into the more high fidelity microanalytic
17 techniques.

18 This is the same point we're going to be
19 saying over and over again of why are we doing this.
20 Traditional approach is using the bulk distribution Kd
21 values. You get an average effect. Leads, in
22 general, to overestimation of plume, underestimation
23 of difficulty of removing contaminants and so what
24 we're trying to do is provide data that feed into an
25 alternative to the Kd approach where we're going to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 able to look at variation of absorptive properties
2 which is why we need to look at different --figure out
3 the different mineral phases, account for
4 reversibility, irreversibility, lead to more accurate
5 model. So bottom line is we need more detailed
6 information on the substrate.

7 Oops. Okay. As we said, we're looking at
8 a number of techniques and the main idea, one of the
9 main ideas I hope you get out of this is that each
10 technique has pros and cons to different scales that
11 you were looking at the samples, different detection
12 limits, but by putting them all together with this
13 multi-scale approach, you get a complementary story.

14 And again, we divided it into two studies,
15 the microbeam studies, Carlos Jove Colon headed this
16 study. The pros of this, you're going to get,
17 identify the important minerals and absorbing phases,
18 be able to see the composition of the samples and
19 really see association of iron and uranium on the
20 samples.

21 The tomography work, it's a little larger
22 scale, so you can examine an entire aggregate sample.
23 You can estimate mass fraction ions, so you're not
24 going to get the exact mineralogy, but you can see how
25 much iron there is in there. And with knowledge in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mineralogy from the microbeam studies, you can get
2 some sense of the mass fraction of the different
3 minerals.

4 Again, it's nondestructive and potentially
5 it can be coupled with transport experiments so that's
6 the advantage of the nondestructive. You could see
7 what's going on with these experiments.

8 Okay, so first let me go into the
9 microanalytical techniques. Here, I'm just going to
10 describe the techniques, as I said, Carlos Jove Colon
11 headed up this study. There's a NUREG report in
12 review and press describing this work. And there are
13 five different techniques that were used: scanning
14 electron microscopy, energy dispersive spectrometry.
15 Oh, I should say also, the USGS, Jim Davis provided
16 the samples for us, did some of the preparation of the
17 samples beforehand..

18 There were generally two types of samples
19 that were studied. Again, these are from the UMTRA
20 site. One was taking down gradient contaminated with
21 uranium and that we call the untreated composite
22 samples. So it's untreated, contaminated sample. The
23 other was an up gradient uncontaminated sample and
24 what they did was they removed the carbonates just to
25 simplify, as Randy talked about the association of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 carbonates in the uranium makes things more
2 complicated. And we were interested more at looking
3 at the ion phases, association of the uranium with the
4 ion phases. So they removed the carbonates and then
5 they added uranium. So they -- it was a much more
6 controlled sample.

7 SEM work, we looked at the untreated
8 samples. This was performed at Sandia and each of
9 these -- I have a list of names of people who worked
10 on this. The secondary ion mass spectrometry -- and
11 again, you'll see, I'll have a slide for each of these
12 methods. Again, it was untreated samples. They were
13 put in epoxy mounts and polished and this was
14 performed at Arizona State University. The high
15 resolution TEM, there -- it was both the untreated and
16 the carbonate pretreated samples. There were some
17 preparation of the samples prior to looking at them.
18 This was done at the University of New Mexico.

19 The micro-synchrotron x-ray fluorescence
20 was done on carbonate-free samples at Brookhaven
21 National Labs, along with the MXA and again, it was
22 the carbonate-free samples.

23 So now you can see the results. This is
24 the SEM work. The top row is one sample. The bottom
25 row is another sample. I apologize, the color coding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is completely inconsistent so it's a little confusing.
2 The scale, this is a 20 micron bar. This is a 30
3 micron bar on the bottom sample. And again, the
4 inconsistency -- this is silica, but it's green here,
5 red here. Aluminum for both. Potassium -- I thinking
6 this had changes, but I switched my version on the
7 airplane. So this is the old version.

8 Okay, so potassium here and here, iron and
9 aluminum in this one and aluminum and silica in this
10 sample.

11 So the main thing you note is we've got a
12 quartz substrate, high silica. We've got aluminum and
13 potassium coatings along the edge. The coatings are
14 on the range of 10 to 15 microns thick. We are seeing
15 iron in the sample and in some cases, it's associated
16 with the aluminum and other cases it's free standing,
17 so there are probably some iron hydroxy coatings here.

18 This is actually unusual. It's a highly
19 weathered sample with a quartz substrate. You can see
20 high aluminum so there are sort of clays acting as the
21 glue holding the coarse grains together. Here you see
22 the two together and there's some potassium in there.
23 And uranium was below the detection limit, so we
24 weren't able to see uranium with this method. that

25 Okay, secondary ion mass spectrometry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Again, we have two samples on each row, looking at
2 different elements. For each, we've got a quartz
3 substrate for both samples. This analysis was a little
4 harder to interpret, but you can see there's clearly
5 aluminum, potassium, so we've got aluminum silicate
6 clays in these samples here, here.

7 There's no clear evidence of uranium
8 associated with any phases, although there is some
9 hint of it. Oh, I should say, the red dots here are
10 the uranium overlaying on the different phases for
11 this upper sample.

12 So in the upper sample, you can see
13 clearly some uranium on the aluminum, so you guess
14 there's some association with the clays. In this
15 sample, here's the uranium and the carbonates are
16 similar, so it looks like there's some association
17 there. But again, we're very close now to the
18 detection limits so it's hard to be real confident
19 with our interpretations.

20 And we're seeing that the coatings are
21 about 10 microns thick, so that's consistent with the
22 SEM.

23 Okay, the TEM work. I've got the main
24 points --

25 CHAIRMAN RYAN: Can I ask a quick

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question?

2 MS. ALTMAN: Sure, please interrupt. The
3 previous slide?

4 CHAIRMAN RYAN: If you could back up, that
5 would be great. I'm a little -- I'm just listening to
6 what you're saying because this is clearly not an area
7 where I have any expertise, but you make an
8 interpretation and then you say you're at the
9 detection limit, so it's hard to make an
10 interpretation.

11 Which one do I believe?

12 MS. ALTMAN: I say you believe my
13 interpretation with a grain of salt. If we had other
14 data contradicting it and we had more confidence --

15 CHAIRMAN RYAN: Can you turn that grain of
16 salt into a confidence interval or something I can get
17 my teeth into from --

18 MS. ALTMAN: In putting it in with the
19 other analysis, you could -- you know, we have clear
20 -- you'll see later we have clear association of
21 uranium with iron, so you'll be confident of that.
22 And I'm trying to think of the other samples that we
23 saw, an association of uranium and clays. I would say
24 I would want supporting evidence, if I was going aid
25 publish this, or I would redo this. Randy has been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 telling me that this method is actually -- improve the
2 detection limit a lot, so you would redo the samples
3 and do it.

4 So I would say if you have supporting
5 evidence, then I'd be more confident. You'd
6 definitely see it, but you know, if you have the
7 detection limit, there's a lot of noise in our data.

8 CHAIRMAN RYAN: I understand what a
9 detection limit is. I'm just trying to get an
10 analytical handle on it, rather than a qualitative
11 description of it.

12 MS. ALTMAN: All I can say is give you a
13 qualitative description, given sort of that we're at
14 the detection limit, but I mean when we put the whole
15 story together, you're going to see a clear
16 association of uranium with iron-bearing minerals, be
17 it clay.

18 CHAIRMAN RYAN: Let me try once more.

19 MS. ALTMAN: Okay.

20 CHAIRMAN RYAN: What are you detecting
21 exactly?

22 MS. ALTMAN: What are you detecting?

23 CHAIRMAN RYAN: You say there's a
24 detection limit, what does that mean? It's going to
25 show up in color on this photograph or they're making

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 counts per second? What are we doing?

2 MS. ALTMAN: Do you want to go into more
3 detail?

4 MR. CYGAN: This is Randy Cygan at Sandia.

5 CHAIRMAN RYAN: Thank you, Randy.

6 MR. CYGAN: What we were doing was
7 essentially pushing a technique to see if we have the
8 ability, the sensitivity to get uranium associations
9 for these soil phases. We have had some experience
10 using secondary ion mass spectrometry to do that, but
11 never for uranium. And you have to tweak and optimize
12 the SIMS instrument to enhance the uranium signal.
13 You can modify the detectors and that's what we did on
14 this particular set up at Arizona State. Rick Hervick
15 was helping us on this approach.

16 And we all had our doubts that we were
17 going to get the signal needed and you're talking
18 counts per second for a scan across the sample.
19 You're rastering a primary beam across the surface of
20 your sample and you're trying to generate counts for
21 some convenient count period while you raster this
22 beam. So you're talking fractions of a second.

23 CHAIRMAN RYAN: So now we're in an area I
24 understand. We have counts per second and there's
25 some background and there's some net signal and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculated uncertainty. Have you got those kind of
2 insights to share with us?

3 MR. CYGAN: We did not pursue any concrete
4 absolute uncertainty because of the poor
5 reproducibility of this particular detection set up.

6 CHAIRMAN RYAN: So my question then and I
7 don't mean to be critical, my question is why do I
8 believe this thing? If I can't get my arms around
9 uncertainty in the measurement, what do I do with it?

10 MR. CYGAN: I think Susan's presentation
11 really emphasizes that this is sort of a qualitative
12 first attack, preliminary scoping experiment to see
13 can the technique even be used to detect uranium.

14 CHAIRMAN RYAN: Fair enough.

15 MR. CYGAN: And that's as far as we pushed
16 it, but since then I've talked to Rick Hervick, this
17 was done about two or three years ago. Since then
18 we've modified -- well, Rick has modified the
19 instrument dramatically and I don't think this would
20 be a problem any more.

21 CHAIRMAN RYAN: Fair enough. but again, I
22 think the proof is in the pudding of a rigorous
23 statistical analysis, you know, I have background, I
24 have background plus sample. I met the subtraction of
25 background and I've used statistics on the net result

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to see if that's an interpretable value or if 30
2 percent of time I'm making it up or three sigma,
3 whatever you want to use. But without that, again,
4 we're delving into new territory and try to push a
5 technique and I very much appreciate that, but I just
6 wanted to get clear about it, so thanks.

7 MS. ALTMAN: Back to the TEM. The points
8 we want to make are in the red squares. One is -- oh,
9 and I should note here, previous slide was sort of a
10 scale bar of 30 microns. We're now in the nano meter
11 scale, so there's 10 nano meters, 9 nano meters. This
12 one is at 100 nano meters. So we've gone down an
13 order or almost three orders of magnitude in some
14 cases.

15 But now we'll be able to see the layered
16 illite, smectite as a dominant phase in the samples.
17 This is another example of the layered illite smectite
18 here and this is just a different orientation where
19 you don't see the layering.

20 We see close codes of the iron
21 oxyhydroxides of the clay. Here's a good -- this is
22 clay again. Oh, I said the illite smectite was a
23 dominant phase. Kaolinite was also observed within
24 the samples, so there are some other clays in there
25 too, but this is the dominating phase.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so close co-existence of iron
2 oxyhydroxide in clay and also different iron
3 oxyhydroxides, goethite and ferrihydrite and here you
4 see goethite and ferrihydrite together. Again,
5 goethite, goethite and ferrihydrite. So we go down an
6 order of magnitude and we have more evidence for the
7 different mineral phases.

8 And finally, the synchrotron work with the
9 x-ray fluorescence. Now we're talking about this is
10 a scale bar of approximately a millimeter. Here's the
11 optical image of the sample at approximately the same
12 scale. This the uranium-treated carbonate free sample
13 and you're looking at iron and uranium and you see a
14 clear association of the uranium peaks with the iron
15 peaks too.

16 In the other technique, we ran two
17 standards. The blue and the red were different
18 standards and the three ones are sample and you can
19 see the peak here of the green matches with the
20 hexavalent uranium sample which is what was added to
21 the sample, so it's not a surprise what we see there.
22 There isn't any change in the state of the sample.

23 So again, the main is that we're seeing
24 the iron oxyhydroxides as the same for the uranium.

25 CHAIRMAN RYAN: Let me just follow up.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That's the normalized counts, I guess is what the Y
2 axis is. What are the arrow bars on that?

3 MS. ALTMAN: Can you respond to that,
4 Randy?

5 CHAIRMAN RYAN: The reason I ask is you've
6 concluded it's hexavalent based on it matching the
7 green, but I asked the question is it actually in
8 between the blue and the red or do the arrow bars
9 overlap enough the way you can't statistically
10 distinguish one from the other using a T test or
11 whatever test you want. That's the risk. And again
12 you may be able to do that. I'm just saying that's --
13 you're making a conclusion, yet, I don't see how you
14 can get there without some more detailed statistical
15 analysis.

16 MR. CYGAN: Randy Cygan, Sandia. I don't
17 know what the arrow bars are on this. I'd have to
18 talk to our collaborators on how that was set up. But
19 I think the main point here is that you're really
20 looking in the shift in EV from one peak to the next
21 and I think clearly you can discriminate one valent
22 state from the other, based upon some fraction of an
23 EV. I don't know exactly what the uncertainties are,
24 but if there's enough confidence that it is the one
25 state versus the other, but I agree, we don't clearly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 state what those uncertainties are.

2 CHAIRMAN RYAN: Again, there are things
3 like the instrument uncertainty. That's clearly one
4 part.

5 MR. CYGAN: Right.

6 CHAIRMAN RYAN: And then there's the same
7 uncertainty and the prep uncertainty and background
8 and all the rest and until you do a system
9 uncertainty, I struggle with how do I interpret the
10 difference between two curves that are near each other
11 and those kind of scales.

12 MS. ALTMAN: And finally, let me just
13 summarize microanalytic techniques. Four techniques,
14 two different samples. The main you see the presence
15 of iron-rich aluminum silicate clays. The iron-rich
16 base is present as a small scattering particles in the
17 clay layer. You see presence of uranium in the
18 aluminum silicate clay layer. Due to limitations of
19 the technique, it's hard to see a clear association
20 between iron and uranium. The clays are dominantly in
21 mixed layers like smectites. There's a large
22 population of iron oxyhydroxides. The iron bearing
23 layers are highly heterogeneous and this is just -- we
24 got ferrihydrite and goethite which comes in with the
25 next study. And finally, a close association of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uranium with iron.

2 So let me open the floor for questions
3 before I go into the tomography work.

4 MEMBER WEINER: So this is just a
5 comparison of your techniques to see what you can do
6 with them?

7 MS. ALTMAN: Yes, I mean part of it was,
8 you know, they did the XRD work and they weren't able
9 to see the iron. So then it became okay, let's look
10 at a suite of these techniques and see what we can
11 learn from them was the purpose of it.

12 MEMBER WEINER: Any of the staff have any
13 questions at this point? It's been suggested that we
14 take a 15-minute break because you guys have been
15 going on for quite a while. So we'll reconvene at a
16 quarter to 11.

17 (Off the record.)

18 MEMBER WEINER: On the record. Susan,
19 you're talking about the Cape Cod work.

20 MS. ALTMAN: Okay. So now I'm going to
21 move onto the microtomography work which I led. So
22 I'm awful familiar with this work. This was conducted
23 at that Advanced Photon Source at Argonne National
24 Labs. This slide is attempting to show the whole
25 schematic. This is the hutch where we collected the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 data that comes out here.

2 There are some crystals that control. By
3 the angle, you can control the energy. The sample is
4 just a simple aggregate sample, a millimeter or less
5 in diameter epoxies onto a toothpick. So it goes
6 through the sample, through a scintillator which
7 converts the x-rays into visible light, reflected off
8 a mirror and upward into the CCD camera.

9 So the idea is you take an image of the
10 sample and you rotate the sample a little bit. Take
11 another image. Rotate it a little bit, etc. So
12 you've gone out through 180 degrees. What the images
13 are is how many x-rays are transmitted through the
14 sample and that's going to be dependent upon the
15 composition of the sample.

16 This is where the tomography comes in.
17 They take the series of images and can put them
18 together and you get a 3-D image of the sample and the
19 interior of the sample without actually having to take
20 the sample apart. So what you're actually measuring
21 is the source intensity over the intensity that comes
22 through the sample and that's a function of the
23 thickness of the sample and what we call the linear
24 sorption coefficient. So the output of the tomography
25 is the linear sorption coefficient for each voxel in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the sample.

2 This is an example of slice of a 3-D
3 image. Again, these are 3-D images but it's easier to
4 show a slice and it actually doesn't transmit very
5 well. But you can easily qualitatively distinguish
6 the different regions within the sample. So we have
7 core screens here. You might want to look at your
8 handout. It's a little clearer.

9 We have this intergranular material which
10 is more absorbing. So darker is more absorbing to the
11 x-rays and there clearly appears to be two different
12 zones of granular material. So one we call the high
13 iron and the more normal background for granular
14 material. You can also clearly see the epoxy
15 surrounding the sample.

16 The voxel size is approximately 4 microns
17 on the side and you'll notice this tree-ring
18 structure. That has to do with the tomographic
19 reconstruction and its used more than the data along
20 with other sources or norms and again our scale bars,
21 we're talking about a half a millimeter here.

22 CHAIRMAN RYAN: How big is the beam
23 compared to the sample?

24 MS. ALTMAN: How big is the beam? You
25 actually have control of the beam because you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shutters. So the beam, we keep it as small as
2 possible to make sure we complete the sample. So it's
3 in the order of maybe 3 millimeters high and --

4 CHAIRMAN RYAN: It's bigger than the
5 sample?

6 MS. ALTMAN: Oh, yes. And then it can be
7 much bigger but then you shutter it down just to
8 control it.

9 CHAIRMAN RYAN: I'm asking real specific
10 questions. Is the beam bigger than the sample or not?

11 MS. ALTMAN: Yes.

12 CHAIRMAN RYAN: Okay. If you have that
13 situation, don't you have built up from scattered
14 radiation coming back into your sample and so forth?

15 MS. ALTMAN: You do have some scattered x-
16 rays that come. There are some things, they call them
17 ringers, where in the reconstruction process they can
18 remove it. It is also a source of noise.

19 CHAIRMAN RYAN: But you calculated this
20 I/I_0 . It actually should be equal to a build-up
21 factor which is also a function of the relaxation life
22 UX .

23 MS. ALTMAN: Okay. You're getting a
24 little beyond what I know. But what I can say is that
25 in doing the reconstruction they have this background

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 factor, the dark fill, that they correct for which may
2 be accounted for that.

3 CHAIRMAN RYAN: That's not reflected in
4 your equation.

5 MS. ALTMAN: This is a theoretical
6 equation.

7 CHAIRMAN RYAN: Oh, no. It's a real
8 equation. It works like a charm.

9 MS. ALTMAN: Yes.

10 CHAIRMAN RYAN: The reason that I'm asking
11 is --

12 MS. ALTMAN: -- details of the
13 reconstruction and what exactly is it.

14 CHAIRMAN RYAN: There's a question with
15 narrow beam and wide beam geometry.

16 MS. ALTMAN: Okay.

17 CHAIRMAN RYAN: If you have narrow beam
18 geometry and you're trying to measure it with a
19 detector, you're not going to get scatter from bigger
20 beams back into the detector that didn't interact and
21 give you a false positive signal. Whereas broad beam
22 geometry you have to correct for this built-up. So
23 I'm just wondering which circumstance you had?

24 MS. ALTMAN: And I can't answer that. I
25 don't have the answer to that question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Okay. Fair enough.

2 MS. ALTMAN: It's bigger. It's not a lot
3 bigger. And I don't know where the cutoff is.

4 CHAIRMAN RYAN: If it's bigger at all,
5 built-up is an issue.

6 MS. ALTMAN: Okay. So I don't if the dark
7 field -- What they do is every so many images, every
8 50 images, they have the beam go off and take an image
9 on nothing and they use that as a noise correction.
10 I don't know if that accounts for that or not.

11 CHAIRMAN RYAN: No.

12 MS. ALTMAN: Okay. So in the previous
13 slide I showed you this is qualitative information you
14 can get from the data. Now we talk about more
15 quantitative information. So what we did is just make
16 note of the values of the voxels of the linear
17 sorption coefficient of all the voxels in the sample
18 and we get a histogram which is the heavy dark line.

19 So what I did is I best fit the black line
20 using different means of standard deviations. The
21 blue line shows the air. The green shows quartz. The
22 red shows the intergranular, the more dominant
23 material and this is a blow-up of this slide. So we
24 have here again the intergranular material and then
25 the high iron. So we have the high intergranular

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 material. It's a small volume.

2 With that, I have a mean and a standard
3 deviation linear sorption coefficient for each region
4 within the sample. And you can see distinct regions
5 clearly. Then you also see -- Sorry.

6 CHAIRMAN RYAN: What's the standard
7 deviation? I don't see that.

8 MS. ALTMAN: It's defined as the Gaussian
9 Distribution.

10 CHAIRMAN RYAN: So it's not an error bar
11 in particular.

12 MS. ALTMAN: You'll see that later. I'm
13 just showing the Gaussian Distribution which is
14 defined by a mean and standard deviation. If you
15 subtract that from the range, you get these dotted
16 black lines which are either mixed voxels, so you have
17 some voxels that have more than one substance in it,
18 or it could be due to x-ray refraction too or in this
19 case, it's probably some epoxy.

20 Here you can see -- I should say also
21 along with our aggregate samples that we got from the
22 UMTRA site we took some minerals of known composition
23 and imaged those and measured the mean and standard
24 deviation for those. So that's what this plot is
25 showing is the mean and the error bars are one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 standard deviation.

2 The mass sorption coefficient is just a
3 linear sorption coefficient divided by the density of
4 the sample. Theoretically, there should be a pretty
5 linear relationship between the mass fraction iron and
6 the mass sorption coefficient. We're seeing that at
7 the lower ranges because you have other minerals.

8 The iron's really going to dominate the
9 sorption of the x-rays at lower ranges. When there's
10 less iron other minerals you'll see. So you get off
11 the regression a little bit. But we defined a
12 regression between mass fraction iron and mass
13 sorption coefficient.

14 What we want to know is how much iron is
15 in the sample or at each region? How much clay and
16 how much iron (oxy)hydroxides and this is where the
17 previous work fits in because they were able to
18 provide us with these are different minerals, these
19 are the compositions of the minerals. So we were able
20 to use that as background and we just set up a system,
21 the four equations, the four unknowns, pretty simple
22 equations just looking at the mass fractions and the
23 relationship between mass sorption coefficient and
24 linear sorption coefficient to solve for these
25 unknowns using this regression.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is the data input. The ferrihydrite
2 versus gurtite (PH), they're going to have a similar
3 amount of x-ray sorption. We won't be able to
4 distinguish them. So what we did is just bounded
5 values and said we have a mean fraction iron based on
6 the stoichiometries of this between this and this and
7 the same for clays. From the work from Carlos
8 Ovacologne (PH), we were able to have a range of what
9 the stoichiometries were and then able to give a range
10 of the fraction of iron in the clays.

11 This is the background data that we put
12 into our system equations. Then we come out with
13 either mass fraction iron or mass fraction iron
14 (oxy)hydroxide for the different samples.

15 The blue and the red is we collected data
16 at two different energies. The lower the energy the
17 higher the quality of the data, the less noise there's
18 going to be. But unfortunately at the lower energy we
19 weren't able to get enough transmission through some
20 samples. So we had to redo it at a higher energy.
21 Actually for this high iron portions, I trust the 26
22 keV data there.

23 You're always looking for ranges. We have
24 a range of mass fraction iron given sort of the
25 uncertainty in some of the parameters. I didn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 account for the standard deviations which should be
2 there to a certain extent. But we have a range of
3 mass fraction irons and mass fraction iron
4 (oxy)hydroxides if you subtract. We assumed it's just
5 clay or (oxy)hydroxide. So you subtract one from the
6 other. If you subtract one from this value, you would
7 get the mass fraction clay. We're talking values
8 around 30, 35, percent in the high iron dominated by
9 the (oxy)hydroxide.

10 For most of the samples, again this is one
11 sample here and three other samples. We're talking 20
12 to 35 percent iron (oxy)hydroxide and about 20, a
13 little higher than 20, percent iron in the sample. So
14 we're hoping this can be input data into the models
15 and it's a simple way to collect a fair amount of data
16 without having to do a lot of sample preparation.

17 The second thing we were interested in is
18 looking at the association of cesium with
19 intergranular material. We could see that. We used
20 cesium as our tracer. It's highly soluble in water.
21 It's cad ion like uranium and it's highly absorbing to
22 x-rays.

23 So what we did is we took the samples. We
24 soaked it in a cesium chloride solution. Then we
25 rinsed the sample for a number of rinsing until we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 didn't see an cesium or chloride in the rinse water
2 and then we imaged it. Now this slide here shows the
3 linear sorption coefficient versus energy.

4 If you look at quartz, it just decreases
5 with time and the same with iron. But with cesium,
6 you have this sorption edge. At a specific energy,
7 all of a sudden there's a jump in linear sorption
8 coefficient. What we do is we take an image above the
9 sorption edge and below the sorption edge and by
10 subtracting the two, we hope we only see the cesium
11 because with iron, there's not going to be much
12 difference in the sorption between the two.

13 So this is the image above the sorption
14 edge and below the sorption edge and this is a
15 different image which again is not transmitting very
16 well. You can see a little cesium up here associated
17 with this high iron. There's also some around here.
18 If you look at your handouts, you'll be able to see it
19 better. Unfortunately, we think we had some epoxy in
20 the way of the sample down here. So we didn't see
21 much cesium sorption down here. But we were pretty
22 excited. We got to see the cesium in this sample.

23 Finally, we just in August got some data
24 on the Cape Cod sample. These are samples the USGS
25 has been working with. It's a well characterized site

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and we wanted to test this technique with a different
2 sample. What's interesting with this sample is that
3 it seems to be, these are really preliminary results,
4 much more heterogenous than in that of other samples.

5 We have mass fraction iron ranging from
6 about 20 to 40 percent and actually there was another
7 sample I'm not showing here where it went up to
8 greater than 50 percent iron.

9 From the literature, these are sort of the
10 potential minerals that could be in the samples that
11 are consistent with the readings we're getting. Also
12 again if you look at the cesium, this is our
13 difference image. We're seeing a lot of cesium
14 sorption. We were a little bit more careful with our
15 epoxy this time. You can't see it here but this
16 yellow circle, there's clearly quartz and our
17 measurement for the linear sorption coefficient is
18 consistent with the theoretical value.

19 Then there's another reason, slightly more
20 absorbing than another mineral. What's interesting is
21 you see some cesium sorption at that boundary between
22 the quartz and the other mineral. The rest of the
23 cesium you see associated with the intergranular high
24 iron materials.

25 What I'd love to be able to do is we need

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to finish the evaluation of the Cape Cod samples
2 through a more rigorous quantitative evaluation and
3 this is where making the connection to the modeling
4 which I think would be a great next step. If we have
5 these different iron phases, determine the surface
6 area available for sorption from the tomographic
7 images and then take that data and fit it into a more
8 explicit surface complexation models or Kd models and
9 compare the results to see how much it really matters
10 for these samples. That's it.

11 MEMBER WEINER: Questions? Jim.

12 MEMBER CLARKE: This is kind of a general
13 question maybe going back to the beginning. As I
14 understand it, to me it looks like you're developing
15 a framework. You're using particular species in your
16 predictions and in your experiments, uranium for
17 example and now cesium. How transferrable is this to
18 other radionuclides of interest? If you know the
19 chemistry, can you do that?

20 MS. ALTMAN: I'm going to defer that one
21 for Randy.

22 MR. CYGAN: Welcome to the CMT work, the
23 first part of the study really was emphasizing the
24 mineralogy and I think that's clear cut how just
25 identifying the fine coatings, the small thin-layered

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 coatings, that occur on these substrates, quartz,
2 feldspar, whatever. That's critical no matter what
3 the radionuclide is obviously. Then with the cesium
4 --

5 MEMBER CLARKE: My question was a little
6 more general including the surface complexation
7 modeling, the molecular modeling, just everything
8 you've presented to us today. I just wonder how
9 transferrable it is to be on the radionuclides that
10 you focused on.

11 MR. CYGAN: Oh.

12 MS. ALTMAN: Each solute is going to have
13 its unique characteristic.

14 MR. CYGAN: Essentially, you're not going
15 to be able to just generalize their behavior.
16 Obviously each system is going to have its own
17 particular reactivity and association.

18 MEMBER CLARKE: That's what I said. If
19 you know the chemistry.

20 MR. CYGAN: I guess you can make
21 comparisons for analogous type behavior. If you go
22 through the periodic chart, you can start to say like
23 manganese and rhenium for example, that comparison.
24 But I think going from the very fundamental molecular
25 models all the way up it would be tough. I think what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we could do is pick our targets carefully, try to make
2 sure they cover enough of the periodic chart in terms
3 of general behavior and then look at those trends.

4 I think there's a very specific problem.
5 We'd probably want to do from the beginning. If you
6 want to look at neptunium for example or plutonium,
7 you could make generalities. But I think some of the
8 behavior is very specific to that element especially
9 if you're looking at the uniqueness of inner sphere
10 versus outer sphere how many ligands are involved,
11 looking at the hydration energies of solvation in the
12 bulk versus pulling off those water molecules and
13 trying to have it sorb on the surface is an inner
14 sphere complex.

15 Those details certainly will require a lot
16 of work. But I think you can make a map of let's say
17 a dozen type of proxies and work on those to get that
18 type of detail and then look at the trends.

19 MEMBER CLARKE: I asked the question for
20 two reasons. Yesterday, we heard presentations on the
21 new proposed EPA standard which proposes a compliance
22 time of a million years. That suggests to me that
23 attenuation in the subsurface is going to become much
24 more important. Maybe it didn't need to be as
25 important when the compliance period was 10,000 years.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Perhaps it needs to be looked at more closely now.

2 The other thing is that the radionuclides
3 that drove the risk over a compliance period of 10,000
4 years may very well not be the same radionuclides that
5 drive the risk over a compliance period of a million
6 years. That was what really prompted my question.
7 You've done some great work, it looks to me, on some
8 particular radionuclides and there may be others that
9 are going to be very important.

10 I guess the other general observation is
11 you talk about going beyond Kds but you also talked
12 about a way of getting much better Kds putting in
13 water chemistry, surface complexation, modeling. I
14 think that's going to become very important in PAs as
15 well.

16 MR. CYGAN: Thanks.

17 MEMBER WEINER: Bill.

18 MEMBER HINZE: To follow up on your
19 comments, it seems to me that this thermodynamic
20 modeling is extremely interesting and very useful for
21 characterizing the sorption on a variety of minerals
22 under various physical chemical conditions. But being
23 a geotype, I worry about how this really relates to
24 the real world and how one takes into account the
25 geological environment, not the physical and chemical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 environment but the geological environment and take
2 into account the texture and structure associated with
3 the compaction of clays, the occurrence of sand
4 stringers in clays and so forth and how one can really
5 apply this to a specific geological situation without
6 having an extreme amount of characterization,
7 geological characterization and material
8 characterization.

9 That's an observation that I have that I'm
10 wondering just how one is going to apply this. I can
11 see this in the theoretical world, but I want to see
12 this to the real PA world.

13 MS. ALTMAN: I think you bring up a really
14 good point. The two issues involved, one is a scaling
15 issue and the other is the heterogeneities in the
16 system and you can't just dig out the ground and see
17 what's in there. Traditionally, one way to approach
18 it at the larger scale is you do, and I'm a hydro
19 geologist, so I'm focusing on the hydrologic
20 connectivities of porosity and the other materials
21 that are important, the physical parameters important
22 for the transport models, but you generate statistical
23 fields. You take what you know from the well data of
24 the stratigraphy. If you think there's stringers you
25 can put things like that in a geostatistical model

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with a certain probability of them and you have to do
2 numerous simulations and that's where you get your
3 uncertainties and ranges of results.

4 MEMBER HINZE: Yes. You're absolutely
5 right. The characterization on a variety of scales is
6 extremely important to make this into a truly
7 effective procedure.

8 MS. ALTMAN: Right. So the molecular
9 scaling modeling, we have to take those results, build
10 it up to a bench scale and see how well we can match
11 that and then you go on to the next scale.

12 MEMBER WEINER: I'm going to take the
13 liberty of asking a question because it follows right
14 on to Dr. Hinze's. What steps do you think you still
15 have to take or beyond these next steps, what do you
16 plan to do to make this applicable to some of the
17 problems that we have with the migration of
18 radionuclides through actual natural systems?

19 MR. CYGAN: Can I defer that `till the
20 next presentation?

21 MEMBER WEINER: Certainly.

22 MR. CYGAN: Because I have a summary slide
23 in terms of future directions in mine.

24 MEMBER WEINER: Thank you.

25 MS. ALTMAN: But you brought this up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 before. We have test sites with data and it would be
2 great to be able to apply them.

3 MEMBER WEINER: Allen.

4 VICE CHAIRMAN CROFF: No.

5 CHAIRMAN RYAN: Again, I want to share in
6 Professor Hinze and Dr. Clarke's comments that I think
7 the work is fascinating, probably very helpful to
8 getting something better than a shot in the dark Kd
9 which I agree they can be all over the map. It's a
10 well known parameter typically plus or minus two
11 orders of magnitude.

12 But I urge you to think carefully about
13 the systematic risks in your systems and in your
14 measurements and in your calculations. There's a
15 whole slew of them. It's not just an instrument, but
16 it's a simple prep question. It's an instrument
17 question. It's this question of backscatter and
18 build-up in an x-ray beam. All those things are
19 errors that you have to somehow systematically treat
20 and then that's different yet again from a calculation
21 uncertainty in a model.

22 The power of interpreting your data is
23 only as good as a rigorous analysis of those
24 uncertainties and I just urge you to think carefully
25 about thinking about how you're going to go about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doing that and I recognize as true experts in the
2 subject your skills of interpreting are obviously at
3 probably the highest level of anybody to do it. But
4 you have to, I think, also add to that the rigor of a
5 true statistical analysis that looks at every
6 component of system error.

7 In my own area of interest, I often see
8 folks that make a measurement with a gamma
9 spectroscopy unit and they give me the error for the
10 gamma measurement. That's typically the smallest
11 error in the system and typically trivial in the
12 system. Everything else is very important and
13 typically ignored.

14 So I urge you to think about that and
15 maybe add that kind of thinking to your analysis to
16 make sure that you're not interpreting something that
17 might not allow you to make that interpretation or
18 you're distinguishing between curves that really
19 aren't different. Just something to think about. But
20 again, I want to emphasize. I think it's cutting edge
21 work and very valuable to push in these directions to
22 see if you can improve our use of these principles to
23 improve Kds. Thanks.

24 MEMBER WEINER: Latif.

25 MR. HAMDAN: I also want to follow up Dr.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Hinze's point. The other risk that concerns me is the
2 data that you have. Susan, you said you have it and
3 you work with it. But the question before you do that
4 is whether or not the data is enough to characterize
5 the environment or the side that you want to
6 characterize and that's a very important question.

7 MS. ALTMAN: Yes, I agree with that.
8 You're talking about measurement there and you're
9 talking about variability and they both have to be
10 characterized.

11 MR. HAMDAN: So the point, sometimes data
12 that you have is not enough and so maybe it's a waste
13 of time to analyze it and deduce from it if you don't
14 ask the question at the beginning is this data enough
15 to characterize the situation I want to study.

16 MS. ALTMAN: And that's in part why the
17 CMT data came in. They did the microanalytical
18 techniques but they're time-consuming. There's a lot
19 of sample prep. You can't do that for a large number
20 of samples. So we're looking for -- And then you can
21 go to batch structured experiments and get Kds. We
22 want something a little better than that. So we're
23 trying to find that something and it's doable to find
24 the variability in it at the same time to get the
25 details we need.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: I'd like to point out that
2 that variability is not just spacial but it's temporal
3 as well particularly in the Vado zone and that throws
4 an additional complication to it.

5 MS. ALTMAN: I agree.

6 MEMBER WEINER: Other questions? Hearing
7 none, Randy. I suppose you're up.

8 MR. CYGAN: Okay. I'm going to finish up
9 the Sandia part of the presentation for this morning
10 and then Bill is going to end with some of the NEA
11 project results. The last part, our task five is an
12 emphasis on the memo of understanding that's among
13 nine different federal agencies. This was started
14 some years ago and we joined as representatives of the
15 NRC.

16 We joined the MOU effort and we joined
17 right at the time where they were preparing a reactive
18 transport workshop. We had several people in our
19 group who were quite interested in this and we decided
20 to jump in whole-hog and we offered to host it. So we
21 got quite in above our head in terms of dealing with
22 a large group of people in trying to get a workshop
23 together in a short amount of time. But the effort
24 was all quite worth it.

25 This activity was defined in the May 2003

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 proposal. This is a Phase 2 proposal and I'll give
2 you a webpage later on in the presentation which gives
3 you the history of the MOU and of this particular
4 working group. There are several working groups. One
5 is for example that we've been involved in to a less
6 extent is the one on uncertainty and uncertainty
7 analysis. The other one is on reactive transport
8 modeling. So working group no. 3 is the reactive
9 transport one.

10 Our charge was to organize and convene
11 this workshop and it was entitled "Conceptual Model
12 Development for Subsurface Reactive Transport Modeling
13 of Inorganic Contaminants, Radionuclides and the
14 Nutrients." So it brought in a lot of other experts
15 beyond the geochemistry people, the hydrologists. So
16 we have a good audience for that reason.

17 It was held in April of last year in
18 Albuquerque downtown and fortunately we had some
19 financial support through the registration fees and
20 some of the travel was brought up by these agencies.
21 We had about 70 people who contributed who attended.
22 These included people from the federal agencies
23 themselves, academics and international as well.

24 Seventeen were invited speakers and we
25 broke it down into four summary groups that had a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little niche of each of the particulars of reactive
2 transport. I'm going to briefly discuss what came out
3 of the sorption workshop, sorption breakout session.

4 The workshop objectives were to confirm
5 the needs and goals for field scale reactive transport
6 modeling. I'm emphasizing the field scale here. Even
7 though we're talking about in some of the
8 presentations at that conference atomistic processes,
9 the goal was to always scale up. So we're going back
10 to the spatial and time scales in terms of the
11 multiscaling.

12 We wanted to also demonstrate what the
13 state of the art was in the discipline and how the
14 modeling of the processes will control the field scale
15 migration. This work was all in inorganic solutes.
16 I'll be talking briefly about some follow-up work on
17 organic materials.

18 What we were most concerned with in terms
19 of the state of the art was to look at where the
20 advances are needed in our scientific understanding,
21 trying to see what the new approaches are for how we
22 could develop better, improved conceptual models,
23 assessing field relevant reaction parameters and also
24 what are some capable, achievable targets for these
25 new models.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is just some eye candy if you will.
2 It sort of represents the detail of what goes on in
3 the subsurface and why this is a nontrivial, non-Kd if
4 you will type of problem. This is a fairly nice
5 schematic of the multiple scales that are involved in
6 looking at a landfill on the margins of a river basin
7 and how the leaf-shaped (PH) material can get into the
8 subsurface and in this case, we show the complications
9 associated with going through oxic zone and then into
10 a reducing zone and then perhaps back into an oxic
11 zone as it gets into the flow drainage.

12 We could also demonstrate the multilevel
13 scale at least going back to what we talked earlier
14 about, the atomistic approach, in this case looking at
15 arsenic or iron and their valance changes as they are
16 interacting with substrates or for example even
17 colloid material and not just the sediment. That's a
18 broad macro-scale, micro-scale, atomic scale and we
19 heard this a lot throughout the workshop about Kds and
20 Kd was often a so-called standard that was used for
21 comparison of the surface complexation modeling.

22 Specifically to the breakout session on
23 sorption and iron exchange, there were several
24 recommendations. The first was to publish some
25 guidance documents, something that the whole industry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can refer to to establish pretty much what is the
2 state of the art, what are the different choices that
3 are available to the geochemical users or for that
4 matter the licensee at some decommissioning facility
5 as to make some judgment on how to go with sorption
6 modeling.

7 The results on the matter of developing a
8 new database for sorption model parameters. This goes
9 well beyond the Kd but gets you into surface
10 complexation models, site densities, equilibrium
11 constants for all the reactions, acid/base reactions,
12 complexation reactions and that sort of thing for not
13 just ferrihydrite but for more common substrates. I
14 mentioned earlier about Zomback Morrell (PH)
15 references primarily for the ferrihydrite material.
16 Then it was a material of also how do you extend a lot
17 of the complexation modeling to more sophisticated
18 systems and we talked about this already this morning
19 is looking at vadose zones or infractioned rock
20 material. How easy is it to take more of the
21 homogenous, uniform type application that we're used
22 to for surface complexation modeling and try to push
23 it into some rather unique type of environment but
24 something that's much more applicable to some of the
25 regulatory issues for the NRC.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The one unresolved question here was how
2 do you make that third choice, Latif? We could talk
3 about using something that's somewhere in between a Kd
4 and a sophisticated SCM and that would be the
5 generalized composite. How would any of these choices
6 be most cost effective?

7 And I'd like to have the Commission
8 recognize that Jim Davis in the Survey will be
9 presenting next month hopefully and you'll get a
10 better fee for how the generalized composite could be
11 used as sort of a bridge which provides the rigor of
12 the thermodynamic approach but yet reduces the number
13 of parameters needed to model something rather
14 complex.

15 And then the breakout session group also
16 identified that there is a need for a field site to
17 test all these, a field site that has somewhere a
18 balance between complexity and tractability, a range
19 of observable length scales with physical and chemical
20 heterogeneity, things we've already talked about, also
21 the effect of hydrologic and chemical transients, how
22 a pulse might affect your modeling and trying to see
23 the outcome of that.

24 And then also there was a concern about
25 pretty much expanding this into all biogeochemical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 processes and that brings in an issue about the effect
2 of bugs, microbes, and how they affect sorption
3 processes. I know there are several groups around the
4 United State, at least at the universities, who are
5 really looking into the issue of microbial activity
6 and how metals will be sorping certain exudates,
7 polymers that are exuded from the bugs.

8 But anyway this field site issue and the
9 complications associated with a field site, this was
10 a common theme for each one of the four breakout
11 sessions and not just our sorption and exchange.

12 MEMBER HINZE: Do you have any general
13 reference on that biogeochemical work that I might be
14 able to look at?

15 MR. CYGAN: The workshop actually had a
16 breakout session that dealt with that and I have two
17 sources for that. One is this document here which is
18 proceedings from the workshop and then I'll be talking
19 here about the webpages.

20 MEMBER HINZE: Great.

21 MR. CYGAN: One of our charges as host and
22 for our Task 5 with the NRC was to develop public
23 webpages for reactive transport modeling and this is
24 the main page for the multiple agencies, the Steering
25 Committee for Multimedia Environmental Models and this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has a summary of each of the agencies that are
2 involved.

3 Also it provides summaries of each of the
4 different working groups. I believe there are four or
5 perhaps five. I don't know if Tom's here or not.
6 What's the count? Five I think. Four. Then part of
7 our effort was coordinating the content webpages,
8 providing public documents and then there was a
9 publication of a Phase 2 proposal for our particular
10 working group.

11 We essentially took our conference
12 proceedings and got them into the webpage. This is
13 all fairly minor stuff. Actually here you can see
14 some of the different agencies at the time of the
15 meeting who were involved. Actually, I should point
16 out one thing that's been nice about this workshop is
17 that we started to talk with the people in the USDA,
18 the Agricultural Research Service, ARS, and the soil
19 scientists there. So that has helped out tremendously
20 with the collaborations and also it brought that
21 community into a better working environment with the
22 others in the field.

23 Essentially we have publications on the
24 web of the abstracts, presentations and summaries of
25 the meeting. This is the NUREG report that has all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extended abstracts and short papers from the workshop
2 and the summaries of all the breakout sessions.
3 That's to be published soon by the NRC.

4 There is also a nice workshop summary
5 article that was published in the Transactions of the
6 American Geophysical Union last fall which had a nice
7 summary. In fact, the arsenic/iron example that
8 cartoon was published in EOS, the Transactions.

9 The thing that we're working on right now,
10 I'm working with Sabina Goldberg of the USDA and we're
11 editing a special volume of the *Vadose Zone Journal*.
12 I forgot the main editor's name and he's identified a
13 special issue for next year to highlight reactive
14 transport modeling, something that he sees as being
15 critical and the people who are doing hydrologic
16 modeling and trying to incorporate chemistry
17 especially in Vadose zones obviously but it's fairly
18 general across all groundwater systems and he
19 recognizes that our reactive transport modeling,
20 specifically surface complexation modeling, needs to
21 have much more visibility in the community.

22 So we're going to be taking advantage of
23 this and we essentially have eight authors who are
24 from the workshop who will be presenting in that issue.
25 The lastly since the workshop, the emphasis of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 working group has been on developing an organic
2 subgroup.

3 Let me end with this last slide in terms
4 of Sandia's interest and where we see things going not
5 necessarily just by our group but other groups doing
6 surface complexation modeling and that is to start
7 looking at what level of complexity is needed to
8 really apply to a particular problem be it a heavy
9 metal contaminant or radionuclide contaminant. Now
10 where do we have to draw the line in terms of how
11 sophisticated of a model we need to really model it
12 accurately?

13 Admittedly, a lot of our research has been
14 emphasizing fairly detailed, fairly sophisticated
15 methods either theoretical, computational or
16 spectroscopic, experimental. We're not hiding that
17 fact but this stuff is not cheap. It's somewhat
18 costly but it's also using state of the art
19 facilities. But yet we feel that it provides a good
20 foundation or good bottom line for making judgment,
21 especially legal judgment in some cases with NRC
22 issues, on how best to do performance assessment.

23 So we don't hide away from that fact at
24 all. However we recognize that in an application we
25 have to draw a line somewhere. Some ways we might be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 able to do that is to perhaps look at a system where
2 we know let's say critical substrates for sorption for
3 radionuclides, let's say quartz, ferrihydrite and
4 clay. Perhaps we could perform adsorption experiments
5 and then fit the data using all the different
6 sophisticated SCM models. Then we could look at the
7 adsorption experiments, maybe just one or two or three
8 at time, try to look at all the combinations and then
9 compare that to assemblages.

10 So we do the minerals independently, apply
11 the surface complexation modeling, bring in mixtures
12 of the minerals, do the experiments and the
13 complexation modeling and see how they compare to
14 really prove that SCM can be a predictive tool. We
15 have not done that yet. In fact, nobody has done it
16 at this scale. So it's taking very fundamental
17 monomineralic comparing that to mixtures and minerals
18 and then comparing the complexation models.

19 CHAIRMAN RYAN: Just a quick question
20 there. I think that's a good example of the kind of
21 thing I'm trying to reach for. So basically you're
22 saying you're trying to prove if it can be used for a
23 prediction. What's the hypothesis driven experiment
24 you're going to design up front to do that,
25 statistically driven hypothesis?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CYGAN: That gets to the point. If
2 you're going to have -- We could demonstrate it
3 perhaps for one or two or three as I mentioned here
4 isolated cases. But statistically driven is a
5 different issue.

6 CHAIRMAN RYAN: That's the key issue.

7 MR. CYGAN: That's the key issue but it
8 determines how much effort you want to put into it.

9 CHAIRMAN RYAN: Without that though, I
10 think you're kind of driven phenomenologically and not
11 in terms of your ability to reach your end goal which
12 is to use it in PA.

13 MR. CYGAN: Right.

14 CHAIRMAN RYAN: So I'm struggling why that
15 linkage isn't part of your thinking.

16 MR. CYGAN: The linkage is there but it
17 becomes an issue as we start to prove the proof of
18 principle let's say. If we can demonstrate that here
19 is a single mineral and we could do the modeling
20 perfectly on it. Then we take the same mineral,
21 expose it in an iron solution and let's say we force
22 out ferrihydrite on that mineral. Now we start to
23 have a mixture of a substrate. Maybe it's quartz we
24 looked at with minimal amount of sorption. Now we add
25 an iron oxide component as a surface coating in a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 laboratory environment and if we could still predict
2 the surface complexations for that next level of
3 complication, then we have a building block to proceed
4 to maybe two or three minerals in the assemblage.

5 CHAIRMAN RYAN: It's a big maybe.

6 MR. CYGAN: It's a maybe but it hasn't
7 been tested yet. That's the hypothesis. Will it
8 perform at the same level taking monomineralic data,
9 combing them to a multiple soil mixture if you will.

10 CHAIRMAN RYAN: That's not really a
11 hypothesis.

12 MR. CYGAN: No, not in its true sense of
13 a hypothesis.

14 CHAIRMAN RYAN: That's again I strive to
15 get across. That's what's going to tell you whether
16 the research ultimately gets to the goal of really
17 enhancing performance assessment.

18 MR. CYGAN: But at this level, my point
19 that I'm stressing here is to do it right
20 statistically driven will involve a lot more work than
21 what we're proposing right now.

22 CHAIRMAN RYAN: Sure, and again an old
23 mentor of mine said, "All the easy stuff's been done
24 already." I hear you. It's a challenging problem but
25 it's one that I think you have to face if you want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have the utility that you're reaching for.

2 MR. CYGAN: The next level of complexity
3 on that sorption model would be to look at surface
4 protenation (PH), something I only alluded to earlier,
5 and that is if you're going to be talking about
6 surface complexes and you want to have the detail
7 needed to have these models be as general as possible,
8 there's an issue of what is the protenation state and
9 you could perhaps use these music or CD music models
10 that are out there that would add that level of
11 complication. But again, this is all at the very
12 fundamental level and it's a big step to go from that
13 into the application for PA.

14 There's certainly some clean-up work
15 related to Geoquimico. I already alluded to those in
16 the presentation earlier related to that software and
17 I think that Susan just emphasized the issue about
18 CMT. I think I'm going to leave it at this point.
19 Obviously, there's some philosophical concerns about
20 what's driving the research and setting up hypotheses.
21 I accept that as a concern.

22 But I think the bottom line of our
23 presentation this morning has really been emphasized
24 that there are a lot fundamental physics and chemistry
25 that go into these models that typically has been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ignored. If they are included and to generalize in
2 that way, we have a much more solid scientific basis
3 to predicting surface complexation and attenuation
4 perhaps to the point of intruding to performance
5 assessment codes. Do you want to open it up?

6 MEMBER WEINER: Are there any questions at
7 this point? Latif.

8 MR. HAMDAN: Randy, have you thought or
9 considered taking a study that used Kds for which you
10 have enough data and try to redo the study with that
11 surface complexation model and then not just one find,
12 not just one study, maybe two or three studies that
13 use Kds and see what kinds not necessarily to see
14 which one is better but if nothing else to generate
15 questions for you what it is that you want to pursue
16 in the future. It seems to me if you look at three or
17 four studies that use Kds and you applied your
18 operatives the way you like to approach it, you would
19 have some more meaningful questions as to where to go
20 from here.

21 MR. CYGAN: A great suggestion as how you
22 should go out comparing Kds and SCM. I would refer to
23 Jim Davis and what the USGS has done. They're pretty
24 much the field based part of our collaboration with
25 NRC support. Jim Davis has been doing that. I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when you hear the results of the Naturita study,
2 you'll be much more appreciative of the SCM versus Kd
3 duality.

4 It's very easy to generate a Kd from SCM
5 data. That's the baseline part of it. You can
6 extract that out. You could see the variation in
7 spacial and in temporal scales and they've done that
8 in a really nice study with Naturita. So the data are
9 there for the Naturita and that's what you'll hear
10 next month.

11 With the same concern, they've also
12 demonstrated that at the Cape Cod field test site and
13 comparing tracer tests for example where they
14 introduced tracer into the hole and into the well. So
15 they're able to do SCM modeling of some of the
16 tracers, either sorping tracer or non-sorping tracer,
17 and they've done the comparison of Kd and SCM.

18 So there are a couple issues that I'm
19 aware of. We personally are not the ones doing field
20 studies and so I can't really answer that outside of
21 referring to Jim Davis and their group.

22 MR. HAMDAN: The point I'm trying to make
23 is that one important purpose of modeling, when you do
24 a model, one of the most important purposes that's
25 often overlooked is choose the model to identify where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you want to spend your resources and you mentioned
2 that this work is not cheap. So if it's not cheap,
3 then the models are perfect for you to go and identify
4 where you want to spend your money, where you want to
5 spend your effort and use the case studies on Kds not
6 so much to compare the surface complexation with Kd
7 approach, not there, but in order to map for yourself
8 what kind of things that you need, where you should go
9 with your efforts.

10 MR. CYGAN: I agree. There are certainly
11 some weaknesses that we aren't even aware of yet when
12 we start to get into the applications especially a
13 complicated application. Once we start to do that, we
14 start to see where there are some pitfalls. That's
15 when we have to back up to this type of level and we
16 recognize that as being an ancillary or supportive
17 role to doing the performance assessment which is to
18 recognize where are the technical gaps. We can fill
19 in those gaps.

20 But I will back up a little bit. This is
21 an anecdotal story. The models are only as good as
22 the assumptions. We've always heard that one. But a
23 model has more than just the option being right or
24 wrong.

25 An electrochemical Nobel laureate once

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 said, "A model can be totally irrelevant." That's the
2 thing that we have to be careful of. We can't have a
3 model that we push for performance assessment that has
4 no bearing on the problem. It may give you a nice
5 answer. It may give you nice graphics. It might give
6 you nice, pretty pictures but it's totally
7 meaningless. I'm afraid that in some cases we have
8 pushed it to the point where it's meaningless data.

9 MR. HAMDAN: Thank you very much.

10 MEMBER WEINER: Bruce.

11 MR. MARSH: Why the fixation on Kds? I
12 know it's a very convenient thing to use and people
13 can get these results from various ways but why not go
14 for rate constants so that when you formulate a model
15 with differential equations and these things then can
16 be put in and they're much more predictive and much
17 more expansive in terms of the full regimes and doing
18 many other things with it? Plus if you set the model
19 up to begin with that has the right differential
20 equations then it tells you what you need to head
21 towards. I know you know these things and I'm just
22 wondering if that's in your future direction also.

23 MR. CYGAN: Actually you brought us right
24 back to the very beginning of our session this morning
25 because I was emphasizing in the very first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presentation this whole issue of being rigorous in the
2 thermodynamics and to set up the equations properly,
3 to use mass action laws, looking at equilibrium
4 constants that go well beyond the aqueous system, that
5 go into the substrate and the sorption process. So
6 that's definitely the whole background. I don't know
7 if you were here at the very beginning.

8 MR. MARSH: I wasn't.

9 MR. CYGAN: But certainly we recognize
10 that that is the advancement that we're pushing
11 towards. The application of the SCM is to base it on
12 that. We reference Kds here primarily as a reference.
13 The Kd has just been the norm in typical hydrology PA
14 codes and it's the simply way out to describe all the
15 chemistry.

16 We know pH, ionic strength, composition,
17 multiple substrates, the surface state of that
18 substrate are all critical issues that can actually be
19 addressed in very rigorous manner with the
20 thermodynamic tools that are out there and the
21 extensions of the thermodynamic tools. So I
22 appreciate you rallying around that point because that
23 is the main emphasis of our work. The Kd just happens
24 to be a point of reference for comparison for PA
25 codes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Just to move things along,
2 I think, Bill, you had a final statement. I'm sorry.
3 Go ahead and ask your question. Dr. Hinze, go ahead.
4 Okay. We defer.

5 MEMBER CLARKE: Just a quick question.

6 MEMBER WEINER: Well, you cut Bill off,
7 but go ahead if it's quick.

8 MEMBER CLARKE: Just very quickly here.
9 Are you planning any future workshops?

10 MEMBER WEINER: The question is invite us.
11 Let us come.

12 MR. CYGAN: Unfortunately, we didn't do a
13 good enough job advertising the last workshop. There
14 are a couple of representatives here from the NRC who
15 were there and I think some of the other people in the
16 audience. We have nothing planned. I don't know what
17 the state of the other MOUs are but those are annual
18 or biannual events and I'm sure surface complexation
19 modeling will be discussed, those MOUs, as part of the
20 working group meetings.

21 MEMBER WEINER: I might say that Bill and
22 Susan will be ready to answer any questions that you
23 pass to them by email or call them up or if we have
24 further questions. Bill, you had a final word.

25 MR. OTT: I have the NEA project.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Yes, the NEA project
2 review.

3 MR. OTT: I'm going to go a little bit
4 farther now and discuss the last thing that Jim Davis
5 was going to discuss, the NEA sorption project.
6 That's the OECD Nuclear Energy Agency. It's a project
7 that involved on the order of 16 organizations from 13
8 different countries and it has had two phases.

9 The first phase was basically do we think
10 we can do any better than Kds and the actual
11 observation remark to Bruce is that the problem is
12 that every PA model that I know of uses Kds. That's
13 primarily why the focus is trying to evolve from Kds
14 to something better. Kds is sort of the reference
15 where we are and we don't want to be and the question
16 is how do we get someplace better.

17 Anyway, the first phase decided to the
18 surprise of some of the participants and some of the
19 member countries who had placed a lot of effort in the
20 Kds and really didn't want to go away from it that
21 there had been considerable scientific development
22 over the previous 10 to 15 years since they started
23 doing it and perhaps they should be thinking about
24 doing something better.

25 The second phase of the project was to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually look at what's out there and do some
2 comparisons. So they did was they took these
3 participating countries and organizations, developed
4 a benchmarking study and the benchmarking study
5 involved six or seven technical cases that were
6 developed by a technical direction team. Jim Davis's
7 group at USGS was our modeling team but actually the
8 NEA asked him to come on board and actually head up
9 the technical direction team.

10 So this group selected test cases varying
11 from fairly complex information on Naturita to just
12 single mineral studies. The teams from these various
13 countries modeled these test cases. We had 16
14 modeling teams modeling seven different test cases.
15 You rapidly get a fairly large number of test case
16 analyses that this particular modeling project
17 undertook.

18 In the end, they published this
19 documentation which I've given the reference to Dick.
20 It's available through the NEA and unfortunately
21 they're very tight with the copies they put out.

22 In this particular document, the NEA
23 Sorption Project Phase II, Interpretation and
24 Prediction of Radionuclide Sorption on the Substrates
25 Relevant for Radioactive Waste Disposal Using

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Thermodynamic Sorption Models. I haven't read it
2 entirely myself. I glanced through it and read in
3 detail certain portions of it. It's a very good
4 summary of the state of the art of what can be done
5 and it's very interesting in attending the final
6 workshop and listening to the technical direction team
7 on what they did and didn't do.

8 One of the things they discussed and
9 didn't do was constrain the modeling teams because
10 they wanted to get a feel for how people out there how
11 adept they were at interpreting systems and applying
12 these thermodynamic sorption models. In the final
13 result, they found that they had a wide range of
14 response just because they didn't constrain it because
15 some of the teams actually came in trying to learn how
16 to do the process and came in from a fairly naive
17 perspective. All of this reflects on the results that
18 they published in here.

19 Now let me go to the actual slides
20 themselves that Jim provided. Some of these
21 background things I won't go through, I won't
22 emphasize a lot. The bottom bullet on this slide
23 "Nearly always management organizations use K_d in
24 their PA calculations."

25 Another aspect of this workshop that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just held over in Paris was that not only were the
2 participants in the sorption project present but they
3 also invited PA modelers from a number of the agencies
4 and they invited members of the IGSC which is the
5 Integrated Group for Safety Case which is a higher
6 level NEA committee which is looking at performance
7 assessment among the member nations in the whole. So
8 they had the PA modelers and the IGSC people there.

9 And later in the week there was an IGSC
10 meeting in which they discussed the results of the
11 sorption project. All of this stuff was coming
12 together and coming to a head. The question involved
13 was whether the NEA thought that they should continue
14 to do work in the area of sorption.

15 There's a general desire to have a
16 scientifically robust and defensible basis for these
17 geochemical calculations. They know that the old
18 constant Kd view is wrong, that Kd isn't constant,
19 that that fraction varies with chemical conditions,
20 with solution compositions, the nature of the amount
21 of solid materials, the wetted surfaces. They can
22 vary from point to point and Bill's observation about
23 what about all this fine structure in the geological
24 environment is well taken. I think we recognize that.

25 As a side comment, I wanted to refer back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the presentations you had last summer about model
2 extraction from the Agricultural Research Service in
3 which one of the basic questions we're trying to
4 address is what is the appropriate level of complexity
5 to employ in any given modeling situation. Maybe it's
6 isolated and it's just a short pathway within a larger
7 medium. So that question of what level of complexity
8 is one that we are addressing in another part of the
9 program.

10 The people that put together the sorption
11 project felt that confidence in Kd values used in Pa
12 would be improved. If we can show that there's a
13 basic understanding behind these Kds, behind the
14 values that are used, behind the way that those values
15 are derived. The observation that they're not
16 transferrable. If you just take the concept of Kd and
17 measure that at one location, it's not transferrable
18 to another location because the conditions are
19 different.

20 What Randy has done in terms of trying to
21 look at the basic mineral phase and the radionuclide
22 species, it should be transferrable. The question is
23 how low can we go and how can we build that into a
24 larger system.

25 I'd already mentioned this. Eighteen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 funding organizations, 13 member countries. Trying to
2 reduce uncertainty in Kd. Reduce increased confidence
3 in PA. This is the bottom line for all these NEA
4 countries. They want to increase in their performance
5 assessments. That's the only reason they're funding
6 this work and trying to improve this is to increase
7 the confidence in those PAs.

8 Hence we went into the intercomparison
9 exercise. This talks about the benchmarking exercise
10 which I've already told you about.

11 Now we're going to go basically into the
12 results. This is a large document but you'll see some
13 commonality between the results here and the results
14 that came out of the workshop that we had at Sandia.
15 And you have to realize this is focused only on
16 sorption. The Sandia workshop was focused on reactive
17 transport in general and only one of the breakout
18 session was focused on sorption. As Randy mentioned,
19 results of the other breakout sessions are available
20 on the website and will be available in the draft
21 NUREG when it gets published.

22 The key results from the Phase 2 report.
23 They feel that the robustness of the basic concepts
24 underlying thermodynamic sorption models represent
25 phasion (PH) of radionuclide Kds. They feel they have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a good demonstration in here that using a more
2 defensive and more scientific approach, using
3 thermodynamic sorption models they can reproduce
4 what's happening far better than you can with a
5 constant Kd and they showed this time and again in
6 test case after test case.

7 Another thing that came out of the
8 workshop was they thought they had in increased
9 awareness of critical issues and that improved
10 communication and scientific defenseability for these
11 models and between the modelers was very important.

12 As the Sandia workshop said, they think
13 that the establishment of model guidelines with
14 respect to thermodynamic sorption models for use in
15 the safety cases not only is needed. They think it's
16 now feasible. They feel that the conclusions that
17 they've reached and the general trends that they saw
18 in the application of thermodynamic sorption models to
19 all these test cases have real and significant
20 information that we could coalesce into a reasonable
21 guidance document on the use of these techniques at
22 the current state of the art. And that's the last
23 bullet.

24 This was generally with regard to the
25 range of test cases involved. Advanced modeling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 strategies are feasible with less complex materials
2 dominated by one or few defined minerals. The
3 generalized modeling strategies are suitable for
4 quantifying sorption characteristics of complex
5 materials. I'm not a geochemist. I'm not going to
6 try and explain those any better than that right now.
7 You can hit Jim with that when he comes in in
8 December.

9 Potential issues and actions for a
10 possible future program on TSMs for supporting --
11 These are identified needs that came out of this and
12 here we say it again. Developing guidelines for TSM
13 model development. That's model development for a
14 given application.

15 How do we address a specific application?
16 Ensuring model, physical and chemical reasonableness.
17 Proper quantification and assessment of errors and
18 uncertainties. Mike's issue. Upscaling criteria and
19 credibility. Moving from lab to reality. Bill's
20 issue of how we go to larger systems. This is
21 something that came out of the sorption project.

22 Here we go with education of PA modelers,
23 performance assessment modelers it should be, about
24 TSM application to relevant systems. I think you're
25 seeing that we're coming to a lot of the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conclusions and answering the questions that you
2 raised here. We see the same weaknesses you do and
3 the sorption project I think they're identifying to
4 NEA that we ought to support further work to do this.

5 MEMBER HINZE: I'm curious though. Randy
6 mentioned the organics. How much are you involved in
7 organics? Have you evaluated whether they're
8 important to study? Where do you stand in that?

9 MR. OTT: The work on the NEA sorption
10 project is looking only at radionuclide sorption.
11 It's not looking at any organics at all. To the
12 extent that the organics might be the source of carbon
13 in the system and the carbonate reactions, of course
14 it's important. There was much more in terms of
15 general organic stuff at the workshop in Sandia.

16 MEMBER HINZE: But this is not something
17 that you're focusing on.

18 MR. OTT: It's not a focus of this
19 particular project.

20 Possible actions here are actions that are
21 going to be proposed to the NEA. And it's a document
22 describing a strategy for development of TSM models
23 for a wide range of materials and chemical elements of
24 interest to PA written in a manner which facilitates
25 communication of use of TSM and supportive Kd in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safety cases.

2 This is again this issue of documentation.
3 We've begun to see some indication that our licensees
4 would like to use more advanced processes. We're also
5 seeing some indication that we don't know how to do
6 it. It's critical if we want to move forward and have
7 a more scientifically based use of these processes to
8 evaluate sites that we need to development somewhere
9 some kind of guidance on that.

10 We're working on trying to put together
11 something in-house, primarily an internal document for
12 internal guidance. We haven't gotten it thoroughly
13 scoped out yet and it's one of the things I want to
14 talk to Randy and some of the staff about this
15 afternoon.

16 But we would be hoping that if we do
17 something like this we might actually submit it to the
18 Working Group 3 of the MOU for other federal agency
19 interaction. If the NEA does come up with another
20 project to Phase 3, then we might provide it to them
21 as a starting point, a point of departure for this
22 more extensive document.

23 Unfortunately, it takes awhile to get
24 things started with the NEA. They'll come down and
25 ask somebody to write a proposal and the proposal will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 go back. The proposal get reviewed. It could be
2 anywhere from six months to a year before anything
3 else gets started. And we feel a need to at least
4 derive some benefit fairly soon from this work because
5 the indications are that there is enough there to get
6 some significant benefit right away.

7 Then the last bullet on here is a training
8 program about TSM application to relevant systems. So
9 the NEA is saying if we develop the document then we
10 ought to provide to NEA members training in the use of
11 the techniques.

12 MEMBER WEINER: Thank you very much. I'll
13 go around one more time. Bill, further questions?
14 Allen?

15 VICE CHAIRMAN CROFF: I think I will. I
16 think you maybe have implied this but I want to be
17 explicit on it. What I'm hearing from you is these
18 models in your opinion are ready for prime time. In
19 other words, they're practical for use by people out
20 in the field outside of a research setting.

21 MR. OTT: We've reached the point where in
22 cases they will be. This is a very complex subject
23 and sites differ very greatly in the amount of
24 information available on individual radionuclides, on
25 individual mineral species and how those species and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radionuclides and other chemical complexes interact is
2 highly variable. In other words, you may have
3 sufficient information at one site and not at another.

4 This is where, I hate to keep referring
5 back to Jim Davis's project and I wish he had been
6 here today. This is why the approach that has been
7 used in Naturita is fairly crucial. In being a semi-
8 empirical approach, it probably makes more use of
9 onsite data than you might use, say, 20 years from now
10 if you have an established database.

11 The other thing that was mentioned in here
12 by both Randy and by the NEA was the need for a
13 database. The databases that are out there now are
14 incomplete like you've mentioned this Zomback Morrell
15 is only for the ferrihydrite. That's not the only
16 substrate that we need to have the data for in order
17 to apply these models on a general basis.

18 The generalized composite approach that
19 Jim is using essentially tries to study a site and
20 come up with a set of basic reactions that
21 characterize that site and he'll arrive at those
22 reactions from characterizing the mineralogy of the
23 site and the basic water chemistry. What he'll do is
24 he'll look for those reactions that he feels will
25 dominate the system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Then he'll go back and he'll do a site
2 specific application of this work that essentially
3 fits a lot of the constants to that site and the
4 reason why it's a semi-empirical approach. It's not
5 the Kd which does the same thing because it includes
6 a lot of the actual reaction chemistry that's
7 involved. But it's also not the full-blown surface
8 complexation model that realizes on the complete
9 knowledge of the mineral substrates and the
10 contaminants. It's the in between approach that Latif
11 was talking about.

12 VICE CHAIRMAN CROFF: And you can write
13 down criteria defining which kinds of sites it should
14 be used for and which ones it shouldn't be used for.

15 MR. OTT: I think that based on the
16 information in the NEA report and the other work
17 that's been done by USGS and the Sandia we could
18 probably provide guidelines. I don't know if we could
19 come as far as criteria, but guidelines as to how to
20 approach a given site in any kind of given
21 environment.

22 VICE CHAIRMAN CROFF: Thank you.

23 MR. OTT: I think we're at a point where
24 we can do that.

25 MEMBER WEINER: Bill, a couple of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thoughts. One is I think the committee has applauded
2 your efforts in the past and I recognize now that
3 you're leveraging limited resources for this kind of
4 research by participating with other federal agencies
5 and internationally and I think that's something we
6 recognize as having great value and you're really
7 stretching your dollar and getting the most out of it
8 that you can. I think that's terrific.

9 The second is I'm really taken by this
10 exercise aspect. I'm reminded of years ago at Oak
11 Ridge. Mixed field dosimetry was magic for a long
12 time, neutron and gamma ray dosimetry, and I guess it
13 was 25 years or so that an international
14 intercomparison of dosimeters was actually conducted
15 every year at the Dose-R Reactor which was a burst
16 mixed field reactor.

17 It was fascinating to see those results
18 over time. It was kind of like you described your
19 results. There were new folks. It was kind of all
20 over the map but as that group routinely met every
21 year, they found the central tendency after awhile and
22 there was an awful lot of learning that went on by
23 seeing other folks' results.

24 That's a great activity I think because it
25 really gets you at the point where you can say I'm on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the center or I'm out here in left field with my model
2 whatever my model might be. So there are some really
3 good examples in the past where that kind of exercise
4 works. Is there any other activity on this NEA
5 sponsored activity to do this kind of intercomparison?

6 MR. OTT: This is the only one I know of
7 at the moment.

8 CHAIRMAN RYAN: Should there be an effort
9 among the federal agencies in the U.S. to do it a
10 little bit more provincially for the U.S.? You don't
11 have to answer it today but it's something to think
12 about. I guess I find that prospective pretty exciting
13 because it really is a way to sort out all of these
14 issues whether it's my uncertainty questions or some
15 of the other ones to really get down to the brass
16 tacks and begin to do it in a forum that's not a
17 licensee trying to meet a requirement. It's more of
18 an open forum to look at the issues on their own
19 merit.

20 MR. OTT: The interesting part of the NEA
21 exercise is that you have so many countries that have
22 waste management programs right now.

23 CHAIRMAN RYAN: Sure.

24 MR. OTT: And actually if you look
25 domestically, we don't have as many single-goal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 programs out there that might be interested in an
2 intensive benchmark study like this. Maybe we do.
3 There are a couple of agencies that are interested in
4 a couple of states but I don't know that we could
5 generate the same level of intensity that we had in
6 this particular project.

7 CHAIRMAN RYAN: But by the same token as
8 you pointed out, the NEA wheel turns a little slower
9 than it might here.

10 MR. OTT: We have found ourselves to be
11 something of a forcing function. We force the MOU and
12 we actually force the NEA a little bit here.

13 CHAIRMAN RYAN: If you can see strategies
14 along those lines that you think we could be helpful
15 on commenting on, we'd be happy to hear about it.

16 MR. OTT: An interesting aspect of this
17 that you remind me of is that because we had this
18 range of application expertise they also deduced a lot
19 of things about faults and ways that you can go wrong.
20 So there are all sorts of insights in this document
21 that I think could be transferred into guidelines that
22 would be very helpful.

23 CHAIRMAN RYAN: And again, I think those
24 intercomparison efforts you're multiplying your own
25 work by however many participants you have and it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 usually a pretty high return.

2 MR. OTT: I have to also give some other
3 credit. You haven't asked the question about how
4 we're transferring this work to NMSS or whether the
5 high level waste program is involved. One of the
6 modeling teams in the sorption project was from the
7 Center. We specifically invited NMSS to participate
8 in the project and they funded a modeling from the
9 Center. So they participated in the NEA sorption
10 project and they sent two people over to the final
11 workshop. Goody (PH) was there and Dave Turner.

12 MEMBER WEINER: Goodness. You answered
13 the question before I asked it. Jim, do you have
14 further questions?

15 MEMBER CLARKE: You mentioned that it's
16 considered to be feasible to develop model guidelines
17 for the TSM models. Is that work going forward? I
18 couldn't tell if that was.

19 MR. OTT: This was a conclusion that was
20 expressed at the workshop in Paris which occurred
21 about a month ago. As a matter of fact, it was Scott
22 Altman that was the one that actually came forward and
23 said that he felt that based on the summary report of
24 Phase 1 and Phase 2 it is now feasible to provide some
25 kind of general guidelines that would be helpful in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applying these models.

2 MEMBER CLARKE: Would those guidelines
3 also address the data you need to most effectively use
4 the model site characterization aspects of the models?

5 MR. OTT: Yes. It would have to address
6 all those aspects.

7 MEMBER WEINER: I just have a comment and
8 that is we have successfully used basic chemical
9 principles in PA and I encourage you not to give up
10 that focus. We did it for the waste isolation file
11 client and it's also been done in some of the PAs that
12 have been done for Yucca Mountain as well as other
13 sites. Looking at how one applies these very basic
14 principles to a PA, to the calculation of some
15 sorption model, I think is an effort that is certainly
16 worth completing and coming to some conclusions for.
17 I don't want to mess with that at all. Does anyone
18 else? Latif.

19 MR. HAMDAN: Really quick. If the
20 guidance and the database were to be developed, who
21 would developed them?

22 MR. OTT: The NEA right now is seriously
23 considering the database issue, the database that
24 Randy referred to before on the aqueous speciation
25 (PH) is an NEA database and if the IGSC and the other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 countries look at the evolution of the process and
2 feel that this is the way of the future, it seems to
3 be a forward looking enough organization that they
4 would consider doing that. That is not a trivial task
5 as I'm sure you know.

6 MEMBER WEINER: Other questions, anyone?
7 Hearing none, I'll turn the chair over to the
8 Chairman.

9 CHAIRMAN RYAN: Thanks, Ruth, and again,
10 thanks to all the presenters and the discussion this
11 morning. It's been real helpful and interesting and
12 as I said, all the easy problems have been solved
13 already. So on we go to the tougher ones. But I
14 think the fact you're leveraging the work with many
15 others on an international scale is really a fabulous
16 way to go about it. It will hopefully bring us
17 answers quicker rather than slower. So great job.

18 A couple of housekeeping items. Based on
19 the shift in schedule, we're going to take up some
20 letter writing directly after lunch. I'm going to
21 suggest we come back at 1:15 p.m. instead of 1:30 p.m.
22 and we'll start with the igneous activity if that
23 suits Professor Hinze, followed by Allen's letter on
24 the West Valley Performance Assessment.

25 We will then move on schedule to the Low-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Level Waste White Paper because we do have a
2 participant by telephone. So we have to maintain that
3 schedule. But we'll pick up whatever letter writing
4 doesn't get done after that short one hour or shorter
5 session on the White Paper.

6 MEMBER WEINER: You mean the SRP for
7 Allen.

8 CHAIRMAN RYAN: Yes. I'm sorry. So we'll
9 do those two letters that we have right after lunch
10 starting at 1:15 p.m. We will not need the record
11 until 3:00 p.m. when we have the session on the Low-
12 Level Waste White Paper and we'll proceed on from
13 there. So again, thank you all very much for your
14 participation. We'll see you at 1:15 p.m. Off the
15 record.

16 (Whereupon, at 12:05 p.m., the above-
17 entitled matter recessed to reconvene at 3:04 p.m.)
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 CHAIRMAN RYAN: On the record. Tell us
3 who we're tying in please sir. Is it Alan Pasternak?

4 MR. PASTERNAK: Yes.

5 CHAIRMAN RYAN: Yes, Alan Pasternak from
6 the CalRed Forum. Thank you.

7 (Discussion off record.)

8 CHAIRMAN RYAN: We're in open session and
9 we have a transcription going, Alan. So welcome and
10 Alan Pasternak from the Calred Forum is on the phone
11 and I think we have your participation duly noted.
12 Alan, I don't know if you have in front of you but
13 we'll be happy to fax it to you something that's on
14 the screen which is the outline of this Low-Level
15 Waste Paper. But before we get to that, I just
16 thought I'd make a few introductory comments and again
17 we'll have comments from participants as we might go
18 around. So if you need to say something, chime right
19 in. Okay?

20 MR. PASTERNAK: Okay.

21 CHAIRMAN RYAN: All right. Several
22 meeting ago, six months or so ago, we undertook to
23 think about the history of low-level waste and its
24 regulation and this is a first step and the step that
25 we're going to talk about today is the report.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Are you on a speaker, Alan?

2 MR. PASTERNAK: I'm sorry.

3 CHAIRMAN RYAN: Are you on a speaker
4 phone?

5 MR. PASTERNAK: No, I'm not.

6 CHAIRMAN RYAN: Okay. Because we're
7 getting just a little bit of static from you, but
8 we'll see how that goes.

9 We developed I hope what is an accurate
10 history of low-level waste regulation in the United
11 State. We decided on taking this tactic of being
12 fairly rigorous in trying to document the entire
13 history of how low-level waste has been regulated over
14 time and it's parts and pieces so that we can better
15 have insight into how the definitions that currently
16 exist in low-level waste spring forward into other
17 areas of waste regulation and even nuclear material
18 regulation.

19 Where we are in the report development
20 process is that we have a working draft that is
21 probably 98 percent or so along the way to completion.
22 I'm going to ask Mike Lee in a minute to talk a little
23 bit more about it. But as we finalize that draft and
24 just clean up all the little spots where we have to
25 get a reference and do a final editing check, we'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then make the report available as we report it to the
2 Commission. So that will be coming along.

3 In short, what we tried to do is cover
4 several parts. The first two parts are the low-level
5 waste program history and we started from the very
6 earliest days of the Atomic Energy Commission, talked
7 a little bit about ocean disposal, land disposal and
8 early performance issues and then a bit of the
9 Congressional history for 10 CFR 61, the Low-Level
10 Waste Policy Act of 1980, the Amendments Act of 1985
11 and in efforts, we've covered the issues of efforts to
12 cite new disposal sites in the United States and the
13 current program status.

14 The second part was to review the NRC low-
15 level waste regulatory framework from the development
16 of Part 61 including the basic questions of who should
17 be protected and what should the level of protection
18 be, some of the scoping activities that occurred in 10
19 CFR 61 including NUREG 0456 which was titled a
20 "Proposed Low-Level Waste Dose Assessment Model,"
21 NUREG/CR-1005 "Proposed Radioactive Waste
22 Classification System" onto NUREG 0782 "The Low-Level
23 Waste Draft Environmental Impact Statement." I think
24 it's interesting to note the Draft EIS is the one
25 where the intruder scenario is most explicitly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 described in terms of the doses that were assumed and
2 the various assumptions that went into the actual
3 scenario that I guess could be viewed as a bounding
4 case at least and maybe even an extreme bounding case
5 if you consider some of the details of how that
6 intruder had to conduct its life to be exposed,
7 including waste streams that were considered and of
8 course exposure pathways that were considered. All
9 that information we tried to summarize and in fact
10 document from these foundational documents.

11 The definitions of safety we've tried to
12 capture what EPA has said in regard to its
13 promulgation of generally-applicable standards, NRC
14 selection of a default low-level waste standard and
15 the Waste Classification System that came from the EIS
16 process into the final EIS and the regulations
17 subsequently. Then there, of course, are other
18 regulatory developments including guidance and
19 strategic planning.

20 Part 3 which is empty at the moment is
21 ACNW's observations and recommendations and I think
22 after we all have a chance to study the final
23 document, we'll be having an open session where we'll
24 talk about what our views and thoughts are on
25 observations and recommendations that may come from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this hopefully detailed and thorough study. Several
2 appendices will be included, a study of the structure
3 of 10 CFR 61, the final Commission policy statement on
4 the use of PRA methods in nuclear regulatory
5 Activities, the regulatory evolution of the definition
6 of low-level waste and then a summary of the past ACNW
7 advice and recommendations in our previous letters in
8 the area of low-level waste.

9 Again our goal is to try and produce a
10 comprehensive package of information in one place so
11 that any discussion of low-level waste from this point
12 forward will be on the same footing for anybody that
13 reads this document.

14 We have one table also attached for
15 everybody's consideration today and that is the
16 potential candidate areas where we could think about
17 how could 10 CFR 61 be improved. This was taken from
18 Attachment B of an NRC 1993 analysis on that topic.
19 So this tells you what the NRC at least was thinking
20 some 12 years ago or so and there's a list of those.
21 I won't go through each one but such issues as active
22 maintenance, performance objectives, technical
23 requirements for land disposal facilities, sites
24 suitability requirements, environmental monitoring,
25 land ownership, institutional control period, waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 classification and characterization, retrieveability
2 option, groundwater protection requirements were all
3 things that were considered at that time.

4 Again, I think the overarching view is
5 that we tried to not necessarily interpret anything
6 but rather not interpret things at this point and get
7 a very accurate, complete factual history down about
8 where low-level waste has been in the last 45 years or
9 so. Mike, anything to add?

10 MR. LEE: No, Dr. Ryan. That was very
11 comprehensive. What I did is like Dr. Ryan said, we
12 tried to at least in the first round of writing just
13 present in essence a literature review just stating
14 the facts of what was done and why. We tried to
15 reference it as extensively as we could to make our
16 sources of information transparent. There's still a
17 little bit of bird-dogging on some references and a
18 little bit of writing here and there to do.

19 I'd like to clean up Section 7.1 a little
20 bit. I'm not happy with how my first crack at the
21 writing went on that and Appendix C, the regulatory
22 evolution of the low-level waste definition, still has
23 to be hammered out, but I don't think that's a
24 substantial effort. Former alumnus Howard Larson has
25 been tasked to go ahead and develop a draft of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Appendix D which is a summary of the past 19 letters
2 the ACNW wrote.

3 CHAIRMAN RYAN: Just for those who don't
4 know what a former alumnus might mean, you might
5 explain how it's a former job and that we've retained
6 him as a consultant.

7 MR. LEE: Sure. Howard's a former support
8 staffer with the ACNW. He recently retired and has
9 come back, has been rehired. So that's really about
10 it, I guess. What I did do though is we put together
11 a table which Dr. Ryan alluded to which is Table 14
12 and this was an earlier analysis that the staff did in
13 1993 that identified potential areas for consideration
14 of revising the regulations.

15 The one recommendation I didn't include in
16 here which is addressed in the text of course was a
17 recommendation to go with a risk-based performance
18 type of standard with just performance goals and no
19 technical requirements per se. That's covered in the
20 writing here.

21 CHAIRMAN RYAN: So with that introduction
22 said, I think the steps that will occur from this
23 point is we'll report this summary to the Commission
24 and then of course, we'll finalize it as a public
25 document concurrent with that submittal. I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we'll be in a phase then of welcoming any and all
2 comments on this history to make sure that we haven't
3 missed anything or misrepresented any particular
4 detail or that we have everybody's views on what the
5 history actually is and we get all those facts right.
6 Then I think the Committee will begin its deliberation
7 and again those will be in open sessions to consider
8 views, inputs or other opportunities to get views on
9 what should change, should it change and how should it
10 change to perhaps improve the process or the
11 definitions of the regulation of low-level waste.

12 One item I just might mention as a view
13 that developed yesterday in our session is that we
14 heard that the plan for 10 CFR 63 is that the worker
15 dosimetry will use more modern ICRP dose factors and
16 waiting factors in particular. That would be
17 different than what's in 10 CFR 20 and I note that the
18 dose basis for what's in 61 is also different. That
19 relies on ICRP-2.

20 Instead of having two foundations from
21 ICRP, one from 1959, that is the ICRP-2, we would end
22 up with three. Depending on where the worker worked,
23 you would end up with three different views of -- Not
24 where the worker worked. Where the dose is calculated
25 for a member of public for low-level waste and workers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for Part 20 regulated facilities and then for Part 63
2 at least that prospective dose would be different.

3 So that's just one area where it's worth
4 thinking about. Is there an issue there? Should
5 something be changed? Is it okay the way it is? I
6 think that's just a small indicator of the kind of
7 things we'll be thinking about. Comments? Questions?
8 Jim? Anything? Ruth?

9 MEMBER WEINER: Does the title of Table --
10 Are we on the record?

11 CHAIRMAN RYAN: Yes, we are.

12 MEMBER WEINER: Does the title of Table 14
13 Potential Candidate Areas to Amend in 10 CFR 61, does
14 that imply that we may be considering recommending
15 changes to the rule itself?

16 CHAIRMAN RYAN: No, that is what was
17 considered in 1993. That does not reflect anything
18 that we're considering. That was taking from a
19 reference. So thanks for clarifying that.

20 MR. LEE: Right, and I've included that
21 source document in the little blue folder I gave you
22 there. So if you go to Appendix B of the '93 memo
23 from the staff to the Commission you can see exactly
24 what the staff wrote.

25 CHAIRMAN RYAN: And again, I want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recognize and thank Mike Lee and Sharon Steele for
2 both their efforts on pulling this document together.
3 Sharon did some of the early ground work in pulling
4 the huge chunks and parts and pieces together and
5 Mike's done a lot of the writing to organize it and I
6 appreciate both of your efforts. It's an effort well
7 done. Any other questions, Ruth?

8 MEMBER WEINER: No, that was my question
9 right now.

10 CHAIRMAN RYAN: Allen.

11 VICE CHAIRMAN CROFF: No.

12 CHAIRMAN RYAN: Bill?

13 MEMBER HINZE: A couple. What's our
14 timeline on this?

15 CHAIRMAN RYAN: Correct me if I'm wrong
16 but I believe we'll probably be turning it in December
17 31st, by December 31st. So I think we'll finalizing
18 it probably at our meeting next month.

19 MEMBER HINZE: The second question is
20 where do we stand here with a discussion of time of
21 compliance in low-level waste.

22 MR. LEE: In Appendix D, Howard was going
23 to go ahead and take a crack at organizing the 19 or
24 so letters. You recall that previously we compiled a
25 list of all ACNW letters and in all the areas --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: I wrote it. Right.

2 MR. LEE: -- we tried to organize them by
3 topics.

4 MEMBER HINZE: But it's more than that.
5 It's more than the ACNW's views. It's the background
6 in the whole area of time of compliance. Isn't there
7 a role here?

8 CHAIRMAN RYAN: In the '61 regulation
9 itself, there's a very limited bit on time of
10 compliance. It's not a topic that's taken up even by
11 that title or subject.

12 MEMBER HINZE: But it's there and it's an
13 important element.

14 CHAIRMAN RYAN: It is there subsequent to
15 the regulation. So the letter is as probably as good
16 of a history of it is as there is. Now should we look
17 for some more? Absolutely. We'll take that up.

18 MEMBER HINZE: And I guess my concern was
19 that I don't believe that should be relegated to an
20 appendix.

21 MR. LEE: Just for a little background, do
22 you recall that in the mid '90s and maybe '96 the
23 Commission issued its Commission paper on its six
24 performance assessment related issues, one of which
25 was how long the PA should be conducted for a low-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 level waste facility? That's included in the body of
2 the text but the intent wasn't to give short-trip to
3 the past Committee advice. We can work that in as a
4 --

5 CHAIRMAN RYAN: Yes, I think just for
6 convenience the letters will all be in the appendix.
7 Then the discussion of it will be in a section in the
8 body of the text.

9 MEMBER HINZE: Sure. And that's all that
10 I would like to see.

11 CHAIRMAN RYAN: Fair enough.

12 MR. LEE: We've been moving fast.

13 CHAIRMAN RYAN: Again, we have a number,
14 I think, folks in the audience who are interested
15 participants in low-level waste activities in one way
16 or another. If there are any other comments, we'd be
17 happy to have those at this point and the brief
18 summary of previous thoughts is available through Mike
19 Lee and I think we have copies for folks. You're
20 shaking your head no. It's not available or you have
21 nothing to add.

22 So at this point, that's probably where we
23 stand and I just wanted to give everybody an initial
24 view of how this is shaping up and what the outline of
25 the report looks like and we're going to go on from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there.

2 MR. PASTERNAK: Dr. Ryan, this is Alan
3 Pasternak. Is this an appropriate time to jump in?

4 CHAIRMAN RYAN: Yes, please sir.

5 MR. PASTERNAK: I just want to express a
6 point of view of organizations that use radioactive
7 materials. What is needed in the low-level waste area
8 and urgently needed is access to more disposal
9 facilities. From our point of view, there is no
10 crisis or urgency with respect to the regulations
11 themselves. They've been on the books now since about
12 1982 and they appear to be working well. 10 CFR 61
13 appears to be working well.

14 The problem as I'm sure you know is loss
15 of access for disposal of B & C waste by organizations
16 that use radioactive materials in 34 to 36 states and
17 that will come about July 1, 2008 and also the
18 prospective that as of the same date, there will only
19 be one facility in the country to which these same
20 organizations can dispose of their Class A waste. So
21 you have monopoly control.

22 I was glad to hear your response to Dr.
23 Weiner's question that you're not planning a revision
24 to the regulations. We think such a revision would
25 only delay solutions to the current impasse.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I would respectfully refer the committee
2 to several statements on the record. One is the
3 comments of the Nuclear Regulatory Commission itself
4 on the June 2004 report of the Government
5 Accountability Office to the Senate Energy and Natural
6 Resources Committee in which the Commission calls for
7 some changes in the national framework in the interest
8 of providing assurance of disposal availability to
9 organizations that use radioactive materials,
10 assurance and stability in the framework.

11 Then there is also a position statement of
12 the American Nuclear Society and more recently some
13 very strong position statements by the Health Physics
14 Society. I hope that these are reflected in the
15 ACNW's report because these all point to the critical
16 issues with respect to low-level radioactive waste
17 disposal.

18 I don't know. Is the current draft
19 available to the public?

20 CHAIRMAN RYAN: It is not yet because
21 we're still in the final writing stages. But in the
22 spirit of wanting to be open and forward in our
23 thinking here in this forum at the ACNW, we wanted to
24 go through the outline that we had to-date and I might
25 just ask if you could scroll down past Section 7.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mainly the focus was to get all the regulatory issues
2 correct. Alan, you've raised a really interesting
3 point and I think there are sources of information
4 that are contemporary at least across recent times and
5 us thinking about and studying position papers and the
6 GAO report and Commission comments on that report is
7 an excellent suggestion and we'll certainly add those.

8 If you have other suggestions on those
9 kinds of related documents, we'd be pleased to make
10 sure that we give those full consideration in our
11 deliberations as well. So that's a great suggestion.
12 Thanks. I think we're all aware of them but including
13 them formally is a very good idea.

14 MR. PASTERNAK: Yes, and again in the area
15 of low-level waste disposal we think the crucial issue
16 that the ACNW hopefully will focus on is the need for
17 access to more disposal facilities and disposal
18 options for all of those organizations, governmental,
19 private, commercial that use radioactive materials.

20 CHAIRMAN RYAN: I think at least my view
21 is that we certainly can be mindful of your thoughts
22 and interests in that area. But again, I don't think
23 we have the power or authority to make specific steps
24 toward those goals. But we certainly can understand
25 your perspectives and ideas on them, your views toward

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those goals. Again, I appreciate your input and
2 suggestions. Mike, you had a comment.

3 MR. LEE: Yes. The GAO report in question
4 has been referenced in the report.

5 CHAIRMAN RYAN: Right.

6 MR. LEE: We can certainly go back and see
7 what we had to say about it. If Mr. Pasternak has any
8 recommendations on stakeholder views or organizations
9 we could reference that had public views.

10 CHAIRMAN RYAN: I think there are two, the
11 ANS and the HPS statements are public.

12 MR. LEE: Okay.

13 MR. PASTERNAK: Yes. There are others.
14 There's a Council on Radiopharmaceuticals and
15 Radionuclides. There is a more recent GAO report
16 issued in September of this year, GAO 05967 on Sealed
17 Sources and that also has some interesting comments on
18 a possible role for the Department of Energy.

19 CHAIRMAN RYAN: Again, any other society
20 or professional organization position papers that
21 might become available, we'd sure be happy to be
22 informed about those. It leads me to think as well,
23 and I'm thinking out loud here for the moment, but we
24 ought to understand if there's anything that the CRCPD
25 or the Organization of Agreement States has commented

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on or has a position on in this area. I don't know
2 that they do but I'm just trying to check that box as
3 well.

4 MR. PASTERNAK: Okay.

5 CHAIRMAN RYAN: Anything else? Alan, you
6 have the floor still.

7 MR. PASTERNAK: No, I think I've said what
8 I wanted to say. Thank you very much.

9 CHAIRMAN RYAN: All right. Thank you and
10 unless there are other comments. Yes, we have two.
11 Would you please speak in the microphone and identify
12 yourself and your organization?

13 MR. LIEBERMAN: Jim Lieberman. I'm here
14 representing myself. Are you going to consider
15 international developments, IAEA documents, that talk
16 about different types of waste systems?

17 CHAIRMAN RYAN: Jim that's a good
18 question. I guess in my own thinking we had sort of
19 touched on it. But the framework of some of the
20 international systems is a lot different because they
21 have high-level, intermediate-level and low-level and
22 the scheme doesn't line up. So we would be kind of in
23 a constant translation scheme. So while I think some
24 of the general documents, for example you mentioned
25 the IAEA ones, are certainly instructive and I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have some good science and good things to think about,
2 I think they tend to be general enough to where I
3 don't know that they would add a whole of lot guidance
4 to this much more specific evaluation.

5 If there's something that you could
6 identify that's very specific that you think does have
7 particular value to this agenda and our table of
8 contents in the subsequent report, we'd be happy to
9 have a comment in that regard that this IAEA report or
10 NEA report or some other report had particular value.
11 We'd be happy to think about that.

12 MR. LIEBERMAN: I recognize what you're
13 saying, Dr. Ryan, but I was thinking one general point
14 you might make is the fact that in the international
15 community they're looking at the different levels of
16 classification very low-level waste, intermediate and
17 the fact that they have different categorizations with
18 different regulatory standards applicable to those
19 different classification might be a fact to recognize
20 that could form a basis for future recommendations.

21 CHAIRMAN RYAN: Yes, and again, that's not
22 unlike the effort that's on hiatus at the moment here
23 in the U.S., the disposition of solid material
24 activities. So I agree and I don't discount your
25 point that there are some interesting schemes and in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a particular country seem to offer some thoughts and
2 things to think about but again the translation part
3 gets a little tough.

4 MR. LIEBERMAN: Thank you.

5 CHAIRMAN RYAN: Okay. Than you. But
6 again, we'll certainly consider those things as they
7 come to our attention. In fact, the Committee in May
8 visited Japan and had some rather detailed briefings
9 from the National Safety Committee I believe it's
10 called equivalent to the Commission and we have a trip
11 report summarizing that information that's available
12 to the public.

13 Yes. Next sir please.

14 MR. LOVINGER: I'm Todd Lovinger, the
15 Executive Director of the Low-Level Waste Forum, and
16 the Forum as most of you are probably aware, members
17 of the Forum are comprised of the governors appointees
18 for the states as well as the appointees from the
19 compact commissions. At our meeting in September, the
20 Forum passed a Discussion of Issues document. It is
21 not intended to be a position statement, but it is
22 intended to be an outline of this issue and to discuss
23 both some of the benefits and drawbacks of the current
24 system as well as what some of the benefits and
25 drawbacks are to alternative approaches that have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussed and recommended. I would encourage you to
2 look at that also. We provided copies I know to both
3 yourself and to Sharon.

4 CHAIRMAN RYAN: Great. We appreciate your
5 mentioning that for the record and that again is a
6 good forum of folks involved in this industry in this
7 area and we appreciate you making that available to
8 us. Thank you. Anything else at the moment?

9 MR. HAMDAN: Can I say something?

10 CHAIRMAN RYAN: Please Latif. Yes.

11 MR. HAMDAN: Just because all you have is
12 two months and you want to submit this by December and
13 I noticed that Part 3 is still blank. You haven't
14 said anything about the recommendations. You may want
15 to start thinking about the nature and scope of what
16 the committee recommendations might be, what you might
17 include and what you might not want to include early
18 on so that it helps the process, the efficiency of
19 finishing the report.

20 CHAIRMAN RYAN: I agree. Thank you. So
21 we're going to work hard in the next month is what
22 you're saying. Thanks for keeping us right on the
23 center line, Latif. That's fabulous. I agree and I
24 think once the committee digests the draft and we
25 finalize the report, we'll be prepared at the December

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meeting to consider that kind of summary of issues and
2 again, I don't think we'll necessarily offer solutions
3 but perhaps identify issues, opportunities,
4 challenges, that we see from this study and this
5 analysis and from the other input that we get from
6 other forums and so forth. Mike.

7 MR. LEE: This hasn't gone through any
8 grammarian or technical editors. So what you see is
9 --

10 CHAIRMAN RYAN: Any and all comments are
11 welcome. No backing off, Mike.

12 MR. LEE: Nothing rhetorical.

13 CHAIRMAN RYAN: Again, I appreciate
14 everybody's participation. This is a relatively short
15 session. But in the interest of being fair and open
16 and we wanted to get this out and get it on the record
17 that we have this activity underway and we'll be
18 reporting this out next month and to the Commission
19 shortly thereafter, we welcome any and all input. Any
20 other questions?

21 MR. FLACK: Just one more, Mike.

22 CHAIRMAN RYAN: Yes, please. John Flack.

23 MR. FLACK: This is John Flack, ACNW
24 Staff. I guess from what I heard is that Part 61 is
25 not broken. So then it must be in the implementation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of Part 61 that the issue arises as to why we don't
2 have access to these sites. So it would be in that
3 context that the recommendations would be make. Is
4 that right?

5 CHAIRMAN RYAN: No, I don't think that's
6 necessarily so. I think there are lots of levels of
7 issues. For example, and this is a very practical
8 one, very small quantity sealed sources like
9 strontium-90 eye application that eye doctors use and
10 so forth, by calculation of the sources itself and
11 again correct me if I'm wrong, Alan, can actually be
12 "greater than Class C on a concentration basis" and
13 there are other sources in that category.

14 But when you look at the absolute amount
15 of radioactivity, it's trivial compared to what's
16 disposed on a routine basis at a low-level waste site.
17 So in certain states with certain licenses for
18 facilities, those accommodations have been made for
19 robust packaging for those sealed sources and they're
20 deemed to be appropriate for low-level waste disposal.
21 It's things of that sort that are kind of practical
22 ones. That's a problem solved.

23 MR. FLACK: But you wouldn't have to go
24 back to rulemaking to solve that problem.

25 CHAIRMAN RYAN: Again, I want to be very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 careful here. I don't think we're even suggesting
2 that at this point. We're studying the question. I
3 don't know what will come out of it. This isn't a
4 study aimed at supporting a position. This is a study
5 of where things are.

6 So at this point, we're not at the step,
7 at least, in my view of saying how you would fix
8 something. Let's figure out what, if anything, is on
9 the to-fix list and what might not be. So once we get
10 that step done and have input and hear expressions and
11 views on that aspect of it, then we can make the next
12 step. But I think I want to be cautious and careful
13 not to jump ahead to some solution that may or may not
14 be appropriate, helpful or needed. So we're taking
15 this in a careful step wise fashion.

16 Other questions or comments? With that,
17 Alan, I think we will close this part of our meeting.
18 We appreciate your participation from the other coast.

19 MR. PASTERNAK: Thank you very much.

20 CHAIRMAN RYAN: And we'll certainly take
21 your suggestions carefully under advisement and look
22 forward to your future participation.

23 MR. PASTERNAK: Thank you very much. I
24 appreciate it.

25 CHAIRMAN RYAN: Thank you. Any other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions or comments? With that, I think we'll close
2 this part of the meeting and we'll get back to our
3 letter writing. I appreciate everybody's attendance
4 and participating and we'll close the record and go
5 back to letter writing. Off the record.

6 (Whereupon, at 3:36 p.m., the above-
7 entitled matter was concluded.)
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25