

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY**  
**COMMISSION**

Title:                   Advisory Committee on Nuclear Waste  
                              171st Meeting

Docket Number:   (not applicable)

Location:            Rockville, Maryland

Date:                 Tuesday, June 6, 2006

Work Order No.:    NRC-1074

Pages 1-157

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE (ACNW)

171st MEETING

+ + + + +

TUESDAY

JUNE 6, 2006

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met in Room T2B3 of the U.S. Nuclear Regulatory Commission, Two White Flint North, 11545 Rockville Pike, Rockville, Maryland, at 1:00 p.m., Michael T. Ryan, Chairman, presiding.

PRESENT:

- MICHAEL T. RYAN            Chairman
- ALLEN G. CROFF            Vice Chairman
- WILLIAM J. HINZE         Member
- RUTH F. WEINER          Member

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

<u>AGENDA ITEM</u>	<u>PAGE</u>
Opening Remarks by the ACNW Chairman . . . . .	3
Overview of Commercial Spent Nuclear Fuel Reprocessing . . . . .	6
NRC's Spent Nuclear Fuel Reprocessing Regulation . . . . .	91
Adjourn	

## P R O C E E D I N G S

(1:03 p.m.)

CHAIRMAN RYAN: All right. Let's come to order please.

This is the first day of the 171st meeting of the Advisory Committee on Nuclear Waste. My name is Michael Ryan, Chairman of the ACNW.

The other members of the Committee present are Vice Chairman Allen Croff, Ruth Weiner, James Clarke is out sick for this meeting. He will be joining us next month as scheduled, and William Hinze is here.

We also have an Emeritus member of the Committee in the audience who is going to give a presentation, Dr. Ray Wymer. Welcome, Ray, thanks for being with us again.

During today's meeting the Committee will be briefed by Dr. Wymer on the theory and technology used in the past for reprocessing of spent nuclear fuel.

We will be updated by the NRC staff on the implications of a Department of Energy Nuclear Fuel Recycling Program through NRC's regulations concerning the licensing of spent nuclear fuel recycling facilities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We will be briefed by the NRC staff on  
2 potential changes to the regulatory process that may  
3 be needed to accommodate spent fuel nuclear  
4 reprocessing.

5           And we will discuss the proposed white  
6 paper on the subject of reprocessing we hear about  
7 today.

8           John Flack is the Designated Federal  
9 Official for today's session.

10           This meeting is being conducted in  
11 accordance of the provisions of the Federal Advisory  
12 Committee Act.

13           We have received no written comments or  
14 requests for time to make oral statements from members  
15 of the public regarding today's session. Should  
16 anyone wish to address the Committee, please make your  
17 wishes known to one of the Committee staff.

18           It is requested that speakers use one of  
19 the microphones, identify themselves, and speak with  
20 sufficient clarity and volume so they can be readily  
21 heard.

22           It is also requested if you have cell  
23 phones or pages that you kindly turn them off.

24           Is Dr. Thadani coming? Or is he going to  
25 be joining us later? Okay, I'll just announce for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 everybody and we will make comment when Dr. Thadani  
2 joins us. He is coming up the hall, okay. Oh, thank  
3 you.

4 Ashok, we have come to the point in the  
5 agenda where we wanted to recognize formally for the  
6 record that this is your last Advisory Committee on  
7 Nuclear Waste meeting. We are thrilled that you are  
8 moving into a new phase of your life and career and  
9 retirement, semi-retirement, or travel and work as you  
10 see fit rather than as you are asked to come in.

11 We certainly want to recognize and  
12 appreciate your counsel and insights that you have  
13 offered to this Committee in the time you have been  
14 with us. It really has been helpful.

15 We have expanded into areas where we drew  
16 heavily on your expertise. And we really appreciate  
17 the effort that you put forward along with John Flack,  
18 I might add, to advise and educate the Committee on  
19 risk-informed approaches from the reactor side of the  
20 house. I think it has enriched our offering to the  
21 Commission and the advice we have given them.

22 And we certainly want to recognize for the  
23 record and tell you we very much appreciate all the  
24 hard work you have put in with us and for us and on  
25 our behalf.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   So we wish you all the very best. And  
2 thank you very much for being with us.

3                   Now we'll get to work on today's session.  
4 All right. Thank you. Thank you very much.

5                   (Applause.)

6                   CHAIRMAN RYAN: All right. And at this  
7 point, if you want to make any comments, please feel  
8 free.

9                   MR. THADANI: The only comment is yes to  
10 everything you said. Semi-retirement, little bit of  
11 this, little bit of that.

12                  CHAIRMAN RYAN: Well good for you. That's  
13 great. May you enjoy it and do well.

14                  Let me turn over today's technical session  
15 to Allen Croff, Vice Chair, who is going to lead us in  
16 the afternoon sessions. Allen?

17                  VICE CHAIRMAN CROFF: Thank you, Mike.

18                  By way of introduction of both this  
19 afternoon's session and something that is going to go  
20 on into the future, today we are going to hear from  
21 first Dr. Ray Wymer on the historical technical  
22 aspects of reprocessing. And then we will hear from  
23 NMSS staff on regulations concerning the licensing of  
24 reprocessing and recycle facilities.

25                  Again, mostly a status in what is and a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 little bit about what might be. That will lead up to  
2 the end of the afternoon where we will talk some about  
3 a proposed white paper that we would like to have  
4 developed during the summer that will be more forward  
5 looking in a technical sense.

6 That is to try to understand what the  
7 Department of Energy is planning or pursuing in terms  
8 of recycle, the technology of it as fodder for our  
9 deliberations sometime near the end of the summer or  
10 the early fall in preparing some advice for the  
11 Commission.

12 We also hope to hear from the Department  
13 sometime during the summer but we are still trying to  
14 schedule that. That is the rough plan forward but  
15 today is sort of a historical tutorial background-kind  
16 of an afternoon.

17 With that, our first speaker is Dr. Ray  
18 Wymer. A brief bio, Ray was at Oak Ridge National  
19 Laboratory for nearly 40 years, ending up as Division  
20 Director in the Chemical Technology Division, which  
21 had a lot to do with developing reprocessing in this  
22 country. He is also a former member of this  
23 Committee.

24 With that, welcome back, Ray. The floor  
25 is yours.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WYMER: Thanks, Allen. It is good to  
2 see familiar faces out there after I have been away  
3 three years.

4 CHAIRMAN RYAN: You can use the lapel mike  
5 if you would rather stand and work that way.

6 DR. WYMER: Okay. Can you hear me okay  
7 now?

8 PARTICIPANT: Just fine.

9 DR. WYMER: Okay.

10 PARTICIPANT: Is it all right with the  
11 reporter?

12 DR. WYMER: Okay? Thank you.

13 It was three years ago that I retired from  
14 this Committee. And I'm happy to say that all of you  
15 look the same that I remember seeing when I was here  
16 before. I've aged a little.

17 This talk today is one that I initiated  
18 many years ago at Oak Ridge National Laboratory and  
19 gave it for a lot of years in connection with trying  
20 to inform people who were largely from the Department  
21 of State, CIA, AEC at that time, later on DOE.

22 And the idea was to give these people an  
23 idea of what reprocessing is so when they went out  
24 into the field or tried to do their work back here in  
25 the states, that they at least had heard the language

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a little bit and understood some of the words.

2 They were certainly not experts and you  
3 are not going to be experts, if you aren't already,  
4 after you hear my talk today. That is, to give an  
5 elementary, a very elementary discussion of the  
6 nuclear fuel cycle reprocessing in particular.

7 Allen Croff picked up after I quit. He  
8 could give this talk just about as well as I could, I  
9 think. Maybe better. He improved on it and I picked  
10 up on his improvements and that is what you are going  
11 to see today -- my early work plus what he added to it  
12 over the years. Plus maybe one or two other things  
13 that I have added since.

14 I should say that I am anticipating that  
15 I am giving this talk to people who really are novices  
16 in the field, who are very bright, but who have not  
17 necessarily been exposed to this particular branch of  
18 knowledge.

19 If you don't fall in that category -- I  
20 know some of you don't -- if you are a lot better  
21 informed than that, why the door is back there. We  
22 will be taking names as you go out.

23 Anyway, we will start off here. I'm going  
24 to try to give you, as it says here, a historical  
25 overview. Very simply, why should you reprocess?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Well, there are several reasons. Possibly  
2 not all of them are listed here. One is there are  
3 valuable things left in the spent fuel despite the  
4 fact that we may be storing it in Yucca Mountain.  
5 There are valuable materials to be found in the  
6 nuclear reactor fuel.

7 Another reason to reprocess, it has been  
8 in the past, to obtain fissile material for military  
9 use. Of course the reprocessing plant at Idaho Falls  
10 is closed so we are not reprocessing out there  
11 recycled material.

12 One of the important ones and one that is  
13 important for the future is in connection with the  
14 Global Nuclear Energy Partnership and that is to  
15 reduce the amount of waste that is stored in the high-  
16 level waste repository proposed, as I recall the NRC  
17 is very careful in all of its writings to refer to the  
18 Yucca Mountain Repository as the proposed Yucca  
19 Mountain Repository.

20 And by reprocessing and recovering the  
21 waste materials from the spent fuel, you greatly  
22 reduce the volume required to be stored in Yucca  
23 Mountain because the PWR are 12 feet long and, you  
24 know, about eight or ten inches across square. And so  
25 you reduce the volume and also you can take out the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 good fissile material.

2 And if you go farther into the future,  
3 into the Global Nuclear Energy Partnership scheme if  
4 that gets off the ground and really flourishes, then  
5 also you will be taking out some of the heat producing  
6 elements which also are space limiters, as you know,  
7 in Yucca Mountain.

8 And finally, if you reprocess you don't  
9 have to store or dispose of the fissile material.

10 This is a very limited list of the kinds  
11 of fuels there are out there. But these are principle  
12 U.S.-type fuels, past, present, and future. Light  
13 Water Reactor fuel is reprocessed overseas but, as you  
14 all know, not in the United States anymore. And it  
15 really never was although it almost was.

16 And there are two kinds of fuels that are  
17 present in large amounts, the light water pressurized  
18 water reactor and light water boiling water reactor  
19 fuels. And, of course, the Fast Breeder Reactor,  
20 there is reprocessing going on overseas. We never  
21 really got to reprocessing here in this country except  
22 for the little bit of reprocessing on EBR-II fuel out  
23 at Idaho Falls.

24 And the HTGR fuel, there is no  
25 reprocessing anywhere. And that is a tough fuel. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 worked about ten years on that at Oak Ridge National  
2 Laboratory. And that is a pretty tough row to hoe, to  
3 reprocess HTGR fuels.

4 But they are being considered actively now  
5 again after quite a hiatus as a potential new power-  
6 producing reactor fuel. They go to very high burn  
7 ups. They operate at very high temperatures.

8 The advantage of that, of course, is  
9 several fold. Not only do you get a lot greater  
10 thermal dynamic efficiency by operating at a higher  
11 temperature, you get closer to 40 percent efficiency  
12 instead of about 30 percent efficiency, which is about  
13 a 30 percent increase or more in utilization of the  
14 heat produced.

15 And at these high temperatures, with high  
16 temperature gas cooled reactors you are processing.  
17 A great many industrial reactors require high  
18 temperatures for various kinds of chemical processes  
19 and other kinds of industrial processes. And  
20 currently you need these kinds of temperatures if you  
21 are going to go into a hydrogen economy and produce  
22 hydrogen thermochemically, which is one of the major  
23 considerations these days.

24 You not only can produce hydrogen by -- I  
25 realize this is not all reprocessing but am giving you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the benefit of my vast knowledge -- you can  
2 electrolyze water from the electricity produced from  
3 reactors but also you can run thermochemical  
4 processes, most of which run at about 750 degrees  
5 centigrade.

6 So HTGRs have several promises. And they  
7 also can be used as burners for actinides although not  
8 as efficiently as fast breeder reactors.

9 So while we have had a checkered and  
10 unproductive history in reprocessing, the West Valley  
11 Plant up in upstate New York operated, you see there,  
12 for about six years. A small plant, it was fraught  
13 with problems.

14 There were leaks in the plumbing. They  
15 would run people in and out so -- bring them in off  
16 the street so to speak and let them operate the plant  
17 until they got their dose, then they would fire them  
18 and bring in another bunch. But still they  
19 reprocessed a fair amount of fuel and produced some  
20 other fuels besides.

21 The Midwest reprocessing plant, the GE  
22 plant, never got off the ground. They built it and  
23 decided before they ever ran it that they hadn't  
24 better run it because it probably wouldn't run. And  
25 so what they use it for now is they have a large

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 storage pool. And they store spent fuel there at  
2 present.

3 And that was going to be a rather novel  
4 plant. They were going to use -- the final clean up  
5 was fluoride volatility which is a very efficient way  
6 to separate uranium from almost everything else  
7 because except for tellurium and a few things like  
8 that that there aren't much of in spent fuel, not very  
9 many elements form volatile hexafluorides like uranium  
10 does. And so it proves to be a very good way to do a  
11 final clean up of uranium.

12 And of course the -- what they used to  
13 call the AGNS plant, the Allied General Nuclear Fuel  
14 Reprocessing Plant at Barnwell, with a standard PUREX  
15 plant, it came along at a very inopportune time. That  
16 was the time of the Carter administration when he said  
17 let's set an example to the rest of world and not  
18 reprocess. And nobody else will either.

19 And, of course, he was a little wrong in  
20 that regard. And so they stopped at that point. And  
21 I think this is probably about when the NRC stopped  
22 having an active interest in licensing reprocessing  
23 plants.

24 And that was long enough ago, as you see,  
25 30 years ago, which means that everybody who knew

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about licensing that plant has retired or died or  
2 both. And pretty much so -- you people are pretty  
3 much starting from scratch here in the NRC with  
4 respect to licensing reprocessing plants. So this  
5 little primer we have here today is supposed to at  
6 least get you off the ground.

7           This is the compulsory nuclear fuel cycle  
8 diagram that shows that the whole thing starts in a  
9 reactor, you generate spent fuel. You get into  
10 shipping, which is a thorn in everybody's side, then  
11 you get into reprocessing which creates a couple of  
12 streams of waste -- a waste stream and a product  
13 stream. And it can be two product streams depending  
14 on how you handle it.

15           And then with the uranium, it is still  
16 more highly enriched in Uranium 235 than is natural  
17 uranium by a couple tenths of a percent. And so it is  
18 worthwhile to put it back through an enrichment.

19           However, it has, in the course of being  
20 irradiated, it has built up some uranium 236, which  
21 you can only recycle a couple of times and then you  
22 get into some pretty neat neutron poisons. And so you  
23 can only go around this loop a couple of times because  
24 of the uranium 236 buildup, and then you would start  
25 paying a penalty. But the first time through or two,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you can re-enrich.

2 This also is sort of a troublesome cycle  
3 because some undesirable elements like technetium tend  
4 to recycle and so after a while, you begin to get a  
5 little bit of radiation in this part of the recycle  
6 which is not desirable.

7 Anyway, that is the whole cycle more or  
8 less. You can, of course, make -- well, I'll get to  
9 that later.

10 I've got about three slides that say they  
11 are the elements of the nuclear fuel cycle.  
12 Transportation is on there. It is not formally part  
13 of recycle but it is important. And if you don't  
14 transport it from the reactor, you can't reprocess it.  
15 Then, of course, there is onsite storage of the spent  
16 fuel, typically in storage pools. I'll say more about  
17 each of these things.

18 You have the so-called head end processes  
19 which involve treating the elements so that you can  
20 extract the fuel material. If you chopped it up or  
21 knocked the cladding off, the transfer of these pieces  
22 which you will see pictures of later to a dissolver  
23 and you dissolve them up to dissolve the fission  
24 products, dissolve the uranium, dissolve the  
25 plutonium, dissolve the higher actinides, what few

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there are.

2 And then you put it -- typically you take  
3 the dissolver solution and put it into an interim  
4 storage tank where you do the first real analysis.  
5 This is where you start running your for real material  
6 balance analyses.

7 You know pretty well what you have got  
8 from the exposure records on the fuel that the reactor  
9 sends you. But they are not nearly as precise and as  
10 complete and good as the analysis of the dissolver  
11 solution. So this is what you analyze and you track  
12 the fissile material with taking samples out of that  
13 tank.

14 Then you go on and you transfer the stuff  
15 out of the interim storage tank into the separation  
16 process equipment, which I will say quite a bit about,  
17 where you separate the uranium and plutonium. This is  
18 the way it was done, the way it is done in the  
19 present, and not necessarily the way it will be done  
20 entirely in the future.

21 You separate the uranium from plutonium  
22 from the fission products and other actinides,  
23 typically those plutonium and americium by solvent  
24 extraction. Then you have the uranium and plutonium  
25 together and you separate the plutonium from the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 uranium by adjusting conditions in the system. And I  
2 will say more about that. I'll say more about all of  
3 these.

4 When you convert the uranium and plutonium  
5 to the oxides if you are to prepare fuel from them.  
6 And that is being done overseas to some extent, and  
7 they you store the products onsite until you get ready  
8 to ship them off to the fabrication plant. And you  
9 store the waste fission products.

10 The high-level wastes are typically stored  
11 as a solution. It starts out as a nitric acid  
12 solution. We store that in a tank. And typical tank  
13 volumes, waste tank volumes, are a million gallons.  
14 They are good sized tanks. And a lot of solid waste  
15 are produced in the course of doing a reprocessing  
16 operation. And so those are stored also until you  
17 dispose of them.

18 Well, okay, let's go back up to the front  
19 end again and talk about transportation. And that's,  
20 as I said earlier, a troublesome operation in that  
21 people don't want spent fuel transported. They would  
22 just as soon it would magically go from the reactor to  
23 the reprocessing plant and not be on the roads or on  
24 the rivers or on the rails.

25 And the elements are large and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 shielding is heavy. And a 100 tons is not an  
2 unreasonable weight for a waste package loaded with  
3 fuel elements. And it is subject, of course, to  
4 federal, state, and local regulations. People have it  
5 pretty highly regulated. It is not part of  
6 reprocessing but it is very important.

7 This is one of many kinds of spent fuel  
8 shipping casks. You see the fins, the cooling fins to  
9 get rid of the heat. These spent fuel elements, even  
10 though some of them may be five, ten, 20, 30 years old  
11 -- they have been stored in the pool a long time some  
12 of them, they still are undergoing radioactive decay.  
13 And they store quite a bit of heat -- they generate  
14 quite a bit of heat.

15 And it is disposed of typically by air  
16 cooling. In some of the containers, it is forced air.  
17 Most of them it is convection.

18 There is another example, a little bit  
19 more detailed. If you can't read it, this one has  
20 impact fins which means you could drop it and  
21 something absorbs the shock. And this one has neutron  
22 shielding. Typically the neutrons are as much of a  
23 dose as gamma rays outside a spent fuel container.  
24 And sometimes more.

25 And this particular one says it has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 uranium shielding material or the metallic uranium,  
2 which is a very good gamma ray absorber because it has  
3 a high atomic number and a lot of electrons for the  
4 gamma rays to rattle off on and lose energy as heat.

5           And there it is loaded on a rail car. I'm  
6 not sure I've mastered the modern age here yet. But  
7 these are -- this is a picture of a PWR fuel assembly.  
8 As you can see, you can't -- it doesn't tell you it is  
9 12 feet tall but it is. And there are individual pins  
10 in there, fuel pins. They are zircaloy clad. And  
11 they are about a half inch diameter.

12           And they have uranium dioxide pellets  
13 which are a carefully crafted thing. The production  
14 of these pellets is a white glover operation as is the  
15 fabrication of the fuel element. I don't think a  
16 survival room in a hospital is any cleaner or worked  
17 out more carefully. Maybe not as much.

18           And you can see here is an end plate that  
19 the fuel pins stick into.

20           This is what assembly looks like. This is  
21 the spring that holds the pellets together. And also  
22 they provide a gas plenum space above and below the  
23 elements. So during radiation, fission product gas  
24 like xenon come off and they accumulate in these  
25 plenum areas.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And of course when you break open these  
2 things for reprocessing, you release that gas. That  
3 becomes part of your off gas problem.

4           Well I mentioned high temperature gas  
5 cooled reactors. This is a picture of what was a  
6 typical fuel element from the Peach Bottom reactor  
7 which operated out at Fort St. Vrain just outside of  
8 Denver for a number of years. This is all solid.  
9 That is about 14 inches across from the one flat place  
10 to the other.

11           These holes, maybe you can see, all  
12 through the top, little holes are rare sticks of  
13 graphite put in pencils of graphite about as big  
14 around as your finger. And in each of these pencils  
15 of graphite are millions if not billions of tiny  
16 spheres which are less than a millimeter typically in  
17 diameter. And that is where the fuel is.

18           So you take typically a metal tube and you  
19 pour all these little tiny sphere in there that have  
20 uranium 235 in them -- that's what these have -- 93  
21 percent enriched, incidentally, and then you force  
22 pitch down into that tube and it surrounds all these  
23 little micro spheres.

24           And it is those pins then that are lowered  
25 into this large graphite piece -- block. These other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 holes are control rod hole or gas flow cooling holes.  
2 One or the other.

3 The micro spheres are, as I said, a  
4 millimeter in diameter. The actual piece of that  
5 tiny, tiny sphere that has fuel in it is about half  
6 that diameter. They are very small, maybe 400  
7 microns. And then that is surrounded by pyrolytic  
8 carbon which is deposited much the same way you get  
9 soot in your chimney. You take gas like ethane or  
10 ethylene and you thermally decompose it and it coats  
11 everything. Of course it coats all the equipment as  
12 well but it coats the little spheres.

13 Then you move into another device. And  
14 you put in methyl silicone -- dimethyl or trimethyl  
15 silicone. And you heat that up and that decomposes  
16 into silicone dioxide which coats another layer around  
17 the spheres. And that is what really is a containment  
18 vessel. That little tiny silicone coating all these  
19 spheres is equivalent to that zircaloy cladding on  
20 that 14-foot long fuel element.

21 And then you put another layer of carbon  
22 on top of that. And that is the out shell. That is  
23 the protection for the inner stuff.

24 The inner carbon coating, the innermost  
25 layer of parliamentary deposit carbon is porous.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The outermost layer is impervious. The  
2 innermost layer is porous to, again, to serve the same  
3 function that the plenum -- that the gas space above  
4 the fuel always did. It is a place for fission gases  
5 to accumulate without bursting that little sphere wide  
6 open and releasing the fission products. So that is  
7 a HTGR fuel element, none of which have been  
8 processed. But there is a lot of interest in HTGRs.  
9 And they probably will come along.

10           But, of course, we also have fast breeder  
11 reactors. This is -- it is more similar obviously to  
12 the water reactor fuels than is the HTGR. These are  
13 the fuel pins here. Typically they are stainless  
14 steel clad. You don't need to use zirconium. They  
15 use zirconium in light water reactor fuels because the  
16 neutrons are thermalized and they would be captured  
17 too much stainless steel.

18           John?

19           MR. LARKINS: Yes, in the forte varying  
20 fuel didn't you have both biso and triso?

21           DR. WYMER: It depends on whether or not  
22 you are going to have a blanket, John. The triso  
23 coated is the fuel particles. But if you are going to  
24 have a blanket like we were talking about having, it  
25 was a thorium breeder reactor. And they had a thorium

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 blanket of those same kinds of graphite blocks.

2 And the thorium oxide or thorium  
3 oxycarbide is really what it was, they didn't make a  
4 pure carbide, that was coated with silicone and then  
5 with a graphite coating on the outside. But that was  
6 for the breeder blanket.

7 It's not likely, under most current plans  
8 although it may come along, that the next generation  
9 of HTGRS will probably --

10 MR. LARKINS: I just seem to remember --  
11 I thought they had both types in --

12 DR. WYMER: Yes, they did. But one was  
13 the breeder blanket. And it was going to be a thorium  
14 fuel cycle reactor, which would be a really tough row  
15 to hoe. I spent about 10 years working on that  
16 particular concept.

17 And with thorium, a thorium breeder, you  
18 make uranium 233. Unfortunately, uranium 233 cannot  
19 be made without making uranium 232. Uranium 232 has  
20 a gamma that won't quit. And it is there in about 800  
21 parts per million. And that's more than enough. It  
22 makes everything remote -- fabrication and everything  
23 else is remote at that point.

24 MEMBER WEINER: Is the HTGR fuel like the  
25 fuel for the pebble bed modular reactor?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WYMER: Exactly the same except  
2 instead of putting in those little microspheres, they  
3 are exactly the same. So they are putting them in  
4 these great big block -- you surround them with a  
5 layer of graphite. In size, they are between a golf  
6 ball and a tennis ball. And you can throw them down  
7 and they bounce. They are tough.

8 The pebble bed reactor was an interesting  
9 concept because you have to keep moving the pebbles.  
10 And so you have a great big tank with a conical bottom  
11 and you put all these balls in there.

12 And, of course, they move at different  
13 speeds. They move down the side faster than they do  
14 down the middle. And so as they drop out the bottom  
15 of this cone, you count each one. And you decide then  
16 whether that one goes back into the top again or tat  
17 that becomes waste.

18 So the pebble bed reactor, that's the one  
19 that is currently being considered most accurately as  
20 a matter fact, you probably know, for a reason I don't  
21 understand. I guess because there is more experience  
22 with them. They had the -- the Germans bought the AVR  
23 and the HTGR both, both pebble bed reactors, one  
24 bigger than the other. And that is the direction that  
25 the current HTGR design is going rather than to these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 prisms.

2 But anyway, these are stainless steel  
3 clad, I was saying, because the neutrons in a fast  
4 reactor are fast, hence the name. And they are not  
5 well captured in steel. And, therefore, you don't  
6 have to worry about the neutron parasitic reactors  
7 gobbling up the neutrons that you would sooner have  
8 making fission reactions real rather than being lost  
9 other products.

10 CHAIRMAN RYAN: Ray, one other question.  
11 It is how things overlap. I mean I've heard that the  
12 HTGR fuel, because of its high burnup raises  
13 challenges in transportation, a topic you Touched upon  
14 earlier. And I guess what I'm thinking about as you  
15 are talking is how has this been treated as a system?

16 You know there is optimization from a  
17 reactor point of view, how you produce electricity,  
18 power, steam whatever it is, how do you optimize it  
19 from what you generate as wastes that need to be  
20 further processed in some way.

21 CHAIRMAN RYAN: I have never seen a study  
22 on that, Mike. There may be some going on today. I  
23 would hope so in connection with the plans that say  
24 South Africa has it for building an HTGR. But I never  
25 have seen a cradle to grave --if you could opt the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       aryan sites into that kind of optimization strategy or  
2       what you would look at if you were going to say, well,  
3       you know for this reactor or that reactor it is going  
4       to produce these wastes. And if you did it this way,  
5       you would produce uglier waste and if you did it that  
6       way you would produce less ugly waste.

7                   I mean the uranium 2336 example is one  
8       that you don't want that around if you can avoid it.

9                   CHAIRMAN RYAN: I would advise people to  
10       stay away from Detroit and the fuel cycle. There is  
11       a lot of uranium right here. You don't need to go to  
12       foreign for a long time.

13                  DR. WYMER: And I'm like you. I don't  
14       know of any comprehensive or thorough studies that  
15       have been done. I'm looking for them. And I hear a  
16       lot of talk about, you know, interactions between  
17       transportation and fuel and, you know, toxicity of  
18       this and reprocessing of that.

19                  And I'm really kind of interested if you  
20       have any insights as to pluses and minuses as you go  
21       through your talk. Those would be real helpful.

22                  CHAIRMAN RYAN: Okay, I'll try to keep it  
23       in mind.

24                  DR. WYMER: Okay, thanks. Yes?

25                  MEMBER WEINER: The South Africans are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 currently working on a transportation design for the  
2 pebble bed.

3 DR. WYMER: Are they? I wasn't aware of  
4 that.

5 MEMBER WEINER: Yes. We just had a tour  
6 of the pebble bed fabrication facility.

7 DR. WYMER: Oh, did you. I bet that was  
8 fun.

9 MEMBER WEINER: Yes.

10 DR. WYMER: I would like to do that.

11 Well, as all of you in this room know, the  
12 present storage is at the reactors, mostly in pools,  
13 some on concrete pads but that is where it is. And,  
14 of course, some of those sites have been storing fuel  
15 for a lot more than five years because there is no  
16 place else to put it. So they just started. An those  
17 reactors have been running some of them 40 years.

18 At the processing plant, typically you  
19 unload the fuel from the shipping containers and put  
20 it down into the pool of water. And this is s picture  
21 of a UK pool. I'm afraid it doesn't show you much.  
22 This is where the pool is. That is the water. And  
23 there are tracks for a crane to bring the casks.

24 You will see more of this in a video that  
25 I'm going to show later on so don't worry that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can't see much of this.

2           Anyway, you get some notion that it is a  
3 relatively equipment-packed area. It is not a simple  
4 -- nothing about reprocessing is really simple.

5           Obviously these things are extremely  
6 radioactive so all the operations are done by heavy  
7 shielding, typically using cranes and crane-operated  
8 manipulators and remote operations from outside the  
9 cell.

10           Fuel elements are chopped into small  
11 pieces. The PWR fuel, that 12-foot high thing as you  
12 will see later, is treated very poorly. I told you  
13 they built it like a white-glove operation and they  
14 treat it like a foundry. You know they just -- it  
15 almost breaks your heart to see what they do to that  
16 carefully fabricated fuel element. And the fission  
17 product gases are, of course, released and come off  
18 into the off-gas system.

19           Well, the way they cut it is with a --  
20 just a big, massive, brute force operation. They take  
21 the fuel element, and you will see this, too, later,  
22 and they shove it in from the side. And they come  
23 across with a sheer that just crunches off about two  
24 inches of it. And there is a great squealing,  
25 creaking, grinding operation as they chop this thing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 up.

2           And this is iridium dioxide inside the  
3 fuel elements. Inside there is a zircaloy cladding.  
4 And it crumbles, of course, and falls out. And the  
5 pieces of zircaloy get all mangled and twisted. And  
6 some of the outside gets trapped inside. And it is a  
7 brute force operation.

8           And here is what it looks like -- some of  
9 the typicals of it. This is part of the oxide  
10 pellets. Those are the segments of cladding. You  
11 chop it up like this so you can get at it.

12           You only have an inch to go from each end  
13 with acid that dissolves the oxide. So you don't --  
14 so you can get it dissolved in a finite time,  
15 reasonably sure you've got it all dissolved out of  
16 those pieces. So you cut it into pieces as long as  
17 you can get away with instead of dissolving everything  
18 outside the chunks.

19           That material you just saw is put into a  
20 dissolver. And I'll show you pictures of that later.  
21 And you can either chop right over the dissolver and  
22 drop it directly in or you can separate it and move  
23 the stuff separately into the dissolvers.

24           This is one version -- and there are as  
25 many versions of this as there are clever nuclear

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 engineers and design engineers who want to come up  
2 with a new dissolver design. And there are lots of  
3 dissolver designs. There are some that are rotary,  
4 some that are continuous, up-screw types. And there  
5 is this type. You drop the fuel down into here. You  
6 put nitric acid in, dissolve the fuel, and, of course,  
7 you get the off-gas. This silver zircaloy trap is to  
8 collect the iodide. There are not many things that  
9 form insoluble iodide compounds. And so the silver  
10 iodide is relatively insoluble and it is a high  
11 surface material and you catch the iodide on the  
12 silver.

13 The rest of the off-gas goes into the off-  
14 gas treatment system. And, of course, you have to  
15 have a way to take off the spent fuel. So you have  
16 this basket which would take off the fragments of  
17 cladding. This basket allows you to do that.

18 You -- notice this has cooling coils as  
19 well as heating coils. When the reaction starts out  
20 and you start dissolving this uranium dioxide, it gets  
21 pretty hot. And it boils and froths and foams.

22 And they really want to control the rate  
23 of dissolution so you control the temperature by  
24 cooling and keeping it down to a reasonable operating  
25 temperature. Now as it gets dissolved, well then you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have to heat it to get the last little bit dissolved.

2 This is another type of dissolver. This  
3 is where you drop the fuel pieces in. They are carried  
4 along in this spiral rotary thing. Balls come  
5 dropping out here. And the nitric acid solution which  
6 you put into it goes counter current to the direction  
7 that the fuel is going, which means you get a lot of  
8 good contact type with flush acid coming in. As you  
9 have more nearly completed the dissolution, it is  
10 harder and harder to dissolve the stuff out of the  
11 spent fuel -- out of those chopped up fragments.

12 You have fresh nitric acid solution  
13 hitting that. The nitric acid solution gets used up  
14 more and more and it is fairly well used up by the  
15 time it contacts the incoming fuel pieces. So they go  
16 counter current and you get a lot better efficiency on  
17 dissolving.

18 The problem with these dissolvers are in  
19 the seals. It is hard to maintain a seal when  
20 rotating equipment in a concentrated nitric acid  
21 solution. So these have that operating problem.

22 Well, as I mentioned earlier, the interim  
23 storage place after your dissolution is really the  
24 first chance you have to get an accurate analysis of  
25 the fissile element content of uranium and plutonium

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and anything else you want to look for. And that  
2 serves as a basis for your material balance and the  
3 subsequent reprocessing.

4           You have to adjust the acidity and the  
5 concentration in order to optimize the processing  
6 requirements. So you make a feed adjustment. And  
7 then depending on the type of equipment you use, you  
8 may or may not need to do a feed clarification. If  
9 you use -- and I will show you one later -- if you use  
10 what are called pulse columns, they are very tolerant  
11 of fine materials and solids that might come through.

12           If you use what called a centrifugal  
13 contractor, which has fast rotating parts that are  
14 spaced very close together, then you don't want any  
15 solids. You have to do a feed clarification in that  
16 operation.

17           What I've just showed you are the  
18 dissolvers. And one other thing that happens when you  
19 dissolve up these materials in nitric acid, you  
20 produce nitrogen oxides. You start with HNO<sub>3</sub>, which  
21 has pentavalent 5 valent nitrogen and you wind up with  
22 4 valent and 2 valent nitrogen oxides. And they are  
23 recoverable. You can re-oxidize them in air and  
24 produce more nitric acid which is recycled through the  
25 plant so you use your nitric acid as completely as you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can.

2 Ruthenium is not a volatile by itself but  
3 ruthenium tetroxide,  $\text{RuO}_4$ , is a very volatile  
4 compound. However, if the fuel is long dissolved and  
5 it has been laying around 10, 20, 30 years, all of the  
6 -- not all but a significant amount of ruthenium has  
7 decayed. And the only ruthenium you have left is  
8 basically non-radioactive ruthenium or a very low  
9 level of radioactive ruthenium.

10 But in short cooled stuff, especially in  
11 fast reactor fuel reprocessing, that becomes a  
12 consideration. Iodine is always a consideration, of  
13 course, because it goes to the thyroid. And you don't  
14 want it out there amongst the babies.

15 And krypton is a problem unto itself  
16 because that is a noble gas. That means it doesn't  
17 react with anything to speak of. And there are  
18 special pieces of equipment that have been developed  
19 many years ago for moving krypton, none of which are  
20 in active use. But if we go to a lot of reprocessing  
21 and this becomes a big deal. And probably some  
22 recovery of the krypton will be required. At present,  
23 it is not.

24 And sometimes there is a Carbon 14  
25 present. And if that is the case, then you have to do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 something about trapping whatever carbon dioxide comes  
2 off which in these kinds of fuels would be small. But  
3 in HTGR fuel reprocessing, it could be very large  
4 because of all the graphite you've got to get rid of.  
5 Typically you burn it.

6 MEMBER WEINER: Would you use cold traps  
7 for krypton and CO2?

8 DR. WYMER: That is kind of what you do,  
9 Ruth. It is basically one of those cold trapping  
10 operation. That is right. You just drop the  
11 temperature way down and you condense it. That's one  
12 of the ways you can do it.

13 With any of the other large solutions, you  
14 really carry out the separation, you adjust your  
15 concentration. Plutonium in this process exists in  
16 two valent states, the plus three and the plus four.  
17 And others. Plutonium is a weird element because you  
18 can have three valent states coexisting simultaneously  
19 and they can live with each in significant amounts.  
20 You know they are not just trace amounts but they are  
21 there in percentage amounts, all three valent states  
22 at the same time.

23 Only the Plutonium 4 really extracts good.  
24 So you have to do a valence adjustment. You have to  
25 adjust everything to the Plutonium Plus 4 so you get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 good removal of it. And that is what is done in this  
2 step.

3 This is kind of an important graph in that  
4 it tells you how the radioactivity decay. This is for  
5 high-level waste but that is the same as in fuel  
6 elements. How it decays with time.

7 And as sort of a reference point, the  
8 radioactivity of the original ore is indicated by this  
9 line. So if you get rid of that, you are getting to  
10 where people shouldn't be too upset by it. But you  
11 can see that the decay drops off very rapidly. This  
12 is years so if you hold it for 100 years, you are down  
13 here from about ten to the seventh down to ten to the  
14 fourth, a thousandfold reduction in the radioactivity.

15 So storing is a good idea -- particularly  
16 storing for at least five years before reprocessing  
17 would get you out here a ways. And if you can store  
18 it for longer than that like they are talking about  
19 Yucca Mountain, maybe 100 or 200 or 300 years, then  
20 you really do bring it down a lot before you close up  
21 the mountain which makes it really -- Yucca Mountain  
22 is a non-retrievable storage facility.

23 CHAIRMAN RYAN: Ray, let me, if I may, ask  
24 a question about that graph.

25 DR. WYMER: I'm not sure I could go back

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to it.

2 CHAIRMAN RYAN: This group's total  
3 radioactivity fission products and actinides, and I  
4 sure understand it on that basis, but this is one of  
5 those points of overlap for me. When you think about  
6 performance assessment, you think about Carbon 14 and  
7 Neptunium, and Technetium 99. I wonder if we've got  
8 the same picture when you consider the mobile risk  
9 importance --

10 DR. WYMER: No, no, not at all. You're  
11 seeing many of those plus Yucca Mountain waste, and  
12 no, the toxicity, as you know, out here ten to the  
13 fifth years gets controlled by Neptunium and the  
14 Technetium. In the very short term, of course, it's  
15 controlled - you know all this, but you're asking for  
16 the benefit of other people. This is not - Cesium  
17 and Strontium are the controllers up there. As far as  
18 the hazard is concerned, the actinides, they abide.  
19 They're very long-lived, typically, and they become in  
20 the long run - Neptunium is one of them - they become  
21 a controlling radioactivity along with Technetium, and  
22 to a much lesser extent Iodine 129, but that's down.  
23 I don't know whether I'm answering your question or  
24 not.

25 CHAIRMAN RYAN: Well, you have. You sure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 got to the summary from that perspective. The other  
2 kind of argument I've seen people talk about with this  
3 sort of a curve, not exactly the same, is while, if we  
4 reprocess the actinides go somewhere else, and all  
5 that. But at the end of the day, it's a zero sum  
6 gain.

7 DR. WYMER: That's right.

8 CHAIRMAN RYAN: If it's going out of a  
9 reprocessing plant to some other waste treatment line  
10 versus straight into Yucca Mountain, I think this is  
11 where my root question that I asked at the beginning  
12 comes from - how does it work as a system?

13 DR. WYMER: Well, the other thing that we  
14 haven't said much about is that part of the Global  
15 Nuclear Energy Partnership is you build a fast reactor  
16 some place about 30-40 years out into the future, and  
17 you take these - like all the UREX processes do,  
18 depending which UREX process you're talking about,  
19 they take one or more actinides out in a separate  
20 stream, as well as the Cesium and Strontium out of a  
21 separate stream. And those -- the actinides then are  
22 planned to be put in the fast reactor. And in a fast  
23 reactor, as you know, they'll have enough cross  
24 section that they will fission, and even the non-  
25 fissile actinides fission if you leave them in a fast

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reactor long enough, and that's in terms of fission  
2 products. And then you're dealing with the fission  
3 product waste instead of an actinide waste.

4 CHAIRMAN RYAN: But, again, I think you've  
5 hit the key point, is that it really relies on several  
6 modified or even new components of a total system to  
7 make sense out of all that.

8 DR. WYMER: It does. Well, if you're from  
9 Los Alamos you say I'll stick those actinides in a  
10 particle accelerator. If you're from any place else  
11 in the world, you say I'll put them in a fast reactor  
12 and burn them up. So that really -- it's a zero sum  
13 gain, as you said, unless you do that.

14 CHAIRMAN RYAN: Right.

15 DR. WYMER: If you convert them from  
16 actinides by burning them in a fast reactor --

17 CHAIRMAN RYAN: It's still a zero sum,  
18 though, because if you have a fast reactor and you're  
19 fissioning those --

20 DR. WYMER: But they're fission products  
21 instead of actinides.

22 CHAIRMAN RYAN: But there's a cost in  
23 terms of occupational exposure in terms of risk, risk  
24 assessment for that fast reactor, so you may end up  
25 with a different profile --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WYMER: Refabricating the actinides.

2 CHAIRMAN RYAN: All of that, so all of  
3 that has to be taken into account.

4 DR. WYMER: Absolutely.

5 CHAIRMAN RYAN: And your point is if  
6 everything goes right, you've converted a long-lived  
7 radionuclide to a shorter lived one.

8 DR. WYMER: That's exactly right.

9 CHAIRMAN RYAN: Okay.

10 DR. WYMER: That's the reason for going  
11 from lactinides to actinides, that and the heat in  
12 Yucca Mountain. Really, that's right. There's no  
13 free lunch in any of this at all.

14 Okay. This is -- if you ever saw a  
15 simplified diagram of a complicated process, this is  
16 it. This is sodium hydroxide decladding. Well,  
17 that's only used if you have aluminum cladding on the  
18 fuel. If it's zircaloy or if it's graphite, or if  
19 it's stainless steel, this is replaced with shearing,  
20 that big mechanical shear that chops the stuff up.  
21 Anyway, one way or another, you cut it up so you can  
22 expose the uranium dioxide that's inside the spent  
23 fuel. You dissolve it with nitric acid, you've got  
24 the off-gas problem to deal with. You separate out  
25 the fission products, and someplace - and you send

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       them over here into waste. You separate the plutonium  
2       and uranium, you remove the uranium from the  
3       plutonium, or plutonium from the uranium, whichever,  
4       and you put the waste into a tank concentrated by  
5       evaporation, and these days the plan is that you  
6       vitrify that nitric acid solution, make a bar of  
7       silicate glass out of it, recover the acid somewhere  
8       here. And if you're going to do MOX fuel fabrication  
9       which is being practiced a number of places in the  
10      world, you do that. So this is a very simplified  
11      block diagram of some of the operations, and it's not  
12      -- take it for what it's worth.

13                   VICE CHAIRMAN CROFF: Ray, before you go  
14      on - with reference to that diagram, you might  
15      elaborate just a bit on the head-end for HTGR fuel,  
16      how it differs.

17                   DR. WYMER: Okay. I don't have a picture  
18      of that, but if you have these graphite balls, for  
19      example, you crush them up, and you put them through  
20      a grinder, which is -- after you crush them, the gap  
21      of which is such that it will remove the graphite  
22      that's adhering to the little balls, but will not  
23      crush the balls. Now the balls are hard. You may  
24      take the outer layer of graphite, that non-porous  
25      outer layer, you may break some of those, but the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 silicate carbide containment vessel, which is only  
2 half a millimeter in diameter, that is not supposed to  
3 be fractured. So the idea is to remove as much carbon  
4 as you can, without losing any of the fuel stuff  
5 that's inside that little ball. And then that  
6 graphite becomes a waste, and there's quite a bit of  
7 it. And then you have another process whereby you  
8 grind up the liberated silicon carbide coated kernels  
9 which have the uranium dioxide or uranium carbide, or  
10 uranium oxide carbide, depending on what you make  
11 inside. You grind those up, and you dissolve that in  
12 nitric acid.

13           When you do that, you're not home-free,  
14 because it turns out when you dissolve uranium carbide  
15 or uranium oxycarbide particles, you make organic  
16 acids out of the graphite. Some of these are  
17 powerful, complex agents for uranium and plutonium,  
18 and so you have to have a process that is more than  
19 competitive with the complexing action of the mellitic  
20 gases, the various other organic gases that are  
21 forming complexing agents. It can be done, and it has  
22 been done, but it's not like falling off a log, it's  
23 not like dissolving UO<sub>2</sub> in nitric acid. You've got a  
24 little work cut out for you, but you could do it.  
25 It's kind of messy. Is that what you wanted?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN CROFF: Yes.

2 DR. WYMER: Okay.

3 MR. FLACK: Ray, I'd just inject - the  
4 prism blocks have fuel insert, which makes it less of  
5 a waste, I guess, than the pebble bed, which includes  
6 the entire graphite in the ball. Right? Do the fuel  
7 elements inside because you can knock those out.

8 DR. WYMER: No, because -- nobody had come  
9 up yet, at the time we stopped working on it, with a  
10 final good way to move those sticks from the holes  
11 that they were pushed down into in that graphite  
12 block. There were various things proposed, like  
13 drilling. Of course, that breaks up the silicon  
14 carbide particles, and there's more graphite than was  
15 there in connection with that stick of graphite in  
16 which the little particles were contained, so there's  
17 probably a little bit more graphite actually from that  
18 process than the other.

19 Another way was to put kind of a brush,  
20 steel brush down in the hole. Another way, for those  
21 of you who are old enough and remember the Los Angeles  
22 problems, friends of mine called it the WATTS process,  
23 W-A-T-T-S, burning the whole block. Remember when  
24 there was a riot in Watts and they burned the whole  
25 block.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LARKINS: That's what I thought they  
2 were talking about. This was the PGX graphite?

3 DR. WYMER: I'm not sure what that is.

4 MR. LARKINS: Yes. That's the block.

5 DR. WYMER: Oh, the \*(2:00:53) fuel off.

6 MR. LARKINS: Yes, chop it and burn it.

7 DR. WYMER: Yes. They were going to grind  
8 -- one approach was to just break up the whole block  
9 and burn it, but if you ever tried to burn graphite,  
10 you know, it's hard. A solid piece of graphite, of  
11 theoretically dense graphite, you've got hold a blow-  
12 torch to it to make it burn. You've got to keep  
13 holding it there. It doesn't suddenly catch fire and  
14 burn, so it's not real simple.

15 MR. LARKINS: I wasn't old enough, but I  
16 --

17 DR. WYMER: No, you weren't. You don't  
18 know about burning the whole block. He was young.  
19 No. This is something I stole from back in the 70s.  
20 Some of you remember INSEC where this is the flow  
21 sheet that was turned out in one of the reports at  
22 that time. This was a 40 mega watt day per ton burn-  
23 up with only a three-year cooling time. The  
24 significance of the cooling time is that determines  
25 the amounts of some of the important fission products

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that are present, some of the shorter-lived fission  
2 products. Take the spent fuel in, put it in buffer  
3 storage. This is based on a thousand ton storage,  
4 which is a year's worth, 250-day operating year. Burn  
5 four tons a day, you go through a first extraction,  
6 and that separate the fission products from the  
7 uranium and plutonium. Then you do uranium and  
8 plutonium separation, you clean up each of those  
9 streams down there. Fission products and whatever  
10 else you didn't quite extract - nothing is perfect,  
11 nothing is clean. There's always a little bit  
12 uranium, little bit of plutonium lies up here. What  
13 you shoot for is less than a tenth of one percent of  
14 the plutonium, you like to be .05. And then the  
15 solvent that you use for solvent extraction, because  
16 of the high radiation, undergoes some radiolytic  
17 decomposition, the gamma rays and the beta decompose  
18 it to tributal phosphate, which is what you use,  
19 becomes dibutal phosphate, monobutal phosphates.  
20 Those are very strong complexing agents for uranium  
21 and plutonium, and if you cycle those back around  
22 again, they stay in the aqueous space, and I'll say  
23 more about this in a minute, but they stay in the  
24 nitric acid phase, instead of going into the phase  
25 that contains uranium and plutonium, and they will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 complex and hold it in the nitric acid phase which  
2 represents a loss to the process, so you have to do a  
3 solvent recycle, which produces a waste from your  
4 recycle operation. And then you have various other  
5 waste streams. Then you wind up, ideally, with your  
6 plutonium and uranium separated, products which you  
7 can later mix together in a different ratio to produce  
8 MOX fuel, if you want to. That's mixed uranium  
9 plutonium oxide fuel.

10 Okay. The process that's used to carry  
11 out this magic separation of uranium and plutonium  
12 from the fission products is a solvent extraction  
13 process, so-called. This is where I assume that you  
14 don't know anything. You take two liquid phases, one  
15 of them is tributal phosphate dissolved in something  
16 like kerosene, a nice pure kerosene, maybe 30 percent  
17 by volume is tributal phosphate, which is an  
18 industrial plasticizer. And the rest of it is  
19 kerosene, 60-70 percent is kerosene. And that's  
20 immiscible in water, and you shake that up with a  
21 nitric acid solution that you got by dissolving up the  
22 uranium and the spent fuel. And if you shake it up  
23 real good one way or another - I wouldn't advise a  
24 separatory funnel - and the uranium and plutonium are  
25 extracted, a little bit staying behind. And I'll show

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you more about that in a minute. And then in the  
2 aqueous phase remain the fission products.

3 Now what you do is this is not a really  
4 good clean separation. Some of the fission products  
5 stay with the uranium and plutonium, some of the  
6 uranium and plutonium stay with the fission products,  
7 so you take those two phases, you take the TBP phase  
8 that has the uranium and plutonium, and you shake it  
9 up with some more nitric acid, clean or nearly clean  
10 nitric acid, which back extracts the fission products  
11 out of the uranium and plutonium phase. And you shake  
12 the fission products phase that has some trace uranium  
13 and plutonium with it, with the tributal phosphate  
14 phase, and that extracts the other remaining traces of  
15 uranium and plutonium out of the fission product  
16 waste.

17 Now you do this in a fairly complicated  
18 way, which I'll explain to you as best I can in a  
19 minute. It isn't just that -- it's not exactly what  
20 I just said, but the effect is the same. Okay.  
21 Here's your kerosene and tributal phosphate, and  
22 there's your - as you can see, we're left uranium and  
23 plutonium back there along with the fission products,  
24 and the plutonium 4 and the uranium which is there is  
25 uranyl ion, uranium plus 6, goes up into the kerosene

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the TBP phase, and that's just to give you a very  
2 simple picture.

3 Now don't get lost in this one. This  
4 shows you how much uranium and plutonium, and other  
5 things, are extracted as a function of nitric acid  
6 concentration. And as you can see, the higher the  
7 nitric acid concentration, the better these things are  
8 extracted. But you can also see that the distribution  
9 coefficient, which is the ratio of the concentration  
10 of uranium or plutonium in the aqueous and organic  
11 phases, that's what the distribution represents, the  
12 ratio of the concentrations. It starts out here at  
13 about 1 molar, about .1 for plutonium, which means  
14 you're not extracting it, 90 percent of it is staying  
15 in the aqueous phase, so you run the acidity on up  
16 here a little bit to about 4 or 5, and then you see  
17 you get above 1, so 1 means that half the plutonium is  
18 in the aqueous phase and half is in the organic phase,  
19 not too good. But if I now take that and extract it  
20 again, I'll get a half of a half left behind, and a  
21 half, of a half, of a half, so I do that seven times,  
22 I got over 99 percent of it extracted.

23 And you see the fission products now,  
24 ruthenium is an anomalous behavior, it goes down.  
25 Here's plutonium 3 - I said you had to get it up to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plutonium 4 - you can't extract plutonium 3 worth a  
2 darn. It's way down there, only a thousandth.  
3 Zirconium extracts, and you scrub that out. That's  
4 one of the fission products that you take out by  
5 taking the organic phase and hitting it with 4 or 5  
6 molar nitric acid, which keeps uranium and plutonium  
7 in the organic phase, but takes the zirconium out, so  
8 you can get the zirconium out good.

9 Then you see the rare earths which are a  
10 major component. That's lanthanum and cerium, and  
11 gadolinium, rare earths are not extracted hardly at  
12 all.

13 MEMBER WEINER: The plutonium 4 dissolved  
14 actually, or is it as the intrinsic colloid?

15 DR. WYMER: Yes. No, it dissolves. It  
16 forms plutonium 4 nitrates dot 2 TBPs or something.  
17 It's an actual adapt of compound. It forms a real  
18 species, just as the uranium does. They form an  
19 addition compound with tributal phosphate. Yes,  
20 you've got to worry about colloids, but not at 4 molar  
21 acid, but you get down to say .3 molar acid, then you  
22 start worrying about plutonium colloids.

23 Well, this is a pulse column. This is the  
24 workhorse of the whole separation process. You bring  
25 the tributal phosphate dissolved in kerosene here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It's lighter than water and lighter than nitric acid  
2 solution, so it comes up the column. You bring in  
3 your fume from the dissolver at the top of this  
4 column, and it falls down. These things here are  
5 circular plates about like that, can't get any bigger  
6 than that because you get criticality problems, and  
7 there are a bunch of holes punched in them. And as  
8 the organic solvent goes up, it has to go through  
9 these holes. And as it does, of course, it goes  
10 through, bloop, bloop, bloop, makes droplets. And  
11 that gives you a high surface area, gives you a lot of  
12 area of contact so that you can extract the uranium  
13 and plutonium easily out of the down-coming aqueous  
14 feed.

15           Once again, the freshest best extracting  
16 power TBP is at the bottom where you need it, because  
17 that's where the plutonium and uranium are the most  
18 dilute, so you get the highest extraction power where  
19 you need it the most, because it's harder to extract  
20 dilute material than it is concentrated material. So  
21 these things run counter-current to each other, so you  
22 get these multiple stages. You can see here, we've  
23 got one, two, three, four, five, six, seven, twelve,  
24 thirteen, fourteen - in this particular picture  
25 fourteen - that's about the right number you have,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 anywhere from twelve to sixteen stages. Well, you  
2 know, seven stages you got over 99 percent, you got  
3 another four or five stages here, so you get a very  
4 complete extraction. You can get about 99.95 percent  
5 of plutonium in a well-run plant. They didn't  
6 originally when they started, but they do.

7 In order to help the system along, there's  
8 a little pump here that goes like that, and it pushes  
9 on the organic phase, it jerks it up through the pulse  
10 plates to give you the high surface area to give the  
11 efficiency of extraction. This shows you, if you  
12 could see over the table, one of these perforated  
13 plates. So that's the heart of the process.

14 Now there are other kinds of contactors,  
15 as I mentioned. I said that this is the one I told  
16 you was tolerant of fine particulate material. All it  
17 has to do is get through that hole, which is a pretty  
18 fair size. It's a millimeter or so, maybe a  
19 millimeter and a half, so you don't get a lot of dirt  
20 hanging up in it. There's that kind of device also on  
21 the Colorado Plateau for when they were mining and  
22 milling uranium, that and mixer settlers, because they  
23 would handle dirt - you can actually put in dirty  
24 solution of ore, dissolved ore through there, it would  
25 go through.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This is the centrifugal contactor, which  
2           I mentioned. It's a cream separator. It spins and  
3           slings the heavy phase to the outside, which is the  
4           water like phase of the tributal phosphate. It is  
5           pushed in by the water going out. The tolerance is  
6           close, so you can't tolerate any dirt. The advantage  
7           of this thing is it spins like mad, and it's a lot  
8           faster than a pulse column. A pulse column goes  
9           chunk, chunk, chunk, like that, as it pulls things  
10          through the pulse plate, but this thing spins and it  
11          does a very fast separation, fast extraction, fast  
12          phase separation of the two phases, and you could have  
13          a much smaller plant with this kind of a contactor  
14          than you can with a pulse column.

15                 The drawbacks, of course, are it is a  
16          sophisticated, complicated mechanical device spinning  
17          at high speed, but they are used, and they're used  
18          successfully. There's not much else to say that can  
19          be said simply about it. They are used commercially  
20          on a large scale. One thing I ought to say, too.

21                 One of the reasons for going to these,  
22          besides the throughput, is that they are relatively  
23          very small, and about a third of the cost of a  
24          reprocessing plant is in the concrete and the  
25          shielding. That's what you pay for. Because if can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 decrease the size of the cells that you have, the hot  
2 cells that you have, the shielded cells, you're a lot  
3 of money ahead. So it's two things, throughput and  
4 cost.

5 This is an actual bank of eight of them,  
6 there's four on this side, four on that side. They're  
7 commercially available in that size, or commercially  
8 available a lot bigger than that.

9 MR. LARKINS: Ray, in terms of the amount  
10 of material that you can process in those two, what  
11 types of rates, how much material can you process in  
12 a time?

13 DR. WYMER: You could probably - what you  
14 just saw there, probably close to a ton a day I would  
15 think, through eight contactors spinning at the rate  
16 they do. And they really put it through.

17 Okay. Well, this is just a list of the  
18 kinds of things you have to have in a reprocessing  
19 plant. You have glove boxes where you can deal with  
20 small amounts of radioactivity. You have hot cells  
21 where you do reprocessing and handling of materials,  
22 and other than reprocessing operations where you have  
23 a lot of radioactivity, say some kinds of waste. And  
24 the actual reprocessing plant, you have maybe two and  
25 a half, three feet of shielding around the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reprocessing material were the very hot material comes  
2 in. Glove boxes are used for a variety of things.  
3 You can use them for working on equipment, anything  
4 you need to do hands-on that's not highly radioactive,  
5 they all have an off-gas system that they're hooked  
6 into.

7 Canyon is the name typically given to a  
8 very large scale reprocessing plant because they look  
9 like a canyon. You look down them, and there's these  
10 big walls, and you'll see a picture of it here in a  
11 little bit, so they call them canyons.

12 Now this is a line of hot cells. This  
13 particular line I think is probably ORNL. It looks  
14 like the TRU facility, to me, at ORNL. And these are  
15 hot cells, and these are the manipulator controls.  
16 People do things here that -- the motions here are  
17 reflected inside the hot cell by simple grasping  
18 manipulators. And it's a job that requires a good  
19 deal of depth perception on the part of the operators.  
20 And it takes a lot of training to do it well.

21 These are glove boxes, that typically  
22 people sit in front of these things for hours at a  
23 time with their hands in these gloves that push into  
24 there, and some of these gloves are very heavy, some  
25 of them are lead-lined. They have ground up powdered

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lead in them for gamma shielding. You can imagine  
2 working four or five hours in lead gloves, develop  
3 strong arms. There's part of the off-gas system.

4 MR. FLACK: Ray, is the robotics taking  
5 over in this area, or is it still --

6 DR. WYMER: And awful lot of robotics,  
7 particularly the French have really pushed the remote  
8 operations of robotics, yes, to keep the doses to  
9 their operators down, and it gives you a lot of  
10 precision, too. You'll see some of that in this tape  
11 that I'm going to show shortly.

12 This is the front of a hot cell. Again,  
13 the one at British Nuclear Fuels Limited, so you see  
14 the windows that they look through.

15 Now video - we've got two here, one of  
16 Magnox fuel being processed, another of oxide fuel  
17 being processed.

18 (A film was shown.)

19 DR. WYMER: Your handouts said it's a  
20 video of processing at Sellafield. There's a segment  
21 on there about processing at Sellafield, but I don't  
22 think it shows you enough more to warrant taking the  
23 time to show it to you. You saw the reprocessing  
24 plant, which is a more modern one that you've seen  
25 here in France.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Actually, it would be  
2 interesting to compare the two.

3 DR. WYMER: Okay. Can you take it back to  
4 the beginning? It's the first segment on that tape.

5 PARTICIPANT: Have you started seeing it  
6 already?

7 DR. WYMER: I'm sorry?

8 PARTICIPANT: Have you already started  
9 looking at it?

10 DR. WYMER: No, no. All of this was  
11 France, so what you'll see now is Great Britain.

12 PARTICIPANT: The very beginning?

13 DR. WYMER: Yes, the very beginning.

14 PARTICIPANT: Why did they wait two years  
15 before --

16 DR. WYMER: Two years is still pretty hot  
17 at two years. Five is more typical.

18 CHAIRMAN RYAN: Ray, a couple of the  
19 drivers from two to five years is some of those  
20 ruthenium isotopes, are they not?

21 DR. WYMER: Yes, the half-life of some of  
22 those is long enough that there's still some there at  
23 two years.

24 CHAIRMAN RYAN: I think some of the other,  
25 if I recall, is iodine and some of the other things

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that are environmental release questions that tend to  
2 be gone at five plus years.

3 DR. WYMER: Although, the iodine 133, of  
4 course, 131 --

5 CHAIRMAN RYAN: 131 is long gone.

6 DR. WYMER: Eight days half-life.

7 CHAIRMAN RYAN: Yes, that's long gone.

8 DR. WYMER: Yes, the 139, of course, was  
9 ten to the seventh years, something like that. It's  
10 going to be around a while, but there's two sides to  
11 that radioactive decay coin. The fact that they have  
12 very long half-lives, they're going to be around a  
13 very long time. The fact that they have a very long  
14 half-live means they're not very radioactive, so it's  
15 a trade-off, kind of. Although, they're radioactive  
16 enough to be of concern.

17 CHAIRMAN RYAN: That depends. I mean,  
18 even some of those long-lived ones, like iodine 129,  
19 if you have enough stable iodine in your diet, you'll  
20 block it. If you don't have enough stable iodine in  
21 your diet, it's important, so it's interesting.

22 DR. WYMER: Sure, where the wigget is  
23 flooded out, absolutely. Sure.

24 CHAIRMAN RYAN: Carbon 14, the stable  
25 element intake in the diet determines what carbon 14

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can get in.

2 DR. WYMER: Well, carbon 14 is sort of in  
3 the same boat as tritium. Tritium has a 12-year half-  
4 life, lot of tritium is released in the world various  
5 processes, but half-life 120 years.

6 PARTICIPANT: We're ready.

7 DR. WYMER: One-tenth of 1 percent. Okay.  
8 Let her roll. This is the Sellafield Plant now that's  
9 advertised on your hand-out, I hope.

10 (A film was shown.)

11 DR. WYMER: This film was about 25 years  
12 old. The Thorp Plant you saw was under construction  
13 will be closing down in either 2010 or 2011, after  
14 having served over 30 years. And they talked about  
15 using ferrasulfonate to reduce the plutonium from  
16 extractable plus 4 phase to the non-extractable,  
17 finely extractable plus 3 stage. Ferrasulfonate is no  
18 longer used because the presence of iron in it, which  
19 substantially increases the volume of the waste that  
20 has to be treated, so that the reducing agent now to  
21 reduce the plutonium to an unextractable form valence  
22 are all organic materials that are subject to  
23 decomposition, and they produce no solid waste,  
24 provides bulk waste to the vitrification plant. So  
25 that's been eliminated.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Virtually, all of the discharges into the  
2                   -- it turns out, the Irish Sea on that early plant  
3                   have been discontinued. They're down to extremely low  
4                   level. Was not so good in the beginning for a number  
5                   of years, and the Irish were not exactly happy campers  
6                   about all that, and aren't today. And there probably  
7                   is quite a bit of radioactivity in the sludge at the  
8                   bottom of the Irish Sea. But at any rate, that's the  
9                   way things stand. Let's see. There was something  
10                  else I was going to say about that. Oh well, let's  
11                  move on here.

12                  Different solvents can be used other than  
13                  tributal phosphate TBP. Things like carbon  
14                  tetrachloride, in some rare cases, and you can use  
15                  other acids, but these have never been used on a  
16                  commercial scale. The French are doing a lot of work  
17                  developing new reagents. One of the problems with  
18                  tributal phosphate is that, as I said earlier, when it  
19                  is subject to radiation it forms dibutal and monobutal  
20                  phosphates which are not extracted, complexing agents,  
21                  and they mess up the extraction. And also, the  
22                  phosphate radical fuel 4 3 minus is irreducible  
23                  residue. It's like iron, it doesn't go away, and so  
24                  it becomes part of the waste, and adds to the waste  
25                  volume, so getting rid of phosphates is another

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 direction that people are going, but they have not  
2 gone there yet. Still tributal phosphate.

3           If you're not highly radioactive, you can  
4 use ion exchange, which is a lot like solvent  
5 extraction, except the phase that extracts the stuff  
6 you want in solid instead of liquid. And then can  
7 just simply remove the material then by another  
8 chemical reaction, remove the uranium and plutonium  
9 from the ion exchange resins. The problem with that  
10 is that ion exchange resins are organic materials,  
11 typically, and organic materials undergo radiation  
12 damage, and it's not uncommon in highly radioactive  
13 operations to start out with a column full of tiny  
14 beads about a millimeter in diameter of ion exchange  
15 resin, and when you're done you wind up with a column  
16 full of black tar, which you can't get out without --  
17 and it's extremely radioactive, so you can only use  
18 this for fairly low levels of radiation.

19           A significant problem occurred at Savannah  
20 River a number of years back, where they were doing a  
21 plutonium clean-up on ion exchange resin. Turns out  
22 you can make a plutonium nitrate and ionic complex,  
23 about six nitrate ions instead of four, which would  
24 make it neutral. It becomes negative and ionic, and  
25 then you could separate that on anionic exchange

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 column, but they lowered it onto the column that way  
2 and let the column go dry and, of course, the  
3 radiation made explosive gases. This thing blew up,  
4 so you've got to be careful with ion exchange, it has  
5 its limitations.

6           There are other ways to separate uranium  
7 and plutonium from fission products, which are not  
8 aqueous. This DUPIC process, in particular, merits  
9 some mention because that's being developed as a  
10 collaborative effort between Canada and South Korea.  
11 It's a very low decontamination process, and it  
12 involves - you must have two different kinds of  
13 reactors to make it work. You start out with fuel  
14 from a light water reactor, like a pressurized water  
15 reactor, and you knock it out of the cladding like  
16 before. And then instead of dissolving it, you just  
17 heat it up in air or ozone, oxygen. And when you do  
18 that, the uranium dioxide undergoes a phase change and  
19 it crumbles into a fine powder. And when it does  
20 that, it releases large high cross section fission  
21 product gases, like xenon, and they go off in the off-  
22 gas. So does, of course, the iodine, the ruthenium  
23 and everything else. It's volatile, and so you have  
24 this -- but you've gotten rid of some high cross  
25 section materials.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now you couldn't just take this material  
2           then and reconstitute it into a light water reactor  
3           fuel because it still has too many fission products,  
4           and too many neutron absorbers, too many high cross  
5           section neutron absorbers. But once you put it into  
6           a heavy water reactor like CANDUs, they are much more  
7           efficient than light water reactors, and they will  
8           burn this kind of fuel, so the DUPIC process that's  
9           being developed involves light water reactor fuel, and  
10          then subsequently heavy water reactor fuel. These in  
11          tandem allow you to get the additional burn-up, and  
12          it's a very simple reprocessing operation. But, of  
13          course, it's all highly remote, the fabrication and  
14          everything else. I thought it's kind of interesting,  
15          and it's being worked.

16                 MEMBER WEINER: Before you go away from  
17          that slide, if you can go back to it.

18                 DR. WYMER: Can we go back to that slide?

19                 MEMBER WEINER: I'm sorry. One more.

20                 DR. WYMER: One more.

21                 MEMBER WEINER: I'm surprised, is there a  
22          future for the EBR-II process?

23                 DR. WYMER: No. The EBR-II was a very  
24          special process run out at Idaho Falls in their  
25          totally contained and inert atmosphere circular cell

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that they have out there, specifically for processing  
2 fuel from the EBR-II reactor. They ran the process.  
3 They shut the plant down. It worked, and basically,  
4 what they did, was they demonstrated on a commercial  
5 scale high temperature processing, pyrochemical  
6 processing, which was a major step forward. That is  
7 considered as the next - we talked about it a minute  
8 ago in connection with one of Mike's question. It's  
9 considered as a way of completing the Global Nuclear  
10 Energy Partnership cycle, for the processing, the mass  
11 breeder reactor fuel pyroprocessing, which is  
12 basically a fused salt process, fused fluorides,  
13 pretty corrosive, but not the less, it works. Okay?

14 MEMBER WEINER: Thanks. I wondered about  
15 what had happened.

16 DR. WYMER: Okay. Yes, it served its job  
17 and it's done. And it did work.

18 Ion exchange - I'm not going to belabor  
19 this - as I said, is a solid material, and put the  
20 liquid on it, the stuff you want, if you set the  
21 system up properly gets on the ion exchange resin.  
22 The other stuff runs out the bottom as waste. Then  
23 you pour some more liquids through it that liberates  
24 the uranium and plutonium from the ion exchange resin,  
25 and that's your product stream, so it's a two-step

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operation.

2 Now onto MOX fuel preparation. Ideally,  
3 you would use the uranium and plutonium both in light  
4 water reactor fuel, and instead of continuing to use  
5 enriched uranium all the time, you put plutonium in.  
6 It takes a little bit more plutonium, a percent or so  
7 more plutonium to get the same reactivity that you had  
8 from enriched uranium, but nonetheless, it certainly  
9 does work. And there are several countries doing  
10 this, and I'll say more about it here. Why don't I  
11 just go on to it.

12 These are the countries that are involved  
13 in it, Belgium, France, France has a couple of them,  
14 UK, Japan, and this gives you the status. You've got  
15 this in your hand-out. The capacities, they're either  
16 here or they're going to be here. And, of course,  
17 we're going to build one at Savannah River, a MOX fuel  
18 fabrication plant is currently being looked at by the  
19 NRG, because it'll be a commercial plant.

20 Fuel refabrication, I'm not going to dwell  
21 on. You basically take the oxides of either uranium  
22 or uranium and plutonium, press them into pellets.  
23 Typically, for light water reactor fuels they're about  
24 a half inch in diameter to about a half inch high,  
25 slightly dished on the top and bottom to allow for a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 little fission product gas, and they under fine  
2 irradiation they take them up to quite a high  
3 radiation these days, 40, 50, 55,000 mega watt days  
4 per ton, 38 used to be the standard. And they break  
5 up when you do that, so that makes it easier for them  
6 to come out of the cladding when you chop them up  
7 because they're already partially broken due to the  
8 radiation effects.

9           This is fuel pellet fabrication. I copied  
10 a Cogema flow sheet here. Fabricate the pellets from  
11 uranium and plutonium recycled scrap. They're  
12 bringing these in pure from the plant that makes the  
13 oxide from the solutions, the nitrate solutions, and  
14 then you recycle scrap, and you make the pellets, and  
15 you weigh them, and grind them up to get the right  
16 size, put in a binding agent which will burn-off on  
17 heating, press them in a hydraulic press, you center  
18 them, they shrink, you grind them to the right size,  
19 then you test them and you reject what didn't pass,  
20 and it goes back to scrap recycle. And the  
21 fabrication, you drop them into the zircaloy metal  
22 tubes, put the plugs on the ends, clean the outside,  
23 you pressurize them, do non-destructive testing on it  
24 to see that everything is uniform, then you package,  
25 you store them, and you ship them to where you want

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 them to go. And these are highly sophisticated, very  
2 carefully carried out operations. And, of course,  
3 there's a lot, too, that you do, you sinter them  
4 either in an oven, or you can sinter them with  
5 induction heating.

6 VICE CHAIRMAN CROFF: Ray, I'd like to  
7 make one point on the refabrication that doesn't come  
8 through in a lot of the solids handling, which is a  
9 big part of a refab plant, handling and blending. But  
10 the word "scrap", there's a lot behind that because  
11 the scrap has to be redissolved in nitric acid from  
12 through solvent extraction process, reprecipitated,  
13 and then calcined again, so there are a lot of  
14 elements of reprocessing that Ray has talked about in  
15 a refab plant, and they are in the proposed plant down  
16 at --

17 DR. WYMER: Scrap can be several percent.

18 VICE CHAIRMAN CROFF: Yes, at Savannah  
19 River, that was all the discussion about red oil comes  
20 from the solvents. That's not evident, it's a rather  
21 cold flow sheet.

22 CHAIRMAN RYAN: Yes. Yes. One of the  
23 other things that I think about, too, when I hear some  
24 of these details is that at the moment, we deal with  
25 high level waste, low level waste, TRU, and a few

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 other odds and ends. But when you talk about  
2 reprocessing being on the scheme, of course, the IAEA  
3 and the Europeans all have intermediate level waste.

4 DR. WYMER: They're trying to get away  
5 from that, though, as you probably know, that  
6 classification.

7 CHAIRMAN RYAN: But nonetheless, there is  
8 a component of fission products and waste that have a  
9 little bit of everything that's not economic, perhaps,  
10 to make recovery on. And I just wonder how -- it's an  
11 open question, but that's certainly something to think  
12 about as you optimize whatever system you look at, as  
13 you have to think about not only getting to some end  
14 waste, but also what are its ultimate disposal  
15 characteristics in whatever group of categories you  
16 end up with.

17 DR. WYMER: Yes. The idea that is being  
18 worked on is not totally here yet, is to work the  
19 process such that you clean up the low level waste low  
20 enough that it's true low level waste, and the rest of  
21 it all goes into high level waste. But it's hard,  
22 because a lot of things do fall into an intermediate  
23 category, as you have just implied, all of Europe has  
24 always had an intermediate level waste category, and  
25 we have always side-stepped it in our nomenclature,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but not in our practice. And we only have low level  
2 waste and high level waste formally.

3 CHAIRMAN RYAN: If you take just the  
4 metals that we looked at in the grinding and crushing  
5 operation, which are always fun to see, we have  
6 irradiated hardware, stainless steel stuff that comes  
7 out of light water reactors, which is fairly  
8 straightforward. It's nickel 62, it's cobalt 60, and  
9 a dribble and a drab of whatever all else. I mean,  
10 some of them can be screaming hot like the stellite  
11 balls because there's so much cobalt in them, but  
12 that's a five-year half-life. It's a solvable  
13 problem. But then when you get to cladding hulls and  
14 stripped off magnesium, you get into -- first of all,  
15 chemical questions of magnesium are fun to think  
16 about, but then there's enough - like you said, there  
17 could be a few percent of what you really wanted to  
18 recover for reuse in fuel or other things, that raise  
19 the question - well, how is it low level waste if  
20 there's enough of that along the fuel component or  
21 plutonium, or whatever all else to deal with. Where's  
22 the cut-off point?

23 DR. WYMER: Yes. In the past, the cut-off  
24 point for the fissile materials have typically been an  
25 economic question. That day is going to come to an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 end, I think. You can afford to lose .05 percent, you  
2 can't afford to lose 2 percent of your plutonium, so  
3 that's been done on an economic, rather than on a  
4 technological basis.

5 CHAIRMAN RYAN: Even if you look at fresh  
6 fuel, enriched uranium fuel fabrication in the old  
7 days, it was hundreds of grams were acceptable in  
8 waste, and now they're recovering every last milligram  
9 that they can because it's so valuable.

10 DR. WYMER: That's right.

11 CHAIRMAN RYAN: The other aspect of it is  
12 risk-informing the decisions on what's in waste. It's  
13 not so much the economics of the chemical process,  
14 though those are clear drivers, but do you need to  
15 process more with the end point of what's in the waste  
16 in mind, versus the economics of just returning some  
17 material to useful purpose in fuel.

18 DR. WYMER: And those factors are becoming  
19 more and more important all the time.

20 CHAIRMAN RYAN: Yes.

21 VICE CHAIRMAN CROFF: I'd like to  
22 elaborate on Mike's line of discussion here. First,  
23 a reprocessing plant would produce a fair amount of  
24 what we would call remotely handled transuranic waste,  
25 what DOE would call that, which is greater than Class

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 C in the civilian world. And also, a rather  
2 substantial amount of remotely handled transuranic  
3 waste, very hot greater than Class C, the cladding  
4 holes being the prototypical example. Getting those  
5 down to less than transuranic levels based on  
6 historical examinations has been beyond heroic, and  
7 not deemed possible. The implication in the NRC world  
8 is what had been fairly modest amounts of greater than  
9 Class C, in a recycle scenario, it becomes a major  
10 waste stream that has to be dealt with somehow.

11 CHAIRMAN RYAN: Yes, the interesting thing  
12 of all of that is it's either source-based definitions  
13 or health physics-based definitions of contact and  
14 non-contact. And none of those definitions, none of  
15 them have anything to do with ultimate risk in a  
16 disposal setting, so you might find out that what seem  
17 to be pretty bright lines between one category and  
18 another, when you take it out of the operational  
19 setting and put it in a disposal setting, might not be  
20 so bright. So I think that's kind of what we're  
21 wrestling with here, is to think how do you go from  
22 operational and health physics and radiation  
23 protection-based views of how the world works, and  
24 economical and chemical process to say okay, I've got  
25 six bins of waste. What do they look like in a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 disposal setting, and what are the risks from that  
2 standpoint.

3 DR. WYMER: That's right.

4 CHAIRMAN RYAN: Thanks.

5 DR. WYMER: Just one detail, follow-up on  
6 that one on the cladding. A zircaloy cladding, even  
7 though it has had the fuel dissolved out of it with 4  
8 or 4 molar nitric acid or higher, it's not really --  
9 it's not ever completely decontaminated, because in  
10 the instance of fission, fission fragments and  
11 actinides recoil into the cladding deep enough that  
12 they do not dissolve out, and so they never become a  
13 totally clean waste. And typically these days, you  
14 take the whole bunch of those claddings and you just  
15 compress them into a great big cube of zircaloy  
16 cladding, almost theoretically dense. Okay. We've  
17 dealt on this.

18 MEMBER WEINER: Before you go away from  
19 that one.

20 DR. WYMER: One more, go back one more  
21 time.

22 MEMBER WEINER: Can we go one more time?

23 DR. WYMER: Can you go back there?

24 PARTICIPANT: Oh, you've got something on  
25 the screen.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WYMER: You can back it up. Can I do  
2 that? Doesn't say back?

3 PARTICIPANT: It says previous.

4 DR. WYMER: Oh, previous. Okay. There we  
5 go. I can do that.

6 MEMBER WEINER: Thank you. As I recall,  
7 you made the statement at the beginning of your talk  
8 that waste volumes would be reduced if we went to  
9 reprocessing, but it looks to me that just from the  
10 volume point of view, just recognizing that the  
11 specific activity would be very different just from  
12 the volume point of view, looks to be increased. Are  
13 you thinking that you can separate out the fission  
14 products and store those in other ways?

15 DR. WYMER: I know what you're talking  
16 about. I was referring to the volume of waste in the  
17 repositories.

18 MEMBER WEINER: Okay.

19 DR. WYMER: As opposed to storage. There  
20 was a lot of liquid waste stored from these processes,  
21 that's right. If you're talking about the volume  
22 compared to the volume of the fuel, we make a lot more  
23 volume. But that then, of course, is vitrified, put  
24 in the containers, and then you don't have these 12  
25 foot rods with a lot of space between the fuel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 elements.

2 MEMBER WEINER: So when it's vitrified, or  
3 immobilized in some way, you're not actually  
4 increasing the volume of waste. You've compressed it  
5 enough with getting rid of the fuel rods that the  
6 volume is actually less? I'm just curious about that.

7 DR. WYMER: I think I mentioned - I was  
8 talking about that in the context of the Global  
9 Nuclear Energy Partnership scheme, where you took out  
10 the actinides and the cesium, and the strontium, and  
11 in that case --

12 VICE CHAIRMAN CROFF: Ray, before you dig  
13 yourself in too deep here, believe it or not, the  
14 recent French experience is the total waste from the  
15 reprocessing plant is smaller than the volume of the  
16 spent fuel.

17 DR. WYMER: Yes.

18 VICE CHAIRMAN CROFF: Total, I mean true  
19 cladding. The whole enchilada.

20 DR. WYMER: Let me rehash what I --

21 MEMBER HINZE: By 50 percent, 100 percent?

22 MEMBER WEINER: Ten percent?

23 MEMBER HINZE: Twenty-five percent?

24 THE WITNESS: I don't think it can be 100  
25 percent smaller. No, no.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: The volume has nothing to  
2 do with the risk.

3 VICE CHAIRMAN CROFF: The volume has  
4 nothing to do with the risk, but it's surprising what  
5 they have been able to do with volume. And by keeping  
6 chemicals that are volatile, like oxygen or whatever  
7 out of the system.

8 MEMBER HINZE: Well, the volume does have  
9 something to do with the risk if you involve human  
10 intrusion.

11 VICE CHAIRMAN CROFF: It has to do with  
12 storage space in this kind of stuff. But they've done  
13 amazing things on the volume issue.

14 DR. WYMER: Well, I'm going to be  
15 intruding on somebody else's time here, but I do want  
16 to answer the questions. The thought there was that  
17 by reducing -- by taking the actinides out and burning  
18 them, and by reducing the volume of that 12 foot  
19 element down into a 10 foot thing, put all together,  
20 taking into consideration the heat lobe which limits  
21 the spacing on the waste in the Yucca Mountain  
22 repository, you do reduce the footprint required.

23 MEMBER WEINER: Thank you.

24 DR. WYMER: From start to finish. This is  
25 the inside of million gallon tanks that never got

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 anything in them, of course, because the plant never  
2 ran. These are all cooling coils inside, so these  
3 things are huge. Now, of course, what we have out at  
4 Hanford, we have at Savannah River, 177 of those tanks  
5 out at Hanford, and 50 some at Savannah River that  
6 need to be emptied and decommissioned in some way.  
7 They're pretty much empty now of liquid, but they have  
8 a lot of sludge and crystalized salts on the bottom.  
9 This is just an array of waste tanks at Savannah  
10 River.

11 This is - I think Allen must have put this  
12 together sometime. Where did you get that, Allen?

13 VICE CHAIRMAN CROFF: I stole it from you.

14 DR. WYMER: What?

15 VICE CHAIRMAN CROFF: Jerry Nickles.

16 DR. WYMER: Oh, Jerry. Oh, well. Yes.

17 Jerry never was a slacker. Reprocessing capacity, a  
18 lot of these are trivial, but if you look at the  
19 output, you get an idea of what really is important  
20 here. We have UK, France, Russia, China, Japan coming  
21 on-stream with the Rokkasho-mura plant, which is in  
22 cold testing as we speak, I think. Have I missed one?  
23 India is doing some reprocessing, of course. Those  
24 are the big ones, and these others have toyed around  
25 with it. There's another slide, more of them here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 This is another continued list. And here are some  
2 carefully chosen references, if you want to know more  
3 than you think you want to know about reprocessing.  
4 Most of these are - if you really want to know,  
5 they're worth reading. In particular, I would commend  
6 to you - that I quit. (Laughing.) Any other  
7 questions? Okay. Let's go ahead and take questions.  
8 Ruth, any more?

9 MEMBER WEINER: Unfortunately, one. This  
10 is just a general question. Looking at all of the  
11 reprocessing reformulation of MOX fuel processes that  
12 you've just talked about, which would you choose if  
13 you had to choose one for future development, or are  
14 there specific processes that are most suited to  
15 specific fuels?

16 DR. WYMER: If you put aside the HTGRs,  
17 which are in a class all by themselves, I think for  
18 the next 20 or 30 years, it's all PUREX, hands down.  
19 After that, we may get into some of these UREX  
20 process, which are modified PUREX processes. The  
21 French may come on with some of their totally  
22 different extractants, other than TBP, in the future,  
23 mainly in connection with managing the waste, reduce  
24 the waste volume. But TBP has -- the reason it's been  
25 used and picked up and used for so many years, it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 unusual for something to last that long - is because  
2 of all the desirable properties it has. It has the  
3 right viscosity, has the right flashpoint, has the  
4 right extractability for uranium and plutonium. It  
5 can be diluted with inexpensive kerosene. It just has  
6 a lot of advantages that are awfully hard to overcome.  
7 That's why eventually the French, who started out with  
8 things like BUTEX, and ourselves out at Hanford with  
9 hexone, we eventually -- everybody went to TBP for  
10 those reasons. It's cheap. So for the next 20-30  
11 years, that's what you'll see, but there certainly is  
12 room for improvement.

13 The pyro processes do have some  
14 advantages. Few salt volatilities, such as they  
15 pushed for GNEP as a phase 2. That was all developed  
16 at Argonne National Lab, and it was demonstrated on  
17 the EBR-II fuel, and the plants are general smaller  
18 for give and throughput than the aqueous plants are.  
19 Of course, there are fluorides which is very  
20 corrosive, and they run it 400 degrees Centigrade,  
21 which is pretty hot, but not out of sight. They  
22 produce a waste that is somewhat difficult because  
23 it's a fused salt waste, and you have to fix it, but  
24 Argonne has developed some processes for fixing that  
25 fused salt fission product containing waste, so I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think that has a future down the line a ways. And  
2 it's for applications like fast butal reactors where  
3 if you want to reprocess on a fast cycle, and you  
4 don't want to burn up your tributal phosphate with  
5 radiation damage, you do not burn up sodium fluoride,  
6 lithium fluoride with radiation. You do liberate a  
7 little fluorine gas over time, but it could be  
8 reconstituted easily, so I think that has a future.

9 MEMBER WEINER: Thank you.

10 CHAIRMAN RYAN: I think I asked the  
11 questions I was really keen on, Ray, as you talked.  
12 And the summary that I took away is that you'd agree  
13 with this idea of system optimization, and the points  
14 of optimization can be many, it can economics, it can  
15 be getting maximum kilowatt, mega watt days per ton on  
16 the fuel.

17 DR. WYMER: Very complex.

18 CHAIRMAN RYAN: It can be minimizing the  
19 waste you generate, it can be the ease of handling in  
20 the reprocessing plant, and costs all the way along  
21 the way, or can be ultimately one of the  
22 characteristics of the waste that allow for effective  
23 disposal. So somewhere amongst all of that, there's  
24 got to be --

25 DR. WYMER: There's an optimization.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: At least a range of  
2 options that one could look at, and I --

3 DR. WYMER: Some will be contradictory to  
4 others, and that's why you have to optimize.

5 CHAIRMAN RYAN: Absolutely. Absolutely.  
6 And I think you wrestle with what I feel to be goofy  
7 definitions of contact and non-contact handled waste  
8 and things of that sort, when we ought to remember  
9 that uranium is uranium, is uranium. It doesn't  
10 matter where it came from, or where it's going, it's  
11 still uranium, and has, as I recall, a 4.51 times 10  
12 to the 9<sup>th</sup> year half-life 238. Doesn't matter where  
13 it came from, so those kind of characteristics in  
14 balance, I think, at least what I think about when I  
15 think about rethinking reprocessing.

16 And the second part of that is risk-  
17 informing it along the way. And I would hate to say  
18 well, let's optimize on this waste disposal parameter,  
19 and finding out that we've increased an inordinate way  
20 to that savings risk to workers, or risk to something  
21 else in the system, or optimizing a reactor becomes 25  
22 times more expensive for that little increment over  
23 here. So system is the magic word to me that we need  
24 to focus on. We can't have one kind of reactor - and  
25 we'll do that 30 years from now. I'm a little nervous

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about that.

2 DR. WYMER: My cynical view, Mike, is that  
3 each part of the fuel cycle will optimize themselves  
4 on economic basis, and then they will do whatever else  
5 is necessary being driven by regulators.

6 CHAIRMAN RYAN: And, I guess, what I'm  
7 suggesting is that the advice to regulators is don't  
8 let them do that, optimize the total system.

9 DR. WYMER: I'm a little scared of that,  
10 too.

11 CHAIRMAN RYAN: At least somewhere in the  
12 middle is the playground where the right answer can be  
13 formulated.

14 DR. WYMER: But people are loathe to do a  
15 total system analysis on anything. But, anyway,  
16 you're right.

17 CHAIRMAN RYAN: Well, I read a piece on  
18 the Global Initiative, and it looked to me just like  
19 the too cheap to meter stuff from the 50s.

20 DR. WYMER: Yes.

21 CHAIRMAN RYAN: And I was actually  
22 appalled at it, so history is -- we're doing the  
23 repeat history, I guess.

24 DR. WYMER: Oh, sure. You know that,  
25 Mike.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Okay. Well, thanks. I  
2 appreciate the discussion because it really will help  
3 us shape how we take the technical information and  
4 turn it into a strategy.

5 DR. WYMER: Thanks for having me.

6 CHAIRMAN RYAN: Thanks for being here.

7 VICE CHAIRMAN CROFF: Not quite yet.  
8 First, a point to John Flack, but we hope to get the  
9 DOE people in later this summer to talk about the  
10 forward-looking program. We need to make sure to ask  
11 the question about whether they're doing system  
12 analyses.

13 CHAIRMAN RYAN: Right.

14 MR. FLACK: No, I think that is the key,  
15 because what are the drivers, and how -- because  
16 that's outside of our control.

17 VICE CHAIRMAN CROFF: I mean, ask it right  
18 now, and if there's a specific person that can talk to  
19 it for a half hour, let's get them here.

20 MEMBER HINZE: Well, a couple of very  
21 quick questions. One of your first slides, Ray, was  
22 reprocessing - why do it? If you were to put up a  
23 slide which would say reprocessing - why not do it,  
24 and you remove the political card, what would you have  
25 under that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WYMER: Why not do it?

2 MEMBER HINZE: Yes.

3 DR. WYMER: Well, I think -- I don't know  
4 whether this gets what you want. The only reason you  
5 reprocess is to conserve resources and to save money,  
6 so that's why you reprocess.

7 MEMBER HINZE: And so, the reason why you  
8 shouldn't do it then is?

9 DR. WYMER: The reason why you should not  
10 do it?

11 MEMBER HINZE: Yes.

12 DR. WYMER: Because of all these problems  
13 that Mike has been alluding to. I don't think you  
14 should not do it. It is my belief that Yucca Mountain  
15 will be a satisfactory repository for the waste. It's  
16 my belief that we can, in fact, reprocess safely, so  
17 I don't believe you should not do it.

18 MEMBER HINZE: I knew there was a good  
19 reason why we didn't see that slide.

20 DR. WYMER: Yes. When you get a speaker,  
21 you have to accept his presence.

22 MEMBER HINZE: The second question -  
23 you've given us a number of references here. I'm  
24 interested in a reference that would give me the best  
25 information, the most complete information on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 waste from reprocessing in terms of volume, in terms  
2 of radiation, in terms of heat, et cetera. Is there  
3 some place where this is written so that a layman in  
4 this area could look at it and understand it?

5 DR. WYMER: Well, the best single  
6 reference on that list is the first one.

7 MEMBER HINZE: Is by Wymer?

8 DR. WYMER: No. I bagged mine about three  
9 -- I sprinkled them throughout, but I didn't put it  
10 first. The best one there is by Justin Long, and he  
11 covers almost everything. And that's an encyclopedic  
12 discussion of things. Now whether the waste is a key  
13 thrust of that, probably not, but it's in there. So  
14 if you want the best overview you can get, it's Justin  
15 Long's book.

16 MEMBER HINZE: So waste is not necessarily  
17 treated as an entity there, but has to be extracted --

18 DR. WYMER: That's what I found.

19 MEMBER HINZE: Okay. Thank you very much.

20 DR. WYMER: Piecemeal it out. Yes.

21 VICE CHAIRMAN CROFF: ACNW staff.

22 MR. FLACK: Just a question on your  
23 thoughts about the impact of reprocessing on the  
24 licensing of Yucca Mountain. Are these going to be  
25 someday coupled at some point, do you think? Will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have a major effect on that licensing process?

2 DR. WYMER: That's one of the drivers,  
3 sort of the half-hidden agenda, DOE wanted to go to  
4 Global Nuclear Energy Partnership, it's to extend the  
5 lifetime of the Yucca Mountain repository by five-  
6 fold, by so dramatically reducing the volume of waste  
7 that goes into it.

8 MR. MAGRUDER: It can have a major effect,  
9 then --

10 DR. WYMER: No major effects.

11 MR. MAGRUDER: -- which is how do you  
12 quantify that in cost space? It just becomes not an  
13 economic --

14 DR. WYMER: Well, if you look at how much  
15 money it's taken so far, they'll save a lot of money.  
16 Build three or four more Yucca Mountains, some  
17 billions of dollars. So yes, it would be a major  
18 driver, to say nothing of the social and political  
19 problems associated with Yucca Mountain, and building  
20 another one.

21 MR. HAMDAN: Very quickly. I don't know,  
22 I didn't hear or see it, but I think this was  
23 fascinating. Maybe, I daresay, the best presentation  
24 I've heard at ACNW in the two years I've been here.  
25 Very brief question - if you were to start the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reprocessing in the U.S., would you do it through boil  
2 out plants, or do it based on --

3 DR. WYMER: It's far enough along, the  
4 technology is far enough along, you would build a  
5 plant. You wouldn't build a powder plant for PUREX  
6 processing.

7 CHAIRMAN RYAN: And just a quick follow-  
8 up. I guess I took from the presentation, the videos  
9 even though they were dated somewhat, that the French  
10 seem to be in the world lead.

11 DR. WYMER: By a mile.

12 CHAIRMAN RYAN: By a mile. I just wanted  
13 to make sure that was clear.

14 DR. WYMER: Yes. I'm sorry, that should  
15 have come through loud and clear. They're shutting  
16 down the Thorp plant. They'll still be operating to  
17 do some reprocessing over there, but won't be the  
18 oxide fuel through the Thorp Plant.

19 CHAIRMAN RYAN: You didn't mention the  
20 newer Japanese activities, and they're kind of getting  
21 to where they're up and running.

22 DR. WYMER: Well, they have that little  
23 reprocessing plant, Tokai-mura, that is running for  
24 many years, the French built for them. They had a  
25 leaky dissolver that they almost sued the French over,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but they took the Rokkasho-mura plant up on the upper  
2 end of Honshu, I think they're still cold testing,  
3 still running uranium through it.

4 VICE CHAIRMAN CROFF: No, they went hot  
5 about three or four weeks ago.

6 DR. WYMER: Have they gone hot now?

7 VICE CHAIRMAN CROFF: Just barely.

8 DR. WYMER: Then I'm behind. Oh, maybe I  
9 did read that. And only it's at a much lower capacity  
10 than the --

11 vICE CHAIRMAN CROFF: They're still  
12 feeling their way along. It's still shake down.

13 DR. WYMER: That's right. I remember  
14 seeing that now. Yes, that's a big plant, that's 800  
15 to 1,000 tons a year, and it's a total French design.

16 CHAIRMAN RYAN: I mean, again, even though  
17 it's in Japan, it is French technology, and they have  
18 a pretty strong presence there, I guess.

19 DR. WYMER: Absolutely.

20 CHAIRMAN RYAN: Yes.

21 MR. THADANI: A quick one - today we have  
22 approved burn-up levels of 62,000 mega watt days  
23 metric ton.

24 DR. WYMER: It's that high now?

25 MR. THADANI: Yes. And some experiments

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have been done to look at the condition of the fuel  
2 pellets, and the reactor reinsertion accident. But I  
3 don't think people have looked at it in the context of  
4 at the end how do you deal with the condition of the  
5 pellets, particularly if you go to reprocessing. And  
6 I'm hearing now some talk about perhaps going to  
7 75,000 mega watt days per --

8 DR. WYMER: They're going to get into  
9 cladding problems.

10 MR. THADANI: And I'm wondering if that  
11 could pose significant challenges down the road.

12 DR. WYMER: I think it does. I think  
13 cladding becomes the driver at about that level. Yes.

14 MR. THADANI: And that's why I think  
15 Mike's point, that you have to take a total systems  
16 look, the issue is critical.

17 DR. WYMER: Yes, absolutely.

18 MR. THADANI: To look at up front, also.

19 CHAIRMAN RYAN: Well, you know - I mean,  
20 it's not only even the burn-up, it's simple things  
21 like design of the fuel. You know, if you're going to  
22 design it for optimal heat transfer versus designing  
23 it for some optimization between heat transfer, burn-  
24 up, and reprocessing schemes --

25 MR. LARKINS: It almost seems like we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a little behind the power crew on that, because if you  
2 look and see what's happening, you've got maybe 15-25  
3 proposed plants to be certified, either combined  
4 operating license and things like that over the next  
5 few years. And if those plants, those will all be  
6 current light water reactor-type fuel, so I'm not sure  
7 how do you go in and optimize early on on - actually  
8 fuel fabrication, I think is set.

9 MR. THADANI: All the economics are done  
10 up front.

11 CHAIRMAN RYAN: And for the current  
12 generation of reactors, I guess we're in for a dollar,  
13 so a dime extra is not a big deal. But by the same  
14 token, that's under the scheme that there isn't any  
15 reprocess, so the high burn-up, there's not a  
16 monitoring processing and things like that. But if  
17 the game changes in one regard, then maybe there are  
18 things at this early stage that can't be done, maybe  
19 not, or maybe they shouldn't be. But then I think  
20 you're going to go through the exercise, I think,  
21 about how to optimize.

22 MR. LARKINS: Yes, but I think we're going  
23 to be locked in even if we go to reprocessing, with  
24 almost current technology.

25 CHAIRMAN RYAN: That could very well be,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and again, there may be small changes that could  
2 improve, or there may not be. But I think it's worth  
3 the exercise to think about that.

4 DR. WYMER: Yes, definitely at least a  
5 crude first order, maybe zero order total systems look  
6 ought to be taken.

7 CHAIRMAN RYAN: And again, I mean, even if  
8 you leave the reactors out of it, and assume that's  
9 fixed is one option.

10 MR. LARKINS: How do you optimize  
11 reprocessing.

12 CHAIRMAN RYAN: Still optimize the  
13 reprocessing to look at waste products and end points.

14 MR. FLACK: It may also depend on whether  
15 you're going to build burners in the future, and you  
16 may want to reprocess in a way that allows you to  
17 prepare for that.

18 DR. WYMER: You know, there's such a thing  
19 as doing too much planning.

20 MR. FLACK: Have to be visionary, too.

21 CHAIRMAN RYAN: The number of degrees of  
22 freedom can get pretty awesome at some point.

23 DR. WYMER: Well, things change too much  
24 to plan too far. A 20-30 year horizon is okay, like  
25 my five years is worth some --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIRMAN CROFF: You want to use the  
2 microphone? We're being recorded.

3                   DR. WYMER: Just as well you didn't hear  
4 that. Anything else?

5                   VICE CHAIRMAN CROFF: I think we've  
6 reached the end of it, and we've run a bit over, so  
7 thank you very much. You hit the nail on the head in  
8 a great presentation. Stick around, we'll be getting  
9 back to you later. But let's go ahead and take a 15-  
10 minute break here, get back at 3:45.

11                  DR. WYMER: That's the most flattering  
12 thing that was ever said to me.

13                  VICE CHAIRMAN CROFF: We'll pick up with  
14 the NMSS part of this.

15                  (Whereupon, the proceedings went off the  
16 record at 3:30 p.m. and went back on the record at  
17 3:45 p.m.)

18                  VICE CHAIRMAN CROFF: Let's go ahead and  
19 come back to order. We're going to move on and talk  
20 about sort of the regulatory side of this whole  
21 recycle thing.

22                  And our next -- the lead for this little  
23 session is going to be Stu Magruder from the NMSS  
24 staff. And he's going to do a tag team with some of  
25 the other NMSS staff members. So I'll let you go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ahead and introduce yourself more fully and them.

2 3) NRC'S SPENT NUCLEAR FUEL REPROCESSING REGULATION

3 MR. MAGRUDER: Okay. Actually, Joe  
4 Giitter, who is the Chief of the Special Projects  
5 Branch and the Fuel Cycle Division, will start off and  
6 kind of introduce things.

7 I'll do about the first half of the  
8 presentation roughly, and then Joe will do the last  
9 half. But obviously we'll be open to answer questions  
10 any time during the presentation.

11 MR. GIITTER: Thank you. As Stu said, I'm  
12 just going to provide a few opening remarks. And  
13 we'll start right in on the presentation and try and  
14 go through it because we realize we're a little bit  
15 behind schedule here.

16 We are fortunate in this morning we were  
17 able to go down and have our first meeting with the  
18 Department of Energy. I think we have more answers  
19 now than we did yesterday at this time.

20 There is still a lot of uncertainty with  
21 GNEP and we'll try to answer the questions that you  
22 have, but, really, it's something that's still at a  
23 very high level, fairly conceptual level. And a lot  
24 of the details haven't really been worked out yet.

25 So with that in mind, we will tell you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what we know, what we believe our role is going to be.  
2 And even that hasn't really been decided yet. The  
3 Commission has given us direction. We'll talk about  
4 that. But DOE, we haven't come to a complete  
5 agreement with DOE on that yet, although we're making  
6 very good progress and we had a very good meeting this  
7 morning.

8 With that, I'll let Stu go ahead and start  
9 the presentation.

10 MR. MAGRUDER: I don't trust myself with  
11 the pointer. Next slide.

12 As Joe mentioned, the presentation will  
13 focus on -- we'll start off with a discussion of GNEP,  
14 talk a little bit about what the NRC staff has been  
15 doing over the last few months, what we plan to do in  
16 the future, a little bit about what our regulatory  
17 authority is, and what we might do, you know, existing  
18 regulations.

19 We'll talk a little bit about the  
20 facilities that they're proposing, what our role would  
21 be in those, talk a little bit about some issues. You  
22 know, Dr. Ryan mentioned a bunch of very good points  
23 about taking a systematic look at this. There are a  
24 lot of trade-offs involved. And we'll raise some of  
25 those issues and then talk a little bit about the path

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 forward.

2 Next slide, please. There is a lot of  
3 information in this slide. This is with DOE's  
4 advertising -- the Global Nuclear Energy Partnership,  
5 or GNEP, as we call it, is a very broad-reaching  
6 program, basically to restart; reprocessing; or, as  
7 they call it, recycling of spent nuclear fuel in the  
8 United States. And they're very up front about a lot  
9 of the purposes here.

10 I guess it's broader than just in the  
11 United States, to be fair. It really is a global  
12 initiative. It builds on the nuclear renaissance  
13 around the world, the desire to reduce, you know,  
14 emissions, the desire to make nuclear power available  
15 to more countries in the world, as you see, recycle  
16 used fuel, minimize waste, safely and securely allow  
17 nations, developing nations, to deploy.

18 And then the last bullet there, reduce the  
19 number of required U.S. geologic waste repositories to  
20 one for the remainder of this century. That's the  
21 goal. And we'll talk a little bit about how they plan  
22 to do that.

23 Like was talked about earlier today, it  
24 was difficult enough or it is difficult enough to  
25 license one repository. And the goal is not to have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to license another one for a long time.

2 I mean, the President proposed this. The  
3 2006 Appropriations Act directed DOE to develop a  
4 recycling plan. Dr. Croff and I were just talking  
5 about a plan and that it was just issued. It was  
6 supposed to be issued in March that Congress  
7 recommended that or directed them to do it, but it was  
8 just issued on May 31st, the official plan.

9 And we'll make sure that people have a  
10 copy of that. It's posted on the DOE Web site, but I  
11 don't know how to find it yet. I've got a copy from  
12 somebody from DOE. So we'll make sure that people get  
13 the link to it.

14 CHAIRMAN RYAN: Yes. Actually, if we  
15 could ask you to do that fairly soon, like before we  
16 leave this week, that would be helpful.

17 MR. MAGRUDER: Oh, definitely, yes.

18 CHAIRMAN RYAN: Okay. Thanks.

19 MR. MAGRUDER: We can do that.

20 MR. GIITTER: I've got a copy here. If I  
21 can get somebody on your staff to make copies?

22 MR. MAGRUDER: Right. And we'll get the  
23 link to everybody either later today or early tomorrow  
24 morning.

25 CHAIRMAN RYAN: That would be great.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MAGRUDER: Next slide, please. This  
2 is a view of both the domestic side of it and the  
3 international side. And we'll talk mostly about the  
4 domestic side, obviously, because that's the main --  
5 that will be the NRC's main role, although we do have  
6 a role in some of the international activities. We  
7 were talking this morning with DOE about export  
8 licenses for material and transferring technology to  
9 other countries and things like that.

10 MEMBER WEINER: Are you at the same time  
11 or is the program at the same time looking at  
12 expanding the use of nuclear-generated electricity and  
13 reducing the volume, the waste capacity needed to just  
14 one Yucca Mountain?

15 MR. MAGRUDER: Yes. That's the goal.  
16 Well, there are various scenarios, but --

17 MEMBER WEINER: Thank you.

18 MR. MAGRUDER: -- in any case, if you can  
19 burn the actinides in burner reactors, then all of the  
20 calculations have shown you just need one repository  
21 for the waste, the remaining high-level waste.

22 MR. GIITTER: That's assuming -- there are  
23 different scenarios, as Stu pointed out. And if we  
24 maintain the current call it market share, roughly 20  
25 percent of electricity generated by nuclear power

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 throughout the rest of the century, I think the  
2 estimate was an additional 8 Yucca Mountains or an  
3 additional 8 high-level waste repositories would be  
4 needed. And there is an expansion of that. If the  
5 market share goes beyond 20 percent, obviously there  
6 would be even more. So that was the basis for their  
7 estimate.

8 MEMBER WEINER: But the reduction to one  
9 with generation IV reactors also depended on  
10 maintaining the 20 percent market share. That was  
11 really my question.

12 MR. GIITTER: Okay.

13 MR. MAGRUDER: Right. And I guess there  
14 are various projections based on not reprocessing,  
15 recycling. And, as Joe mentioned, that would be  
16 multiple repositories required. Even under the  
17 scenario where the percentage of power produced from  
18 nuclear is increased above the current 20 percent, DOE  
19 still believes that only one repository would be  
20 required.

21 Okay. The next slide, this slide here,  
22 talks about the big picture of what would happen in  
23 the U.S. Essentially closing the fuel cycle,  
24 obviously all the processes up to going into a  
25 lightwater reactor would be the same.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Then there would be separation, some kind  
2 of probably aqueous process that would separate the  
3 material. We haven't or DOE has not decided exactly  
4 what that process would be, but they have decided that  
5 it will not be a Purex process.

6           There are a number of reasons for that.  
7 The main reason is proliferation concerns. They do  
8 not want to separate plutonium from other materials.

9           As was discussed earlier this afternoon,  
10 most of the aqueous processes are very similar to the  
11 Purex process. It's just where the different streams  
12 are. So a lot of the technology will be very similar,  
13 but it will not be a Purex process.

14           Can you go back, please? I'm sorry. Stay  
15 on this slide for a while. The idea is to separate  
16 some of the short-lived fission products, along with  
17 the uranium, possibly separate the uranium for  
18 recycling in a separate stream but take the strontium  
19 and cesium and store them, let them decay away and  
20 then eventually dispose of them as low-level waste.

21           Fission products would be theoretically  
22 the only waste stream that would end up in the  
23 high-level waste repository, the other fission  
24 products, the longer-lived fission products.

25           The transuranics from the reprocessing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 facility would be fabricated into fuel. The type of  
2 fuel they haven't decided yet. But the fuel would be  
3 then burned in fast reactors, probably sodium-cooled  
4 fast reactors, but the prototype or I guess the design  
5 they're basing things on is the G.E. --

6 MR. GIITTER: Advanced liquid metal  
7 reactor.

8 MR. MAGRUDER: Yes, ALMR design. And then  
9 there would be a facility. Probably the same facility  
10 that manufactured the fuel for the fast reactors would  
11 reprocess that fuel or recycle that fuel. And they're  
12 talking about probably a pyroprocessing technology  
13 there.

14 And then, again, whatever fuel or whatever  
15 products, fission products, of the waste stream from  
16 that would go to the repository as well. So, as we  
17 talked about earlier, this significantly reduces the  
18 amount of waste, both heat and volume, that would end  
19 up in the repository.

20 The technology demonstration program is  
21 the first step of this, of the GNEP program here. As  
22 you can see, there are three main facilities that  
23 we're talking about or three main demonstration  
24 facilities.

25 ESD is engineering scale demonstration

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 facility. That will be a facility that will  
2 demonstrate whatever aqueous reprocessing technology  
3 they choose. And that would be the first one built.

4 They're talking about getting that  
5 operational. Here this slide says 2011. Now, this  
6 morning they told us somewhere between 2011 and 2015  
7 depending on -- a little bit depends on the  
8 technology. Most of it I think depends on the funding  
9 level that they get.

10 But that would be just to demonstrate the  
11 technology. And they're talking fairly small scale.  
12 They're not sure exactly, but they're talking about  
13 tens or maybe low hundreds of tons per year for this  
14 facility.

15 The next facility time-wise that they  
16 would be talking about building would be a  
17 demonstration facility for the fast reactor or  
18 advanced burner test reactor, ABTR.

19 We talked briefly about that. That would  
20 be roughly the same size, what they're talking about,  
21 as the GEA ALMR design, several hundred megawatts  
22 probably.

23 And then, finally, you know,  
24 chronologically the advanced fuel cycle facility,  
25 which would be, again, a demonstration-scale facility,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not a full commercial scale or full-scale facility.  
2 And that would be coming online in the late -- well,  
3 2016 to 2020 roughly time frame.

4 MR. GIITTER: One of the things they told  
5 us this morning is that the advanced fuel cycle  
6 facility and the ABTR may be collocated, located at  
7 the same site.

8 MR. MAGRUDER: Right. Yes. I guess the  
9 vision for the longer term, after the technologies  
10 have been demonstrated, their goal is essentially to  
11 have modular designs and have essentially locations  
12 where you would have three, four, maybe five advanced  
13 burner reactors and one fuel reprocessing facility on  
14 the same site. So that you would ship in lightwater  
15 reactor fuel to the facility, but once you shipped  
16 that fuel in, it would just keep recycling the fuel  
17 from the advanced burner reactors through to the  
18 facility until eventually you have transmuted all of  
19 the actinides. And all you have left are fission  
20 products.

21 I mean, you would still have to transport  
22 the spent fuel from lightwater reactors, but you would  
23 not be transporting the other waste streams too far  
24 anyway we're talking about.

25 VICE CHAIRMAN CROFF: If we can, I would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 like to let them get through the presentation as much  
2 as we can. I think it would make it difficult.

3 MR. MAGRUDER: Okay. A little bit more  
4 detail about the three facilities that we're talking  
5 about. Again, this is the engineered scale  
6 demonstration for the reprocessing technology. One of  
7 the goals, actually, one of the goals of the whole  
8 project, is to make all of these facilities eventually  
9 commercially viable. And a lot of that has to do, it  
10 seems that a lot of that has to do, with the fact that  
11 you're averting the cost of building more  
12 repositories.

13 Now, I mean, we didn't talk about their  
14 business plan or how they would get interested, but  
15 one of the goals of the demonstration facility is to  
16 gather cost data to determine the viability of these  
17 different facilities. And obviously one of the  
18 streams from this demonstration facility would be the  
19 separated transuranics for the advanced burner test  
20 reactor.

21 The next facility we've got here is the  
22 advanced fuel cycle facility, again, a multipurpose  
23 facility. This would be where the fuel would be  
24 fabricated. And they're also talking about -- I  
25 didn't mention it earlier but advanced simulation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 laboratory is a facility that they are also working  
2 on. Again, that would be a lot of code development  
3 there and trying to kind of go to the next step of  
4 code development.

5 MR. GIITTER: The DOE Office of Science is  
6 heavily involved in GNEP.

7 MR. MAGRUDER: Right.

8 MR. GIITTER: They're the ones leading the  
9 effort on the code development.

10 MR. MAGRUDER: Yes, yes. Most of the  
11 other stuff here is at the Nuclear Energy Office of  
12 DOE, although NNSA is also involved, especially in the  
13 international area.

14 I talked a little bit already about the  
15 advanced burner test reactor. Again, as we talked  
16 about earlier this afternoon, the goal is to -- you  
17 need fast neutrons to transmute the transuranics. And  
18 it seemed like the most economical way to do that is  
19 through a reactor.

20 This facility is the one that they have  
21 talked most about NRC involvement in. Their goal is  
22 to gather data and basically prepare a design  
23 certification package for this reactor so that it  
24 would be easy to license by the NRC.

25 And, as you can see, we put a little bit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of information about, you know, some of the advanced  
2 reactors or the burner reactors or fast reactors that  
3 are operating around the world. The Phoenix in France  
4 and the BN-600 in Russia are similar scale.

5 I mentioned these already briefly, but the  
6 planning milestones, they're talking about operation  
7 of the simulation laboratory would be starting up  
8 relatively soon.

9 As I mentioned, we got a little bit  
10 updated on the dates this morning. Essentially they  
11 just kind of drew error margins around the dates that  
12 they had here and kind of gave themselves some more  
13 fudge room there.

14 The last bullet there, you know, they  
15 would like to get the advanced burner reactor itself  
16 operating by 2023 roughly. I see some notes there.  
17 They have published several public documents regarding  
18 GNEP. They published an advanced notice of intent,  
19 solicitation of interest for basically communities or  
20 facilities that would like to host some of these  
21 facilities, and got more than 30 expressions of  
22 interest. It varied from national labs to commercial  
23 facilities to communities that already have nuclear  
24 facilities located there. So there's a lot of  
25 interest, obviously, in doing something like this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 around the country.

2 Next slide. Here we go. We, actually Joe  
3 and some other folks, were approached by DOE last  
4 fall, I guess, for the first time about their  
5 proposal, right before they went public with it.

6 MR. GIITTER: Last summer, yes.

7 MR. MAGRUDER: Yes. Well, last summer  
8 even. And we started thinking about what the NRC role  
9 would be in this process here. In January, we started  
10 to write a Commission paper, which actually went up in  
11 March, kind of laying out what we knew about the  
12 program at the time and what some of our concerns  
13 might be, what we thought our role might be. That's  
14 SECY 06-0066.

15 The Commission considered that for a  
16 while, actually along with a paper that Commissioner  
17 McGaffigan wrote with his own personal views on  
18 reprocessing.

19 In the middle of May, they issued staff  
20 requirements memoranda to us, on both our paper and  
21 Commissioner McGaffigan's paper, basically saying that  
22 we should work with DOE to learn more about what  
23 they're proposing to develop a conceptual licensing  
24 process for these facilities.

25 Now, they also asked us to draft

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 legislation to clarify, I guess, the NRC role to give  
2 us authority over DOE facilities. Again, that's DOE.  
3 We talked about that a little bit today. I think  
4 we're in relatively agreement with DOE on this. For  
5 some small demonstration facility, technology  
6 demonstration facilities, on DOE sites, the NRC  
7 probably would not have to license the facilities.

8 We would be very interested in following,  
9 you know, obviously what they're doing so that we  
10 would be ready to license them if they built more  
11 facilities. But if they were to build larger-scale  
12 facilities or almost full-scale facilities, even if  
13 they were on DOE sites or owned by DOE, the Commission  
14 would like the NRC to license those facilities. So  
15 that's what this legislation would propose. I'm  
16 assuming that the commission asked for that based on  
17 discussions with Congress ahead of time, but I'm not  
18 sure.

19 Additional --

20 MR. GIITTER: I think, just to kind of add  
21 to what Stu said, the feeling is that we need to be  
22 involved in what DOE is doing, we need to understand  
23 it because if this does move to commercial scale at  
24 some point, we are going to be in a very difficult  
25 position to do a licensing review.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So it's better for us to understand the  
2           technology now. And if and when DOE moves towards  
3           commercial scale, we'll be in a much better position.  
4           And we'll be able to make determinations as to whether  
5           or not we need to do changes to our infrastructure and  
6           things like that.

7           MR. MAGRUDER: A little later on in the  
8           presentation, we'll talk about some of the specific  
9           license issues that we have gotten where we are with  
10          the current regulations and what we're proposing.

11          This is the second slide on what the  
12          Commission has directed us in the SRM. They asked us  
13          to work with DOE to see if we can come up with a  
14          cost-reimbursable agreement to fund NRC work for the  
15          next couple of years, mainly I think because they  
16          didn't -- well, a couple of reasons.

17          I think, one, they weren't quite sure what  
18          was going to happen. They didn't want to commit  
19          significant NRC resources to this project yet. And  
20          also I think they felt that it wouldn't be fair to  
21          build existing licensees for this work yet.

22          So we are starting to work with DOE on  
23          coming up with some kind of agreement. An alternative  
24          is to request additional funding from Congress.

25          Another thing they asked us to consider is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 incorporating elements of Part 52 in our conceptual  
2 licensing process, basically what we're planning to do  
3 for the new reactor licensees. And I think the reason  
4 they like that is it would be a one-step licensing  
5 process, where we would certify design, look at the  
6 facility or the site they're proposing, and then just  
7 have one hearing for the proposed facility.

8 They asked us to look at the full recycle  
9 option. In the paper, we weren't sure exactly what  
10 DOE was proposing. At one time they were considering  
11 recycling fuel back in commercial  
12 lightwater reactors. That was what we called the  
13 partial recycling option.

14 They decided not to do that. They decided  
15 to skip that and go directly to burning the fuel in  
16 fast reactors. So that's what this full recycle  
17 option is.

18 I guess maybe the most important thing is  
19 they told us to proceed at a pace commensurate with  
20 DOE's progress, not get out ahead of DOE, and kind of  
21 follow what they were doing.

22 A little bit of the legislative background  
23 here on what authority we actually do have with regard  
24 to DOE facilities. Obviously the Atomic Energy Act  
25 gives us authority for all commercial activities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Energy Reorganization Act gave us limited  
2 authority for DOE facilities. As you can read here,  
3 section 202 is the applicable section. And that's  
4 specifically section 202(1) directed us authority for  
5 the Clinch River reactor and other reactors operated  
6 for the purposes of demonstrating suitability for  
7 commercial operation. So it's pretty clear that the  
8 advanced burner reactor or even the ABTR that DOE is  
9 considering building, we would have regulatory  
10 authority to license those facilities right now.

11 Sections 202(3) and (4) direct NRC for  
12 high-level waste receipt and storage but not for waste  
13 from DOE R&D activities. Part 5 directs NRC, gives us  
14 authority for DOE for the MO<sub>x</sub> facility, which we're in  
15 the process of licensing right now at the Savannah  
16 River site.

17 DOE reprocessing facilities and TRU fuel  
18 fabrication facilities are not clearly subject to NRC  
19 regulation right now. And that's what the Commission  
20 I think wanted us to clarify. And OGC is actually  
21 currently working on that. And we expect to have  
22 draft legislation in the fall for Congress to consider  
23 in the next session early next year.

24 Existing regulations and processes and how  
25 we would apply. This is kind of the suite of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 regulations that could apply to these facilities. And  
2 I'll walk through each of these in a little bit more  
3 detail in the next few slides.

4 Part 50 is, as a lot of you probably  
5 remember, not just for utilization facilities or  
6 reactors but is also for production facilities. And  
7 here is the definition from Part 50 of production  
8 facilities.

9 Joe will talk about this in a little bit.  
10 This is what we licensed the reprocessing facilities  
11 back in the '60s and '70s under. And that's because  
12 it specifically says facilities for the separation of  
13 isotopes, of plutonium, processing of irradiated  
14 materials containing special nuclear material.

15 It's clear that Part 50 would apply now to  
16 reprocessing facilities. However, Part 50, as you are  
17 well-aware, is not tailored to reprocessing  
18 facilities. It really evolved to a regulation for  
19 lightwater reactors. And so it would be problematic,  
20 I think, to license a reprocessing facility under Part  
21 50.

22 Next slide, please. Again, this is a  
23 little bit more on Part 50. As I said, it's evolved  
24 to really be specific to lightwater reactors. A lot  
25 of things even since we licensed most of the reactors

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 here, a lot of regulations or a lot of parts to this  
2 have been added based on knowledge.

3 I think it's interesting or it's worth  
4 pointing out that Part 50 is a two-step licensing  
5 process. The licensee would have to or the applicant  
6 would have to get a construction permit, which entails  
7 public hearings. And then they would have to come in  
8 after the construction is completed and apply for an  
9 operating license, which is another chance for public  
10 hearings.

11 So we can go to the next slide here. A  
12 little bit more. Each step of the process, as I said  
13 earlier, would involve staff review, mandatory ACRS  
14 review, which is obviously public hearing before the  
15 Atomic Safety and Licensing Board, and then ultimately  
16 Commission review and decision. That's what the Part  
17 50 licensing process is like.

18 Part 52. An ESP is an early site permit,  
19 which you may be familiar with, where staff would  
20 review sites based on kind of bounding, information  
21 about what facilities could go on the site. We would  
22 certify standard reactor designs. And then facilities  
23 could come in or a utility could come in for a  
24 combined license, a COL.

25 As I mentioned, it's a one-step process.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And basically what I mean by that is that once an  
2 early site permit has been granted and design  
3 certification has been granted, if an applicant  
4 married those up in a combined license application,  
5 there would be just one hearing at that time. And  
6 issues that had been decided in the design  
7 certification in the early site permit discussions  
8 unless things had changed, those issues would be  
9 considered settled and would not be considered for a  
10 hearing for the combined license.

11 Okay. Part 52 is really just a licensing  
12 process regulation, although there are a few  
13 additional requirements in there. But basically all  
14 of the technical requirements from Part 50 would  
15 apply. And a hearing may be requested, obviously.  
16 And the Commission would decide on the appropriate  
17 hearing procedures. So the reason we're discussing  
18 these is this is kind of a model that we would use for  
19 the licensing process for these new facilities.

20 Briefly, Part 70 is what we use to license  
21 facilities that handle special nuclear material. All  
22 of the existing fuel manufacturing facilities are  
23 licensed under Part 70.

24 The enrichment facilities, the gas  
25 centrifuge facilities -- well, I should say the gas

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 centrifuge facilities are applying for licenses under  
2 Part 70. They haven't been granted them yet. LES is  
3 close to getting a license obviously. The MO<sub>x</sub>  
4 facility we're reviewing under Part 70.

5 This is a one-step process. As noted  
6 here, we're doing the MO<sub>x</sub> facility in two steps,  
7 mainly per DOE's request, to ensure some sort of  
8 schedule parity with the Russian MO<sub>x</sub> facility. But it  
9 doesn't have to be. Part 70 is designed as a one-step  
10 process, where you apply. And once the NRC is done,  
11 then we actually issue a possession and use license.  
12 It's not called an operating license.

13 The key to Part 70 is that it's  
14 risk-informed. Subpart H was put in in 2000, which  
15 requires an integrated safety analysis. And it's  
16 based on likelihood and consequence of events.

17 We think this is a good model to follow  
18 for new facilities also. And we would probably apply  
19 some of this to the licensing of the new DOE  
20 facilities as well.

21 There was discussion earlier this  
22 afternoon about the waste products from these  
23 facilities. Certainly some of the products from the  
24 reprocessing facilities would fall under Part 30 or  
25 Part 72.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           There are not very many Part 30 licensees,  
2           but a lot of the technical requirements from Part 30  
3           would apply, we think, to some of the facilities here,  
4           same with Part 72.

5           There will be, you know, interim storage  
6           of different components. We are still working out --  
7           obviously DOE is still figuring out their plans, but  
8           I'm sure that the NRC will be involved in at least  
9           reviewing a lot of the storage facilities, the  
10          waste-processing facilities, and such.

11          Certainly if the facilities are  
12          commercial, we would license facilities, but I think,  
13          even if they are DOE-owned and operated facilities, we  
14          would probably be involved in licensing them.

15          I guess we can go to the next one, talk a  
16          little bit about waste incidental reprocessing, of  
17          which all of you are much more familiar than I am.  
18          But basically I think a lot of the concepts anyway,  
19          the managing risk of waste would play a very prominent  
20          role in how we view the waste streams from here.

21          CHAIRMAN RYAN: Let me just pick up on one  
22          bullet, if I can, while it's up there.

23          MR. MAGRUDER: Yes, please.

24          CHAIRMAN RYAN: Highly radioactive doesn't  
25          mean it needs to be in a high-level waste repository.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Stellite balls are highly radioactive.

2 MR. MAGRUDER: Yes.

3 CHAIRMAN RYAN: Cobalt-60 sealed sources  
4 are highly radioactive.

5 MR. MAGRUDER: Exactly.

6 CHAIRMAN RYAN: So that's one of those  
7 other terms that I think we just -- in the same way  
8 we've got to be cautious about not using origin-based,  
9 we need to not use what I view to be a health physics  
10 base kind of definition, too.

11 MR. MAGRUDER: Exactly, exactly. Thank  
12 you.

13 And then just a note here that there are  
14 different criteria for different DOE facilities as far  
15 as what is not high-level waste. And, you know, we  
16 talked a little bit about the fact that we don't have  
17 any intermediate waste category in the United States.

18 You know, how we categorize this waste and  
19 what the waste forms will be will be a topic that we  
20 will be talking about a lot with DOE over the next  
21 5-10 years, I'm sure. And it will be an area where  
22 we'll ask for your input, I'm sure, quite a bit on how  
23 to deal with this stuff, what's the best way for the  
24 country to deal with this stuff.

25 Let me turn it over to Joe now. We'll

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 talk a little bit more specifically about the  
2 facilities.

3 MR. GIITTER: Okay. As Stu mentioned, Stu  
4 talked about the various facilities, that NRC could be  
5 in a position of regulating those. And I guess the  
6 timing would depend on whether or not the draft  
7 legislation flies or whether these things go to  
8 commercial scale at some point in time.

9 Certainly a reprocessing facility if it's  
10 commercial is one that NRC would regulate. And, as  
11 Stu pointed out, Part 50 is really not probably the  
12 best option. In fact, it might be the path of  
13 greatest resistance if you want to license a  
14 reprocessing facility.

15 Fuel fabrication facility. Again, that's  
16 a facility that if it's commercial, NRC would probably  
17 regulate. DOE told us this morning that we would  
18 probably be collocated with the fast reactor facility,  
19 which makes sense.

20 DOE is of the view I don't think they want  
21 NRC to regulate the demonstration facilities. And so  
22 we'll see what happens, but, as a minimum, they do  
23 believe it's important, as I said, for NRC to work  
24 closely with them. So in the future, they will be  
25 licensable technologies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Also, an interim storage facility, one  
2           that would store the short-lived fission products and  
3           some sort of a stable matrix, a lot of them DDK, and  
4           then eventually they would be disposed of as low-level  
5           waste; and then the vitrification facility, one that  
6           would vitrify the high-level long-lived waste stream,  
7           which is primarily fission products.

8           We may get some experience in this if it  
9           turns out that the Senate approves and we get the  
10          authorization from Congress to have safety oversight  
11          of the Hanford waste tanks.

12          You may know that the House Appropriations  
13          Committee did give NRC \$10 million for that purpose,  
14          but, you know, we still have to see what happens with  
15          the Senate in the Conference Committee.

16          Reprocessing facilities. You saw from the  
17          videotapes of Sellafield and Mohawk, these are very,  
18          very large facilities. I know that some of you have  
19          been to Mohawk. I've been there myself. And they are  
20          very large, very expensive facilities.

21          I think West Valley is probably a good  
22          example of what not to do in terms of designing a  
23          reprocessing facility. Ideally, as we move forward,  
24          we will learn what we can, the lessons learned, from  
25          West Valley.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           As Stu indicated, Part 50 really isn't  
2 intended for reprocessing facilities. And we would  
3 really need to -- if we are going to use Part 50, what  
4 we would probably have to do is to have the Commission  
5 give an order to the staff to tell the staff, give the  
6 staff explicit instructions on how to do the review.  
7 And that might be very difficult as well. But I think  
8 my feeling is that if we tried to use Part 50 to  
9 license a reprocessing facility, we wouldn't be  
10 successful.

11           That last bullet says the Commission could  
12 establish a licensing framework by identifying  
13 specific parts of the existing regulations and  
14 identifying new requirements. I think there would  
15 probably be a lot of exemption requests and it  
16 wouldn't be a very clean licensing process.

17           The alternative, there are really two  
18 alternatives. One is to develop an entirely new  
19 regulation. And that would ideally be a risk-informed  
20 performance-based regulation. But one of the things  
21 that I feel fairly strongly about is when you're  
22 licensing a new technology and you really don't  
23 understand that technology well, it's important to  
24 also have some deterministic criteria as well.

25           We even have that in Part 70. The general

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 design criteria, of course, in 10 CFR 50 have been  
2 replicated to some degree in Part 70. And they're  
3 called principal design criteria, but they're very  
4 similar in some respects.

5 So, in addition to having a purely  
6 risk-informed performance-based regulation, there are  
7 some things where you have a safety net. And it's  
8 important to have some deterministic criteria,  
9 especially with new technologies that haven't been  
10 tested.

11 CHAIRMAN RYAN: Could you give us an  
12 example just so I understand what you mean better?

13 MR. GIITTER: Well, I can give you an  
14 example of MO<sub>x</sub>. I can't go into details on this  
15 reprocessing facility, but one would be, you know, on  
16 the MO<sub>x</sub> facility, it's very important to have  
17 emergency power.

18 Because of the concept of having zones,  
19 where as you move in towards the glove boxes, you have  
20 areas of lower pressure, you know, the confinement  
21 zones, you want to have emergency, a really reliable  
22 emergency, power system to ensure that you don't lose  
23 emergency power to the ventilation systems. That  
24 would be an example. And that's a deterministic  
25 requirement.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: That would be as opposed  
2 to relying on some other view of power with --

3 MR. GIITTER: That would be as opposed to,  
4 exactly, yes.

5 CHAIRMAN RYAN: Where there is a "low  
6 risk" of failure?

7 MR. GIITTER: Right, right.

8 CHAIRMAN RYAN: I'm with you. Okay.  
9 Thanks.

10 MR. GIITTER: So we are looking at  
11 possibly Part 70 there. We probably have to do some  
12 significant revisions to Part 70, but Part 70 does  
13 provide a good framework for regulation of that type  
14 of facility. It has a certain degree of flexibility.

15 We would also probably develop some new or  
16 we would certainly develop new regulatory guidance.  
17 We have done that. We did that for MO<sub>x</sub>.

18 We came out with NUREG-1718, which was a  
19 standard review plan specifically for the MO<sub>x</sub> fuel  
20 fabrication facility. We didn't do that for the LES  
21 and the USEC, the gas centrifuge licensing reviews,  
22 for a couple of reasons. We felt that the existing  
23 NUREG-1520, which is the standard review plan for fuel  
24 cycle facilities, was sufficient and also because  
25 those facilities were fairly low-risk facilities for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fuel cycle facilities.

2 And, as I mentioned, there would be some  
3 changes to Part 70. One would be to address the fuel  
4 containing transuranics. There are some safety and  
5 technical differences between metallic and oxide fuel.  
6 We're not sure which way DOE is going to go yet, but  
7 that would be something that would possibly require a  
8 change to Part 70.

9 When you're dealing with recycled  
10 plutonium and transuranics, you're going to run into  
11 obviously some very challenging design considerations.  
12 And there's probably going to be a need for more  
13 shielding and more remote operation. And we may have  
14 to make some changes to Part 70 to address those types  
15 of design considerations. And there may be some new  
16 or different criticality safety considerations as  
17 well.

18 We do have some experience with the MO<sub>x</sub>  
19 fabrication facility. One of the challenges we had  
20 was there wasn't a lot of benchmark data for  
21 plutonium, for weapons-grade plutonium. And we were  
22 able to get that. There is probably more benchmark  
23 data for recycled plutonium, and I know the French  
24 have a lot of that data.

25 As Stu indicated, there may be some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 changes to Part 30 and Part 72. And also the WEIR  
2 non-high-level waste determinations. So, in essence,  
3 we would be looking at making changes to our  
4 infrastructure, our licensing regulatory  
5 infrastructure, to be able to review license  
6 applications or really be prepared to review these  
7 facilities that they do move towards commercial scale  
8 or if it's determined that NRC should do licensing  
9 reviews of these facilities.

10 CHAIRMAN RYAN: So far, though, you are  
11 talking about a scheme where you're driven by the  
12 facilities generating the materials, not by any  
13 forward-looking view to the question that we talked  
14 about with Dr. Weimer, are you generating a category  
15 of waste that hasn't been generated before in terms of  
16 --

17 MR. GIITTER: That's a very good question.  
18 I agree with your comment on the systematic approach.  
19 Right now all we know based on our conversations with  
20 DOE is what the facilities are going to be. We don't  
21 even know what the waste streams are going to be.

22 So I agree with your comment. And I think  
23 that forward-looking approach, taking a systematic  
24 view of the entire process is prudent. But at this  
25 point I really can't comment on what it would be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because we just don't know.

2 CHAIRMAN RYAN: Fair enough. I appreciate  
3 that point, but I guess the caution that I see is  
4 don't slip into the trap of thinking just about the  
5 licensing of the facilities but make sure that you're  
6 really focused on what end products are being produced  
7 because if you look anywhere in the world, that's  
8 where the trouble starts.

9 MR. GIITTER: That's a good comment.

10 CHAIRMAN RYAN: Yes.

11 MR. MAGRUDER: I was encouraged a little  
12 bit this morning by the discussion that DOE had. I  
13 mean, it seems like they are at least considering the  
14 trade-offs that are involved in deciding what type of  
15 fuel to use, what --

16 CHAIRMAN RYAN: Well, again, if you look  
17 at the world system, that's where the wheels go off  
18 the tracks.

19 MR. MAGRUDER: Exactly, exactly. Whether  
20 they can get their arms around the whole thing and  
21 make rational decisions, I don't know, but they're at  
22 least trying to do that.

23 MR. GIITTER: The other thing we took a  
24 look at is whether Part 50 could be used to license a  
25 liquid metal reactor. Both Bob Pierson, our division

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 director, and myself are probably two of the few  
2 people in NRC that actually have some experience in  
3 licensing liquid metal reactors. I worked for  
4 Westinghouse as a licensing engineer on Clinch River.  
5 And Bob was a manager in charge of NRC's preliminary  
6 licensing review of the ALMR back in the early '90s.

7 I can tell you from personal experience  
8 that it would be a very painful process to try to  
9 license an advanced liquid metal reactor under Part  
10 50.

11 One of my jobs was to go through the  
12 standard review plan for lightwater reactors in the  
13 NUREG-800 and to show where the Clinch River deviated  
14 or met the standard review plan. And there were  
15 probably more instances where it didn't meet it than  
16 where it did.

17 And there are unique considerations with  
18 liquid metal reactors. One of the considerations is  
19 because the design and safety considerations are  
20 substantially different than lightwater reactors. The  
21 mindsets, some people are very uncomfortable.

22 For example, with Clinch River -- and I'm  
23 not sure about the ALMR, but the design requires  
24 redundant and diverse fast-acting shutdown systems  
25 because you have a positive void coefficient. And,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you know, if you have voiding in the reactor, you can  
2 have a fairly significant reactivity excursion.

3 On the other hand, there are some safety  
4 advantages to using liquid metal reactors. You don't  
5 have to have systems in standby readiness, emergency  
6 core cooling systems in standby readiness. You have  
7 liquid metal, which doesn't boil until you reach about  
8 1,623 degrees Fahrenheit at atmospheric pressure. And  
9 the operating hot leg temperature is around 2,000  
10 degrees.

11 So you have a substantial built-in  
12 subcooling margin. And so you have more forgiveness  
13 for loss of heat sink accidents. Then, again, you  
14 have issues like the reactivity of sodium in water  
15 and sodium in air.

16 But that is clearly going to be a  
17 challenge. And, again, I think we would need to look  
18 at possibly a new regulation or, going to the next  
19 page, something that the staff has been working on.  
20 And that is developing a technology-neutral framework  
21 for licensing advanced reactor designs.

22 CHAIRMAN RYAN: Could you talk a bit more  
23 about that? Before you leave that slide, could you  
24 talk a little bit more or are you going to go back to  
25 that in a minute?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GIITTER: No. I can go back to it.

2 CHAIRMAN RYAN: The technology-neutral  
3 framework.

4 MR. GIITTER: Maybe Stu can comment on  
5 that because he worked on it.

6 MR. MAGRUDER: Yes. A while ago, yes.  
7 basically, the staff has been thinking about next  
8 generation reactors for several years, obviously. And  
9 the goal is to have kind of a set of high-level  
10 standards that any design would have to meet. They  
11 would have to -- there would be certain reliability  
12 requirements.

13 There would be certain health physics  
14 requirements and worker protection requirements. And  
15 they would have to meet the NRC quantitative health  
16 objectives, you know, for reactors and things like  
17 that.

18 And then we would try to develop kind of  
19 an over-arching set of principles that any design  
20 would have to meet. And the goal would be to try and  
21 apply these principles to this design, essentially.

22 So that eventually it would probably  
23 become a new Part 53 or whatever. I don't know what  
24 the next available regulation number is, but they were  
25 talking about developing a new regulation because of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the diverse -- you know, the gas reactors or PBMR, you  
2 know, other types of liquid metal reactors besides the  
3 sodium reactors. So it's fairly high-level now, but  
4 we would try to apply those principles to this. Dr.  
5 Larkins has some comments.

6 MR. LARKINS: No. It's like you said.  
7 And I think it's just being discussed now. There are  
8 a couple of public workshops being planned in the next  
9 few months. The ACRS has reviewed the concept paper  
10 and commented on it. So I think it's probably still  
11 a little --

12 CHAIRMAN RYAN: A work in progress.

13 MR. LARKINS: Yes. It's a work in  
14 progress. It's still a little ways to go.

15 MR. GIITTER: There would be a number of  
16 security and safeguards issues, obviously, when you're  
17 talking about reprocessing spent fuel, possible  
18 changes to Part 73, Part 74, and Part 75.

19 And there may be changes to Part 51 to  
20 address the potential environmental impacts of spent  
21 fuel transportation to the facilities that are  
22 described here. I mean, Part 51 does address that  
23 already to some extent, but with the waste streams  
24 that may be generated and the number of facilities,  
25 it's probably going to be some additional reevaluation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of the fuel cycle in Part 51. I know that the last  
2 time I checked, the tables in there hadn't been  
3 updated in some time.

4 Some potential issues that we have  
5 identified. Obviously in the fuel fabrication area,  
6 you're going to need increased shielding, health  
7 physics issues unique to reactor-grade plutonium.

8 I will say I've been to Malox, and it can  
9 be done. I'm convinced it can be done, and it can be  
10 done right. But, again, it's going to take -- you  
11 know, it's an issue. And, like anything, there is a  
12 certain amount of problem-solving that has to be done  
13 to get to that point.

14 There would likely be a large number of  
15 remote operations  
16 radionuclide inventories. You're talking about in  
17 some cases very high radiation fields, large  
18 radionuclide inventories. Of course, spent fuel is  
19 always a challenge. Some of the spent fuel that would  
20 be processed would obviously be very old, even decades  
21 old, but with newer fuel, you know, you still have a  
22 significant heat load.

23 Another problem that has been discussed is  
24 americium-241. Americium-241 creates some interesting  
25 challenges because, as you can see from this curve

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 here, you actually have a significant ingrowth of  
2 americium-241 with time.

3 The longer you let the spent fuel sit, the  
4 more ingrowth you have. And so ideally, especially if  
5 you're talking about reprocessing the spent fuel, it  
6 would be ideal to do it sooner, rather than later, to  
7 minimize the amount of 241 ingrowth.

8 I think the approach that people are  
9 talking about, though, as Stu indicated, you separate  
10 out the americium with the other transuranics, with  
11 the neptunium and curium and, of course, the  
12 plutonium. And you burn it in a fast reactor.

13 And 241, I believe, will fission at those  
14 neutron energies. You can significantly reduce the  
15 241. But if you don't, then, you know, you've got a  
16 problem in terms of the --

17 CHAIRMAN RYAN: Could you just keep on  
18 that graph?

19 MR. GIITTER: Yes.

20 CHAIRMAN RYAN: I'm missing something.  
21 Americium ingrowth where? For recycles of fuel, the  
22 americium-241 goes with the plutonium, right?

23 MR. GIITTER: Right.

24 CHAIRMAN RYAN: It's going to grow in  
25 there, --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GIITTER: Right, right.

2 CHAIRMAN RYAN: -- as opposed to grow in  
3 somewhere else, which I guess is in waste.

4 MR. GIITTER: Right.

5 CHAIRMAN RYAN: Okay. This is one of  
6 those interesting trade-offs. If you reprocess at  
7 five years, what issues do you raise in the  
8 reprocessing plant itself, dose to workers every day,  
9 --

10 MR. GIITTER: Right, that's right.

11 CHAIRMAN RYAN: -- as opposed to  
12 theoretical dose down the line somewhere. That's an  
13 interesting --

14 MR. GIITTER: This is one of the inputs  
15 that helps you optimize, making the best  
16 optimizations.

17 CHAIRMAN RYAN: But trading off real rem  
18 today versus hypothetical rem somewhere down the line  
19 is something to think about.

20 MR. MAGRUDER: Yes, it is. We brought  
21 that up with DOE this morning.

22 MR. GIITTER: These are some other issues  
23 that we thought about. Security obviously, the idea  
24 is that once you irradiate fuel, it's self-protecting,  
25 but if it's been sitting in a spent fuel pool for a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 couple of decades, it may not be as self-protecting as  
2 you might like. So there are obviously some  
3 proliferation issues there and, of course,  
4 transportation issues.

5 Social. What is really going to make this  
6 program move forward is whether or not it gets  
7 international acceptance because this is a program  
8 that involves a number of international partners.

9 India apparently has already agreed to  
10 sign on. The other countries may be a little more  
11 skeptical, may be taking a little bit of a wait and  
12 see attitude. But Russia appears to be eager to join.  
13 DOE is trying to line up as much international support  
14 as it can for this.

15 And, of course, things change with  
16 changing administrations. And I don't need to go into  
17 detail on that, but, I mean, as energy prices go up,  
18 as oil prices go up, people are more open to other  
19 technologies for producing energy and electricity.

20 Acceptance. Research. Well, our  
21 experience is mostly based on Purex, on the commercial  
22 level. And DOE is adamant that Purex is not going to  
23 work for this. They're looking at only a UREX+ or  
24 UREX plus something process, which, of course,  
25 includes the transuranics with the plutonium so that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it is less of a proliferation concern. But that is  
2 going to require the cooperation of other countries as  
3 well.

4 And countries like France and Great  
5 Britain and even Japan that are operating currently  
6 using the Purex cycle may not be very excited about  
7 the idea of going to a UREX process.

8 One concern is, of course, the spot market  
9 price uranium. To some extent, it's going to drive  
10 the economics. And the last time I checked, the spot  
11 market price was about \$43 a pound of U308. That's  
12 higher than spending in a long time, but in current  
13 dollars, it's actually considerably lower than it was  
14 in the '70s. In fact, in order for it to be at in  
15 real terms the same price as it was in the mid '70s,  
16 it would have to go to over \$100 a pound.

17 CHAIRMAN RYAN: That's kind of a "So  
18 what?"

19 MR. GIITTER: Yes.

20 CHAIRMAN RYAN: I mean, that's like saying  
21 gasoline should be \$9 a gallon based on the price in  
22 '63. You know, the point is there is an aggressive  
23 market for developing uranium resources. And the  
24 prices are going up.

25 MR. GIITTER: I guess my point is industry

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is primarily interested in the economics of this. And  
2 in --

3 CHAIRMAN RYAN: That's based on today's  
4 dollars. That's not based on what should have, could  
5 have been.

6 MR. GIITTER: Yes.

7 CHAIRMAN RYAN: I mean, I just don't  
8 follow that as being helpful. The fact is uranium is  
9 expensive, getting more expensive.

10 MR. GIITTER: It is expensive, but it is  
11 a relatively small percentage of --

12 CHAIRMAN RYAN: In the big picture, it's  
13 nothing.

14 MR. GIITTER: Well, yes. It's a small  
15 percentage of their O&M costs.

16 Radiological issues. This first bullet  
17 here, we were thinking before we talked to DOE this  
18 morning that they may have to use enriched uranium for  
19 the driver fuel for the advanced burner test reactor.  
20 They clarified that this morning and said no, they  
21 would just go to a higher plutonium concentration.

22 But, in any event, there may be some  
23 issues down the road with recycling that may have some  
24 ramifications for lightwater reactors. And we're not  
25 exactly sure what those are at this point in time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Byproduct, low-level waste obviously needs  
2 to be minimized. And there were a number of waste  
3 streams that we're not -- as I said, we really don't  
4 know what all the waste streams are, but it's going to  
5 be a challenge, I think, relative to what we see our  
6 current waste streams, just to keep track of them and  
7 be able to figure out what the best solution is for  
8 minimizing the volume of waste, the best solution from  
9 an environmental perspective.

10 And there may be some wastes that are  
11 difficult. High-sodium or chloride waste may be  
12 difficult to vitrify. We saw that with the surplus  
13 plutonium disposition program for MO<sub>x</sub>. It was  
14 originally planning to vitrify those wastes, and they  
15 decided that it was too difficult technically to do  
16 that. And they decided to MO<sub>x</sub>ify those wastes.

17 CHAIRMAN RYAN: One of the interesting  
18 things we haven't explicitly touched on today, either  
19 in Dr. Weimer's talk or your presentations, is mixed  
20 waste. This is probably as good a place as any to ask  
21 it. You don't really have a big mixed waste problem  
22 in radioactive waste management unless you reprocess.

23 So has anybody raised the mixed waste  
24 question? Have you heard any comment on that or --

25 MR. GIITTER: We haven't gotten into that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 kind of detail yet. You're right. I agree with what  
2 you said, but that is something that we are going to  
3 have to look at.

4 CHAIRMAN RYAN: Yes. Reactivity is one.  
5 Of course, when I see sodium, I think that's a  
6 reactive metal. So that's clearly going to be mixed  
7 waste as well as other things.

8 MR. GIITTER: The path forward. We did  
9 meet with DOE this morning to talk about -- it was  
10 just our initial kickoff meeting. They're planning to  
11 have another meeting in about one to two weeks to  
12 focus on the international issues.

13 As Stu indicated, OGC is currently working  
14 on drafting some legislation for NRC authority to  
15 regulate the demonstration facilities, and target for  
16 having that completed is the fall of this year.

17 We did talk a little bit about developing  
18 a conceptual licensing process. And when I say  
19 "conceptual," we're talking very high-level. One of  
20 the vote sheets on the SRM had asked us to do that by  
21 the end of 2007. So that's our intent, to try to do  
22 it at a conceptual level anyway, by the end of 2007.

23 As I indicated before, the conceptual  
24 licensing process would address not only the fuel  
25 cycle regulations but also regulations that would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 apply to the advanced burner test reactor. It would  
2 apply to possible changes to Part 51 for environmental  
3 reviews. It would apply to domestic and IAEA  
4 safeguards and import/export controls and, of course,  
5 waste management.

6 Our plan is to develop a task force that  
7 includes representatives from NMSS and NRR, Office of  
8 International Programs, the Office of Research, and  
9 the Office of General Counsel, and any other entities  
10 that may have an interest in this in trying to work  
11 this problem over the next year and a half and see  
12 where DOE goes with this and in the meantime work very  
13 closely with DOE to understand the technology.

14 We want to be able to ask the right  
15 questions and the tough questions so that when all is  
16 said and done, if they do decide to go to a commercial  
17 scale or Congress decides that we're going to regulate  
18 these facilities, that we will be in a position to do  
19 it.

20 CHAIRMAN RYAN: Okay.

21 MR. MAGRUDER: That concludes our  
22 presentation.

23 MR. GIITTER: Yes. That's it. Questions?

24 CHAIRMAN RYAN: Thank you. Bill?

25 MEMBER HINZE: A very quick question. The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 decision as to whether to develop a new regulation or  
2 supplement or modify existing regulations, have you  
3 thought about the criteria you are going to use to do  
4 that? What's the time frame of that decision and  
5 passing that up to the Commission?

6 MR. GIITTER: Well, as I said, our goal is  
7 to complete our -- I'll use the word design of a  
8 conceptual licensing process by the end of fiscal year  
9 2007.

10 The criteria we're going to use, you know,  
11 it's going to be based on our experience, based on our  
12 licensing experience. In the materials arena, we have  
13 had some very good experience recently with MO<sub>x</sub> and  
14 the gas centrifuge facilities. And, of course, NRR  
15 has had some experience with the Part 52 process.

16 MEMBER HINZE: But you won't have the  
17 experience of seeing these demonstration projects.

18 MR. GIITTER: That's correct. And that's  
19 why we're only talking about developing something at  
20 a conceptual level.

21 MEMBER HINZE: I understand. Thank you  
22 very much.

23 CHAIRMAN RYAN: One that kind of adds to  
24 Bill's question. I guess just hearing your  
25 presentation, again, I appreciate the fact that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are here in a very preliminary stage offering us your  
2 insight. So this is more of a dialogue than it is  
3 question and answer. I'm trying to learn from you as  
4 much as anything else.

5 It seems to me that with a demonstration  
6 facility, I understand that you don't want to regulate  
7 it because DOE certainly has its own structuring  
8 capabilities in that area, but, by the same token, it  
9 seems to me that not regulating it might be missing an  
10 opportunity.

11 Clearly you're going to be involved and  
12 active with it, but how could you meet in the middle?  
13 I mean, is there a way to help be involved in their  
14 process in some way in how they self-regulate it?  
15 They'll have to do something --

16 MR. GIITTER: Well, that's a --

17 CHAIRMAN RYAN: -- and learn from it and,  
18 by that process, improve your regulation for the  
19 full-blown facility and the commercialized version of  
20 it.

21 MR. GIITTER: I understand what your  
22 question is. My personal feeling is that we should  
23 regulate it, the demonstration facilities and, by  
24 going through that process, make further changes to  
25 our regulations so that when these facilities are at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a commercial scale, that there will be less  
2 uncertainty.

3 But that's more of a political decision or  
4 a policy decision. You know, I can't comment on  
5 whether or not -- I don't know if that's going to be  
6 something that Congress would be in favor of.

7 I can tell you I know the DOE doesn't  
8 think we should, you know, license the demonstration  
9 facilities. And another interesting issue may be more  
10 than likely that these demonstration facilities are in  
11 existing DOE reservations. It doesn't mean we  
12 couldn't license them. The MO<sub>x</sub> facility is probably  
13 a good example of a facility that's on a DOE  
14 reservation.

15 CHAIRMAN RYAN: I would just say that's  
16 something that maybe deserves some additional dialogue  
17 and thought because somewhere in the middle of not  
18 regulating it and regulating it, there is an  
19 opportunity to participate. We can learn an awful lot  
20 and I'm going to guess end up with an improved  
21 regulatory process at the end of the day.

22 MR. GIITTER: Right. And that's our plan  
23 as a minimum. And DOE agrees with us on that. If we  
24 don't regulate it, we will be working very closely  
25 with DOE. The question is, to what extent would we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 force them to go through an NRC-type licensing  
2 process.

3 CHAIRMAN RYAN: Point.

4 MR. GIITTER: And we tried that, for  
5 example, with a fast flux test facility with mixed  
6 results. Clinch River, as an example, did go through  
7 an NRC licensing process. And I think that was  
8 probably much more useful, both to the staff and to  
9 the applicant.

10 CHAIRMAN RYAN: The other question, I  
11 guess, -- and it's kind of off to the side, but I  
12 didn't hear anything that talked about how any  
13 agreement state entities would be involved if any of  
14 these are agreement states. I'm going to guess not.  
15 Have you thought about that dimension?

16 MR. GIITTER: We haven't.

17 MR. MAGRUDER: That has not come up at  
18 all. That's a very good point.

19 CHAIRMAN RYAN: Some of those parts are  
20 agreement state parts, too.

21 MR. GIITTER: Yes.

22 MR. MAGRUDER: Yes. That's a good point.

23 CHAIRMAN RYAN: And on DOE facilities, I  
24 know some agreement states, maybe not the agreement  
25 state program that is authorized by the NRC but the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 radiological health departments are involved in roles  
2 with DOE facilities in various states. So just tuck  
3 that away as something to think about maybe later on.  
4 That struck me as you were talking about some of the  
5 parts that are more familiar to me as they are adopted  
6 and agreement states, your fabrication, for example.

7 MR. MAGRUDER: Right.

8 CHAIRMAN RYAN: Thanks. Thank you.

9 MEMBER WEINER: I just have one. And it  
10 will certainly come up in regulation. It seems to me  
11 just from a very lay perspective that as far as  
12 nonproliferation is concerned, the genie is already  
13 out of the bottle. And I'm a little bit concerned  
14 that we're looking at regulation, sort of ex post  
15 facto regulation, that won't be doing anything.

16 By the way, I wanted to thank you for a  
17 very thorough discussion of something, where you  
18 really are just at the beginning. But I would like to  
19 hear your opinion about that since you're the  
20 regulator.

21 CHAIRMAN RYAN: I'm not sure, Ruth, what  
22 you mean by the genie is out of the bottle on  
23 proliferation. I'm going to need to understand your  
24 question a little bit better.

25 MEMBER WEINER: Well, you know, we keep

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 saying we're not going to produce plutonium because  
2 we're concerned about proliferation, but  
3 internationally there is a large number of countries.  
4 Plutonium has proliferated around and nuclear weapons  
5 have proliferated. We can't get away from that.

6 MR. MAGRUDER: But I think --

7 MEMBER WEINER: And we are also -- and  
8 another aspect of this is we are not in the leadership  
9 position for reprocessing. There are other countries  
10 that do it.

11 CHAIRMAN RYAN: Well, what's the question?

12 MEMBER WEINER: The question is since this  
13 regulation made a major point of saying that Purex is  
14 a no-no because we are concerned about proliferation,  
15 at least if I'm reading you correctly, --

16 MR. MAGRUDER: That's correct.

17 MEMBER WEINER: -- why is this a concern?  
18 And how effective do you think this concern is going  
19 to be? In other words, if we have a regulation that  
20 says in the United States, no Purex, a Purex-type  
21 process that gives you plutonium is a no-no, is that  
22 really going to do anything in the international  
23 arena? What do you think?

24 MR. MAGRUDER: Well, I agree with you the  
25 genie is already out of the bottle. And I think that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the proliferation concern is only part of the  
2 motivation, actually, for not using Purex.

3 I mean, one of the things that DOE said  
4 this morning, which caught my attention, was that the  
5 United States wants to kind of retake the lead in  
6 nuclear technology and they wanted to get it back out  
7 in the forefront. I think what they see is everybody  
8 is doing Purex now. They're nothing new there,  
9 nothing exciting about Purex. Let's skip Purex and go  
10 to the next generation, which they see as UREX or some  
11 of the variants of UREX.

12 So I think, you know, proliferation is a  
13 nice thing to say. I mean, certainly we want to do  
14 all we can for nonproliferation, but I think the real  
15 reason is kind of trying to put the United States back  
16 into a leadership role and these technologies.

17 MEMBER WEINER: Do you think that is going  
18 to do it?

19 MR. MAGRUDER: I have no idea. You should  
20 ask Dr. Weimer, see what he --

21 (Laughter.)

22 MEMBER WEINER: I'm reminded that that is  
23 an unfair question, but I do thank you for that  
24 perspective.

25 VICE CHAIRMAN CROFF: I guess I maybe have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a question or two here, which one to start with. I  
2 guess let me go back to the time when the NRC was  
3 trying to license a reprocessing plant and policy  
4 changed and it stopped, this being the Barnwell well.

5 At that time and subsequent to that time,  
6 the NRC did some rather considerable number of studies  
7 to cost-benefit studies to evaluate effluent releases;  
8 in other words, how much effluent control was  
9 desirable, how much of it was too much.

10 And I am sort of here bootstrapping off of  
11 what Mike mentioned earlier. A lot of what is going  
12 to be important in licensing these plants is what goes  
13 up the stack, what goes in the creek, and what wastes  
14 come out of it.

15 Back at the time there were these  
16 cost-benefit studies that arrived at some kind of an  
17 answer, there were a number of studies of how much, in  
18 particular, radionuclides could go up the stack,  
19 iodine, krypton, carbon-14, tritium, most of them  
20 based on the prevailing approach at the time, which  
21 relied very heavily on collective dose and adding out  
22 very small doses to an awful lot of people.

23 Since that time, there has been a lot of  
24 thinking about how you use collective dose. There was  
25 considerable technology development activity well

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 subsequent to Barnwell to look at off-gas  
2 technologies.

3 Are all of these newer considerations  
4 reflected in regulation? Is there some considerable  
5 amount of work there that needs to be done to  
6 determine how much krypton or whatever can go up the  
7 stack.

8 And the final part of that is EPA has a  
9 standard or a requirement, I guess, in Part 190  
10 concerning the release of krypton and iodine. Is  
11 there any consideration or have you heard anything on  
12 their part about reconsidering that standard?

13 MR. GIITTER: There is a lot of work that  
14 has to be done. And, as I said before, we're just  
15 getting into this. Unfortunately, I am not in a  
16 position to answer your questions, but it is something  
17 we're going to be looking at.

18 MR. MAGRUDER: I can't help on that one  
19 either. Sorry.

20 VICE CHAIRMAN CROFF: Okay. Second, I  
21 agree that the NRC should be involved to the maximum  
22 intent possible, I guess, or practical, to use a  
23 phrase, with DOE as they build these demonstration  
24 facilities.

25 Referring to this ESD, which is the first,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I guess I call it a demonstration reprocessing plant,  
2 as I understand the description, it's now supposed to  
3 be operational, stated 2011, but maybe 2015 is what  
4 they have allowed.

5 In terms of federally funded large capital  
6 projects, that's close to the day after tomorrow.  
7 There's a very long, convoluted process of conceptual  
8 designs and budget approvals, which would lead me to  
9 conclude that DOE must be in some stage of the  
10 conceptual design at this point.

11 MR. GIITTER: Correct. And I'm probably  
12 sticking my neck out here a little bit, but I think  
13 that DOE may be looking in an existing facility. And  
14 when we met with them this morning, they did give us  
15 a list of facilities that they were looking at as  
16 potential facilities they could use as a starting  
17 point for the engineered scale demonstration.

18 VICE CHAIRMAN CROFF: Well, even if it's  
19 modifications, they're going to have to be rather  
20 substantial --

21 MR. GIITTER: Right.

22 VICE CHAIRMAN CROFF: -- to bring it up to  
23 licensable standards.

24 MR. GIITTER: Right. That's a lot. You  
25 would save a considerable amount of time relative to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 starting with a green site.

2 VICE CHAIRMAN CROFF: I don't know about  
3 that. It's the dollar numbers I think that drive the  
4 process, not the green --

5 CHAIRMAN RYAN: Of course, the trade-off  
6 is remodeling is always tougher than building  
7 something new.

8 VICE CHAIRMAN CROFF: Yes.

9 MR. MAGRUDER: They've told us that on the  
10 ESD, they got the CD-0, the approval for the concept,  
11 I guess, a couple of months ago, I guess. And their  
12 goal is to get the CD-1 sometime next summer, I think.

13 VICE CHAIRMAN CROFF: "CD" being critical  
14 decision?

15 MR. MAGRUDER: Right, right. They are  
16 planning to have a 30 percent conceptual design  
17 meeting sometime early fall on the ESD. So that gives  
18 you a rough idea of where they are. And they have  
19 invited us to that design meeting.

20 VICE CHAIRMAN CROFF: Okay. And have they  
21 said that this ESD, they're going to try to build it  
22 to be licensable as if it were to be licensed, even  
23 though it may not be?

24 MR. MAGRUDER: Yes.

25 VICE CHAIRMAN CROFF: That would seem to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 prevent some --

2 MR. GIITTER: I'm not sure that I would go  
3 as far to say that they would say that it would be  
4 licensable under any particular regulation other than  
5 they would want to know if there's anything associated  
6 with the design that would be difficult for it to be  
7 licensed, which is a little different.

8 VICE CHAIRMAN CROFF: That would seem to  
9 present some interesting challenges in terms of  
10 telling them your expectations on, for example,  
11 effluent controls for six months. That's pretty  
12 formidable.

13 Okay. Let me pursue another line here.  
14 Coming, as we heard, in Dr. Weimer's talk, coming out  
15 of the plant, there are going to be any number of  
16 waste streams. You can imagine a high-level waste  
17 stream, be it vitrified or not, -- we'll see -- some  
18 amount of low-level waste, meaning class C or less,  
19 for which there is presumably a disposal destination,  
20 but a fairly substantial amount of what I would call  
21 transuranic waste, which is in DOE space greater than  
22 class C, everything from cladding holes to things  
23 contaminated from processing the plutonium and  
24 cleaning it up.

25 And right now the greater than class C

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 problem is not very large, but if this were to happen,  
2 it would become rather considerably larger.

3 Is there any dialogue with the, I guess it  
4 is, Department of Energy in this presumably  
5 forthcoming EIS on greater than class C? Is this on  
6 the radar screen?

7 MR. GIITTER: I believe it is, yes.

8 MR. MAGRUDER: That's my understanding.

9 MR. GIITTER: Right. They talked about  
10 that a little bit this morning.

11 VICE CHAIRMAN CROFF: Okay.

12 MR. GIITTER: As I said earlier, they're  
13 definitely trying to think holistically about what  
14 they are doing for the entire fuel cycle.

15 VICE CHAIRMAN CROFF: "They" would be  
16 talking about the NE people?

17 MR. GIITTER: Yes.

18 VICE CHAIRMAN CROFF: But have they made  
19 the connection back to the other parts of DOE that are  
20 doing the greater than class C thing?

21 MR. GIITTER: Yes, I think this is a major  
22 priority with the Secretary. And I'm trying to  
23 remember the organization in DOE, but they are working  
24 very closely with other offices in DOE. NE is driving  
25 the program, has a leadership role for the program,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but all of the other, many of the other, offices in  
2 DOE are working on this.

3 I do have to say that I have worked with  
4 DOE on a number of other instances, and this is really  
5 the first time I have seen all of the offices working  
6 together. They seem to be anyway.

7 VICE CHAIRMAN CROFF: Okay. I think with  
8 that, ACNW staff? John Flack, you had a question  
9 earlier.

10 MR. FLACK: I have a lot of questions, but  
11 I think we'll get around to them over the next several  
12 months. I don't want to hold it up.

13 MR. LARKINS: Let me just ask a quick  
14 question. I noticed in the SRM, staff has directed to  
15 developing some type of legislation. Is that going to  
16 be the success path in terms of agency involvement or  
17 without the legislation, would you still see working  
18 with DOE in some cooperative fashion, develop some  
19 regulatory framework, at least some way of certifying  
20 or proving this facility?

21 MR. GIITTER: I think we would be in a  
22 stronger position personally, again, if we could  
23 regulate those facilities. But absent that, I think  
24 we can accomplish a lot without that. And DOE  
25 certainly seems to be willing to work with us. So I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think there is a success path either way.

2 MR. LARKINS: I was thinking back because  
3 there have been a number of activities like this in  
4 the past, having been around through CRBR also doing  
5 HCDA calculations.

6 MR. GIITTER: Yes.

7 MR. LARKINS: I think there are several  
8 examples. I was wondering if compiling information on  
9 the areas where things have gone well and, you know,  
10 what do you consider a success and where there have  
11 been problems.

12 MR. MAGRUDER: That's a good point. As I  
13 mentioned earlier, one of the overriding goals of this  
14 program for them is to commercialize it. And they  
15 realize that unless the NRC agrees with what they're  
16 doing and would be receptive to an application from  
17 somebody, that it's a non-starter.

18 So they are very willing to work with us  
19 on making sure that if we don't regulate facilities  
20 right away, that they are very willing to work with us  
21 to make sure that whatever they are doing, we would  
22 not have a problem.

23 MR. LARKINS: But are you compiling  
24 information on where you think we've had success in  
25 the past and where there have been problems so you can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sort of identify issues on --

2 MR. GIITTER: It's a knowledge management  
3 issue, John.

4 (Laughter.)

5 MR. LARKINS: Yes.

6 MR. GIITTER: I don't think we necessarily  
7 know. We're working on what we can.

8 MR. LARKINS: Yes.

9 MR. GIITTER: And, you know,  
10 unfortunately, there's not a lot of people around who  
11 have any experience when we did the licensing of  
12 Barnwell and Clinch River for that matter.

13 MR. LARKINS: Well, maybe we can help you  
14 pile in a knowledge management program to retrieve  
15 some of that information.

16 MR. GIITTER: Anything you could do to  
17 help would be appreciated.

18 MR. LARKINS: Okay.

19 CHAIRMAN RYAN: That's okay. I mean, that  
20 leads to another question, John. And that is  
21 resources and particularly people. If you'll look in  
22 this building, I guess I don't know the number, but it  
23 would be probably smaller than you would think of  
24 folks who are here and are involved in signing a  
25 license for a reactor or major fuel cycle facility.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It's a small fraction.

2 MR. GIITTER: Yes, it is.

3 CHAIRMAN RYAN: And here we are on the  
4 leading edge of an international cooperative program.  
5 We want to grasp the lead back, as my colleague  
6 suggested. Where are the people going to come from?

7 MR. GIITTER: We're going to --

8 CHAIRMAN RYAN: Thermal hydraulic people.  
9 I mean, go up and down the list.

10 MR. GIITTER: Assuming this program moves  
11 forward, our goal is to hire people. And they are  
12 going to be new people, but they are going to be  
13 talented people and people who can come up and speak  
14 quickly.

15 CHAIRMAN RYAN: That's a great goal, but  
16 the point is when you look out there, the academic  
17 programs, which, you know, I know a little bit about,  
18 they're not out there. You try and find how many  
19 nuclear engineering programs are around the country  
20 today versus '65. It's a big difference.

21 MR. GIITTER: Well, and I can tell you if  
22 you want to talk about this, one of the strategies we  
23 have taken in fuel cycle is, instead of just going out  
24 to job fairs and trying to recruit people, we're  
25 trying to develop conduits where we can get talent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from select universities.

2 Just fuel cycle, for example, we have a  
3 need for criticality safety engineers.

4 CHAIRMAN RYAN: Right.

5 MR. GIITTER: There are only two programs  
6 in the United States that have criticality safety  
7 programs: University of New Mexico and University of  
8 Tennessee. So what we have done in both of those  
9 schools is we have sent a senior chemical safety  
10 engineers out to do a colloquium to give them an idea  
11 of the type of research, the type of work that we're  
12 doing in the NRC to kind of whet their appetite.

13 We are also directing research at those  
14 universities; and in areas, for example, there's not  
15 a long of benchmark data for uranium-235 above  
16 five-weight percent. That's one area where we're  
17 working both with the University of Tennessee,  
18 University of New Mexico to have them help us out.

19 And we're sending managers down to have  
20 special recruitment sessions at those universities.  
21 We're doing what we can. But it takes a while to  
22 develop those kind of relationships.

23 CHAIRMAN RYAN: Yes. And I'm asking not  
24 to try and find a hole but to see if there is a way  
25 where this Committee could help you identify what some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of those things might be and point them out to the  
2 Commission because, you know, as we write letters,  
3 it's always helpful to say, "We heard about a manpower  
4 need in this area."

5 Another area is ALARA engineering and  
6 shielding design and some of those things. Even those  
7 basic things are in complex facilities. I mean, we're  
8 putting people to work that sometimes it's their first  
9 big design project, probably more often than not.

10 So, you know, I would offer you the  
11 opportunity that if you see those opportunities or  
12 gaps or issues, don't hesitate to integrate those into  
13 what we hear about because we can maybe offer comment  
14 on them.

15 MR. GIITTER: I appreciate it.

16 CHAIRMAN RYAN: I'm sensitive to your  
17 challenge because, zoom, there's this whole big new  
18 fuel cycle. And I think about the numbers of folks,  
19 like you've said and some of the others have said,  
20 that have retired or passed or both. And where are we  
21 going to get the smart folks to fill the jobs? It's  
22 hard enough to compete with private industry for those  
23 graduates that are coming out.

24 MR. GIITTER: That's right. Yes.

25 CHAIRMAN RYAN: And you end up hiring a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lot of consultants and contracting for a lot of  
2 research and support activities. That's great, but  
3 that doesn't put them on your team here to get the job  
4 done.

5 MR. GIITTER: We just made an offer, Stu  
6 did, to an individual who was doing research for, I  
7 believe it was, Argonne National Lab related to GNEP.  
8 So we are doing what we can to --

9 CHAIRMAN RYAN: Oh, yes. And clearly you  
10 will be, but, you know, I'm not too sure it doesn't  
11 need to be notched up a bit.

12 MR. MAGRUDER: He turned down an offer  
13 from Exelon to come and work for us. I hope that's a  
14 good thing. I don't know.

15 VICE CHAIRMAN CROFF: Great. Latif?

16 MR. HAMDAN: What do we know about the DOE  
17 time line? When are they going to whatever it is they  
18 are going to do?

19 MR. GIITTER: It's on the slides.

20 MR. MAGRUDER: Add four years to it. As  
21 much as we know is on the slides, but, as I mentioned,  
22 a lot of it depends on the funding.

23 VICE CHAIRMAN CROFF: I think that's an  
24 excellent segue. First, thanks very much for an  
25 informative presentation in very preliminary

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 circumstances.

2 Part of the path forward here I think  
3 we'll probably be seeing you guys through the summer,  
4 we hope in the July meeting, to get DOE in maybe to  
5 talk a little bit more about their schedule, but, more  
6 importantly, to get down a little bit into the  
7 technical details of what's a pyroprocess and what's  
8 a UREX and sort of tell us what they know and what  
9 they're thinking and where they're going at a more  
10 technical level. So we'll look forward to seeing you  
11 then.

12 And, with that, I think I would like to  
13 move into the next portion of the agenda, where we  
14 want to talk about a white paper.

15 Ray, do you want to come up to the table?  
16 Ray has been brought on board as a consultant to lead  
17 the development of a white paper on this while recycle  
18 ball of wax, whatever the thing is.

19 MR. LARKINS: I don't know whether it was  
20 mentioned, but this SRM also calls for the involvement  
21 of the ACRS and the ACNW in this whole activity. So  
22 this is a good precursor for --

23 VICE CHAIRMAN CROFF: Yes. That is the  
24 reason we're doing all of this. And we propose that  
25 a white paper on this subject area be the vehicle for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 helping the Committee get smart in terms of things  
2 like what are the process details to the extent  
3 they're known, what are the effluents, and what do we  
4 know about these processes and where they're going to  
5 give us the best basis we can for making  
6 recommendations.

7 That's basically where we want to get to  
8 in the white paper and presumably sometime in the  
9 fall, the white paper plus the collective briefings  
10 will be the basis for a letter to the Commission  
11 giving them our collective wisdom.

12 Sir?

13 MR. LARKINS: Do we still need to be on  
14 the transcript?

15 CHAIRMAN RYAN: So now we'll conclude the  
16 transcript today. Do we need the transcript tomorrow  
17 at all?

18 MR. LARKINS: No.

19 CHAIRMAN RYAN: Okay. So that's it.

20 (Whereupon, the foregoing matter was  
21 concluded at 5:21 p.m.)  
22  
23  
24  
25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701