

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste
174th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Monday, November 13, 2006

Work Order No.: NRC-1322

Pages 1-154

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE (ACNW)

174th MEETING

+ + + + +

MONDAY,

NOVEMBER 13, 2006

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear
Regulatory Commission, Two White Flint North,
Room T-2B3, 11545 Rockville Pike, Rockville, Maryland,
at 10:00 a.m., Michael T. Ryan, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

- MICHAEL T. RYAN Chairman
- ALLEN G. CROFF Vice Chairman
- JAMES H. CLARKE Member
- WILLIAM J. HINZE Member
- RUTH F. WEINER Member

ACNW STAFF PRESENT:

1 JOHN T. LARKINS, Executive Director, ACRS/ACNW
2 LATIF HAMDAN
3 ANTONIO DIAS
4 NEIL M. COLEMAN
5 DEREK WIDMAYER
6 MYSORE NATARAJA
7 MAHENDRA SHAH
8 ROBERT JOHNSON
9 JIM RUBINSTONE
10 MARIE SIBELIAN
11 TIM McCARTIN
12 STUART RICHARDS
13 TIMOTHY FRYE
14 STEVE GEARY
15 JIM SHEPHERD
16 MIKE SNODDERLY
17 CHRISTOPHER BROWN
18 MIKE LEE
19
20 ALSO PRESENT:
21 JOHN STAMATAKOS
22 GREG HARDY (via telephone)
23 TOM BOCCI (via telephone)
24 LEON REITER
25 ALSO PRESENT: (cont'd)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ROB McCULLEN
KEN CANAVAN (via telephone)
JOHN KESSLER (via telephone)
RALPH ANDERSEN

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I-N-D-E-X

AGENDA ITEM

PAGE

Opening Remarks by the ACNW Chairman	5
Update on Status of Seismic Design Bases and Methodology: NRC Perspective	7
Results from the Liquid Radioactive Release Lessons Learned Task Force	83

P-R-O-C-E-E-D-I-N-G-S

(10:04 a.m.)

CHAIRMAN RYAN: The meeting will come to order.

This is the first day of the 174th meeting of the Advisory Committee on Nuclear Waste. During today's meeting, the Committee will consider the following: an update on status of the seismic design basis and methodology of the NRC perspective, results from the liquid radioactive release lessons learned task force, and preparation for the meeting with the NRC Commissioners scheduled for December.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Antonio Dias is the Designated Federal Official for today's session.

We have received no written comments or requests for time to make oral statements from members of the public regarding today's sessions. Should anyone wish to address the Committee, please make your wishes known to one of the Committee staff.

It is requested that the speakers use one of the microphones, identify themselves, and speak with sufficient clarity and volume so they can be readily heard. It's also requested that if you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 cell phones or pagers that you kindly turn them off.

2 I'll begin with some items of current
3 interest. Mr. Christopher Brown, sitting to my left,
4 joined the ACNW in October. Chris, welcome.

5 MR. BROWN: Thank you.

6 CHAIRMAN RYAN: He began his employment at
7 the NRC in 1996 as a Mechanical Engineer in the
8 Division of Industrial and Medical Nuclear Safety in
9 the Office of Nuclear Materials Safety and Safeguards
10 where he performed sealed source and device reviews.
11 In 1998, he joined the Spent Fuel Project Office as a
12 Materials Engineer where he performed materials and
13 containment reviews for dry cask storage systems and
14 transportation packages.

15 Mr. Brown has also had the opportunity to
16 rotate to the Division of Reactor Safety Systems in
17 the Office of Nuclear Reactor Regulation to further
18 develop his expertise in the fuel area. Mr. Brown
19 holds an A.B.S. in Engineering Physics from Morgan
20 State University and an M.S. in Material Science and
21 Engineering from the University of Maryland.

22 He comes to us with an excellent
23 background that complements the skills of the staff
24 very well. And, Chris, we welcome you to the ACNW and
25 look -- hope this is as important to your career as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the rest of your experiences.

2 MR. BROWN: Thank you.

3 CHAIRMAN RYAN: Welcome. Thank you.

4 Without further ado, we'll turn to the agenda. And
5 shortly Bill Hinze will take over on the Update of
6 Status of Seismic Design Bases and Methodology: The
7 NRC Perspective. But, first, we'll ask our
8 participants on the telephone to identify themselves
9 and their organizations.

10 MR. HARDY: This is Greg Hardy from Aries
11 Corporation.

12 MR. KESSLER: John Kessler from Electric
13 Power Research Institute.

14 CHAIRMAN RYAN: Okay. Gentlemen, welcome
15 to the meeting. We're thrilled to have you
16 participate by telephone. Again, if I could ask you
17 both to put your phones on mute. That way you can
18 hear us and we can hear you if you -- when we get to
19 comments or questions, we'll certainly ask you
20 specifically, so that you can offer any questions or
21 comment you might care to offer.

22 Without further ado, I'll turn the meeting
23 over to Professor Hinze.

24 MEMBER HINZE: Thank you. Dr. Ryan.

25 Seismic issues continue to be of interest

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to us as they pertain to Yucca Mountain, and this is
2 certainly true in the pre-closure area. We have been
3 looking forward to a presentation from the NMSS staff
4 regarding their seismic design methodology that they
5 have developed and a performance demonstration.

6 We have with us today Mysore Nataraja and
7 Mahendra Shah. Raj, I believe you're going to start.
8 And with that, welcome to the Committee. We're
9 looking forward to this with great anticipation.

10 MR. NATARAJA: Hello. If I succeed in
11 starting this one, I think it should be okay.

12 Good morning, everybody. I'm Mysore
13 Nataraja, and I think that I can see here at least
14 three or four faces who have been on this seismic
15 issue as long as I have been. I think one of them is
16 Dr. Hinze, I think, and John Stamatakos from the
17 Center. I'd like to recognize John. He has been
18 instrumental in developing our staff positions, and he
19 has been involved in the review of DOE's work for a
20 long time.

21 This morning the purpose of our
22 presentation is to brief the Committee on the status
23 of seismic design methodology in the context of
24 pre-closure safety assessment requirements in 10 CFR
25 563. And I would also like to emphasize the fact that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we are only going to talk about pre-closure today, and
2 some of the issues of post-closure might be discussed
3 at a later stage.

4 Okay. I'm still on slide 2.

5 All right. What we'd like to do today is
6 -- this presentation is organized in two parts. I'm
7 going to go first, as you know, and then followed by
8 my colleague, Dr. Mahendra Shaw, who will go into some
9 of the specific details of the interim staff guidance
10 that's related to this particular topic.

11 I'm going to be briefly providing some
12 background on the issue of seismic and performance
13 demonstration methodology. I will also describe DOE's
14 approach and the staff review of DOE's approach and
15 the staff actions that we took after reviewing DOE's
16 proposals. And I will go into some details about the
17 feedback that we gave to DOE, and after my background
18 presentation Mahendra will take over and talk about
19 the -- some of the details of the methodology that we
20 have developed as guidance by the staff to review
21 DOE's license application and this topic.

22 Next one, please.

23 We have three purposes for the briefing
24 this morning, and the most important thing is for us
25 to explain what role the design plays in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 demonstration of performance requirements as defined
2 in PCSA for Part 63. In other words, how the design
3 is a starting point and we do not have specific
4 requirements for design itself.

5 And then, I will go into some details of
6 what DOE proposed, and, finally, I'll give the status
7 of where we are and what are some of the specific
8 discussions that took place between NRC staff and the
9 DOE during some technical exchange that we had in
10 June.

11 Specifically, we will discuss some details
12 of the analyses that are needed for calculating the
13 probability of occurrence of event sequences for
14 categorizing the event sequences as category 1, as
15 category 2, or beyond category 2, as required in the
16 regulation. And then, we will talk about our
17 methodology for the guidance that we have developed
18 for you in the seismic design in the context of PCSA.

19 Okay. Let me go to slide 4.

20 MEMBER HINZE: Raj, I'm going to interrupt
21 you for just a moment, if I might.

22 MR. NATARAJA: Sure.

23 MEMBER HINZE: Could you explain to us the
24 category 1 and category 2 and how that relates to the
25 10^{-8} for the post-closure? I think that would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 helpful as an introduction to your material.

2 MR. NATARAJA: Okay. That will come up
3 when we talk about the ISG.

4 MEMBER HINZE: All right. Okay, fine.

5 MR. NATARAJA: But the 10_g does not play
6 any role here in pre-closure.

7 MEMBER HINZE: Right, right. That's the
8 point.

9 MR. NATARAJA: Right. Okay. There is a
10 lot of history and background, as I mentioned, for
11 this particular topic. And very early in the pre-
12 licensing stage both DOE and NRC staff realized that
13 seismic issue must be dealt with at an early stage,
14 simply because we have a lot of seismic licensing
15 history which will impact the way in which we do the
16 reviews.

17 So DOE and NRC discussed this issue
18 several times, and DOE decided that they would attack
19 this particular topic by writing a topical report.
20 And as you know, that when a licensee writes a topical
21 report the staff can review the topical report in
22 advance and write a safety evaluation, and that safety
23 evaluation can be -- can become a part of the
24 licensing review later on.

25 In other words, we won't be going into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 details of the review during licensing, since we will
2 have completed that during pre-licensing. But we will
3 reference the topical report in the license
4 application. In other words, DOE will reference the
5 topical report, and NRC will take the SER that is
6 written and make it part of the overall SER that will
7 be written for the license application.

8 That is the intent, and we had several
9 discussions, developed outlines, and then the standard
10 format and content, and staff also developed a review
11 plan for the topical reports. And that was a pretty
12 long process. And soon DOE realized that the topic
13 was pretty voluminous, so as they started developing
14 the outline it became evident that it will be
15 difficult to deal with the entire topic of interest.

16 So they decided to spread it into three
17 parts, and the STR-1 -- when I say "STR" it is seismic
18 topical report, the first one would deal with the
19 hazard assessment methodology, STR-2 about the design
20 methodology, and the STR-3 would simply be a
21 compilation of all the inputs that will be used for
22 test velocity, acceleration, response time, and so on
23 and so forth, for the design as well as input for the
24 performance assessment for the post-closure. All of
25 that will be dealt with under STR-3.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 However, it so happened that DOE did not
2 complete all the three topical reports. So I have to
3 tell you that we do not have a safety evaluation
4 report on this issue, because the staff said that
5 unless we have all the three written by DOE and
6 reviewed by staff we will not be able to complete the
7 SER. So we will only talk about STR-1 and STR-2.

8 Please give me the next one, please.

9 So STR-1, which deals with the hazard
10 assessment, DOE -- when it says STR-2, I want to bring
11 it to your attention that it is not topical report 2
12 in terms of STRs, the seismic topical report series.
13 It only means that it is the second topical report DOE
14 wrote, the first one being on the erosion issue. So
15 many people have confused the numbering systems. I'm
16 just making it clear that the TR-002 is basically
17 seismic topical report 1.

18 And as you can see, it had a revision 0 in
19 1994 and a revision 1 in 1997. And DOE did another
20 study called the Probabilistic Seismic Hazard
21 Assessment, and for short PSHA, and they conducted an
22 expert elicitation using the procedures that have been
23 developed by NRC.

24 There is a staff technical position how to
25 conduct a seismic -- any expert elicitation process.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And the staff reviewed both of them and found the
2 methodology to be acceptable to us, and the staff
3 review is our document dating the IRSR. It is one of
4 the NUREGs. I think it's -- it comes in the next
5 slide.

6 Next slide, please.

7 Okay. The second of the series, STR-2, is
8 a topical report. It says 003, but it is STR-2. And
9 that dealt with the pre-closure assessment design
10 methodology. I would like -- before I get into this,
11 I want to say one thing here, that we still have some
12 questions about the hazard curve itself and its
13 extension beyond assessment probability value, because
14 the expert elicitation was limited to developing a
15 hazard curve for the pre-closure design, didn't go far
16 enough.

17 And DOE is still working on that, and NRC
18 staff and DOE are in consultation with each other.
19 And we are following this issue, and we have some
20 questions about how to cut off the -- how to extend
21 the hazard curve to 10^{-8} probability values. That's
22 a discussion that we probably will have some other
23 time with you, although some of it might have some
24 impact on the pre-closure design curve also.

25 The topical report 2 had revision 0,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 revision 1, and revision 2, until 1997, and all those
2 were based on the requirements spelled out in 10 CFR
3 Part 60. In other words, there was a very specific
4 deterministic criteria spelled out in Part 60 similar
5 to what it is in Part 50 and 72 and others.

6 So the topical report was based on
7 deterministic criteria, and then later on the next
8 revision, revision 3, that came in 2004 was DOE's
9 attempt to address the risk-informed, performance-
10 based requirements of Part 63. So although there is
11 a lot of history up to revision 2, we have to just
12 forget that and only deal with the revision 3 of
13 October 2004.

14 So when we reviewed the topical report,
15 DOE's topical report, revision 3, addressing the risk-
16 informed, performance-based requirements of Part 63,
17 staff had a number of questions, and DOE produced a
18 letter almost like a letter report which tried to
19 answer some of the questions raised by the staff.

20 So today we are dealing with the current
21 status of DOE's proposal will be based on revision 3
22 of the topical report 2004, October 2004, plus some of
23 the clarifications given in the letter of August 25,
24 2005.

25 Next slide, please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay. Now, briefly, what did DOE propose?
2 Taking the letter and the topical report together,
3 essentially DOE's approach for meeting the
4 performance-based requirements of Part 63 consist of
5 two things. One is the design bases, and a seismic
6 margins analysis. And the design bases -- design
7 basis ground motion 1, and design basis ground
8 motion 2, to correspond to category 1, seismic
9 category 1 and seismic category 2, structures,
10 systems, components, which Mahendra is going to
11 discuss in detail later on.

12 And the criteria that were proposed -- the
13 design criteria would be from NUREG-0800. That is the
14 one that is used for Part 50 nuclear powerplants -- in
15 other words, elastic, deterministic criteria and two
16 design bases motions corresponding to seismic
17 category 1 and seismic category 2. Essentially, in
18 simple words, those two uprates will correspond to a
19 1,000-year return period and a 2,000-year return
20 period uprates.

21 And the way in which they would
22 demonstrate compliance with performance requirements
23 will be to conduct a seismic margins assessment using
24 SMA methodologies, the standard methodology that has
25 been used in the past for the IPEEE. And you will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 require another ground motion there, which is called
2 the beyond design basis -- BDBGM. That ground motion
3 is approximately similar to a safe shutdown uprate for
4 the nuclear powerplant, like 10,000-year uprate.

5 Next slide, please.

6 So once we came to this stage when we had
7 DOE's proposal, then we have a number of interactions
8 with Department of Energy. We had discussions on
9 telephone, we had, you know, onsite representatives at
10 the office, discussions with the Department of Energy,
11 and we asked a number of questions and sought
12 clarifications.

13 Based on our understanding, then we had a
14 workshop, which I have not mentioned here. We had a
15 three-day workshop in Rockville where all the experts
16 from the Center and the NRC staff got together and
17 went over the entire history of the seismic topic,
18 what has been to date, and what were some of the
19 difficult points there, because everybody was thinking
20 still in terms of the deterministic criteria from
21 Part 60.

22 It was very difficult to move from the
23 deterministic criteria to the performance-based
24 requirements, and we have to start thinking in a
25 totally different fashion, not confuse ourselves with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design requirements. And that took a long time, both
2 for DOE as well as for our own staff members.

3 I think during that -- the workshop you
4 were all finally -- the debate had been discussed and
5 it was a pretty intense interaction amongst ourselves.
6 Then, it became very clear to us, how is it that --
7 what should DOE do to demonstrate compliance? And
8 what should staff do to review their demonstration?

9 And that's what we provided as feedback to
10 DOE in a letter January 24, 2006, which you probably
11 have all seen. And then, following that we had the
12 technical exchange in June of 2006. And whatever we
13 discussed at that time, Department of Energy is in
14 complete agreement with the positions taken by the
15 staff at that time, and that's all documented.

16 And based on -- at that time, we had a
17 draft interim staff guidance. The ISG is not a
18 requirement for DOE, but it is a staff guidance for us
19 to conduct the reviews. And that went into public
20 comments, and then we received public comments,
21 addressed all the comments, and now the ISG -- it went
22 public final September 29th, the contents of which
23 will be the theme of the next presentation.

24 Next slide, please.

25 So before I conclude, I would like to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reiterate and summarize once again here what was our
2 message to DOE in our letter, as well as in our
3 discussions during technical exchange. Basically,
4 what we said to DOE was the design basis ground motion
5 and the design criteria that they proposed, similar to
6 the elastic criteria from 0800 and the design basis
7 motions that they selected for the starting of the
8 design process, which is like a 2,000-year uprate,
9 similar to PFS, etcetera. We said it's consistent
10 with practice, and it is a good starting point.

11 But we had a problem with the -- we didn't
12 have a problem with the SMA process, but we had a
13 problem with DOE assuming that by doing a seismic
14 margins assessment they would be meeting the intent of
15 Part 63 requirements, because the requirements of
16 Part 63 are very specifically defined under PCSA
17 section.

18 What it requires is that you have a
19 design, you take the design and develop your
20 seismically-initiated events, calculate the
21 probabilities of the event sequence, and you take it
22 up to 10^{-6} and demonstrate that the performance
23 requirements are met. If not, go demonstrate that you
24 can do a consequence analysis and show that the
25 consequences are within acceptable regulatory limits,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which is 5 rems of dose at 11 kilometers for a
2 hypothetical individual in the category 2.

3 So dose requirements would not have been
4 shown by just conducting a seismic margins analysis
5 alone. That was the message that we gave.

6 Next slide, please.

7 And, essentially, we also tried to explain
8 to them in our discussions that there is a methodology
9 that is well developed and accepted, and it is
10 becoming a standard methodology, the ASCE 43-05, which
11 can be used in which you take the entire hazard code
12 of the -- the seismic hazard code developed on the
13 basis of the site characteristics, and take the
14 fragility curve from the structures, systems,
15 components, integrate the two, and come up with the
16 probability of failure for the seismic event sequence,
17 which, again, is going to be a topic of further
18 discussion.

19 So we gave the details and said that this
20 is how we are going to look at the performance
21 demonstration submitted by DOE, and DOE seemed to be
22 perfectly happy with the outcome of the technical
23 exchange.

24 And I think, in conclusion, in summary
25 what I would like to say is that with a lot of hard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 work on the part of the staff, and with the diligent
2 interactions and a lot of patient exchanges, we are
3 finally able to come up with an understanding of how
4 we can take the design requirements, design criteria,
5 design bases, and demonstrate performance, which is
6 what is needed in Part 63, which is something new.

7 We don't have too much of an experience
8 with that other than Part 70 MOX. But, again, the
9 requirements there are not well defined like what we
10 have in PCSA requirements.

11 So this is where we are. This is the
12 status of the seismic design methodology in the
13 context of PCSA requirements. And some of the
14 questions that still are pending are with the hazard
15 curve extension to post-closure performance inputs.

16 What I can do is I can take questions at
17 this stage for this part, or wait until Mahendra's
18 presentation, which will go into the ISG details, and
19 then we can take questions. It's your choice.

20 MEMBER HINZE: Well, unless there are some
21 pressing questions by the Committee, I'd suggest we
22 move on and then take them all at one time, because
23 they really will feed into each other.

24 MR. NATARAJA: Thank you very much.

25 MEMBER HINZE: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SHAH: Good morning, everybody. The
2 purpose of my presentation is to provide an overview
3 of ISG-01, which was issued on September 29th, after
4 we had --

5 MEMBER HINZE: Could you move your
6 microphone just a little bit up, or turn it on, or
7 make sure it's cooking? There you go. Down just a
8 little.

9 DR. SHAH: Can you hear now?

10 MEMBER HINZE: Thank you.

11 DR. SHAH: Okay. Just to repeat, the
12 purpose of my presentation is to give an overview of
13 the high-level waste repository site, HLWRS-ISG-01, on
14 the subject of the staff review methodology for
15 seismically-initiated event sequences, which was
16 issued on September 29th of this year.

17 After we have considered the public
18 comments from various organizations, government
19 organizations, committee organizations, DOE, NEI, very
20 carefully, and then responded to those comments and
21 made changes to the ISG.

22 The reason we decided to write an ISG, as
23 Raj mentioned, that what DOE had proposed was not
24 addressing the issue of compliance with regulations of
25 Part 63, which requires demonstration of performance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of structures and not just the design. They have a
2 design basis which is -- as was discussed earlier for
3 category 2 are the BDBGM-2 event sequences where the
4 -- it's a defined regulation, but the potential for
5 release -- it's based on the dose release. It would
6 be higher than 15 millirem.

7 And for those structures, systems, and
8 components which are required to maintain the -- or
9 meet the dose performance requirements of 5 rem at the
10 boundary, they have to be designed to a higher level
11 earthquake, which is the 2,000-year return period.
12 And the reason they chose 2,000 years is based on the
13 ECP facility, because they are comparing that with an
14 ECP facility, which is Part 72.

15 So that is the design basis, which seems
16 reasonable. But seismic margin assessment, their
17 intent was to demonstrate that the performance of the
18 structures is sufficient. The probability of failure
19 at that value, which is 10,000-year design basis, is
20 about two times the design basis of 2,000-year
21 earthquake. That probability of failure would be
22 about 1 percent.

23 This was the procedure used in reviewing
24 the already-licensed nuclear powerplants during IPEEE
25 program to demonstrate that the designs have margins.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But the regulations are very specific as far as
2 demonstrating performance -- Part 63 regulations, I
3 mean. And that's why we need -- we had to look at the
4 -- what is the -- how they can demonstrate or how we
5 can review what DOE would provide later on during the
6 license applications to comply with regulations. And
7 that is the reason we decided to write an ISG.

8 So let me first discuss, then, the
9 regulations.

10 Next slide, please.

11 10 CFR 63.11(a)(B)(i) is for category 1
12 event sequences, and they are defined as those that
13 are expected to occur one or more times before
14 permanent closure of the geological repository
15 operations facility.

16 63.11(b)(2) is for category 2 event
17 sequences. Category 2 event sequences are those that
18 are likely to occur, 1 in 10,000 during the -- before
19 the permanent closure, which could be as high as 100
20 years. So on an annual basis, then, the standard is
21 10^{-4} divided 10^{-2} . If you assume 100-year pre-closure
22 period, you get 10^{-6} per year frequency of this event.

23 And mostly we are concerned about
24 category 2 event sequences in this ISG, because that
25 is the area where we need to make sure that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance is demonstrated. And then, there are
2 corresponding dose performance requirements for
3 category 1 event sequences and category 2 event
4 sequences, which is -- for category 2 it's 5 rem at
5 the end of the boundary for public.

6 Next slide, please.

7 Now, let's see what category event
8 sequence -- first, before I go into this, category
9 event -- how do you define the category of a --
10 category event -- category of event sequences? You
11 had to identify the hazards which could occur, and
12 then what could happen to the structures, systems, and
13 components, and the event sequences which could occur?
14 So it could be one or more components or structures,
15 systems, and components, in that event sequence, which
16 could release -- could lead to the release of
17 radioactivity.

18 So the design has to be such that the
19 probability of such an event, if you want release --
20 you can design -- you can allow the structures,
21 systems, and components to fail, and calculate the
22 dose, or you can make the components, the SSCs,
23 structures, systems, and components, strong enough,
24 robust enough, so that it will not fail.

25 The probability of failure will be 10^{-6}

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 per year, not just the component, but the event
2 sequence. So that includes the hazard, in this
3 particular case seismic hazard probability of
4 exceedance, and integration with whatever structure
5 capacity, which I will be discussing in a few minutes.

6 So keep that in mind, that it's not just
7 the SSC failure probability, but it's in combination
8 with the hazard probability. So it's a combination of
9 fragility and the probability of exceedance of seismic
10 hazard. And that's what we had to define, that beyond
11 category 2, if you want to -- this SSC not to fail.
12 That's the thing to keep in mind.

13 Now, this just lists the Yucca Mountain,
14 ISG supplements, the current staff guidelines, which
15 is in the Yucca Mountain review plan, NUREG-1804,
16 revision 2. So this just lists them. And we have in
17 ISG specific sections which are revised, and specific
18 wording, so when you want to -- you can incorporate
19 the letter, if necessary, and it can be revised very
20 directly, without further work.

21 Next slide, please.

22 So in order to determine this event
23 sequence probability of occurrence on an annual basis
24 or frequency, you need to have a seismic hazard curve,
25 which is defined for pre-closure facility, which is at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a surface of the ground. And then, the fragility
2 curve and SSC ITS, which ITS is important to safety.

3 Those structures, systems, and components
4 which are required -- relied on to ensure that the --
5 release of the dose performance requires math. Only
6 those SSCs have to have this evaluation performance.

7 And then, these two can be combined to get
8 a probability of failure of an SSC ITS to compute the
9 event sequence, and then to get the event sequence
10 probability of occurrence or the frequency to
11 categorize whether it's category 2 event sequence with
12 10^{-6} per year or beyond category 2. If you show it to
13 beyond category 2, then you don't have to do dose
14 performance evaluation.

15 And the methodology is available. It has
16 been used recently in ASCE 43-05, which spells out
17 exactly how to do this calculation.

18 Next slide, please.

19 The hazard curve didn't show up. Okay.
20 Sorry.

21 Do the printed copies have hazard curves?

22 MEMBER HINZE: Yes.

23 DR. SHAH: Okay. The hazard curve is just
24 the -- showing the probability of exceedance on the
25 vertical curve at acceleration or any other down

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 motion parameter. The one I have on the slide is
2 extra spectral acceleration at a specific frequency,
3 which could be 1, 2.5, 5, 10, or peak ground
4 acceleration.

5 And this one shows an example of a
6 fragility curve, which shows the -- if you have a 5g
7 probability of failure it's a community probability
8 distribution function. It's -- .2 is the probability
9 of failure. And this can then be combined to get --
10 the process is called convolution to get the
11 probability of failure.

12 Next slide, please.

13 The development -- hazard curve
14 development, Raj talked about earlier is -- described
15 briefly the fragility curve development. It can be
16 developed using -- you've got to have functional
17 requirements, what is a failure definition, and then
18 develop what is the probability of failure. So it
19 could be different depending on the function of a
20 system, whether it's -- it can be formed to the extent
21 whatever -- you've got to define what is a failure
22 criteria at a particular hazard level.

23 The log-normal distribution is normally
24 used for the fragility curve. It has found to be a
25 reasonable approximation. This is a density --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probability density function. And then, the fragility
2 curve for an SSC can be developed using another method
3 like Monte Carlo where you vary the properties and
4 trend them using Monte Carlo method. Or you can use
5 a simplified method, which is outlined in the EPRI
6 document, or any other method that may capture
7 appropriately the uncertainty and the variability of
8 the capacity.

9 So one could use any one of these methods
10 to develop the fragility curve for a structure,
11 system, or component.

12 Next slide, please.

13 Now, but after you find out that the P_F is
14 less than 1 in 10,000 during the pre-closure period,
15 then the event sequence would be a beyond category 2
16 event sequence, and you don't have to go into dose
17 calculations or modification of design, whatever, to
18 bring it beyond category 2 event sequence.

19 Next slide, please.

20 If, however, P_F or the probability of
21 failure for an individual SSC is -- this is just a
22 screening criteria. You don't have to use an
23 individual SSC. You can use a number of SSCs in an
24 event sequence, which will be the next step. But this
25 like a screening to start with this approach. You can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just say -- all my SSCs in the event -- event sequence
2 have a probability of failure less than 1 in 10,000 or
3 10^{-6} per year, assuming a pre-closure period of 100
4 years.

5 Then, you don't have to worry about that
6 event sequence, because you know that the likelihood
7 of such an event is -- it's very low based on the
8 definitions in Part 63. If, however, any one of the
9 SSCs exceeds this standard of 10^{-6} per year, then you
10 can consider a combination of these SSCs to determine
11 the probability of failure, because both of them, or
12 three of them, whatever numbers you have, have to fail
13 in order to have this event sequence exceed the 10^{-6}
14 per year.

15 So you can combine the two or three, the
16 number of SSCs, to determine the probability of event
17 sequence -- occurrence of event sequence or frequency
18 on an annual basis, and then show that it's beyond
19 category 2. If, however, you always have a choice --
20 option if you don't want to do anything you can always
21 determine the dose consequence and show that it's less
22 than the dose limits in 10 CFR 63.11(b)(2).

23 This shows the process in a flow chart
24 format, like seismic hazard curve and this fragility
25 curve are combined to get seismically -- probability

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of failure in seismically-initiated event sequences.
2 And then, if event sequence frequency is less than 1
3 in 10,000, then you comply with it.

4 If it is more, then -- then you can either
5 do dose consequence, if it is less than category 2
6 limit dose -- which I just mentioned, then it complies
7 with it. If it is not, then you can either modify the
8 design in order to recalculate the whole process
9 again. So it's an iterative process which has to be
10 done at -- before or during the design of this
11 facility. So this just shows it in a very simple
12 format the process which is used in the ISG.

13 ISG also has two appendices, which
14 describes with example -- provides examples. I assume
15 you have copies of the ISG, which gives an example of
16 how the process works.

17 Next slide, please.

18 To summarize, the interim staff guidance
19 provides guidance to the staff on the review
20 methodology, as I mentioned earlier, and the
21 methodology is consistent with the industry standard
22 ASCE 43-05 as far as determining the performance and
23 the event sequence probabilities, and was used in a
24 mixed oxide fuel fabrication facility in South
25 Carolina.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Part 70 does not have the specific
2 thresholds like what Part 63 has, based on some
3 judgment. They did that evaluation to demonstrate
4 that probability of such an event occurring is between
5 10^{-5} and 10^{-6} per year.

6 But they don't have the threshold so they
7 can make engineering judgment. Right here, in Part
8 63, there are specific thresholds we had to meet as
9 far as category event sequences.

10 I think that concludes my formal
11 presentation. I'd be willing to -- we'll be willing
12 to take an questions you may have.

13 MEMBER HINZE: Thank you very much, Dr.
14 Shah.

15 We'll ask the Committee for their
16 questions first, starting with you, Allen. Any
17 concerns, questions?

18 VICE CHAIRMAN CROFF: I've got a question.
19 I'm not quite sure how to articulate it. But as I
20 understand your going through this, there is sort of
21 a less than 1 in 10,000 frequency criterion that, you
22 know, if you meet it you get the check mark. Given
23 that, I don't see where the category 1 events that you
24 introduced earlier fit in.

25 They seem to be higher probability events,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what I understood was expected to happen in 100 years,
2 and I sort of assumed from that their higher
3 probability but lower magnitude. So where would they
4 make any difference? Where do they come into this
5 whole thing?

6 DR. SHAH: I think category event sequence
7 -- category 1 event sequences, as far as meeting the
8 performance requirements, should not be a problem if
9 you meet category 2 requirements.

10 VICE CHAIRMAN CROFF: Why is it even in
11 the regulation?

12 DR. SHAH: Well, there are other events
13 other than seismic and hazard which could be
14 category 1 event sequences.

15 VICE CHAIRMAN CROFF: Oh. This covers
16 more than just seismic, you're saying.

17 DR. SHAH: Right.

18 VICE CHAIRMAN CROFF: Oh, okay. Okay,
19 thanks.

20 MEMBER HINZE: Dr. Ryan?

21 MR. NATARAJA: Also, the category 1 is for
22 normal operations, and the focus there is worker
23 safety. In category 2, we are more concerned about
24 the public safety. That's the main distinction for
25 seismic design.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN CROFF: Okay. Thanks.

2 CHAIRMAN RYAN: No questions, Bill. Thank
3 you.

4 MEMBER HINZE: Dr. Weiner.

5 MEMBER WEINER: I have a number of
6 questions. How do you incorporate uncertainty in your
7 fragility curves? In other words, do you run a --
8 have a series of fragility curves and you sample on
9 those with Monte Carlo sampling? Could you describe
10 that?

11 DR. SHAH: Well, yes, you do consider
12 these uncertainties in developing mean -- I mean, 95
13 percent confidence, 5 percent, and different
14 percentage fractiles. And then, you take the mean
15 fragility curve as far as the computations here are
16 concerned. So we're you're talking about mean
17 fragility curves.

18 MEMBER WEINER: Yes. I'm -- my question
19 is: how do you get there?

20 DR. SHAH: Okay. You can use a Monte
21 Carlo -- you're talking about Monte Carlo analysis?

22 MEMBER WEINER: Yes.

23 DR. SHAH: You can have the properties,
24 like the strength is governed by steel property, let's
25 say, the yield point of the material. So you have the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 properties which would be 5 percent confidence level,
2 the distribution function, so you use dose in order to
3 sample --

4 MEMBER WEINER: Okay.

5 DR. SHAH: -- the Monte Carlo.

6 MEMBER WEINER: Yes, that's what I
7 thought. What are the steps that get you from the
8 seismic event, if you will, to a dose? In other
9 words, what assumptions are you making to get to the
10 dose? What -- how does the release -- you know, what
11 is the release? What -- how do you get there?

12 DR. SHAH: Suppose during a seismic event
13 the structure fails.

14 MEMBER WEINER: Yes.

15 DR. SHAH: And then, the second thing,
16 what happens after the structure fails? Will the
17 waste package or the canister where the fuel is, will
18 the canister fail or not? If the canister fails, then
19 even the structural may have failed completely, is it
20 going to just crumble into pieces, or it will have
21 some -- because of cracking, you know, of the
22 structures it's going to have less resistance to the
23 radioactivity release, less shielding. So those
24 things have to be considered.

25 But the important thing is if the waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 package or the canister can be shown to survive, and
2 there is no release, then it doesn't matter.

3 MEMBER WEINER: But suppose you get --
4 first of all, do you just assume one waste package is
5 affected, or do you -- is there some range of waste
6 packages that you assume?

7 DR. SHAH: You have to consider all the
8 canisters or the fuel canisters, which are -- which
9 are there, or could be there during the normal
10 operation.

11 MEMBER WEINER: And then, do you make some
12 assumptions about how the material that's released
13 moves in the environment?

14 DR. SHAH: Yes. You're talking about the
15 dose --

16 MEMBER WEINER: Yes.

17 DR. SHAH: I'm not familiar with those
18 requirements.

19 MR. NATARAJA: I think the PCSA has got a
20 methodology, and each event sequence -- there are a
21 number of positive event sequences and scenarios. One
22 of them could be exposed fuel that is there at the
23 time of the seismic event, and a roof might collapse
24 or something might happen. The ventilation system
25 might fail, and the particulates might be released

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 into the atmosphere. And then, there are wind
2 conditions that have to be taken into account.

3 And the usual calculations that are made,
4 like in any other -- will come into the picture, but
5 we are not going into those details here, because the
6 PCSA is another --

7 MEMBER WEINER: Okay.

8 MR. NATARAJA: -- topic by itself where
9 they can come and answer many of these questions about
10 the -- what are we talking about? How do we factor
11 the seismic design part into the performance?

12 MEMBER WEINER: I see. Thank you.

13 MR. NATARAJA: And then, there are a
14 number of other things that need to be discussed.

15 MEMBER WEINER: One final question. You
16 say on this slide that this method has a precedent for
17 use with a mixed oxide fuel fabrication facility. But
18 there are chemical hazards that -- whose consequences
19 way exceed any radiation dose. How do you factor
20 those in if you're using this method for the MOX fuel
21 facility?

22 DR. SHAH: We are just talking about the
23 process of calculating the probability of failure in
24 the event sequence. Were' just talking about the
25 process.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Okay. You're just talking
2 about the process.

3 DR. SHAH: Yes.

4 MEMBER WEINER: Thank you.

5 MEMBER HINZE: Dr. Clarke.

6 MEMBER CLARKE: This question is coming
7 from someone who doesn't work in this area at all, and
8 it's very basic. But I wanted to follow up on Allen
9 Croff's question.

10 You talk about event sequences throughout
11 your presentation, and slide 19 has an overview of
12 approach for determining compliance. That third --
13 well, the second box, seismically-initiated event
14 sequences, could you just tell us a little more about
15 what the event sequences are? Is this a --

16 DR. SHAH: Okay. The event sequence --

17 MEMBER CLARKE: -- standard format to
18 follow in accordance with a particular method or --

19 DR. SHAH: During a seismic event, let's
20 say that crane is operating and the crane can fail.

21 MEMBER CLARKE: Okay.

22 DR. SHAH: Which could lead to drop of a
23 canister.

24 MEMBER CLARKE: So these are things that
25 can go wrong.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SHAH: Right.

2 MEMBER CLARKE: And do you --

3 DR. SHAH: Things that can go wrong.

4 MEMBER CLARKE: Do you do an event tree
5 analysis to --

6 DR. SHAH: Yes.

7 MEMBER CLARKE: -- define the structure
8 for the --

9 DR. SHAH: Yes.

10 MEMBER CLARKE: Okay. And do you assign
11 probabilities to that so it's really a fault tree
12 analysis?

13 DR. SHAH: Right. Exactly.

14 MEMBER CLARKE: Okay. Thank you.

15 MEMBER HINZE: A few questions, Raj and
16 Dr. Shah. This is the first ISG to the Yucca Mountain
17 Review Plan?

18 DR. SHAH: Yes.

19 MEMBER HINZE: Why did you take this
20 approach? And why didn't you go back and just change
21 the Yucca Mountain Review Plan?

22 DR. SHAH: The reason we took this --

23 MEMBER HINZE: If you could, please.

24 DR. SHAH: Oh, I am already there. Okay.

25 MEMBER HINZE: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SHAH: The reason we took this
2 approach because -- this was a focused change, focused
3 revision to YMRP. It was in a specific area, and we
4 didn't want to have a big document revised just for a
5 small area.

6 Now, when we have sufficient number of
7 ISGs in the future that we may consider revising the
8 YMRP. So this was --

9 MEMBER HINZE: And then, this would be
10 incorporated into that change.

11 DR. SHAH: This will be incorporated, if
12 we revise the YMRP.

13 MEMBER HINZE: Can we expect to see more
14 ISGs coming down the pike?

15 DR. SHAH: Yes. ISG 2 is also issued for
16 draft. This is for PCSA process. It's --

17 MEMBER HINZE: It's for what?

18 DR. SHAH: ISG 2.

19 MEMBER HINZE: Yes.

20 DR. SHAH: Pre-closure safety analysis.

21 MEMBER HINZE: Okay.

22 DR. SHAH: Issued on September 29th. And
23 the --

24 MEMBER HINZE: That's the first, right?

25 DR. SHAH: That's the second one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: Second. Ah, okay.

2 MR. NATARAJA: This is the final one.

3 MEMBER HINZE: Okay. This is the final
4 one.

5 DR. SHAH: This is the final one.

6 MEMBER HINZE: All right.

7 DR. SHAH: The second one is issued --
8 draft was issued on September 29th, and the comments
9 are due -- I think one-month extension was granted, so
10 it's due on December 13th.

11 MEMBER HINZE: Going to the ISG, you have
12 incorporated a methodology into that. And reading the
13 comments from the public on that, there was concern
14 that this might constrain/bias the DOE in terms of
15 their methodology. Instead of using an exact
16 specified methodology as an illustration, would it
17 have been possible and perhaps better to use a series
18 of criteria? Because the ISG, as I understand it, is
19 for the -- is to give guidance to the staff on the
20 acceptance of a methodology.

21 And I guess my question is: what are your
22 criteria that you can use for accepting a methodology?
23 A methodology that the DOE may use may be quite
24 different than what you have, and how is the NMSS
25 personnel going to use that methodology that you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 described to translate into theirs?

2 DR. SHAH: You are saying that if DOE has
3 a different methodology --

4 MEMBER HINZE: Yes.

5 DR. SHAH: -- which -- they can. They
6 have all the freedom and all the options according to
7 regulations to propose an alternative methodology.
8 This is just guidance of a methodology. This is one
9 way we think it can be done.

10 MEMBER HINZE: Well, can you specify some
11 criteria that the staff should use in saying that this
12 methodology is correct in a safety analysis?

13 DR. SHAH: Well, the criteria are already
14 there in the regulation as far as -- as long as you
15 demonstrate the event sequence frequency of occurrence
16 during a seismic event.

17 MEMBER HINZE: Okay. But you felt that
18 more specificity was needed by virtue of your
19 illustration. And so is it -- is it desirable to have
20 more specificity to the regulation?

21 MR. NATARAJA: I think that the reason why
22 we went into this kind of a specific methodology is
23 because we are not communicating well with the
24 Department of Energy. Anybody who is thinking still
25 in the deterministic methodology approach and somehow,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if a particular design method is adopted and a certain
2 design basis is adopted, you know, everything is fine
3 and dandy.

4 And then, when you started talking about
5 performance, they were thinking about a margins
6 analysis, and they will combine the margin that they
7 get with the design margin and somehow come up with a
8 10^{-6} , but that would have been okay if you are only
9 talking about one design event. But we are talking
10 about a design -- continuous hazard seismic curve, not
11 just one event.

12 So the methodology requires that you have
13 to look at the entire hazard, the range of hazards
14 possible at the site, and look at the possibilities of
15 failures and the fragilities of various structures,
16 systems, and components. That's what this method
17 talks about. It looks at the hazard curve in its
18 entirety, and the fragility, which is a continuous
19 curve again. And the two of them together is what
20 gives you the probability of the event sequence.

21 MEMBER HINZE: Right.

22 MR. NATARAJA: So, unfortunately, there
23 was no other way to do this. If DOE wants to do
24 something else, we would still probably be doing this
25 as an independent check to satisfy ourselves that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- their methodology would yield a demonstration, a
2 satisfactory demonstration that the requirements of
3 the regulations are met.

4 But if they use, it will be easy, because,
5 you know, we'll be doing the same thing. But if they
6 don't, I think the staff would use this methodology to
7 check their performance.

8 MEMBER HINZE: So there will -- so this is
9 a -- have you looked at the results from your
10 methodology? Have you actually calculated a situation
11 that might occur at Yucca Mountain using your
12 methodology? And what have you found from that?

13 DR. SHAH: Well, we have -- in fact, the
14 examples -- example in Appendix A and B uses, to some
15 extent, what Yucca Mountain has -- has occurred, even
16 though it's hypothetical. Beyond 10^{-4} it could be
17 different curve. We have used a straight line to
18 extend it.

19 As far as the components, we have selected
20 the one which we know they have, so --

21 MEMBER HINZE: Is --

22 DR. SHAH: -- my estimate is that if you
23 use a single component, just a single component, you
24 will get a probability of event sequence 10^{-5} to 10^{-6}
25 per year, in between. But when you have more than one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 component in that event sequence, you should be able
2 to get less than 10^{-6} without any significant effort.

3 MEMBER HINZE: So this is -- in terms of
4 the potential risk from seismicity in the pre-closure
5 period, this is -- in terms of comparing this with
6 other possible events, this is not a particularly
7 important one? Is that what I'm hearing from you?
8 That seismicity is not an important aspect to the
9 risk?

10 DR. SHAH: No, I didn't say that.

11 MEMBER HINZE: Okay. I'm just trying to
12 make certain I understand.

13 DR. SHAH: I'm saying --

14 MEMBER HINZE: Is this -- how important is
15 this in terms of --

16 DR. SHAH: I think this is very important
17 as far as the qualification of SSCs. Seismic loads
18 are significant for the design. Design basis is 2,000
19 years, which is reasonable, because that's very
20 similar to ECP facility. But you have to go a step
21 beyond that to demonstrate performance. This process
22 will lead you to compliance to a regulation.

23 MEMBER HINZE: Does the methodology call
24 for consideration of the effect of preceding events?
25 In other words, if you have an event sequence which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leads to --

2 DR. SHAH: Some deterioration, you mean?

3 MEMBER HINZE: Right. Deterioration.

4 DR. SHAH: Okay. In that --

5 MEMBER HINZE: How is that convolved with
6 the -- with future events?

7 DR. SHAH: Okay. That was one of the
8 questions I think my committee had, about recurring
9 seismic events. Is that what you're talking about?

10 MEMBER HINZE: Yes.

11 DR. SHAH: Our position is that the hazard
12 curve itself has incorporated this potential of
13 recurring events in determining the magnitudes of the
14 hazard accelerations. So it reflects that kind of a
15 thing occurring.

16 However, if somebody is -- let's just say
17 from the process point of view, if that is not done,
18 then what you need to do is evaluate the fragility --
19 revise the fragility of the component considering what
20 the damage is.

21 MEMBER HINZE: So there would be a revised
22 fragility --

23 DR. SHAH: There would be a step-by-step
24 approach, yes.

25 MEMBER HINZE: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SHAH: But for Yucca Mountain they
2 have considered this as far as the magnitude of the
3 hazard, the effects of this recurring event.

4 MEMBER HINZE: Well, while I'm asking
5 about that, what have -- have you thought about the
6 connection, the nexus if you will, between a possible
7 volcanic hazard and the seismic hazards associated
8 with a volcanic event during the pre-closure period?

9 DR. SHAH: No. These events are
10 considered independently.

11 MR. NATARAJA: I think if you combine the
12 two probabilities it will probably go beyond the
13 regulatory interest. I'm not an expert. I think that
14 is John.

15 DR. SHAH: John, do you want to answer
16 that?

17 MR. STAMATAKOS: Yes, Bill. It's John
18 Stamatakos. The seismic -- the PSHA explicitly
19 incorporated seismicity from volcanic events as one of
20 many of the sources. So there is already a component
21 of earthquakes related to volcanism. In the seismic
22 hazard curve that gets pulled in at some lower
23 probability in the pre-closure.

24 The probability of a volcanic event
25 separate is below that threshold. So it's not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 considered at all, and it's just screened as if it
2 were one single component, event sequence. So it's
3 just screened out of the pre-closure all together.

4 MEMBER HINZE: Thank you. You -- on your
5 last slide you refer to the methodology being
6 consistent with ASCE 43-05, and this is specified as
7 a consensus standard. What's a consensus standard?

8 DR. SHAH: Consensus standard is prepared
9 by participation of the industry people and economics
10 and all the experts in the industry, has ben reviewed.
11 They have a process which they go through.

12 MEMBER HINZE: And that has been -- was
13 that used --

14 DR. SHAH: Adopted.

15 MEMBER CLARKE: -- at the MOX facility,
16 then?

17 DR. SHAH: Well, the process was used, not
18 specifically ASCE 43-05. Just the process of
19 calculating the probability of failure was used.

20 MEMBER HINZE: Are there any differences
21 between what you -- the methodology that you've used
22 as illustrative in that -- in the ASCE document?

23 DR. SHAH: John, do you want to answer
24 that?

25 MR. STAMATAKOS: This is John Stamatakos

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 again. Yes, Bill, I worked on that MOX facility, and
2 there is -- there are some differences. The MOX
3 licensing basis was for the construction authorization
4 part of the license, so they are now in the proceed
5 and possess part of the review, and they are doing an
6 iterative safety analysis for that later one.

7 But for the construction authorization,
8 the licensing basis for the hazard was the -- that
9 they used the same design spectra that was adopted for
10 the nearby Vogtle nuclear powerplant. And we asked
11 them during the review to support that licensing basis
12 with some demonstration of how well their SSCs will
13 perform, and so they picked six of the most critical
14 SSCs and they did this kind of an analysis using the
15 43-05 methodology to show that the likelihood that
16 those six critical SSCs would fail would be very
17 small. They were generally less than 10^{-5} and a few
18 less than 10^{-6} .

19 But they did not have to, then,
20 incorporate them into an event sequence, and there is
21 no PCSA-like requirement for MOX as there is for Yucca
22 Mountain.

23 MEMBER HINZE: Is it possible for you to
24 help us obtain a copy of 43-05?

25 DR. SHAH: Yes, I have. But I can send

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you electronically.

2 MEMBER HINZE: If you could
3 electronically, that would be really very good.

4 DR. SHAH: I will send you --

5 MEMBER HINZE: We really do need that.
6 Let me ask a few more questions. You've had some
7 interesting comments to your request for public
8 comment. I notice in the Federal Register your
9 responses to those, but I don't know who the comments
10 are coming from. Is it possible for us to have
11 information on the identity of the comments? Do you
12 have a document that is sufficiently public that we
13 could see those --

14 DR. SHAH: Yes, I could --

15 MEMBER HINZE: -- comments and --

16 DR. SHAH: -- I can --

17 MEMBER HINZE: -- your responses, other
18 than the Federal Register? I think that would be
19 helpful to us.

20 And, certainly, one of the more
21 provocative of the comments is the concern that the
22 methodology that you have prescribed may be much more
23 stringent than that being applied to nuclear
24 powerplants. You know the question had to come sooner
25 or later.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I, frankly, thought your Federal Register
2 comments were not very specific, at least in my
3 reading of them. And I wonder if you could expand
4 upon your Federal Register comments in which you
5 reacted/responded to the comment?

6 MR. NATARAJA: I think Mahendra will
7 answer the details, but one thing I would like to talk
8 about, the design being more stringent -- or the
9 requirements being more stringent for this facility
10 than for other facilities, is a comment that we keep
11 hearing again and again. But I think, finally, DOE
12 was convinced that we are not asking for anything more
13 than what -- we are -- actually, they recommended a
14 design basis ground motion of 2,000 years for
15 category 2.

16 If you compare this to a similar facility
17 like the PFS or the ECP -- one of those, it is
18 comparable. So you're not asking them for any design
19 that will be more robust than what they would do for
20 a similar facility of similar risk. But there is a
21 requirement in Part 63 which is not there in 72, it is
22 not there in Part 50 and other things. That's what
23 people seem to forget.

24 And we have had lots of discussions with
25 our OGC on this issue, and the OGC has given us the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 legal guidance on this. That the requirements of PCSA
2 are to be met, which means that they have to
3 demonstrate performance, taking into account an
4 initiating event, a seismically-initiated event, and
5 carry it all the way, and to see whether it ends up in
6 a release.

7 If it does, the probability of that
8 release should be less than 10^{-6} . But if it is more,
9 then they have to show that the dose is less than
10 5 rems. They achieve this a number of ways. They can
11 do this by a robust design, or they can take number of
12 events that have to happen one after the other in
13 order to reduce the overall probability of the event
14 sequence, or simply assume that everything fails and
15 show that the consequence is acceptable.

16 So they have a number of options, and
17 there is a requirement in PCSA, and there's nothing we
18 can do about it. And if you think of that as
19 something more stringent than what is needed for other
20 facilities, it is not more stringent, it's a different
21 requirement, and it's part of the regulation.

22 So that's the answer that we are giving to
23 DOE, and I think DOE finally has understood that and
24 accepted that. And I think if you follow the
25 procedures, I don't think they will end up with any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more stringent design. That's, you know,
2 understanding at this stage, but they have to go
3 through the process, and that's -- there is a
4 requirement and staff has no choice but to implement
5 it.

6 MEMBER HINZE: Did DOE have -- did you
7 respond to DOE comments to your request in the Federal
8 Register statement? Was DOE's comments in there?

9 DR. SHAH: Yes. I can --

10 MEMBER HINZE: Well, that's why we really
11 need to see who is asking what.

12 DR. SHAH: Okay. If you look at the
13 comment numbers, I can tell you comment number 1
14 through 12 are from DOE. In the Federal Register
15 notice, the comment numbers.

16 MEMBER HINZE: 1 through 12.

17 DR. SHAH: Yes. And then, the next five
18 of them are from NEI. And the other three later on
19 are from committees.

20 MEMBER HINZE: Do you have something more
21 to add to --

22 DR. SHAH: I will. As far as what it
23 said, I was going to say that you've got to keep in
24 mind that this is for a single event sequence dose
25 performance requirement, not a combination of all of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the event sequences. So that is a very high dose
2 performance requirements limit for a single event
3 sequence. And also, it includes not just one
4 component. There are other SSCs in -- it's an event
5 sequence, so it's a combination of one or more SSCs in
6 an vent sequence.

7 MEMBER HINZE: Rather than a safe shutdown
8 or --

9 DR. SHAH: Rather than just -- oh, yes --
10 a design basis for one particular earthquake level.

11 MEMBER HINZE: Let me ask another question
12 if I may, and that is that there -- we're having
13 someone come in to discuss -- from DOE come in to
14 discuss with us pre-closure planning by DOE. You hear
15 discussions about the possibility that the pre-closure
16 period indeed might be something more than 100 years
17 -- at least that question has been raised -- and
18 keeping it open for a longer period of time.

19 How robust is your ISG? How much do we
20 have to -- how much -- let's say that Congress decides
21 that this shall be a 500-year pre-closure period.
22 What would this mean to your requirements that you're
23 setting up?

24 MR. NATARAJA: I think that the -- I would
25 say that the active operation period is what we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really illustrating when we talk about the seismic
2 design, not simply keeping open the repository for 500
3 years. I do not expect an active waste handling
4 operation to be going on for 500 years.

5 So we have to temper the comment that, you
6 know, you can have an extended period of the repository
7 being open. In fact, there is -- looking at reducing
8 from 100 to 50 years or something like that in order
9 to show it will be more easy for them to demonstrate
10 compliance with a shorter period.

11 And if they can say that their active
12 waste handling operation is confined to, say, 20 or 30
13 years, less than 50 years, they might be able to do
14 that. So I don't think we should worry too much about
15 the methodology being outdated before the repository
16 is closed.

17 MEMBER HINZE: But wouldn't it just -- an
18 increase in the time period would simply increase the
19 limit or change -- or decrease the limit to 10^{-7} or 10^{-5}
20 times 10^{-6} , something like that? So if you met 10^{-6}
21 --

22 MR. NATARAJA: Yes, but what I'm saying --
23 that the waste handling operations is what we are
24 talking about.

25 MEMBER HINZE: I know what you're saying.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. NATARAJA: Yes.

2 MEMBER HINZE: But if the waste handling
3 also was incorporated into a longer time period, it
4 would -- it would lower it from 10^{-6} to something less
5 obviously.

6 MR. NATARAJA: That's a scenario we
7 haven't really thought about. I think it's -- John,
8 do you want to say something?

9 MR. STAMATAKOS: Yes, I think -- I think
10 the methodology is independent of whatever cutoff
11 frequency we choose. So we can -- the methodology is
12 quite robust in that regard. So if -- if the pre-
13 closure period gets much longer, then we're just going
14 to simply be looking at things with lower probability.

15 MEMBER HINZE: With lower probability.
16 Simply that.

17 I might mention that, if I'm correct on
18 this -- and, Mike, you can check me on it -- but next
19 month we will have NEI and EPRI in to also discuss the
20 ISG with us. And I'm sure we're going to be hearing
21 -- well, we're going to be hearing more about this.

22 I would now like to open this up to --
23 please, Dr. Weiner.

24 MEMBER WEINER: Just one follow-up
25 question to Dr. Hinze's question. One of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 suggestions that has been made for keeping the
2 repository open longer is to do surface aging -- aging
3 on the surface. Would the ISG encompass the -- this
4 would involve many more than one waste package, if
5 there were seismic event, it seems to me. Is your --
6 does your methodology encompass that?

7 DR. SHAH: The methodology, in general, is
8 applicable to that part of the facility also.
9 However, we are -- we are looking into that to see if
10 there is an alternate way to satisfy the regulation.

11 MEMBER HINZE: Mike?

12 MR. STAMATAKOS: Can I just add something?
13 The current approach that DOE is adopting in many
14 areas in pre-closure is to try to find ways not to
15 look at the doses, but to meet the regulations in
16 terms of the probability performance. So there has
17 not been a lot of analyses done to look at, you know,
18 whether it's one waste package or many waste packages,
19 and what the release scenarios might be.

20 The approach here that DOE is adopting,
21 and one that we're just providing guidance on, is how
22 you can meet the regulations in terms of their
23 performance probabilities, not yet specifically, then,
24 how you might calculate doses. So the target is
25 almost like zero dose rather than what's in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulation.

2 MEMBER HINZE: Please, Mike.

3 MR. LEE: Sure. I've just got two
4 questions. Was the NRC part of the consensus-building
5 team, if you will, on the ASCE 43-05? I mean, were
6 they part of that committee?

7 DR. SHAH: I don't think so.

8 MR. LEE: Seeing that they have an oar in
9 the water when it comes to how this standard is being
10 implemented?

11 DR. SHAH: As far as I know, we were not.

12 MR. HARDY: This is Greg Hardy. Just a
13 comment. The NRC was part of that process. They had
14 representation on the ACSE standard.

15 DR. SHAH: I think --

16 MR. LEE: Do we know who that was?

17 DR. SHAH: I think it must be Tom Bocci,
18 I assume, but --

19 MR. HARDY: That was Greg Hardy from Aries
20 Corporation.

21 MR. LEE: Yes. But the question was, who
22 from the NRC was participating on that committee. Do
23 you know?

24 MR. BOCCI: This is Tom Bocci for -- one
25 for sure that I'm aware of. I'd have to check, there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 might have been several people, but --

2 MR. LEE: Okay. All right. Thank you.

3 The other question I had is: if I go back
4 to slide 19, I look at the -- your approach and I see
5 hazard curve, you can almost put -- I mean, would I be
6 wrong in saying that you could say flooding initiated
7 event sequences? I mean, is there an issue in the
8 Yucca Mountain Review Plan that there is the need for
9 additional guidance on how to evaluate event sequences
10 for any hazard, or is this just a specific issue that
11 you identified?

12 DR. SHAH: This is specific only for
13 seismic.

14 MR. LEE: All right.

15 MR. NATARAJA: I think flooding can be
16 handled by actual design by elevating or to put it
17 about the maximum flood level, and so on and so forth.

18 MR. LEE: I just used that as an example.
19 I didn't mean to focus on flooding. I mean, you could
20 put fire hazard, volcanic hazard. I mean, there's --
21 you could probably have a list of hazards that you can
22 go through that might lead to some event sequence of
23 a failure of a structure, system, or component.

24 I guess my question is: are you -- is the
25 staff aware of any other areas in the review plan for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which there is a need for additional guidance on how
2 to identify event sequences or guidance similar to
3 this?

4 DR. SHAH: We are not aware of any area.

5 MR. LEE: Okay. So this is more of like
6 an anomaly.

7 MR. NATARAJA: No such questions have been
8 raised during any of our discussions.

9 MR. LEE: Okay.

10 MR. NATARAJA: And seismic is probably the
11 one that has caused some confusion.

12 MR. LEE: Sure.

13 MR. NATARAJA: And a lot of discussion.

14 MR. LEE: Okay. That's all I have. Thank
15 you.

16 MEMBER HINZE: Further questions by the
17 staff or the public?

18 DR. COLEMAN: Raj, you mentioned earlier,
19 it was just sort of an introduction to scenarios of
20 concern, and you used the expression there could be
21 exposed fuel lying around, somehow converted to a dust
22 that would be released and carried on the wind. What
23 I was wondering is: how could there be exposed fuel
24 laying around?

25 I mean, what scenario might there be,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 given DOE's intent to use a new canister design, the
2 TAD? Because as I understand it, there would be no
3 fuel repackaging onsite unless a TAD were to arrive
4 severely damaged or defective. So what scenario could
5 realistically happen where ceramic fuel pellets, which
6 are very strong, are somehow laying around, turned
7 into dust, and carried on the wind?

8 MR. NATARAJA: Well, this -- all this
9 discussion took place before DOE made the decision on
10 the TAD. You know, in the PCSA there are some
11 scenarios where they have some exposed -- open fuel
12 could be exposed. And if it so happens that there is
13 an earthquake at that particular time, there could be
14 scenarios where damage could be there to the fuel, and
15 so forth.

16 There are based on some reasonable
17 assumptions of the scenarios that you make
18 calculations. PCSA is not based on reality. It is
19 based on a series of assumptions, of possible things
20 that can go wrong, calculating the probabilities and
21 calculating the consequences. That's how you get
22 assurance that your design is working for you.

23 So, I mean, it's realistic in some cases.
24 In some cases, it may not be. And it -- we don't want
25 to make some totally unrealistic and ridiculous

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assumptions, but based on what we know of the design
2 in the -- up to the point when you are making these
3 discussions, there was a scenario that was possible.
4 I think Robert is there. If he wants to correct me,
5 he could. But that was possible, but, you know, it
6 may not be real, but in the scenarios that were
7 assumed it was possible.

8 DR. COLEMAN: Well, the thing is that if
9 some strange accident happened that would rupture a
10 canister, folks aren't going to leave fuel pellets
11 laying around waiting for an earthquake. They would
12 be cleaned up.

13 MR. NATARAJA: Yes. Robert?

14 MR. JOHNSON: Hello. This is Robert
15 Johnson with staff. I'm not sure that we've suggested
16 that fuel pellets could actually turn to dust. I
17 think there are a number of event sequences. At the
18 time, I think some of the initial discussion started
19 with respect to seismically-initiated event sequences.
20 We were looking at DOE handling a significant amount
21 of bare fuel.

22 Now they've made a change to the design
23 that moves to TAD, but there are some other things
24 that need to be considered at this point. There will
25 be DPC cutting, there will be pool storage with I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think a significant amount of fuel. So there are
2 things that we still may need that -- let me rephrase
3 that. That DOE still may need to address with respect
4 to seismically-initiated event sequences.

5 One other note I think, Mike, earlier you
6 had mentioned. We have put together ISG-02, and it's
7 out for public comment. It is on the PCSA process or
8 information supporting the PCSA, as well as level of
9 information to support the PCSA. So that's out for
10 public comment, and I believe the date is -- for us to
11 receive public comment is December 13th.

12 MEMBER HINZE: Are there any ISGs being
13 considered with related -- with relation to post-
14 closure seismic? Are those in the mill?

15 MR. NATARAJA: Jim, do you want to --

16 MR. RUBINSTONE: Not at this time.

17 MR. NATARAJA: Jim Rubinstone.

18 MR. RUBINSTONE: Sorry. Jim Rubinstone,
19 NRC.

20 MEMBER HINZE: Raj, you mentioned the
21 possibility of coming in and talking about post-
22 closure with us. Do you have a timeframe or a window
23 that you're working towards that we could fold into
24 our thinking?

25 MR. NATARAJA: I think I'll let Jim answer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this question further, but all I know right now is
2 that we have made some comments on DOE's work related
3 to this area. And there have been some discussions,
4 and it's one of the topics mentioned for a potential
5 technical exchange between NRC and DOE. And DOE is
6 struggling with this question of how to -- how to cap
7 the hazard.

8 MEMBER HINZE: Right.

9 MR. NATARAJA: And they have -- they had
10 extended it in a straight line, which ended up being,
11 you know, some numbers which are unbelievable. But
12 they are struggling with the technical basis how to do
13 that, and our -- our own experts at the Center have
14 looked at this problem, and we have a report that has
15 been written and has been sent to DOE. And DOE wanted
16 to clarify some of those points, and we had some
17 discussions. We might have a technical exchange on
18 that.

19 So we are still in discussion on that, and
20 until we have more information from DOE, I don't know
21 whether we can come and talk to you about anything
22 knew. Jim?

23 MR. RUBINSTONE: Yes, Jim Rubinstone.
24 That's a good summary, Raj. We sent a letter on
25 September 20th that enclosed a report prepared by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Center with comments on an approach that DOE had
2 proposed about a year ago. And I provided -- both of
3 those are in ADAMS. I provided them to Mike Lee, and
4 I think he can distribute those to the Committee.

5 Right now, we're sort of waiting for DOE.
6 DOE had said they thought they could clarify some
7 things. They said they will probably reissue the
8 report in a revised form at some future date, but
9 we're somewhat on hold now until we can get
10 clarification from DOE on exactly what their approach
11 will be.

12 MEMBER HINZE: Thank you. Further
13 questions? Leon?

14 DR. REITER: This is Leon Reiter. I'm
15 here representing the Nuclear Waste Technical Review
16 Board, but these are my own personal comments. I did
17 want to pursue a little bit what Dr. Hinze talked
18 about, the comparison between nuclear powerplants and
19 what's happening at Yucca Mountain. There's two
20 simple questions -- two questions. From what I -- if
21 I'm not mistaken, there's a draft reg guide -- I don't
22 know the number, I think it's maybe 1146 I think.

23 DR. SHAH: DG-1146.

24 DR. REITER: In which the proposal is that
25 the nuclear powerplants will also follow this ASCE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 criteria. They call it the performance-based
2 approach.

3 DR. SHAH: Performance-based, yes.

4 DR. REITER: And I guess the question is:
5 has anybody looked at that? And are you consistent in
6 the way you're applying that approach? Can you then
7 say, "Well, it's like it's being done there, or it's
8 different, and there was a reason for it"?

9 DR. SHAH: I am a member of the Committee
10 -- structural issues are -- technical advisory group
11 which worked on this DG-1146. I'm very familiar with
12 it. The approach they've taken is, what is a
13 performance of particular structure, system, or
14 component? Not an event sequence.

15 And that's what I was pointing out, that
16 they are still doing the design -- deterministic
17 design basis. They are still selecting these
18 earthquake performance SSC, so that the performance of
19 a particular -- any one component is 10^{-5} per year.
20 We are talking about event sequence, so that you have
21 to keep in mind. The process is the same.

22 DR. REITER: Right. They -- you probably
23 know a lot more about this than I. That's what I was
24 thinking about. They had a 10^{-5} criteria, something
25 called the onset of inelastic --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SHAH: Onset, right.

2 DR. REITER: And then, they somehow
3 associated that with a 10^{-6} core damage.

4 DR. SHAH: Right, because --

5 DR. REITER: So has anybody prepared what
6 they're doing and the way they're doing and what you
7 -- what you're doing in terms of consequences, in
8 terms of dose to the public? That may be able to help
9 try and understand if there really is a difference or
10 isn't a difference.

11 DR. SHAH: There is a difference, because
12 they are still using the deterministic design basis
13 for design of the structure or the SSC for 10^{-4} per
14 year, which was the mean value. To get that 10^5 they
15 are adjusting the SSC at different -- depending on
16 where the plant is located. So they are preparing --
17 they are determining this performance-based SSC to get
18 that performance for individual structure, system, or
19 component.

20 And that's not what we are doing. We are
21 doing the actual performance of these event sequence,
22 you know, like a safety analysis.

23 DR. REITER: But I guess what I'm trying
24 to get at, has anybody looked at what -- the
25 implications of what you're doing and they're doing?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Not trying to explain why you're doing it, but what
2 are the implications? Does one rely -- result in a
3 lower or higher seismic --

4 DR. SHAH: Well, we really -- based on my
5 familiarity with this thing is that the structures,
6 systems, and components will not be as stringent,
7 because you're talking about one particular component
8 meeting that. And we are -- here we have event
9 sequence, so you're going to get more than one
10 component in the event sequence, which will reduce
11 your -- reduce your performance.

12 DR. REITER: Yes. I guess what I'm
13 getting at, too, is: has anybody looked at it
14 quantitatively? Saying what is the difference? Now,
15 I understand you're trying to explain the different
16 approaches, but what are the implications of that vis-
17 a-vis dose? And I guess, is there -- are you a member
18 -- is there some sort of an --

19 DR. SHAH: I'm a member of that committee.

20 DR. REITER: Is there a group, an NRC-wide
21 group that's looking at seismic issues?

22 DR. SHAH: This is an NRC-wide group.
23 They are familiar with what I am doing also.

24 DR. REITER: Okay.

25 MEMBER HINZE: I think what Dr. Reiter is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 getting at is that it would be great if we had a
2 quantitative assessment of the difference between
3 those, and anything that could be done to encourage
4 that would be useful to the Yucca Mountain program.

5 MR. NATARAJA: Well, they are not
6 determining the performance except they are going
7 about it in a roundabout way by using a deterministic
8 design basis.

9 MEMBER HINZE: Right.

10 MR. CANAVAN: This is Ken Canavan at the
11 Electric Power Research Institute.

12 MEMBER HINZE: Could you hang on? We'll
13 call on you in just a second.

14 MR. McCULLEN: Hey, Ken. I beat you to
15 it. Rob McCullen, Nuclear Energy Institute. I just
16 want to follow-on to what Leon Reiter just said. I
17 think that's an excellent question, and I heard Dr.
18 Hinze's line of questioning, some of the same
19 curiosity about the implications of this.

20 I mean, clearly, we're -- NRC is asking
21 the applicant here to do something different, and the
22 question is: what are the implications of doing that?
23 And we have a view that you'll hear about at the next
24 meeting on what those implications might be.

25 But just to suggest -- remember, that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the fundamental problem with this being done in an ISG
2 as opposed to an update to the review plan itself.
3 When you do things in an ISG -- remember that interim
4 phase -- it does not get the same broad level of
5 review within the agency that a revision to the review
6 plan would. This very question that we're asking here
7 has not been put to the Commission, for example,
8 because it is an ISG, and it is not a revision to the
9 Yucca Mountain review plan.

10 So we will talk -- we'll talk more about
11 that at the next meeting, but I just want to -- you
12 know, in following on Leon's question, the Committee
13 should think about what broader level review should be
14 done. Thanks.

15 MEMBER HINZE: Thank you, Rob. That's a
16 good --

17 MS. SIBELIAN: Could I respond to that
18 comment just briefly? This is Marie Sibelian. I'm
19 with High-Level Waste. Our view is that the ISG is a
20 revision to the Yucca Mountain review plan, that it is
21 a very, very focused revision, and that's why we chose
22 the ISG approach. Our view is that it has been vetted
23 through the Commission, and it has received a 45-day
24 comment period. And so it has gone through the
25 process of being reviewed and including by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Commission and receiving public comment.

2 MEMBER HINZE: Well, let me ask you the
3 question: what would be the level of the review that
4 would exceed what you have for the ISG, if it went to
5 the Yucca Mountain review plan? What additional
6 review would it have?

7 MS. SIBELIAN: I don't believe it would
8 have received any additional review.

9 MEMBER HINZE: Thank you.

10 Please. On the phone, then.

11 MR. CANAVAN: This is Ken Canavan at the
12 Electric Power Research Institute. I guess I'd have
13 one comment and one question. The first comment would
14 be on what Leon Reiter was saying, which was it is
15 important to get sort of a dose comparison at the end
16 of this. I'm not sure that that's being done. People
17 are not necessarily looking at the consequences and
18 keeping them commensurate with public safety.

19 The other comment that I would make --
20 maybe it's even a question -- in the comparison of the
21 seismic methodologies, it was brought up that they're
22 looking at event sequences. I will point out that
23 seismic brings up a few new event sequences that are
24 often the result of a single failure. Civil
25 structures are an example where you might look at a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 single point failure as causing an accident sequence.

2 For example, if the building fails, then
3 that might be viewed as a single event, rather than
4 the sequence of events, which contains multiple
5 failures. So there probably are a few singles in
6 there that we probably should be concerned about when
7 we look at seismic.

8 MEMBER HINZE: Thank you.

9 MR. NATARAJA: May I respond to what Ken
10 said?

11 MEMBER HINZE: Please.

12 MR. NATARAJA: Suppose a building failed.
13 You still have another barrier, which is a waste
14 package. And this -- what they are proposing now. So
15 you just don't have a single --

16 MR. CANAVAN: Can you speak up, please?

17 MR. NATARAJA: In this example you gave of
18 the structure failed, you still have another barrier
19 where the fuel is contained in a canister, and another
20 -- and also a barrier outside of that, too, which is
21 a package or transfer cask or the transportation cask.
22 So you have always -- I haven't seen just one barrier.
23 There is always more than one barrier where the
24 performance of that -- both components are important
25 in the event sequence before --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CANAVAN: Yes. I guess I might make
2 the argument that if the building fails you could have
3 -- and the package is inside the building, you might
4 make an argument that that -- the package fails on a
5 causal basis. In other words, as a direct result of
6 the building falling on it. So --

7 MR. NATARAJA: Yes. That you have to
8 evaluate, right.

9 MR. CANAVAN: Yes. So it can come down to
10 a single in seismic, especially in the area of civil
11 structural. There is probably a few others where you
12 might be able to postulate for seismic events as
13 single. And I guess my concern is, you know, what's
14 defined as seismic failure is always very up in the
15 air. Is it, you know, the onset of deformation? Is
16 it displacement? Or is it true building failure? And
17 it's very difficult to design seismic structures to
18 the screening criteria that's proposed.

19 MR. NATARAJA: Well, you have to meet the
20 dose performance requirements. That is the
21 requirement of the regulation. That's all we have to
22 do. It doesn't matter what happens in between. It's
23 the dose -- whether the dose will exceed the limits or
24 not.

25 MEMBER HINZE: Further comments on this or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any other issues?

2 MR. KESSLER: This is John Kessler, also
3 from the Electric Power Research Institute.

4 MEMBER HINZE: Please, John.

5 MR. KESSLER: Yes. I'd like to I guess
6 make two kind of conclusions based on what I've heard
7 today, and I just want to bounce this off NRC staff.
8 The first is, again, back to the use of the ISG
9 process. Essentially, what was discussed with NRC --
10 in the NEI/NRC meeting was that NRC has already a long
11 history of suggesting methodologies to DOE via their
12 technical exchanges and letters that go back and
13 forth. So the question we had was: why is this ISG
14 process being involved for this particular narrow
15 seismic issue?

16 And it seems as if NRC's response was that
17 they're using this particular ISG process as what we
18 heard just this morning, because DOE wasn't accepting
19 the methodology that NRC was suggesting, for example,
20 in this June technical exchange. So I'm left to
21 conclude that NRC is using the ISG process
22 specifically to force DOE to use this particular
23 methodology, since it has not been invoked before.

24 Now, while I understand the ISG process is
25 formally just to guide staff, and that DOE can come in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with any approaches it wants, being a user of ISG on
2 the storage and transportation side --

3 CHAIRMAN RYAN: John, is there a question
4 in there somewhere?

5 MR. KESSLER: Yes. The question --

6 CHAIRMAN RYAN: Okay.

7 MR. KESSLER: -- is that the -- this ISG
8 process seems to be used specifically to force DOE
9 into a particular methodology, whereas in other times
10 they've just used technical exchanges and that seems
11 inconsistent, or I want to understand why the ISG
12 process was invoked for this one. What makes it
13 special?

14 MR. NATARAJA: Let me respond to that
15 partially, and I am sure there are others who might
16 want to say something. It's not to force DOE -- we
17 can't force DOE to do anything. There are
18 regulations, and DOE is supposed to meet the
19 regulations, and the staff would review and determine
20 whether they met the regulations or not.

21 So by coming up with ISG we are not really
22 forcing DOE. I don't think that's the intent. If
23 anybody mistook whatever I said, I'm trying to correct
24 it here. What I was trying to convey was that we were
25 not communicating well, even amongst ourselves here,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because we are always still thinking in terms of
2 deterministic design, and it was a quantum jump we had
3 to make from going from design to a performance.

4 And that's when we came across this
5 methodology that has been used, and it is becoming a
6 consensus standard, and we proposed this so that we
7 can use this methodology whether or not DOE uses this.
8 It really doesn't matter.

9 CHAIRMAN RYAN: You need to let go of the
10 microphone.

11 MR. NATARAJA: Oh.

12 CHAIRMAN RYAN: You keep hitting it.

13 MR. NATARAJA: Sorry.

14 CHAIRMAN RYAN: That's all right.

15 MR. NATARAJA: So if you thought that I
16 was saying that we did this to force DOE, I'm
17 correcting that. We didn't do that for that reason.
18 And DOE is definitely not obligated to follow this
19 methodology. I said that in the very beginning. ISG
20 is not a requirement, it is not a regulation. It is
21 guidance to staff, and that's an acceptable
22 methodology, which we all think can be used in the
23 review process. And we are going to do that, since we
24 agree with that methodology.

25 If DOE wants to use it, fine. If they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have some other procedure, that's okay, too. It will
2 all be acceptable as a part of the license
3 application. Maybe --

4 DR. SHAH: I'd like to add that during
5 that June 7th technical exchange DOE had agreed
6 completely with what we had presented. In fact, their
7 slides reflect what we had. There was no disagreement
8 with DOE, and DOE is in agreement with us on this.

9 MR. KESSLER: That makes it all the more
10 curious why the ISG was, you know, issued.

11 DR. SHAH: Well, this -- it came up to
12 this point. Before that, we had a lot of discussion,
13 so it came up to this point where we had prepared --
14 ISG was issued for draft in May, and then that was
15 presented on June 7th. So it -- this one really
16 crystallized everything into what the process should
17 be.

18 MR. KESSLER: Okay. Again, I don't
19 understand. If DOE is on board, like they have been
20 in -- you know, or has happened in other technical
21 exchanges and letters, why NRC felt it necessary to
22 proceed with the ISG anyway. I have one other -- I
23 mean, all right -- well, just continue with that I
24 guess, but I have one other comment about the
25 discussion on whether the methodology suggesting an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ISG 1 is or isn't more stringent than what is used for
2 nuclear powerplants.

3 The response I heard was that it is more
4 stringent. However, I heard there were specific
5 cat. 2 issues, category 2 issues, that are different
6 for obviously Part 63 that don't exist for nuclear
7 powerplants. It seems to me that category 2 issues do
8 seem to be driving the surface design at Yucca
9 Mountain to some degree, perhaps to a large degree,
10 which implies to me then that in effect the ISG 1
11 methodology is driving the Yucca Mountain design to
12 being more conservative than nuclear powerplants. Any
13 comments from NRC on this?

14 MR. NATARAJA: I do not believe the design
15 is going to be any more conservative. I think the
16 requirement is different, and we have an acceptable
17 methodology to implement that. I said that before,
18 and I'm saying it again. We have to be convinced
19 otherwise. Somebody has to come and show by actual
20 design saying that you made us do this, and this is
21 more stringent than what you would have done for
22 nuclear powerplants.

23 MR. KESSLER: Well, all I can say is that
24 I've heard DOE make presentations that say we are --
25 we are coming up with particular design features

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 specifically to lower the probability sequences below
2 10^{-6} . That sounds like cat. 2 considerations are
3 partially at least driving DOE's design.

4 MEMBER HINZE: Well, I think, John, that
5 we'll be hearing a lot more about this next month from
6 you, and with a chance for you to spell things out in
7 some detail.

8 MR. KESSLER: Okay. Thanks.

9 MEMBER HINZE: Tim McCartin has a comment?

10 MR. McCARTIN: Yes, just briefly on the --
11 another perspective on why the staff did this ISG. As
12 Raj indicated earlier, and Mahendra, you know,
13 seismicity is a continuum of different types of
14 events. We've had a lot of discussion internally on
15 how to deal with this continuum, and what you saw was
16 a presentation of, with this hazard curve, here is a
17 way of dealing with event sequences in the pre-closure
18 area for this continuum.

19 And rather than relive these discussions,
20 say three or four years from now, it was decided that
21 an appropriate thing to do was to embody it in an ISG,
22 so the staff doesn't have to revisit the discussions
23 we had. That is one part of why the ISG came about.

24 MEMBER HINZE: Thanks, Tim.

25 Further comments? Any issues?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. STAMATAKOS: I have one. This is John
2 Stamatakos. I just would ask you, when you look at
3 nuclear powerplant regulations, do you -- are you, you
4 know, at all aware of any possibility that they ever
5 have analysis by simply showing dose requirements are
6 lower than some standard? I mean, my understanding of
7 the new application of 43-05 and nuclear powerplants
8 basis is still attempting to try to limit failure of
9 single SSCs at some probability level.

10 And one of the important points for the
11 Yucca Mountain regulation in the PCSA is that DOE
12 always has an opportunity to instead of meeting
13 something based on design or even on some probability
14 is to just show that doses are less than the specified
15 performance doses in the rule.

16 MEMBER HINZE: Good point. Thank you,
17 John.

18 MR. CANAVAN: This is Ken Canavan,
19 Electric Power Research Institute. I just wanted to
20 make one quick comment. In the case of Yucca
21 Mountain, it's a little bit different. This is where
22 I agree that there are significant differences between
23 Yucca Mountain and the plant -- an operating nuclear
24 facility. And that is, we are -- the design is being
25 driven risk-informed or probabilistically if you will.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And there are some criteria that specify
2 dose. The NRC PRA policy statements clearly address
3 public risk, and clearly address public risk in terms
4 of health effects on the public. So you can take the
5 quantitative health objectives and turn them -- which
6 were turned into subsidiary safety objectives, and you
7 can work that backwards to doses. So yes, the answer
8 to the question is yes.

9 MEMBER HINZE: With that, if there are no
10 further comments, I'll turn it back to you, Dr. Ryan,
11 and with our many thanks to both of you for the
12 presentations and to the commenters for their
13 involvement in the discussion.

14 Thank you.

15 CHAIRMAN RYAN: Thank you, Professor
16 Hinze. And as I think everybody has noted, we'll take
17 up this -- these topics in part next month when we
18 hear more information on it. So we appreciate
19 everybody's participation.

20 With that, we have finished our morning
21 agenda. We're scheduled to adjourn for lunch, and we
22 will do that and reconvene promptly at 1:00.

23 Thank you very much.

24 (Whereupon, at 11:45 a.m., the
25 proceedings in the foregoing matter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1

recessed for lunch.)

2

A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

(1:05 p.m.)

CHAIRMAN RYAN: Okay. Without further ado, we'll reconvene the afternoon session. This is the 1:00 to 2:30 time slot, and the cognizant member for this session is Dr. Clarke. So without further ado, I'll turn over the Results From Liquid Radioactive Release Lessons Learned Task Force to Dr. Clarke.

MEMBER CLARKE: Thank you, Mike. We have two presenters for this presentation, Stuart Richards and Timothy Frye. Stuart is the Deputy Director for the Division of Inspection and Regional Support in the Office of Nuclear Reactor Regulation. He was the leader of the task force. And Tim was the assistant leader. He is the Chief of the Health Physics Branch, Division of Inspection and Regional Support, Office of Nuclear Reactor Regulation.

Stuart will be with us until 2:00, at which time he has to leave. Tim will stay on.

Thank you.

MR. RICHARDS: Thank you very much. I have a few slides. I'd like to talk about an overview of our lessons learned task force and some of the recommendations, and then try and answer any questions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you may have. So if we can go to slide 2, please.

2 As you're probably aware, what got our
3 task force going were two events, in particular the
4 event at Braidwood and at Indian Point. Just to
5 recap, at Braidwood actually there were a number of
6 events that occurred over a series of years. The most
7 significant releases occurred in 1996, '98, and 2000.
8 Between those three releases there was about 6-1/4
9 million gallons of water that was released through a
10 vacuum breaker on their normal effluent discharge line
11 to the river.

12 I might note that the distance from the
13 plant to the river is about five miles, so these
14 vacuum breakers are spaced out over quite a bit of a
15 distance. They're not really, you know, directly on
16 the powerplant site where the -- you know, you
17 normally would associate having the main structures of
18 the powerplant located.

19 This really came to the attention of the
20 NRC in the fall of 2005 when the licensee reported
21 finding contamination. It got quite a bit of
22 attention from the state at that point, and they found
23 contamination that was offsite. The maximum levels
24 for tritium were about 250,000 picocuries per liter.

25 The event at Indian Point occurred in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 August of 2005, and it came about due to some
2 excavation that the licensee was doing in the Unit 2
3 spent fuel pool building. During that excavation they
4 found what appeared to be some leakage, and as they
5 explored that they identified that as potentially
6 spent fuel pool leakage from Unit 2.

7 Subsequent to that, and based on some
8 follow-up activity on their part, they also identified
9 what appeared to be leakage coming from the
10 decommissioned Unit 1. That plant shut down in 1974.

11 This also got a considerable amount of
12 public interest in the, you know, New York State area.
13 And they did quite a bit of follow-up work, and that
14 follow-up work continues to this day. The second
15 bullet, as it states, there was a lot of public
16 interest, and, consequently, a lot of congressional
17 interest, particularly from members of Congress from
18 the State of Illinois. Of particular note is that
19 Senator Obama introduced legislation to lower the
20 reporting requirements for some of these types of
21 events and make it a federal law. That legislation
22 had cleared the Committee last I checked, so that may
23 go into law.

24 As a result of these events and additional
25 questioning about some other plants, the EDO chartered

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our lessons learned task force in March of 2006. I
2 might note that in addition to the local and media
3 interests that occurred we did receive, as an agency,
4 a 2.206 petition from a group of different people. I
5 think there was about 26 different organizations or
6 individuals who signed on to that petition
7 demonstrating their interest in how the agency would
8 follow up on that.

9 Next slide, please.

10 I'd like to talk for a minute about the
11 task force composition. There were a total of 14 task
12 force members. The membership included a diverse
13 professional background, if you will. We had six
14 members who had health physics backgrounds, including
15 representatives from each of the four regional
16 offices.

17 We had Tom Nicholson from Research who is
18 an expert in hydrology; Jim Shepherd who I believe is
19 in the audience today representing NMSS on
20 decommissioning; we had an NRR engineer, Andrea Keim,
21 who is an expert in system standards; and we had Scott
22 Burnell and Undine Shupe with public affairs and
23 communications expertise; and from the State of
24 Illinois we had Rich Allen representing the states,
25 and Rich is a certified health physicist.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next slide, please.

2 So what were we chartered to do? We had
3 a fairly broad charter. The EDO's office asked us to
4 go out and look at power reactors only, which included
5 decommissioning power reactors. We weren't to look at
6 fuels or materials licensees as part of this effort.
7 And we were to evaluate the regulatory process related
8 to liquid effluents that were inadvertently released
9 in an unmonitored way.

10 And some of the main areas we would
11 review, which are covered in the report, we were
12 chartered to do a historic review of events that had
13 actually occurred. And in the interest of putting
14 some limits on that, we were asked to go back 10
15 years. So we covered the period of '96 to 2006.
16 There were a few events that went back before 1996
17 that we thought we'd bring into the report because of
18 some point it illustrated. But by and large, we were
19 looking back at the known events for that 10-year
20 period.

21 We were chartered with taking a look at
22 the public health impacts given the available
23 information. We did not go out and try and develop
24 new information about any of these events, so we
25 gathered what information was available and made an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assessment of what the public health impact was.

2 Importantly, we were chartered to look at
3 the regulatory framework in this whole area. That's
4 -- you know, the largest question is: how is the
5 agency regulating this area, and how do we respond?
6 That included Part 20, of course, the reporting
7 requirements under Part 20, Part 50.72/73, and the
8 tech specs, and we were looking for the requirements
9 for the fabrication, testing, and maintenance of the
10 various components that were leaking, which is a
11 different aspect from the health physics aspect.

12 We also looked at the NRC inspection
13 program and the enforcement program in this area, both
14 under the new reactor oversight process, which went
15 into place in 2000, and we compared that with the
16 previous inspection program that had occurred for many
17 years before that.

18 We looked at how the industry reacted to
19 these kind of events and their history as far as
20 remediation goes. We looked at the implications for
21 decommissioning and the lessons that could be learned
22 from decommissioning plants, which I think for us
23 turned out to be a fairly enlightening exercise.

24 Of course, when you go to decommissioning,
25 you have to characterize the site, so you start

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking for ground contamination, whereas when the
2 plant was operating you didn't necessarily have to do
3 that. So when a plant went into active
4 decommissioning you found out things that you didn't
5 know when the plant was up and running.

6 We took a look at international
7 perspectives, and last but not least, we looked at the
8 communications with stakeholders, how some members of
9 the public responded to this kind of event, and how
10 the agency responded when these kind of things
11 happened.

12 Next slide, please.

13 This is a summary of the results. We were
14 given until July -- let's see, August 31st to deliver
15 the report, and we were one day late, so we got the
16 report issued on September 1st, and it's publicly
17 available. It's on the website.

18 Most important, I think, our conclusion
19 was that none of the events that we reviewed resulted
20 in significant impact to any public health and safety.
21 So that was very good news from our perspective.

22 However, having said that, given the
23 present regulatory framework, we did conclude that the
24 potential existed for unplanned and unmonitored liquid
25 releases to migrate offsite undetected. You might

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wonder, how can that be? And it's basically because
2 the environmental monitoring program and the effluent
3 release program are designed to monitor contamination
4 that is planned to be released.

5 So the effluents that are going out to
6 analyze release pathways, you know, they're accounted
7 for. And the radiological environmental monitoring
8 program is designed to look for buildup of
9 contamination in the areas where those normal
10 discharges occur.

11 So there are no requirements, for
12 instance, to do onsite monitoring unless you use the
13 groundwater for drinking water onsite. Consequently,
14 if you have buried components that leak into the
15 ground, it could occur at a leakage rate low enough
16 that it wouldn't be detected by operational tests or
17 surveillances, and it's potential that once it gets
18 into the ground that it could migrate offsite without
19 anybody knowing it's occurring.

20 The next bullet, the fact that groundwater
21 contamination can be difficult to monitor and predict,
22 I think is particularly highlighted by the experience
23 at Indian Point. As I mentioned earlier, that event
24 kind of kicked off in 2005. I think they have about
25 45 or so monitoring wells onsite right now, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're still challenged with identifying where the --
2 you know, where the groundwater contamination is on
3 that site and what it consists of.

4 We concluded that the external stakeholder
5 interest can be significant, and I think more
6 importantly is that once you're -- once you're in a
7 position that you have had contamination get offsite,
8 it's very difficult to convince the public that that
9 necessarily is not a problem.

10 You can get in front of public audiences
11 and talk about the public impact, but the fact that it
12 -- the contamination has gotten offsite without
13 anybody knowing about it, and in some cases such as
14 Braidwood it hadn't been reported to the local
15 officials or the public for some time, you lose the
16 public's trust in both the licensee and the regulatory
17 agency, and at that point you're really behind the
18 curve.

19 When it came time to come up with some
20 recommendations, the task force sat down and one of
21 the things we had to balance was the fact that, you
22 know, in all of this the public impact was very, very
23 low. So why -- you know, why recommend further
24 actions be taken by the agency, because the agency, of
25 course, is doing business on a risk-informed basis,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and the risk here is very low.

2 On the other hand, our view was is that
3 there's a public confidence element to this, and that,
4 you know, it's worthy of taking some actions to try
5 and ensure that the public confidence in the agency
6 remains strong, if possible.

7 Next slide, please.

8 We came up with 26 recommendations, and I
9 didn't want to talk about all 26. But they are listed
10 in the appendix to the report, and I think you have
11 that report. And we're prepared to talk to any of the
12 26 if you'd like. But I did list what I thought were
13 the -- kind of the highlights of those 26, just as
14 points if you had questions on those.

15 The first point -- and, personally, I
16 think that's the most important -- is I think we ought
17 to be able to tell the public that if there's going to
18 be leakage from a powerplant that it's going to be
19 detected before it migrates offsite. I just think
20 that's a fundamental principle we need to be able to
21 meet.

22 We want to have the license renewal
23 process verify that their reviews take a look at some
24 of these systems that historically have leaked and
25 that those are being considered as part of the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal process.

2 In the decommissioning area, it was
3 identified that significant contamination in the
4 ground below the plant can have a big impact on the
5 cost of decommissioning, and, therefore, that the
6 decommissioning funding process should ensure that
7 that's considered somehow.

8 We thought it was appropriate to develop
9 additional guidance for addressing spills and leaks.
10 For instance, under 10 CFR 50.75(g), licensees are
11 required, if they have significant spills, to maintain
12 a decommissioning file, so that they know it's out
13 there and they can go deal with it when the plant
14 decommissions.

15 There isn't any guidance, however, on what
16 that means. So, you know, what is significant? What
17 do you have to put in the file? When do you have to
18 do that? Likewise, if you have some kind of a
19 significant release, there isn't much guidance on
20 what's expected, so we think we need to work with the
21 industry to identify that.

22 I think we'd all agree that there is some
23 very minor things that occur as a routine basis on
24 plants that have really no -- no significance and that
25 the amount of action by a licensee should be very,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very small, if anything. On the other hand, there are
2 some events that should require more. Where do you
3 draw that line? We need to have that dialogue with
4 the industry.

5 A lot of our guidance was really developed
6 with 1970s experience, and we think that based on the
7 technology and the change in the effluent stream that
8 it's time to update some of that guidance,
9 particularly with regard to new reactors that will be
10 coming online.

11 And, finally, when we processed the
12 Braidwood issue through our enforcement process --
13 under the ROP it's called the significance
14 determination process -- we found that the process in
15 place at that time could have dealt with the issue, we
16 thought, in a better way. So we took that as
17 something that needed to be revised, and we started
18 meeting with the industry and the public to talk that
19 through.

20 The last thing I'd like to mention -- I
21 don't have a bullet on it -- but I should mention that
22 the industry has undertaken an initiative on their
23 own. They recognize the importance of this event,
24 particularly in maintaining public confidence, and
25 they kicked off a groundwater protection initiative.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I believe Ralph Andersen, the NEI lead for
2 this, is in the audience today. I don't want to speak
3 to the industry's initiative, but it's something that
4 we've met with them three or four times on, and it's
5 a significant effort on their part.

6 That completes the prepared remarks, and
7 we'd be glad to answer any questions that you may
8 have.

9 MEMBER CLARKE: Thanks, Stuart. I have a
10 couple quick questions, and then I'd like to turn it
11 back to the Committee. But how many reactors were
12 included in this study, and how many releases, if
13 those are --

14 MR. RICHARDS: Well, it was basically all
15 operating reactors, so 103 units, and then it was any
16 of the plants in decommissioning. I don't know what
17 the count on that was. We did not specifically go and
18 look at each plant. What we did is we relied on the
19 work done by the four regional offices to identify
20 plants that had had more than minor leakage.

21 And, quite frankly, once Braidwood and
22 Indian Point got going, you know, a lot of licensees
23 -- they became aware of the sensitivity to the issue,
24 and they started to talk with the regional offices
25 about it, even though these issues weren't necessarily

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 required to be reported.

2 So starting in probably around March when
3 our task force kicked off, it seemed like almost a
4 daily basis there would be new reports coming in, a
5 lot of them very, very minor. So we had a lot of
6 different examples to choose from. We decided as a
7 task force we -- you know, we had to truncate that to
8 something workable, so we tried to pick what we
9 considered, you know, the most significant releases,
10 and we focused on that.

11 So the number of plant events that we
12 actually described, I don't know exactly what the
13 count was, but it's probably in about the dozen range.

14 MEMBER CLARKE: So it was a very
15 comprehensive survey.

16 MR. RICHARDS: Well, yes. But, again,
17 it's known releases. It's -- none of these -- well,
18 a few of these smaller ones were news to people in the
19 regions. But the larger events were not news. You
20 know, these were things that by and large had been
21 known I believe by the regions as part of their normal
22 inspection process, but the event -- because of the
23 amount of radioactive material that was released was
24 not reportable, it was known at that time that it
25 wasn't a public health issue, so people went back and,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you know, revisited that, and we just brought it into
2 our task force and gave it a second look, if you will.

3 MEMBER CLARKE: Okay. I have a number of
4 other questions, but I suspect they'll come out in the
5 questions from the Committee. Your report says
6 "final." Have you completed your charter? Is there
7 any ongoing work for the task force, or --

8 MR. RICHARDS: No. The task force is
9 done. The report went to the EDO's office. The EDO's
10 office then reviewed the report, and it went through
11 the agency lessons learned program. That's a new
12 program that just started up. In fact, this was the
13 first lessons learned report that went through that.

14 The purpose of that program was to try and
15 make sure that significant issues are properly tracked
16 through resolution, so there's a screening process
17 where agency senior managers get together and they
18 review the recommendations and they decide if any of
19 them should go in this higher level program.

20 None of our 26 made the cut, but that
21 doesn't mean they are followed up on. The issues are
22 then sent out, tasked out by the EDO's office to the
23 program offices -- in this case, NRR, Research, NMSS
24 -- and the program offices are required to follow
25 through on those recommendations. So that's where we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are today is the actions have been tasked out to the
2 program offices for action.

3 MEMBER CLARKE: The Committee is familiar
4 with the lessons learned initiative going back to I
5 guess April of 2005 when the decommissioning staff had
6 a workshop on the proposed revisions to the
7 decommissioning guidance. We've also been briefed on
8 the rulemaking -- proposed rulemaking and guidance
9 under the prevention of legacy sites initiative, and
10 now we have your task force.

11 When you say your recommendation -- your
12 results didn't make the cut, are you referring to the
13 website, the lessons learned website, or --

14 MR. RICHARDS: No, it's the -- you know,
15 it's a tracking system maintained for these very high-
16 level lessons learned recommendations. You know,
17 backing up out of Davis-Besse, the staff did a lot of
18 reviews, and one of the things we found out is that
19 the staff had examples from the past where we had
20 identified problems with industry performance. There
21 had been action taken.

22 But then, as the years went by, we didn't
23 do a very good job of following through, and we should
24 improve in that area. So the agenda came up with this
25 higher level tracking program, but it was meant for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 items that -- at a pretty significant level. One of
2 the criteria you have to meet is that if the agency
3 doesn't follow through with the recommendation that
4 it's likely we wouldn't meet one of our strategic
5 goals.

6 Well, when you get to the strategic goals,
7 they're high. So in our case, because the risk to the
8 public is low, under that criteria alone none of the
9 26 made it into that list.

10 MEMBER CLARKE: Okay. Well, I guess the
11 risk is low because of what we released. But I think
12 one of the questions I certainly have, and you can be
13 thinking about how all of this ties together, the
14 lessons learned that came from your work is going to
15 be captured, tied into the lessons learned initiative
16 on decommissioning, all of which will hopefully feed
17 back and provide valuable information for designing
18 new facilities.

19 MR. RICHARDS: Yes.

20 MEMBER CLARKE: And for preventing legacy
21 sites. At some point, is there -- is there a process
22 that's tying all of this together? Is there -- to
23 your knowledge or --

24 MR. RICHARDS: Well, I think the -- you
25 know, where the sharing of information and bringing it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 together will -- I believe will occur is that, you
2 know, at the working level in Tim Frye's branch and
3 working with people in NMSS and Research, you know,
4 one of the benefits of this task force was the
5 opportunity to work with people like Jim Shepherd and
6 share views.

7 So hopefully we've established a working
8 relationship and, you know, it will make us better at
9 communicating what the various offices are going
10 moving forward. And now we're all tasked to follow up
11 on these recommendations, so clearly there is a role
12 in a lot of these recommendations for multiple
13 offices, just as the lead for each recommendation has
14 been assigned to one office and it's their
15 responsibility to work with the others as appropriate.

16 MEMBER CLARKE: Okay. Thank you.

17 Ruth?

18 MEMBER WEINER: First of all, I read
19 through your recommendations, and I'd like to commend
20 you. That's a very comprehensive series.

21 MR. RICHARDS: Thank you.

22 MEMBER WEINER: Are any of those
23 recommendations going to improve public health and
24 safety?

25 MR. RICHARDS: Well, that's a tough

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question, because it comes back to the question of:
2 is it very likely that there would be leakage from a
3 site that would get offsite undetected, get into the
4 public domain, and a cause significant dose to a
5 member of the public?

6 We don't have an example of that
7 happening. I think, as our task force, our conclusion
8 was it was very unlikely that that would occur for a
9 number of reasons. But that's -- you know, it's a
10 judgment thing. I just believe, my own personal
11 belief, is that we should be able to say that if
12 something is going to leak into -- leak out of a
13 radioactive system that we identify that before it
14 gets offsite.

15 But, you know, I wouldn't -- I would not
16 -- well, I hate to speculate. I'm sorry.

17 MEMBER WEINER: No, that's fine, because
18 my followup question is -- or comment is that it's a
19 tougher job to justify something where you can't see
20 in advance that there's going to be any real
21 improvement on public health and safety. So I wish
22 you luck in justifying expenditures.

23 MR. RICHARDS: Well, and that's -- you
24 know, I think the report discusses this. One of the
25 challenges that we face, of course, is if you want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 place any kind of a requirement on operating plants,
2 the plants that are out there right now, we would have
3 to pass the backfit test, because of the backfit rule,
4 and that -- you know, that has a standard to it. I
5 would guess that for most, if not all, of our
6 recommendations that would be difficult to do.

7 On the other hand, if there are going to
8 be a number of new plants built going forward, we
9 ought to take these lessons learned, plus the lessons
10 learned from the last 30, 35 years of plant operation,
11 and apply that to new reactors. So, you know, the
12 backfit process, as long as we get moving on it,
13 doesn't apply to those plants.

14 MEMBER WEINER: Did any of you -- the
15 plants that you discuss in the report, did any of them
16 have repeat events after the ones that you discussed
17 in the reports? Because I notice most of them -- just
18 looking through them and as I recollect, most of them
19 did institute some additional monitoring onsite and
20 offsite, and they went and tested offsite wells and so
21 on. I just wondered if there were repeats -- repeat
22 excursions.

23 MR. RICHARDS: Of a significant magnitude,
24 I don't remember any that came to mind. The industry,
25 as part of their initiative, sent us correspondence

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 voluntarily with some historical information of spills
2 or leaks that they had had, and I believe some of
3 those reported more than one event, but almost -- you
4 know, in most cases, there were small events that
5 really probably normally wouldn't gather much
6 interest.

7 So it depends on where you draw the line
8 on what's significant. I think most plants have had,
9 you know, leaking systems, because these systems just
10 weren't designed to be leakproof. For instance --

11 MEMBER WEINER: That's right.

12 MR. RICHARDS: -- at Braidwood this pipe
13 is a concrete pipe. It's not safety-related. It's
14 commercial grade. It's five miles long, you know. If
15 I had to guess if it's leaking somewhere along that
16 length, well, probably a little bit, but does it
17 matter? I'd say no.

18 MEMBER WEINER: And most of your releases
19 offset are way below the MCLs.

20 MR. RICHARDS: Yes.

21 MEMBER WEINER: I mean, you're down in the
22 noise as far as the MCLs is concerned.

23 I have one final question, which isn't
24 quite related. Where did the 3 millirem come from?
25 That's such an odd --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FRYE: Are you talking about the
2 appendix --

3 MEMBER WEINER: Yes.

4 MR. FRYE: -- in Part 50 --

5 MEMBER WEINER: Yes.

6 MR. FRYE: Steve Geary might be able to
7 answer that.

8 MEMBER WEINER: I'm just curious as to
9 where that number -- how that number was arrived at.

10 MR. GEARY: I don't have the thorough
11 background on that. However, the public dose limit
12 was originally set at 500 millirem, and it wanted to
13 be a small fraction of that. They took a look, then,
14 at the engineering capability of the plants and the
15 liquid cleanup systems that could be used and felt
16 that a low -- a small fraction of that public dose
17 limit could be achieved. And so that's basically
18 where the 3 millirem come from.

19 I think if anyone else wants to answer
20 that, there may be more historical information here,
21 too.

22 MR. FRYE: Let me just introduce Steve.
23 Steve is a member of the Health Physics Branch in NRR,
24 so he's a member of my staff.

25 MEMBER WEINER: So that verifies that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like many of the EPA standards, you're going for as
2 low as reasonably achievable. That's --

3 MR. GEARY: Right.

4 MEMBER WEINER: All right. Practical
5 quantitation. Thank you.

6 That's all. Thanks.

7 MR. RICHARDS: Thank you.

8 CHAIRMAN RYAN: A little math. I looked
9 at page 11. There's a table, and there's 15 units out
10 of 103 in that table, so that's roughly 15 percent.

11 MR. FRYE: Yes. And just to amplify on
12 what Stu mentioned earlier, you know, we were tasked
13 to go back 10 years, to 1996, to look at significant
14 events. And as Stu said, we weren't trying to capture
15 all of the events, but we want to get a good cross-
16 section of the significant events to be able to, you
17 know, capture some good lessons learned, and, you
18 know, we were trying to get a variety of causes
19 included and get the significant events. So --

20 CHAIRMAN RYAN: Okay. Well, I just --
21 somebody had asked, what's the fraction, or what's the
22 number of --

23 MR. FRYE: Right.

24 CHAIRMAN RYAN: -- units that are in your
25 study. So that's one measure of it. It may not be a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 good one, but that's one.

2 One of the things that I've been thinking
3 about, and I'd like you to help me understand -- and
4 it may not be a question for you folks, maybe some of
5 the industry folks can answer it as well. To me, the
6 fact that all of the tritium values were compliant in
7 the broadest sense, there was no public health and
8 safety concern on all of that, in a way could be
9 viewed as being fortuitous. Or that the system was
10 designed so that that -- you know, the releases would
11 be so small they wouldn't raise any question against
12 public health and safety.

13 You know, the fact that this issue sort of
14 blossomed all of a sudden based on one plant and then
15 other plants looking at it, to me the aspect of it
16 that this is something that, oh my goodness, what's
17 going on here, was sort of the review of it is really
18 kind of the interesting question for me. I'm glad the
19 doses of projections of dose are low and compliant and
20 there's no public health and safety consequence from
21 the perspective of your report.

22 But what have you done on this other side
23 of saying, well, okay, if we build new plants, how do
24 we make sure we don't have this problem again? By the
25 way, a concrete pipe will have about the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 permeability as a halfway decent clay. So it's, in
2 essence, clay.

3 MR. RICHARDS: All right. You know, Jim
4 Shepherd might be able to help me out on this. But as
5 far as new plants going forward, I'm not from the
6 Office of New Reactors and I haven't really been
7 involved in, you know, the design of those plants. I
8 do know that there is a regulation that requires that
9 when a licensee comes in with an application that they
10 should describe measures that they're going to take to
11 limit the contamination.

12 And I think that was an outcome of our
13 decommissioning experience, going out and finding out
14 that plants had had weeks that weren't identified
15 during plant operation and that impacted the ability
16 of them to clean up the site.

17 Jim Shepherd?

18 MR. SHEPHERD: Yes. Am I on?

19 CHAIRMAN RYAN: Hi, Jim.

20 MR. SHEPHERD: Our goal on now FSME,
21 formerly NMSS, side is to provide the reactor people
22 with our insights from the decommissioning to
23 identify, to a somewhat greater extent than the
24 operating plants can, where leaks occurred from the
25 decommissioning plants, because now we have the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 opportunity to go out and dig everything up and see
2 actually what did leak, and then make suggestions to
3 them on how they might perhaps modify or enhance a
4 design.

5 I don't think, given that the plants are
6 made primarily of concrete, steel, and water, we're
7 going to have a zero release facility.

8 CHAIRMAN RYAN: Right.

9 MR. SHEPHERD: But I think certain design
10 considerations, so that releases may occur in areas
11 that are better controlled, either for the use of
12 sumps or other double enclosures of some form, if you
13 will, and also perhaps enhanced instrumentation or
14 other things like the under-drain systems to detect
15 leakage when it occurs rather than waiting until we
16 get to decommissioning when it has been leaking, what
17 we've seen is typically very small leaks that occur
18 over long periods of time.

19 But a tenth of a gpm will leak a million
20 gallons over a 20-year operating life. And it's very
21 difficult to detect the tenth of a gpm. We're looking
22 to help them somehow identify the million gallons
23 before it gets quite that large.

24 CHAIRMAN RYAN: It's not quite so hard,
25 though, if you have a tracer like tritium in it. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, you can get there a whole lot sooner than 20
2 years down the line.

3 And I guess what I'm -- I've been thinking
4 about, you know, the fifth bullet on -- I'm sorry,
5 slide 5, the fourth bullet, if you could back it -- is
6 everybody over there? No, I guess not. Oh, there we
7 go. Thank you, Michelle. I didn't see you hiding
8 behind the screen there. Slide 5.

9 And I'll just read the bullet while it's
10 coming up on the screen. "Groundwater contamination
11 can be difficult to monitor and predict its movement."
12 I couldn't agree with you more, particularly in a
13 highly engineered environment where you've got a, you
14 know, fully manmade construction with God knows
15 exactly what kind of foundation and footing and all
16 the rest. And somehow out some distance from it
17 that's married to a more natural-looking kind of soil
18 column. You can be -- Tom Nicholson would be thrilled
19 to help you, you know, spend lots of years modeling
20 all of that, I'm sure. Right, Bobby?

21 And it is quite a challenge to do that.
22 But it's interesting, I think, to try and think about
23 that. What can we do different in terms of early
24 detection? To meet the fact that it wasn't detected
25 early in some of these, you know, kind of older leaks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that have been progressing for some time is really the
2 heads-up message out of all of this, is how do you
3 avoid that kind of challenge to public confidence?
4 That, you know, I think the public would be saying,
5 "We didn't know it was happening."

6 MR. RICHARDS: Yes. Well --

7 CHAIRMAN RYAN: And that to me is the kind
8 of top-of-the-pile message. And, you know, we've
9 heard from Connecticut Yankee. They ran into lots of
10 stuff they didn't anticipate. We've heard on a couple
11 of the decommissioning projects, oops, there were
12 surprises. And in my own experience, that's true as
13 well in -- having tritium, you know, at a low-level
14 waste site. I mean, it -- until you've figured out
15 how it behaves, you really don't know how it behaves.

16 MR. RICHARDS: Well, and I think a lot of
17 people would agree with you. You know, of course,
18 Ralph Andersen can speak for the industry. But I
19 think -- I think the task force, the industry, through
20 their groundwater production initiative and some of
21 the citizens groups through their 2.206 petition all
22 kind of came to the same conclusion. We ought to
23 detect leakage or contamination before it gets offsite
24 and has an impact to public health.

25 It's just that the number of ways of doing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that are infinite I guess. But, you know, one fix
2 does not fit all.

3 CHAIRMAN RYAN: Oh. And in various parts
4 of the country, in various geohydrologic regimes, one
5 could be counterproductive over here, but works fine
6 over there. So I'm with you 100 percent.

7 MR. RICHARDS: But the question --

8 CHAIRMAN RYAN: The premise still stands.

9 MR. RICHARDS: The question is how to get
10 there. You know, the industry has chartered all their
11 plants to take an individual look at their sites and
12 come up with a plan to do that. So they -- you know,
13 they could come up with 67 different plans or however
14 many sites there are. The 2.206 petition had a more
15 one-size-fits-all approach.

16 From our viewpoint, we think that there's
17 a lot of different ways you can get there, and then,
18 of course, we're also challenged by the backfit
19 requirements for existing plants.

20 CHAIRMAN RYAN: The other question that
21 came to my mind is, okay, tritium we all know is the
22 leading indicator of what's coming next. Has anybody
23 looked for carbon-14 or other radionuclides or --

24 MR. FRYE: Like you said, tritium is the
25 -- usually the first radionuclide that we find. But,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you know, at some of these sites we have found other
2 radionuclides. You know, tritium is the leader.
3 Strontium-90 at Indian Point has been detected,
4 cesium-137, so, you know, we are -- as we look we're
5 finding these other radionuclides.

6 CHAIRMAN RYAN: Have you looked for carbon
7 at any of the other sites, carbon-14 in particular?

8 MR. FRYE: I can't say for sure, but I'm
9 pretty -- you know, Region I for example, at Indian
10 Point in particular, is doing a broad spectrum
11 analysis, and they're looking for the hard-to-detect
12 nuclear --

13 CHAIRMAN RYAN: So I guess that's data
14 that will be coming. You know, you think about other
15 things like tech-99 and I-129, and, again, it's a
16 matter of what's in the source term of the inventory
17 and what moves. But those are most certainly mobile
18 in water, and, you know, if tritium shows up, some of
19 these others will show up.

20 MR. RICHARDS: There isn't really at least
21 regulatory guidance on what to do in this area.
22 Again, once you get this into the ground, it I think
23 would behoove us in the industry and the regulatory
24 agency got together with the public and, you know, had
25 a dialogue about, okay, if this kind of event occurs,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what's expected? You know, what nuclides should you
2 be looking for?

3 CHAIRMAN RYAN: And let me quickly add
4 that I -- I mean, I recognize that airborne effluents
5 dwarf anything that we're talking about here in terms
6 of releases to groundwater. So I fully appreciate
7 that the magnitude of the release is small, but it was
8 the surprise of the release I think that has the
9 public, you know, concern raised somewhat, it seems
10 like. I mean, maybe I'm --

11 MR. FRYE: Yes. I think part of the
12 public's concern was, you know, we needed to be sure
13 what was out there and what had happened historically
14 before we could say definitively that there was no,
15 you know, impact on public health and safety. And,
16 you know, we're working to get that knowledge of what
17 has happened and --

18 MEMBER CLARKE: Mike, the Table 1 that you
19 referenced earlier has the radionuclides that were
20 found for each of the reactors.

21 CHAIRMAN RYAN: That's one question. The
22 second question is: did anybody look for carbon?
23 Because if you didn't look for it, you're not going to
24 find it. I'd look for it, if it was me.

25 The other question it raises in my mind is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the idea that your report and all of your work could
2 really help in an area that's a little bit different
3 from the physical design of, say, a fuel pool. It
4 certainly could help in that regard.

5 But what does it imply to you, or did you
6 think about it, or is anybody talking about, how do
7 you model the geohydrology of a reactor site? I know
8 we spent a lot of time worrying about seismic issues
9 in terms of design of powerplants, but where do you
10 figure out groundwater and how it actually does behave
11 on a given site? That's been something that has been
12 certainly generally kind of identified at various
13 sites, but there's not a lot of detail there.

14 MR. RICHARDS: Well, and it's unfortunate
15 that Tom Nicholson is not here today. He would
16 probably be able to describe that better. But there
17 was -- you know, there's the initial characterization
18 of the site as part of licensing, and then beyond
19 that, if I remember my discussions with Tom correctly,
20 you know, there isn't a requirement to do any more.

21 As Tom describes it, you know, you start
22 digging holes and putting pipes in and you really
23 change the way the hydrology reacts to any kind of a
24 leakage. After that point, you don't necessarily have
25 to maintain a good knowledge of that, nor is there any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requirement again to monitor the ground onsite unless
2 you use it for drinking water.

3 So it's true. If something goes into the
4 ground, you may not know where it's going to go. It
5 could be difficult to determine. I think at Indian
6 Point, you know, there are wells that were fairly
7 close together that gave completely different results.
8 But on the other hand, I think you could make the
9 argument that if it's unlikely to result in a public
10 health problem, you know, is that level of effort by
11 a licensee worth it?

12 CHAIRMAN RYAN: Yes. And I'm not
13 suggesting we, you know, race out there and employ
14 over geohydrological well-drilling company in, you
15 know, the United States to drill homes in every
16 powerplant. But it sure is -- it sure is part of the
17 equation when you think about, well, how do I know
18 what I know? I mean, and I think that's something to
19 think about. And, again, I'm not thinking about in
20 the context of evaluating current plants, but thinking
21 about what we do down the line at new sites.

22 MR. RICHARDS: I think Indian Point is a
23 good case to take a look at, because they're -- you
24 know, they've launched a very large effort from our
25 point of view to make sure they can characterize

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what's going on there. Arguably, you could say that
2 very little if any of it is really driven by
3 regulation. It's driven mostly by the interest of the
4 people in the local community, and, you know, others
5 in New York State.

6 MR. FRYE: I was just going to add that --
7 and Stu mentioned the industry initiative, and a big
8 part of the industry initiative, and, of course, this
9 is voluntary. But the NRC is assessing and following
10 up on it, but a big part of the initiative is for each
11 site to review their site hydrology and update it as
12 necessary to -- so that they do have a better
13 understanding of the groundwater flow and how it, you
14 know, acts on each site.

15 CHAIRMAN RYAN: Sure.

16 MR. RICHARDS: But I think, you know, the
17 industry representative can correct me if I'm wrong,
18 but there's a caveat there. They'd only need to do
19 that to the degree that it's important to ensuring
20 they detect material before it gets offsite and
21 impacts the public. For instance, if you have a site
22 that's located on the ocean, and you know that if
23 something goes into the ground it's going to go out in
24 the ocean, you'd probably say, "Well, that's all I
25 need to know." And maybe that's as far as you go.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I don't think the licensee's
2 groundwater protection initiative specifically says
3 everybody should go out and refresh their knowledge in
4 that area. They should take a look at their own set
5 of circumstances and decide what they need to do.

6 CHAIRMAN RYAN: But, I mean, in your
7 summary there it makes a lot of sense to me. I'm not
8 disagreeing with that view at all. But, again, my
9 questioning is not so much, what are the current
10 plants doing, because I think there's a pretty robust
11 program to look at all that. It's, how do we take all
12 that information and say, well, you know, if we make
13 this change and that change, or designed a protection
14 system and/or sump in or, you know, there are some
15 simple things that could help test nearer the source.

16 I mean, my own experience is the closer
17 you get to the potential source with whatever
18 monitoring you want to do, the higher your
19 reliability. And if you get to where you could even,
20 you know, have an intermediate engineering access to
21 some location to see where things are leaking even
22 inside of a building, before it gets outside of a
23 building, that's a better place to be.

24 So I'm just wondering if there's any
25 thinking yet along those lines. And maybe that will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 come later as people sort out what's working and not.

2 MR. FRYE: To get back to one of your
3 earlier questions about how we're going to apply this
4 to the new reactors, which is kind of in line with
5 your last question, you know, Jim Shepherd gave a
6 pretty good explanation of some of the work that we're
7 doing, and what we're trying to do is we're working --
8 NRR is working with Jim and NMSS and Research to get
9 these lessons learned, and to develop regulatory
10 guidance for what we are looking for out of this
11 20.1406, and we're working to get, you know, new reg
12 guides developed and I think get this stuff in our
13 standard review plan updates. So we -- you know, we
14 have something to --

15 CHAIRMAN RYAN: There's the knowledge
16 management right there.

17 MR. FRYE: Right.

18 CHAIRMAN RYAN: Okay. Great. Thanks.
19 I've taken enough time. Thank you.

20 VICE CHAIRMAN CROFF: At the start, you
21 noted that your task force focused on reactors. If
22 you were to extend it or have a phase 2 on materials
23 facilities, do you think it would reveal anything new
24 or any additional lessons or recommendations?

25 MR. RICHARDS: I guess I'm not prepared to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 answer that, because I know very little about
2 materials facilities. Maybe there's somebody in the
3 audience who has more knowledge, but I personally have
4 never been a part of the inspection or licensing
5 program for materials facilities. Does anyone care to
6 offer up an opinion on that?

7 MR. SHEPHERD: Yes, this is Jim Shepherd.
8 I don't think we were -- would be likely to find any
9 new insights. I think many of the issues that we see
10 of leaks that occur in areas that are not easily
11 monitored, either visually or by existing
12 instrumentation, have occurred with some regularity at
13 material sites, much to the same extent on a relative
14 scale that they have at the reactor facilities.

15 VICE CHAIRMAN CROFF: Thank you.

16 MEMBER CLARKE: Professor Hinze.

17 MEMBER HINZE: Concerning the application
18 of your lessons learned, I was pleased to hear the
19 discussion regarding the movement of groundwater and
20 the new nuclear powerplants. It seems to me that
21 there is a concern here about the level of site
22 characterization required at new nuclear powerplants.
23 I'm reminded of a judge's statement some years ago, a
24 Missouri judge, that said that the movement of water
25 in the subsurface was unknowable.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think you'd find that most
2 geohydrologists would not subscribe to that. We can
3 know. It's a matter of how important it is to know it
4 and how much money you -- therefore, how much money
5 you put into it.

6 But also, it's a matter of placing
7 monitors in the correct position, and it seems to me
8 that that's part and parcel of the modeling and
9 monitoring, that you have to have sufficient
10 information so that you can model, and on the basis of
11 that you decide where you're going to do the
12 monitoring.

13 And it seems to me that there's a lesson
14 learned there, not only for existing plants but new
15 plants, and also other nuclear waste sites. We know
16 that tritium has escaped outside the site from other
17 plants, so I would encourage that.

18 One of the questions that I had was the --
19 you arrived at the decision of minimal risk, and I'm
20 sure that's well documented. But I'm wondering if you
21 considered how much uncertainty there was in your
22 decision and how you arrived at that uncertainty.

23 MR. RICHARDS: Well, I guess the short
24 answer is no, we didn't -- you know, we didn't do
25 that. What we did is we just took a look at, again,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the available information, which was based on largely
2 inspections that had already occurred by the NRC or
3 weren't done by licensees, and using those -- you
4 know, that available data to assess impact on the
5 public, you know, there is always the possibility that
6 there was contamination beyond what the licensee or
7 the NRC detected.

8 But on the other hand, you know, one of
9 the questions that came up is: how do you know it's
10 not worse? One of the things we did look at is, where
11 do these leaks predominantly come from? And there's
12 a couple of locations -- spent fuel pools, buried
13 pipes, particularly from, you know, condensate storage
14 tank or some kind of a large water tank that feeds,
15 and a boiler that, you know, feeds some pumps that
16 inject into the reactor vessel, and discharge paths.

17 Well, you know, and the spent fuel pools,
18 of course, are -- have a purification system on them,
19 so the level of contamination is typically maintained
20 fairly low there in relative terms. For discharges to
21 the environment, a lot of those discharges have been
22 processed before they -- they go, too.

23 And likewise, the contamination in the
24 water that's in condensate storage tanks is not very
25 high. So when you look at it, I don't remember us

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking at any events that really involved resins or,
2 you know, some of these materials that you would
3 expect to have high levels of contamination. Most of
4 it has been water that has already been, you know,
5 processed or is a relatively low level of
6 contamination.

7 So, you know, that gives us some level of
8 comfort that we're not going to have or we haven't had
9 major contamination events that go undetected.

10 MEMBER HINZE: Excuse me. But is there a
11 temporal variation associated with these tritium
12 leaks? In other words, is it constantly increasing,
13 or is -- are there cyclic variations? What
14 information do you have?

15 MR. RICHARDS: Well, we just have the
16 history record, and we went back and looked 10 years.
17 That's -- you know, quite frankly, that's something
18 that we didn't consider. So I can't really answer
19 that.

20 MR. FRYE: You know, I was just going to
21 add -- add on to Stu's response to your question
22 about, you know, our -- I guess our confidence of the
23 impact on public health and safety. And the licensees
24 for both Braidwood and Indian Point did very
25 comprehensive evaluations of the dose from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 releases, you know, bounding calculations with very
2 conservative values, and we reviewed these as part of
3 the lessons learned task force, and these were, you
4 know, major contributors to our conclusions.

5 And even with their conservative, you
6 know, assumptions that they made, they -- the doses to
7 the public from these releases and spills and leaks
8 were, you know, fractions of the Appendix I, 3
9 millirem limit. So, you know, I think that's --
10 that's the --

11 MEMBER HINZE: It gives you a lot more
12 confidence if you have some idea of where your -- of
13 what your uncertainties are, which means you know how
14 to look at your uncertainties. You know, you might --

15 MR. FRYE: Right.

16 MEMBER HINZE: -- look for high
17 permeability zones in the subsurface. These are the
18 areas where you're going to get the maximum movement,
19 where you're going to get the longest reach if you
20 will of the contaminants. And those might give you a
21 better idea of what's really happening in the extreme.

22 MR. FRYE: Right. You know, I think one
23 of the approaches that, you know, these sites have
24 taken is they have drilled so many monitoring wells,
25 and they've done --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: The number of monitoring
2 wells never impresses me. It's where they're located.

3 MR. FRYE: Well, right, and that's the key
4 that -- that's one of the key lessons learned, that,
5 you know, we have identified and the industry has
6 identified that you have to take the time to evaluate
7 the site hydrology and drill the right wells in the
8 right locations to the right depth. And we've -- the
9 licensees have done that, and we've -- we've several
10 times, you know, reviewed their analysis. Tom
11 Nicholson has gone up with the regions and reviewed
12 the analysis and --

13 MEMBER HINZE: I've sat in on some of the
14 early site permit reviews, and, as I look back on it
15 now, and thinking about this problem, I wonder, you
16 know, has there been enough concern raised about
17 really defining the groundwater situation, the
18 groundwater movement, in the -- particularly in the
19 unsaturated zone. Yes.

20 CHAIRMAN RYAN: Bill, one amendment I'd
21 offer into your comments -- and I thought they were
22 all good ones -- is it's interesting to think about --
23 and it's a tough problem, because you've got this very
24 large engineered unit that you've plunked down with a
25 lot of subsurface engineering, you know, to build it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And you basically made your own geohydrologic regime
2 close to the plant.

3 MR. FRYE: Yes. You know, I think that
4 was one of the lessons learned, that we have
5 identified and the industry has identified, is that
6 they've done an initial site hydrology study. And
7 then, they built a site, and --

8 CHAIRMAN RYAN: So the hydrology is all
9 different than the study.

10 MR. FRYE: -- the foundations they've put
11 in, and the backfill they've put in, has changed the
12 hydrology.

13 CHAIRMAN RYAN: Okay. Now, let me offer
14 you a thought here and see if this is crazy or not.
15 But to me, it's interesting to say, well, okay, I'm
16 going to start up this new plant. Well, it would be
17 interesting to have some kind of a protocol to develop
18 information that would tell you about where to
19 monitor, where to intercept, or where to find
20 something that might happen 10, 20 years down the
21 line.

22 And it's not something you're going to
23 spend a lot -- a huge amount of money on, you know, in
24 year 1 and year 2. But something that if there's a
25 little bit of effort to collect water levels, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, in a few key wells. You can know whether water
2 is going that way or that way.

3 Now, if you do it all at once like I'm
4 sure some plants have had to do at this point, they
5 put in 30 or 40 wells, just so they can figure out
6 where are the tilts in -- you know, where does the
7 water go?

8 So my view of it is it's a lot better if
9 we can do something smart like, say, we'll gather a
10 little bit of information close in to your engineering
11 feature, so you can see how it not necessarily grows,
12 but how it evolves in the context of the bigger
13 geohydrologic system as things settle down, for lack
14 of a better phrase, because it will finally seek its
15 own level. I mean, you make a big hole, you fill it
16 up with an engineered thing, and it's going to take a
17 while to reequilibrate with the system around it.

18 You know, I mean, we've learned at
19 Hanford, for example, after they stopped putting so
20 much cooling water out of the system at Hanford, the
21 water level went from having a big, huge slope to
22 being essentially flat, which is the way it was before
23 it was changed by all this release to the surface.

24 So I'm just trying to think, you know, is
25 there a smart way to take new plants and think about,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how do we avoid these later detection of leaks as
2 opposed to an earlier detection by doing a little bit
3 along the way rather than wait until we have to plunk
4 down a big program. Does any of that make sense to
5 you guys? Have you looked at --

6 MR. RICHARDS: Well, it does. And, you
7 know, it brings us back to one of our recommendations,
8 which is that we ought to be able to detect leakage
9 before it gets offsite, and the recognition that
10 there's a variety of ways to do that. I think in some
11 cases it would be appropriate to do the kind of
12 monitoring that you're suggesting, and in other cases
13 a licensee might make the case that the site is so big
14 or it's located on an ocean that, you know, a lot of
15 effort isn't worthwhile.

16 And it's -- you know, that's the kind of
17 thing we're going to have to work out with our public
18 stakeholders in the industry to see if we can come up
19 with a way forward.

20 CHAIRMAN RYAN: And all well and good. I
21 mean, I see, you know, without any bias or prejudice
22 that the wide range of options of do nothing do a lot.
23 Everything in between in terms of this modeling and
24 monitoring kind of concept could be appropriate based
25 on the geohydrologic regime. But there's a real

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 opportunity to -- if we get at it early, it's not
2 nearly as expensive.

3 Now, the other side of it -- I'll put on
4 my old licensee hat from years gone by -- is, okay, if
5 I do all these things, where's my benefit? Do I have
6 a lower decommissioning cost if I have leak detection
7 capability and monitoring? I would hope so. Because
8 there is an investment there and site knowledge, and
9 that site knowledge gives me the ability to say, you
10 know, my risks are better established, better
11 confined, and defined, and maybe there ought to be a
12 benefit somehow in there to me.

13 Now, I don't know if managing, you know,
14 lower decommissioning trust fund requirements is the
15 way to go. But there ought to be some way for me to
16 take advantage of the fact if I'm investing in this
17 knowledge that there's a benefit for it. Has that --
18 did that aspect come into your thinking?

19 MR. RICHARDS: Yes, it did. And it -- you
20 know, it gets to the heart of things, which there has
21 to be a benefit. If you wanted to backfit this on
22 present licensees, you'd have to demonstrate that
23 benefit. And I think, you know, if you wanted to go
24 forward and put some kind of rule into place, you
25 would have to convince the Commission and the senior

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff and, you know, panels like yourself that there
2 is a benefit.

3 So, and that's a tough thing to do. It
4 comes back to -- and one of the previous questions we
5 had is, well, you know, is there really a problem here
6 that we need to address? Or does the history suggest
7 that the impact on the public is negligible and it's
8 not worth that -- you know, that expenditure of
9 effort?

10 CHAIRMAN RYAN: It seems like a great
11 first step in your report, but it sounds like that
12 there's a lot of other activity coming after your
13 report that will --

14 MR. FRYE: Well, I think what you'll see
15 is that there are a handful of recommendations that
16 say, you know, the staff needs to evaluate the need to
17 -- needs to evaluate our regulations for, you know,
18 changing the radiological environmental monitoring
19 program to change the requirements, you know, improve
20 some of the requirements for offsite monitoring, you
21 know, consider changes for onsite groundwater
22 monitoring, to review changing the regulations to --
23 for leakage detection.

24 So we have the recommendations there to --
25 for the staff to evaluate these things and consider

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what, if anything, can be done. But obviously, it's
2 too early to say, you know, what direction we might
3 take.

4 CHAIRMAN RYAN: Again, I'd offer an
5 amendment that just adding requirements for monitoring
6 isn't going to get it. What you've got to really add
7 is value added monitoring. I don't want to put in a
8 well unless it's going to tell me something I need to
9 know.

10 MR. RICHARDS: We agree with that.

11 CHAIRMAN RYAN: Every geologist and
12 hydrologist, present company excepted, always want to
13 drill one more hole.

14 (Laughter.)

15 MR. LARKINS: Stu, I think everybody
16 agrees there is no public health impact from these
17 leaks. But there is a public confidence issue which
18 seems to have grown out of this, and we're going to
19 continue to have these leaks occurring over time. How
20 do you recapture the public confidence? How do you
21 better risk communicate this information to the
22 public, so you don't have to deal with unnecessary
23 burden from some type of legislation, additional
24 reporting requirements, or things like that?

25 MR. RICHARDS: Well, again, I can give you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 my opinion, and it's somewhat captured I think in the
2 report, which I think most of the people involved
3 would agree with. But once you've had a leak and you
4 didn't know it was coming, and you've got to turn to
5 the public and say, "Gosh, we've leaked radioactive
6 material out there in the environment," and, even
7 worse, "it happened years ago and we didn't tell you
8 about it," you're in a pretty bad place.

9 CHAIRMAN RYAN: Yes.

10 MR. RICHARDS: So your credibility with
11 the public is probably not very good. I know that in
12 the case of Braidwood the licensee had a number of
13 public meetings, and then they had some open houses
14 where they had people come out and you could talk one
15 on one, and I think they found that to be effective.
16 So over a period of time, maybe the public has become
17 more confident in the utility.

18 In Exelon's case, they instituted a
19 monitoring program, a very extensive program at all of
20 their sites nationwide, and they've been pretty
21 upfront in letting people know that they spent a lot
22 of money to do that. It's hard to judge, you know,
23 how successful they've been at recapturing that
24 confidence.

25 I think from our point of view the -- you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, the lesson to be learned there is don't get into
2 that position. Don't -- you know, we should take some
3 kind of measures to ensure that, you know, we may --
4 we detect this leakage before it gets offsite, getting
5 back to Jim Shepherd's comment that it's not like
6 you're going to have a leakproof plant, nor is, you
7 know, that really called for. On the other hand, we
8 shouldn't be in a position like we found ourselves at
9 Braidwood.

10 MR. FRYE: You know, just to add to that,
11 and I think we mentioned this earlier, but just the
12 ability to say that we have done a good job of
13 identifying over the years the historical leaks that
14 have occurred, that was a big part of the public
15 confidence concern upfront. And, really, the point of
16 the 2.206 petition that Stu mentioned was that there
17 was no confidence that either the NRC or the industry
18 knew the extent of the spills or leaks that had
19 occurred historically.

20 And the industry, as part of their
21 initiative, has, you know, voluntarily responded
22 through a questionnaire to provide that historical
23 information. And so, you know, once we have that and
24 we can have some confidence that it's a complete
25 history, I think that goes a long way.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LARKINS: Yes. You seem to be going
2 back looking, maybe proposing some changes to the
3 significance determination process and what the impact
4 of that might be. But that doesn't seem to address
5 root cause -- I mean, getting back to the public
6 confidence issue.

7 CHAIRMAN RYAN: No.

8 MR. RICHARDS: That's too much into the
9 bureaucratic details. It's really how much of an
10 impact. But, again, I think our recommendation that
11 there be action so that if there is leakage it's
12 detected before it gets offsite, I think that's -- for
13 public confidence, that's the most important thing.

14 The second thing is reporting it. You
15 know, I think we need to make sure that when these
16 issues come up that we put that out in the public
17 domain. Another recommendation was is that we revise
18 the ROP process to allow some of these things to be
19 put into inspection reports that normally would have
20 been considered not significant enough to warrant
21 writing about.

22 So that, you know, it is in the public
23 record, and we can point to it. Hopefully, if
24 somebody later on says, "Hey, what about this?" well,
25 yes, we told you. If you didn't read it, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's not much we can do about that. But it wasn't
2 worthy of a larger effort, because of the -- you know,
3 the public significance.

4 MR. LARKINS: So you would allow more
5 opportunity as part of the reactor oversight process
6 to pick up on those things which might not ordinarily
7 come out in the inspection programs, like in the area
8 of effluent monitoring and things like that.

9 MR. RICHARDS: Well, we would allow
10 --under the recommendation we would suggest that there
11 would be a lower threshold for documenting these kind
12 of events in inspection reports, because the threshold
13 that's there now would screen a lot of these events
14 out.

15 And so if you're a member of the public
16 and you wanted to read about your plant, you'd read an
17 inspection report, there would be nothing there. That
18 doesn't necessarily mean there wasn't some kind of a
19 leakage event. It just meant it didn't meet the
20 threshold for writing about, so we'd say lower that
21 threshold just for that reason.

22 MR. LARKINS: Yes. I guess where I was
23 going at -- I mean, from a risk-informed perspective,
24 it's probably correct to leave a lot of this stuff
25 out. But from a public confidence perspective, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 may want to include other things.

2 MR. RICHARDS: That's exactly right.

3 MR. LARKINS: Yes.

4 MEMBER CLARKE: Ruth, and then Bill.

5 MEMBER WEINER: Okay. Especially in your
6 older, the more historical leaks, did you make any
7 attempt to correlate or do you correlate them in any
8 way with the tritium that you might be getting from
9 fallout?

10 This was a question that came up some
11 years ago in Washington State in looking at tritium in
12 the Columbia River, and they discovered that when you
13 looked at lakes that had nothing to do with Columbia
14 or any leaks you found a considerable amount of
15 tritium from fallout.

16 I wondered if that was something you had
17 run into also, or if you correct for it, or if you
18 just ignore it.

19 MR. RICHARDS: We did look the various
20 sources of tritium, and, of course, you know, there is
21 the fallout from weapons testing, and then there is
22 the tritium that occurs naturally from cosmic ray
23 interaction in the upper atmosphere, which is a much
24 larger fraction than anything a nuclear powerplant
25 puts out.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, but, you know, when you spread that
2 out over the volume of the earth, it doesn't
3 necessarily -- generally, it doesn't give you a
4 background level that's significant compared to the
5 levels we're talking here.

6 You know, for instance, kind of a separate
7 issue that we talked about in the report, some of
8 these powerplants use manmade lakes for cooling
9 sources. And, as a consequence, they put a lot of
10 tritium out there. It's below the MCL levels. Those
11 lakes are open for, you know, public enjoyment and
12 don't really constitute a radiation hazard. But the
13 levels that exist in those lakes are far beyond what
14 would be there if it was just a natural lake.

15 MEMBER WEINER: So you do -- if there is
16 another source, you recognize it and correct for it.

17 MR. RICHARDS: I would say, yes, we would
18 have, yes.

19 MEMBER WEINER: If it's significant.

20 MR. RICHARDS: Yes, right.

21 CHAIRMAN RYAN: Well, the only real source
22 of tritium that's important is global fallout.

23 MEMBER WEINER: Well, that's --

24 CHAIRMAN RYAN: And natural -- I mean,
25 it's -- anywhere in the United States, tritium in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 groundwater or surface water -- well, near surface
2 groundwater is 400 to 1,000 picocuries per liter based
3 on what you are -- that's about it. It doesn't vary
4 much.

5 MEMBER CLARKE: Dr. Andersen, did you want
6 to say --

7 MR. RICHARDS: Mr. Chairman, I apologize,
8 but I need to leave.

9 CHAIRMAN RYAN: Stu, you did a great job.
10 I'm sure Tim will hold up your end after you've gone,
11 and thank you very much for a real informative
12 presentation.

13 MR. RICHARDS: Thank you very much for
14 allowing me to be here today.

15 CHAIRMAN RYAN: Thank you.

16 MEMBER CLARKE: Thank you, Stuart.

17 DR. ANDERSEN: Before the NRC staff
18 leaves, I just want to say that it has really been a
19 pleasure over the last year interacting with them. I
20 think we had nearly half a dozen public meetings, a
21 lot of very candid interchange, and I really
22 appreciate the efforts of the task force. So I just
23 wanted to compliment them on that before they got
24 away.

25 I just wanted to make a few remarks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 First, is that the Committee may want to consider
2 inviting us to come back at some future meeting and
3 discussing the industry initiative that we've
4 undertaken on our own.

5 CHAIRMAN RYAN: Consider yourself invited.

6 (Laughter.)

7 There's a lot of followup, obviously, we
8 heard hints of, and we'd love to hear that as well.

9 DR. ANDERSEN: But I'll offer just a
10 couple of teasers to help with that. First of all,
11 it's an initiative with a capital I. It's not just a
12 good idea, it's a formal commitment, and we have a
13 process for doing those. We did a lot in the security
14 area after 9/11 where real things get done, and they
15 are very publicly disclosed, and the NRC, in fact,
16 does look very closely at what we're doing in these,
17 even though they aren't a requirement.

18 So I want to be able to explain more about
19 that to you, what it means that it's an initiative
20 with a capital I.

21 Secondly, to the public confidence issue,
22 what we instituted immediately was an obligation on
23 all of our plants, which we made very, very public, is
24 that any leak or spill that we identify of greater
25 than 100 gallons of contaminated water -- and the word

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 "contaminated" isn't bounded. If it's contaminated
2 from plant radioactivity, then it meets the bill as
3 communicated to our local officials and states within
4 one working day of discovery, which well exceeds any
5 existing regulatory requirements of NRC or the EPA.

6 Secondly, we then are obligated to provide
7 a 30-day written report to explain what we found out
8 and what we're doing about it. And then, thirdly, we
9 published a summary of all of that information in our
10 annual effluent reports, which we will be submitting
11 after the first of the year, so that in case somebody
12 missed it the first time or the second time they've
13 got it available to them in the annual reports.

14 The same holds true for any groundwater
15 sample that we take that exceeds the MCL for drinking
16 water. We don't -- we make that notification within
17 one working day, also do the followup and explain
18 circumstances, and then also include it in the annual
19 report. So we've put in place about as low a
20 threshold for disclosure as we can, because we really
21 think that was one of the biggest aspects here is the
22 appearance that things had happened years before and
23 that nobody knew about them.

24 Along with our states and our local
25 communities, by the way, and oversight on my part, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also communicate with the NRC. And to date, most of
2 those communications actually have been done formally
3 under 10 CFR 50.72, which requires us to report to the
4 NRC when we have interactions with state agencies. So
5 it actually becomes documented through the NRC's daily
6 report as well.

7 So there has been a very, very large
8 change there. And, in fact, we have made such
9 notification such we implemented this on July 31st.
10 So there are instances, both in NRC's records and in
11 the newspapers, and so forth, where people have self-
12 disclosed. But the important part and the one I'd
13 like the opportunity to come back in much more detail
14 is what we're doing with the geohydrology, what we're
15 doing with the site monitoring programs, modeling, and
16 so forth.

17 That's a good topic for discussion.
18 Always enjoy seeing your colleagues on topics like
19 that, and also appreciate the insights that we get.

20 I do want to respond to one thing, though,
21 if you don't mind on the uncertainty issue. The point
22 is extremely valid, and here's the difficulty that we
23 run into. When we do our bounding analyses, we assume
24 that the source is in fact the point of exposure. One
25 thing we know about tritium in water is that you don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concentrate it. At least the last time I looked at
2 it, I don't know a way to concentrate water beyond its
3 normal concentration.

4 So we do assume that is the most
5 conservative assessment, to say, well, for this leak
6 or spill, what if the concentration in fact were what
7 the concentration is at the source? And what if a
8 person drank that water all year, which that's as much
9 as they can drink? So you can't get more conservative
10 than that. That's where we have found doses of less
11 than a fraction of a millirem.

12 So, although the point is valid about
13 uncertainties, and we need to greatly improve that,
14 our starting point without any uncertainty is if they
15 drank the water from the source for an entire year,
16 their maximum exposure is going to be a fraction of a
17 millirem. Any interaction beyond that is going to
18 have the effect of reducing that dose. So we always
19 have to weigh how well we need to understand the
20 uncertainties within that context.

21 CHAIRMAN RYAN: That's a point well taken,
22 Ralph. I guess my thought is that some of the ideas
23 of detection, and so forth, really, frankly, get more
24 at avoiding a public confidence question --

25 DR. ANDERSEN: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: -- than a real dosimetry
2 or a potential human exposure question, as that if you
3 can detect it early, one is you're confident and
4 you're head of the game, and all of that, but you also
5 have a better chance if you're going to mitigate, or
6 you need to repair or do something else, that you're
7 maybe a little bit ahead of the power curve in that
8 regard, too. So I couldn't agree with you more and
9 would welcome insights to that in your next --

10 DR. ANDERSEN: Right.

11 CHAIRMAN RYAN: -- next visit with us.

12 DR. ANDERSEN: And, again, to reinforce
13 the point, where the uncertainty I really do think
14 plays a part is, as you suggested, do I really know
15 where the plume is? Do I know if it's offsite?
16 That's the part where the uncertainty certainly exists
17 that we need to work on.

18 Thank you. I appreciate the time.

19 CHAIRMAN RYAN: Thank you.

20 MEMBER CLARKE: Thanks, Ralph. Mike, and
21 then Latif.

22 MR. SNODDERLY: Thank you, Jim. This is
23 Mike Snodderly from the staff. Tim or Jim Shepherd,
24 I was wondering if you could help us. On your
25 slide 6, I wanted to make sure the Committee has the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 opportunity to look at the additional guidance that's
2 being developed and the guidance that's being updated.
3 Could you give us some idea of what reg guides and
4 guidelines are being updated and developed, so that
5 we're aware of them when they're coming in?

6 MR. FRYE: Do you want to do that, Steve?

7 MR. WIDMAYER: Yes, Mike. One of the
8 things I was going to interject is tomorrow
9 afternoon's session is where we're going to hear the
10 initial thinking about the --

11 MR. SNODDERLY: Well, I just want to make
12 sure, because what I want to clarify is -- is part of
13 the Committee's review to help the staff in updating
14 all the reg guides and SRP sections. Right now, all
15 -- we've been forwarded all of the reg guides that we
16 understand are going to be updated to support the
17 March '07 deadline, to support new reactor licensing.

18 And I guess I'm just concerned because in
19 my just quick review of those reg guides I didn't see
20 where these particular insights are addressed. So is
21 it -- and it sounds like you are developing some
22 additional guidance, so I just want to make sure -- is
23 there anything besides Reg Guide 1.112 and Reg
24 Guide 4.15 the Committee should be aware of or that we
25 should be looking for coming down the pike?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FRYE: You know, I think that's -- I
2 think that's it for the high priority reg guides that
3 we're trying to get for --

4 MR. SNODDERLY: Okay.

5 MR. FRYE: -- from new reactors.

6 MR. SNODDERLY: I just want to make sure
7 I'm not missing something.

8 MR. FRYE: We're also -- and I think what
9 you'll hear tomorrow is some of the work that we're
10 doing for the DSRP updates also.

11 MR. SNODDERLY: Great. Okay.

12 MR. FRYE: And so it's --

13 MR. SNODDERLY: I just wanted to make sure
14 we weren't missing anything.

15 MR. FRYE: -- a combination of a
16 presentation tomorrow and Wednesday, the two specific
17 reg guides. But we are working on additional reg
18 guides to address these lessons learned that aren't
19 included in the high priority March 2007 set that
20 we've identified for new reactors.

21 MR. GEARY: And the titles of those --
22 this is Steve Geary. The titles of those two is going
23 to be Reg Guide 1.21, which is measuring, evaluating,
24 and reporting effluent releases, and that will be
25 revised to include unplanned releases, because it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 primarily aimed, as was mentioned earlier, the
2 original licensing basis was for planned effluents.

3 So we're going to update that to include
4 unplanned effluents and include measuring, evaluating,
5 and reporting those as well.

6 The other reg guide is 4.8, which is a
7 very old reg guide on environmental monitoring. And
8 additional guidance has been put forward since that
9 reg guide was originally issued in the early '70s in
10 the form of branch technical position. So I've
11 already begin our staff -- Tim's staff has already
12 begun revising the Reg Guide 4.8 on environmental
13 monitoring, and we are also going to be pushing
14 forward on Reg. Guide 1.21.

15 MR. SNODDERLY: Thank you very much.
16 That's -- I just want to make sure, so we know what to
17 look for for the Committee.

18 MEMBER CLARKE: Okay. Does that cover it,
19 Derek?

20 MR. SNODDERLY: I'm sorry. I had just one
21 other clarification. Do you have a timeframe or a
22 schedule? I'm sorry.

23 MR. GEARY: Well, we've just taken a look
24 here. We've got the final recommendations out of the
25 task force report. We've divided those 27

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recommendations into assignments between Research,
2 NMSS, and NRR.

3 The recommendations that are going to be
4 incorporated under NRR primarily will be incorporated
5 into those two reg guides. And we haven't taken a
6 look at the budgeting process or how long it's going
7 to take to complete those, but just off the cuff it's
8 going to be high priority to us, and we will be
9 working on them in the near term.

10 CHAIRMAN RYAN: If you can keep us up to
11 date on your schedules in that area, that would be
12 real helpful.

13 MR. GEARY: Okay.

14 CHAIRMAN RYAN: Thank you.

15 MR. FRYE: Yes, I think one of the things
16 Stu mentioned a while ago was the lessons learned task
17 force's recommendations, and the staff is responding
18 to all of them. But we are still really trying to
19 resource estimate and develop schedules for a lot of
20 these recommendations. And we're just in the initial
21 steps of, you know, trying to scope out the work.

22 But, you know, to get -- to evaluate these
23 reg guides and, you know, develop changes and get
24 stakeholder input, you know, it's at least a year, if
25 not longer. So it's -- although it's a high priority,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's going to take probably at least a year to get
2 through these.

3 MR. SNODDERLY: So then, Tim, for those
4 plants that plan to submit in September '07, they'll
5 have to use the existing guidance, or it will be
6 reviewed as part of their early site permit?

7 MR. FRYE: Well, we've -- we've identified
8 the bare minimum reg guides that we need to update for
9 March 2007 to support the, you know, first expected
10 applications to come in. And those are the two reg
11 guides that we identified and that we'll be talking
12 about on Wednesday. But we're working to -- and those
13 were the highest priority March 2007.

14 We're working -- we're working with
15 Research to try to get the additional reg guides for
16 -- to support new reactors updated in the next round
17 of updates that they'll be working on -- I think, you
18 know, the medium priority reg guide updates. So there
19 is more out there that we need to do, but the two
20 we'll be talking about on Wednesday are the -- were
21 the two highest priority.

22 MEMBER CLARKE: Okay. If I could just
23 make one comment. Mike alluded to a working group
24 meeting we had several weeks ago on modeling and
25 monitoring and trying to work the interface between

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the two -- the goal being to improve our confidence in
2 these models, because they're being used to -- to
3 predict and to forecast for very long periods of time.

4 And one of the things that came out of
5 that meeting, one of several things that came out of
6 that meeting, is the merits of distinguishing between
7 sites where there is existing contamination and sites
8 that are new. And it struck me that as I suspect that
9 new reactors will be proposed on existing sites where
10 there are reactors, and there may be some knowledge of
11 the subsurface there from the decommissioning efforts
12 that are going on or not, or if there have been
13 releases. New sites, it's a different story.

14 And there is a fair amount of work going
15 on by other groups that are interested in siting on
16 what's called groundwater vulnerability. And I think
17 that's what Professor Hinze was getting to, if you
18 release something to the subsurface. What do you know
19 about developing the conceptual model that then can be
20 used to guide numerical models?

21 So I think we -- those distinctions have
22 some merit, and in some cases we're going to have some
23 knowledge, and in other cases we won't. And I would
24 hope that we would -- we would have to get it in the
25 case where we don't I guess.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, Latif, you wanted to --

2 DR. HAMDAN: Yes, one quick question, Tim.
3 For constituents that are not tritium, like strontium,
4 carbon-14, iodine, do you feel that there is enough
5 information already for you to make a determination
6 that the contamination to the groundwater is within
7 the established standards to protect groundwater? Or
8 that you need to continue to monitor and you make that
9 determination sometime in the future?

10 MR. FRYE: You know, I think from what
11 we've seen so far that except for strontium-90, which
12 has been above the EPA limits for safe drinking water,
13 we really haven't seen much else out there that
14 exceeds, you know, the limits for safe drinking water
15 limits, except for tritium also in certain instances.

16 You know, one of the -- like I said, one
17 of the things we're doing, the licensees are doing
18 comprehensive sampling, and, you know, they've drilled
19 a lot more monitoring wells and they've expanded their
20 sampling programs and --

21 DR. HAMDAN: So what I'm getting at, you
22 know, I don't think that you have some decommissioning
23 funding for remediation.

24 MR. FRYE: Right.

25 DR. HAMDAN: If it comes to that. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question I have is: do you have in your
2 recommendation a recommendation for a monitoring
3 program for a long time for licensees to consider, or
4 not?

5 MR. FRYE: I think it's covered by the
6 recommendations. It's something we need to -- it's
7 one of the -- and I think Stu mentioned, we get into
8 the fact that, you know, analysis -- it's covered --
9 I think it's covered under the recommendations, that
10 we need to evaluate the need for changes in our
11 regulations and reg guides for whatever it takes to be
12 able to monitor and detect these leaks before they get
13 offsite. So I really can't say right now, you know.

14 What we would try to pursue is
15 requirements for enhanced long-term monitoring, but,
16 you know, it's there in the recommendations, and it's
17 something we're going to be looking at.

18 MEMBER CLARKE: Okay. Okay.

19 MR. DIAS: It's actually for my
20 understanding. The release that happened in
21 Braidwood, was that a normal release? Because they
22 would throw it into a ditch, and the ditch would
23 eventually take it to the river. Is that considered
24 a normal release of effluents?

25 MR. FRYE: It was originally intended as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a normal release. The leaks in question occurred --

2 MR. DIAS: And they probably find it as
3 normal whenever they were releasing --

4 MR. FRYE: They --

5 MR. DIAS: -- it still shows up as a high
6 level of tritium?

7 MR. GEARY: Let me add to that. The
8 release at Braidwood occurred out of vacuum breakers.
9 So you've got a five-mile pipe running along, and
10 you've got some vacuum breakers that were installed
11 equipment in that -- in that circulating water
12 discharge line. And the leaks occurred out of those
13 vacuum breakers.

14 And then, it was surface water that ran
15 across the top of the water down into the slew or the
16 low-lying areas and accumulated there. So that
17 release there was -- it started out, like Tim said, as
18 a normal effluent release. It was designed to go out
19 the circ water. And then, the vacuum breaker leaked
20 and it obviously came out into the vault and onto the
21 ground and down to the slew.

22 MR. DIAS: Thank you.

23 MR. BROWN: Chris Brown, ACNW. This is
24 also just for my education. Could you just tell me,
25 were more of the releases due to the vacuum breakers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or human error or to material degradation?

2 MR. GEARY: Well, I think basically you
3 could divide it into two release points. Really,
4 equipment that's located right at the plant, such as
5 a spent fuel pool, you know, that leaked like at
6 Indian Point, or a discharge line, and there are
7 different plants -- I mean, all plants have discharge
8 lines. And a lot of the leaks have occurred along
9 those discharge lines, either through a vacuum breaker
10 or a crack in the pipe or a break in a weld. So those
11 are kind of the two major categories.

12 The leaks that occur right at the plant
13 normally would go down, down into the groundwater
14 right there. And most of our environmental monitoring
15 program is offsite, so those leaks hadn't shown up in
16 the early -- I mean, in any of the routine
17 environmental monitoring programs.

18 At Braidwood, one of the offsite welds did
19 show up with detectable tritium at about 1,500
20 picocuries per liter, which is roughly 7 or 8 percent
21 of a drinking water limit. So that was detectable
22 contamination in an offsite well. But the majority of
23 the releases have come from monitoring wells, not
24 drinking water wells but monitoring wells. And the
25 higher concentrations are closer to the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FRYE: If I could just add to what
2 Steve just mentioned. If you go through the report,
3 I think you -- we saw three main causes of the leaks.
4 One was spent fuel pools are -- a lot of the spills
5 and leaks have occurred to spent fuel pool leakage
6 clogged. The spent fuel pools have tell-tale drains
7 on them to -- and they are supposed to work that if
8 the liner leaks the leakage will go through into this
9 tell-tale drain and you can identify it. But there
10 has been maintenance problems with the tell-tale
11 drains.

12 And if the spent fuel pools have been
13 leaking, that's one major source. Another broad
14 category is buried piping, which also includes the
15 spent fuel pools a little bit, because usually that's
16 underground, so it's buried piping and components that
17 are not readily, you know, accessible for visual
18 examination.

19 And the third broad category, as Steve was
20 mentioning, was just failures of components on
21 discharge lines due to inadequate maintenance and
22 testing and surveillance.

23 MEMBER CLARKE: Thank you. We have
24 reached the appointed hour. I would just note that,
25 again, your Table 1 has a nice summary of the source

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the release, and these are really the lessons
2 learned that I think we want to capture.

3 So let me turn it back to you, Mike Ryan.

4 CHAIRMAN RYAN: Okay. Thank you, Jim.

5 That brings us to the end of our formal
6 presentations today, so we will end our formal
7 transcript at this point.

8 (Whereupon, at 2:31 p.m., the proceedings
9 in the foregoing matter went off the
10 record.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25