

Official Transcript of Proceedings  
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste  
and Materials - 181st Meeting

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, July 17, 2007

Work Order No.: NRC-1676

Pages 1-204

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION  
+ + + + +  
ADVISORY COMMITTEE ON NUCLEAR WASTE  
AND MATERIALS (ACNW&M)

181st MEETING

+ + + + +

TUESDAY,

JULY 17, 2007

+ + + + +

VOLUME I

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear  
Regulatory Commission, Two White Flint North,  
Room T-2B3, 11545 Rockville Pike, Rockville, Maryland,  
at 8:30 a.m., Michael T. Ryan, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

- |                  |               |
|------------------|---------------|
| MICHAEL T. RYAN  | Chairman      |
| ALLEN G. CROFF   | Vice Chairman |
| JAMES H. CLARKE  | Member        |
| WILLIAM J. HINZE | Member        |
| RUTH F. WEINER   | Member        |

- 1 NRC STAFF PRESENT:
- 2 CHRISTOPHER BROWN
- 3 LATIF HAMDAN
- 4 DEREK WIDMAYER
- 5 NEIL M. COLEMAN
- 6 ANTONIO DIAS
- 7 FRANK P. GILLESPIE
- 8 MICHAEL WEBER
- 9 BILL BRACH
- 10 ERIC LEEDS
- 11 JOE GIITTER
- 12 LAWRENCE KOKAJKO
- 13 HANS ARLT
- 14 CYNTHIA BARR
- 15 A. CHRISTIANNE RIDGE
- 16 SCOTT FLANDERS
- 17 DAVE ESH
- 18 GENE PETERS
- 19 JIM RUBENSTONE
- 20
- 21
- 22
- 23
- 24
- 25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I-N-D-E-X

<u>AGENDA ITEM</u>	<u>PAGE</u>
Opening Remarks by the ACNW&M Chairman	4
Semiannual Briefing by the Office of Nuclear Material Safety and Safeguards	5
Waste Incidental to Reprocessing Monitoring Activities at the Idaho National Laboratory and Savannah River Sites	81
DOE Reexamination of Past U.S. Geological Survey Infiltration Studies	158
Adjourn	

P-R-O-C-E-E-D-I-N-G-S

(8:29 a.m.)

CHAIRMAN RYAN: I would ask the meeting to come to order, please.

This is the first day of the 181st meeting of the Advisory Committee on Nuclear Waste and Materials. During today's meeting, the Committee will consider the following: semiannual briefing by the Office of Nuclear Material Safety and Safeguards, waste incidental to reprocessing monitoring activities at the Idaho National Laboratory and Savannah River sites, DOE reexamination of past U.S. Geological Survey infiltration studies.

Antonio Dias is the Designated Federal Official for today's session.

We have received no written comments or requests for time to make oral statements from members of the public regarding today's session. Should anyone wish to address the Committee, please make your wishes known to one of the Committee staff.

It is requested that the speakers use one of the microphones, identify themselves, and speak with sufficient clarity and volume, so they can be readily heard. It is also requested that if you have cell phones or pagers that you kindly turn them off at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 this time. Thank you very much.

2 Without further ado, I'll introduce Mike  
3 Weber, who I think is going to lead us off on our  
4 opening session. And welcome, Mike. I'll turn the  
5 microphone over to you.

6 I might mention that I think we have  
7 enough time that if the Committee members had  
8 questions as we go along, or maybe at a break of each  
9 speaker, that we could take them in that way, rather  
10 than wait all until the end. Does that work?

11 MR. WEBER: That's fine.

12 CHAIRMAN RYAN: Great. Okay.

13 MR. WEBER: Okay. Good morning. I am  
14 Michael Weber. I'm the Director of the Office of  
15 Nuclear Material Safety and Safeguards. I appreciate  
16 the opportunity to have my management team meet with  
17 the Committee this morning.

18 I began in this position in March of 2007  
19 when Jack Strosnider, the former Director of NMSS,  
20 retired. So I am pleased to be back at NMSS where I  
21 began my career with the NRC back in 1982.

22 I have been working with the Advisory  
23 Committee since it was formed in June of 1988, so --  
24 not in this capacity, but in many other capacities,  
25 and I appreciate the guidance and insight that we have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 obtained from the Committee. And I hope to hear some  
2 of the same today.

3 I want to thank the Committee for the  
4 opportunity to present this morning and to share a  
5 preview of some of the programmatic challenges that  
6 we'll be facing as an office over the next six to 12  
7 months. There are opportunities for the Committee to  
8 provide advice for the benefit of the NRC, and for the  
9 benefit of the American public.

10 The Committee, in our view, plays a vital  
11 role in providing the independent advice to the  
12 Commission on a wide range of program activities that  
13 are under the purview of my office. Your expert  
14 reviews help the agency achieve its strategic goals of  
15 safety, of openness, and of effectiveness. And we  
16 appreciate the Committee's thoughtful, constructive  
17 reviews of the work that we do in the office.

18 We also appreciate the close coordination  
19 of your staff with our staff, and that is vital in  
20 scheduling our reviews while maintaining the  
21 Committee's independence. But it's important that the  
22 advice rendered by the Committee is timely to support  
23 the Commission's overall program.

24 The Committee's charter emphasizes the  
25 protection of public health and safety in the disposal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of nuclear waste, and in the handling and processing  
2 of nuclear materials. And you're going to see that  
3 theme as it's evident in our briefing today, as well  
4 as in your agenda that you have over the next several  
5 days.

6 Whether it's infiltration studies at Yucca  
7 Mountain, burnup credit for spent fuel casks,  
8 transportation and aging and disposal canister system,  
9 or spent nuclear fuel recycle facilities, they are all  
10 the things that we're about at NMSS. And it's all the  
11 things that the Committee is focused on as part of its  
12 agenda for this meeting.

13 I encourage the Committee to apply its  
14 attention to the topics where you can add the most  
15 value to our national program. Following my  
16 presentation, Joe Giitter for the Division of Fuel  
17 Cycle Safety and Safeguards, Bill Brach for the  
18 Division of Spent Fuel, Transportation, and -- Spent  
19 Fuel Storage and Transportation, and Lawrence Kokajko  
20 for the Division of High-Level Waste Repository Safety  
21 will provide overviews of some of the challenges that  
22 their programs are facing, and I wanted to thank you  
23 for the part that you play in protecting people and  
24 the environment.

25 Before I turn it over to the Division

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Directors, I wanted to introduce my Deputy, Eric  
2 Leeds. Eric has served in a wide variety of positions  
3 in the agency. He most recently came to the office of  
4 NMSS from the Office of Nuclear Security and Incident  
5 Response where he was the Director of Preparedness and  
6 Response.

7 Eric?

8 MR. LEEDS: Well, thank you, Mike. As you  
9 know, I replaced Margaret Federline, and I'm really  
10 the continuity between the old regime and the new  
11 leadership, because I got into my job about six weeks  
12 before Mike got his.

13 (Laughter.)

14 But as Mike mentioned, I've got a varied  
15 background here at the NRC. I spent a lot of time on  
16 the reactor side; I'm a mechanical nuclear engineer.  
17 When I came to NMSS, I first worked in spent fuel, and  
18 I'm very familiar with spent fuel storage and  
19 transportation. I spent about four years there when  
20 the office was first founded, and then went over to  
21 Fuel Cycle and worked with Bob Pearson and Joe Giiter  
22 in Fuel Cycle for about four years before I went back  
23 to NRR, and then I did emergency preparedness and  
24 incident response, as Mike mentioned.

25 I'm very pleased to be here. I'm looking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 forward to getting to know the ACNW and working with  
2 you all.

3 MR. WEBER: And M.

4 MR. LEEDS: And M. Thank you.

5 CHAIRMAN RYAN: There's a six-month grace  
6 period for getting --

7 (Laughter.)

8 MR. LEEDS: You've got to train them.

9 CHAIRMAN RYAN: We do the same thing.

10 MR. LEEDS: You've got to train them. But  
11 as Mike mentioned, I think the meat of this  
12 presentation this morning will come from the Division  
13 Directors. And we're following the fuel cycle, and  
14 with that let me turn it over to Joe Giitter, so he  
15 can get started. Joe?

16 MR. GIITTER: Thank you. Good morning.  
17 We've got a lot of activity still going on in the fuel  
18 cycle area, and we've been busy over the last couple  
19 of years, as you probably know, with the licensing of  
20 the LES and U-site gas centrifuge facilities, the MOX  
21 construction authorization review, and a number of  
22 other licensing reviews for fuel cycle facilities, as  
23 well as ensuring that the operating fuel cycle  
24 facilities continue to operate safely and securely.

25 One of the things that we didn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 necessarily expect a year ago was that we would be  
2 getting applications for yet more enrichment  
3 facilities. And as it turns out, we do have two  
4 applications for full-scale enrichment facilities on  
5 the horizon.

6 We currently, with the General Electric  
7 Silex facility, did receive a license amendment  
8 request for a test loop at the Wilmington site, the GE  
9 Wilmington site. And in this phase of the project,  
10 they would test laboratory quantities of material to  
11 verify design parameters.

12 They do plan to submit a full-scale  
13 facility application in December of 2007. They have  
14 also requested a very ambitious schedule for us to  
15 conduct our licensing review, and, of course, we will  
16 -- we will try to do what we can, but we are limited  
17 in resources, and, of course, we're limited by the  
18 length of time it takes to do the review under NEPA.

19 The second centrifuge facility -- I should  
20 add with the Silex facility this is unlike any gas  
21 centrifuge facility that we've ever seen before, and  
22 the technology is really cutting edge. It does create  
23 some unique concerns from a security perspective, and  
24 primarily an MC&A perspective.

25 So this is fundamentally different than

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what we've looked at before in the way of enrichment  
2 facilities.

3 The Areva centrifuge facility is  
4 essentially the same facility or type of facility as  
5 the LES facility. It's a Urenco design. We just  
6 learned of this facility fairly recently. In fact, we  
7 didn't even include it in our budget process, or  
8 budget planning process.

9 Areva is supposed to make a siting  
10 decision by the end of the calendar year, and they  
11 hope to come in with an application by mid calendar  
12 year '08.

13 There is some question as to whether  
14 France, Germany, The Netherlands, and the UK will  
15 support transferring the -- will allow the centrifuge  
16 facility to be built in the United States under the  
17 Cardiff agreement. So that's one of the policy issues  
18 that still needs to be resolved before we get an  
19 application for this facility.

20 Consistent with USEC, the USEC ACP, and  
21 the LES national enrichment facility, we don't  
22 envision a direct role for the ACNW&M in the review  
23 process. However, we would be glad to provide  
24 information to the ACNW&M regarding these facilities.

25 The other area of the fuel cycle facility

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where there appears to be a need anyway is the  
2 conversion/deconversion area. There is only, as you  
3 know, one operating conversion facility in the United  
4 States, and that is Honeywell. They have recently  
5 expanded.

6 We did, at our Fuel Cycle Information  
7 Exchange, which is kind of our version of the  
8 regulatory information conference for fuel cycle, we  
9 did have a gentleman from Converdyne talk about their  
10 plans with regard to additional conversion facilities,  
11 and right now it doesn't appear, at least to  
12 Converdyne plans, to do an expansion, and we know of  
13 no other plans for a conversion facility in the United  
14 States.

15 Of course, there is plans for deconversion  
16 facilities. Specifically, Areva has plans -- has an  
17 agreement with LES to fill the deconversion facility  
18 in conjunction with the LES project in New Mexico.

19 We did get some feedback from the  
20 Commission that they do support NRC regulation of  
21 these facilities, and we're proposing -- right now  
22 we're looking at possibly requiring them to meet the  
23 10 CFR 70, Subpart H requirements, which are the  
24 requirements for the Part 70 fuel cycle facilities  
25 with regard to risk-informed performance-based and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ISA process.

2 The other facility is a mixed oxide fuel  
3 fabrication facility. There was some political  
4 uncertainty with this. It appears that based on the  
5 action on the Hill that this project will go forward.  
6 It does appear to have sufficient funding on both the  
7 House and Senate side.

8 In the past, the Advisory Committee on  
9 Reactor Safeguards, specifically the Fuels  
10 Subcommittee, has had the lead on reviewing the Mox  
11 facility, and we would expect this to continue in the  
12 future.

13 We have talked to you a number of times  
14 about our work regarding the Global Nuclear Energy  
15 Partnership. And we very much appreciate the high  
16 quality white paper that was developed by the ACNW&M.  
17 Right now, that's a project that is also experiencing  
18 some political uncertainty. We did send a paper up to  
19 the Commission with some options for how we should  
20 proceed on developing a regulatory infrastructure for  
21 GNEP. The Commission essentially told us to go slow,  
22 and they also told us to work with the ACRS.

23 However, you know, in the future we're  
24 going to be -- we're going to look at the way -- we're  
25 going to have to look at the waste streams. That's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to be a huge issue with this facility. And  
2 right now, we're in a situation where we don't even  
3 know what the design of these facilities are going to  
4 be, so it's impossible to tell what the waste streams  
5 might be.

6 But at some point in the future, I would  
7 see a role with the ACNW&M in terms of providing us  
8 assistance in looking at the various waste streams  
9 that are going to be coming out of these facilities,  
10 especially the reprocessing facility and --

11 CHAIRMAN RYAN: While you are on that  
12 point, we have thought a little bit about that  
13 question, and I think that's probably a critical  
14 question in GNEP, because in I think the Committee's  
15 view and certainly my personal view, the waste can be  
16 the tail wagging the dog.

17 MR. GIITTER: Yes.

18 CHAIRMAN RYAN: And I think the real  
19 secret to me is the partitioning for key  
20 radionuclides, and does it end up in this stream, that  
21 stream, all streams. You know, it's very critical to  
22 a basic question: does the two-tiered system, high and  
23 low level waste, cover the landscape? So that's a  
24 real fundamental question. Is that in your thinking?

25 MR. GIITTER: Yes, it is. In fact, that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one of the things we brought up in our Commission  
2 paper.

3 CHAIRMAN RYAN: And I read the  
4 Commission's direction back to you in Option 1, and,  
5 you know, proceeding along those lines. But I just  
6 want to applaud that focus, because, you know,  
7 building a facility is one thing, but actually being  
8 able to manage the waste streams and having homes for  
9 all of them is -- you know, could be the -- you know,  
10 the stop-gap in the whole process, or the -- you know,  
11 a path forward, depending on how it works out.

12 Thanks.

13 MR. GIITTER: Thank you. I would just  
14 like to conclude by telling you that we look forward  
15 to working with you over the next year, and we, again,  
16 appreciate all of the effort you have provided us in  
17 areas such as GNEP and other areas regarding the fuel  
18 cycle.

19 CHAIRMAN RYAN: While we're on a couple of  
20 questions, back up on enrichment. Do you see any  
21 waste management questions there? I mean, it seems  
22 like there's going to be a lot more volume of waste.  
23 Are there homes for all of those wastes? And does  
24 that all flow inside the wheelhouse or --

25 MR. GIITTER: Yes. The major waste, if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you will, from centrifuge facilities is that -- is the  
2 depleted uranium tails. And we have -- that's an  
3 issue that we have certainly dealt with during the  
4 licensing process, and there are disposition paths for  
5 all the tails of the facilities that we license, and  
6 we would certainly expect that to be the case for any  
7 additional facilities that we review in the future.

8 MR. WEBER: Are the wastes similar from  
9 Silex?

10 MR. GIITTER: Yes, as far as I know. I  
11 mean, and, again, there is a -- we don't know that  
12 much about Silex yet. We're just beginning to look at  
13 -- we have the license application, or the license  
14 amendment rather, for this small scale test facility.  
15 So we may not know completely until we get the -- more  
16 into the licensing review of this facility, which is  
17 different than -- as I said, than the enrichment  
18 facilities.

19 CHAIRMAN RYAN: Great. And just an update  
20 on MOX, we did participate as members of the  
21 Subcommittee for ACRS, and we'll probably continue to  
22 do that with our focus really being on the waste side  
23 of things.

24 The one question that we did ask in the  
25 letter that ACRS wrote was I realize DOE is the waste

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 processor. But it really raises a question -- if the  
2 facility licensed by the NRC is told, "Oh, you can't  
3 send any more waste today," for a week or a month or  
4 six years, what does that do to the safety case and --

5 MR. GIITTER: Yes.

6 CHAIRMAN RYAN: -- safety evaluation for  
7 the plant? And I think that's a question that still  
8 is a good one to ask.

9 MR. GIITTER: Agreed.

10 CHAIRMAN RYAN: That's a hand off that,  
11 you know, needs to be managed in terms of a safety  
12 question. So I guess we'll continue to participate  
13 with ACRS on that or similar questions that might come  
14 up.

15 MR. GIITTER: I would imagine so, yes.

16 CHAIRMAN RYAN: Okay. Thanks.

17 MR. GIITTER: Thank you.

18 CHAIRMAN RYAN: Anybody else? Let's start  
19 with Bill on this issue.

20 MEMBER HINZE: Joe, Bill Hinze. This  
21 question comes out of ignorance, but I don't hear much  
22 about siting concerns in these new enrichment  
23 facilities. How are you addressing concerns with  
24 respect to siting in the licensing of these new  
25 enrichment facilities?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GIITTER: Well, we do have regulations  
2 with regard to siting, and, of course, they have to go  
3 through the process of submitting an environmental  
4 report and, you know, we conduct a thorough  
5 environmental review of the site. And we do -- well,  
6 actually, we do that from both an environmental  
7 perspective, but also from a safety perspective.

8 You know, we look, of course, in  
9 conducting our environmental impact statement, the  
10 impact of the facility on the environment, but we also  
11 looked at the effect of the environment, if you will,  
12 on the facility. If there is any nearby hazards, for  
13 example, of LES, we identified a nearby natural gas  
14 pipeline, which is, you know, one of the concerns with  
15 the siting that we had to address in the licensing  
16 review.

17 MEMBER HINZE: So there are --

18 MR. GIITTER: It's really no different  
19 than any other facility we regulate.

20 MEMBER HINZE: There are full guidelines  
21 for the applicant, then.

22 MR. GIITTER: Yes.

23 MEMBER HINZE: Okay. Thank you.

24 CHAIRMAN RYAN: Anyone else?

25 VICE CHAIRMAN CROFF: Let me try one. On

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the mixed oxide fab facility, my memory in reading --  
2 I think it's what came out of the House -- was there  
3 was some language about transferring the project to  
4 another part of DOE and sort of questioning or letting  
5 that part of DOE figure out what the facility would be  
6 used for I guess, which -- is that still operative?  
7 And, if so, doesn't that --

8 MR. GIITTER: Well, in the House --

9 VICE CHAIRMAN CROFF: -- change what that  
10 plan is about?

11 MR. GIITTER: Congressman Hobson has never  
12 been a big supporter of MOX, and he was the one who  
13 put that language in the House Appropriations bill.

14 The Senate bill did not include similar  
15 language, so that would still have to be ironed out in  
16 the Conference Committee. And I think he was trying to  
17 make a point. I don't want to speak for the  
18 Congressman, but his -- you know, originally, the MOX  
19 facility was being coupled with a similar proposal on  
20 the Russian side.

21 The Russians were going to build a similar  
22 facility using the French technology, and at one point  
23 -- the Russians never really wanted to do that, and  
24 they really wanted to burn their MOX fuel in their  
25 breeder reactor, in the BN-600.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And they -- eventually, there was an  
2 agreement that they would decouple the programs, and  
3 the United States program would move forward  
4 separately, because we still have a need to  
5 disposition the surplus plutonium generated in the  
6 United States, and the Russians would move in parallel  
7 but with a separate path of dispositioning their  
8 surplus plutonium in their breeder reactor, in their  
9 BN-600, and in their BN-800, which is under  
10 construction.

11           VICE CHAIRMAN CROFF: Okay. So the  
12 current belief is that the mixed oxide fab plant is  
13 going to do what people have thought it's going to do  
14 for a number of years and not be expanded in terms of  
15 material or change purpose. That's the current  
16 operating assumption.

17           MR. GIITTER: That's correct.

18           MR. WEBER: But we will have to wait to  
19 see what the Congress decides, and, obviously, through  
20 Congress -- the Conference Committee they may come up  
21 with a new plan.

22           MR. GIITTER: They may. On the Senate  
23 side, as I said, they didn't have that similar  
24 language, and they actually provided more funding for  
25 the project than was requested in the President's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 budget. So there is a lot more support on the Senate  
2 side for MOX than there is on the House side.

3 VICE CHAIRMAN CROFF: Understand. Okay.  
4 I think Mike got the rest of my questions, so I'll  
5 pass.

6 CHAIRMAN RYAN: Okay, great. Ruth?

7 MEMBER WEINER: I have always been  
8 troubled by the designation of the DU tails from LES  
9 as waste. And I wondered whether -- this was in the  
10 State of New Mexico, a somewhat semi -- let me call it  
11 a semi-political decision. It was decided to call  
12 these things "waste."

13 Are you going to carry that over to other  
14 enrichment facilities? Are you addressing that in any  
15 way? Because DU is not really a waste in the sense  
16 that there is a use for the material.

17 MR. GIITTER: Well, I understand that, and  
18 I don't even believe the DOE believes that it's waste.  
19 They look at it as a resource. That is a position  
20 that the Commission took in the order to LES, and it  
21 was also in a position that was carried over to the  
22 USEC American Centrifuge Plant. So that is -- that's  
23 really a policy decision at this point.

24 And you can always argue as to whether  
25 it's a waste or a resource. It's looking more and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 more like a resource given the spot market price of  
2 uranium, but, you know, that's a matter of -- a policy  
3 matter more than anything else.

4 MEMBER WEINER: So as far as you are  
5 concerned, it's a done deal. It's something that the  
6 Commission has made a decision and that's that.

7 MR. GIITTER: Yes.

8 CHAIRMAN RYAN: That's a good point, Ruth.  
9 It sort of makes the question a little bit more  
10 complicated that I asked: when is it waste? Is it  
11 going to be waste in 30 years, 100 years? And I think  
12 that kind of more forward-looking -- somewhere along  
13 the line something is going to be waste, you know,  
14 even if it's the plant wears out. So that maybe  
15 deserves a little extra thought.

16 Anything else?

17 MEMBER WEINER: No, that's it.

18 CHAIRMAN RYAN: Dr. Clarke?

19 MEMBER CLARKE: Just a question about the  
20 Silex facility. I think you said that you're  
21 evaluating at this time an application for a pilot  
22 study. And where would that be?

23 MR. GIITTER: That's being located at the  
24 GE Wilmington or the GE Global fuel manufacturing  
25 facility in Wilmington, North Carolina.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER CLARKE: And if that goes forward,  
2 would the full-scale facility be there as well, or is  
3 that hard to tell?

4 MR. GIITTER: That's my understanding.

5 MEMBER CLARKE: Thank you.

6 CHAIRMAN RYAN: Thanks for the questions,  
7 Joe, along the way.

8 MR. WIDMAYER: Hey, Joe, just a real quick  
9 clarification. This full-scale application, did you  
10 tell us a date that you're expecting that?

11 MR. GIITTER: For Silex?

12 MR. WIDMAYER: Yes. For Silex, yes.

13 MR. GIITTER: Yes. The Silex is supposed  
14 to be mid-calendar year '08, so June of '08 is the  
15 current date.

16 MR. WIDMAYER: For Silex.

17 MR. GIITTER: Yes.

18 MR. WIDMAYER: Okay.

19 MR. WEBER: That's contingent, to some  
20 extent, on the success of the test loop and obviously  
21 the --

22 MR. WIDMAYER: Right, okay.

23 MR. GIITTER: I'm sorry. I gave you the  
24 wrong date. That's for the Areva facility. There are  
25 actually saying that the application the full-scale

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 facilities at the end of this calendar year.

2 MR. WIDMAYER: That's what I thought you  
3 said before.

4 MR. GIITTER: Yes, yes.

5 MR. WIDMAYER: But like Mike said, it  
6 seems to be -- if it seemed like it would be  
7 contingent on the success of the pilot scale, that  
8 seems real soon.

9 MR. GIITTER: All I can tell you is GE is  
10 very committed to this technology. This was, of  
11 course, Australian technology, and I think there was  
12 a lot of push for an American company to get the  
13 technology, because there was a fear that if it got  
14 into the wrong hands it could be a major proliferation  
15 concern.

16 MR. LEEDS: If I may, Joe, I wouldn't be  
17 surprised to see the application slip a couple months.  
18 I mean, the test loop amendment came in later than  
19 they originally planned -- complications. Mike's  
20 point is well taken. You want to see how the test  
21 loop is going to run.

22 MR. GIITTER: Yes. I was just going to  
23 say that GE does appear to be -- it's kind of a  
24 separate issue as to the when. They do appear to be  
25 very committed to make this technology work, and so it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 may be -- right now, they're saying December 2007.  
2 That may very well slip, but they seem to be confident  
3 that they can make the technology work.

4 And that has been one of the problems when  
5 -- in the past is getting the technology to work on a  
6 larger scale, because it has been verified to be  
7 workable on the smaller scale.

8 MR. WIDMAYER: Well, just as an  
9 observation, it looks like you have -- you may have  
10 both of these coming in at exactly the same time.

11 MR. GIITTER: That's possible.

12 CHAIRMAN RYAN: That's the rule, isn't it?

13 MR. GIITTER: Yes.

14 (Laughter.)

15 It's Murphy's Law.

16 (Laughter.)

17 MR. WEBER: Okay?

18 CHAIRMAN RYAN: Thank you.

19 MR. WEBER: Our next presenter will be  
20 Bill Brach. Bill is going to talk about spent fuel  
21 storage and transportation.

22 CHAIRMAN RYAN: Good morning, Bill.

23 MR. BRACH: Good morning. On the  
24 overview, you'll note a number of topics, some of  
25 which we have already had some discussions with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Committee on, and others that I see coming as  
2 candidates in the next, I'll say, one to two years.

3 Let me go ahead and start first with the  
4 topic of moderator exclusion. Clearly, I think the  
5 Committee will recall the previous staff briefings  
6 earlier this calendar year, industry briefings,  
7 roundtable panel discussions. I guess I would offer  
8 -- I think -- one, I think we had very positive  
9 interactions, and personally I believe the result of  
10 -- the interactions resulted in, clearly, a better  
11 product, better understanding, on all of our parts.

12 CHAIRMAN RYAN: Well, as I told you at  
13 that meeting, Bill, I couldn't agree with you more,  
14 and I said it then and I'll say it again, that we  
15 really appreciate your staff's commitment to those  
16 days that we spent on the topic, because it helped us.  
17 And I think the conversation ended up with us having  
18 a more studied and useful view, and hopefully helpful  
19 view. So thank you again for all your effort.

20 MR. BRACH: Thank you. That's a mutual  
21 perspective as well.

22 The next topic -- burnup credit -- we have  
23 already as well had some interactions with the  
24 Committee on this topic. It, I would note, is closely  
25 connected with the first topic with regard to burnup

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 credit possibly being a resolution path forward with  
2 regard to consideration of moderator exclusion.

3 I would note as well the very first -- all  
4 three of the first topics on this list, first,  
5 primarily address spent fuel transportation, and as  
6 well are closely related.

7 Now, burnup credit is a topic I anticipate  
8 that staff from my division and from the Office of  
9 Research will be having future discussions with the  
10 Committee. I would note that I anticipate much  
11 progress on this particular technical issue, technical  
12 topic, to be achieved over the next one to two years.

13 There's a collaborative effort that NRC,  
14 Department of Energy, with industry, with EPRI and  
15 others had addressing burnup credit and obtaining data  
16 that might help us all advance our knowledge of the  
17 profile of burnup credit with regard to -- excuse me,  
18 of spent fuel and burnup in the profile of the burnup  
19 credit considerations.

20 I would also note as well that tomorrow  
21 morning on the Committee's agenda NEI and EPRI will be  
22 meeting and briefing the Committee on industry views  
23 and perspectives on burnup credit.

24 The third topic -- transport of high  
25 burnup fuel -- I believe a question here evolves,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really, will or how will high burnup fuel possibly  
2 reconfigure under transportation accident conditions?  
3 Again, this is related to the earlier topics.

4 If high burnup fuel were to reconfigure  
5 under transportation accident conditions, questions  
6 staff have would be with regard to, does the fuel  
7 maintain -- or is subcriticality maintained in the  
8 possible reconfiguration of the fuel, as well as  
9 considerations with regard to thermal -- with regard  
10 to potentially slumping the material, what thermal  
11 challenges there might be to the canister.

12 As a note, all three of first three topics  
13 are closely related, moderator exclusion. Would  
14 consider exclusion of moderator ingress into a  
15 canister, a welded canister, such that if there were  
16 to be reconfiguration of the fuel, subcriticality  
17 would not necessarily be a driving issue. If it's  
18 high burnup fuel and it reconfigures moderator  
19 exclusion, we'd provide a possible resolution path,  
20 technical resolution path forward.

21 Burnup credit -- again, resolution on  
22 further understanding of the profile, the spent fuel  
23 assemblies, and if there were to be reconfiguration,  
24 or if there were to be moderator ingress, would it  
25 take into consideration the change profile, the spent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fuel assemblies take into account burnup credit?  
2 Would subcriticality still be maintained?

3 And then, again, transport of highburn  
4 fuel. If, under accident conditions and having a  
5 better, improved understanding of the potential  
6 hydriding, or the potential for the fuel rod  
7 degradation under accident conditions and  
8 reconfiguration or non-reconfiguration of the spent  
9 fuel under accident conditions, what would be -- those  
10 all lead to technical paths that would provide for a  
11 conclusion with regard to the ability to maintain  
12 subcriticality and overall safety of the transport.

13 These three topics, some of which we've  
14 had discussions noted with the Committee already, some  
15 I see coming further on the agenda in the next one or  
16 two years, especially in the area of burnup credit and  
17 high burnup fuel.

18 The next topic Mike, in his opening  
19 comments, made reference to the transportation of the  
20 aging disposal canister design, the TAD canister. I  
21 believe the Committee has also had interactions with  
22 the Department of Energy with regard to some of the  
23 TAD considerations.

24 CHAIRMAN RYAN: We got the 397-page  
25 specification, so --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 Or whatever it is. It's a huge document.

3 MR. BRACH: I mentioned the TAD in my  
4 presentation. Clearly, I think we all recognize aging  
5 and disposal, the A and D of that acronym, pertain to  
6 the Part 63 considerations, repository considerations.

7 The transport under Part 71, I would offer  
8 as well the Department of Energy is interested in  
9 asking the vendors they're interacting with to design  
10 the TAD system for a potential storage configuration  
11 at the reactor site or at another storage facility.

12 That brings us to interactions with my  
13 division, Spent Fuel Storage and Transportation, fuel  
14 transportation and storage considerations for the TAD  
15 design. DOE is currently working with/for vendor  
16 organizations with regard to the preliminary  
17 specifications you mentioned, Chairman Ryan, to  
18 develop a TAD system design.

19 We are anticipating, based on DOE and  
20 vendors' interactions with us, anticipating submittal  
21 of Part 71 and Part 72 transportation of storage  
22 applications for the TAD on or before June 30th on  
23 interactions with the vendors. I am anticipating an  
24 earlier date than that with regard to submittals to  
25 NRC for our Part 71/72 reviews of those designs.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We are having significant interactions  
2 continuing with DOE and vendors on these  
3 considerations, so -- to help us better plan and be  
4 prepared for review of these applications, as well as  
5 I would note we are closely working with Lawrence  
6 Kokajko's division -- the High-Level Waste Repository  
7 Division -- because clearly there is an interface of  
8 Part 71, Part 72, and Part 63 that on the regulator's  
9 side of the table we clearly need to maintain.  
10 Hopefully, from the folks on the outside looking in,  
11 it will be a seamless NRC regulatory review with  
12 regard to our consideration of the various three 10  
13 CFR parts in our review of the TAD application.

14           The next topic is one your Committee may  
15 recall previous briefings at the Office of Research,  
16 Nuclear Regulatory Research, and our staff had with  
17 the Committee on the dry cask storage PRA that was  
18 completed roughly a year ago.

19           And you may recall commitments/comments  
20 that we made that we clearly are not only looking at  
21 that as being an informative document, but also  
22 looking at it from the standpoint of how the insights  
23 or general lessons learned from that dry cask storage  
24 PRA -- granted, it was a PRA of a particular cask  
25 design at a particular site, but looking to see what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 general insights there may be that we can learn and  
2 gain and apply within our program.

3           Within our division, we have an effort  
4 underway to look at the standard review plan we use  
5 for storage cask reviews as well as a site-specific  
6 facility reviews to see how we might -- I'll say --  
7 use the phrase "risk inform" our standard review plan  
8 based on the insights, lessons learned/gained from the  
9 PRA, as well as from our experience over the past few  
10 years. And that is an effort that I would see over  
11 the next year or so that we'd be engaging with the  
12 Committee -- on our considerations with regard to how  
13 we can improve and better risk inform our standard  
14 review plan for storage activities.

15           CHAIRMAN RYAN: That's a great step  
16 forward. That would be a nice activity for us to take  
17 a look at at some point when it's ready.

18           MR. BRACH: Good. Thank you.

19           The next topic -- I probably would put the  
20 phrase "uncertainty" in front of the national spent  
21 fuel management strategy, and let me explain why I'm  
22 saying that. I'm sure the Committee will recall from  
23 the previous sessions of Congress a number of various  
24 legislative proposals that have been introduced that  
25 would have various considerations for storage of spent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fuel.

2 Some considerations were for regional  
3 storage facilities, statewide storage facilities, also  
4 considerations for storage, a separate storage  
5 facility adjacent to the repository. And also,  
6 there's considerations in the current Congress with  
7 regard to legislative considerations in that regard.

8 I put this on the agenda because I -- the  
9 considerations I've just mentioned, if you step back  
10 and think about the division -- the responsibilities  
11 of our division with regard to spent fuel storage,  
12 clearly the current practices at most power reactors  
13 are storing spent fuel at their respective sites.  
14 Today, there are 45 storage facilities licensed by NRC  
15 under Part 72. Across the U.S., in the next few  
16 years, we are anticipating there will be well over 60,  
17 62 storage facilities approximately by the year 2010.

18 And I mention that in the context of the  
19 various legislative proposals, that if there are  
20 legislative actions taken by Congress to direct  
21 regional, statewide, or other storage -- centralized  
22 storage considerations, that clearly would be -- have  
23 a significant impact on the workload within our  
24 division as well as the industry as well.

25 So this is an area I mention that from the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 standpoint of our maintaining vigilance, monitoring  
2 the considerations on the Hill with regard to  
3 potential outcomes and ramifications to -- so that we  
4 can be better positioned/best positioned to implement  
5 any new directions that may be forthcoming. And,  
6 clearly, those will be areas I think that, depending  
7 on outcomes, the Committee as well may be interested  
8 in the preparedness on the agency's part to address  
9 those considerations.

10 The last topic on the overhead -- I would  
11 note that it's really -- it's an evolving or  
12 continuing review activity on our part to review and  
13 study severe transportation accidents. The Committee  
14 will clearly I believe recall previous briefings we've  
15 had with the Committee on studies we've carried out on  
16 the Baltimore Tunnel fire, and also the Caldecott  
17 Highway Tunnel fire in the past year.

18 There was a severe highway accident about  
19 two months ago out in Oakland. It's referred to as  
20 the MacArthur Maze fire. You may recall that's where  
21 there was a severe fire and a collapse of some of the  
22 highway structures. Staff -- our staff has been in  
23 contact/interaction with the State of California to  
24 make arrangements, and we have obtained samples from  
25 some of the bridge structures, so that we can analyze

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and determine the extent of the temperature, the  
2 profile, the severity of the accident conditions,  
3 again looking at it from the standpoint of, had there  
4 been a spent fuel transportation occurring during the  
5 event, what may have been the consequences for that  
6 highway cask, if you will, had it been -- had it  
7 experienced that severe accident conditions?

8 We're a little bit early in the process  
9 right now, but whether it evolves into a study of the  
10 dimensions of the Baltimore Tunnel or the Caldecott  
11 Tunnel fire, right now I don't know. We have taken  
12 the studies. We have made arrangements to have --  
13 we've taken the samples, we've made arrangements to  
14 have the samples analyzed. And as that information --  
15 as we gain more information, we'll keep the Committee  
16 apprised as to how -- what direction this study or  
17 review will take.

18 But it's one that I want to stress that  
19 we're trying to maintain vigilance on our part with  
20 regard to gaining a full understanding or fuller  
21 understanding of real-world accident conditions, so  
22 that as questions -- as we study the issue, our  
23 questions may come to us. How would a spent fuel  
24 package, whether it be a rail or a highway  
25 transportation be occurring, how would those packages

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 withstand real-world severe accidents?

2 We want to be in a position to be able to  
3 answer that both from a regulator standpoint but also  
4 from a public outreach standpoint with regard to why  
5 -- the basis on which we reach conclusions on the  
6 safety of transport of spent fuel. So that's one that  
7 just in the last two months has been evolving on our  
8 part, and we'll keep the Committee apprised as to how  
9 outcomes and how that activity and review study  
10 proceeds.

11 CHAIRMAN RYAN: Bill, I think it's  
12 noteworthy and commendable that you're looking at hard  
13 data. You're actually getting samples and looking at  
14 material science questions, you know, in the field,  
15 and that's one -- one sample can maybe erase a  
16 thousand runs of a model.

17 (Laughter.)

18 But I think that approach is commendable,  
19 and I guess the ideal would be, is there enough data  
20 to then make an abstraction for some analytical  
21 purpose? So that's -- three cheers on all of that.

22 MR. BRACH: Well, thank you. And that's  
23 why I say it's a little early in this particular  
24 activity, other than to note we have the activity  
25 underway and we'll keep you apprised on what we learn

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and gain from that -- in that regard.

2 That's a brief overview of some topics,  
3 some of which clearly I think the Committee has been  
4 briefed on this year and previous years, but also what  
5 I see to be some issues evolving over the next one to  
6 two years that I would think the Committee may have  
7 interest in engaging with us and/or the industry with  
8 regard to technical paths, paths forward.

9 CHAIRMAN RYAN: Great. Jim?

10 MEMBER CLARKE: With respect to the dry  
11 cask storage standard review plan, you said that  
12 review is ongoing, and looking at risk-informing those  
13 plans.

14 MR. BRACH: Yes.

15 MEMBER CLARKE: Any feeling of when you'll  
16 have something that you want to tell us about?

17 MR. BRACH: It will probably be in the  
18 winter timeframe of next year, winter, maybe spring at  
19 the latest. So we're in that timeframe. We're  
20 engaging with our staff, engaging with contract  
21 support, to help get some insight and direction on how  
22 best to be proceeding in that regard. But roughly  
23 I'll say in the six or nine months timeframe.

24 MR. WEBER: February/March timeframe.

25 MR. BRACH: February/March timeframe.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER CLARKE: Okay, thanks. And with  
2 respect to the bullet below that, the national spent  
3 fuel management strategy or strategies, or everything  
4 that has come out over the last year. So you're just  
5 looking at them all. Is that --

6 MR. BRACH: Well, not --

7 MEMBER CLARKE: I mean, not them all, but  
8 I mean the ones that have been actually proposed.

9 MR. BRACH: Well, my point is --

10 MEMBER CLARKE: At some stage of --

11 MR. BRACH: Yes. My point in mentioning  
12 this was that the current regulatory approach and  
13 practice with regard to the industry is pretty much  
14 onsite storage of spent fuel at the respective power  
15 reactors where the spent fuel is generated. I mention  
16 that in the context that a number of the legislative  
17 proposals in previous years, previous Congress  
18 sessions, as well as the current, are looking at  
19 various options.

20 And some of those options may have a very  
21 significant impact on our program and our program  
22 activities, so I only mention it in the context that  
23 we're trying to maintain vigilance, monitoring, so  
24 that we -- as to what may be evolving through Congress  
25 or coming out through a legislative direction that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we'd be best positioned to address what actions  
2 Congress may be directing.

3 MEMBER CLARKE: And here you're --

4 MR. BRACH: So fully maintaining awareness  
5 and cognizance on our part that the strategies may  
6 change over the -- may or may not change over the next  
7 few years.

8 MEMBER CLARKE: And here you're speaking  
9 to the regional -- the proposal for regional  
10 facilities or --

11 MR. BRACH: There are -- some of the  
12 legislative proposals for consideration for regional  
13 storage regionals. Some of the proposals considered  
14 statewide storage facilities where all of the fuel in  
15 one state would be co-located in a statewide storage  
16 facility. Another consideration was for a storage --  
17 a potential storage facility adjacent to the  
18 repository.

19 So we're trying to maintain awareness of  
20 those, because of those could have some significant  
21 ramifications on many of our programmatic activities  
22 with regard to our licensing and certification  
23 activities.

24 So, really, that bullet is there from the  
25 standpoint of -- really, to just indicate we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 trying to maintain awareness of what may or may not be  
2 congressional actions. This has been a topic  
3 considered in the last few congressional sessions, and  
4 there are some proposals currently -- in the current  
5 session as well.

6 MR. WEBER: Our objective is to ensure  
7 that NRC is not the block in moving forward and making  
8 progress. If there is a decision at the national  
9 level, this is what we're going to do for the  
10 foreseeable future, we need to be ready to act on  
11 that. So we need the framework in place.

12 MEMBER CLARKE: Thank you.

13 CHAIRMAN RYAN: Ruth?

14 MEMBER WEINER: First of all, I'd like to  
15 commend you for being proactive in the case of the  
16 Oakland fire. This is really important. I mean, it  
17 would be very nice if the first words that one read in  
18 the popular press came from NRC rather than where they  
19 usually come from. And I think that study is going to  
20 be very, very worthwhile.

21 Are you giving any consideration to doing  
22 a study of how these actual accidents compare with the  
23 test conditions of 71 Subpart E?

24 MR. BRACH: The answer is yes. If you  
25 recall, in the Baltimore Tunnel fire, in the Caldecott

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Tunnel fire, clearly, we're looking at the severity of  
2 the fires, the temperature ranges, and how those  
3 compared with the accident condition tests in Part 71,  
4 hypothetical accident condition tests in Part 71.

5 MEMBER WEINER: The sooner that that gets  
6 -- becomes public the better. And that leads me to my  
7 next question. Do you have -- I know you have a good  
8 relationship with all of the public information  
9 activities that NRC undertakes. Are you content with  
10 how rapidly or how efficiently what you come up with  
11 in transportation becomes part of NRC public  
12 information? Because it seems to me transportation is  
13 very visible. It's probably the most visible thing to  
14 the public.

15 And the sooner that -- the better that  
16 relationship is, the more closely you can feed  
17 information into a public information mechanism, the  
18 better off we all are.

19 MR. BRACH: I clearly agree with  
20 everything you've said. We're trying in that regard.  
21 I would mention -- make mention of the MacArthur  
22 Oakland -- MacArthur Maze fire. We actually did write  
23 with our Public Affairs Office an editorial to the  
24 local newspaper with regard to explaining what we were  
25 -- that we were monitoring, at that point had already

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 engaged with the State of California to try to start  
2 making the arrangements for obtaining the samples to  
3 do the analysis.

4           So we tried -- we were trying early.  
5 Whether we'll be the first, I suspect we'll probably  
6 -- well, we'll try to be the first, but that's a  
7 significant challenge, but we're trying -- we  
8 recognize the high level of public interest, both in  
9 storage and transportation, and we're trying in that  
10 regard to be out and visible and engaging with local  
11 -- with the local governments, local communities, as  
12 well as other organizations, to try to explain what we  
13 do and the basis on the conclusions we reach with  
14 regard to our various activities. But we're trying.

15           MR. WEBER: In general, we are not  
16 satisfied with our communications. We need to do  
17 better, and I think you'll find that all of the way up  
18 to the Chairman and the Commission. You know, the  
19 Chairman often says the agency ought to be the source  
20 of information of choice for the public. If something  
21 is going on nuclear, you know, go to the NRC website  
22 first, or get it from NRC. But there is a lot of  
23 challenge associated with doing that.

24           As an agency, despite our openness for  
25 decades, we still are plagued by openness issues.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And, you know, we're trying to get our arms around  
2 those and move forward. So every day we make a little  
3 bit more progress, and we're trying to avail ourselves  
4 of all the resources we can to -- within our budgets  
5 to move the ball forward.

6 MEMBER WEINER: That's very commendable.  
7 I encourage you to keep doing that.

8 Have you -- some years ago, and repeatedly  
9 since then, the question comes up on data on spent  
10 fuel and radioactive materials transportation  
11 accidents. Until 1999, DOE maintained a database of  
12 the radioactive material incident reports. Has NRC  
13 given any thought to creating or maintaining or  
14 picking up a database like this?

15 It would be of great interest to the  
16 public if you could do that, because we get questions  
17 all the time about, you know, how many accidents have  
18 there been, what's the accident rate per mile, and so  
19 on. And in the absence of a data source, it's very  
20 difficult to respond. And I'm sure you've recognized  
21 that, too.

22 MR. BRACH: But you may recall Earl  
23 Easton, in one of his presentations with the  
24 Committee, provided some rather detailed analysis  
25 where it -- and this is dealing primarily with rail

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 transportation, where in working with DOT and the  
2 Federal Rail Administration had walked -- had gone  
3 through I think about the last 25, maybe 30, years of  
4 rail accident history.

5 And I don't have the numbers memorized,  
6 but walked through with regard to the various types of  
7 rail accidents, the number of accidents that have been  
8 HazMat or hazardous material accidents, and then the  
9 subset of those had involved radioactive materials.  
10 And I think you're aware that the number of  
11 transportation accidents that actually involve spent  
12 fuel are very few. I believe the number was four?

13 MEMBER WEINER: It's zero. Or it's close  
14 to.

15 MR. BRACH: Well, actually, there were  
16 four accidents involving radioactive material  
17 transportation. That's --

18 MEMBER WEINER: Yes.

19 MR. BRACH: But with regard to maintaining  
20 that database, let me look into that, Ruth. That's --  
21 I recollect that DOE had sponsored that for a number  
22 of years, but I -- to the extent that DOT, through  
23 either the FRA or the other motor carrier organization  
24 have that information, let me look into that and --

25 MEMBER WEINER: Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. WEBER: Clearly, incidents involving  
2 radioactive material are available in publicly  
3 available databases through the event database and the  
4 nuclear material event database. So, you know, that's  
5 all public. But somebody would have to go and search  
6 it and extract the data and analyze it.

7           MEMBER WEINER: Yes.

8           MR. WEBER: I hear you asking more broadly  
9 about all hazardous material transport incidents.

10          MEMBER WEINER: Well, the HazMat incidents  
11 are -- as you say, they are available on the Bureau of  
12 Transportation Statistics database, but it's difficult  
13 to work one's way through that. And when you get a  
14 specific question on radioactive materials, or even on  
15 a certain kind of radioactive materials, how many  
16 accidents have there been with NARM, with low-level  
17 waste, and so on? It would be very valuable to have  
18 a source to go to.

19                 The final question I have deals with the  
20 TAD, and this probably is going to extend over into  
21 Lawrence's presentation. Various percentages of --  
22 let me back off. In your estimation, how much of the  
23 spent fuel and material going to the repository would  
24 have to be repackaged, would not be initially in a  
25 TAD? How big would that section of the GROA have to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be?

2 MR. BRACH: I'm not sure there's a real  
3 definitive answer. I would offer that currently there  
4 are about 850, somewhere right in that range,  
5 currently loaded spent fuel casks at storage  
6 facilities across the U.S. today. I know the  
7 Department of Energy has had discussions and  
8 considerations as to receipt of that fuel.

9 The fuel receipt at the repository in the  
10 overall operational period of the repository would  
11 allow ability on their part to receive fuel in a non-  
12 TAD package. I believe those are -- I'll maybe stop  
13 at this point and let Lawrence pick up, but I believe  
14 those are considerations the Department of Energy is  
15 still looking at with regard to receipt of fuel and  
16 I'll call it the standardized TAD design or potential  
17 receipt of spent fuel in the non-TAD canisters.

18 MEMBER WEINER: Thank you. Thank you.

19 MR. KOKAJKO: I can address that piece of  
20 the question anyway now if you would like. DOE does  
21 propose some type of phased type of approach, and they  
22 would have, at least under their current thinking,  
23 some type of design that would allow for repackaging.  
24 One of the things that has been proposed is perhaps a  
25 small pool where they can repackage spent fuel at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Yucca Mountain site.

2 Now, I say "propose," because nothing is  
3 definitive yet. They have not submitted a license  
4 application. We have had some interactions, public  
5 interactions with them. So we have some idea of what  
6 they're thinking. But until they come in with their  
7 strategy at the license application, we really won't  
8 know for sure what they want to invest in. But that's  
9 still an open question in our collective minds between  
10 SFST and repository safety.

11 MR. WEBER: Another part of the answer is,  
12 of course, the extent to which the utilities use the  
13 TAD canister. And one of the things we heard quite  
14 clearly down at the recent spent fuel storage forum  
15 down in Florida was it's a function of the incentives  
16 that the Department provides to the utilities, because  
17 many of them have already selected technology and are  
18 used to using certain cask designs, and the TAD is  
19 smaller than what they have been using. So, you know,  
20 all of that has got to play through the process.

21 CHAIRMAN RYAN: Allen? Bill?

22 MEMBER HINZE: Briefly. Following up on  
23 Mike Ryan's comments and one of Ruth's questions,  
24 regarding severe transportation accidents and real  
25 analogs, real-world analogs of that, I assume that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there is good monitoring of the international scene in  
2 terms of accidents.

3 And I guess that leads me to the question,  
4 how much investigation is there into the  
5 transportation in proximity to seismic zones, for  
6 example, that might be associated with actual  
7 rupturing of the earth or landslides or tsunamis? How  
8 does this enter into your investigation of severe  
9 transportation accidents?

10 MR. BRACH: A very good question. With  
11 regard to our interactions internationally, the  
12 Department of Transportation and the NRC co-represent  
13 the U.S. before the IAEA, the International Atomic  
14 Energy Agency, in what's referred to as the  
15 Transportation Safety Standard Committee. And in that  
16 regard, there is a close working relationship between  
17 us, DOT, and our international counterparts with  
18 regard to transportation of radioactive materials,  
19 clearly which includes spent fuel as a subset.

20 So from the standpoint of our coordination  
21 engagement internationally as a very close, good  
22 working relationship in that regard.

23 MEMBER HINZE: Do you get a chance --  
24 excuse me, Bill, but do you get a chance to  
25 investigate accidents like you have with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 California fire or the Baltimore Tunnel fire? Because  
2 you have a very small sample to deal with here, and  
3 what you need is, as was said, you need these real-  
4 world analogs.

5 MR. BRACH: On the one hand, fortunately,  
6 there are not that many real severe accidents, which  
7 is good, a good outcome. There are not that many  
8 accidents.

9 Perhaps the -- on the international scale,  
10 maybe what we have been -- we, the U.S., have been  
11 engaged in looking to Baltimore, the Caldecott, and  
12 now looking at the MacArthur Maze, may be a little bit  
13 more than what has been done internationally. But on  
14 the more positive side, there are very few  
15 international accidents of transportation, so that the  
16 population -- the numbers are very small, which is a  
17 positive -- that's a positive reflection not only on  
18 the transporters and the safety of transport, but also  
19 as well as package robustness also.

20 On your latter point with regard to  
21 seismic, I guess I would have to step back and talk to  
22 some of my technical staff, but with regard to the  
23 hypothetical accident condition tests, we have certain  
24 drop tests, puncture-type tests that could simulate  
25 potentially some of the challenges that might result

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from an earthquake where maybe there is some  
2 separation of the road or ridge or other physical  
3 challenges that might result as a -- in response --  
4 might result to the transportation package as a result  
5 of a seismic event.

6 MEMBER HINZE: Well, actually, that kind  
7 to mind just here in the last 24 hours or so. If  
8 there had been transportation of some of the waste  
9 associated with the recent Japanese earthquake, what  
10 would be the effect? I mean, is there -- is there  
11 really a nexus here, connection, between the problems  
12 of landslides, between the problems of tsunamis, and  
13 the parameters that you're investigating with your  
14 tests and drop tests.

15 And some of those drop tests might not be  
16 totally inclusive of some of the problems that you  
17 might encounter. And that's my question I guess.

18 MR. BRACH: Well, let me have that as a  
19 question I'll discuss with my staff. My initial  
20 thoughts were that some of the physical challenges  
21 from a drop consideration that are part of our  
22 current, if you will, fleet of accident conditions  
23 that must be analyzed, I think may resemble in  
24 significant part some of the physical challenges that  
25 might result from an earthquake where a bridge or a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 highway or some other physical challenge would impact  
2 the cask and challenge its robustness or challenge its  
3 containment.

4 MEMBER HINZE: I guess I was thinking more  
5 in terms of landslides and actually tearing out of  
6 railroad, tearing out of the roadway, and carrying it  
7 out or carrying it into the sea, or whatever. There  
8 are a lot of -- you know, a lot of scenarios that you  
9 can envision. I'm just wondering how all-inclusive  
10 your tests are in terms of that, and I'll leave it at  
11 that.

12 MR. BRACH: Well, I would just offer, for  
13 example, that there are submersion tests required for  
14 a spent fuel package. So if it were a landslide near  
15 the sea, I believe some of the depth considerations  
16 would be somewhat similar to the accident condition  
17 tests that we have looked at.

18 But your point is one I'll discuss with  
19 the staff to see if there is additional insights that  
20 might --

21 MEMBER HINZE: Thank you.

22 MR. BRACH: -- we might gain from that.

23 CHAIRMAN RYAN: You know, it's  
24 interesting. That's a good conversation, Bill. I  
25 mean, it strikes me -- and I think I gathered from all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of the things we've talked about in this session and  
2 others, Bill, is that you're really seeking to  
3 understand, are the parameters of your analyses risk-  
4 informed? And if we're at the 50th percentile and  
5 assumption of a 99.9 percentile.

6 And I think every one of these kind of  
7 cases like the one Bill mentions, and others, and the  
8 ones you've looked at and will continue to look at, I  
9 agree with you. I'm glad they're few in number. I'm  
10 glad your statistics stink.

11 (Laughter.)

12 That's good, and it's good for the  
13 worldwide system, too. But, you know, it's -- and I  
14 think it's a good discipline to look at them all and  
15 see if there's anything new to be gained in terms of  
16 where are we on the risk-informed scale. Are we in  
17 the middle, are we on the top end, are we bracketed  
18 properly, and so forth, in our analyses?

19 So I -- what I take away from the  
20 conversations, that that's really your goal is to  
21 understand how -- you know, where you are and to  
22 continue to risk-inform as new information becomes  
23 available. And, again, I second the idea; that's  
24 commendable. So that's great.

25 MR. WEBER: All right. And our last

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presentation will be made by Lawrence Kokajko on the  
2 high-level waste repository safety and security  
3 program.

4 MR. KOKAJKO: Good morning, Dr. Ryan, and  
5 Committee members and staff. I am --

6 CHAIRMAN RYAN: Good morning.

7 MR. KOKAJKO: This is a great opportunity  
8 for me, because I get a chance to say that we're in  
9 the final year --

10 (Laughter.)

11 -- before DOE submits the license  
12 application for Yucca Mountain. How many times have  
13 you heard that before? Well, we've faced many of the  
14 same challenges we have faced in the past in terms of  
15 staff attrition and preparation, developing and  
16 improving our tools to review the license application,  
17 and, of course, our continued interactions with DOE  
18 pre-licensing.

19 I want to cover a few things today with  
20 you. One is the schedule for the license application,  
21 the 63 revisions that are based upon the EPA standard,  
22 the NRC/DOE interactions, and, of course, our current  
23 staff preparatory activities, and provide a few other  
24 comments.

25 First, DOE has publicly maintained its --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and has submitted an affidavit to this effect, that  
2 they will submit a license application no later than  
3 June 30, 2008. And this was provided to the pre-  
4 application presiding officer, the PAPO award, just --  
5 not long ago. And they even implied they could be  
6 even earlier.

7 As you know, they have to certify their  
8 licensing support network at least six months prior,  
9 and that means they would submit a certification for  
10 their LSN no later than December 21, 2007, and, again,  
11 alluding to the fact that they may even bring it in  
12 earlier than that. This would, of course, if they  
13 brought it in earlier, give DOE more options as to  
14 what they wanted to do with the license application.

15 Certification of the LSN is a big trigger  
16 for us. We begin to go into a very different mind-set  
17 once that happens, and a lot of things start taking a  
18 whole different air than they did before, including  
19 with the LSN-certified -- the State of Nevada. It  
20 will be -- and any other group that would like to  
21 raise contingents may start doing so, or not start  
22 doing so, but their preparatory activities will  
23 increase, because they know that these documents that  
24 are in LSN are going to be somewhat final documents  
25 that will be used as the license application support.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In terms of Part 63 revisions, I cannot  
2 say a whole lot about it. EPA, as you know, has not  
3 yet finalized its standards. Some discussions are  
4 still going on downtown, and I'm not privy to those  
5 discussions. We would implement -- issue implementing  
6 regulations to Part 63 upon issuance of the new  
7 standard, the revised standard. And until that  
8 happens, we are sort of waiting to hear what comes  
9 from downtown.

10           CHAIRMAN RYAN: Lawrence, just quickly, do  
11 you have any idea on schedule?

12           MR. KOKAJKO: Yes, I was about to mention  
13 that. We expect that we -- we -- sometime this summer  
14 is probably the best way to describe it. We would  
15 have thought that it might have been done before now,  
16 but it has, in fact, not happened. But -- so I assume  
17 sometime this summer.

18           MR. WEBER: We're told that you would  
19 address, if there isn't a standard in place, what  
20 effect that has on the LA.

21           MR. KOKAJKO: Actually, I wasn't going to  
22 address that.

23           MR. WEBER: Okay.

24           (Laughter.)

25           But it has come up in interaction with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Department.

2 MR. KOKAJKO: It has. It has.

3 CHAIRMAN RYAN: Good question for later.

4 (Laughter.)

5 MR. KOKAJKO: Good question for later.

6 Well, I might as well address it now. DOE has stated  
7 -- in fact, Ward Sproat stated at the regulatory  
8 information conference last March that he believes he  
9 could submit a license application without the  
10 standard in place.

11 We -- you know, it would be based upon  
12 some presumption that they have that they know what  
13 that standard is going to be, and that value is what  
14 they would then prepare all their regulatory  
15 documentation on, whatever that standard is.

16 The staff would take it and review it.  
17 However, it's -- we are still discussing with OGC as  
18 to what conclusions we could reach with the standard  
19 not being implemented.

20 CHAIRMAN RYAN: I guess I could envision  
21 where some parts, whether it's the facilities or other  
22 things, would be workable. But, you know, the  
23 ultimate question of long-term performance, it's tough  
24 to do that in the absence of a standard.

25 MR. KOKAJKO: And, again, that's another

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question with General Counsel is that, you know, for  
2 example, I think you're alluding to this.

3           Could you prepare all of the pre-closure  
4 facilities at their geologic repository operations  
5 area, and have that being reviewed and somehow  
6 approved? Well, that's not what the construction  
7 authorization allows, I think is my understanding of  
8 it. That it would have to be the entire site gets  
9 construction authorization approval, not just the pre-  
10 closure facility.

11           CHAIRMAN RYAN: And I think, from the  
12 Committee's perspective, it's important to us that you  
13 -- and I think you mentioned it a couple of times,  
14 this is really an OGC question, not one necessarily to  
15 the Committee, but we'll be mindful that it does  
16 impact the schedule of your activities and ours in  
17 turn, so --

18           MR. KOKAJKO: That is the million dollar  
19 question, rather -- meaning your question. Well, I'm  
20 glad we exhausted that topic.

21           (Laughter.)

22           CHAIRMAN RYAN: Thank you.

23           MR. KOKAJKO: Interactions with DOE and  
24 NRC staff -- and, again, I say NRC staff, but I'd also  
25 like to make sure that you understand it's also our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Center colleagues as well as our Region IV colleagues  
2 and our onsite representatives in Las Vegas.

3 We are still in a pre-licensing phase, as  
4 you know, and we are still looking at a number of  
5 documents that DOE has and is using in preparing its  
6 license application, primarily analysis and modeling  
7 reports that will support the license application.

8 As you know, we do not conduct formal  
9 reviews here that reach regulatory conclusions in this  
10 pre-licensing phase. This is meant for study only.  
11 However, we do have a lot of interactions with the  
12 Department to try to understand their thinking, and as  
13 it evolves -- and it is evolving, and has done so over  
14 the past few years.

15 A question that -- I'm about to get to  
16 this, but, again, under the leadership of Ward Sproat  
17 at the Office of Civilian Radioactive Waste  
18 Management, I do think he has invigorated the  
19 interactional process with the NRC, as well as, you  
20 know, being very clearly focused on civilian license  
21 application no later than June 30, 2008.

22 However, that also means he had to make  
23 some decisions, and one of the big ones is we are  
24 pretty much a KTI process that we had started with the  
25 -- nine KTIs with the 293 agreements. It's pretty

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 much quiescent for right now. We are no longer  
2 engaging on specific attributes of that. Most of  
3 those 293 -- I think about 260 have been addressed to  
4 some extent. There are some open that we have  
5 required additional information on.

6           However, DOE is not going to provide  
7 documentation on those. They said that they would  
8 deal with it in the license application itself, and  
9 which makes a lot of sense. If you have only limited  
10 resources, why would you want to do something that has  
11 less of a regulatory aspect than, instead, put --  
12 focus your energy on developing the regulatory product  
13 you need to submit.

14           And so those things that are still open  
15 should be addressed in the license application, and  
16 that will -- we'll be looking for that.

17           We have recently decided to ensure that  
18 all of our Appendix 7s, which were primarily  
19 information-gathering needs, are now open to the  
20 members of the public. And they have started -- the  
21 information sessions that we have had recently have  
22 been on near-field environment, colloids, multi-scale  
23 thermal hydraulic modeling, pre-closure criticality,  
24 and, Ruth, also canister receipt and closure facility  
25 layout and structures, as well as human reliability

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis.

2 Two future information-gathering meetings  
3 are also on unsaturated zone field tests, which is  
4 later in August, as well as drift degradation, which  
5 is in September. These typically will precede a  
6 technical exchange, and, again, this is a public  
7 meeting as well where we get a little -- much more --  
8 instead of information-gathering, we are much more  
9 probing. We are asking questions about what they're  
10 doing.

11 Recently, we have had some on pre-closure  
12 facility layout and design operations group, security,  
13 quality assurance, and we have a number of them that  
14 are being scheduled now. One is pre-closure  
15 criticality, which is scheduled for August 30th. We  
16 are also looking at event sequences and development  
17 categorization, identification of hazards, source  
18 terms and consequences, and, of course, the pre-  
19 closure safety analysis development, as well as, in  
20 post-closure infiltration.

21 These technical exchanges are, as I said,  
22 open to the public, and Committee members and staff  
23 are certainly welcome to observe when they happen.

24 I know you have worked considerably on  
25 probabilistic volcanic hazards analysis of late, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I won't address those at this time. We did see the  
2 report that the Committee developed, and we appreciate  
3 the opportunity to review it. And we look forward to  
4 having further discussions, if need be, on that topic.

5 One of the other things that we do with  
6 DOE is we do interact with DOE on internal QA audits.  
7 We observe them, and we provide feedback to them as we  
8 need to. We have had some QA audits recently. One is  
9 we look at their infiltration audit. Gene Peters will  
10 provide more information on this I think later this  
11 afternoon. He is a very capable individual, and I  
12 think you will find that presentation very  
13 interesting.

14 We have also had some discussions with  
15 them on technical -- rather, their audit of technical  
16 data management system, design interface and change  
17 control, which is going to become an issue as well,  
18 which is under 63.44, and, of course, waste package  
19 emplacement vehicle design. These are things that are  
20 ongoing now that we have observed, and we have  
21 commented on.

22 One thing I'd like to mention before I go  
23 into the last topic on staff preparation is, although  
24 these are interaction with DOE, we have also had  
25 interactions with stakeholders out there. We recently

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 held last month a two-day meeting with the affected  
2 units of local government, with all the stakeholders,  
3 primarily state and county representatives, and  
4 others, to inform them of their opportunities under  
5 Part 63 and Part 2 to participate as an affected unit.  
6 And it was a very well-received meeting, and we are  
7 looking forward to continuing to interact with the  
8 state and counties in that area out there.

9           The final thing I'd like to cover before  
10 I close, and open for questions on staff preparation  
11 -- again, we are basing all our work on the schedule  
12 that DOE has provided. And as you know, we have  
13 committed to doing an 18- to 24-month technical  
14 review, and we recognize we have to maintain some  
15 flexibility in order to accommodate whatever DOE  
16 submits to us.

17           We are also continuing to staff. We do --  
18 have identified some critical skill areas, such as  
19 materials engineering, hydrogeology, and criticality  
20 analysis, which we are looking to -- we have open  
21 positions that we're looking to fill. Recently, one  
22 of the big steps, we have completed deployment of our  
23 TPA, our view of the code we use to assess the  
24 performance in the post-closure period.

25           TPA Version 5.1 has now been accepted by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 us, including its users' guide. Now, I understand Dr.  
2 Brett Leslie will be submitting or having a  
3 presentation with you in September on this update, and  
4 I think you will find it very fascinating.

5 We have developed our interim staff  
6 guidance documents, which help to supplement guidance  
7 to the Yucca Mountain Review Plan, which provides  
8 guidance to the staff. Three are now out. We are --  
9 we have one that is pending, right now pending a  
10 public meeting with the Nuclear Energy Institute later  
11 this month.

12 We continue to refine our risk insights  
13 and their approaches on facility design, pre-closure  
14 operations and analysis. And while they are changing  
15 some of their approaches even now, our Appendix 7s  
16 help us gather that information so that we are better  
17 prepared to understand where they are moving toward  
18 the LA. So that has been a positive step.

19 In terms of future interactions, I  
20 understand the State of Nevada has sent in a letter  
21 recently that has expressed some concerns about the  
22 ACNW role after LA submittal. And, you know, we look  
23 forward to seeing the response to that, as I know you  
24 do.

25 In terms of future interactions with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ACNW, we hope that they remain fruitful until the LA  
2 is submitted, and we -- there are four areas that I'd  
3 like to mention to you that we would perhaps like to  
4 address with you at some point. One is drift  
5 degradation, performance assessment, the TAD canister  
6 specifications and technical review from the disposal  
7 site.

8 But I would -- even before I did that, I  
9 would want to coordinate, and in fact have, with Bill  
10 Brach and his staff available to support to the 71/72  
11 attributes, because it is an integrated strategy.  
12 And, of course, the ever-ubiquitous risk-informed  
13 decision-making. And since I can't help it, I'm going  
14 to say it again. I've said it many times. I still  
15 think I have the best job in the house, and I enjoy my  
16 work, and I thank you for the opportunity to be here.

17 CHAIRMAN RYAN: Thank you, Lawrence.

18 I think that there's two on your list that  
19 are probably related -- the performance assessment and  
20 the TPA 5.1 and the risk-informing. That goes hand in  
21 hand without saying so, but it would be good to hear.

22 Bill Hinze?

23 MEMBER HINZE: Well, we are very much  
24 looking forward to learning about TPA and the modules  
25 that are involved in it. Lawrence, you mentioned the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 interaction with the stakeholders and the state. Is  
2 this -- any of this on a technical level? Are there  
3 any major concerns that we're hearing about or that  
4 you're hearing about from the state on the technical  
5 level regarding the site?

6 MR. KOKAJKO: Well, the meeting that I  
7 alluded to was all -- would be better characterized as  
8 a process meeting. We are trying to inform them about  
9 the process -- the processes that are identified in  
10 10 CFR 63.63 which allow ALUP participation, and of  
11 course if they want to provide -- you know, want to  
12 participate in the hearing as an intervenor.

13 And that was the scope of that. It was  
14 more meant to sort of keep them informed of that.

15 MEMBER HINZE: I see.

16 MR. KOKAJKO: Now, as you know, I think  
17 you probably do, you know, Nye County has its own well  
18 drilling program. And Inyo County has a drilling  
19 program as well, and they do participate at a  
20 technical level and have expressed interest in  
21 participating in some fashion with the information  
22 that they have, and it's primarily due to the transfer  
23 of radionuclides in water from the repository to some  
24 receptor location either in Nye or in Inyo County,  
25 California.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER HINZE: Last December when you met  
2 with us, you mentioned one of the things that could be  
3 -- that the ACNW&M could be involved with would be the  
4 problem of drift degradation and the related seepage.  
5 And you mentioned that, again, we're trying to get a  
6 handle on that and trying to work with your staff and  
7 trying to develop a working group meeting of -- a  
8 short working group meeting that will attack some of  
9 those problems.

10           I gather that the problems related to the  
11 static load on the drip shields, the problems or the  
12 differences between you and DOE have not been resolved  
13 as part of the interactions over the past six months.

14           MR. KOKAJKO: Well, no -- well, I can't  
15 say that there has been a lot of interactions with DOE  
16 on that. You know, we did submit a letter on that.  
17 The real issue is we haven't seen the LA yet. And  
18 until DOE sort of comes off the dime and makes a  
19 decision one way or the other, we don't have -- you  
20 know, we couldn't really study any one position.

21           So what we do is we have to study a  
22 variety of thinking -- I mean, you mentioned the  
23 scenarios on the transportation piece. We have to do  
24 the same thing. We have to sort of look at a variety  
25 of things that are out there that could come into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 play, and so that's what we're doing. And some of the  
2 studies have been to look at, you know, a gamut of  
3 things that could affect the static loading.

4 Now, we have not reached any regulatory  
5 conclusion. We did not --

6 MEMBER HINZE: Sure.

7 MR. KOKAJKO: -- discuss any specific type  
8 of finding with anyone, because we just don't have  
9 enough information yet. But we know that there are  
10 some issues associated with it, and we have to be  
11 prepared to address them.

12 MEMBER HINZE: Thank you.

13 CHAIRMAN RYAN: And I think it's important  
14 that, you know, our exploration -- you know, we're the  
15 -- and our own independent review of it is really to  
16 identify risk-significant kinds of issues. And I know  
17 that's helpful to you and us, and that's our goal. So  
18 we're not in a decisionmaking business here, just to  
19 clarify.

20 Anything else, Bill?

21 MEMBER HINZE: That's it.

22 CHAIRMAN RYAN: Okay. Allen?

23 VICE CHAIRMAN CROFF: Early in your  
24 presentation you piqued a thought. What is the role  
25 of Region IV in this whole exercise, now and maybe

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into the foreseeable future? What -- how do they fit  
2 in?

3 MR. KOKAJKO: Region IV is our --  
4 essentially a big component of our inspection arm.  
5 They provide the onsite assistance -- assistance to  
6 our onsite representatives. They go out there,  
7 they'll do field inspections, they'll do records  
8 inspections, just as they would do at a commercial  
9 powerplant during construction. And so they are going  
10 to be our eyes and ears.

11 Now, we do have right now one, but they  
12 will be stacking up to a second, onsite rep here soon.  
13 And those people are there daily, like this -- the  
14 resident inspectors at a powerplant. Region IV people  
15 will be going -- be tasked to go into the field to  
16 look at documents or activities, pouring concrete,  
17 whatever, during the construction phase. And they are  
18 an instrumental -- integral component to our efforts.

19 Now, we have people who are qualified  
20 inspectors back here as well, and they will also work  
21 collegially, in tandem, to do what we need to do.  
22 Now, during the license review, we may see stuff that  
23 doesn't quite look right. We might dispatch our  
24 inspectors to go take a look at something in the field  
25 or in the records area, to try to understand what is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going on a little bit better. So they have become our  
2 eyes and ears.

3 CHAIRMAN RYAN: Thank you. Jim?

4 MEMBER CLARKE: Just a question about the  
5 schedule, to clarify my understanding of what will  
6 happen. If the license support network is certified  
7 by December 21st, as you said -- and I understand  
8 there are no outstanding issues, because the key  
9 technical issues that are still open, you've come to  
10 an agreement about how that will be handled. That  
11 will be handled through the license application  
12 itself.

13 So you receive the application on  
14 June 30th, or before, 2008. Is there then a process  
15 that you go through to go back and forth about needs  
16 for additional information? Or does the clock start  
17 then?

18 MR. KOKAJKO: Well, the clock starts when  
19 I accept the review -- the application for review,  
20 which I will hope to have accepted for review within  
21 six months from the date of the application. That's  
22 the goal.

23 Recognizing that we have KTIs that were  
24 never fully addressed, as we would have liked them to  
25 be, if one can make an assumption that we will have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 requests for additional information, we have planned  
2 in our schedule to have a request for additional -- at  
3 least one, maybe more, request for additional  
4 information. And it will be a pretty significant  
5 document, because it is going to cover many attributes  
6 of the repository. It is going to be a large  
7 application, so there are going to be a lot of  
8 questions potentially.

9           Again, not fully knowing where DOE is  
10 deciding on, say, a particular point or not, may raise  
11 other questions that we had not anticipated when we  
12 were -- during the KTI process. So we expect a large  
13 number of -- you know, potentially a large number of  
14 requests for additional information, and we have  
15 factored it into our schedule.

16           MEMBER CLARKE: Okay.

17           MR. WEBER: But those would be issued if  
18 we accept the application under review.

19           MR. KOKAJKO: Only if we accept the  
20 application.

21           MEMBER CLARKE: Right. Okay. First, you  
22 accept the application, and then you go through the  
23 information exchange where you -- you would be asking  
24 perhaps for additional information. And then, did I  
25 hear you say that you have committed to a period

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 during which you'd perform that review?

2 MR. KOKAJKO: The statutory requirement  
3 says that you'll do it in three years, maybe four if  
4 you, you know, tell Congress -- ask Congress. And so  
5 we, the technical staff, has taken liberties to say  
6 half of that time will be devoted to technical review,  
7 which is 18 to 24 months.

8 MEMBER CLARKE: Okay. That --

9 MR. KOKAJKO: The rest of it will be the  
10 hearing.

11 MEMBER CLARKE: Understand.

12 MR. KOKAJKO: Hearing support.

13 MEMBER CLARKE: Thank you.

14 CHAIRMAN RYAN: Ruth?

15 MEMBER WEINER: You mentioned the EPA --  
16 that EPA is still working on the standard, and this is  
17 just for my information. Isn't there an existing  
18 standard, and don't you go by that with regulation  
19 until there is a new standard?

20 MR. KOKAJKO: The standard was vacated by  
21 the courts.

22 MR. WEBER: The one aspect.

23 MR. KOKAJKO: Yes, that's --

24 MEMBER WEINER: Yes, the one -- that one  
25 aspect.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KOKAJKO: What you're suggesting is  
2 there's a -- somehow negate the 15 millirem per year  
3 whole body for the first 10,000 years --

4 MEMBER WEINER: Yes.

5 MR. KOKAJKO: -- in groundwater, and the  
6 answer is no. That was held in place. That's still  
7 valid. However, the license application addresses an  
8 application for the repository, which goes for -- to  
9 the period of geologic stability, which is assumed to  
10 be a million years. And that piece is missing still,  
11 and it -- that was what EPA is struggling with.

12 MEMBER WEINER: Thanks for that  
13 clarification. That means that for that piece there  
14 really is no existing standard at the present time.

15 MR. KOKAJKO: That's right.

16 MEMBER WEINER: Thank you.

17 My other question is a follow-on to what  
18 Dr. Hinze asked. You mentioned that your meetings  
19 with stakeholders, your Appendix 7 meeting with  
20 stakeholders, dealt mostly with the process of  
21 intervention and participating in the license  
22 procedure.

23 Do you anticipate meetings with  
24 stakeholders that deal not just with technical issues  
25 but with more substantive issues? And how do you see

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the NRC's relationship to the state and local  
2 governments?

3 MR. KOKAJKO: Well, 63.63 outlines our  
4 interactions with affected units of local government.  
5 And as you know, Part 2 has our hearing requirements  
6 in there. We will attempt to continue our outreach  
7 activities within the confines of what we can do, and  
8 this will of course require a lot of advice from  
9 General Counsel.

10 But things change if intervention occurs.  
11 Once a party decides to intervene, there are  
12 restrictions placed. I cannot give you the entire  
13 scope of that at this moment, but that is something  
14 that we're going to follow. But our goal is -- and  
15 like you said about, you know, it would be nice to  
16 have NRC be out front on some things, our goal is to  
17 be a wealth of information that we can talk about that  
18 gives confidence to them that the NRC is doing its  
19 job.

20 MEMBER WEINER: Thank you.

21 CHAIRMAN RYAN: Thanks, Ruth.

22 Gentlemen, I really appreciate all of the  
23 briefings we have had this morning. I don't have any  
24 further particular questions, but I thought, since we  
25 are in a public forum, if there are any questions,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we'll start with Frank, and then maybe take questions  
2 from the audience.

3 MR. GILLESPIE: One general one, because  
4 we've got think both I think for NMSS and FSME, and  
5 Mike and I asked this morning. Research proposed  
6 updating all of the reg guides past the Phase 1s,  
7 which was kind of the big push for new reactors. So  
8 now it looks like Phase 2 and 3 really do affect the  
9 kind of facility that kind of covers everything else.

10 Mike, how does that affect NMSS and your  
11 scheduling? And does -- is it factored in --

12 MR. WEBER: We are not ready for any of  
13 those reviews, so --

14 MR. GILLESPIE: Okay. So it will be a  
15 while before we see kind of a proposed schedule on  
16 which ones -- you guys are working with Research on --

17 MR. GIITTER: Yes.

18 MR. GILLESPIE: -- on that one. It was a  
19 difficult question, because it seemed to -- it was an  
20 endpoint agreed upon, but no individual schedules for  
21 different guides. And fuel facilities has to have a  
22 wealth of guides that are a bit dated now.

23 MR. WEBER: I recall back in the late '90s  
24 we had over 60 guides that dealt with plutonium and  
25 uranium processing in one shape or another. Many of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           them dated back to the 1970s.

2                   MR. GIITTER:   So all of those --

3                   MR. WEBER:   Almost all actually.

4                   MR. GIITTER:   They were all in that Phase  
5           2 and 3 --

6                   MR. WEBER:   Yes.

7                   MR. GIITTER:   We looked at, you know, if  
8           GNEP comes to fruition, the timing would be more  
9           likely Phase 3.

10                  MR. GILLESPIE:   Okay.

11                  MR. GIITTER:   Unless, you know, there is  
12           wealth of resources that suddenly come to us and, you  
13           know, we're looking probably more at Phase 3 than  
14           anything else.

15                  CHAIRMAN RYAN:   We are actually taking a  
16           little bit -- a harder look and some study of the reg  
17           guides, and, you know, I had the fun exercise of going  
18           through all 10 revisions of them and trying to catalog  
19           dates and look at, you know, age brackets and groups,  
20           and so forth.  And a couple of things sort of come out  
21           at me.

22                  One is current risk-informed thinking is  
23           probably not as widely reflected in the reg guides as  
24           it would be today.  So that's one.  Two, when you pull  
25           the string on what's the technical document that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 supports the reg guide, is it a NUREG, is it something  
2 else? You know, you ask the question, well, those are  
3 probably bounding analyses and, you know, old styles  
4 of calculations. And then, strings like dosimetry,  
5 the basis for dosimetry, runs the gamut from ICRP-2,  
6 1959, to ICRP-68, modern era.

7 And, you know -- and I've heard Ralph  
8 Anderson tell us many times that they have to retrain  
9 their HP so they can use ICRP-2, because academic  
10 programs don't teach it anymore for those  
11 calculations. So there's a -- that's an interesting  
12 problem that we're wrestling a bit with.

13 And, frankly, the question we've got is:  
14 where is the real opportunity for the Committee to add  
15 some value to things that are current and on the plate  
16 rather than just say, well, let's look at them all.  
17 That's, you know, not a fruitful way to go at it. So  
18 we're thinking about that, so any insights you have  
19 would be helpful. If you've got some, you can say,  
20 "Well, boy, we'd really like to have these updated, or  
21 understand the history of this group. And are they  
22 risk-informed? Are they current? Do they still make  
23 sense?"

24 And, you know, the GALE code, which we  
25 have sort of picked on in the reactor area, uses a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       FORTRAN 4 computer code with fixed values for, you  
2       know, partitioning fractions and all the rest for  
3       reactor designs that are 30 years, you know, old.  
4       Wow. Is that all good? Well, we don't know that.  
5       We're pulling that string a little bit.

6                   Thanks for bringing that up, Frank.

7                   MR. GILLESPIE: Would you anticipate  
8       probably later, maybe in the fall or the spring,  
9       having worked out something where we can interchange  
10      on what your schedule is for looking at them? Or is  
11      there Phase 3, and literally to you again in another  
12      year.

13                  MR. GIITTER: That might be a better idea.

14                  MR. GILLESPIE: Okay. Good. No, that's  
15      a perspective that is good to have.

16                  CHAIRMAN RYAN: It helps us, because it  
17      kind of helps us in thinking about our study schedule  
18      and things that we might find and pass your way as we  
19      begin to poke around on it, so that's great.

20                  I wanted to offer the opportunity, for any  
21      members of the public that might be here that wanted  
22      to ask questions of this panel this morning, if there  
23      are any, we'd be happy to have them now.

24                  (No response.)

25                  Hearing none, Chris, I --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BROWN: Thank you, Mike.

2 For Bill -- Bill, back in February, your  
3 staff members gave a presentation on moderate  
4 exclusion. And it was based on the development of a  
5 Commission paper. I was just interested in knowing  
6 what's the status of that paper.

7 MR. BRACH: Okay. Chris, the Commission  
8 paper has been revised by the staff based on the  
9 briefings/interactions we've had with the ACNW&M and  
10 the panel/industry discussions as well. Also, there  
11 has been an exchange of correspondence between the  
12 Committee and EDO and that -- we are right now in the  
13 process of revising/finalizing that Commission paper.  
14 It should be -- I'll use Lawrence's earlier comment --  
15 out in the summer timeframe. It should be finalized  
16 a little bit later this summer.

17 MR. BROWN: Thank you. And one last  
18 comment or question. Transportation of high burnup  
19 fuel -- we know that there is guidance out there on  
20 storage. And there is a program that you are -- you  
21 had with Argonne National Laboratory. Do you foresee  
22 any data coming out of that program any time soon that  
23 kind of help you -- and that data is probably  
24 mechanical properties of the cladding -- to help you  
25 with this issue on transport of high burnup fuel?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BRACH: My glass is always half full,  
2 so the immediate answer is yes. But I think you are  
3 well aware of some of the difficulties -- had a hot  
4 cell in Oregon and looking at other facilities and  
5 arrangements for some of the testing. That's still  
6 being looked at right now.

7 So on the one hand, I -- yes, I look for  
8 data to be coming out, although, quite frankly, right  
9 now I don't think it's going to be in the near term.  
10 But that technical data will be developed and  
11 available to us, yes.

12 MR. BROWN: Thank you.

13 CHAIRMAN RYAN: Okay. Any other questions  
14 or comments?

15 MR. COLEMAN: Neil Coleman, ACNW staff.

16 CHAIRMAN RYAN: ACNW&M.

17 MR. COLEMAN: I didn't --

18 (Laughter.)

19 Lawrence, how is it looking for the  
20 release date on TPA 5.1?

21 MR. KOKAJKO: Well, I mentioned it's  
22 believed now that we are going to be given a  
23 presentation on that in September. I think it will be  
24 conducted --

25 MR. COLEMAN: Okay. So it is publicly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 released right now.

2 MR. KOKAJKO: I believe it is. I will go  
3 back and check. But -- and we also have the users'  
4 guide, but I can get that information for you, if you  
5 would like to see it.

6 MR. COLEMAN: Fantastic. Thank you.

7 MR. WEBER: As you can see, this is an  
8 exciting time for NMSS. We've got proposed new  
9 facilities, we've got proposed new technologies, we've  
10 got new safety and security challenges. We're  
11 excited, because we're consolidated together as an  
12 office for the first time in over a decade and a half  
13 at the Executive Boulevard Building.

14 So we are looking forward to great things  
15 and more cooperation with the ACNW&M. And that  
16 completes the presentation.

17 CHAIRMAN RYAN: A couple of things in  
18 closing. One is thank you so much for a very  
19 informative morning here so far. I think at some  
20 point the Committee ought to come and visit you in  
21 your offices and not make that a far-away place, but,  
22 you know, part of the -- maybe a little distance is  
23 okay sometimes, but it's -- it would be good for us to  
24 understand your work environment as well.

25 And I want to recognize Sam Jones, who

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 continues to coordinate with our staff and it makes  
2 our briefing scheduling work better for all of us,  
3 and, you know, we can recognize your priorities and  
4 needs and we can fit that into our own scheduling. So  
5 that contact and interaction is very productive for  
6 us. It helps us stay productive, so we really  
7 appreciate that.

8 And, again, thanks to all of you for your  
9 presentations and insights this morning. We  
10 appreciate it.

11 Thank you.

12 MR. WEBER: Thanks.

13 CHAIRMAN RYAN: With that, we are  
14 scheduled for a recess from 10:00 until 2:00, and we  
15 will recess the record and reconvene at 2:00.

16 Thank you.

17 (Whereupon, at 9:57 a.m., the proceedings  
18 in the foregoing matter were recessed.)

19 VICE CHAIRMAN CROFF: I would like to  
20 bring the session to order. Chairman Ryan is upstairs  
21 in a meeting at this point that is maybe running just  
22 a tad long. I think he will be back shortly, but  
23 we've got a busy afternoon left. So I want to get  
24 going.

25 At this point we are going to have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presentation on the NRC approach to monitoring sites  
2 containing waste incidental to reprocessing, I guess,  
3 as I'll phrase it. As you know, I believe there are  
4 still draft monitoring plans out for the Savannah  
5 River saltstone vaults and for the tank farm at Idaho.  
6 We got those some time ago and have gone through them.  
7 And they are going to give us a presentation on those  
8 plans and their monitoring approach pursuant to those  
9 plans.

10 Our speakers are Hans Arlt, Cynthia Barr,  
11 and Christianne Ridge. And Hans I think is going to  
12 take the lead and take it away.

13 NRC STAFF REPRESENTATIVE FROM THE DWMEP,  
14 OFFICE OF FSME BRIEFING ON WIR MONITORING ACTIVITIES  
15 AT THE DOE'S INL AND SR SITES

16 MR. ARLT: All right. My name is Hans  
17 Arlt. And I am with the Division of Waste Management  
18 Environmental Protection from the NRC. I will be  
19 talking for the next 20 minutes about NRC's approach  
20 to the NDAA monitoring.

21 I will be presenting a monitoring overview  
22 and a background of the NDAA. Cynthia Barr will be  
23 talking about specific monitoring activities and  
24 technical issues associated with the tank farm  
25 disposal system at INL. And Christianne Ridge will do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the same for the salt waste disposal system at SRS.

2 First, a little bit of background and  
3 introduction. The National Defense Authorization Act,  
4 or NDAA, requires NRC to monitor disposal actions  
5 taken by DOE for the purpose of assessing compliance  
6 with the performance objectives of 10 CFR 61 Subpart  
7 C. The NDAA also requires that NRC report any  
8 noncompliance to Congress, the state, and DOE as soon  
9 as practicable after discovery of non-compliant  
10 conditions.

11 Under the NDAA, NRC will monitor DOE's  
12 disposal actions in the States of Idaho and South  
13 Carolina in coordination with the covered states. NRC  
14 does not have an NDAA monitoring role at the Hanford  
15 site nor at the West Valley demonstration project  
16 because neither Washington nor New York State is  
17 included under the NDAA.

18 NRC does not have regulatory or  
19 enforcement authority over DOE under the NDAA. NRC's  
20 monitoring plans for the tank farm disposal system at  
21 the Idaho National Laboratory site and the salt waste  
22 disposal system at the Savannah River site do not  
23 prescribe activities to the DOE. All NRC is allowed  
24 to do is issue non-compliant notification letters if  
25 the performance objectives from Part 61 are not met.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Technical evaluation reports have stated  
2           that NRC has reasonable assurance that the disposal  
3           actions associated with the INL tank farm disposal  
4           system and the SRS salt waste disposal system can meet  
5           the performance objectives of 10 CFR 61.40 through 44.  
6           NRC has issued compliance-monitoring plans for both  
7           disposal systems this year.

8           The draft version of the NRC staff  
9           guidance for activities related to DOE waste  
10          determinations was published in 2006. Public comments  
11          are being addressed in the revised version, including  
12          comments on monitoring.

13          This staff guidance will be issued as  
14          NUREG-1854 sometime in the very near future. The  
15          section on monitoring in the staff guidance has been  
16          extensively revised. Main features of the monitoring  
17          section are included in this presentation.

18          NRC's general monitoring approach is based  
19          on a risk-informed, performance-based philosophy.  
20          During the technical evaluations, NRC staff typically  
21          derives reasonable assurance that the performance  
22          objectives will be met in the future through the use  
23          of performance assessment.

24          Monitoring to assess compliance with the  
25          performance objectives is expected to include

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 activities necessary to maintain confidence in DOE's  
2 prediction of long-term site performance.

3 Environmental monitoring will be part of  
4 NRC's monitoring approach. However, DOE typically  
5 relies on a number of engineered features to close  
6 their facilities. There may be several decades or  
7 centuries before any radioactive materials are  
8 expected to be released from the disposal facilities.  
9 Building confidence in DOE's selection of parameters  
10 and models will be a critical monitoring activity.

11 NRC staff will monitor key aspects of  
12 waste disposal systems. Assumptions, parameters, and  
13 features that have a large influence on the  
14 performance demonstration and/or have a relatively  
15 large uncertainty will be considered key factors of  
16 the waste disposal system.

17 Key factors of the SRS salt waste disposal  
18 system and key monitoring areas of the INL tank farm  
19 disposal system were identified in NRC's TERs using  
20 risk insights. Both are synonyms of "key aspects."

21 NRC's technical evaluations have  
22 determined that the salt waste disposal system at SRS  
23 has more uncertainty associated with it than the INL  
24 tank farm disposal system. Although both existing  
25 monitoring plants are similar in nature as to maintain

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 consistency, the quantity and character of the  
2 activities in the monitoring plant for the salt waste  
3 disposal system reflect this uncertainty and are more  
4 rigorous.

5           Although the NRC is required to monitor  
6 DOE's disposal actions under the NDAA, regardless of  
7 the amount of uncertainty associated with the waste  
8 disposal system, monitoring is a good mechanism to  
9 manage uncertainties and to evaluate new information.

10           When there is a large uncertainty  
11 associated with waste disposal system, monitoring can  
12 maintain confidence in the performance demonstration.  
13 Monitoring is not to be used as a substitute for  
14 inadequate information but, rather, to support  
15 previous determination of adequacy considering  
16 uncertainty. Additional information gained through  
17 various sources is expected to reduce uncertainties  
18 and support previous predictive modeling.

19           NRC's monitoring plan consists of two  
20 major components: technical reviews and on-site  
21 observations. Components of technical reviews  
22 including reviewing data associated with DOE's  
23 disposal actions and reviewing DOE's performance  
24 assessment.

25           During the technical review, staff should

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 remain aware of developments of waste management  
2 approach and challenges to the sport of key aspects of  
3 the waste disposal system.

4 Key aspects identified during the  
5 technical evaluation will need to be assessed through  
6 review of data, studies, experiments, and analyses.  
7 In the review of data, staff will need to ensure that  
8 there is reasonable competence in the quality of the  
9 data in terms of traceability, reproducibility, and  
10 representativeness.

11 The level of detail of the performance  
12 assessment review will depend on if and how  
13 extensively DOE revises its performance assessment and  
14 how these changes and their effects are documented and  
15 referenced.

16 Along with reviewing DOE's performance  
17 assessment, NRC staff will review studies and analyses  
18 that support performance assessment. Model results  
19 should have adequate model support or appropriate  
20 conservative assumptions and parameter values.

21 The on-site observation approach is the  
22 second component of NRC monitoring plans. The staff  
23 will visit the waste disposal facility sites, observe  
24 and review waste disposal actions, and discuss the  
25 results of observations with DOE immediately

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 afterwards.

2 Observation activities may include direct  
3 observation of work activities, past demonstrations,  
4 facility constructions, interviews with the workers,  
5 or a review of selected documents and records.

6 This frequency of periodic observation of  
7 DOE's waste disposal activities may be dependent on  
8 DOE plans and should be selected based on the stage of  
9 waste disposal. On-site observation reports developed  
10 after each site visit will include a description of  
11 monitoring activities conducted, results of on-site  
12 observation, and follow-up activities.

13 This table is not legible but hopefully in  
14 the slides or in your handout. This table has been  
15 taken out of the draft NRC staff guidance and shows  
16 some of the primary monitoring activities that might  
17 be performed for each of the performance objectives  
18 with which the disposal actions need to comply. So  
19 it's just a listing of different types of activities.  
20 And we can look through that later.

21 Slide 12, coordinating with the covered  
22 state. The key part of NRC's monitoring  
23 responsibilities under the NDAA is to coordinate  
24 monitoring activities with the covered state.

25 NRC anticipates keeping the covered state

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 informed of its monitoring activities and notified of  
2 plant on-site observations. NRC provides the covered  
3 state with draft copies of monitoring plants for the  
4 state's comments prior to finalizing the plans.

5 In some cases, NRC may be able to rely  
6 upon information obtained by the covered state. For  
7 example, the covered state may have specific  
8 requirements related to well construction and sampling  
9 that may help NRC ensure that the wells are properly  
10 installed and reliable, samples are collected and  
11 analyzed. This is just an example, a hypothetical  
12 example which I present.

13 Next slide, 13. Staff will document its  
14 assessment of the various technical reviews and  
15 on-site observations in a periodic compliance  
16 monitoring report, which will include monitoring  
17 activities covered, preliminary assessments and  
18 recommended actions, and current status of each  
19 monitoring activities and basis for each status,  
20 ratification of potential disposal design changes, and  
21 subsequent revisions of a compliance monitoring plan,  
22 and future planned activities and potential problems.

23 In the periodic compliance monitoring  
24 report, the technical review activities and the  
25 on-site observation activities will be given the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 status of either closed, open, or open non-compliant.  
2 This is the tracking mechanism that allows NRC staff  
3 to quickly see which activities have been concluded  
4 and which activities need special attention.

5 Staff will only monitor activities that  
6 are categorized as open or open non-compliant. The  
7 distinction between the last two categories is made  
8 finally to distinguish between monitoring activities  
9 that are merely ongoing and monitoring activities that  
10 are ongoing and about which the NRC has issued a  
11 notification letter of non-compliance.

12 Each monitoring activity, whether  
13 technical review or on-site observation, is associated  
14 with a disposal action and should so be identified in  
15 the relevant compliance-monitoring plan. A simplified  
16 example is given below.

17 If an NRC staff member participates in an  
18 on-site observation, one of his or her activities may  
19 include observing the construction of an engineered  
20 surface cover. This monitoring activity is associated  
21 with the stabilization disposal action. Site  
22 stabilization has a direct bearing on whether  
23 performance objectives of 10 CFR 61.44 can be met or  
24 not; again, just an example.

25 Coordinating with DOE. NRC has interacted

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with DOE at both technical and managerial levels to  
2 discuss NRC's monitoring plans. These interactions  
3 have been positive. As a result, DOE had minimal  
4 comments on the monitoring plans issued for SRS and  
5 INL facilities.

6 NRC is working with DOE to address  
7 specific and generic technical topics that have the  
8 most uncertainty. NRC anticipates meeting with DOE in  
9 the covered states to discuss the status of the  
10 monitoring programs.

11 If preliminary assessments indicate there  
12 is no longer reasonable assurance that the performance  
13 objectives can be met, NRC staff will document its  
14 findings so that it can be conveyed to the DOE.

15 DOE will be afforded an opportunity to  
16 provide additional information, analyses, and on sites  
17 that could help the staff reach a final conclusion.

18 Non-compliance notification letters.  
19 Under the NDAA, NRC is required to issue a  
20 notification of non-compliance as soon as practicable  
21 after discovery of non-compliant conditions.

22 Disposal actions taken by DOE could be  
23 found non-compliant if there are sufficient  
24 indications of the current requirements of 10 CFR  
25 61.41 through 44 are currently not being met or there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are sufficient indications that there is no longer  
2 reasonable assurance that the performance objectives  
3 will be met in the future or there is a lack of  
4 supporting information.

5 For example, key aspects relied upon to  
6 demonstrate compliance with the performance objectives  
7 are no longer supported or there is insufficient basis  
8 in DOE's final waste determination document to  
9 determine that there is a reasonable assurance that  
10 the performance objectives will be met; that is, if  
11 NRC staff is unable to conclude that there is  
12 reasonable assurance in its technical evaluation  
13 report and has not received additional information to  
14 provide reasonable assurance.

15 Key aspects that are no longer supported  
16 can occur if new information is obtained which  
17 contradicts or conflicts with the technical bases  
18 providing reasonable assurance or if information that  
19 was predicted and expected to support key assumptions,  
20 key aspects is not obtained or documented.

21 This table has been taken out of the draft  
22 NRC staff guidance and shows the types of notification  
23 letters. Given the three types of non-compliance, NRC  
24 anticipates using three different types of  
25 notification letters, as seen in the table.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Prior to sending out a type I through III  
2                   letter, NRC will review its concerns in a type IV  
3                   letter to DOE and the state. If the staff determines  
4                   that based on the information provided by DOE there is  
5                   sufficient basis to conclude that DOE is in  
6                   compliance, NRC will send out a type V resolution  
7                   letter.

8                   And that is the last slide except for the  
9                   backup slides. Cindy Barr will continue with the  
10                  presentation with monitoring activities at INL.

11                 MS. BARR: Hello, all. This is my last  
12                 official meeting before I go off on maternity leave.

13                 (Laughter.)

14                 MS. BARR: So as long as your questions --

15                 (Laughter.)

16                 MS. BARR: My name, again, is Cynthia  
17                 Barr. I wanted to thank you for attending this  
18                 afternoon's session and providing me the opportunity  
19                 to present the second of three NRC presentations on  
20                 the work that we perform in reviewing or monitoring  
21                 DOE disposal actions at NDAA facilities. Hans  
22                 provided a nice overview of the overall monitoring  
23                 philosophy. I will provide a specific example for the  
24                 Idaho tank farm facility.

25                 Okay. NRC uses a variety of tools to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 risk-inform its review, which carries over into the  
2 monitoring phase. We use simple models in  
3 calculations, independent probabilistic analysis, and  
4 independent information, including the use of  
5 monitoring data, to determine key parameters and  
6 processes that are most important to DOE's compliance  
7 demonstration.

8 Armed with all of this information, NRC  
9 was able to conclude with reasonable assurance that  
10 DOE could meet the performance objectives in 10 CFR  
11 Part 61, Subpart C. The basis for this conclusion is  
12 documented in the staff's technical evaluation report,  
13 which was completed in October of 2006.

14 Nonetheless, NRC is still required to  
15 monitor under the NDAA. NRC staff used the  
16 information it gained during the review of the draft  
17 waste determination in order to focus on those key  
18 aspects of facilities' performance most important to  
19 the compliance demonstration.

20 NRC provided the draft monitoring plan to  
21 the Idaho Department of Environmental Quality. In  
22 early 2007, we received no significant technical  
23 comments on that draft monitoring plan, but Idaho DEQ  
24 did request that we have a public meeting with the  
25 Snake River Alliance prior to initiating on-site

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 observation activities. So NRC conducted a public  
2 meeting in Idaho Falls, Idaho with Snake River  
3 Alliance and other interested members of the public.

4 NRC received very favorable feedback from  
5 meeting attendees, including the Snake River Alliance,  
6 DOE Idaho operations management, government officials,  
7 and Idaho DEQ, among other stakeholders.

8 NRC issued its final monitoring plan in  
9 May 2007 after providing an advance copy to the  
10 Department of Energy, who also had no significant  
11 technical comments on our monitoring plan.

12 And now I will walk through an example of  
13 how NRC used risk insights made during the review of  
14 the waste determination to develop its monitoring  
15 plan.

16 As I have already stated, NRC identified  
17 key credits in DOE's performance assessment to focus  
18 on during monitoring. This table summarizes those key  
19 credits.

20 The first row indicates the amount of risk  
21 reduction needed in order to meet the performance  
22 objective in 10 CFR 61.41, "Protection of the General  
23 Population from Releases of Radioactivity." This is  
24 for three highly radioactive radionuclides for the  
25 groundwater all pathways test, Tc-99, strontium-90 and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 iodine-129.

2 While the risks posed in this first row is  
3 relatively impossible to achieve, this gives you a  
4 relative indication of the starting risk prior to any  
5 credit being given for chemical, physical, or  
6 biological processes incurred in a system.

7 The next two rows provide the relative  
8 credits for engineered and natural system barriers in  
9 reducing the risk for these three groundwater  
10 constituents.

11 For Tc-99 and iodine-129, we have risk  
12 reduction associated with reducing grout. So this  
13 presents a range from oxidizing to reducing conditions  
14 at the tank grout.

15 For strontium-90, we have absorption and  
16 decay during transport through the engineered barrier.  
17 At natural system, we have credits for dilution from  
18 Big Lost River seepage. And the Big Lost River is a  
19 losing ephemeral stream that's located in close  
20 proximity to the tank farm facility. And it also had  
21 natural attenuation through the transport through the  
22 vadose zone for strontium-90, so decay absorption.

23 Basically the key credits of DOE's  
24 compliance demonstration in the simplified example is  
25 the post-cleaning inventory, which has the ability to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reduce the risk of all key radionuclides for the  
2 groundwater pathway; reducing tank grout, especially  
3 for Tc-99, which is redox-sensitive; the ability of  
4 the vault to retain strontium-90 and other short-lived  
5 radionuclides in the sand pads.

6 And I should say the sand pads are located  
7 outside of the tank in the concrete vaults that house  
8 the tanks. And they were contained as a result of a  
9 back-siphoning event of first cycle extraction waste  
10 into the vaults from the tanks.

11 Leachate dilution from Big Lost River  
12 seepage is also a key credit in DOE's performance  
13 demonstration and natural system attenuation. And  
14 decay for strontium-90 is an important barrier for  
15 strontium-90 release.

16 So if you subtract the total barrier  
17 performance provided in row 4 from one, you see that  
18 you have greater than one to two orders of magnitude  
19 safety barrier, safety margin for each of these key  
20 radionuclides.

21 While there are a number of uncertainties  
22 associated with these key barriers or key credits,  
23 there were also several pessimistic assumptions that  
24 were made in DOE's performance assessment model. I am  
25 going to discuss that in more detail under each key

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 monitoring area.

2 Therefore, NRC's monitoring plan is not  
3 prescriptive and provides flexibility to DOE in  
4 addressing key monitoring areas. Recognizing that  
5 total system performance is dependent on interactions  
6 of multiple barriers and that no one key monitoring  
7 area can be considered in isolation, we need to look  
8 at overall system performance.

9 Next slide. So based on the information  
10 provided in the previous slide, we identified four key  
11 monitoring areas, one, two, three, and four, related  
12 to the 61.41 performance objective and then key  
13 monitoring area 4 specific to 61.43, which is  
14 protection of individuals during operations.

15 Now, key monitoring area 1 also addresses  
16 61.42, "Protection of Individuals Against Inadvertent  
17 Intrusion." And key monitoring area 2 is also  
18 important for flexibility under 61.44.

19 The KMA 1 addresses residual waste  
20 sampling for currently uncleaned tanks. And those  
21 tanks are WM-187 through 190. There are four tanks  
22 out of 11 that have not been cleaned yet. Technical  
23 review areas include reviewing sampling and analysis  
24 plans and data quality assessments for those tanks.

25 We want to compare the post-cleaning tank

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 vault inventory to the assumptions made in the waste  
2 determination performance assessment for those unclean  
3 tanks. It's just something that's prudent for us to  
4 do. Now, they haven't finished cleaning the tanks  
5 yet. So we want to focus on that after they clean the  
6 tanks.

7 On-site observation activities include  
8 observing sampling of the tanks after cleaning and the  
9 methods to estimate residual waste volume, basically  
10 they use reference points on the tanks, what we call  
11 rockets and welds, in order to estimate the depth of  
12 contamination, to use an excreting analysis to  
13 estimate the total volume of waste remaining in the  
14 tanks.

15 We have already discussed key monitoring  
16 area 1 is significant to the demonstration of  
17 compliance of 61.41 and 61.42. For example, cesium  
18 concentrations are expected to be higher in uncleaned  
19 tank WM-188. So it's important for us to monitor  
20 those particular concentrations in that tank.

21 There is uncertainty associated with the  
22 final inventory due to the variability in  
23 concentrations between tanks, difficulties in sampling  
24 the salt residuals. For Idaho, their cleaning  
25 activities were very effective.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Just as an example, there is less than  
2 two-tenths of an inch of salt residuals remaining in  
3 the bottom of the tank. So that poses some sampling  
4 difficulties, but it is a good problem to have. But  
5 that is one of the sources of uncertainty. And also  
6 they weren't able to directly sample the sand pads  
7 that were contaminated in the vaults, WM-185 and 187.  
8 And so those uncertainties will be addressed in this  
9 key monitoring area.

10           KMA 2 is about formulation and  
11 performance. Technical review areas include  
12 evaluating where there's sulfur content in the slag.  
13 And it's added to the grout. It's sufficient to  
14 maintain reducing conditions and assessing the  
15 short-term performance of the vaults. Again, the  
16 risks, short-term risks, are being driven by the  
17 short-lived radionuclides strontium-90 and cesium-137  
18 present in significant activities in that sand pad.  
19 And so that is one area we wanted to make sure was  
20 addressed.

21           On-site observation activities included  
22 evaluating the final grout formulation for consistency  
23 with design specifications, evaluating the quality  
24 assurance program for the grout materials, and  
25 observing the conditions of grout placement in terms

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of temperature and humidity for curing.

2 KMA 2 is important to the 61.41 compliance  
3 demonstration. It is also important to the stability  
4 of disposal facilities, 61.44. The uncertainties,  
5 again, are related to the reducing conditions in the  
6 tank waste, by the tank waste, and the ability of the  
7 grouted vault to serve as an effective barrier to  
8 release short-lived radionuclides.

9 It is important to note that DOE's  
10 conceptual model for radionuclide release transport in  
11 the compliance case did not consider some things that  
12 it could have taken credit for.

13 DOE performed an independent process or  
14 not an independent but a separate process model,  
15 cementitious material degradation, and just abstracted  
16 information from that model in a more simplified  
17 model.

18 They used the worst case scenario times to  
19 failure of 100 years post-closure for the vault to  
20 fail. And so after 100 years, the short-lived  
21 radionuclides could be released from the sand pad.  
22 And for the tank grout, they assumed that. At least  
23 they concur after 500 years.

24 So they took these abstracted initial  
25 times to failure, put it in a simplified dose MS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 release model, and basically assumed that the  
2 hydraulic properties of six inches of the grouted  
3 waste form, six inches of sand pad, and two and a half  
4 feet of the concrete base mats were the transport  
5 length for radionuclide releases assuming that the  
6 hydraulic properties were similar to the surrounding  
7 alluvium. So that's a pretty conservative assumption.

8 So basically -- and then for the  
9 short-lived radionuclides, you just have transport  
10 through the sand pad involved before. But basically  
11 you're just getting a chemical barrier after those  
12 initial times to failure. Had DOE taken credit for a  
13 more slowly degrading, more slowly oxidizing waste  
14 form, the peak concentrations could have been lower.

15 Okay. The next slide is KMA 3.  
16 Hydrological uncertainties identified during NRC  
17 staff's review are addressed by this key monitoring  
18 area. Technical review areas include evaluating new  
19 and significant information regarding natural  
20 attenuation processes off and below the subsurface at  
21 the tank farm facility. This is obviously significant  
22 to the demonstration compliance of 61.41. The  
23 uncertainties are related to Big Lost River seepage  
24 infiltration rates and flow paths and directions.

25 The next slide presents DOE's conceptual

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 model for the hydrological model. They basically  
2 assumed a 2-D slice pointed in the direction of  
3 saturated zone flow from north to south. They had a  
4 cross-section of two tanks illustrated in this  
5 particular model.

6 They simulated Big Lost River seepage with  
7 two grid nodes at the northernmost point at a combined  
8 seepage rate of seven meters per day.

9 The hotter stratigraphy that's presented  
10 in this figure contains 20 separate sub-horizontal  
11 zones, assigned the hydraulic connectivity different,  
12 and adjacent vertical layer.

13 The major hydrostratigraphic layers  
14 include the alluvium at the top of the model domain,  
15 and then we have the salt flow groups with  
16 interspersed subentry inter-bed layers. It says  
17 inter-bed layers that provide a lot of the attenuation  
18 capacity for strontium-90.

19 This figure presents the results of DOE's  
20 model, that 2-D slice from north to south. As you can  
21 see in this figure, there is lateral spread of the  
22 Tc-99 plume away from the tank farm facility. That is  
23 caused by the Big Lost River seepage.

24 So, again, that was the very important  
25 credit that DOE took in its performance assessment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 model. It resulted in 600 meters of lateral spread,  
2 other plume away from the tank farm facility. And  
3 then we have vertical transport through a break in the  
4 sedimentary inter-beds. Point of maximum exposure is  
5 this point where the receptor for 61.41 is assumed to  
6 reside and obviously draw water from a well.

7 The particular results presented in this  
8 model are potentially inconsistent with recent  
9 characterization data that was collected under the  
10 CERCLA program, the Comprehensive Environmental  
11 Response Compensation and Liabilities Act.

12 There was monitoring conducted to address  
13 historical contamination from the 1972 inadvertent  
14 release of sodium-bearing waste directly into the site  
15 surface at the tank farm facility.

16 This characterization data revealed that  
17 Tc-99 was found in significant concentrations north of  
18 the facility. And, again, this is 600 meters south of  
19 the facility and significant concentrations of  
20 strontium-90 in close proximity to the tank farm  
21 facility to the southeast.

22 Therefore, NRC included this particular  
23 key monitoring area to address hydrological  
24 uncertainties in DOE's performance assessment model.  
25 However, NRC was able to conclude using the same

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 characterization data studies and monitoring reports  
2 related to that historical contamination event to  
3 support its conclusions that sufficient natural  
4 attenuation processes were occurring in the subsurface  
5 to mitigate the release of radioactivity from the tank  
6 farm facility.

7           Maximum concentrations of some important  
8 contributors to the groundwater contamination of  
9 intact TFF are provided in this figure. Analytical  
10 data provides valuable information regarding the  
11 variability in transport rates for different  
12 radionuclides, key information about flow paths,  
13 directions, distances, and transport times for the  
14 unsaturated zone. So we used this information in  
15 order to evaluation DOE's assumptions regarding the  
16 attenuation capacity at the Idaho site.

17           For example, strontium-90 is present in  
18 concentrations of 200,000 picocuries per liter  
19 currently in perched water just southeast of the tank  
20 farm facility. And this has been detected since the  
21 early 1990s. The release, again, was in 1972, but  
22 they didn't monitor before that. So we don't know  
23 exactly when it started to occur.

24           Significant attenuation of strontium-90  
25 appears to be occurring with maximum concentrations in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 groundwater of only 35 picocuries per liter.

2 Transport of less mobile cesium-137 is  
3 evident because we just recently saw cesium-137 in  
4 detections in groundwater wells at 600 picocuries per  
5 liter.

6 On the other hand, Tc-99 is not present in  
7 the vadose zone anymore. It appears to have had a  
8 quicker release into the saturated zone. And it is  
9 present north of the facility at 3,000 picocuries per  
10 liter. So this information provides us a basis for  
11 assumptions regarding the natural attenuation  
12 processes for these different radionuclides.

13 We were, again, able to use the  
14 information from this release in order to conclude  
15 more confidently that DOE can meet its performance  
16 objectives for 61.41, event though there were some  
17 apparent inconsistencies between the groundwater model  
18 and the monitoring data. And that is because, even  
19 with this direct release into the environment, the  
20 concentrations in saturated groundwater are not much  
21 higher than they would be at the performance objective  
22 for 61.41, not even considering that we have an  
23 engineered barrier system that is going to mitigate  
24 further the release of that radioactivity into the  
25 environment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But, again, it's prudent for us to include  
2 this particular key monitoring area so that we can  
3 continue to assess new information if it's significant  
4 that comes in to make sure that our initial  
5 conclusions are not invalidated.

6           KMA 4 is protection of individuals during  
7 operations. Obviously that addresses the 61.43  
8 performance objectives, but basically you are going to  
9 review worker radiation protection program and the  
10 pilot program pathway analysis on-site observations  
11 include observations of risk-significant closure  
12 activities and the environmental surveillance program.

13           Engineered surface barriers are addressed  
14 by KMA 5. Technical review areas include evaluating  
15 design of performance of engineered surface barriers  
16 against PA assumptions regarding infiltration. The  
17 engineered surface barrier is going to be constructed  
18 as part of the CERCLA program.

19           On-site observation activities include  
20 observing construction and maintenance of the  
21 engineered surface barrier. It's significant to the  
22 compliance demonstration for 61.41. And interim  
23 infiltration controls under the CERCLA program  
24 apparently like to increase the infiltration rates.  
25 So we just want to make sure that construction of this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 engineered surface barrier, whatever it is, under the  
2 CERCLA program doesn't lead to artificially high  
3 infiltration rates.

4 Okay. The next portion of my  
5 presentation, I am just going to briefly go through  
6 the very first monitoring activity that occurred under  
7 the NDAA, which was at the Idaho National Laboratory.

8 But before I do that, just again, I  
9 quickly went through 15 technical review areas, again  
10 focusing on key attributes of the disposal facility  
11 and DOE's compliance demonstration. I've listed 11  
12 on-site observation activities.

13 I was active. Was I not active? They  
14 thought I was sleeping.

15 (Pause.)

16 MS. BARR: The on-site observations  
17 focused on key disposal actions and showing  
18 consistency between the waste determination and actual  
19 implementation of the plans and to evaluate the data  
20 collected to support DOE's compliance demonstration.

21 Our activities officially began in  
22 November 2006, when DOE began grounding small tanks at  
23 the tank farm facility. We expect to have increased  
24 monitoring activity during 2007 to 2012, which is the  
25 date that the tanks all have to be closed under the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 RCRA program. And we consider our monitoring plan  
2 dynamic and interchanging. And we are going to update  
3 it on a periodic basis to close out monitoring areas  
4 that we have sufficient information on and to address  
5 any areas that we identify.

6 I just wanted to mention that, again, we  
7 have reasonable assurance and generally less  
8 uncertainty for the Idaho review. And our technical  
9 review areas are almost half those identified for the  
10 saltstone plant, which had 29 technical review areas.

11 And the next slide, 40, during our first  
12 on-site observation, which was conducted in April  
13 2007, we looked at KMA 2 and KMA 4, grout formulation  
14 performance during grouting operations and then  
15 protection of individuals during those grouting  
16 operations.

17 It was reported by the Idaho Department of  
18 Environmental Quality. We met with them prior to the  
19 on-site observation. They actually supported it while  
20 we were out there. We issued a monitoring or  
21 observation report in June 2007. I provide that  
22 number there.

23 We had no significant findings of  
24 non-compliance of that on-site observation. We did  
25 have several recommendations which were communicated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to DOE in the exit meeting and in the observation  
2 report. DOE is currently following up on its  
3 recommendations.

4 Slide 41. I'm not going to spend too much  
5 time on 41 and 42 because I've kind of already gone  
6 over what we were intending to do in our on-site  
7 observations under KMA 2. Basically quality  
8 assurance, making sure they did what they said they  
9 were going to do in the waste determination.

10 KMA 4, on-site observation, just reviewing  
11 DOE's radiation protection program as it's implemented  
12 during closure operations from those operations.

13 Slide number 43, results of the KMA 2  
14 observation. We conclude that DOE has an adequate  
15 quality assurance program for ensuring grout and  
16 component quality. Our monitoring activities included  
17 interviews with DOE and contractor staff for the batch  
18 plant facility and the control room, where they  
19 execute those grouting operations. We reviewed  
20 operating procedures and select quality assurance  
21 documents while we were out there.

22 Slide 44. Our follow-up activities for  
23 DOE include the following information on their  
24 approved vendor list. They are relying on their  
25 vendor for chemical test reports for the grout

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 components. And so we just wanted to follow up on  
2 their procurement program.

3 DOE is also providing updating engineering  
4 evaluations for the necessary hold times between  
5 control load strength materials, pours in the tanks.

6 We also recommend that DOE document any  
7 deviations from or significant deviations from their  
8 planned closure activities. While we were out there,  
9 they did experience some operational problems during  
10 the grouting. And they had to halt operations while  
11 they were correcting those things. But anything that  
12 is going to affect the assumptions that remain the  
13 waste determination, we have asked DOE to think about  
14 how they were going to document those deviations.

15 There were also issues with some of the  
16 small tanks. They used higher water-to-cement ratios  
17 in some of the small tanks that would lead to higher  
18 hydraulic connectivities than were assumed in the  
19 performance assessment.

20 Now, the inventory in the small tanks is  
21 very small. So we don't anticipate that that is a  
22 major issue, but, again, they need to document any  
23 deviations from the assumptions made.

24 And the next one, we are going to return  
25 back outside in the fall to follow up on some of these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 activities. With respect to KMA 4, I noticed they  
2 concluded that DOE has an adequate broker radiation  
3 protection program. That was based on interviews with  
4 DOE and contractor employees involved in radiation  
5 protection. We reviewed radiological control  
6 documents associated with closure operations and  
7 reviewed worker radiation topics.

8 We need to go back out during actual  
9 grouting operations to observe the radiological  
10 controls as they are performing the work. We also  
11 need to look at the public radiation protection  
12 program under KMA 4.

13 And my final slide. Follow-up activities  
14 include that next observation activity in the Fall of  
15 2007 observing the actual grouting operations, the  
16 cleaning and sampling activities for the unclean  
17 tanks, WM-187 through 190, which are planned for the  
18 2008 to 2012 time frame. And we are going to continue  
19 to review monitoring reports and data as it's  
20 collected to address some of those key monitoring  
21 areas.

22 And we are planning on having an annual  
23 meeting at the end of the calendar year 2007 to look  
24 at our monitoring plan again to see if we need to make  
25 any modifications to it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   That's about it. Thank you for your  
2 attention.

3                   VICE CHAIRMAN CROFF: Thank you.

4                   MS. BARR: I made it. Christianne is up.

5                   MS. RIDGE: Well, thank you very much for  
6 the invitation to speak to you this afternoon about  
7 monitoring activities at the Savannah River site for  
8 salt waste disposal. As Cynthia mentioned, my name is  
9 Christianne Ridge.

10                   I know many of you are familiar with DOE's  
11 plans for salt waste disposal, but I am going to just  
12 go over a few background points because it has been a  
13 long time since the last time we talked about this.

14                   NRC did issue a technical evaluation  
15 report on our review of salt waste disposal at SRS in  
16 December of 2005. And in that technical evaluation  
17 report, we concluded that we had reasonable assurance  
18 that the performance objectives would be met.

19                   As you might recall, there are 51 tanks at  
20 the Savannah River site. Two of them are  
21 operationally closed. And most of the waste by volume  
22 is salt waste. And that includes either salt cake or  
23 the supernate. Now, by radioactivity, that only  
24 accounts for about half of the radioactivity in the  
25 tanks. By volume, it's most of the waste.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And so the idea essentially is to remove  
2           the salt waste, liquefy it, and mix it with grout so  
3           that it becomes a solid called saltstone. This is a  
4           picture of one of the saltstone vaults. This is vault  
5           4. It's a completed vault. It's 200 feet by 600  
6           feet. And DOE plans to dispose of approximately five  
7           million cubic meters of saltstone at the site. So  
8           what that would mean would be about 14 or 15 of these  
9           at the site.

10           Now, subsequently DOE has changed their  
11           vault design, but this is the original design. So you  
12           can get an idea of how much waste that means.

13           One of the fundamental aspects of  
14           monitoring, of course, is environmental monitoring.  
15           And I wanted to just show you a map. This is from  
16           DOE's groundwater monitoring plan for saltstone. And  
17           this map shows here in the bottom right-hand corner  
18           vault 4, which is complete; and vault 1, which is  
19           about half the size of vault 4. Those are in your  
20           bottom right-hand corner.

21           Vault 2. If you see in the upper left  
22           here, these have not been complete, but they reflect  
23           the new design that DOE is considering or planning on  
24           for vault 2.

25           This map also shows existing and proposed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 groundwater monitoring wells. I wanted to point out  
2 that this map does have a line called a point of  
3 compliance. And that reflects the relationship  
4 between DOE and the State of South Carolina.

5 The saltstone disposal facility is  
6 licensed with a solid waste permit from the State of  
7 South Carolina. And the operations to create  
8 saltstone are actually licensed with a wastewater  
9 permit, a wastewater treatment permit.

10 The solid waste permit requires this  
11 groundwater monitoring. And there are three  
12 monitoring wells if you can see downgradient of vault  
13 4. These are 25 feet downgradient of vault 4.

14 There are proposed wells downgradient of  
15 vault 1 because vault 1 is so far upgradient of vault  
16 4. So it's proposed to have separate groundwater  
17 monitoring wells downgradient of vault 1. There is  
18 also an upgradient well that will be used, in part,  
19 for determining background conditions.

20 And the proposal that the state has agreed  
21 to, as far as I understand, is that there will be  
22 groundwater monitoring wells 25 feet downgradient of  
23 the furthest downgradient vaults essentially. And so  
24 if other vaults are placed downgradient of vault 2 and  
25 vault 4, then additional wells would be placed there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In addition, if vaults are placed  
2 significantly upgradient, they would get their own  
3 groundwater monitoring wells. But that is the plan.

4           Now, in addition to environmental  
5 monitoring, we also plan to monitor several technical  
6 areas that were described in the technical evaluation  
7 report.

8           These areas are based on aspects of the  
9 disposal system that NRC staff expected to have the  
10 most significant effect on risk. And in general they  
11 also reflected assumptions that DOE made in its  
12 performance assessment.

13           Now, we use the word "assumptions" here  
14 because that is the word we used in the technical  
15 evaluation report, but I did want to emphasize that  
16 there was information to support these assumptions.

17           And we expect the assumptions to, in fact,  
18 be true, which is why we have reasonable assurance  
19 that the facility will meet the performance  
20 objectives. These were, however, areas that we wanted  
21 to keep an eye on during monitoring to essentially  
22 build confidence, to make sure nothing changed, to  
23 make sure we didn't get any contradictory data, but we  
24 do expect that these assumptions are valid and sound.

25           So in this slide and the next slide, I am

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to briefly describe the eight key factors that  
2 staff considered to be most significant to risk.

3 And you will see that I have noted which  
4 performance objectives they pertain to. Now, of  
5 course, many of these factors pertain to more than one  
6 performance objective. For example, on the next  
7 slide, I believe, is the erosion barrier. And that is  
8 very important to the intruder calculations 61.42,  
9 but, of course, it is also important for site  
10 stability. What I have tried to list here is the  
11 performance objective we think is most affected by  
12 this key factor.

13 You will note as I go through that I have  
14 listed 61.41 for essentially all of these factors.  
15 And that's consistent with the conclusion of the TER,  
16 which indicated that the demonstration that the  
17 facility will meet 61.41 was the area with the most  
18 uncertainty and that we had much less uncertainty  
19 about the other performance objectives. And so that's  
20 essentially why most of these factors relate primarily  
21 to 61.41.

22 The first of these is oxidation of  
23 saltstone, which was important because of the  
24 possibility of technetium release. And, like the plan  
25 for Idaho, we have planned both technical review areas

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and on-site observation activities for all of these  
2 monitoring factors.

3 And I am not going to go through all the  
4 planned activities. As Cynthia pointed out, there are  
5 more of them for Savannah River than there are for  
6 Idaho. But I will just give you an example.

7 For example, for oxidation of saltstone,  
8 technical evaluation activity might be evaluating more  
9 detailed process modeling that DOE has done to model  
10 the oxidation of saltstone and the resulting  
11 technetium release.

12 On-site observation might be observing any  
13 cracks in saltstone that would relate to the oxidation  
14 of the saltstone as a whole or perhaps observing any  
15 field studies that DOE did. They have lysimeters at  
16 the site that are made of similar material. And if  
17 they did any experiments with those, we might include  
18 that, observing those activities in an on-site  
19 observation.

20 So there are both types of activities for  
21 each of these. And if you have any questions about  
22 what specifically we might do for each of these  
23 factors, I would be happy to talk about that in the  
24 question and answer session.

25 One other thing I also did want to point

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 out -- and oxidation is a good example of that -- is  
2 that because of the uncertainties that Cynthia talked  
3 about, there is a bit of a difference in the types of  
4 activities we have talked about for Idaho and that we  
5 hope to do or plan to do for Savannah River.

6 And one of the main differences is that  
7 the monitoring plan for Savannah River includes a  
8 section on observing experiments and doing a technical  
9 review of the results of experiments. And that would  
10 include experiments such as any accelerated aging that  
11 might be done to look at saltstone aging or  
12 experiments that might be done to look at oxidation of  
13 saltstone. And so that is one of the differences in  
14 the characteristics of the two monitoring plans.

15 So the key factors, I've talked a lot  
16 about oxidation of saltstone. We also found that  
17 hydraulic isolation of saltstone would be very  
18 important. And that includes factors like the extent  
19 of cracking or the hydraulic conductivity of the bulk  
20 waste and its deteriorates.

21 There is a third key factor for model  
22 support because that was identified as an area that  
23 affected a few different parts of DOE's performance  
24 demonstration. And that included model support for  
25 moisture flow through fractures, waste oxidation,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 extent and frequency of fractures, lower drainage  
2 layer plugging rate, and the infiltration barrier  
3 long-term performance. Notice, again, I will  
4 essentially come to the idea of the hydraulic  
5 isolation of saltstone being very important.

6 Erosion control design I mentioned. And  
7 that is very important to the intruder calculation  
8 because it is used as the basis for eliminating an  
9 agricultural scenario for the intruder because  
10 essentially the waste is believed to remain below the  
11 depth that an intruder could either construct a house  
12 and exhume any waste and then would be exposed to that  
13 waste by growing plants on the site.

14 The long-term performance of the  
15 infiltration barrier, feed tank sampling is somewhat  
16 self-explanatory as it relates to inventory.

17 Tank 48 waste form. As you might recall,  
18 tank 48 was a waste that had organic materials left in  
19 it from the in-tank precipitation process that DOE had  
20 previously attempted to use. And one of the areas  
21 that we wanted to look at was the long-term properties  
22 of the saltstone that was made from tank 48 waste to  
23 make sure that wasn't any different than the bulk  
24 saltstone that we had information about.

25 And waste removal efficiencies. I wanted

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to say a couple of words about waste removal  
2 efficiencies because they relate to 61.41 in 2  
3 different ways. One is that the waste removal  
4 efficiencies relate directly to the inventory, which  
5 is important to risk both for the intruder and for the  
6 member of the public.

7 And, of course, efficiency here -- let me  
8 just remind you -- is used a little differently than  
9 it is with the tank waste because we are not talking  
10 about how much waste was taken out of a tank but,  
11 rather, once the waste is liquefied, how much of the  
12 radionuclide, what fraction of each radionuclide, is  
13 chemically removed from the waste or physically  
14 removed through filtration.

15 But essentially if you liquefy the waste  
16 and then can chemically remove 99 percent of the  
17 cesium, then that is what we would be referring to as  
18 a removal efficiency.

19 So, as I noted, the efficiency is  
20 important because it relates to the inventory and the  
21 concentration in saltstone, also because it relates to  
22 the ALARA requirement of 61.41, of course, requires  
23 that the dose be reduced as much as reasonably  
24 achievable.

25 And so an example for when we might look

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at that would be if, say, for instance, DOE plans to  
2 remove during its first step in the process the  
3 deliquescence, dissolution, and adjustment, they  
4 plan to remove cesium or plan to remove the supernate  
5 by draining the waste. Well, they think they can  
6 remove about half of it. But removing half of it  
7 takes time. It takes pumping time. And they don't  
8 know exactly how much they are going to be able to  
9 remove.

10 The removal of that liquid is very  
11 important to the cesium dose because most of the  
12 cesium that ends up in saltstone is going to come from  
13 this NDAA process because other later treatments that  
14 they plan to use are so effective at removing cesium  
15 that essentially most -- I believe it was something  
16 like 90 percent -- of the cesium that is going to end  
17 up in the final saltstone happens during this very  
18 first interim process.

19 While they said they could remove about  
20 half of it if they decide to run the pumps for less  
21 time, say it starts to take too long and they can only  
22 deliquesce the waste to, the salt cake to, get 25  
23 percent of the supernate out, well, we will ask why.

24 And that is essentially how that ties into  
25 the ALARA requirement, that if we saw that there was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a substantially lower removal efficiency in one of  
2 these steps of the process, we would want to ask why  
3 and how that decision was made as it relates to the  
4 ALARA requirement of 61.41.

5 I wanted to tell you briefly about the  
6 status of these activities. This presentation has  
7 been a little less detailed than the INL presentation,  
8 in part because we have not started any on-site  
9 observations at SRS. And we haven't started any  
10 on-site observations because DOE currently is not  
11 processing salt waste for disposal in the saltstone  
12 disposal facility.

13 As I mentioned earlier, DOE disposes of  
14 the waste in the facility pursuant to a permit that  
15 they get from the State of South Carolina. And that  
16 permit is currently the subject of a legal challenge.  
17 And disposal has been stopped while that legal  
18 challenge is going on. We are coordinating with the  
19 State of South Carolina and DOE and will begin our  
20 observations when salt disposal begins.

21 Meanwhile, there is technical information  
22 that is already coming in and will be used as part of  
23 our technical review.

24 Part of that comes from ongoing DOE  
25 activities. NRC and DOE meet regulatory to discuss

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 incidental waste. Right now that is primarily in the  
2 context of potential tank closures at SRS, but we do  
3 meet regularly. And many of the activities that DOE  
4 is performing to facilitate tank closure will  
5 generate information that will limit uncertainty in  
6 key monitoring factors.

7 In addition, DOE is pursuing research that  
8 relates directly to saltstone. For example, they have  
9 done more enhanced process modeling that relates to  
10 the oxidation of saltstone, which is one of our key  
11 factors for modeling. And DOE has proceeded to do  
12 more work on that and, as I understand, is continuing  
13 to do more work in that arena.

14 In addition, independently of DOE, NRC is  
15 working with the Center for Nuclear Waste Regulatory  
16 Analyses and also leveraging work that the National  
17 Institute of Standards and Technology is performing to  
18 improve our predictions of long-term performance  
19 estimations barriers in waste forms, which, of  
20 course, related to many of our key factors that relate  
21 to the hydraulic oscillation of saltstone. And so  
22 these are two ways in which we are generating  
23 information that is going to be used in the technical  
24 review for saltstone.

25 And that is all that I had on saltstone.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So we are happy to answer your questions.

2 VICE CHAIRMAN CROFF: Thank you very much.  
3 Bill?

4 MEMBER HINZE: A few general questions.  
5 First, do I understand that NRC will not do any  
6 physical environmental modeling but only establishing  
7 guidelines for the monitoring schemes and the  
8 protocols? Is that correct? And is that also true of  
9 the states or are the states doing monitoring,  
10 environmental monitoring, on site?

11 MS. RIDGE: Well, the states are doing  
12 environmental monitoring, and we are cooperating with  
13 them. So I can let Cynthia speak specifically to what  
14 we are doing at Idaho because that has progressed a  
15 little further, but I'll just mention briefly that at  
16 saltstone at SRS, the state required DOE to put these  
17 monitoring laws in. And they have a monitoring  
18 schedule. And we are planning to essentially use that  
19 data.

20 MEMBER HINZE: So you are auditing the  
21 monitoring that is being conducted by DOE. I just  
22 want to make certain I am on the same page.

23 MS. BARR: Yes. We don't have any  
24 regulatory authority over --

25 MEMBER HINZE: I understand that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. BARR: -- DOE. So we can't require  
2 them to put in specific monitoring wells at specific  
3 locations.

4 MEMBER HINZE: But what about putting them  
5 in yourself?

6 MS. BARR: Or samples, yes.

7 MEMBER HINZE: Yes.

8 MS. BARR: We don't have unfettered access  
9 to the site or authority, regulatory authority, to  
10 even require them to put in wells based on our  
11 recommendation.

12 For the Idaho site, the state actually  
13 does perform their own monitoring, which I think is  
14 different. I think South Carolina just approves the  
15 monitoring plan. They don't actually sample  
16 themselves.

17 But Idaho DEQ actually has their own  
18 environmental surveillance program. And there is  
19 actually a figure in the Idaho monitoring plan that  
20 shows the location of those wells.

21 And then under the CERCLA program, because  
22 of that existing contamination from the 1972 release,  
23 they have an existing monitoring well network that  
24 includes both perched water and saturated zone wells  
25 at the Idaho intact TFF that is pretty comprehensive.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And we are going to use that information  
2           and the data that is collected under the CERCLA  
3           program. And it is part of the record of decision  
4           that they will continue to monitor that particular  
5           release. And we are going to use that information to  
6           supplement the information that we --

7           MEMBER HINZE: So you will be on the  
8           auditing of the monitoring to do analyses on the  
9           results of the monitoring? Is that correct?

10          MS. BARR: Do we go beyond the monitoring?

11          MEMBER HINZE: Of simply auditing and  
12          doing analyses on the results of the environmental  
13          monitoring or --

14          MS. BARR: Well, just like we did during  
15          the consultation phase, we actually used that  
16          information from the monitoring program under the  
17          CERCLA program in order to assist us with our review,  
18          DOE's draft waste determination. So yes, we did do  
19          independent analysis.

20                 And also we might rely on the State of  
21                 Idaho because they are also trying to verify or  
22                 validate DOE's monitoring program. We are actually  
23                 having conversations with the State of Idaho regarding  
24                 how we can leverage their skills in order to also  
25                 analyze that information to reduce the scope of effort

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that we might have to have in the future.

2 MEMBER HINZE: I read statements like  
3 "long-term performance" and "long-term monitoring."  
4 What do you mean by "long-term"?

5 MS. BARR: Okay. I'll let Hans answer  
6 that one. He's all for that section.

7 MR. ARLT: "Long-term" would be beyond the  
8 fate of the institutional control. So say, for  
9 example, with the engineered surface barrier --

10 MEMBER HINZE: A hundred years is what  
11 you've got for the --

12 MR. ARLT: Yes.

13 MEMBER HINZE: I don't exactly understand  
14 where that 100 years comes from. But also you  
15 referred to the 10,000-year compliance period. Is  
16 that correct?

17 MR. ARLT: Right.

18 MEMBER HINZE: Where does that number come  
19 from?

20 MS. RIDGE: The explanation for where that  
21 number comes from is in one of our guidance documents  
22 for low-level waste, NUREG-1573, but the basis for  
23 that number is twofold, essentially. One is that the  
24 authors of the guidance were looking for a number that  
25 was long enough so that we would understand the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 performance that was attributable to the natural  
2 environment, the natural system, and not something  
3 that relies solely on engineered barriers.

4 And 10,000 years was also believed to be  
5 long enough so that we would see releases, at least  
6 from the more mobile radionuclides, and understand  
7 that we would capture those and that we would be able  
8 to see them. It was long enough so that we would see  
9 those releases.

10 MEMBER HINZE: So the long-term  
11 monitoring, how long will NRC be monitoring INL  
12 facilities?

13 MR. FLANDERS: Can I add to that comment?  
14 Right now at the present --

15 MEMBER HINZE: Introduce yourself.

16 MR. FLANDERS: My name is Scott Flanders,  
17 Deputy Director, Division of Waste Management,  
18 Environmental Protection. Right now the current  
19 process, as we mentioned earlier, is that the  
20 monitoring plan is dynamic and tends to be ongoing as  
21 part of our activities.

22 So at the present time we would say we  
23 intend to continue monitoring activity for some time  
24 in the future. Can I say it's going to be for 10,000  
25 years, 1,000 years, or 100 years? Who knows?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But what we would say today is that we're  
2 going to continue our monitoring program as  
3 constructed. And as we gain more information and  
4 insights, we reexamine what we need to do and make  
5 appropriate changes to the overall plan. So that is  
6 the current strategy that we intend to implement at  
7 this point in time.

8           MEMBER HINZE: Scott, does that mean that  
9 you have criteria for termination of the monitoring?

10          MR. FLANDERS: At this point in time, as  
11 I said before, we are looking at whether or not we  
12 have reasonable assurance the performance objectives  
13 are being met. So one of the things we are going to  
14 examine as we move forward is the DOE's actions in  
15 terms of what they are actually doing and then some  
16 ongoing monitoring.

17                 So a point at which we turn up the  
18 monitoring is something that we will continue to  
19 assess over time.

20          MS. RIDGE: If I could add a little more  
21 detail?

22          MR. FLANDERS: The criteria really is  
23 wrapped in terms of demonstration of the --

24          MEMBER HINZE: Thank you, Scott.

25          MS. RIDGE: If I could add a little more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 detail to what Scott just said?

2 MEMBER HINZE: Sure, please.

3 MS. RIDGE: As you saw, we have separate  
4 monitoring activities planned. And each of those  
5 monitoring activities might have a separate ending.  
6 For instance, the inventory, monitoring activities  
7 that relate to inventory, will be closed when the  
8 inventory is known for saltstone. There will be a  
9 time when that is known, and that monitoring activity  
10 will be closed.

11 That is a simple example, but essentially

12 --

13 MEMBER HINZE: Well, there are criteria,

14 --

15 MS. RIDGE: Yes. Essentially there are --

16 MEMBER HINZE: -- although they may not be  
17 stated.

18 MS. RIDGE: Right. And we have attempted  
19 to state in the monitoring plans for each at least the  
20 general idea of what we expect for when each activity  
21 will be closed.

22 Some of those will need to be developed in  
23 more detail as the plans, as DOE's plans, in fact,  
24 develop. For instance, we can't say exactly when the  
25 monitoring activities on the closure cap will be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 closed because DOE hasn't finished designing the  
2 closure cap for saltstone, but as we evaluate those  
3 plans, we will develop more detailed criteria on when  
4 that specific activity will be closed.

5 MS. BARR: And I just want to reiterate  
6 that the monitoring plans are a living document. So  
7 periodically we are going to go back and look and see  
8 where we stand when we are trying to collect the  
9 information to fill the data gaps that we currently  
10 have.

11 And, you know, periodically we are going  
12 to go back and evaluate do we have sufficient  
13 information so that we feel comfortable closing this  
14 particular monitoring area. And so it's not something  
15 that's set in stone, but it's something that will  
16 continue to progress as we collect more information.

17 MR. ARLT: And the anticipation is that  
18 the level of effort for the monitoring will be  
19 greatest at the beginning and then as time goes on  
20 will start leavening off.

21 I was talking before about --

22 MEMBER HINZE: I was trying to see that in  
23 your document.

24 MR. ARLT: Yes.

25 MEMBER HINZE: But I didn't. I didn't see

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that.

2 MR. ARLT: As I was talking before, there  
3 would be like a status of either closed, open, open  
4 non-compliant. And as time goes on, we are going to  
5 hopefully see more closed activity than --

6 MEMBER HINZE: That's time-sensitive.

7 MR. ARLT: Right. And then there are a  
8 few items that would --

9 MEMBER HINZE: Let me go on. My time is  
10 very limited here. My colleagues are about to put out  
11 the hook. One of the things we see, for example, at  
12 Hanford is that we have leakage from our tanks. And  
13 it would have been wonderful if we would have known  
14 that there might be leakage in planning those tanks so  
15 that we could do adequate monitoring.

16 And I guess that leads me to the question,  
17 how, in what way -- and maybe this is DOE's and not  
18 your question, but if you're guiding this monitoring,  
19 one of the questions is, how have you used the lessons  
20 learned from leakage and from some of the tanks at  
21 Hanford or other places to develop protocols for  
22 adequate monitoring, establishment of conductivity  
23 sensors, and the subsurface, et cetera, et cetera?  
24 Any way in which lessons learned have been  
25 incorporated into this?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARLT: Well, the CMWRA is working on  
2 various projects. For example, if we have -- there is  
3 a report on the sorption coefficients. They're using  
4 all literature, all information that they can find  
5 that deal with the various radionuclides to try to get  
6 this kind of expertise through past leaks, either from  
7 Savannah, West Valley, from Hanford, anything that  
8 they can obtain. So that information is being  
9 incorporated.

10 MEMBER HINZE: Is there time for that,  
11 Hans? Is there still time to modify?

12 MR. ARLT: Well, it's like Cynthia was  
13 saying. It is a living document.

14 MEMBER HINZE: Okay.

15 MR. ARLT: It's an iterative time step.  
16 And we hope that as time goes on, there will be less  
17 and less uncertainty and that we get more information  
18 on that type of material. We are trying to  
19 incorporate as much as we can from those examples.

20 MS. BARR: I just want to point out that  
21 Research is, as you know, sponsoring a lot of work in  
22 this area for the reactor facilities in order to look  
23 at how they can have additional requirements perhaps,  
24 to require reactors to monitor. And they are  
25 considering all of the leakage and historical events

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that have occurred at the reactor facility.

2 So I would point to them as a good  
3 example, but as far as lessons learned from -- you  
4 know, we just got involved in this recently. You  
5 know, we were asked to review these drafts.

6 Waste determinations of all of these leaks  
7 actually occurred prior to our involvement under WIR,  
8 but we are cognizant of the other work that is going  
9 on in the agency.

10 But, just as an example, at Idaho, you  
11 know, you learn that the system is very, very complex.  
12 You have this fractured basalt system. And you don't  
13 always know where to put the monitoring wells.

14 And so a lesson learned for Idaho is that  
15 you really have to consider the uncertainties  
16 associated with that very complex system in designing  
17 your monitoring plan.

18 You also have to use iterative process in  
19 order to collect monitoring information, update your  
20 performance assessment, and get better predictions in  
21 the future to consider those uncertainties and to  
22 calibrate your model better. So I would say that is  
23 a lesson learned, not necessarily for us obviously but  
24 in any monitoring program.

25 CHAIRMAN RYAN: My sub-chairman exhausted

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 his --

2 MEMBER HINZE: It says that I have one  
3 more question.

4 VICE CHAIRMAN CROFF: No, no. We will  
5 come back to you if we have time.

6 MEMBER HINZE: No. That's right.

7 VICE CHAIRMAN CROFF: Good luck.

8 MEMBER HINZE: I was going to ask a  
9 site-specific question, but that's all right.

10 CHAIRMAN RYAN: First let me apologize for  
11 being late. I had a meeting up on the top floor. So  
12 I had to go there first.

13 I want to compliment you on your slides,  
14 particularly at 56 and '7, which really sort of sum up  
15 a few things. One is you're looking at what  
16 requirements you try to meet. And you are matching  
17 your measurements and requirements. That's a  
18 touchdown.

19 And you're looking at, as you have  
20 outlined, kind of a temporal version of what do we  
21 know today, what do we need to build confidence based  
22 on what we know today.

23 And I really like the idea that we are not  
24 going to try and make a decision as to when to stop,  
25 but we know we are going to continue to evaluate and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 update. I think that is the smartest plan we could  
2 come up with.

3 That's just terrific because it's  
4 something the Committee has been poking at in one  
5 arena or another, which is modeling and monitoring.  
6 You know, you can monitor for compliance, but if you  
7 don't monitor for performance and then feed that into  
8 your performance assessment, you are missing a real  
9 opportunity. It looks like you are really taking  
10 advantage of that. So I applaud you for doing that.

11 I guess I was trying to think of a what  
12 smart thing could I add to that. And the answer is  
13 nothing. I mean, you really covered all the bases.  
14 So I applaud your effort. It's really topnotch work.  
15 So thanks.

16 MS. RIDGE: Thank you.

17 CHAIRMAN RYAN: Ruth?

18 MEMBER WEINER: I have a couple of  
19 specific questions because all the big general ones  
20 have been asked. If you go to your slides 35 and 36,  
21 Cynthia, I don't know if you can get those up on the  
22 screen or not, but --

23 CHAIRMAN RYAN: Which one is harder, the  
24 arid environment or the humid environment to develop  
25 the plans?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. BARR: Well, it depends on what aspect  
2 you are talking about.

3 CHAIRMAN RYAN: The answer is both.

4 MEMBER WEINER: You make the point,  
5 Cynthia, that the model, which is in the slide that's  
6 up now, is very different from what they found in the  
7 monitoring.

8 How did you get them to -- what methods  
9 did you suggest for reconciling that? I mean, it  
10 seems to me if the model doesn't look like the  
11 results, you change the model. You can't very well  
12 change the --

13 MS. BARR: Yes. That would be a part of  
14 the iterative process if DOE elects to go forward with  
15 maintaining their performance assessment and updating  
16 it with new monitoring information. Then under DOE  
17 order 435.1, they're required to constantly update  
18 that performance assessment.

19 But as far as we were concerned, although  
20 DOE was trying to come up with a realistic  
21 representation of what was occurring in the  
22 subsurface, there was so much uncertainty and so much  
23 difficulty in modeling the system that they actually  
24 tried to be conservative in the way they modeled it.

25 And so although you don't necessarily get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 consistency between the monitoring data and the  
2 results, we feel overall that the results were on the  
3 conservative side for overall system performance.

4 As far as where they were getting their  
5 credit score versus what we saw in the national system  
6 and how much credit they could get in the national  
7 system, we felt like it was justified in how much  
8 credit they were taking.

9 So basically they were trying to be  
10 realistic, but under the constraints of doing this  
11 very, very complex modeling, they had to make certain  
12 conservative assumptions to go forward with their  
13 performance assessment. But, again, it's up to DOE if  
14 they want to go back and revise their performance  
15 assessment to update it with respect to the recent  
16 monitoring data that was collected.

17 MEMBER WEINER: Yes. I understand the  
18 constraints that you're under, which you just  
19 addressed, but it seemed to me in this case from your  
20 presentation that they had the plume going in  
21 completely the wrong direction in their model.

22 MS. BARR: Well, there are a lot of  
23 different sources of contamination at the site that  
24 confound the results. And so it's very difficult to  
25 say, you know, 100 percent your model is completely

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inaccurate. I mean, it is very, very complex. We  
2 have multiple sources. So we used the best  
3 information that we could find that was provided under  
4 the CERCLA program.

5 We asked a lot of additional information  
6 or asked for a lot of additional information so that  
7 we could understand exactly what their model was doing  
8 and what credits they were taking so that we could  
9 feel comfortable in saying with reasonable assurance  
10 that they could meet the performance objectives.

11 Had we not received that additional  
12 information and didn't understand what exactly was  
13 occurring in their model, we might not have had that  
14 confidence.

15 But, again, reviewing the monitoring data,  
16 that actually was a blessing for us, even though it's  
17 not a good thing for DOE, obviously, to have  
18 contaminant releases like that, but it made us or me  
19 personally feel a lot more confident in this decision  
20 because, you know, this was a release where you were  
21 getting absolutely no credit for the engineered  
22 barriers.

23 And they could almost meet the performance  
24 objectives just for the natural attenuation processes  
25 occurring alone. And so that was a big plus for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 review. And it's documented in our technical  
2 evaluation report, the basis for our conclusion that  
3 they could meet the performance objectives using that  
4 information.

5 MEMBER WEINER: That's a very valuable  
6 explanation. I am always confused by the fact that  
7 you do not have enforcement authority and you cannot  
8 prescribe activities to DOE. What can you do? You  
9 just make suggestions and say --

10 MS. BARR: Right.

11 MEMBER WEINER: -- this is what would make  
12 it better or something?

13 MS. RIDGE: And if we don't believe that  
14 performance objectives are going to be met, we are  
15 writing our compliance letter to Congress and the  
16 effective state and DOE. And those parties do have  
17 valid --

18 MEMBER WEINER: I see. That --

19 MR. ARLT: That assumes the  
20 recommendations. I mean, if the concern gets very  
21 big, there's a concern letter that's a type IV letter.  
22 So DOE gets informed about what is going on, what are  
23 the problems. There's plenty of opportunity for  
24 consultation and additional discussion. That is the  
25 extent of it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Christianne, you were  
2 talking about the saltstone vaults. What do they  
3 estimate the lifetime of the saltstone vaults as  
4 barriers to the leakage to be? Is there an estimate?

5 MS. RIDGE: Well, the primary hydraulic  
6 isolation from saltstone comes from the waste form  
7 itself. And there are assumptions about the degree of  
8 degradation and the degree of cracking.

9 And I can't give you a specific answer on  
10 what credit. There wasn't credit taken in the model  
11 for the vaults eliminating any infiltration for a  
12 certain amount of time. So if that's what you're  
13 asking, --

14 MEMBER WEINER: Yes.

15 MS. RIDGE: -- the answer is in the model,  
16 there wasn't credit for the vaults stopping  
17 infiltration for a certain amount of time.

18 MEMBER WEINER: So they took no credit for  
19 the vaults and just said that the barrier is the waste  
20 form.

21 MS. RIDGE: Dr. Esh, would you like to  
22 elaborate on this? I'm not sure. I know they didn't  
23 take credit for a certain amount of time, but did they  
24 model it as a hydraulic barrier?

25 DR. ESH: This is Dave Esh. They did take

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 credit for some hydraulic properties of the barrier,  
2 but for the fault, it was more of the diffusive  
3 properties as a barrier.

4 And originally when we first got the  
5 performance assessment, there was a lot of pretty much  
6 indefinite performance of the waste form and the  
7 vault, hydraulically and as a diffusive barrier or a  
8 barrier to diffusive releases.

9 In the sensitivity analysis and then the  
10 review, then they looked at a variety of other cases'  
11 levels of performance for hydraulic performance and  
12 diffusive performance of those barriers.

13 But there wasn't a fixed number like in  
14 the Idaho case, 100 years. Then it goes from infinite  
15 performance to zero performance. That wasn't the case  
16 in the saltstone review.

17 MEMBER WEINER: Okay. Thank you. In the  
18 interest of time, I will stop there.

19 VICE CHAIRMAN CROFF: Jim?

20 MEMBER CLARKE: While we're there, can we  
21 go to the next slide? I think it's -- yes, that's it.  
22 By the way, as you guys know, the geology there is  
23 inter-bedded sediments and rock.

24 There has been a lot of work on the  
25 subsurface disposal area, which is very similar

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 geology. You have got an extensive vadose zone. And  
2 you have also got evidence that if a release occurs,  
3 you can find it in the purged water at that sediment  
4 interfaces. So that leads me to the question, is  
5 there any proposed vadose zone monitoring associated  
6 with the Idaho?

7 MS. BARR: Yes. Under the current record  
8 decision for that tank farm facility release that I  
9 spoke about, they are required to monitor the purge  
10 zone. They are actually trying to dewater that zone  
11 to further mitigate the release of that strontium-90  
12 that is currently being held up in that particular  
13 purge zone. And so they will continue under the  
14 CERCLA program to monitor.

15 MEMBER CLARKE: You know, it's complicated  
16 in that we have already got stuff there. But still it  
17 tells you if there is a release. That's a likely  
18 place to be.

19 MS. BARR: Right. It's located 110 feet  
20 below grade. And the bottom of the tank is around  
21 50-foot. So it's a real good source of information  
22 for any kind of releases that you might get from the  
23 tank farm facility.

24 And so we are going to continue to  
25 evaluate that data as it's collected under the CERCLA

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 program until this key monitoring area is closed.

2 MEMBER CLARKE: The question that Dr.  
3 Hinze asked about how long are you going is the  
4 \$64,000 question. And I guess one of the ways -- and,  
5 of course, what exacerbates all of this is that the  
6 likelihood of a failure increases with time. And it's  
7 human nature to say, "I haven't seen anything. So  
8 let's reduce the frequency in the monitoring." So how  
9 do you handle that trade-off?

10 I think one of the -- and I was pleased to  
11 see in your slide 11, which I thought was a real good  
12 description of the different roles, what the DOE would  
13 -- that's, unfortunately, one of the illegible ones,  
14 but it was a real good description of what the DOE  
15 will do and what the NRC will do. And it sounds like  
16 the NRC's role is to monitor the monitoring.

17 This iterative process that we talked  
18 about a great deal in a working group meeting we had  
19 back in September, I guess one answer is when you  
20 build sufficient confidence in your assessment, that  
21 that might be a place where you could certainly cut  
22 back on the monitoring or maybe even stop monitoring.  
23 Those are, I think, really difficult questions  
24 virtually everyone who has every kind of contaminant  
25 isolation going on is struggling with.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And let's see. Oh, just to pick up on one  
2 thing that was said, I think one of you -- and it  
3 might have been in the very beginning -- said that  
4 there is more uncertainty associated with the Savannah  
5 River site than the Idaho site. Is that?

6                   MR. ARLT: Yes, that's correct.

7                   MEMBER CLARKE: And you can give us a  
8 quick reason for that or maybe you did and I missed  
9 it?

10                  MS. BARR: I guess DOE didn't really have  
11 to take as much credit for Idaho. I mean, it had a  
12 very limited inventory and for those key groundwater  
13 radionuclides for the 61.41 compliance demonstration.

14                  So they ended up using a lot less  
15 sophisticated modeling that they tried to demonstrate  
16 was very conservative for their compliance  
17 demonstration because there is less difficulty in  
18 demonstrating that they could meet that 25 millirem  
19 per year until effective dose equivalent from the  
20 groundwater all pathways dose.

21                  And so they basically had a much simpler  
22 job to do in demonstrating compliance; whereas, for  
23 saltstone, I think the inventory was sufficiently  
24 higher or more significant that they had to take more  
25 credit in their various process models or submodels in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 evaluating the potential impacts associated with  
2 parameter assumptions actually led to much higher  
3 potential doses than it did for Idaho, again very  
4 simple and you could pretty much constrain exactly how  
5 high it would be; whereas, for saltstone, they had to  
6 take credit for a lot of different things that led to  
7 these additional uncertainties and whether they could  
8 meet the 25 millirem per year standard.

9 MS. RIDGE: I agree. I agree with  
10 everything Cynthia just said. Essentially for  
11 saltstone, there was credit taken for more parts of  
12 the system where they had to do complex modeling for  
13 instance, the characteristics of the waste itself to  
14 be a diffusive barrier and a hydraulic barrier.

15 So that just required a more complex level  
16 of modeling that requires more support than a simpler  
17 conservative model.

18 MEMBER CLARKE: And I guess one just last  
19 comment on slide 11. Under the "Site Stability"  
20 category, you have "Observed construction of  
21 engineering features and their maintenance." And  
22 that's good.

23 If an engineered barrier is going to fail,  
24 experience has shown that the construction phase could  
25 be one of the reasons; in other words, either you have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a poor design or it just isn't implemented properly.

2 And I'm sure you're going to do this, but  
3 before you even get to the constructive phase, I would  
4 encourage you to take a real hard look at the quality  
5 assurance plans for that engineered barrier  
6 construction, monitor that as well, but I think you  
7 have got a really good program here.

8 The only thing I didn't see -- and I know  
9 why I didn't see it and you don't see it anywhere,  
10 really, except a few isolated cases -- is that apart  
11 from physical inspections, the only real sampling and  
12 data analysis is environmental.

13 And one of the things that we recommended  
14 is the closer you get to the source, the better off  
15 you are. Ideally we would monitor things that  
16 indicate that the system could fail, not that it did  
17 fail. That's easy to say and hard to do.

18 So I wondered if there were any thought  
19 being given to -- and, unfortunately, they're invasive  
20 -- but any thought being given to whatever calling  
21 system monitoring, monitoring during itself,  
22 monitoring the waste form. I'm sure that's been  
23 discussed.

24 MS. BARR: We don't, again, have any  
25 regulatory authority over DOE. We would --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER CLARKE: I understand. I  
2 understand.

3                   MS. BARR: We would love to make  
4 suggestions on what we would like them to do, but we  
5 can't really be prescriptive in these monitoring plans  
6 because that puts us at risk of not getting that  
7 information.

8                   So basically we just try to say what kind  
9 of information needs we had. And we were leaving it up  
10 to DOE to decide how they were going to address those  
11 data gaps or information needs that we were  
12 requesting.

13                   Our hands are kind of tied because of the  
14 odd role we're in under the NDAA to monitor DOE  
15 disposal actions to assess compliance but then not  
16 having any regulatory enforcement authority to  
17 execute.

18                   MR. ARLT: I think, again, an iterative  
19 process comes in here again, too. There's going to be  
20 a lot of waste determination. I think a lot of people  
21 have the same thoughts that you have. I think people  
22 are going to be thinking about that. And, you know,  
23 with the future waste determination, we're actually  
24 doing that, but, like Cynthia was saying, we can't  
25 prescribe anything that would be --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER CLARKE: I find myself thinking  
2 about that. You know, it has a lot of appeal thinking  
3 in kind of an abstract sense, but when I find myself  
4 thinking about it, given all the difficulties of doing  
5 it, I really come to the conclusion that, as you know  
6 well, better than anyone, the monitoring ought to be  
7 risk-informed.

8                   And that means it's not only the  
9 likelihood that something will happen. It's the  
10 consequences as well.

11                   MS. BARR: Well, certainly in our  
12 discussion with DOE, we will try to make  
13 recommendations. And we do communicate quite  
14 frequently with DOE under this enhanced consultation  
15 process. So that will afford us opportunities in the  
16 future to work together collaboratively to address key  
17 areas where we could monitor performance and talk  
18 about these issues.

19                   MEMBER CLARKE: Thank you very much.

20                   VICE CHAIRMAN CROFF: So many questions,  
21 so little time. I would like to come back to this  
22 point that you and Jim were just discussing where a  
23 second ago.

24                   Accepting for the second that you don't  
25 have the ability to go in and obtain additional

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 monitoring data, will you have adequate information  
2 from the state monitoring and DOE's monitoring to do  
3 what you have to do to resolve these issues to  
4 continue to make determinations as to whether the  
5 performance objectives will be complied with?

6 MS. BARR: I can speak for Idaho. In the  
7 case of Idaho, we think that the monitoring program is  
8 pretty robust and that because of that historical  
9 contamination event, we were the benefactor of all of  
10 that information that's being collected under the  
11 CERCLA program. So we think that that information is  
12 going to be sufficient to meet our needs.

13 Now, you know, monitoring of the CERCLA  
14 program is finite, too, and that monitoring plan may  
15 change over time. So we would have to evaluate if and  
16 when it changes if we are at the point where we can  
17 close that key monitoring area if we need to obtain  
18 additional information.

19 At this point in time we feel pretty  
20 confident that there is enough information being  
21 obtained through the CERCLA program to address our  
22 needs.

23 MS. RIDGE: To answer your question with  
24 respect to SRS, the short answer is I think we believe  
25 we will. And certainly our confidence is enhanced by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 processes that we see going on, such as DOE doing more  
2 work to model the oxidation of the saltstone and the  
3 resulting radionuclide release.

4 That was something that we had identified.  
5 And our confidence that we will have enough  
6 information is certainly enhanced when we see DOE  
7 continuing with these activities.

8 CHAIRMAN RYAN: Just a point here. I  
9 think I am struggling with just one thought that you  
10 don't have direct regulatory authority, but you sure  
11 have a hammer.

12 I mean, I don't really see that you're in  
13 the kind of decision-making, though, because you make  
14 the determination and you can also say, "We don't  
15 think they're going to meet the requirements." So I  
16 think that's a pretty big hammer myself. If I were on  
17 the receiving end of that message, it wouldn't be a  
18 good day.

19 I mean, you said that several times. I  
20 just wanted to point out from a perspective of  
21 somebody who is trying to demonstrate performance,  
22 that your authority to say, "No. I don't think you're  
23 going to do it," that's a pretty big stick.

24 VICE CHAIRMAN CROFF: I agree with what  
25 Mike says. And, in addition, I am not a lawyer, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as I read the law, the law says that the NRC in  
2 cooperation with the state will monitor. And it  
3 doesn't say that you can't get your own results.  
4 Okay? Just a thought.

5 MR. FLANDERS: Excuse me, Allen, before  
6 you go on with that point.

7 VICE CHAIRMAN CROFF: Go ahead.

8 MR. FLANDERS: This is Scott Flanders. I  
9 think we recognize, you know, the way the law is  
10 constructed and how that can be interpreted.  
11 Certainly we understand that.

12 And if you look at our monitoring plan,  
13 you look at the way we have it constructed, one of the  
14 things that we do identify is that if we feel that we  
15 don't have sufficient information to make a call, then  
16 we start the process of potentially going down the  
17 road and writing them out a compliance letter.

18 So we recognize that role. We hope that  
19 we are able to get sufficient information. We think  
20 that the way we have the plans constructed now, as  
21 Christianne and Cynthia both said, we think that we  
22 are going to get the right information that we need to  
23 be able to adequately make an assessment as to whether  
24 or not we believe they are in compliance with the  
25 performance objectives.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But if it comes to that, the way we  
2           construct our overall program is when we get to that  
3           point where we feel as if we are not able to obtain  
4           the information that we need, then we start that  
5           process. And, as you said, I think it would be a bad  
6           day for anyone if we have to go down the path --

7                   VICE CHAIRMAN CROFF: Right.

8                   MR.     FLANDERS: -- of writing  
9           non-compliance letters.

10                   PARTICIPANT: That's the hammer he  
11           mentioned.

12                   CHAIRMAN RYAN: I think, as you said  
13           earlier, I mean, you have worked collaboratively to  
14           show here is the path to success without having to  
15           worry about, you know, "Oh, by the way, there's a big  
16           stick over here." So it's to your credit that you're  
17           on a path to do what you need to do to continue to  
18           build confidence as time goes on. And that is clearly  
19           the right way to do it.

20                   VICE CHAIRMAN CROFF: I am going to allow  
21           myself one specific question here. In one of the SRS  
22           slides, you mentioned a key issue or factor. I can't  
23           remember which one it is. It concerned feed tank  
24           sampling.

25                   I am a little bit puzzled. If you've got

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to put your feed tank full of liquid with a mixer pump  
2 in it, it's presumably pretty homogeneous. What is  
3 the sampling issue?

4 MS. RIDGE: Well, the DOE intends to  
5 sample the waste as the state requires them to. And  
6 the state in their most recent permit does not require  
7 them to sample every batch.

8 In our monitoring plan, we indicate that  
9 that is our preference, that the data that we would  
10 really like to have is sampling of every batch. And  
11 that we say clearly would be the best way to do it.

12 Now, DOE also has -- and I am glad you  
13 brought this up so I can clarify it a little. When we  
14 talked about in the monitoring plan the possibility  
15 that DOE would not sample every batch and what they  
16 might do instead, I think we might have used the term  
17 "process knowledge." I wanted to clarify a little  
18 because that is used differently in different parts of  
19 the waste treatment process.

20 For instance, in the tanks, sometimes they  
21 base inventories on process knowledge. And that can  
22 mean something as simple as we know what extraction  
23 process we used. And we think that the waste that  
24 comes out of this is such and such.

25 In this context, it is actually a lot less

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 uncertain than that because I think what our  
2 understanding of what DOE might do is to say, "Well,  
3 we know that in the feed tank, we have put waste from  
4 this tank in this tank and this tank. And we have  
5 information on what is in this tank and this tank."

6 So it might be a simple process of saying,  
7 "Well, these are the volumes, and these are the  
8 concentrations. And we are going to do a weighted  
9 average" and then say what is in the feed tank.

10 We agree with you sampling every batch  
11 would make us most comfortable.

12 VICE CHAIRMAN CROFF: Okay. Understand.  
13 Well, thank you very much. It's a very interesting --  
14 I'm sorry?

15 MR. ARLT: Just one more thing.

16 VICE CHAIRMAN CROFF: Mr. Arlt?

17 MR. ARLT: For those of you who are more  
18 visually orientated, slides 22 and 23 kind of work  
19 through the process in a flow chart if some of this is  
20 still a little unclear. So I think maybe that might  
21 help.

22 VICE CHAIRMAN CROFF: Very interesting  
23 presentation. As Mike said, they are good plans. And  
24 congratulations on that.

25 With that, I'm done. Fifteen-minute

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 break? Fifteen-minute break it is.

2 CHAIRMAN RYAN: Fifteen-minute break until  
3 five of.

4 (Whereupon, the foregoing matter went off  
5 the record at 3:39 p.m. and went back on  
6 the record at 3:55 p.m.)

7 CHAIRMAN RYAN: Okay, I guess if I could  
8 ask everybody to take their seats and come to order,  
9 please, we'll reconvene. And this session is going to  
10 be led by Professor Hinze.

11 DR. HINZE: Thank you very much, Dr. Ryan.  
12 It is my pleasure to introduce Gene Peters from the  
13 Nuclear Regulatory Commission Staff who will be  
14 presenting some material on nuclear infiltration  
15 studies for Yucca Mountain.

16 This is in the aftermath of the concerns  
17 regarding the U.S. Geological Survey's emails  
18 pertaining to infiltration studies. And we  
19 understand, Gene, that you have been involved in  
20 observing a DOE audit, or someone within your group  
21 has, of the Sandia work on the infiltration studies,  
22 and we'll be covering some of that.

23 We welcome you. We are anxious to hear  
24 what you have to say.

25 DOE REEXAMINATION OF PAST U.S. GEOLOGICAL SURVEY

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (USGS) INFILTRATION STUDIES

2 MR. PETERS: Thank you very much.

3 What I'd like to do is bring the committee  
4 up to date on recent activities conducted by the  
5 Department of Energy in simulating infiltration at  
6 Yucca Mountain.

7 As Professor Hinze indicated, much work  
8 has been done by the Department of Energy on this  
9 topic since the daylighting of some potential quality  
10 assurance issues that have received much media  
11 attention.

12 What I will be speaking of is a recitation  
13 of material presented by DOE in various forums. This  
14 does not represent original work on the part of the  
15 NRC.

16 Recognizing that several important  
17 meetings have taken place at which we, as staff,  
18 observed the Department of Energy's work product, I  
19 wanted to use this opportunity to bring this material  
20 to the committee's attention. So it is very timely,  
21 and it is very important in the context of the other  
22 work that you might be hearing about with respect to  
23 performance assessment in the post closure period.

24 I'll touch briefly on some of the  
25 background facts. I trust that most of us are well

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 acquainted with what has transpired, and what brought  
2 us to this point.

3 I'd like to spend more time on DOE's  
4 response, describing our understanding of what DOE has  
5 done and will do to support infiltration studies for  
6 Yucca Mountain performance assessment.

7 We have as I mentioned received several  
8 briefings on the new DOE infiltration models. I will  
9 share with you what I know of those models. Again,  
10 this is my interpretation of what DOE has told me and  
11 my colleagues.

12 I am able to provide some preliminary  
13 results from those DOE models because they presented  
14 these results in public forums, since I thought it was  
15 acceptable those with you since you might not have had  
16 the opportunity to hear some of those presentations  
17 firsthand.

18 And finally I will place all this material  
19 in the context of our review plan, the Yucca Mountain  
20 review plan, and how we plan to use the information  
21 that we have, the work that we have done, to evaluate  
22 DOE simulation of infiltration.

23 This all started, as Dr. Hinze alluded,  
24 because US Geological Survey was responsible for  
25 modeling infiltration at Yucca Mountain. They used a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 model code that they developed that was ultimately  
2 called INFIL 2.0. And the intent of this product was  
3 to simulate infiltration over the post-closure period  
4 representing 10,000 years of performance after the  
5 closure.

6 Some of the scientists who were involved  
7 in the development of this code, and in the  
8 development and collection of data that were used as  
9 input to this model offered emails that implied a  
10 disregard for the Q/A procedures that DOE imposed on  
11 the project.

12 I'm sure we've all read the reports and  
13 seen those emails, so they warrant no reiteration  
14 here.

15 ODE did take an aggressive response  
16 strategy, investigating the root cause and the extent  
17 of the conditions associated with these issues.

18 The response took several forms. The  
19 first was to assess the technical impact of the INFIL  
20 based infiltration model results. And you will see  
21 throughout my presentations several superscripts,  
22 numbers one and two here on this first bullet. And  
23 these relate to some of the presentation materials  
24 that I understand Neal Coleman made available to the  
25 committee in advance of this meeting.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We probably all have read the 2006 report,  
2           evaluation of technical impact on the Yucca Mountain  
3           project. That was the instrument with which DOE  
4           attempted to affirm the president's 2002 site  
5           recommendation decision.

6           The principal concern at the time was,  
7           were the concerns associated with the quality  
8           assurance implications of these emails, did those  
9           compromise the 2002 site recommendation decision in  
10          any way?

11          That 2006 report took a look at the  
12          results of those INFIL models and compared those  
13          results to other studies in similar environments -  
14          typically arid environments, mountainous, Western U.S.  
15          terrain - and found that because there was a fair  
16          degree of similarity between the INFIL results and the  
17          results of other investigators in other studies, that  
18          there was no indication that the technical validity of  
19          a site recommendation decision was compromised.

20          The Department of Energy did undertake an  
21          investigation of emails very broadly. Gene Runkle  
22          from the Department of Energy spoke on this at a March  
23          TRB meeting. His presentation materials are available  
24          online if Neal hasn't provided them already, and they  
25          describe the process that the Department of Energy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 went through in trying to determine the extent of that  
2 problem. And that is clearly outside the scope of my  
3 presentation here today.

4 More important is the Department of  
5 Energy's efforts to qualify the input data. This  
6 infiltration model, as with that of NRC's, requires  
7 data about soil properties, soil thickness,  
8 meteorological data. These are key input parameters  
9 that any infiltration model requires.

10 Because the authors of those email  
11 messages were responsible for collecting,  
12 manipulating, reducing or in general supervising the  
13 collection of those input data, the Department of  
14 Energy did undertake an effort to quality those data  
15 so that they would be available to the new  
16 infiltration model that I will speak to in a moment,  
17 and to verify that they were appropriate for their  
18 intended use.

19 They produced a series of nine reports  
20 that are not yet publicly available. I have had an  
21 opportunity to review those along with several of my  
22 colleagues through the course of the audit that Dr.  
23 Hinze mentioned, and I will discuss that momentarily.

24 The penultimate manifestation of DOE's  
25 response was to develop a new model -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Off-the-record exchange)

2 The Department of Energy charged the lead  
3 lab, led by Sandia, supported by other labs, Las  
4 Alamos and others, to develop from first principles a  
5 new infiltration model that would completely replace  
6 the old USGS infiltration model.

7 The Department of Energy plans to document  
8 the results of that modeling effort, and the new  
9 infiltration results in an AMR Analysis of Modeling  
10 Report that will be available later this summer or  
11 early this fall.

12 DR. HINZE: Gene, could I interrupt you for  
13 just one second while you're on this topic?

14 MR. PETERS: Of course.

15 DR. HINZE: Has the US Geological Survey  
16 done any technical review of their work?

17 MR. PETERS: They have, and I'll speak to  
18 this momentarily, but yes, they have continued work on  
19 INFIL in a new version, and I will address that  
20 specifically.

21 So you will see number three superscript  
22 footnoted at the bottom there. Much of this material  
23 was presented to the NRC staff for the first time  
24 during Q/A audit observation in June of this year,  
25 just a few weeks ago.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Consequently, neither me nor my staff have  
2 read this new infiltration AMR in detail. So I can't  
3 speak to it with authority, but I can relay to you  
4 some of the input from that model, and some of the  
5 context for it. But we have not reviewed this in  
6 detail.

7           The new model - the old one was INFIL; the  
8 new one is MASSIF, Mass Accounting System for Soil  
9 Infiltration and Flow, produced by the DOE's lead lab,  
10 primarily Sandia.

11           The same conceptual and physical bases as  
12 INFIL from a physical process standpoint were used in  
13 this new model. It's a mass-balance approach plotting  
14 grid cell basis.

15           The equation - I've rearranged DOE's  
16 equation slightly to show that infiltration is what is  
17 left over essentially when one looks at these grid-  
18 cell based model. One looks at all the inputs to a  
19 unit square area. P is precipitation, so we're  
20 summing all the inputs to that grid cell.

21           Precipitation, run on, snow melt, and then  
22 subtracting away where the water leaves the system -  
23 sublimation directly from snow to atmospheric water  
24 vapor; changes in water storage capacity in the  
25 subsurface; evapotranspiration from ground surface;

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and finally, runoff.

2 Therefore infiltration in this mass-  
3 balance or water balance approach is the sum of the  
4 change in the hydrological cycle, what is left over  
5 from these other components of the hydrologic cycle is  
6 assumed to infiltration into the subsurface.

7 INFIL 2.0 and MASSIF both use this same  
8 fundamental equation. Where they differ is some of  
9 the submodules that make up individual components of  
10 the hydrologic cycle.

11 Another key difference as it's been  
12 conveyed to us is the direct incorporation of  
13 uncertainty. Those of you familiar with the earlier  
14 DOE work products, you know there was a simulation  
15 report and then an uncertainty report that was applied  
16 ex post facto.

17 In this particular case, the MASSIF model  
18 stochastically simulates several of the most important  
19 parameters that affect infiltration - things like soil  
20 thickness, precipitation, that are hydraulic  
21 properties, and in doing so, attempt to capture the  
22 natural variability of the system.

23 The final major component difference is an  
24 expanded treatment of evapotranspiration. As you can  
25 imagine, in the Nevada desert, evapotranspiration

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dominates the water budget. You will see some  
2 statistics to that effect.

3 Sandia has used an expanded model relative  
4 to the earlier work product that is based on a UN Food  
5 and Agriculture Organization methodology, FAO 56,  
6 developed by a researcher at the University of Idaho.

7 This provides them they feel with a more  
8 robust treatment of evapotranspiration systems.

9 Simply a cartoon diagram of the hydrologic  
10 cycle; should come as no surprise to anyone here.

11 I mentioned earlier, I put the plural of  
12 models in parentheses, because there are several  
13 models.

14 The license application, as DOE has  
15 indicated to the NRC staff, is going to be based on  
16 MASSIF, as developed by the lead lab. As Dr. Hinze  
17 pointed out, USGS has been continuing to work, and DOE  
18 has sponsored work on the legacy code INFIL.

19 DOE charged Idaho National Lab with  
20 examining INFIL 2.0, figuring out why various people  
21 have problems running the code - simply a code  
22 management perspective; it was very difficult to get  
23 all the routines to run effectively and to link up  
24 properly. So Idaho National Lab took it apart; made  
25 sure that all the procedures flowed internally; and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this was another topic of presentation at the March  
2 TRB meeting.

3 Finally USGS on its own has continued to  
4 refine the INFIL model. They are now working on it as  
5 version 3.0. And Dave Pollack from USGS made a  
6 presentation on this at TRB as well.

7 This is - the intent there is to bring  
8 INFIL as a code up to the same level of documentation  
9 and peer review as the other codes that you are no  
10 doubt familiar with like MODFIL (phonetic). They want  
11 to have it available as a generally available code  
12 that any researcher can download and use that would be  
13 well pedigreed.

14 It is significant that it receives that  
15 treatment because when we move to the saturated zone  
16 system, the boundary conditions for the Yucca Mountain  
17 flow system models in the saturated zone are generated  
18 by the USGS Death Valley regional flow model which  
19 uses INFIL 3.0 as its boundary conditions.

20 So it is important to us that we continue  
21 to examine INFIL 3.0 as a code that has a small input  
22 to the Yucca Mountain water balance, but an important  
23 one nonetheless.

24 Finally the other model that is available  
25 to us is NRC's own code. We have named it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Infiltration Tabulator for Yucca Mountain, ITYM. This  
2 was developed by the Center for Nuclear Waste  
3 Regulatory Analyses. It is a pre-code to the TPA code  
4 that you will be hearing about in September. And it  
5 is our tool to simulate infiltration in the  
6 subsurface. We use that to provide some comparative  
7 analysis.

8 So what are the preliminary results?  
9 These are DOE's from DOE's presentations. So I'd like  
10 to acknowledge Josh Stein and his entire team at  
11 Sandia and Las Alamos for providing this information.

12 This was presented at the March TRB  
13 meeting.

14 What we have in the upper left are the  
15 results of the simulations generated by MASSIF. We  
16 have infiltration under our three climate states:  
17 present day; monsoon; and glacial transition.

18 In the context of our 10,000 year  
19 performance period, present day conditions are assumed  
20 by the Department of Energy to occur for the next 600  
21 years following closure; monsoonal conditions from  
22 year 600 to 2,000; glacial transition from 2,000 to  
23 10,000. So we see three distinct phases temporally.

24 Because it is a stochastically represented  
25 system, we have a family of curves, just like we do in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dose assessment. So we have a distribution of results  
2 of infiltration.

3 Portrayed in this table are the 10<sup>th</sup>  
4 percentile, 50<sup>th</sup> and 90<sup>th</sup> percentile values for  
5 infiltration. So in this family of simulations, the  
6 10<sup>th</sup> percentile is 3.9 millimeters per year; 50<sup>th</sup>  
7 percentile, 13; and 90<sup>th</sup>, about 27 millimeters per  
8 year. That is the net flux of water passing the  
9 rooting zone into the subsurface environment where it  
10 becomes available to the unsaturated flow system and  
11 ultimately could reach the depository horizons.

12 By way of comparison, this table in the  
13 upper right represents USGS work product using the  
14 INFIL 2.0 model. So you can see that although this is  
15 portrayed as a mean rather than a median, the measure  
16 of central tendency here is that MASSIF produces  
17 somewhat more water than INFIL does for a given  
18 climate state, an increase of three to four times  
19 water moving into the subsurface.

20 The bottom table here, as I mentioned  
21 earlier, shows the relative proportion of water in  
22 each of those components of the water balance. So  
23 when we look at what falls on top of Yucca Mountain,  
24 it's precipitation, roughly 8 to 10 percent  
25 infiltrates. You can see here, evapotranspiration

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dominates the hydrologic cycle as one would expect.

2 And the other components - runoff,  
3 storage, sublimation - are very small in comparison to  
4 the other components.

5 Which leads to a question I'm sure in most  
6 of your minds, why is MASSIF producing more  
7 infiltration, a greater infiltration estimate than  
8 INFIL? It doesn't have anything to do with the code;  
9 they used the same equation as I mentioned earlier.

10 It has to do with the data, the input data  
11 that were used, and how they were represented. The  
12 researchers at Sandia assumed thinner soils across the  
13 repository footprint. Thinner soils equate to greater  
14 infiltration because you have increased the reservoir,  
15 the storage capacity, in the subsurface in which water  
16 can be trapped.

17 You think about the soil surface above the  
18 bedrock is a sponge. Clearly you have to saturate to  
19 some extent those pore spaces before the water can  
20 move through that prism into the next layer down.

21 Because the soils are thinner in Sandia's  
22 conceptualization, the reservoir is smaller, and  
23 therefore, there is less storage capacity.

24 Other changes relate to the bedrock  
25 hydraulic conductivity. When Sandia I believe lab

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 examined the fracture data, they felt that a greater  
2 percentage fo those fractures were open and  
3 transmissive, compared to the assumptions made by the  
4 USGS researchers. Clearly you have more cracks in the  
5 subsurface, more water is going to be able to get into  
6 and through those.

7 The other major component is, relates to  
8 the evapotranspiration. Through their use of the FAO  
9 56 methodology and their understanding of the system,  
10 they limited rooting zone depth to a shallower horizon  
11 than did the original USGS work. The USGS had rooting  
12 depth down to six meters; Sandia lead lab constrained  
13 it to two meters. Clearly, smaller roots equals less  
14 evapotranspiration, which puts more water into the  
15 subsurface.

16 Those are the major differences in how the  
17 results differ. There are other contributing factors,  
18 but those contribute the most to variance.

19 How we at the NRC, our staff, review this,  
20 number one, we have observed these presentations as  
21 DOE has given them. In some cases we were able to ask  
22 questions and seek clarification. In other cases we  
23 have listened a bit more passively, such as at the  
24 TRB.

25 The Q/A audit Dr. Hinze spoke of was a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 great opportunity for my staff, my team, the climate  
2 infiltration team, to interact with DOE's quality  
3 assurance specialists, and their external observers.  
4 This Q/A audit did bring in three independent experts  
5 from Colorado School of Mines, University of Arizona,  
6 and Golder Associates, to independently evaluate the  
7 defensibility of the infiltration work.

8 They were able to work with us in a very  
9 collegial manner, and we were able to share some of  
10 our institutional knowledge about the systems at Yucca  
11 Mountain, and the historic work, and work together to  
12 make sure that DOE had the full benefit of their  
13 experience.

14 I must reiterate, of course, that we have  
15 not reached any conclusions, nor taken any positions,  
16 on either the approach to simulating infiltration, or  
17 these preliminary results that I have shared with you.  
18 Those are DOE's; they carry with it no endorsement by  
19 NRC.

20 We do have an independent model as I  
21 mentioned earlier, ITYM, that represents infiltration  
22 in the subsurface. And for certain key physical data  
23 such as soil thickness, we have collected some  
24 corroborative data - we and the Center for Nuclear  
25 Regulatory Analysis in San Antonio have gone out and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 taken our own measurements of soil thickness;  
2 evaluated fracture and infilling; and observed some of  
3 the same conditions that the DOE researchers have.  
4 And we will use that to inform our review of the  
5 license application.

6 What is particular noteworthy, I mentioned  
7 that the INFIL and MASSIF models rely on water balance  
8 approach, in which you quantify as many components of  
9 the hydrologic system as you can, and estimate the  
10 difference.

11 The ITYM model, for those of a hydrologic  
12 nature, is a soil physics based model, using Richard's  
13 equation, in which - it's a little hard to see on the  
14 screen here - you are directly simulating that front  
15 of infiltration water at the subsurface, solving a  
16 partial differential equation for the change in  
17 moisture capacity, theta here, for time.

18 So rather than looking at as a mass  
19 balance approach where we are quantifying the sizes of  
20 the different reservoirs and the fluxes through them,  
21 here we are simulating a phenomenological approach of  
22 infiltrating water, that front as it migrates downward  
23 through the soil system.

24 As with the water balance approach, we do  
25 rely on key data about soil conductivity and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thickness; pressure head distributions; many of the  
2 same key input data that DOE requires for its model.

3           Consequently we use some of that same DOE  
4 data and USGS data as well as our own corroborative  
5 data.

6           But what this provides is an alternative  
7 conceptual model, a different way of looking at the  
8 same problem. When we see multiple systems use  
9 multiple approaches to evaluate a problem like this,  
10 and when we start to converge on similar values, that  
11 allows us to have a much more confidence in the  
12 results. Because as I mentioned to Chairman Ryan at  
13 the beginning, this infiltration is the first domino  
14 of the chain of water flow through the Yucca Mountain  
15 repository. So when infiltration changes, unsaturated  
16 flow, unsaturated transport, saturated flow, saturated  
17 transport, all have to change accordingly.

18           Put in three times or four times the  
19 amount of water into the subsurface, that will have  
20 some effect downstream as that water moves through the  
21 system.

22           So it's important that we have multiple  
23 lines of evidence to support the infiltration  
24 estimate. An alternative conceptual model and DOE's  
25 approach.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Another advantage to DOE's MASSIF model is  
2 done not in FORTRAN but mathCAD which is an open  
3 source type spreadsheet, similar to an Excel  
4 spreadsheet, that allows you to simulate, change  
5 things, do sensitivity analyses much more readily.

6 You have probably all seen the state of  
7 Nevada's concerns about the computational challenges  
8 of running TSPA. In this case the Department of  
9 Energy has chosen a much less computationally  
10 intensive platform in mathCAD if we are able to obtain  
11 those wide mathCAD files.

12 We will be able to run the model ourselves  
13 on standalone workstations and PCs, so we can do our  
14 own sensitivity analyses, and assess the effects of  
15 changing parameters.

16 Finally we are going to look at some of  
17 our key technical issue agreements. As you probably  
18 heard from Lawrence Kokajko earlier speaking about the  
19 KGIAs, we had several that directly relate to  
20 infiltration. They are closed. That does not mean  
21 that we are not going to look at those issues any  
22 more. We will revisit those technical issues, and  
23 make sure that what the Department of Energy had  
24 agreed to do, usually in the form of providing  
25 information, was adhered to.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           An example, one TSPAI 3.18 is an agreement  
2           in which DOE committed to using a Richard's-based  
3           equation to show that their mass balance equation was  
4           consistent - produced consistent results.

5           And in some of the materials that we've  
6           seen that DOE has presented to date, we are confident  
7           that the Department of Energy is going to provide us  
8           with that information satisfying that agreement.

9           Finally, final slide, these are the  
10          acceptance criteria that we use in the Yucca Mountain  
11          review plan to affirm that this license application,  
12          or this particular component of it, is adequate to  
13          support our regulatory findings.

14          So the things that we will be looking at -  
15          adequacy in system description and model integration -  
16          we are going to be looking specifically at how well  
17          the Department of Energy represents the physical  
18          processes in the subsurface. Do they capture all the  
19          components of the hydrologic cycle that need to be  
20          accounted for? Do they have sufficient data with  
21          which to support their claims, adequate technical  
22          bases?

23          One of the concerns we articulated at this  
24          Q/A audit is that they provide a discussion of the  
25          representativeness of the data that they are using.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           For example I mentioned specifically that  
2 soil thicknesses was amongst the most important  
3 parameters. Well, in the DOE's representation, 78  
4 percent of the repository footprint falls into one  
5 soil depth class that is represented by 35 data  
6 points. There is some spatial bias in these data  
7 points. At the time these data were collected by USGS  
8 the conceptual models were that the watershed drainage  
9 channels dominated infiltration. So that was where  
10 the focus of data collection was.

11           When you simply look at the map of where  
12 these data were collected, and a repository footprint,  
13 and the model domain, it's clear they are not randomly  
14 distributed. So we would like to see some discussion  
15 of how representative these data are in characterizing  
16 and representing the medium of interest.

17           So there's an example of the types of  
18 things we might look at for data sufficiency.

19           Given the stochastic nature of the model,  
20 it will allow for better incorporation of uncertainty  
21 in both the data and the model.

22           Some of the other things that Sandia has  
23 presented are the results of their sensitivity  
24 studies, and their extended sensitivity studies, where  
25 they parsed out systematic uncertainties, knowledge of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the natural system, from alleatory uncertainty, things  
2 like future precipitation.

3 So they treated those separately in order  
4 to assess the relative effects. They found that  
5 precipitation dominates alleatory uncertainty related  
6 to future climate change, and that soil thickness  
7 dominates epistemic uncertainties, the uncertainty  
8 about the natural system; not surprising there.

9 And then finally we are going to be  
10 looking for objective comparisons, how well can we  
11 approach this problem from different perspectives. We  
12 see with some of the DOE work where they have compared  
13 to INFIL, HYDRIS, a Richard's-based equation, and our  
14 own ITYM simulations. So that we see these multiple  
15 lines of converging evidence on an infiltration number  
16 that is supportable and defensible, that then gets  
17 used as input for the next model down the road.

18 So that's the end of my formal  
19 presentation. I'm happy to answer what questions I  
20 can, recognizing that this is DOE's work, and I may  
21 not be able to speak to it as authoritatively as they  
22 would.

23 DR. HINZE: Thank you very much, Gene,  
24 excellent presentations.

25 Let's have the committee ask questions if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they have any. Dr. Clark?

2 DR. CLARKE: Could you put slide eight up  
3 again please?

4 I just want to clarify a few things.  
5 These two models, the MASSIF is the one that is  
6 currently being used by Sandia, and INFIL is the model  
7 that the USGS -

8 MR. PETERS: That's correct.

9 DR. CLARKE: - used, and I think you told  
10 us that two major differences in those models, in the  
11 input to these models - the models were basically the  
12 same - the differences derived from the input, soil  
13 thickness and root zone penetration.

14 By the way net infiltration is what's also  
15 called depercolation is why it reaches the repository  
16 horizon.

17 MR. PETERS: Just to elaborate on that  
18 potentially important difference, that infiltration is  
19 what leaves this two meter thick upper surface,  
20 depercolation is a separate and distinct term that is,  
21 as you say, the flux of water that reaches the  
22 repository horizon.

23 That is important, because in the  
24 potential revisions to Part 63, NRC staff uses the  
25 term, depercolation, to represent the values of water

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 flux reaching a repository horizon. And that becomes  
2 important in the 10,000 to one million year compliance  
3 period when the regulations are finalized.

4 DR. CLARKE: I think I heard you say that  
5 there is a process going on now to try to explain  
6 these differences, rather, look at the technical bases  
7 if you will for the assumptions that were made in both  
8 of these cases.

9 The NRC is doing its own analysis as well?

10 MR. PETERS: Yes.

11 DR. CLARKE: And is it fair to ask you how  
12 your analysis compare's with DOE's?

13 MR. PETERS: It would be premature. Tim  
14 McCartin and I will be presenting later this year,  
15 once we have finalized that work, because we are  
16 undertaking that work to support the depercolation  
17 values for the Part 63 revisions.

18 Because we are not done with that work,  
19 Because EPA hasn't finalized their standard yet.

20 DR. CLARKE: Very nice. Is the DOE taking  
21 a probabilistic approach to net infiltration or use  
22 distributions for each of these scenarios?

23 MR. PETERS: Yes. They vary what they  
24 produce - for each run, they perform 40 realizations,  
25 and they varied about 20 individual parameters like

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 soil thickness, some of the values in the Markov chain  
2 prediction for precipitation; bedrock hydraulic  
3 conductivity; some of the vegetation values for the  
4 FAO 56 methodology.

5 They did an extended sensitivity analysis  
6 that told them which were the most important values,  
7 similar to a principal component analysis type  
8 approach.

9 And they found for example that soil  
10 thickness accounts for 70 to 90 percent of the  
11 variability in results.

12 DR. CLARKE: And you are taking a  
13 probabilistic approach as well?

14 MR. PETERS: Yes.

15 DR. CLARKE: Okay, thank you.

16 DR. HINZE: Dr. Weiner.

17 DR. WEINER: You said they used, they did  
18 40 realizations?

19 MR. PETERS: Yes.

20 DR. WEINER: Is that enough to sample the  
21 entire input distribution? Did they use some kind of  
22 stratify sample?

23 MR. PETERS: They used Latin hypercube, so  
24 that - and their extended sensitivity analysis, which  
25 was 200 realizations, allowed them to confirm that 40

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 realizations they felt were sufficient to capture the  
2 variability in the system.

3 DR. WEINER: Did both Sandia and USGS use  
4 Latin hypercube sampling?

5 MR. PETERS: No. The USGS work, and I've  
6 not studied the USGS work. I've been with the NRC  
7 about two years now, so I came in just as that work  
8 was going out, so I haven't spent as much time  
9 studying that work as I have the current work that is  
10 going on.

11 But the work that Sandia and the lead lab  
12 has done produces 40 values, which then become  
13 available to the unsaturated flow model and community  
14 for incorporation as starting conditions, initial  
15 conditions for that model.

16 The USGS work had three values, a low,  
17 medium and high, for each climate state. So there I  
18 think a more robust distribution, because now we have  
19 40 values to choose from, with a defined statistical  
20 distribution, compared to three values for each  
21 climate state that represented the starting conditions  
22 under the USGS modeling approach.

23 DR. WEINER: It's just a question, but why  
24 did they only give you three values? Did they just  
25 some kind of random sampling that they only did three

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 runs or something?

2 MR. PETERS: Well, they felt that captured  
3 the variability in the system based on their approach.  
4 And Dr. Hinze asked me earlier if I could wrap this up  
5 in a couple of hours. And I could certainly go into  
6 much greater detail.

7 But the USGS approach calibrated their  
8 model to certain components of the hydrologic system  
9 that allowed them, I believe, to conclude that these  
10 values were bounding values, and therefore sufficient.

11 When one looks at the Sandia approach, and  
12 they were asked this directly at TRB in other forums,  
13 why did you not calibrate to those same parameters,  
14 like runoff, USGS calibrated two runoff by varying  
15 evapotranspiration parameters.

16 Well, Sandia's response is, why would we  
17 want to calibrate to such a small component of the  
18 system? That didn't make sense to the researchers at  
19 Sandia, so they did not adopt that approach, so  
20 therefore you are not calibrating and assuming that  
21 your model is fully calibrated and correct, then  
22 clearly you have to assume a wide distribution of  
23 variables and family of results.

24 DR. WEINER: What I am trying to get to is  
25 what created the differences. And of course you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 commented on some of that. You said Sandia used a  
2 different soil thickness.

3 In your opinion which is more realistic,  
4 or can you explain why?

5 MR. PETERS: Because I haven't read this  
6 report in detail it would certainly be premature in  
7 any case. But also since we are in prelicensing  
8 interactions it would also be inappropriate for me to  
9 comment on the validity of DOE's approach at this  
10 point.

11 DR. WEINER: Well, let me ask it a  
12 different way, then. Are there actual measurements of  
13 soil thickness -

14 MR. PETERS: Yes.

15 DR. WEINER: - that you can compare this  
16 to?

17 MR. PETERS: We find the distribution of  
18 soil thicknesses, the values themselves used by  
19 Sandia, to be consistent with those measured by the  
20 center and our staff.

21 DR. WEINER: I see. Thank you. That  
22 explains - that settles that question.

23 Let me ask you another question about  
24 this. If the U.S. had calibrated to  
25 evapotranspiration - this may be an unfair question -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would you have more confidence in their three values  
2 than calibrating to something like -

3 MR. PETERS: I think if any party preparing  
4 a model calibrated to the dominant component of their  
5 water balance, I would say yes, that would lead to  
6 more confidence. I mean we need not even personalize  
7 to this situation.

8 I think calibrating any model to any  
9 system to its single largest component is probably the  
10 best thing to do.

11 The problem is, it's very difficult to  
12 calibrate to evapotranspiration. Some of the things  
13 that Sandia has done with the MASSIF code, has looked  
14 at other sites, some of the weighing lysimeter from  
15 the test site, in various other places, where they had  
16 the information to do that. And their results were  
17 pretty favorable in the sense that they were able to  
18 match things like evapotranspiration pretty well.

19 And if you look at some of the  
20 presentation materials from the TRV meeting, you will  
21 see some of the specific graphs that show those  
22 objective comparisons.

23 DR. WEINER: Do you yet have any NRC  
24 results to compare to this?

25 MR. PETERS: No. We have a work product

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from the Center for Nuclear Waste Regulatory Analysis  
2 that represents our simulations over a million year  
3 period that will be available later this year.

4 DR. WEINER: I see. And those are the ones  
5 - then you will make the comparison when you feed  
6 these into the TPA and the TSPA.

7 MR. PETERS: That's correct.

8 DR. WEINER: And we can see what kind of  
9 differences there are.

10 Just one final comment: I note that the  
11 differences between MASSIF and INFIL, if you just take  
12 present day data, it's pretty consistent. It's right  
13 around 30 percent difference.

14 And if you look at the monsoon section,  
15 it's not hardly consistent at all with the glacial  
16 transitions; it's a little bit more. That is just  
17 something I noted and queried with better data for the  
18 present day than we do for any of the others.

19 And that is reflected in these consistent  
20 differences.

21 MR. PETERS: And the water balance changes  
22 a bit when you move - if you were to compare present  
23 day to glacial transition. It's still not a lot in  
24 any one component. But the timing of this - remember,  
25 these are year-long averages. But when you assume for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 example in the monsoon era you have larger storms,  
2 more frequent participation events. That puts more  
3 water into runoff and makes it less available to the  
4 other components of the system.

5 DR. WEINER: That's a very good point.

6 MR. PETERS: One of the graphs that DOE  
7 presents in some of their other materials is a  
8 comparison between MASSIF and INFIL. I don't have it.  
9 I can hold it up. Sorry, I didn't have an electronic  
10 version to include in the presentation.

11 But it was an attempt to include MASSIF  
12 and INFIL one for one with the same input parameters,  
13 and they got very close agreement between those when  
14 they tried to make the input data exactly similar.

15 DR. WEINER: Which is a good calibration of  
16 the models against each other.

17 Thank you. That's all.

18 DR. HINZE: Dr. Ryan.

19 CHAIRMAN RYAN: I'm trying to recall -  
20 first of all, thanks for a nice job. I'm looking at  
21 the changes in a different percentile. There is not  
22 a wide really range in some of the distributions.  
23 It's a factor of maybe 10 in the worst case in the  
24 glacial transition on INFIL and a small effect - well,  
25 maybe a little more for monsoon over MASSIF. But it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not a huge range.

2 What is the influence of this change on  
3 those? That's where the rubber meets the road. I  
4 mean we are trying to understand the risk significance  
5 of these results.

6 Now I appreciate the fact that you are  
7 examining it on its own merit, but is this a big  
8 driver of those?

9 MR. PETERS: We don't know yet. DOE has  
10 not put this amount of water through the full system  
11 and seen it come out the other end and presented that  
12 to us.

13 CHAIRMAN RYAN: Fair enough. Okay, you are  
14 going to be accessing that from a TPA standpoint as  
15 well, and looking at that. That is really I think  
16 where the rubber meets the road on how important this  
17 can be.

18 MR. PETERS: And you will see some  
19 presentations on that in September, when our TPA work  
20 product is fully released.

21 CHAIRMAN RYAN: And just for my own  
22 calibration, are you okay with the number of  
23 significant digits on some of those? Is it 1.2 and  
24 1.6?

25 MR. PETERS: One of my personal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 idiosyncrasies, in that there are way too many  
2 significant digits in here.

3 CHAIRMAN RYAN: Okay. Again, I appreciate  
4 why, so it's really not a criticism. I just don't  
5 want people to take away that we can deal with upper  
6 and lower bounds of net infiltration to that level of  
7 precision.

8 Thanks. That's all. We will look forward  
9 to the PA implications.

10 MR. PETERS: And one of the things that we  
11 will be tracking very closely is, the output of the  
12 INFIL model is the input for the unsaturated flow  
13 model, and we will be tracking that very carefully to  
14 make sure that that handoff, if you will, is done  
15 appropriately and correctly.

16 CHAIRMAN RYAN: Okay, excellent. Thank  
17 you.

18 VICE CHAIRMAN CROFF: I shall try. Is  
19 there not any data on net infiltration? In other  
20 words has somebody not tried to measure it, maybe at  
21 the site or something, in support of the program?

22 MR. PETERS: That is correct. There are no  
23 direct measurements of that infiltration. One would  
24 do that with a weighing lysimeter. There are several  
25 - there are two at least at the test site in Area 12.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 That is a different climatic region. It's a lower  
2 elevation, different soil thicknesses. The Department  
3 of Energy has not put in one at Yucca Mountain itself.

4 VICE CHAIRMAN CROFF: I'm assuming from our  
5 discussion that net infiltration is a fairly important  
6 parameter in the whole performance assessment?

7 MR. PETERS: In the NRC's TPA it becomes  
8 medium risk significance in the first 10,000 years,  
9 largely because the waste packages don't fail.

10 VICE CHAIRMAN CROFF: I'm sort of  
11 astounded. But all right, it is what it is.

12 MR. RUBENSTONE: Can I - these packages  
13 don't fail?

14 DR. HINZE: Jim, could you identify  
15 yourself for the record please? Thanks.

16 MR. RUBENSTONE: I'm sorry. Jim  
17 Rubenstone, NRC. What Gene just said is that the  
18 amount of water coming in is only important if those  
19 packages will let water into the waste packages.

20 So if you don't have many failures, then  
21 the water basically just washes through.

22 VICE CHAIRMAN CROFF: I maybe wasn't clear.  
23 I am astounded there isn't any data out there.

24 MR. PETERS: There are no direct  
25 measurements of net infiltration. Other researchers,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 including USGS, have used other surrogate  
2 measurements, things like neutron probe and heat  
3 resistance probes, heat dissipation probes excuse me,  
4 to represent those.

5 Those - and this is an interesting point -  
6 those data were qualified by the program as  
7 appropriate for intended use. Sandia, the lead lab,  
8 chose to not use those data for calibration because  
9 they felt that there was some bias in those data, that  
10 when one drills a hole in the bedrock, creates a  
11 preferential pathway, and allows more water to get  
12 down and access the probe, creating a bias, and  
13 therefore higher than anticipated results.

14 Again, some of the presentation materials  
15 Dewey (phonetic) has offered shows that the neutron  
16 probe estimates conversions of water capacity or water  
17 content to infiltration produced much higher results.

18 So if one were to look solely at the  
19 neutron probe data one would come up with very much  
20 higher estimates of net infiltration beyond that which  
21 would be considered reasonable.

22 CHAIRMAN RYAN: I think - I mean to me,  
23 again, correct me if I'm wrong, Gene - but I think  
24 it's a tough environment. I mean the desert is an  
25 awfully hard place to know your net infiltration, if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it rains at night or during the day you get a whole  
2 different situation on the evaporation parts. So that  
3 is a real tough place to try and do that.

4 MR. PETERS: It is. The average annual  
5 precipitation is on the order of 200 millimeters per  
6 year. The average pan evaporation is 1,200. So.

7 CHAIRMAN RYAN: So it's gone away while you  
8 are trying to figure out what's happening.

9 VICE CHAIRMAN CROFF: Okay, thanks.

10 A couple of questions before we open it up  
11 to general questions.

12 If I understand correctly, there has been  
13 no problem found with potential errors in the  
14 measurements that were made by the US Geological  
15 Survey, but that really - and they basically use the  
16 same equations, but it is a problem with the  
17 discretizing of the data into - the application of  
18 that fundamental data to the distribution over the  
19 site? Is that correct?

20 MR. PETERS: Yes, it is. Of course there  
21 was an extensive investigation by the inspectors  
22 general of the Energy Department and the Interior  
23 Department, and the Department of Justice. There was  
24 no criminal wrongdoing that they found.

25 So then it became, how well did they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 follow the administrative Q/A procedures that were in  
2 place at the time. The nine qualification reports  
3 that the Department of Energy put forth suggest that  
4 perhaps they did follow them, but the data were  
5 nonetheless appropriate for their intended use.

6           However, now we have a different modeling  
7 group, and like scientists the world over, view these  
8 data with a different set of eyes, and choose to use  
9 some data, not use other data, and to take that data  
10 they use and use it in different ways.

11           Assume different distributions. I  
12 mentioned earlier that soil thickness, everybody  
13 agrees, NRC, USGS, DOE, agreements that it is the most  
14 important factor at this site for infiltration.  
15 Seventy-eight percent of the domain is represented by  
16 35 data points.

17           Clearly anyone of us can come up with a  
18 distribution that satisfies our own internal compass  
19 but differs from one another.

20           DR. HINZE: Did the INFIL have a set of  
21 criteria that they used to interpolate or extrapolate  
22 between these 35 sites?

23           MR. PETERS: They did.

24           DR. HINZE: Can you go back, and can you  
25 reproduce it?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PETERS: Yes, well the - most of these  
2 data can be reproduced. Sandia did make that attempt;  
3 could not reproduce all, but were able to reproduce  
4 some.

5 The USGS reports used a - broke the soil  
6 thickness down on the basis of the slope of this  
7 ground surface, and derive an empirical relationship  
8 that is used to predict soil thickness based on those.

9 In Sandia's representation they look at  
10 that area of soil classified as depth Class 4; it's  
11 just a binning approach. And a samples distribution  
12 from 0.1 to 0.5 meters in thickness from the uniform  
13 distribution.

14 Now some of the things we are looking at  
15 very closely is, how well supported is this assumption  
16 of a uniform distribution.

17 Again, it depends on how you bin the data.  
18 If you have big bins, you get a uniform distribution.  
19 If you change the size of the bin you might get a  
20 different distribution.

21 When we examine infiltration we tend to  
22 see a spike at about 0.2 meters, as the infiltration  
23 optimum. That is based on our values of bedrock  
24 hydraulic conductivity. I have discussed this with  
25 Sandia. They use higher values of bedrock

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conductivity than we do, so they don't see that sweet  
2 spot of infiltration the same way we do, so they feel  
3 it is not as important to be overly concerned about  
4 that distribution, whether it's a log normal or a  
5 uniform distribution of soil thickness within that  
6 particular bin.

7 DR. HINZE: Were there - as I recall  
8 someone did a pretty extensive study of field  
9 capacity; is that right?

10 MR. PETERS: Yes.

11 DR. HINZE: And those results are  
12 appropriate. It just depends on what that thickness  
13 of the soil is?

14 MR. PETERS: The field capacity of course  
15 refers to the amount of water that porous medium will  
16 hold against gravity through surface tension and  
17 capillary forces. It's interesting you bring that up.

18 The Sandia effort to develop a database  
19 for field capacity was found to be - they decided the  
20 Yucca Mountain dataset was insufficient. It's very  
21 small. There was not a large database.

22 The - my preceding speaker was speaking of  
23 Hanford, and that's actually the source of the field  
24 capacity data at Yucca Mountain.

25 They - the project investigators used a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 very large and robust source of field capacity and  
2 other soil hydraulic characteristics from Hanford, and  
3 linked them to Yucca Mountain through what is called  
4 a pedotransfer process in which one compares the soil  
5 texture and grain size distribution.

6 When you achieve some convergence between  
7 characteristics in terms of the physical attributes of  
8 the soil - grain size, textural classification and  
9 grain size distribution - one can then assume that the  
10 hydraulic properties are similar.

11 So the Sandia approach to developing a  
12 database for field capacity in particular was to use  
13 this pedotransfer process to bring in analog soils  
14 from the Hanford reservation.

15 Did that make sense the way I explained  
16 that?

17 DR. HINZE: No, it does. The Sandia - did  
18 Sandia go out and redo any of the measurements?

19 MR. PETERS: No. The lead lab did not  
20 collect any new data at all. They visited the site;  
21 they observed; they walked around and kicked the rocks  
22 so to speak. But they did not collect any new data  
23 about soil thickness or any of the other parameters.

24 DR. HINZE: Now you mentioned that the NRC  
25 is doing some field studies?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PETERS: We hope to be able to collect  
2 some additional data if we are given the opportunity  
3 to do so. But in the past we have collected our own  
4 data on soil thickness and certain other physical  
5 parameters.

6 DR. HINZE: And these previous measurements  
7 have corroborated the USGS INFIL basic data?

8 MR. PETERS: Our data fall in the same  
9 range as those used in the project.

10 DR. HINZE: So it's basically how that data  
11 is distributed over the - that is where the rubber  
12 meets the road.

13 MR. PETERS: Yes, and when you are doing  
14 the stochastic simulations, the probabilistic  
15 simulations, how you sample from that distribution  
16 becomes an important factor. If you assume a uniform  
17 distribution versus a log uniform distribution you are  
18 going to get different results, because you will see  
19 more central tendency values in that log uniform  
20 distribution.

21 DR. HINZE: Going back to one of the things  
22 that Dr. Croff was mentioning, is there any  
23 consideration by either Sandia or the USGS of the  
24 effect of high intensity precipitation events?

25 MR. PETERS: The simulation of future

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 precipitation is done on a stochastic basis, and they  
2 do have low probability high intensity events in their  
3 simulation. So yes, there are - the average precip  
4 right now is about 200 millimeters per year. For the  
5 monsoonal climate it's assumed to be on the order of  
6 400 - I'm speaking of very round numbers of course.  
7 Glacial transition in the 250 to 300 millimeters per  
8 year; that is precipitation, water entering the system  
9 from the top.

10 They go up to almost 800 millimeters per  
11 year in their range of values sampled for future  
12 precipitation, 753 I believe is the highest value that  
13 they sample from. But it has very low probabilistic  
14 weight.

15 DR. HINZE: In terms of - if you do have  
16 the opportunity to do some field studies, where do you  
17 feel the most critical measurement - what are the most  
18 critical measurements you can make in terms of trying  
19 to make some sense out of these differences?

20 MR. PETERS: Well, our own work, and as I  
21 mentioned earlier, the Department of Energy's work,  
22 indicates that soil thickness dominates uncertainty;  
23 and therefore, the more data you have about soil  
24 thickness perhaps you can narrow that range and get a  
25 more robust estimate.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           That would be, if I had the opportunity to  
2           have more data, that would be my first choice, would  
3           be to have more information on soil thickness and on  
4           bedrock hydraulic conductivity.

5           DR. HINZE: Let me get to the bedrock  
6           hydraulic conductivity.

7           MR. PETERS: Infiltration tests?

8           DR. HINZE: If I understand correctly you  
9           will - you and Tim McCartin will be - or Tim McCartin  
10          will be presenting some of your results on  
11          infiltration at the September meeting.

12          MR. PETERS: A little bit of reservation  
13          about the timing. We have to follow EPA. They have  
14          not promulgated their new standards.

15          DR. HINZE: I understand.

16          MR. PETERS: And once they do that we will  
17          propose to the commission our standards, and we have  
18          been doing infiltration studies all along to support  
19          the LA review and the Part 63 revisions. Once that  
20          effort is complete we will be making those results  
21          publicly available.

22          DR. HINZE: There will be a new AMR with  
23          the Sandia results?

24          MR. PETERS: Yes.

25          DR. HINZE: And you will be assessing that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 AMR?

2 MR. PETERS: When it becomes available we  
3 will certainly read it to gain an understanding. We  
4 will be really reviewing it as part of the license  
5 application. I am assuming that based on the timing  
6 those are going to be in close proximity.

7 DR. HINZE: That was my next question. Is  
8 there any chance that that will be done so this  
9 committee will be hearing about that before the  
10 license application? Do you have any idea?

11 MR. PETERS: Our best estimates from the  
12 Department of Energy are that the infiltration AMR,  
13 which is in the review process now - it's been  
14 finalized from Sandia's perspective coming out of the  
15 lead lab. It's just undergone this audit in June, DOE  
16 line management has to review it as well.

17 So I would assume late summer, early fall  
18 is when we are most likely to see that become  
19 available.

20 DR. HINZE: Let me ask one final question,  
21 and that's the question that Mike Ryan asked somewhat  
22 differently.

23 He asked about dopes (phonetic). What  
24 about deep percolation? How much is this difference  
25 going to affect the deep percolation?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PETERS: We have not seen any results  
2 from the department on that.

3 DR. HINZE: Any indication?

4 MR. PETERS: The TRB meeting also had a  
5 presentation on saturated flow, and they generally  
6 have lower values than that model of infiltration. So  
7 we are looking forward to understanding in greater  
8 detail how the Department of Energy's two different  
9 models link up.

10 DR. HINZE: With that I will open it to the  
11 staff or to the public.

12 Did I also - West Patrick was supposed to  
13 be on the line and I forgot to ask about that.

14 Wes, are you on the line?

15 (No response)

16 MR. PETERS: He can call me any time.

17 MR. HAMDAN: Gene, to me the most important  
18 question is the one that Mike Ryan asked, which is the  
19 so what question. And that is the impact of the  
20 change of efficient rate in performers. And if I were  
21 to do this, it seems to me that the first thing I  
22 would do is run - I don't know about DOE, you know, I  
23 will not speak for them, because they are probably  
24 doing that - but in the TPA code we have - the TPA  
25 code we have done a sensitive analysis and in fact,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there was a reason why the infiltration was rated as  
2 medium risk. It came from the sensitive analysis.

3 So you can almost say that we have already  
4 on the TPA code you know, maybe years ago, two years  
5 ago. And at least to my understanding a conclusion  
6 was that the coefficient rate is not that significant  
7 a factor in its impact on the dose. So I'm - it seems  
8 to me that if I were to do this, I would first do the  
9 sensitive analysis to verify that the impact is big or  
10 small before I do this. You may still want to do  
11 this, but I'm surprised, you know, when the question  
12 comes, what is the impact on the dose, that's  
13 surprising.

14 MR. PETERS: We haven't done it, because  
15 this is DOE's work product. So in terms of the values  
16 that we - that the NRC staff has always used are much  
17 closer to these kinds of numbers for present day  
18 climate. The numbers that are in the TPA older  
19 versions are similar to the measure of central  
20 tendency you see up here out of the MASSIF model.

21 From those we get medium significance to  
22 risk because those waste packages don't fail in the  
23 first 10,000 years, or very few of them do.

24 MR. HAMDAN: I think the medium  
25 significance comes from the sensitivity of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis.

2 MR. PETERS: Yes.

3 MR. HAMDAN: I think the medium  
4 significance comes from the sensitivity analysis,  
5 would you agree?

6 MR. PETERS: And the most sensitive  
7 parameter within that is soil thickness. All the  
8 variation in infiltration derives, most of it, from  
9 variation in soil thickness, which is a very difficult  
10 parameter to pin down. When you are standing at Yucca  
11 Mountain - I know you - we've all been out there - you  
12 could poke a piece of rebar in the ground and find one  
13 inch; move over on the other side of your body and get  
14 six inches.

15 So there is a great deal of natural  
16 variability in the system.

17 MR. HAMDAN: Thank you.

18 DR. HINZE: Further questions?

19 If not, Gene, we very much appreciate this  
20 excellent presentation. We'd like to have you come  
21 back just as soon as you want to, perhaps even before.

22 (Laughter)

23 With that, I'll turn it back to Dr. Ryan.

24 CHAIRMAN RYAN: I think that we have  
25 concluded the day's business, so I will adjourn the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meeting at this point. Thank you very much.

2 (Whereupon at 4:52 p.m. the  
3 proceeding in the above-  
4 entitled matter was adjourned)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25