

Official Transcript of Proceedings

NEAL R. GROSS AND CO. M.M.P.P.O.N

Title: Advisory Committee on Nuclear Waste
187th Meeting

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Wednesday, March 19, 2008

Work Order No.: NRC-2072

Pages 1-116

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON NUCLEAR WASTE AND MATERIALS

5 (ACNW&M)

6 + + + + +

7 187th MEETING

8 + + + + +

9 VOLUME I

10 + + + + +

11 WEDNESDAY,

12 MARCH 19, 2008

13 + + + + +

14
15 The Advisory Committee met at the Nuclear
16 Regulatory Commission, Two White Flint North, Room
17 T2B3, 11545 Rockville Pike, Rockville, Maryland, at
18 8:30 a.m., Dr. Michael T. Ryan, Chairman, presiding.

19
20 MEMBERS PRESENT:

21 MICHAEL T. RYAN, Chairman

22 ALLEN G. CROFF, Vice Chairman

23 JAMES H. CLARKE, Member

24 RUTH F. WEINER, Member

25
NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NRC STAFF PRESENT:

- CHRISTOPHER BROWN
- LARRY CAMPBELL
- NEIL COLEMAN
- ANTONIO DIAS
- ED HACKETT
- LATIF HAMDAN
- NATHAN SIU
- DEREK WIDMAYER

ALSO PRESENT:

- ANDREW BARTO
- *CARLYN GREEN
- *JUDITH JOHNSRUD
- CECIL PARKS
- MERAJ RAHIMI
- EVERETT REDMOND

*(PRESENT VIA TELECONFERENCE)

TABLE OF CONTENTS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

Opening Remarks, Chairman Michael T. Ryan 4

Use of Burn-up Credit for Licensing Spent Fuel

 Transportation Casks:

 Introductions, Ed Hackett 6

 Meraj Rahimi 8

 Cecil Parks 23

 Andrew Barto 61

Presentation by Everett Redmond 106

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(8:27 a.m.)

CHAIRMAN RYAN: The meeting will come to order.

This is the second day of the 187th meeting of the Advisory Committee on Nuclear Waste and Materials.

During today's meeting the Committee will consider the following: use of burn-up credit for licensing spent fuel transportation casks and discussion of ACNW&M letter.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act.

Chris Brown is the designated federal official for today's session.

We received no written comments or requests for time to make oral statements from members of the public regarding today's session. If anyone wishes to address the Committee, please make your wishes known to one of the Committee staff.

It is requested that the speakers use one of the microphones, identify themselves, and speak with sufficient clarity and volume so that they can be readily heard.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 It is also requested that your cell phones
2 or pagers, that you kindly turn them off at this time.

3 Thank you very much.

4 Feedback forms are available at the back
5 of the room for anybody who would like to provide us
6 with his or her comments about this meeting.

7 I'll turn the meeting over to our
8 Congressman member for this session, Dr. Ruth Weiner.

9 Dr. Weiner.

10 DR. WEINER: Thank you, Mr. Chairman.

11 And if we have anyone on the bridge line,
12 could you please identify yourselves right now?

13 MS. GREEN: Carlyn Green with U.S.
14 Consulting Company.

15 DR. WEINER: Thank you very much.

16 CHAIRMAN RYAN: Was there a second party
17 on the line?

18 DR. WEINER: That second party was us.

19 We have today with us a distinguished
20 guest from Oak Ridge National Laboratory, Cecil Parks,
21 who will be discussing burn-up credit. The other
22 members who are here are who will be making
23 presentations are Meraj Rahimi and Drew Barto from
24 SFST, and I call on Ed Hackett to introduce our
25 speakers and open the presentation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HACKETT: Very good. Thank you, Ruth.

2 And we're glad to be here. I feel I have
3 to comment in advance. I feel like I'm on the bridge
4 of the Starship Enterprise here since I don't think
5 we've had the privilege of briefing the Committee
6 since you've got your new high tech screens here. So
7 it's pretty impressive.

8 Anyway, as Ruth said, I'm Ed Hackett. I'm
9 Deputy Director for the Spent Fuel Storage and
10 Transport Division in NMSS.

11 And in short overview, why are we here, we
12 had a Commission SRM following your meeting, the
13 Committee's meeting, with the Commission, and I'll
14 just read you from the SRM. They said at an
15 appropriate point in their review of burn-up credit
16 staff should consult with the Committee and report to
17 the Commission on whether there are other sources of
18 fuel burn-up data other than the French data, and if
19 there are alternative ways of getting at the same
20 fundamental parameters, was our tasking from the
21 Commission.

22 So to that end, that's formally why we are
23 here. Also to that end, the staff convened an
24 internal burn-up credit workshop in February of this
25 year, including representatives from a lot of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 offices that are here with us today, SFST, the Office
2 of Research which has an important role in this regard
3 relative to execution of the research program at Oak
4 Ridge and other locations, representatives from NRR,
5 and of course, the Oak Ridge National Laboratory.

6 Two ACNW&M members were also available to
7 observe those proceedings.

8 I think we made significant progress in
9 that workshop relative to the Commission tasking, and
10 that's what the staff will be here primarily to report
11 on today.

12 I will also mention that we're aware that
13 the industry is working on developing a position paper
14 on this topic and the use of burn-up credit, and we're
15 working closely with them in that regard also.

16 Following your deliberations here, we are
17 requesting a letter from the Committee regarding your
18 views and your recommendations in this area.

19 And lastly, I'll say we're also aware
20 obviously that this is likely to be our last formal
21 briefing before the Committee, and speaking for SFST,
22 I wanted to compliment the Committee and thank you for
23 many past productive interactions. We'll be looking
24 forward to a continuation of our interactions under
25 different auspices, I guess. My understanding we'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 be under the auspices of the ACRS.

2 So, again, thank you for many past
3 productive interactions.

4 With that, as Ruth said, I'll go ahead and
5 introduce the staff. From the staff we have Meraj
6 Rahimi, who will open the meeting and Drew Barto from
7 the SFST staff, and as Ruth noted, Dr. Cecil Parks
8 from Oak Ridge.

9 And that ends my opening remarks. I'll
10 turn to Meraj.

11 MR. RAHIMI: Ed. Thank you, Ruth.

12 Good morning. This morning we're going to
13 talk about the --

14 CHAIRMAN RYAN: Someone joined.

15 DR. WEINER: We have someone on the bridge
16 line. Could you introduce yourself, please?

17 DR. JOHNSRUD: This is Judith Johnsrud.

18 DR. WEINER: Thank you, Dr. Johnsrud.

19 Go ahead, Meraj.

20 MR. RAHIMI: This morning I'm going to
21 talk about the use of burn-up credits for design of
22 criticality safety systems. In PWR spent nuclear
23 fuel casks, I'm using the term "casks" generically to
24 refer to both from the licensing term "transportation
25 packing." That's a licensing term that we use for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 transportation casks. So when I use the word "casks"
2 or "storage casks" in transportation packaging.

3 The agenda for today, I'll go ahead and
4 give you a brief background, you know, more on the
5 terminologies to make sure everybody is on the same
6 page. I'll talk about briefly criticality safety
7 analysis sequence for spent fuel pools' racks, which
8 these days these racks are high density racks or burn-
9 up credit racks because early '80s, you know, all the
10 reactors started going from low density to high
11 density racks, which really these are burn-up credit
12 racks.

13 Now we'll talk about the criticality
14 safety analysis sequence briefly for spent fuel cask
15 and try to make a comparison within the two types of
16 analyses.

17 Cecil will go into detail about the
18 validations of these analysis, which really that's one
19 of the main points of these presentations, you know,
20 about the validation of computer codes, diffusion
21 codes, criticality analysis codes.

22 Followed by Drew. Drew will do a brief
23 overview of criticality risk in cask and how we're
24 planning, you know, to use that risk to go back and
25 look at some of our criterion assumptions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Background. Burn-up is the -- really,
2 let's define burn-up, how we definite burn-up in burn-
3 up credit analysis. Burn-up is the amount of energy
4 released from a fuel assembly in the reactor core,
5 which is in the units what we call the megawatt-days
6 per metric tons of initial uranium. That's the unit
7 that we associated with the burn-up of the fuel, and
8 always the burn-up results in the overall reduction of
9 the fuel assembly reactivity.

10 On the reactor side, in order to maintain
11 the critical condition, actually burn-up as the
12 reactor operates, burn-up becomes sort of a liability
13 in terms of maintaining critical condition for power.

14 So as the result of the burn-up of the fuel, it is
15 being compensated by the reduction in the boron
16 concentration normally, and eventually when you go all
17 the way through zero ppm, you will have to refuel.

18 So it is a fuel assembly losing its
19 reactivity as a function of burn-up.

20 Now, we come to the goals. The goal is
21 for the spent fuel pools to maintain subcriticality
22 condition. We don't want critical condition. So in
23 that case actually burn-up becomes an asset, and since
24 it becomes an asset, that's why we call it burn-up
25 credit, and it is used as part of the criticality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 safety control system for the racks or for the casks
2 in addition to the poison plates that are use.

3 Now, to predict a critical condition in
4 the reactor pool, subcritical conditions for the pools
5 or casks, the computer codes, they need to be
6 validated or benchmarked or calibrated. You've got to
7 sort of demonstrate, indeed, that you have a good
8 tool, that your codes can really predict the separate
9 k-effective or critical k-effective in the reactor
10 core came out very well.

11 And for the reactor cores, which is a very
12 controlled environment, computer codes are validated,
13 you know, over time. Every time you shut down the
14 reactor, you know, and you want to bring it back on
15 line, you predict with your code, okay, what is a
16 critical boron concentration.

17 You bring it on line. Indeed, you do a
18 comparison and see how your code predicted, and over
19 time it improves your code to do that prediction. So
20 on the reactor side, we have that constant feedback
21 that really you sharpen your tool so that you have
22 that advantage.

23 This is a very controlled environment as
24 well, and we come to the spent fuel pools, that there
25 are some controls in the pools, you know. It's not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 like, you know, reactor core. Control rods go on
2 concentration. You do have, you know, heavy boron
3 concentration that is used as really defense-in-depth,
4 and the computer codes are also validated, but you
5 don't have that constant feedback, but instead you
6 have that heavy boron concentration, that you have a
7 really big safety margin in there, you know, that you
8 use a defense-in-depth.

9 Just briefly I want to say what are the
10 regulations for spent fuel pool burn-up credit racks
11 because that kind of help transition to the cask. The
12 requirements for the spent fuel burn-up credit racks,
13 general design criteria under 10 CFR 50, it says that
14 prevention criticality jurisdiction, hammering, and
15 specifically you go to 50.68 where you see that the
16 requirements are spelled out.

17 And if the credit is taken, the regulation
18 allows for the rack designers with the licensee, if
19 they want to take credit for some of the boron in the
20 pool, they have to maintain subcriticality below .95.

21 However, if they want to take credit but
22 they have to demonstrate that without boron, and that
23 requirement really simulates the boron dilutions -- we
24 have in reactors a possible boron dilution scenario --
25 that the requirement should be you have to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 subcritical, below one, without any boron in there.

2 Normally there are about 2,000 ppm boron
3 in the pool. So it's part of the demonstration that
4 you have to show that you're still below one without
5 any boron, but of course, you always recognize, you
6 know, the fact there is a significant amount of boron
7 in the core.

8 This is a very sort of simple analysis
9 sequence for the burn-up credit racks of the spent
10 fuel pools. I mean, the spent fuel pools, the racks,
11 in early years they loaded the rack. They used to
12 assume fresh fuel, but you know, in the '80s, because
13 of the need for additional storage in the pool, they
14 were to -- the burn-up credit records, and now the
15 analysis sequence is that you do your depletion
16 calculations using fresh fuel, using the fresh fuel.
17 You put the fresh fuel in the depletion code, and you
18 do your depletion analysis, and then all of your
19 isotopics, they feed into the subcritical code or the
20 T-newt code or the CNP code. You do what we call a
21 criticality analysis. In this case we're trying, you
22 know, to be subcritical. So subcriticality analysis,
23 then you construct a loading curve as a function of
24 burn-up, and you load your racks.

25 Now, as part of the benchmarks, as you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 see, they do two sets of benchmarks, one in the
2 depletion side, and on the depletion side, the
3 implementation of that requirement that I showed in
4 terms of criteria, they say, well, you know, all we
5 can do, you can assume there is a bias associated with
6 your depletion analysis. That bias is about five
7 percent reactivity decrement.

8 And what that translates is about one and
9 a half percent delta k. This is what the staff of NRR
10 over the years, this is what they have come up with
11 based on the experience they have, that this is
12 adequate, this bias, to account -- this quantity is
13 adequate to account for any biases, uncertainty that
14 there are on the depletion side.

15 Now, also, on the criticality analysis
16 side of the codes, they assume that they report for
17 the licensee to run a set of benchmarks. These are
18 the fresh pool critical benchmarks in order to have a
19 good idea, indeed, the code works well and if they
20 have adequate bias in there. Again, all of those are
21 spent fuel, but given really the pool is always under
22 about, you know, 2,000 ppm all the time, I mean, this
23 is more like risk informed, that this belief this is
24 appropriate and adequate, what is done on the pool
25 side.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So this is kind of a very simplistic view
2 of how the critical analysis sequence for the burn-up
3 credit racks.

4 Now we move to the casks. Now, for casks,
5 we've got the storage cask. We've got the
6 transportation cask. Right now for storage cask, we
7 allow the licensee to really rely on the boron in the
8 pool as the primary criticality safety -- one of the
9 primary criticality safety controls because they are
10 in play in most of them. We have the plates in the
11 cask, but boron in the pools is used as the, you know,
12 primary criticality control, and the burn-up as
13 associated with fuel, it's kind of used an
14 unquantified safety margin.

15 So when it comes to the storage cask
16 during loading in the pool, and of course, once they
17 load it, they put it out on the storage pads, and
18 there is no credible event that would introduce water
19 into the storage cask sitting on the pad.

20 That's how it's done for the storage cask.

21 Now, for the transportation cask, which is
22 different than storage cask, different than the burn-
23 up credit racks, these are the casks that are on
24 public highways, public roads, railroads. So it's
25 going to be in an environment that there is no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 control. So everything is passive. Everything, I
2 mean the whole safety system.

3 So the idea is less control. The
4 regulation calls that you should assume that there is
5 fresh water in the cask as a design basis, and also
6 another thing with the transportation cask, now since
7 we're talking about a different environment, so we
8 need to be a little bit sharper. We need to sharpen
9 our pencils in terms of we have to have that high
10 degree of confidence in predicting the subcriticality
11 value, the k-effective.

12 Regulation, or course, you have
13 transportation casks and that says what I just said,
14 that you have to assume as a design basis, you know,
15 that the cask is flooded with fresh water, and that
16 accomplishes really possible events during transport,
17 loading, unloading, all of the events. Because once
18 we certify this cask, it is a generic certification.
19 It is not a site specific for transportation cask.

20 And also there is another requirement
21 under 83, 71.83. Last how we used to do it, it says
22 that if there are uncertainties or other isotopic
23 content of the fuel, spent fuel, you have to assume
24 the most, you know, reactive condition, assuming fresh
25 fuel, and that's how it used to be really in the past

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 because the cask vendors didn't need, you know, the
2 burn-up credit because what was driving the cask
3 design, it was heat, radiation, because they were
4 designing for young fuel, for newer fuel.

5 But now, we know moving to the older and
6 colder fuel, which heat and radiation is no longer the
7 driving design parameter, it's more criticality. So
8 they need whatever space they need inside the cask to
9 use in order to increase their payload.

10 So now criticality has become the driving
11 design parameter, and that's why, you know, they want
12 to quantify, okay, these uncertainties. They can take
13 credit for the fact that the spent fuel assemblies,
14 they have less reactivity associated with them as
15 opposed to the fresh fuel.

16 This is how the fresh fuel analysis used
17 to be for the cask, you know, the vendor. Assume the
18 poor criticality, but the fuel was fresh because
19 that's the most conservative assumption you can make,
20 you know, with respect to criticality.

21 Assume fresh fuel. They put it directly
22 -- they modeled it in the 3D code, the Monte Carlo
23 code, MCNP t-newt code. These are the Monte Carlo
24 codes, and they ran subcriticality, and what was
25 basically recorded as part of the benchmark was only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this part because the assumption was fresh fuel. So
2 the only benchmark they needed to do to benchmark, the
3 cross-section for the fresh fuel because that's how
4 they announced it. No one was asking that because
5 they made conservative assumption.

6 CHAIRMAN RYAN: How conservative?

7 MR. RAHIMI: Conservative. If you assume
8 that that is fresh fuel, they calculated fresh fuel.
9 They design for .95 actually, but if you take the
10 burn-up credit, it would be .65.

11 CHAIRMAN RYAN: Conservatism.

12 MR. RAHIMI: That's right. It 30 percent.
13 You know, they have margin in there. So we didn't
14 really need to ask for the other stuff.

15 Now we come to the burn-up credit cask
16 now. As you can see now similarities within the burn-
17 up credit racks and casks, and what I've highlighted
18 here are the additional boxes that sequence for the
19 burn-up credit racks.

20 Now, why do you report this? Because we
21 go back, that these are the transportation casks.
22 This is our practice, and we have to really know,
23 sharpen our pencil, as opposed to a pool which they
24 have really a lot of margin in their 2,000 ppm,
25 although the analysis they have done was for zero ppm,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 but it is always, you know, you have that knowledge
2 that in reality the pool has got boron.

3 So for the burn-up credit analysis
4 sequence now, the task, you know, what racks, you can
5 start with the fresh fuel. You run your depletion
6 analysis, and you put in the isotopic constitution,
7 the criticality analysis. You put loading, the
8 loading curve, and you load the cask.

9 So the first thing that is different from
10 the racks, burn-up credit racks, as you can see now is
11 the fresh water environment here. We can't assume
12 there is boron, and then on the depletion analysis,
13 the benchmarking, the calibration of this part of the
14 depletion code, we require the isotopic, isotope-by-
15 isotope benchmarking. That's another thing that is
16 different.

17 And based on that, you derive whatever
18 biases and synergies are that feeds into your decision
19 analysis. Under subcriticality analysis, in addition
20 to the fresh fuel, the staff, SFST, you know, their
21 criteria is, well, you need all of this, again, fresh
22 water environment we are in. You had better also look
23 at the other benchmarks because, after all, you're
24 assuming spent fuel. You are no longer fresh fuel,
25 and we need to know how good your cross-sections are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for plutonium, for fission products.

2 Before you didn't need to do that because
3 you were assuming fresh fuel assumption. It was
4 conservative, plenty of margins.

5 So these are the additional benchmarks
6 that they need to do in order really to have a good
7 handle on the biases and uncertainties associated with
8 the cross-sections of any isotopes, actinides and
9 fission products.

10 And also in addition, there's another
11 yellow box here on the SFST. The staff requires the
12 licensee to do some type of verification prior to
13 loading the fuel in the cask to prevent any issue.

14 Again, because of the environmental
15 difference, we want to have high confidence, indeed.
16 You know, if it's out on the public highway, water,
17 you know, enters into the cask, it remains, indeed,
18 subcritical according to the prediction, and there are
19 no misloads.

20 So this is the sort of sequence for the
21 burn-up credit cask, and Cecil next is really going to
22 focus on these boxes and why we require these
23 additional benchmarks.

24 MR. HACKETT: Meraj, if I could, I wanted
25 to make a comment before you guys transition. This is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Ed Hackett, SFST.

2 The theme here, and I think Meraj got to
3 it, is of course we're aware that there are nested
4 conservatisms, as the Chairman noted, in this process,
5 and the big focus of our burn-up credit workshop was
6 to look at operating on those conservatisms and seeing
7 where we might be able to come up with alternate
8 approaches or potentially in light of having some
9 additional data or other knowledge could we make a
10 dent in those.

11 So there's a theme there that I wanted to
12 make sure that we had that focus before we transition
13 to Cecil's presentation.

14 Thank you.

15 CHAIRMAN RYAN: That's helpful. I hear a
16 difference between .65 and .95 as k-effective. That's
17 a huge difference in criticality risk. It's not a
18 small one. It's a huge one. So I'm interested in how
19 you've explored that in a risk-informed way, as
20 opposed to making conservative assumptions and just
21 accepting the fact they're okay.

22 MR. HACKETT: Good point. I'd make one
23 further comment in that regard. As Meraj has
24 mentioned, of course we're currently constrained by
25 the regs. which are deterministic and conservative, as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we know. That's not to preclude us from going down a
2 risk-informed path which might eventually lead to
3 rulemaking in this area. That's obviously premature
4 at this point, but --

5 CHAIRMAN RYAN: Or more importantly,
6 insight as to what it means to say, "I've made a
7 conservative assumption." I mean way far away from
8 any risk, are you relatively close to it or where are
9 you on that?

10 MR. HACKETT: Exactly.

11 CHAIRMAN RYAN: Because we make bounding
12 type analyses very conservatively, you don't know
13 where you are relative to the risk.

14 MR. HACKETT: Right. Good point.

15 CHAIRMAN RYAN: That's what we're looking
16 to get an insight into, or at least I am.

17 DR. WEINER: Okay. Go ahead.

18 MR. RAHIMI: I should stress now that the
19 conservative that we talked about, we lost that now
20 with the burn-up credit. When we enter into the burn-
21 up credit area, we no longer got fresh fuel assumption
22 that big .3 k-effective we were talking about. So,
23 you know, the approach is to take away that and use
24 all of that margin. That's really --

25 CHAIRMAN RYAN: What's going to be helpful

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to us is to hear the details and the analytic
2 information about how different you are from that case
3 and have you given up all that .3 or half of it or one
4 percent of it or where are you.

5 MR. RAHIMI: Okay.

6 DR. WEINER: Go ahead.

7 MR. PARKS: I'll talk a little bit about
8 the validation data for PWR. I'm going to focus on
9 pressurized water reactors. That's where burn-up
10 credit has been needed and desired over the years, and
11 this is something that has been investigated for a
12 number of years, and so we'll try to give a little bit
13 of background there as I go through it.

14 What I'm basically going to cover is why
15 and how validation is done, and then sort of shift to
16 what needs to be validated relative to what we're
17 talking about today, transportation packages with
18 spent fuel, and then what those data sources are for
19 the burn-up credit validation, you know, where we've
20 looked for data, what data has been found, and how
21 that is applicable to the areas of interest that we're
22 discussing.

23 If I go to fast, just slow me down, but I
24 plan to sort of go through this and kind of hit the
25 highlights of the things as I move through.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The first thing I guess I wanted to say is
2 that the software validation that is done under Part
3 71 is consistent with the well established standards
4 that are both domestic and internationally held for
5 criticality safety outside of reactors. There's three
6 ANSI standards that are consistent in what they put
7 down as requirements for validation: to look at both
8 applicability of the experiments and to cover the
9 range of energy and materials that are in the systems,
10 and there's ISO standards, too, which are consistent
11 with those ANSI standards.

12 The standards all require comparison of
13 predicted versus experimental data to obtain basically
14 a bias and bias uncertainty. The goal in all of this
15 checking with experimental data is to come up with an
16 acceptance criteria, and I'll show this in a minute,
17 below which you assume if I calculate below this
18 value, then I am, indeed, subcritical for my system.

19 The ability to demonstrate confidence in
20 the predicted margin of subcriticality is really the
21 focus of what an applicant or the owner of a system,
22 however you define that, is to demonstrate, and the
23 standards indicate it's their responsibility to
24 demonstrate the validation of their codes and data and
25 how they use them for their system that they're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 responsible for.

2 And again, we're looking at credible
3 events, not events that are incredible or not
4 reasonable, although I agree there have been, as you
5 mentioned earlier, Dr. Ryan, some bounding cases that
6 are deemed to be unreasonable when they can't define
7 what credible is, but the standards do call for
8 looking at credible events.

9 Again, if you have a large margin of K-
10 effective predicted, going back to what we talked
11 about earlier, Raj mentioned if you have fresh fuel
12 and you know you have spent fuel in the package,
13 there's about a 30 percent margin there we just talked
14 about, and so the validation can probably be relaxed
15 quite a bit.

16 You know, real systems are now at .95, but
17 the safety assumption has been up at -- excuse me.
18 The real system may be at .65, but the safety
19 assumption of fresh fuel pushes it to .95, a lot of
20 conservatism. So the need for a lot of validation may
21 be relaxed.

22 Another comment is down at the bottom of
23 that viewgraph is that crediting contributors to
24 margin without some adequate validation of their
25 contribution is contrary basically to safety practice.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 It sort of impacts your confidence in the ability to
2 assure subcriticality. It gets back to what you
3 mentioned earlier also, that you need to understand
4 your margin before you can start understanding how
5 conservative you are.

6 This gives you a little bit of what's a
7 typical practice currently in the industry. This is
8 actually a very old slide. So it is illustrating an
9 example, but you gain the confidence, as I mentioned.

10 The criticality is in calculating k-effective. K-
11 effective equal to one would be critical. You gain
12 that by comparing your software to critical
13 experiments.

14 So this slide shows a number of critical
15 experiments. This is a comparison of predicted versus
16 what the actual critical experiment should have been.

17 A one, you see examples were calculated above and
18 below one. The error bars are very large. This is an
19 old slide, just to illustrate there are some
20 statistical errors with the Monte Carlo calculation,
21 and these are very large compared to what we've seen.

22 And what we do now, we run analyses that
23 the error bars would be smaller than those points.
24 But you get a range of data, and you see basically
25 from a statistical standpoint you can predict. If I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 predict one more critical experiment that's actually
2 critical, I'd have a nice option in confidence
3 (phonetic) that that first line, the dashed first
4 dashed line, I'd have nice option in confidence that a
5 single figure calculation would be above that line.

6 Now, if I want to, again, statistically
7 look at a population and did, say, 1,000 more critical
8 experiments, I can, again, statistically come up with
9 a line that says that 999 of the ones I predict will
10 be above that line. So you can get confidence bands
11 on what you want to look at, and this is sometimes up
12 to the reviewer and the applicant both to determine
13 how much confidence they want in their calculations,
14 but again, you compare the critical experiments.

15 The other thing with the slide I'd like to
16 point out is that the comparison to critical
17 experiments can change with energy, you know, the
18 mixture of importance or the system of importance.
19 How well the codes and data predict that system can
20 change with energy, and that's what's applied
21 basically on the X axis.

22 And so there is a desire to make sure that
23 the critical experiments you choose are within the
24 same energy band of the actual system of interest. So
25 a simple example would be fast reactors versus thermal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reactors. There's a very different energy spectrum of
2 interest.

3 Similarly, you can do the same as Meraj
4 talked about for the compositions. For instance,
5 additional complexity to the criticality in which you
6 have to predict the radiation of the reactor; you have
7 to predict the composition of the spent fuel. There
8 is a lot of irradiated -- there's a lot of destructive
9 assay data that has been collected over the years for
10 different programs, and this is an illustrative
11 diagram showing about comparison against samples from
12 five different reactors, and you can see based on the
13 spectrum of isotopes -- and these are largely isotopes
14 of interest to burn-up credit, both the actinides and
15 over on the right the fission products.

16 You know, the number of samples you can
17 see are sort of small with the ones that are outside
18 the major actinides, but also you can do the same type
19 of information. You can get a statistical range of
20 how well you predict against these destructive assays,
21 and some of the cases here, the uncertainties are in
22 the actual assay measurements themselves, but that's
23 factored in.

24 So what is it that we are interested in?
25 We're interested in a transportation package. What's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 happening in the U.S. industry is there really is not
2 a fleet of transportation packages available. In
3 other countries, Japan and Europe, there are fleets of
4 transportation packages, and they're designed sort of
5 like the one on your left. This is the Holtec 24
6 design, which sort of demonstrates the small
7 separation between the assemblies. That water gap
8 allows the neutrons to slow down. So the boron plates
9 are much more effective in controlling reactivity.

10 However, the penalty for that is you
11 spread your fuel assemblies out and you nominally get
12 24 assemblies in a rail package. So as we talked
13 earlier, historically this was fine because you would
14 use fresh fuel assumption. You know, the package
15 designs were driven by limits on heat, limits on dose.

16 As this became not true, as we look at the
17 five-year cooling time requirement for things to ship
18 to the repository, criticality became the limiting
19 criteria because now a high density package over on
20 the right-hand side, you basically lose that -- the
21 boron plates are no longer quite as effective because
22 you've lost that water between them to slow down the
23 neutrons, but now you've got 32 assemblies in a
24 package, and criticality does become the limiting
25 factor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 If you do this with fresh fuel, you will
2 have difficulty meeting the margin, the criteria that
3 has been used.

4 And the validation should consider both
5 applicability to the materials of interest and the
6 system of concern. So in this case, as Meraj
7 mentioned earlier, you have uranium, plutonium, some
8 minor actinides and fission products all in the fuel,
9 you know, boron in the absorber plates. You have a
10 reflector region on the outside. So these are the
11 kinds of things you should be looking for when you're
12 looking for your validation.

13 I'll show another slide a little later.
14 This is a slide just demonstrating that the k-
15 effective and the nuclides are important and will
16 change with cooling time. You know, so what's in the
17 reactor and what happens outside the reactor is
18 different. This covers a very large time frame here.

19 The cooling time is logarithmic scale, and so you can
20 see basically the area of interest for transportation
21 is five years, which is shown here out to about 200
22 years. I mean, that's what has been used in a lot of
23 the work we've done for research in terms of thinking
24 about time frames of interest for interim storage and
25 transportation. It's about 200 years. So you can see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there's quite a bit of change down in k-effective.

2 So you can see on the blue curve, the top
3 curve, it's actinide only. That's taking credits for
4 the actinides that are in the spent fuel.

5 The next curve down is actinides in
6 fission products, and you see about roughly for
7 conversation here about a six or seven percent delta k
8 between actinide only and fission products, and that's
9 predicted. There's not validation on that. It's just
10 that we predict with our codes.

11 And then the red curve at the very bottom
12 is sort of a best estimate assuming all of the
13 isotopes we believe to be or that are in spent fuel,
14 and we calculate with the codes assuming all of the
15 isotopes.

16 This is in a spent fuel package, in a cask
17 load with fuel having four weight percent initial
18 enrichment and 40 GWd.

19 Move to the next viewgraph. It's a little
20 bit different look at this. This goes back, I think,
21 to what you were saying a second ago, Dr. Ryan, about
22 understanding how much credit is available and how
23 much has been removed from the fresh fuel assumption.

24 You can see at the top fresh fuel
25 assumption. This is, again, in a package. You can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 see the Y axis indicates it's in this generic burn-up
2 credit cask, high density package, and the X axis is
3 burn-up.

4 And so you see at the top the dashed line
5 indicates if we use fresh fuel in this package, we'd
6 have a k-effective to predict it around 1.14, a little
7 less than 1.15 k-effective, and as you note with burn-
8 up, the red curve shows major actinides. The k-
9 effective goes down significantly, and we see, you
10 know, at 40 GWd about a decrease of about 25 -- about
11 20 delta k.

12 And this is significant credit that has
13 already been provided through the ISG 8
14 recommendations. There's a lot of work done, research
15 support at SFST to develop a technical basis for ISG
16 8, Rev. 2, and this is basically the credit that's
17 given or the credit that's recommended to be given in
18 the regulatory guidance that has been issued.

19 So what's remaining on the lower curve is
20 the delta k between the actinide only and fission
21 products, and one can look at this in one way, sort of
22 taking one position and say, well, that's not very
23 much. You've already given a lot with the actinides.

24 Why do you want this fission product credit? It's,
25 you know, six percent that we discussed earlier.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Well, this is why there's such interest in
2 -- oh, excuse me. Move to that first off. These are
3 the numbers associated with that previous viewgraph,
4 and these numbers are just with the four weigh
5 percent, 40 GWD curve, and so it shows you, again,
6 fresh fuel or about 1.14. You take the major
7 actinides. You lose about 20 percent in delta k. You
8 see the second row over. You get all of the
9 actinides, I guess, about another one percent, you
10 know.

11 CHAIRMAN RYAN: So you may get to this,
12 but let me ask it anyway. You've talked about major
13 fission products, and I obviously understand that the
14 contribution that fission products would make are
15 dependent on the half-lives of the fission products.

16 MR. PARKS: Right.

17 CHAIRMAN RYAN: Are you going to cover how
18 that varies over time or what a major fission product
19 is and discuss that a little bit?

20 MR. PARKS: I guess let me try to answer
21 that now. That's a good question. In terms of what
22 we're looking for is the stable fission products, the
23 ones that won't change in time. Most of the fission
24 products will have very short half-lives and go away
25 within the five to 20-year half-life, but what we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 looking for is those fission products that will build
2 in and will be there throughout the time interest.

3 There is one that is considered. The
4 Samarium 151 has about a 90-year half-life, and that
5 is the only one that has, although others are stable.

6 CHAIRMAN RYAN: So I guess the reason I'm
7 asking this is that's an interesting point. Those are
8 the kind of ones that will be there in a long-term
9 storage situation.

10 MR. PARKS: Right, right, right.

11 CHAIRMAN RYAN: But for the short term,
12 there's also a margin in the shorter lived fission
13 products that can contribute to burn-up credit during
14 the period of, say, zero to ten years or during the
15 period of transport you could actually calculate it
16 for a given shipment.

17 MR. PARKS: There is some -- can you
18 reverse this?

19 In this viewgraph right here, you'll see
20 actually that. You'll see, for example, that middle
21 box on the left. That curve there, that steep curve
22 there at around five years -- I call it "steep." It's
23 the largest on the plot -- that decrease in reactivity
24 is due to the decay of Plutonium 241, and in the
25 build-up of the gadolinium from the europium, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 has a half-life of about 4.7 years.

2 CHAIRMAN RYAN: Okay.

3 MR. PARKS: So those kind of things have
4 been considered. You start looking at less than five
5 years. As you see, this red curve down here is short-
6 lived fission products go away very quickly. They
7 give you a lot of credit when you're pulled out of the
8 reactor, but as xenon and kryptons go away, the
9 reactivity shoots up.

10 And, again, as you move to a longer time
11 frames, and of course, transportation, it depends on
12 how long it's going to be on the storage pad, and the
13 200 years was chosen by the PERT panel the Research
14 put together several years ago as being a reasonable
15 five times 40, the life of a -- I guess it's more than
16 that -- the life of a storage cask on the pad would be
17 an expense.

18 So that's why it's looked at from five to
19 200 years. I haven't quite answered your question,
20 but the goal was that you use stable fission products,
21 which would be around during the time frame.

22 CHAIRMAN RYAN: So you're not trying to
23 take credit for something that is going to vary fairly
24 dynamically over shorter periods of time. I
25 appreciate that. That's that great insight. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 appreciate it.

2 MR. PARKS: I've covered this. These are
3 the six key fission products on the left, and you can
4 see in the red line you get about five percent in this
5 particular case, delta k, and from a percent delta k
6 standpoint, you see very quickly you get 72 percent
7 from the major actinides. The 90 percent comes from
8 the major actinides in the six key fission products,
9 72 plus 18. So you get about 90 percent there.

10 Now, the breakdown of the worth of the six
11 key fission products, why they're important, you see
12 they quickly die off. Four of them have importance of
13 around 15 to 30 percent, and then the last two, cesium
14 and gadolinium, are about half that.

15 Now, you know, all of the other fission
16 products that at least with transportation really have
17 not been considered in terms of moving forward for
18 what we've been doing for research. There's about six
19 percent there.

20 So this just gives you the numbers if you
21 take the four and the line on that previous viewgraph.

22 So why is that six percent so important?
23 Why are these fission products very important? Well,
24 they're very important because this is a loading
25 curve, which I think the Committee has seen before.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So I'll give a brief reminder of what it is.

2 This provides the criteria, again, for a
3 package to be loaded, and you see on the Y axis it's
4 basically the fuel burn-up, and on the X axis is the
5 enrichment, and the goal is to draw a line where if I
6 have -- I can't see -- if you have three percent fuel
7 on the X axis, it's going to take a 40 Gwd burn-up to
8 be loaded, to be acceptable, at least 40 Gwd to be
9 acceptable based on that first curve.

10 So everything to the left of the curve is
11 acceptable. Everything to the right of the curve is
12 unacceptable for loading.

13 And these loading curves represent a
14 constant value of -- in this particular case what
15 we've done here, this is illustrative, but in this
16 particular case, this is .94. We use .94 for
17 administrative margin for our bias and uncertainty.
18 So this is what this is, a constant k-effective value.

19 So if you take the ISG8r2, the current
20 recommendation from the staff, if you use the process
21 that's in that sort of the way we assume it, you know,
22 we were a little bounding in how we did that. You
23 will come out with a curve, this left curve, and it
24 basically indicates you can ship about ten percent of
25 the fuel in one of those high density packages.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Of course, this is not desirable in terms
2 of being able to take advantage of these high density
3 packages.

4 CHAIRMAN RYAN: What's "a little
5 bounding"?

6 MR. PARKS: I'm sorry?

7 CHAIRMAN RYAN: You said you were out a
8 little bounding in that estimate. What does that
9 mean?

10 MR. PARKS: Well, I will discuss that.
11 Basically there is -- basically you can take
12 individual for the assay data. You can take each
13 individual nuclide, like said U-235, how we predict
14 the fat or the plutonium, and you take each one and
15 create what you call isotopic correction factors, and
16 that's actually what this ICF stands for in this label
17 right here.

18 If you take each set and do that
19 independently, you sort of end up getting conservative
20 answers. If you take the whole set and do a best
21 estimate, looking at the whole set of the nuclides,
22 you get a better improvement, and that's really what
23 the second curve is here.

24 If we use best estimate approaches for
25 predicting bias and uncertainty, the curve shifts from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that first curve to the second curve.

2 CHAIRMAN RYAN: The green one.

3 MR. PARKS: The green one, yeah.

4 CHAIRMAN RYAN: And what would the result
5 be in terms of --

6 MR. PARKS: If you look down below, you
7 get about 16 or 17 percent acceptable. Is that what
8 you were asking?

9 CHAIRMAN RYAN: Yeah.

10 MR. PARKS: So the third curve is the red
11 curve, and that's the curve that says, okay, I've used
12 best estimate for the actinides. I've used best
13 estimate, but now I want to get some fission product
14 credit. So the way we've done the red curve is we've
15 said I'm going to pretend that I've got my critical
16 experiments that I want for fission products, and I've
17 got a bias that is probably, you know, I mean, we
18 hope will be reasonable, consistent with what we see
19 for actinides. Again, it gets that .94, and so we get
20 a red curve here that shifts it over to about 670
21 percent.

22 Now, one thing that has been done, if you
23 look down at the bottom on the third curve, we used
24 the best estimate for the actinides because, like I'll
25 show you in a minute, we have a lot of data for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 actinide assays. We don't have very much data for the
2 minor actinides and the fission products. So we've
3 used the independent isotopic correction factors in
4 order to -- because we don't have very much
5 statistical data. We don't have very many samples.

6 So, again, so from the red curve on,
7 moving to the right is basically what we can get is we
8 get more assay data, is I get more assay data and more
9 confidence in the assay data, and that curve will
10 shift to the right.

11 The curve on the very right in a sense,
12 and depending on whose code you use and what kind of
13 best estimate assumptions you want to use, it can be
14 anywhere from 90 to 98 percent, and so it was
15 basically saying, hey, I take my code. I predict it.

16 I'm going to do as best I can. So that's sort of a
17 theoretical limit.

18 You know, the way we did it, using what we
19 thought was reasonable engineering judgment, we come
20 in with about 92 percent.

21 DR. WEINER: So, Cecil, if I could ask,
22 basically the placement of that third red curve is
23 heavily dependent on the validation that you can do.
24 Can I draw that message from you?

25 MR. PARKS: I mean, I would place it a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 little bit differently. If we had data that was what
2 we need and what we think we want, that red curve
3 would shift a little bit, but not a lot. It would not
4 shift a lot.

5 There are some assumptions if you go into
6 this that could change it a little bit, but from a
7 validation standpoint it would not shift a lot.

8 DR. WEINER: Thank you.

9 MR. PARKS: So anyway, you can see in this
10 curve, again, this is overlaid over the inventory,
11 2002 inventory. So you can see to ship a large part
12 of the inventory why industry wants that fission
13 product credit to make these high density packages
14 viable.

15 Okay. Moving forward, the validations.
16 Hopefully I have laid the groundwork for why
17 validation -- is the validation consistent with the
18 standards requires additional experimental data for
19 the fission products. EPRI has concurred that the
20 experimental data, you know -- this is basically a
21 report they issued after ISG8r2 was released. It
22 basically supported that standpoint. They felt like
23 NRC had given pretty much what should be given
24 consistent with the data that was available.

25 This is my personal opinion. That was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 after EPRI looked at what was being done
2 internationally also. It's not like the U.S. was
3 dragging their feet relative to this process. It's
4 consistent with what's been done internationally. To
5 my knowledge, no other country is providing credit for
6 burn-up, burn-up credit for transportation, and
7 particularly not for fission products.

8 And, again, it's because of the lack of
9 validation data. There's an application in front of
10 the German regulatory authorities now, and there has
11 been a paper submitted that discusses the fact they
12 are doing validation in a way that is consistent with
13 the requirements that have been discussed already.

14 So anyway, the sources of data that need
15 to be sought and how they're being sought include
16 domestic experimental facilities and programs,
17 commercial reactor critical configuration, and non-
18 domestic and international programs. I want to
19 discuss each of those briefly and try to give you some
20 insights into what we've seen and what's been done
21 over the years and most recently where we are.

22 I am not going to focus a lot on the assay
23 data because that has not been sort of the focus of
24 the questions that have been asked. I think it's an
25 important component. So this slide summarizes where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we are now with assay data.

2 Again, as Ed said, we've done a lot of
3 work with research, and there's been two goals of the
4 work we've done with research. One was focused on
5 trying to get data for burn-up credit. Another was to
6 look at, you know, high-up uncertainties with sources
7 from high burn-up fuel.

8 And so you can sort of see that in the
9 plot to the right. If you look at the red points on
10 that curve, what this is showing, again, is burn-up
11 versus enrichment, and these two lines are sort of
12 loading curves of the ISG8r2 into theoretical. So
13 somewhere in between is where, you know, hopefully
14 we'd like to be in the future relative to giving
15 credit for burn-up. But ISG8r2 is the upper line, and
16 the theoretical is the bottom line.

17 This illustrates where we have data, assay
18 data. So the red points are actinide only sets, and
19 these were done typically. Historically these assay
20 data, destructive assay measurements were made back as
21 far ago as the '80s, and the interest then, these
22 weren't all done for burn-up credit. They were done
23 for a lot of different reasons, but their focus was on
24 actinides. There was no interest in fission products
25 really, and so you see we have a lot -- not a lot --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 relatively speaking we have a lot of data that's
2 actinides.

3 Now, you move to -- the complete sets are
4 the ones more cent. They're high enrichment and high
5 burn-up. You can see the green up in the upper right-
6 hand corner illustrate where the most recent sets have
7 been obtained, and these are both actinide and fission
8 product data of interest.

9 And then you shift to the bottom right,
10 and there are a couple of sets, the Japanese set and I
11 can't remember what the one on the far right is, are
12 partial sets. That indicates we have maybe a few
13 fission product data in them and may not have all of
14 the actinides we want, but there are partial sets
15 we've pulled from to get to there.

16 We're continuing this work with research
17 to try to identify courses of the assay data, and I'll
18 mention that later.

19 So shifting now to the critical
20 experiments, what's been done? It's been on the table
21 for -- been on the table? -- it's been an area for
22 discussion for at least 15 years doing the critical
23 experiments at Sandia, and Sandia has actually through
24 a DOE nuclear energy program several years ago
25 actually configured the assembly you see in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 picture and did one critical series with Rhodium 103.

2 And we have looked at that, and again, I
3 want to point out here that critical experiments that
4 we've used for benchmarking historically for the past
5 40 or 50 years are well defined laboratory
6 experiments, and so you sort of see. You look at this
7 experiment and you sort of see the simplicity of it.
8 It's relatively clean, fairly easy to model. It's a
9 diagonal pitch, and so you can understand the
10 uncertainties that you're seeing when you compare your
11 software to the experiments, and there's a lot of
12 experiments similar to this, but not with the fission
13 products in it.

14 So Sandia has proposed and what's kept
15 this from happening has been typically funding and the
16 time lag. In other words, if Sandia started now to
17 produce these critical experiments, it's going to be
18 several years before the data is available and can be
19 utilized by industry, and the funding is another
20 issue.

21 The second source of data has potentially
22 been talked about since the late '80s, is commercial
23 reactor criticals. You know, the first thought is,
24 hey, well, you have spent fuel and you have it in a
25 reactor. Why can't we use that for validation?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Well, you can to a degree, but there is,
2 again, in contrast to the previous slides, you can see
3 a reactor has a lot of uncertainties in it. There's a
4 lot of uncertainties that exist. It's a complex spent
5 fuel system. Reactors are not -- and they have become
6 more and more complex over the years as the spent fuel
7 assemblies have gotten more complex in their design,
8 their heterogeneity. They've got a lot of poison rods
9 in them and different issues.

10 So understanding the sources and magnitude
11 of the uncertainty is difficult. You've got to get
12 all of this data from the utilities, but actually
13 Yucca Mountain has done the best job that has existed
14 on that. They have gone and tried to obtain a lot of
15 this type of data from utilities and vendors to create
16 a set of CRCs that is publicly available, and we have
17 worked at Oak Ridge to try to analyze a lot of those,
18 to look for their applicability to these spent fuel
19 packages.

20 But the difficulties come down to they are
21 very complex systems, and the uncertainties are not
22 quantified and somewhat largely because the isotopics
23 that are in the predicted state are not -- it's an
24 interval experiment. You've got all of your predicted
25 isotopics and your critical are all there. It's hard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to determine where these uncertainties come from.

2 And the next viewgraph shows why I say it
3 is complex. That was the top view of the core. This
4 is the axial view of the core. I mean, you've got the
5 fuel rods, the control rods, where you do or don't
6 have insertion rods, burnable poison rods, spacer
7 grids. It becomes a very complex system to analyze
8 when you want to try to understand bias and bias
9 uncertainty.

10 We looked internationally.
11 Internationally this is an example. This is not the
12 only thing that was looked at, but there was a REBUS
13 International Program, which is a lot of partners.
14 Belgonucleaire coordinated this before their recent
15 demise. They have disbanded, but the international
16 program was handled there, and they were going to do
17 some spent fuel criticals they said, and what they've
18 done, what they did was up on the upper left you see
19 the commercial UO_2 case where basically they took some
20 spent fuel rods and they put them down into the core,
21 but you really can't see the difference in k-
22 effective. It had very little effect on k because the
23 core itself is largely UO_2 rods, and they put these
24 spent fuel rods down into the middle.

25 Now, they can see a little bit of a delta

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 k to do some validation by oscillating those rods or
2 putting the fuel in and trying to look at the small
3 difference of K, but they're basically work
4 experiments. The standard fuel has little worth to
5 the system and there's little value to actually doing
6 this fuel validation.

7 In other words, the Monte Carlo codes have
8 a hard time determining what the uncertainty is.

9 So a third thing we did was look at there
10 is an international handbook on criticality
11 experiments. It has been pulled together over the
12 last 20 years and has continued to be added to, and
13 has internationally participants from across the world
14 from Russia. So there's a lot of experiments to be
15 put into this handbook.

16 And we analyzed, to give you a description
17 again of what this plot is you're looking at. On the
18 Y axis is a parameter called Ck, and without getting
19 into the details, we basically looked at and have done
20 sensitivity analyses of all the criticals and the
21 application, and Ck is a measure of the correlation
22 between the experiment and the application of
23 interest.

24 And so Ck is one. We have perfect
25 correlation. Basically my system and my experiment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are exactly alike in terms of materials and geometry
2 and energy and spectra, this kind of thing from an
3 integral standpoint. This is integrated up.

4 So it's a good measure of looking for
5 applicability of critical experiments to the system of
6 interest, and so that's the Ck value.

7 Now look across the bottom. It's simply
8 all of the different experiments we looked at, and we
9 looked at 1,000 or more, and what you see is that the
10 red line indicates that Ck is a .8. The blue line is
11 a Ck of .9, or the dashed line, Ck of .9, and you look
12 and you see, you know, most of the MOX have some
13 applicability, but then what do you see up in the
14 upper right-hand corner? Well, gee, you've got a lot
15 of experiments up there that have Cks bigger than .9.

16 Well, what are they? Those are what we
17 call HTC experiments, and HTC experiments are what I'm
18 going to talk about in a minute, are the French
19 experiments.

20 Now, I will point out there are some of
21 the MOX experiments also have -- when I say "MOX,"
22 some of the uranium-plutonium mixed oxide experiments
23 that have been done elsewhere. There's a few of those
24 that have high Ck values, but not very many. The
25 majority of these up in the upper right-hand corner

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are those bridge experiments, and I'll show you why
2 the French experiments are very applicable to spent
3 fuel.

4 We call these HTC experiments, and I'll
5 have to confess my French is terrible, but this is
6 basically burn-up something in French. It's the
7 acronym for it. So the French experts can chuckle
8 around the room because I don't know my French very
9 well, but this is the acronym the French give these
10 experiments, and they are performed at the Valduc
11 facility in France in the 1988-early '90s time frame.

12 I think it ended up around '92, '93.

13 And what they did was they manufactured
14 MOX fuel pins that were consistent with the ratio of
15 uranium and plutonium you see in spent fuel that's
16 burned at about 38,000 GWD, 38 GWD.

17 So what they've done is whereas MOX fuel,
18 most of the MOX experiments were typically depleted
19 uranium mixed with plutonium and the ratio of the
20 materials is much different. These were simulated
21 spent fuel rods, actinide only, just uranium and
22 plutonium.

23 There's 156 critical configuration in four
24 groups. They have simple arrays with pin pitches that
25 vary, which gives a very good look at understanding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 our code as the pin pitch changes in fuel designs.
2 Forty-one simple arrays with gadolinium and boron
3 solution, vary with pin pitch so that you can -- this
4 is more for borated pool issues.

5 However, Group 3, again, shows us what you
6 want in a transportation package and somewhat in pools
7 also where you have borated steel, Boral or, you know,
8 some kind of absorber panel between the assemblies.

9 And the fourth group is two-by-two
10 assemblies, which really represent a transportation
11 package in that you've got a reflection from thick
12 lead or steel around the experiments. So this is a
13 tremendously nice set of critical experiments which go
14 from simple to complex, and bring in the range of what
15 you're looking for in a transportation package, and
16 they give you a large number of critical experiments
17 that you can have good confidence in the bias and
18 uncertainty that you predict as you compare your
19 codes.

20 And the other thing is I sort of did not
21 mention earlier, and I apologize, is that in the
22 development of ISG8r2, the technical basis that was
23 looked at, there was a lot of questions that came up
24 about the validation, giving as much credit as it was
25 giving for all of the actinide credit that could be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 given in the recommendation because there were not a
2 lot of applicable actinide criticals. There were some
3 with MOX as we talked about.

4 But, again, I think the comfort level the
5 staff had, and it's documented in the technical basis,
6 is that there was this knowledge, this as I mentioned
7 six to eight percent of fission product credit that
8 was there, that although unquantified was there. And
9 so there was some comfort that said, okay, we can give
10 the actinide credit, but we're not comfortable giving
11 the fission product credit until things are shored up,
12 until things are supported better.

13 So this set of experiments provides
14 tremendous support for the actinides. So now you've
15 got very good support foundation for your actinide.
16 You can move on to maybe not worrying as much about
17 difficulty because the fission experiments are very
18 difficult experiments to do. There's no question
19 about that, to try to get a good look into the bias
20 and uncertainty for fission products.

21 And again, the French move forward and did
22 that in pretty much the time frames from the mid-'90s
23 to I think they finished up in 2003. And this is sort
24 of an overview of those fission product critical
25 experiments. These and the HTC experiments have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 repeatedly published in the literature. The details
2 are not available in the literature, but the
3 description of the experiment is in the technical
4 literature in many places because they do hold them
5 for proprietary AREVA, held them for proprietary IRSN.
6 IRSN is also proprietary.

7 So the fission products that are covered
8 are listed here on the first bullet, the rhodium,
9 cesium, adenium and samarium and gadolinium, and
10 again, the type of gadolinium and samarium is
11 important. You can't use natural of these fission
12 products because that's not what's being credited in
13 the fission products. That's really not what's there
14 in the spent fuel. It's not the natural abundance.
15 It's these viruses that come up after irradiation.

16 And these experiments, over on the right
17 there's sort of model that we created that
18 demonstrates that they're basically cans of fission
19 product solution surrounded by UO₂ pins or in some
20 cases HTC pins, and sometimes they also had the HTC
21 pins in an array with the fission product solution
22 intermingled around the array.

23 But what we did in Oak Ridge, again, was
24 to look at the comparison of these critical
25 experiments with the applications of interest to see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 if the similarity was effective enough and how we
2 would use these in doing a bias and bias uncertainty.

3 So I'm wrapping up now in terms of
4 summarizing. The assay data validation, available
5 data sources are domestic assay data and international
6 programs, and that's what we tried to demonstrate that
7 a little bit.

8 Potential data sources for the future.
9 There's ongoing international programs. The Maldu
10 Program is in transition from Belgonucleaire to SKN.
11 It's still ongoing, and they're trying to get more
12 fuel. New partners are joining that program. They're
13 going to get some more assay data, which would be
14 good.

15 There's a planned assay data program being
16 conducted domestically by DOE for the Yucca Mountain
17 Project, which is working to start back up, and that
18 will be a couple of years away before that data
19 becomes available, but there's activities going on.

20 EPRI, we've talked with EPRI. They're
21 working to get assay data, both domestically and
22 through their contacts with the French to get domestic
23 data -- excuse me -- to get to assay data. So those
24 are potential data sources.

25 Our current approach, techniques for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 incorporating bias and bias uncertainty from assay
2 data have been developed, illustrated and documented,
3 and I say that because basically the NRC has Oak
4 Ridge, through work with Research, has issued
5 recommended approaches for doing best estimate bias
6 and uncertainty for assay data.

7 And when I say "best estimate," again,
8 it's trying to look at the data across the whole set,
9 the actinides and the fission products, so that you
10 get some of the compensating whether you're over
11 predicting or under predicting. You sort of
12 incorporate that into your bias so that you get a
13 better, less conservative estimate on your
14 uncertainty.

15 And unfortunately there's a number of
16 experiments, a number of nuclides where there's very
17 few measurements, and some of those are fission
18 products, but there is some assay data that exists for
19 all the key nuclides, and this is so that you can move
20 forward and do something.

21 In contrast, I guess I'll interrupt here
22 and just say in contrast, we don't have critical
23 experiment data for many of the fission products.
24 That's the reason where the critical experiments
25 become an issue, come up over and over.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Third, continued participation in the
2 collaboration with domestic and international programs
3 to acquire and assess experimental data.

4 Now, moving to the criticality experiments
5 and their validation, the French critical experiments
6 using simulated actinide composition of spent fuel
7 have been evaluated. In other words, we have obtained
8 the details of those reports at Oak Ridge. We've
9 analyzed them. We've assessed them and given a bias
10 and the bias uncertainty, submitted those reports to
11 research and SFST also, and they have reviewed them,
12 given us comments back. We're in the process of
13 finalizing those reports.

14 We've also shared those reports with the
15 French. Interestingly enough, the French have made
16 some changes so that they are some of the details that
17 we've picked up on they hadn't documented well or
18 issues that they've changed our reports a little bit
19 and they're getting ready to ready to reissue those in
20 April. And the NRC report will go out in April, and
21 we plan to distribute that for public release this
22 spring.

23 And, again, I say it's public release.
24 Those are proprietary data, and so there's basically
25 an NDA that has to be signed. They can be used for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the purpose of licensing under Part 71, 72, and Part
2 50.

3 MR. RAHIMI: That's for actinides.

4 MR. PARKS: That's for the actinides.
5 That's the HTC data. That's right.

6 The French experiments that include
7 fission products had been received and assessed at Oak
8 Ridge, and we've analyzed them. We have evaluated
9 them and feel like they are what needs to be purchased
10 in order to if you want to do the experiment, if you
11 want to do this now and not wait to do a domestic
12 program that's going to take several years, then you
13 should purchase these now and utilize them.

14 The other sources of available data,
15 domestic and foreign, have been assessed as I've
16 talked about. The quality and extent of the French
17 data exceeds other available sources. It's very clear
18 to us.

19 Potential data sources that could still be
20 looked at. There are some recent experiments that
21 were done in Japan which are going to be publicly
22 available, and should be put into the handbook, but
23 it's unclear as to how applicable they are. We hope
24 to get those assessed. They really have not provided
25 us the fission product solutions to date. They're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 still struggling with getting the chemistry on that to
2 the point where they want to report it. But these are
3 something we're going to look at.

4 The performance of domestic experiments
5 that Sandia has been studied. You know, it's what
6 needs to be done. If funding becomes available to do
7 those experiments at Sandia, how will they be
8 performed in order to provide the -- how would they be
9 designed in order to provide the applicability we want
10 for these type of systems.

11 The current approach recently has been
12 focused on developing the technical basis for
13 utilizing the fission product data, the validation of
14 the fission products, the French fission product data.

15 And I note that other data could potentially be
16 utilized, CRC. However, it would be much larger
17 uncertainties and penalties relative to how that's
18 done.

19 Larry?

20 DR. WEINER: Larry, go ahead.

21 MR. CAMPBELL: This is Larry Campbell,
22 Chief of the Criticality Shield and the Dose
23 Assessment Branch.

24 I just want to make one comment. The
25 French were kind enough to let Oak Ridge evaluate the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 value of their data. However, there's an agreement
2 that that data has to be turned back over to the
3 French. It cannot be issued or released for use
4 unless it's purchased.

5 I just wanted to make that point.

6 MR. PARKS: Yes. One further
7 clarification is what we've agreed to with the French
8 is a right to distribute the data, and if purchased.
9 The other thing is that currently that option to
10 purchase that data currently expires this summer.

11 Now, that doesn't mean it can't be
12 renegotiated and as a matter of fact, we've already
13 mentioned it to them that we'd like to move that, but
14 you know, time is becoming sort of important on making
15 a decision.

16 CHAIRMAN RYAN: What's the price?
17 Everybody is thinking that. I thought I'd ask.

18 (Laughter.)

19 MR. PARKS: That is unfortunately business
20 sensitive. I guess I'll answer it this way. I think
21 it's fair -- I thought about how to answer it -- it's
22 in the millions, which gives people pause because you
23 say, "I'm paying millions for stacks of reports."

24 I would say that I do know from the
25 documentation the French have given us that the cost

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 them to produce those experiments is probably about
2 six to eight times that, and I also know that from
3 estimates we have from Sandia that the cost of doing a
4 domestic program would be at least three times that.

5 CHAIRMAN RYAN: Three times the purchase
6 price.

7 MR. PARKS: Right. Plus you have the time
8 lag.

9 CHAIRMAN RYAN: That's very helpful.

10 MR. PARKS: Yeah. Basically I want to
11 make sure I'm clear about this. I would love to see a
12 domestic program done in America. Our first
13 recommendation when we talked to DOE years ago was to
14 do a domestic program and purchase the data if you
15 want it right away.

16 But you know, those are sort of the facts.

17 CHAIRMAN RYAN: That's very helpful.

18 MR. HACKETT: This is Ed Hackett of the
19 staff.

20 I don't want to put words in Cecil's mouth
21 and he's in a more sensitive position, as Larry
22 mentioned, but in trying to speak for the staff or
23 maybe at least for myself, in the deliberations that
24 we had at the burn-up credit workshop, I'd go so far
25 as to say even though this number is millions,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 probably for the reason Cecil cited and the quality of
2 this data and the potential impact on the regulatory
3 environment, I might go so far as to say this could be
4 a bargain to go ahead and purchase that data for the
5 impact that it could have.

6 DR. WEINER: thank you.

7 MR. RAHIMI: Thanks, Cecil.

8 Now we're going to move to the next
9 presentation. Drew is going to give sort of an
10 overview of the area of the risk, criticality risk in
11 burn-up credit casks and how we're going to use that
12 hopefully risk study in looking back at some of our
13 criteria, you know, implementing the regulation, how
14 to reconsider some of those criteria.

15 MR. BARTO: All right. Thanks, Meraj.

16 As Meraj said, I'm going to talk a little
17 bit about risk related to criticality safety in
18 transportation. I want to talk about some components
19 of risk, of criticality in transportation and, as
20 Meraj said, talk about some things that had been done
21 and some things that we're going to do moving forward
22 related to risk.

23 Now, criticality analyses for
24 transportation of spent fuel under Part 71 have not
25 traditionally considered the risk of criticality as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we've already discussed. The analyses have been
2 performed assuming very conservative fresh fuel
3 composition and fresh water in leakage assumption, and
4 then back in 2002, we were able to develop a burn-up
5 credit methodology for spent fuel transportation, or
6 ISG 8, which was still a very conservative
7 methodology.

8 Now what we'd like to do by considering
9 the risk of criticality in transportation now, along
10 with some of the additional data that we now have
11 available and that may soon become available as Cecil
12 discussed, we'd like to move forward and be able to
13 develop a technical basis for changing our recommended
14 burn-up credit methodology to grant more credit for
15 burn-up, but while still maintaining this high degree
16 of conservatism.

17 Next.

18 Now, when we talk about transportation,
19 we're really not just talking about the time that it's
20 on the road or it's on the rails. Really
21 transportation under Part 71 covers loading,
22 transportation, and unloading and all of the
23 procedures that accompany that.

24 So when you're talking about the
25 transportation phase, which is what we typically talk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about with risk, in order to have a criticality, you
2 need to have a severe accident, severe enough to allow
3 fresh water in leakage, and you need to have this
4 accident in the presence of fresh water.

5 And in addition, you need to have a high
6 reactivity misload in that cask. Now, this is talking
7 about burn-up credit casks.

8 During loading and unloading, criticality
9 would require some event that causes fresh water to be
10 introduced to the package, and in addition to this
11 sort of unnamed event, you also need to have a high
12 reactivity misload.

13 And when we're talking about misloads
14 here, we're not just talking about an operator picking
15 up the wrong assembly and putting it in the cask or
16 picking up the right assembly and putting it in a
17 wrong location in the cask. Thoroughly any event in
18 the supporting analyses for the movement of that fuel,
19 the physical movement of that fuel or any of the
20 verification activities, any event in those activities
21 that would cause an unintended assembly to be loaded
22 in the cask.

23 Now, as far as the probability component
24 of risk, there's been some work done on looking at the
25 probability of criticality, the various phases of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 transportation for burn-up credit casks. There was an
2 EPRI study about two years ago that looked at the
3 probability of criticality during the transportation
4 phase and found it to be very low, as one would
5 expect. Most of that low probability is tied up in
6 simply having a severe accident in the presence of
7 fresh water.

8 CHAIRMAN RYAN: What's "low," Drew?

9 MR. BARTO: I believe the overall
10 probability was somewhere on the order of ten to the
11 minus 13 during transportation.

12 CHAIRMAN RYAN: And, again, from a
13 numerical standpoint, so they're probably a fresh
14 water intrusion during the loading or unloading. I
15 got the impression that you weren't really sure you
16 could tell me what one of those events might look
17 like.

18 MR. BARTO: Well, that's what I was about
19 to get into. Loading we have a feel for. I mean,
20 everything that we've seen loaded is going to be
21 loaded in a Part 50 spent fuel pool with high boron
22 concentration, but really the unloading, we're not
23 aware of what that looks like at this point.

24 CHAIRMAN RYAN: Why is it a credible
25 scenario to evaluate?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BARTO: Right. That's something we're
2 going to have to look at, if it's credible or not. At
3 this point it's difficult to say because we don't know
4 where is the facility or this is going to be unloaded.

5 What does that facility look like?

6 DR. WEINER: You mean unloading from a
7 transportation cask --

8 MR. BARTO: Right.

9 DR. WEINER: -- to some other container.

10 MR. BARTO: Right.

11 CHAIRMAN RYAN: Moving the fuel out of one
12 to the other.

13 DR. WEINER: Yes.

14 CHAIRMAN RYAN: Right?

15 MR. BARTO: Right, or whatever. I mean,
16 you know, it could --

17 CHAIRMAN RYAN: I mean, I understand the
18 interest in fresh water because of the reactivity
19 questions, but I really am struggling with how I could
20 even construct a wild hypothetical as to what that
21 would look like. So I guess that's one of the
22 problems you're going to wrestle with.

23 MR. BARTO: Right, exactly.

24 CHAIRMAN RYAN: Fair enough.

25 MR. BARTO: Okay, and then another

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 complication is, as we've discussed already a number
2 of times, you know, when you're talking about the
3 probability of criticality during transportation, you
4 know, you have a postulated event of getting fresh
5 water in the cask during transportation that has a
6 very low probability. We can argue about what that
7 probability is, but we know it's low, but it is
8 something that's required as part of your design basis
9 under Part 71.

10 DR. WEINER: When you look at the
11 probability of water getting into a cask during
12 transportation, is the fraction of any route,
13 transportation route, part of that probability
14 assessment?

15 In other words, how likely is the cask to
16 be near water in the first place?

17 MR. BARTO: It will have to be part of the
18 -- I can't speak to the exact details of what EPRI has
19 done, but that would have to be part of the
20 consideration.

21 DR. WEINER: Larry Campbell.

22 MR. CAMPBELL: Yes, Larry Campbell.

23 We have recently sent a user need request
24 to Research. It's barely open, for Research to take a
25 look at the risk aspects, but I believe this went over

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 last week, and we're just getting started on it, and
2 any feedback that the Committee could have in this
3 area would be appreciated.

4 We have a feel of the areas we might be
5 looking into, but we're just kicking this off.

6 DR. WEINER: Thank you.

7 CHAIRMAN RYAN: Can you provide us with
8 the text of your request?

9 MR. CAMPBELL: Yes, yes.

10 DR. WEINER: Good idea.

11 MR. BARTO: Absolutely. Now, in getting
12 to misloads, which is one component you need to have
13 for the criticality and burn-up credit cask, the
14 probability of having a misload is also something that
15 has been looked at.

16 As part of the EPRI report that I already
17 mentioned, you know, part of the overall probability
18 of criticality is looking at what is that probability
19 of misload, and they came up with a number on the
20 order of ten to the minus five, possibly lower
21 depending on certain assumptions, and this was based
22 on the information that's available about fuel
23 movements in spent fuel pools.

24 CHAIRMAN RYAN: That's the kind of number,
25 if I may, Drew -- you say ten to the minus five and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 possibly lower based on certain assumptions. So that
2 means ten to the minus five is the highest
3 probability?

4 MR. BARTO: I think that's probably more
5 like an average. Again, somebody --

6 CHAIRMAN RYAN: Well, I've struggled with
7 that because you said ten to the minus five and lower.
8 You said nothing about ten to the minus four.

9 I really think that thinking about this in
10 terms of risk you've really got to get more precise in
11 these numbers and what they really mean from the range
12 of events or processes.

13 MR. BARTO: Right. That's something that
14 we're going to look at again, and this is something
15 that came from an EPRI report.

16 CHAIRMAN RYAN: I appreciate you can't
17 speak to that, but I'm always nervous when I hear
18 somebody give a number and then they say, "Or it could
19 be lower or it could be higher." How much?

20 DR. WEINER: Do you have a comment?

21 MR. HACKETT: I guess I'd comment on that
22 relative to what Larry brought up, Mike, is that is an
23 element of our user need request with Research.

24 CHAIRMAN RYAN: Right. Okay.

25 MR. HACKETT: And of course, it gets into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the area of human reliability assessment, which as we
2 all know, can be a bit a bit of a murky area at times.

3 CHAIRMAN RYAN: But I think the best
4 effort to quantify those things instead of, you know
5 -- of course, the itch is always, well, we'll fall
6 back on a bounding case because it's too high.

7 MR. HACKETT: Absolutely.

8 CHAIRMAN RYAN: And that's what I think we
9 need to avoid.

10 MR. HACKETT: Good point.

11 MR. BARTO: And then, again, we're just
12 getting started on sort of our own look at this, and
13 as part of this Oak Ridge National Lab is preparing a
14 draft NUREG on burn-up verification overall, but part
15 of that is another look at what is its probability of
16 having a misload.

17 DR. WEINER: Well, there must be available
18 data on the probability of misloads. I mean, misloads
19 happen.

20 MR. BARTO: Right, and there is data
21 available about spent fuel pool movements, and there
22 is data available about cask loadings at this point.
23 You know, what there isn't is there's not any data
24 available about burn-up credit cask loadings, or at
25 least not a lot of it to be able to say we've loaded

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 1,000 casks under this burn-up credit assumption and
2 misloaded so many of them. You know, that data just
3 isn't there.

4 But you're right. The next best thing is
5 looking at movements within pools.

6 MR. RAHIMI: That's what Oak Ridge, you
7 know, has looked at, looked at all of the reactor
8 event reports, misload in the rack, burn-up credit
9 rack, and you know, drawing inference from that, and
10 we do have also some misload data into casks.

11 But as Drew said, you know, we don't have
12 data in misloads in burn-up credit casks.

13 DR. WEINER: Yes, I understand that.

14 Sorry. Go ahead.

15 MR. BARTO: No, that's okay.

16 Now, our current ISG 8 guidance FOR burn-
17 up credit recommends a burn-up measurement, an out-of-
18 reactor, in pool measurement in order to reduce this
19 probability of a misload, and again, at the point of
20 drafting an ISG 8 guidance, we didn't really have
21 information about the probability of a misload, but we
22 wanted to reduce the probability, whatever it was.

23 So we are, again, as I've just discussed,
24 we're having Oak Ridge do a draft NUREG on burn-up
25 verifications overall.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: This is out of ignorance I
2 ask this question. So I apologize, but a severely
3 under burned fuel could be two things. One is a few
4 elements that are different than the one you thought
5 it was. It's a newer fuel element.

6 MR. BARTO: Right.

7 CHAIRMAN RYAN: Or a fuel element for
8 which the burn-up that you thought was there is not
9 what's there. Can you talk about what's the more
10 likely mistake?

11 MR. BARTO: Well, I think it's probably
12 more than likely that you -- well, when I say severely
13 under burned assembly, I just mean a fuel assembly
14 that exists in a pool that does not have a lot of
15 burn-up, and you know, for whatever reason fuel
16 assemblies have been removed from cores after --

17 CHAIRMAN RYAN: So you're taking the wrong
18 one than the one you thought you had or it's just not
19 well understood?

20 MR. BARTO: What I'm talking about --

21 CHAIRMAN RYAN: You understand there's
22 several different errors that can occur when you pick
23 the wrong element. If I said I picked Element 62 and
24 I actually took it --

25 MR. BARTO: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: -- and there was something
2 wrong with the calculations for Element 62, that's one
3 kind of mistake.

4 MR. BARTO: Exactly.

5 CHAIRMAN RYAN: And if it's I picked 63
6 instead of 62, that's a different mistake.

7 MR. BARTO: Right.

8 CHAIRMAN RYAN: So are you going to look
9 at both of those kinds of cases?

10 MR. BARTO: We're going to look at that,
11 and I think our early indications is that the
12 probability of an operator simply picking up the wrong
13 assembly is something that's fairly low.

14 CHAIRMAN RYAN: Fairly low, being backed
15 out at the ten to the minus 13, tenth, sixth?

16 MR. BARTO: I couldn't give you an
17 estimate of that, but low, probably lower than that
18 ten to the minus five. I mean, it's hard for me to
19 really --

20 CHAIRMAN RYAN: So actually what we're
21 talking about is picking the wrong fuel element. It's
22 more likely that the knowledge of a fuel element is
23 insufficient to really verify that the burn-up credit
24 you're giving to that fuel element, you know -- that
25 that could be an error. That's the real issue that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we're looking at here; is that right?

2 MR. RAHIMI: Yes. I mean, the uncertainty
3 about the burn-up of the fuel assembly, that
4 component, I mean, all of the reactor records, they
5 have about four percent uncertainty associated with
6 the burn-up they've assigned. That is sitting and
7 designing the rack.

8 So that component is always, as you will
9 see, it will go into the burn-up credit calculation.
10 It's three to four percent reactor record uncertainty
11 associated with the burn-up.

12 CHAIRMAN RYAN: What does the reactor
13 record uncertainty mean?

14 MR. RAHIMI: That is the burn-up that the
15 utilities over the reactor core calculations has
16 calculated.

17 CHAIRMAN RYAN: Fair enough. Okay. Now I
18 understand. Thank you.

19 MR. BARTO: Okay. Getting back to this
20 draft NUREG that we're having Oak Ridge develop, it's
21 sort of an overall look at burn-up measurements. So
22 what this NUREG is going to include is they're going
23 to look at available out-of-reactor, in-pool
24 measurement techniques that have been used at some
25 sites. They're going to have a comparison of in-core

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 versus out-of-core burn-up determinations, including
2 another estimate of the relative uncertainties of each
3 of these methods, and again, an independent estimate
4 of the probability of a misload in a cask and the
5 consequences in terms of delta k-effective of each of
6 these misloads.

7 And we're hoping to be able to use the
8 information in this NUREG to be able to develop some
9 potential additional options for burn-up verification
10 in our ISG 8 guidance..

11 DR. WEINER: Are non-U.S. data also going
12 to be included in the review of available techniques
13 and available measurements?

14 MR. BARTO: I'm not sure if we -- did you?

15 MR. PARKS: In a qualitative way, Ruth.
16 As you know from Drew's comment earlier, there is a
17 lot more loading and unloading of transportation
18 packages that have been done in other countries than
19 the U.S. So from a quantitative sense, no, but there
20 is a qualitative discussion of what is done in other
21 countries, but not too much their misloads more than
22 the measurement issues.

23 DR. WEINER: Thank you.

24 CHAIRMAN RYAN: Just a follow-up, Cecil,
25 on that point. Are there any data on misloads in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 other countries?

2 MR. PARKS: I do not know.

3 CHAIRMAN RYAN: Okay.

4 MR. BARTO: Having looked at it a little
5 bit, it's probably not -- having looked at the U.S.
6 side, it's probably not as comprehensive as what's
7 available for the U.S. side just based on the sheer
8 numbered of movements that have happened here versus
9 other countries.

10 CHAIRMAN RYAN: But we don't know that
11 because we haven't seen the data.

12 MR. BARTO: Right. As far as the
13 consequence component of criticality risk, there has
14 been some work done on the consequences, number one,
15 of having a misload. EPRI released another report a
16 couple of years ago that showed the consequences in
17 terms of k-effective, of various misload scenarios,
18 and we recently had a NUREG CR developed by Oak Ridge
19 published on that same topic.

20 Now, previously, the industry has made a
21 good case that fresh fuel is extremely unlikely to be
22 loaded into a spent fuel cask, given the obvious
23 differences if you were to just look at a fuel
24 assembly, fresh fuel assembly, shiny; burn fuel
25 assembly, not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 That being said, there is fuel out there
2 in pools, as we've already discussed, that for
3 whatever reason has been pulled out of a core early,
4 long before its intended full burn-up level, which
5 would be very difficult to distinguish between those
6 two just by sight. Indications we have if it has been
7 burned for any amount of time it's going to be
8 difficult to tell between it and fully burned assembly
9 or if it has been sitting in a pool for a number of
10 years.

11 DR. WEINER: What would be the reasons --
12 this is just my ignorance -- what would be the reasons
13 for pulling an assembly out early other than some
14 damage, some, again, damage.

15 MR. BARTO: I think that's probably one of
16 the main instances if you have a leaking fuel assembly
17 early in a cycle. In other instances, you know, maybe
18 it wouldn't be a severely under burned assembly, but
19 for whatever reason some utilities have decided to
20 change manufacturers of fuel. So they may have fuel,
21 you know, thrown up a core perhaps that's been pulled
22 out of a reactor and not ever reinserted into the
23 reactor.

24 DR. WEINER: Thank you.

25 MR. BARTO: That would have, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 only a third of its intended burn-up level.

2 So included in the Oak Ridge evaluation of
3 this misload consequence is a look at various members
4 of under burned assemblies loaded into casks and what
5 are the consequences in terms of k-effective, and the
6 results are that slightly burned fuel is still very
7 reactive, and a misloaded assembly or two can still
8 have a large effect on k-effective of the cask.

9 As far as the overall consequences of a
10 postulated criticality event, we do have a draft
11 report being developed by Oak Ridge, and that report
12 is currently under evaluation. It's under evaluation.

13 We can't really talk too much about it, given that
14 it's sort of pre-decisional and that there are some
15 safeguards and security issues involved in any
16 evaluation of that type.

17 MR. RAHIMI: Yeah, that second report,
18 that would be the second component of consequence
19 looking out there. What is the consequence of
20 increasing k-effective going critical/super critical
21 physically on the cask. So that would be the second
22 part of the consequence.

23 CHAIRMAN RYAN: I'm a little stuck on the
24 analytical part of this. I mean, the components of
25 misloading to me are what I said earlier. One is I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pick up the wrong fuel element because I pick up the
2 wrong ID number fuel element. They all have unique
3 IDs. So, you know, hopefully there's a process that I
4 know I'm picking up number six and not number seven.

5 So I would guess; I'm guessing the
6 probability of that kind of error is relatively low,
7 and I'm trying to understand that, you know, we've
8 calculated some worth of the spent fuel rod as it sits
9 for whatever burn-up history it has, and there's now
10 some percentage uncertainty, like five percent
11 uncertainty in that.

12 So I guess, you know, based on the earlier
13 numbers of having very large margins between .95 and
14 what a cask might be loaded, I'm trying to figure out
15 how you get there. How many misloads would you have
16 to have to challenge that .95 in a single cask?

17 That kind of detail, you know, analytical
18 analysis I think is very, very important for two
19 reasons. One is to take away some of the reliance on
20 bounding analysis and really understand the risks and,
21 two, to communicate better to the public what the
22 risks are.

23 So you know, I think that's real important
24 work to do.

25 MR. RAHIMI: That analysis has been done,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and actually Cecil and I can pull John. We looked at
2 single assembly, fresh, or two assembly, one assembly
3 under a burn in every location in a burn-up credit
4 cask. What is the delta k?

5 CHAIRMAN RYAN: So that's kind of a
6 theoretical study. so that's the consequence part.

7 MR. RAHIMI: Yes.

8 CHAIRMAN RYAN: Now I really think it's
9 important for you to understand what is the
10 probability. How many fuel assemblies have been
11 misplaced.

12 MR. RAHIMI: That's right.

13 CHAIRMAN RYAN: That's the right
14 information.

15 MR. BARTO: That's the next step.

16 CHAIRMAN RYAN: It's very important to
17 understand.

18 MR. PARKS: And some of that was done in
19 the report Drew mentioned, too. Again, all it had to
20 rely on was the existing LER database that's in the
21 U.S., which is fairly limited, but --

22 CHAIRMAN RYAN: With the research effort
23 you've got underway.

24 MR. PARKS: Yes. So there was some effort
25 done towards that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: And I appreciate that, but
2 some effort doesn't help me.

3 MR. PARKS: No, I understand.

4 MR. HACKETT: This is Ed Hackett, SFST.

5 Dr. Nathan Siu from the Office of Research
6 is with us and Nathan has taken the principal look for
7 the office at the EPRI report, and I believe he has
8 some comments.

9 DR. SIU: Yeah, and again, Nathan Siu,
10 Research.

11 I just wanted to manage expectations just
12 a little bit here. It's one thing to demonstrate that
13 the risk is very low, and of course, you have to look
14 at the process. You have to postulate scenarios. You
15 have to discard the scenarios that just are not
16 believable. At some point if the risk is, indeed,
17 very low, you're going to come with a set of scenarios
18 that don't look very plausible, but they have some
19 likelihood.

20 If you want to come up with the most
21 accurate estimate of the very low risk, it can be very
22 expensive because you start looking at these scenarios
23 and say, "Well, I'm going to work on that more and
24 convince myself that's not really plausible after I
25 remove some conservatisms."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So I think you may not want to point
2 towards the most accurate estimate, which might
3 possibly end up with astronomically low numbers that
4 you'll have to defend, and you might not need to for
5 the purpose of the process, for the purpose of coming
6 up with a better way of addressing the burn-up credit
7 issue.

8 So, again, that just is a caution.

9 CHAIRMAN RYAN: I'd be happy just to get
10 away from the bounding analyses we've got now and get
11 somewhere into the probability area. So I agree that
12 you can take it to an extreme, but I'm trying to get
13 somewhere closer to a more risk informed approach
14 rather than bounding analysis.

15 Okay.

16 MR. BARTO: Now, going forward with
17 respect to criticality risk, as Larry already
18 mentioned, we've just developed the user need request
19 for research to assist us in developing an independent
20 estimate of criticality risk and to evaluate any
21 future industry positions related to this topic.

22 Also, internally we've started having
23 several working groups within SFST sit down and look
24 at our ISG 8 to see if we can modify some of these
25 burn-up credit criteria based on what we have learned

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 or will learn in the future about overall risk of
2 criticality and transportation.

3 And then further down the road, we will
4 involve industry representatives in developing these
5 criteria.

6 I'd also like to note that NEI and EPRI
7 are developing a position paper on burn-up credit and
8 early indications are some of this paper is going to
9 look at risk and sort of use risk to base some of
10 these positions on, and that we are intending on
11 working with them to evaluate this position, and we
12 look forward to receiving that report and working with
13 them to resolve some of these issues.f

14 DR. WEINER: So if I could summarize the
15 areas where there is uncertainty in granting burn-up
16 credit, one area is what we were just talking about,
17 which is the possibility that you simply have the
18 wrong assembly in the wrong place.

19 MR. BARTO: Right.

20 DR. WEINER: And the other is the
21 uncertainty about the burn-up itself. What is the
22 concentration of actinides? What is the concentration
23 of fission products? And that's where you need --
24 that's where the major data need appears to be.

25 Have I got it right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BARTO: Do you mean just with respect
2 to risk?

3 DR. WEINER: Just with respect to risk,
4 yes.

5 MR. BARTO: I think as far as the
6 uncertainty on the assigned burn-up level for
7 individual fuel assemblies, I think that's pretty --
8 you know, my opinion is that's pretty well quantified
9 as Meraj said. It's kind of in the three to four
10 percent range. Really the concern with misloading is
11 really these under burned assemblies. So there's the
12 picking up the wrong assembly, putting it in the wrong
13 place, but there's also whatever calculations that led
14 you to want to pick up a single assembly. If there's
15 any error in that or if there's any error in the way
16 burn-up values are assigned to assemblies, not on a
17 reactor core calculation side, but on sort of the data
18 management side or anything like that.

19 So there's a number of areas that have to
20 be explored with respect to the risk of a misload.

21 DR. WEINER: You stated it better than I
22 did. Go ahead. I didn't mean to interrupt you.

23 MR. BARTO: No, that's okay. That's all I
24 have actually. I turn it over to Meraj now for a
25 summary.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. RAHIMI: Thanks, Drew.

2 I want to go back to the sort of box, the
3 flow chart that I had at the end of my presentation.
4 These were the boxes that we looked at, Cecil looked
5 at that will give you information about the chemical
6 assay, about the critical benchmark, French critical
7 benchmark that go into this box.

8 You talk about risk, which really is
9 addressing these burn-up verification measurements
10 where the risk comes into play.

11 So having heard all of that information,
12 right now our path forward is that the SFST by now is
13 examining actually the use of a generic bounding bias
14 uncertainty for the isotopic validation because that's
15 sort of a similar approach that the NRR has toward the
16 isotopic depletion that's five percent reactivity
17 decrement, one and a half percent which the judgment
18 is that is adequate for that environment.

19 You know, we're going to look at that
20 because in the meantime we've got application in front
21 of us. We've got 1040. We've got VSC-24. These are
22 all asking for burn-up credit, and while continuing to
23 view burn-up credit applications for casks based on a
24 case-by-case isotopic validation methodology, what
25 we've seen that each applicant is coming in with a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 really different variation of isotopic validation
2 using their best estimate that Cecil described,
3 combination of best estimate and the correction
4 factors.

5 So we're looking at each of them, but our
6 goal is, you know, maybe we can develop a basis for
7 having a bounding, having a fixed bias uncertainty for
8 isotopic.

9 DR. WEINER: What would be the basis for
10 the database experiment or whatever, the basis for a
11 fixed number? How could you justify, say, five
12 percent, whatever?

13 MR. RAHIMI: That's right. That's what
14 we're going to try to though. Right now we have quite
15 a few chemical assays. We've looked at, you know, how
16 far we're off. You know, are these codes -- you
17 know, the 2E codes or the SAS2 point efficient code
18 (phonetic), how far they're off in predicting these
19 isotopic inventory.

20 As we're sort of expanding that data,
21 we'll get to a point saying, okay, I think we've
22 bounded that so that the applicant -- they don't have
23 to go back and repeat all of the 70 benchmarks for
24 each sample, you know, a fixed number. But, yes, we
25 have to have that basis, develop that basis on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 measurement.

2 I mean, right now on the fission product
3 side, you know, we're a little bit light. There are
4 not enough data. Some isotopes, you know, Rhodium
5 103, you were talking about five or six, you know,
6 data points, and we'll do trending analysis if we have
7 more data.

8 Once we have that basis, then, yes, we can
9 say that there will be four percent, five percent,
10 whatever it is, all transportation cask out of it.

11 In the area -- yes?

12 DR. WEINER: Go ahead.

13 MR. RAHIMI: In the area of criticality,
14 the yellow boxes, SFST is recommending to obtain the
15 data from French critical experiments because as was
16 discussed, those appear to be very applicable
17 experiments. It has presumed product in there. Even
18 the HTC data, the actinides, you know, they're a very
19 clean system, very similar to the cask.

20 But in the meantime, the staff will review
21 applications using commercial reactor critical staff
22 that we have. That's the only thing we have. It is
23 not the cleanest type of benchmark. It is an integral
24 benchmark. It is complicated. As Cecil mentioned,
25 you know, there is a lot of things it could result in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a little bit larger bias, you know, but not much
2 because with all of the improved calculation, ISO 100
3 burn-up credit cask; so we kind of have some
4 experience on looking at how to use reactor criticals.

5 That's what the staff is going to do in the meantime.

6 With respect to the risk, again, I'm
7 repeating what Drew mentioned. Examine why are we
8 looking at the risk. It is for us maybe to go back,
9 you know, reconsider staff's position or criteria that
10 we've set in the area of burn-up verification measure.

11 That's number one, looking at that.

12 And how can we look at that. Instead of
13 burn-up actual physical measurement, can a bounding
14 analysis be done, given the risk numbers?

15 Options like that, and also looking at,
16 you know, the depletion and criticality in terms of,
17 okay, how much data do we need to develop that basis
18 and also for the critical benchmark as well.

19 So those are kind of the three type
20 bullets I wanted to come out with, and it was the
21 upshot of all of this information, what we're doing,
22 you know, in the meantime.

23 Any questions?

24 DR. WEINER: Allen.

25 MR. CROFF: Yes, I have questions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. RAHIMI: I thought you might.

2 MR. CROFF: First, a number of times you
3 used the word "bias." Exactly what do you mean by
4 "bias" and how are you using it or how are you
5 planning on using it?

6 MR. RAHIMI: Well, bias, the way I see it,
7 is the systematic prediction by your code, systematic
8 under prediction or over prediction of a system. For
9 example, you have 20 experiments. You'd done critical
10 benchmarking. You model that with your code, and as
11 you can see, your code systematically under predicts,
12 you know, under predicts or over predicts, and when
13 you see a correlation and you see a systematic under
14 prediction by your code, that is called bias.

15 MR. CROFF: And I'm assuming you see this
16 in your code.

17 MR. RAHIMI: Yes, in depletion codes, in
18 comparing the data in critical benchmark, you know,
19 you represent.

20 MR. CROFF: Okay, and let's say you have
21 some bias number. What do you do with it? Use it
22 basically as part of a correction factor kind of a
23 thing?

24 MR. RAHIMI: That's correct, yes. We use,
25 you know, that bias when we calculate the system. For

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 example, we say, well, our system -- our code says the
2 k-effective of this cask, you know, is .92. That's
3 the k-effective.

4 And we say, okay, we've had two percent
5 bias from our depletion code. We add, you know, that
6 two percent. You know, we add, let's say, .02. Then
7 we add one percent from our critical criticality code.

8 We add that one percent, .01. Point, nine, five, we
9 just made it.

10 So after calculating, you know, we add all
11 of these biases to see if we -- we have to be there.

12 MR. CROFF: And the underlying assumption
13 here is that the measurements are more right than the
14 codes?

15 MR. RAHIMI: The measurements? Yeah.

16 MR. CROFF: And I'm thinking mostly about
17 the depletion area here where those are tough
18 measurements. Basically you assume that the
19 measurement -- you know that the measurement is better
20 than the codes.

21 MR. PARKS: Well, you basically are doing
22 a comparison with measurements. You don't always know
23 where your uncertainty is coming from, Allen, and so
24 as Meraj said, the bias is the systematic trend
25 between your measured data or experimental data and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 your predicted, but then you have the range of
2 uncertainty. So if I'm positive or minus, my bias may
3 be zero, but you look at that range of where your data
4 is, where you C over E values are, and that's the
5 uncertainty, and that uncertainty may come from the
6 measurements and experiments or it may come from the
7 actual prediction of the software itself.

8 MR. CROFF: Okay. The next area, in your
9 box diagram you've got the depletion and you've got
10 the criticality. All things considered, where is the
11 greatest aggregate uncertainty, I guess I'll call it,
12 in depletion versus criticality calculations? Does
13 one of those dominate the uncertainty in the bottom
14 line, if you will?

15 MR. RAHIMI: Overall I can tell you if we
16 go isotope by isotope, let's say, in the area of
17 chemical assay, the first box, with the U-235 I've
18 seen it be off from the measurement by two percent,
19 the isotope. As I go down the chain, you know, I have
20 seen being off by ten percent. Again, this is based
21 on like a 1D code, but then recently and in the past
22 few years, you know, we've switched over a 2D code to
23 do a better job. So those, I think, prove.

24 But overall, we're talking about I think
25 it's in the same range, let's say, that the NRR has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about, you know, on two percent you could say, change
2 to a three percent with the chemical assay.

3 In the critical benchmark of looking at
4 the MOX, basically, again, we don't have a fission
5 product critical, but looking at the reactor critical
6 experiment, which is an interval experiment, those
7 we're seeing, you know, the total of maybe one, one
8 and a half percent, one and a half percent biases that
9 I've seen.

10 I'm giving you ballpark numbers, you know.

11 It all depends really on the code you use, the cross-
12 section liabilities. There are so many factors that
13 go into it, but looking across the board, we're
14 talking about a few percent and the critical few
15 percent on the chemical assay side.

16 MR. CROFF: Okay.

17 MR. PARKS: The only thing I'd add to
18 that, using the codes that we've utilized, if you take
19 the assay data that we have that I show in that
20 viewgraph and you take the best estimate sort of
21 approaches, the bias, the uncertainty, in round
22 numbers will give you right now about two, two and a
23 half percent delta k, and we would do better on that,
24 we would hope. We would have done better on that with
25 the actinides. Like Meraj said, we haven't done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 anything with the fission products.

2 MR. CROFF: Okay.

3 MR. PARKS: But assay does tend to
4 dominate a little bit more.

5 MR. CROFF: Okay. I want to get to your
6 -- you showed that loading curve with the microscopic
7 numbers and that kind of thing.

8 MR. PARKS: I have trouble reading it
9 myself.

10 MR. CROFF: Has anybody tried to quantify
11 the benefits of these, you know, of the increased
12 loading, and by the benefits I mean if you put more in
13 a cask, you have fewer shipments presumably and fewer
14 accidents and lower cost. Has anybody tried to
15 quantify the risk reduction to the public and the cost
16 savings, you know, as you move down those curves?

17 MR. RAHIMI: Yes. Oak Ridge has done in
18 terms of the number of shipments is saves in terms of
19 each of those things. I don't have the number, but I
20 believe John did have, you know, some numbers on how
21 many shipments we're talking about. Maybe it was
22 fresh fuel versus burn-up credits, not so much about
23 as a function of loading.

24 MR. PARKS: No, no. We did it both ways.
25 There has been some benefit. I'm sitting there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 struggling about it, and it has been documented in
2 technical papers, conference papers where we looked at
3 the number of shipments that would be reduced as you
4 go to a 32 element cask versus 24 element cask, and
5 the estimate of the cost savings associated with that
6 was in the millions, a hundred million or more just
7 from actinide only. Assuming the actinide only burn-
8 up credit inventory you could have versus the fission
9 product, we looked at it both ways. If it was fresh
10 fuel and what the gain was to get to actinide only,
11 and then the gain to get the fission product.

12 But to answer your question relative to
13 risk, no, I think there's a general understanding that
14 as you cut the number of shipments down, obviously the
15 overall risk is lower, but we do not do any
16 quantitative assessment on that.

17 MR. CROFF: Okay. I'd be interested in a
18 couple of those papers.

19 MR. PARKS: And IU can send the papers to
20 you, and there's different assumptions you make as you
21 probably understand, but I think that the ones that
22 I'll give you will give you sort of a ball park.

23 MR. CROFF: As a corollary to that, I
24 think you mentioned at the outset the focus on the
25 PWRs. What about BWR fuel in terms of burn-up credit?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. PARKS: BWR fuel, each assembly has
2 less reactivity worth than a PWR, and therefore, the
3 poison panels that you can put in between each
4 assembly, you get more control out of them.

5 Therefore, the amount of burn-up credit
6 that you need for BWRs is much less and has not been
7 quite the driver yet in terms of interest. However,
8 we're getting ready to look at that with the research
9 in terms of looking at, you know, what is the sort of
10 best approach, recommended approach to getting that
11 little bit of credit that you may need to extend the
12 BWRs to a high density.

13 As you know, in the pools, you don't have
14 boron in those pools, and they do it differently in
15 BWRs. So we're just now beginning to look at that a
16 little bit more, but the reason there hasn't been the
17 drivers is because the reactivity of each assembly is
18 smaller and you don't need as much burn-up credit.

19 MR. CROFF: A point of clarification. The
20 loading curve you have up there, is that just PWR fuel
21 or is that --

22 MR. PARKS: This is PWR. This is actually
23 -- in the top left-hand corner it's actually 17 by 17
24 Westinghouse. If you take different assemblies, the
25 CE or the Westinghouse 14 by 14, you'll get different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 loading curves.

2 MR. CROFF: Okay.

3 MR. PARKS: Which may give you different
4 inventory loading. So this is just the Westinghouse
5 17 by 17. We can do an aggregate or based on --

6 MR. CROFF: Okay. On the misloading
7 business and the 90 percent under burned assemblies,
8 one obvious approach might be as you're loading this,
9 as you pick them up out of the pool to do some kind of
10 a measurement of radioactivity, obviously they're
11 going to be much less radioactive than a fully burned
12 fuel. What are the thoughts about doing measurements
13 as a mechanism for reducing the probability of
14 misloading?

15 MR. BARTO: Well, as our guidance stands
16 now, that's the case. We would require measurement to
17 be performed prior to loading the confirmed, confirm
18 the burn-up value. However, as you can imagine, the
19 equipment that exists today to perform these kind of
20 measurements, it has not been something the utilities
21 are inclined to want to do. It's very expensive. Any
22 time you put something of this magnitude in the pool,
23 it can be a problem. So it's something that's very
24 expensive, and I think through the report that we're
25 having Oak Ridge do that's taking an overall look at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 burn-up measurement, that's one of the things that we
2 had them look at. Is there anything other than what's
3 been done? Is there a more simple measurement that
4 can be done that's not as robust, but something that
5 would tell you, yes, this assembly has been burned,
6 highly burned versus one that has not been so burned,
7 but it's something we're looking at, but I think
8 there's a great deal of difficulty associated with any
9 kind of out of core measurements.

10 MR. RAHIMI: Well, I would say that right
11 now that's the staff recommendation position in ISG,
12 you know recommends they perform measurement, a
13 physical measurement, and these measurement devices,
14 one of them was originally developed for IAEA for
15 safeguard purposes, but you know, in the '90s it was
16 developed. It could be used for some kind of
17 verification, and that's what the staff recommendation
18 is now.

19 But industry's position is at this point
20 there is no need to do the measurement because we
21 believe, industry believes they do a very good job in
22 controlling to prevent misloading, and they know the
23 burn-up of the fuel assembly would be three, four
24 percent reactor record. That's the industry position.
25 That's why they have for the over and over again kind

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of imposed measurement, but at this point staff
2 position is to do measurement, and that's why we are
3 looking at, okay, the risk.

4 Okay. What can we do, you know? Can they
5 do a bounding analysis?

6 But as of now, you know, that is exactly
7 the staff's recommendation, to do the measurement, and
8 that's how the HI-STAR 100 certificate was issued, but
9 in the certificate, there is a measurement
10 requirement.

11 MR. PARKS: And one of the things we're
12 doing in this report on measurements has been done
13 through Research, and Research has basically asked us
14 to look at the measurement techniques that are out
15 there that Drew and Meraj have noted, but also try to
16 look at the reactor records and try to get a better
17 grasp on that in terms of how it can be used in
18 transportation, and so the overall goal of the report
19 at least in my mind is to try to provide some
20 information on those two areas and to sort of help the
21 reader determine, you know, what value is there. Is
22 there value added to doing the measurements, and if
23 the measures are going to be done, how should they be
24 done to provide that added value?

25 So the report also does look at records, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 guess is the key thing I wanted to note, to try to
2 look at the industry's look at the records.

3 MR. CROFF: Okay. Regarding consequences,
4 as in the physical consequences of a criticality, I
5 understand what you say about your ongoing report. I
6 guess I just wanted to be explicit, and for all the
7 years we've been transporting fuel and, you know, the
8 potential of a criticality, nobody has ever done and
9 published a study of the physical consequences. It
10 sort of surprises me that nobody else has.

11 MR. PARKS: Because there's criticality in
12 a package?

13 MR. CROFF: Yeah. It seems like sort of
14 an obvious thing to do, to have done at some point.

15 MR. PARKS: From a technical fidelity
16 standpoint, going through the details of what happens
17 in a criticality excursion, it's quite complicated in
18 a package. Now, you move to what the consequences are
19 in terms of what that excursion results in and it can
20 be a little simpler. So I don't think it really has
21 been, Allen. You know, the work that we've done with
22 NRC has been about the only thing I think you can find
23 very much in the literature that I'm aware of.

24 MR. HACKETT: This is Ed Hackett, SFST.

25 And I think, Allen, that's a very good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 question, and I think part of it relates back to the
2 Commission and the Commission's strategic goals of
3 zero possibility of risk of inadvertent criticality.
4 So we haven't -- at least, we're from the NRC side.
5 Of course we haven't done that. The rest of the world
6 I can't speak to.

7 I think what you can say broadly, of
8 course, is that as a minimum it's a disaster of
9 enormous proportions for the industry if something
10 like that were to happen, regardless of getting off
11 into the actual quantification of the consequences in
12 terms of potential fatalities and other effects on the
13 public.

14 Certainly it would completely undermine,
15 you know, confidence in the regulatory framework if
16 such a thing were to occur and hence the Commission's
17 strategic goal set it where it is. So I think that's
18 part of the reason there probably hasn't been a driver
19 from our side to actually get off to looking at
20 details of consequence assessment.

21 MR. CROFF: Okay. Thanks.

22 I think with that I'll pass.

23 DR. WEINER: Mike?

24 CHAIRMAN RYAN: I had my questions
25 answered.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. WEINER: Jim?

2 DR. CLARKE: I guess picking up on that,
3 on the consequences and more so the -- not the actual
4 consequences, but the perceived consequences, if you
5 will, just the impact of something like that on the
6 industry, I wanted to ask about the benefits as well
7 and changing, you know, changing what you're doing now
8 and granting burn-up credit.

9 Cecil had a slide number six. Can we pull
10 that up?

11 Is that a real situation or just a general
12 cartoon? So you're picking up four assemblies?

13 MR. RAHIMI: That's a quarter marker.

14 MR. PARKS: This is a fourth of it, one
15 quarter.

16 DR. CLARKE: Okay.

17 MR. PARKS: So you actually have 32 and
18 the one on the right you can see three, six, seven,
19 eight times four is going to be 32, and you have 24 on
20 the left in the entire package.

21 DR. CLARKE: Okay. I guess that was
22 really my question. That is a real situation.

23 MR. PARKS: Right. This is basically the
24 system that we're trying to validate, is the one on
25 the right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. CLARKE: You mentioned that we don't
2 have a transportation fleet, I guess a fleet of
3 transportation casks. Given the range of spent fuel
4 with different burn-up credits, how would this play
5 out? Would you have ranges of burn-up credit that
6 would correspond to a different number of fuel
7 assemblies that you could put in a different cask?

8 I mean, how would -- maybe just asking
9 what other countries do is a way to get at it.

10 MR. PARKS: Well, okay. There's two
11 issues. What other countries do historically, they
12 have done a lot of transportation. The other major
13 nuclear industry countries, France, U.K., Japan, they
14 have been recycling, and so for years they've had
15 casks designed and developed to carry spent fuel.
16 Again, their assumptions are always fresh fuel also.

17 So then they had these casks designed, and
18 they were usually low density packages. How much they
19 could put in each package is relatively low, but they
20 had this large fleet. They have a lot of packages,
21 and what they want to do oftentimes or what they want
22 to do historically was raise the enrichment. So now I
23 don't have three percent enrichment anymore. I've got
24 four percent and say, "Oh, I need credit in my package
25 design that's already certified and built."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And so they've sought burn-up credit in
2 their systems, not just transportation, but in their
3 storage and reprocessing systems to increase -- to use
4 burn-up credit to go with enrichment.

5 In this country, one reason we've looked
6 at -- this is my personal opinion. I've dealt with
7 burn-up credit since the '80s -- is that we have not
8 settled on our full fuel cycle, and therefore
9 transportation has always been somewhat a stepchild in
10 terms of not having it completed, in not knowing
11 exactly how we're going to do things.

12 And so there's not a large fleet of
13 packages designed and built. There's a lot that's
14 been certified for transportation, and so industry and
15 DOE has always wanted if we're going to build all of
16 these packages, we'd like to get them as optimized as
17 possible.

18 And so when you get to these optimization
19 issues, you get to what we're talking about today,
20 trying to make sure that you understand your margins,
21 you understand where you're at, you understand the
22 risks so that you can design an optimal system which
23 is the best for the cycle relative to cost and to
24 risk, and you understand the margins.

25 And so that's why when I say they're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 working to develop a fleet, that's one reason they
2 sought this full burn-up credit. It has been sought
3 by DOE and sought by industry to get, quote, full
4 burn-up credit for actinides and fission products so
5 that you get the maximum flexibility and the best
6 optimization.

7 And so a cash shown on this viewgraph here
8 on the right is a 32 assembly PWR, which would be for
9 rail shipment. Some reactors do not have rail. You
10 have to use a truck. You can either put -- you know,
11 there's been a package designed for four, but more
12 likely it would be two assemblies in a truck cask.

13 So there would be a range of casks, and
14 then you have BWR designs where you either change out
15 the basket and you'd have higher density.

16 DR. CLARKE: So you have different casks
17 for different burn-up credit, would you not?

18 MR. PARKS: Not necessarily. This package
19 on the right could be -- you could do actinide burn-up
20 credit in this package on the right. However, the
21 inventory that would be allowed to go in there would
22 be less, but you could do it the way you do it, but
23 again, that's not the desire.

24 DR. CLARKE: Okay. Yeah, because where I
25 was going, I was going to the TAD and how this relates

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to it relative to the TAD.

2 MR. PARKS: Relative to the TAD, again
3 speaking for myself and what I know is that if it does
4 go to a smaller loading of spent fuel, you do not need
5 as much burn-up credit. So you would not -- perhaps
6 you may not need fission product credit depending on
7 the design and how much loading they put in.

8 DR. CLARKE: Okay.

9 DR. WEINER: Yes, that's been stated that
10 you don't, actually wouldn't need it.

11 Antonio, and then if I could just say, we
12 are well over our time and I'd like to then cut it
13 off, but go ahead, Antonio.

14 MR. DIAS: I think as far as supporting
15 the reprocessing facility in France, I don't think
16 they transport as many number of assemblies in a cask.
17 I think it's a much smaller number.

18 DR. WEINER: Well, thank you very much.
19 This was really a wonderful presentation, very
20 comprehensive, and you've given us a lot of
21 information and a lot to think about, and thanks
22 again.

23 MR. RAHIMI: Thank you.

24 DR. WEINER: And, by the way, Cecil, you
25 were asked to send some papers or links. If you send

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 them to staff, to Chris Brown, he can circulate them
2 to the Committee.

3 Thank you again.

4 Mr. Chairman.

5 CHAIRMAN RYAN: Thank you very much, Dr.
6 Weiner.

7 With that we are scheduled for a 15-minute
8 break. So we'll reconvene at 11 o'clock.

9 Folks on the bridge line, we'll close it
10 for the moment and reopen it at 11 o'clock.

11 Thank you.

12 (Whereupon, the foregoing matter went off the record
13 at 10:42 a.m. and went back on the record
14 at 10:59 a.m.)

15 CHAIRMAN RYAN: While we're waiting, we
16 had a request for some observations and comments on
17 the previous session we just had before the break. So
18 we'll ask him to make those comments in about ten
19 minutes and any other comments we might want to have,
20 we'll be happy to have those as well so that the
21 staffs and the consultants and support folks all have
22 the benefits of the comments and we're all here
23 together.

24 So with that, I'll turn the session back
25 to Ruth.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Ruth.

2 DR. WEINER: Everett, go ahead. You had
3 some comments.

4 MR. REDMOND: I did.

5 CHAIRMAN RYAN: Would you pick up the
6 screen?

7 DR. WEINER: For the record, this is
8 Everett Redmond.

9 CHAIRMAN RYAN: From NEI.

10 DR. WEINER: From NEI.

11 MR. REDMOND: Well, I thank the Committee
12 for letting me have this opportunity to just give a
13 few brief comments.

14 First, I want to say I very much
15 appreciated the interaction that occurred today and
16 the extensive amount of effort that both the staff and
17 ACNW put into this. I was very pleased with what I
18 heard and very much appreciate all of the effort here
19 because this is a real issue that we're dealing with.

20 I just want to first touch and say that
21 the two pictures that were shown, one of the 24 casks
22 and one of the 32 casks, those 32 assembly casks are
23 being loaded today. They are deployed at many sites
24 out there, and they will continue to be loaded. So
25 this is a real situation, and we do have what I would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 call burn-up credit casks now that are loaded at
2 sites.

3 And one of the comments I want to make is
4 in regards to unloading or misloading events. There
5 was a statement that we don't have any data on
6 misloading events in regards to burn-up credit casks.

7 Well, as I said, there are burn-up credit casks, the
8 32 assembly casks that are out there. So data in
9 terms of misloading that covers all of the dry storage
10 systems out there does cover burn-up credit casks, the
11 casks that we are looking to transport using burn-up
12 credit.

13 Another comment I'd like to make is in
14 regard to burn-up measurements for a second. At the
15 end it was stated that there's a burn-up measurement
16 program that is in Holtec's license certificate.
17 That's true. However, that burn-up measurement
18 program does not, in my view, really protect against
19 misloading. It's focused more on reactor records, and
20 in fact, that burn-up measurement program as outlined
21 permits them the utility, general licensee, to use
22 measurements that were taken at another facility for
23 that facility.

24 So it's not focused on preventing a
25 misloading event. It's focused on reactor records.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now, as Meraj said, reactor records have an
2 uncertainty of three to four percent. Typically the
3 industry uses five percent for the uncertainty when
4 comparing the reactor records to the loading curves
5 for wet storage, and we propose to do the same thing
6 in terms of spent fuel casks for transportation.

7 I'd also say in terms of the measurements
8 for a second that the measurements that are done,
9 interestingly enough, have to be benchmarked or
10 compared to reactor records because you cannot do, as
11 I understand it, you cannot do a measurement that
12 tells you exactly what the burn-up is without a
13 reference. The reference is an assembly whose data
14 comes from the reactor records. So it's kind of
15 almost circular.

16 We have extreme confidence in the reactor
17 records because the same records used to load these
18 casks are the same records used to operate the
19 reactors in choosing the assemblies that go in.

20 One other comment, another comment I'd
21 like is in regards to Cecil's presentation, which I
22 enjoyed, on slide nine they list a fission product
23 worth of the top six fission products and outlined
24 that, and as I understand it that's done with a best
25 estimate calculation, not the isotopic correction

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 factors that were talked about a little later that
2 currently have to be applied in doing these analyses.

3 So if you were to include the isotopic
4 correction factors in that comparison, I would venture
5 to say that those worths would probably be
6 considerably less. Cecil or Oak Ridge could speak to
7 that better, but my guess is they would be
8 considerably different in any case.

9 There was discussion of the unloading
10 condition and concern that loading and unloading could
11 be in fresh water. As we've talked about loading is
12 in borated pools for PWRs.

13 Unloading, Yucca Mountain has committed to
14 using soluble boron. So if we're talking about that
15 facility, they will have soluble boron in their spent
16 fuel pools.

17 We also, you know, recognize the facility
18 for unloading would be an NRC licensed facility or at
19 least anyplace commercial would go to, and one
20 question I have is just couldn't the NRC impose
21 soluble boron in the spent fuel pools for unloading.
22 I just toss that out there as an idea.

23 One other comment I'd like to make, too,
24 is in regards to conservatism, there was one section
25 that wasn't discussed here, and that's some other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 areas of conservatism that are in transportation
2 analyses, criticality analyses that's unique to
3 transportation, and this is not done on the spent fuel
4 storage site and wet storage, and that is that in the
5 criticality analysis, we have to assume a work
6 configuration of the basket.

7 So model a basket in its absolute worst
8 configuration, be it whatever gives you the highest k-
9 effective. On the wet storage side, what we do there
10 is model at normal conditions and calculate
11 reactivity, delta ks associated with the different
12 tolerances and combine those statistically and add
13 that in.

14 So it is accounted for, but in a much more
15 conservative fashion here.

16 Also, we do 75 to 90 percent credit for
17 the B-10 and the neutron absorber on the spent fuel
18 transportation site, not on the wet storage site. And
19 also we're required to model all of the fuel
20 assemblies in the most eccentric position that gives
21 the worst configuration. So that would be, for
22 example, hypothetically all fuel assemblies move to
23 the center, all four quadrants move to the center.
24 It's not a credible configuration, yet we have to do
25 it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So there's additional margin, if you will,
2 built into the way we do the analysis completely
3 separate from the burn-up, separate from the isotopic
4 information we were talking about.

5 And on just one last point I'd leave in
6 regards to the storage presentation or discussion of
7 storage, and it mentioned that there's an unquantified
8 safety margin in regards to the burn-up of the
9 assemblies. That's true. I would point out though
10 that the certificate permits you to load anything down
11 to fresh fuel. So you're permitted in storage to load
12 anything from fresh fuel up. There's no burn-up. So
13 it is unquantified, but it can vary drastically all
14 the way down to zero.

15 And I said that was the last thing, but I
16 will say one thing else in regards to burn-up
17 measurements for a second or not burn-up measurements,
18 but loading, and that is that when we do loadings,
19 we're required to have two independent verifications.

20 You do double verification in loading, and misloading
21 events have historically not been considered in the
22 criticality analyses for either transportation or
23 storage, which you know has indicated to me that NRC
24 doesn't really consider a misloading event to be
25 credible. We've got the two separate sets of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 requirements during loading.

2 And with that I appreciate the opportunity
3 to toss out a few words here, and I certainly
4 appreciate ACNW's and the staff's efforts in this
5 regard. Truly, it's very appreciated.

6 CHAIRMAN RYAN: Thank you very much.

7 DR. WEINER: Does anyone have -- Allen,
8 you had a question or a comment?

9 MR. CROFF: Yes, it's a question. I
10 understand that industry is preparing some kind of a
11 white paper on burn-up credit. When might we see
12 that?

13 MR. REDMOND: Yes, and I should have
14 mentioned that. I apologize for that.

15 Industry is working on a white paper to
16 talk about burn-up credit and potentially high burn-up
17 fuel. I'll tell you there are two things that are
18 going on actually. We're working on a white paper,
19 and EPRI is working on a topical report, which the
20 topical report is slated for completion by the end of
21 the calendar year, and that would be an expansion upon
22 the white paper and provide some more technical
23 details, focus on risk and some other things.

24 We will be meeting; industry will be
25 meeting to discuss the white paper in late April, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 then we will progress from there. I would hope to
2 have something in some time in the early summer in
3 terms of the white paper.

4 Ed Hackett mentioned that we are
5 interacting with SFST, and we are and we appreciate
6 that, and after we meet, we will be meeting with them
7 to discuss a little bit more about the white paper so
8 that, you know, we have interaction and feedback from
9 them.

10 The purpose is for us to kind of propose,
11 you know, what we as industry, the vendors, the
12 utilities all agree upon as what we would like. You
13 know, if we had our way, what we would like to see,
14 and you know, you've heard some of us say that, well,
15 why don't we just do it exactly like we do it in Part
16 50. Well, that does kind of make some sense. I mean,
17 it's the same.

18 But we're not going to be as simple as
19 that and say that we want it that way. We're going to
20 recognize, you know, the situation here, that it is
21 different. It is transportation, but we're going to
22 throw out what we would like to see in terms of that,
23 and then also we have a high burn-up fuel issue to
24 deal with, which does work its way back into
25 criticality as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CROFF: Thank you.

2 DR. WEINER: Thank you.

3 That's it.

4 CHAIRMAN RYAN: Okay. Thank you very
5 much. We appreciate everybody hearing that.

6 MR. RAHIMI: I would like to provide some
7 rebuttal to some of the comments that Everett made,
8 just a response. This is Meraj Rahimi, and I'm with
9 Spent Fuel Storage Transportation Division.

10 Everett mentioned with respect to the
11 burn-up credit cask being loaded at the present time.

12 None of those casks -- even HI-STAR 100 are being
13 loaded under storage license. They are not being
14 loaded under transport certificate. So that's a big
15 difference.

16 If they are proceeding with not doing
17 burn-up verification measurement at this point, that's
18 this apposition; that's the risk, you know, they're
19 taking. But it's important to make sure all of those
20 casks being licensed are under a storage license fee.

21 CHAIRMAN RYAN: Okay. Thank you.

22 MR. RAHIMI: And also, the best estimate
23 versus correction factors, correction factors is not
24 the only way we have entertained, and we have
25 application in front of us. It's a combination. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have allowed, you know, best estimate. According to
2 the Oak Ridge method, vendors have used that.

3 So I think the notion that a correction
4 factor is the only method is really not true because
5 we have also entertained with best estimate methods.

6 And one drawback of best estimate, you
7 need to have data. They have had data, enough data
8 for actinides. That's what they've used for a best
9 estimate, but for the fission product, not enough
10 data. They go correction route, correction factor
11 method.

12 Okay. Well, if you need to sum up, I had
13 a number of actually responses, but I think at this
14 point maybe I'll just end it.

15 CHAIRMAN RYAN: We've heard from all of
16 you. Then we'll end there.

17 MR. RAHIMI: Yeah.

18 CHAIRMAN RYAN: Thank you very much.

19 All right. With that we'll end the
20 session on burn-up credit. Again, I want to second
21 everybody's views that we really appreciate the
22 thorough presentations and the detailed briefing
23 you've provided us. It's getting a lot of important
24 insights into where you are in the work, and some of
25 the things that may be ahead. We'll react to all of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that in our letter.

2 So thank you very much.

3 Okay. I will take just a two-minute break
4 for those who don't want to sit through the letter
5 writing session on a completely different topic. So
6 if you want to depart now, that's fine. If you want
7 to stay, you're welcome.

8 We'll take a couple of minutes just to let
9 that happen, and the folks on the bridge line, please
10 stay with us.

11 (Whereupon, at 11:11 a.m., the Advisory
12 Committee meeting was adjourned.)

13
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701