

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: ESBWR Subcommittee Meeting

Docket Number: (Not provided)

Location: Rockville, Maryland

Date: Wednesday, January 16, 2008

Work Order No.: NRC-1972

Pages 1-433

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NUCLEAR REGULATORY COMMISSION

+ + + + +

MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARD

(ACRS)

+ + + + +

ESBWR SUBCOMMITTEE

+ + + + +

WEDNESDAY

January 16, 2008

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The subcommittee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 8:30 a.m., Michael Corradini, Chairman, presiding.

COMMITTEE MEMBERS:

MICHAEL CORRADINI, Chairman

SAID ABBEL-KHALIK, Member

J. SAM ARMIJO, Member

SANJOY BANERJEE, Member

DENNIS C. BLEY, Member

COMMITTEE MEMBERS (continued):

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

JOHN D. SIEBER, Member
ROBERT E. UHRIG, Member
THOMAS S. KRESS, Consultant
GRAHAM B. WALLIS, Consultant
GARY HAMMER, Designated Federal Official

C-O-N-T-E-N-T-S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

<u>AGENDA ITEM</u>	<u>PAGE</u>
Opening Remarks	4
DCD Chapter 4, "Reactor"	7
SER with Open Items for Chapter 4	77
DCD Chapter 6, "Engineered Safety Features"	156
SER with Open Items for Chapter 6	261
Subcommittee Discussion	---

P R O C E E D I N G S

(8:31 a.m.)

OPENING REMARKS

CHAIRMAN CORRADINI: Okay, let's get started. The meeting will come to order.

This is a meeting of the ESBWR subcommittee. My name is Mike Corradini. I'm chair of the subcommittee.

Other ACRS members in attendance are Said Abdel-Khalik, Sam Armijo, Sanjoy Banerjee, on his way, Dennis Bley, Otto Maynard, Bill Shack and Jack Sieber.

Graham Wallis and Tom Kress will also be attending as consultant to the subcommittee. We have one of our consultants here.

Gary Hammer of the ACRS staff is the designated federal official for this meeting.

The purpose of the meeting is to review and discuss the safety evaluation report with open items for several chapters of the ESBWR design certification.

We will hear presentations from the NRC's Office of New Reactors, and GE-Hitachi Nuclear Energy America, LLC.

The subcommittee will gather information, analyze relevant issues and actions as appropriate for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 deliberation by the full committee.

2 The rules for participation in today's
3 meeting have been announced as part of the notice of
4 this meeting previously published in the Federal
5 Register. Portions of this meeting may be closed for
6 the discussion of unclassified safeguards and
7 proprietary information.

8 We have received no written comments or
9 requests for time to make oral statements from members
10 of the public regarding today's meeting. A transcript
11 of the meeting is being kept, and will be made
12 available as stated in the Federal Register notice.

13 Therefore, we request that participants in
14 this meeting use the microphones located throughout
15 the meeting room when addressing the subcommittee.

16 Participants should first identify
17 themselves and speak with sufficient clarity and
18 volume that they may be readily heard.

19 We will proceed with the meeting, and I'll
20 call upon Jim Kinsey of GEH to kick us off.

21 Ken.

22 MR. KINSEY: Thank you, Jim. My name is
23 Jim Kinsey from GE-Hitachi. I work in the regulatory
24 affairs organization.

25 We appreciate the opportunity to make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 these presentations with you this morning. We've
2 brought a relatively large integrated team from GE-
3 Hitachi that includes a number of members from both
4 our technical and our licensing organization.

5 I understand the agenda for the morning is
6 to go over a presentation of our DCD Chapter 4, which
7 includes the basically the reactor and internals, and
8 then that will be supplemented or discussed by the NRC
9 staff, and then we would plan to move into a
10 discussion of stability after the Chapter 4
11 discussion.

12 And with that I guess I'd like to turn it
13 over to John Sorenson to introduce the team.

14 MR. SORENSON: My name is John Sorenson.
15 I work in regulatory affairs at GEH.

16 On my right is Russ Fawcett, who will be
17 discussing the price of DCD Chapter 4. And further on
18 my right is Jerry Deaver, who will also be discussing
19 the remaining part the DCD Chapter 4.

20 We have -- Jeff has -- Mr. Kinsey brought
21 a team that covers a fairly wide range of disciplines,
22 so we have a fairly large contingent of engineers to
23 support us.

24 Content of Chapter 4 includes a summary
25 discussion, and then in the details of the fuel system

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 design. Mr. Fawcett will be discussing the fuel
2 system design and nuclear design and the thermal and
3 hydraulic design.

4 Mr. Deaver will discuss the acting
5 materials, and reactivity control system functional
6 design, and will give a brief summary.

7 Section 451 only provides a overview.
8 There is no detailed technical information. It only
9 provides an overview and a roadmap to the content of
10 the remainder of Chapter 4.

11 Now let me turn things over to Mr.
12 Fawcett, who will discuss Sections 4.2, 4.3 and 4.4.

13 MR. FAWCETT: Good morning, my name is
14 Russ, Russ Fawcett. And I'm the manager of core and
15 fuel advanced design for Global Nuclear Fuels.

16 And I'll provide a brief description of
17 BCD Section 4.2, .3 and .4, which describe the fuel,
18 assembly, design, evaluations and bases as well as the
19 control rod, the nuclear design of the core, as well
20 as the thermal hydraulic design.

21 Again this will be a brief description. I
22 think we conclude that brief is adequate, as the ESBWR
23 core is really just another BWR core comprised of
24 proven technologies with characteristics very similar
25 to the existing fleets.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The beginning of 4.2, the fuel system
2 design, similar in 4.3 and 4.4, we describe design
3 bases for the fuel assembly and the control rods; the
4 description of the design, as well as the evaluations
5 performed to demonstrate compliance.

6 In terms of the fuel rod design in the
7 evaluations, we performed thermal mechanical
8 evaluations based on either worst case or
9 statistically bounding limits including uncertainties.

10 And these analyses are performed to assure
11 that we comply with licensing requirements during both
12 steady state and anticipated operational occurrences.

13 Likewise the control design is evaluated
14 to coordinate stress, strain and fatigue limits; that
15 it's capable of being inserted during all modes of
16 plan operation in that it has mechanical compatibility
17 with the remainder of the reactor internals.

18 And again, by and large, the ESBWR fuel
19 system and control rods are similar to those used in
20 the operating fleet.

21 Next slide, please.

22 In terms of the fuel assembly, it is
23 identified as GE14E, which is really just a modest
24 variant of GE14 that we have been delivering for many
25 years and is operating throughout the fleet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 GE14E is comprised of the same components,
2 identical components and materials that were installed
3 in the GE14 that we got experience in taking fuel to
4 assembly, average exposures as high as 68,000
5 megawattage per ton.

6 That corresponds to approximately 80,000
7 peak pellet exposure, which is 15 percent higher than
8 our licensing limits.

9 So we have in-core radiation experience
10 far and above where we will be taking reload batches
11 of fuel.

12 MR. ARMIJO: Let me just interrupt.

13 When you say identical, do you truly mean
14 identical including cladding thickness, pellet
15 density, plenum to fuel volume ratio? I mean this
16 thing is really a scaled version of the standard GE14?

17 MR. FAWCETT: I would say at the component
18 level with the exception of the fuel rod the answer is
19 yes. The spaces are identical; the pellets are
20 identical; the tubing is identical; the area of
21 thickness is identical; pellet to clad gap is
22 identical.

23 One key difference that you noted was the
24 fuel plenum to fuel volume ratio is actually bigger
25 for the ESBWR fuel rod, so we have introduced some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 additional margins. So we anticipate and will project
2 some fairly significant reductions in fuel rod
3 internal pressure relative to our current experience.

4 MR. ABDEL-KHALIK: Hydraulically they are
5 not really similar. Because you have different length
6 of part-length rods, ratio between part-length rod and
7 full-length rod, location spacers, et cetera.

8 MR. FAWCETT: Well, I would say on a nodal
9 basis they are the same. The integral hydraulic
10 resistance --

11 MR. ABDEL-KHALIK: Yes.

12 MR. FAWCETT: -- is different because it's
13 shorter.

14 Now recognize that our analytical methods
15 are nodal-based, and our hydraulic models for losses
16 are nodal-based or component-based.

17 And I'll touch on this a little bit later.

18 Now we have performed GE14-specific testing to
19 confirm the adequacy of our hydraulic models.

20 CHAIRMAN CORRADINI: So if you do cover it
21 later I guess I'll add to Steve's question, which is
22 that because you are shorter you are trying to
23 preserve some sort of limit by reducing it so that you
24 can get the appropriate flow; I assume it's minimum
25 CPR.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 But when the time is right I'd appreciate
2 to be clear as to what's the limit you were bumping up
3 against to require the fuel to be shorter.

4 MR. FAWCETT: Well I think this is a good
5 time to discuss that. I don't know if you would say
6 that there was a hard limit per se, as much as what
7 was considered a good balance. And in developing
8 natural circulation reactors, and we've been doing
9 that for a very long time, it involves a composite
10 evaluation, looking at the pressure vessel height, the
11 core height, the power density, all the things that
12 influenced our recirculation flow, and the objective
13 is to construct or sample a good balance or balanced
14 performance.

15 And that's how we arrived at the preferred
16 assembly length that we have for GE14E, that gives us
17 adequate core flow and sufficient peak design
18 flexibility to manage assembly powers.

19 Is MCTR the most important design
20 consideration? Yes, it probably is. The remainder of
21 the things that the nuclear designer considers in fuel
22 application are very straightforward to address, and
23 critical power is straightforward to address, because
24 we do have adequate flow with very mild transient
25 response, the core with good operating limits.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WALLIS: Your enrichment profile and
2 your burnable poisons and everything are all the same
3 as you already have?

4 MR. FAWCETT: I would say for a BWR fuel
5 application every cycle is different. The specific
6 nuclear design is tailored to meet a utility's
7 objective.

8 We used the same techniques in
9 distributing Gadilinium, the enrichment and the
10 assembly, that we do today.

11 So depending on cycle length and discharge
12 exposure, we may put Gadilinium preferred at the
13 bottom of the core to flatten axial power shapes.

14 I'll say, one of the things that are
15 inherent, that I will touch on a little bit later, is
16 that the N-lattice, which is the ESBWR is comprised
17 of, which is the same as the ABWR lattice, exhibits
18 significantly more hot-to-cold reactivity swing than,
19 say, BWR-2 through 6.

20 So we don't have to solve problems with
21 cold shutdown margin as significant -- in fact it's
22 almost a nondesign issue today in the ESBWRs.

23 So to answer your question, yes, standard
24 techniques.

25 MR. ARMIJO: You're not using any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 unusually high Gadilinium concentrations or loadings
2 or anything else? What is your maximum Gadilinia?

3 MR. FAWCETT: Eight percent for a two-year
4 cycle. It's really a function of the cycle length,
5 and the cycle exposure, given the power density, ESBWR
6 cycle exposures are similar to what we have today.

7 CHAIRMAN CORRADINI: Just to remind us, so
8 if you are going to start talking about things that we
9 need to talk about in a proprietary or closed session,
10 let us know, because we are not going to know.

11 MR. FAWCETT: Sure.

12 MR. ABDEL-KHALIK: Will you be talking
13 about the applicability of the GEXL14 correlation to
14 this short bundle?

15 MR. FAWCETT: Yes.

16 MR. ABDEL-KHALIK: Okay, in an open
17 session or closed session?

18 MR. FAWCETT: Open, to the extent we can.

19 MR. ARMIJO: Just one back issue that I
20 want to get and make sure before we leave this
21 prescription.

22 You are going to use a barrier fuel
23 design. And I looked up the composition in one of
24 your reports, topical reports.

25 And it showed it was just the pure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 version. I thought GEH was using an iron alloyed
2 barrier. I didn't find it in the SER or the DCE what
3 the actual line of composition is?

4 CHAIRMAN CORRADINI: That is probably a
5 good topic for a closed session.

6 MR. ARMIJO: Okay, we'll get to that.

7 MR. SIEBER: The overall dimensions of the
8 fuel are in the core such that you get more neutron
9 economy that you otherwise would get with a longer
10 fuel.

11 MR. FAWCETT: I will say that fuel
12 requirements for ESBWR fuel efficiency is comparable
13 to the top quartile in the fleet, perhaps slightly
14 higher leakage axially, but it is large radially, and
15 on balance it is similar.

16 Next slide.

17 In terms of the control rod design, it is
18 a derivative of the Marathon control rod design. The
19 key noteworthy item here is for ESBWR we have
20 introduced some additional margins, mechanical
21 margins, and have modified the design to accommodate
22 B4C 12 over and above what's available in the existing
23 product line.

24 Next slide, please.

25 Okay, 4.3: the nuclear design, again, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 described the design bases. That related to
2 reactivity management and assuring we do not have
3 positive reactivity coefficients, or such that would
4 allow a reactivity excursion as well as the overpower
5 bases that ultimately result in limits on the power
6 distribution.

7 Our analytical methods for steady state,
8 core simulations; how we calculate reactivity
9 coefficients as well as stability methods; and results
10 of our evaluations in terms of assuring negative
11 reactivity feedback; control requirements;
12 subcriticality during refueling; power distributions;
13 and stability.

14 Next slide, please.

15 A few words about the ESBWR core from,
16 again, from a core management --

17 MR. WALLIS: I'm sorry, you haven't yet
18 tested it for flow-induce vibration, I understand?

19 MR. FAWCETT: That is correct.

20 MR. WALLIS: Are you going to do that?

21 MR. FAWCETT: Yes.

22 MR. WALLIS: Is it going to be different?
23 Haven't you already tested the 14 fuel?

24 MR. FAWCETT: Yes, we have. And overall
25 from an FIV point of view, the ES GE14E will see less

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 duty or less susceptibility to vibrations, because
2 flow rates are lower, that's why. But we will pass it
3 anyway.

4 Again, from a fuel designer's point of
5 view, the ESBWR is just another large BWR core that
6 does operate at somewhat lower flow rates. The rate
7 of power is 4,500 Megawatts thermal, and the core is
8 1,132 bundles.

9 Within the BWR fleet there is a wide range
10 of core sizes from as small as 240 bundles, to as high
11 as 872 bundles, with the ABWR.

12 Core size is not particularly noteworthy
13 from a core management perspective, except that small
14 cores tend to have higher flux radiance and higher
15 peaking than do large cores.

16 The design has FMCRD spine motion control
17 rod drives, which have a smaller notch size, and the
18 locking piston CRD.

19 The attributes of the FMCRD, it has a fast
20 scram which is another asset that provides your
21 transient response with redundant insertion and
22 reduced fuel duty.

23 The power density of ESBWR is moderate at
24 about 54 kilowatts per liter. Within the fleet we see
25 and have experienced a range of power densities from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 about 30 kilowatts per liter for the BWR2s to as high
2 as 60 kilowatts per liter or higher for BWR6s at power
3 uprated conditions.

4 So the power density of the ESBWR core is
5 moderate.

6 The --

7 MR. WALLIS: This is an average value
8 presumably?

9 MR. FAWCETT: Yes, it is.

10 MR. WALLIS: Are the peak values
11 comparable with existing -- they probably are, they
12 are probably within the same range?

13 MR. FAWCETT: Peaking, similar yes, to a
14 moderate to high power density plant.

15 Also peaking is really an output. We
16 design whatever peaking conforms to thermal limits.

17 MR. ARMIJO: That is a pretty picture
18 there. What are you trying to show us with that?

19 MR. FAWCETT: Oh, just the size of the
20 core.

21 MR. ARMIJO: Is there anything significant
22 about the colors?

23 MR. FAWCETT: Uh-uh.

24 MR. ARMIJO: Okay, the colors don't mean
25 anything?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Laughter)

2 MR. FAWCETT: I think that -- it's hard
3 for me to see -- I think that maybe peak assembly
4 power where blue is higher than red, versus yellow,
5 which is the periphery which does give a sense for the
6 radial power distribution.

7 MR. SIEBER: Ones on the end are oval
8 cores, right? The flow rate is about 30 percent less?

9 MR. FAWCETT: Yes.

10 MR. SIEBER: And the number of assemblies
11 compared to BWR6 is like 850 to 1,100 roughly?

12 MR. FAWCETT: The ratio is proportional to
13 your reduction in core --

14 MR. SIEBER: Well, the core is about two
15 feet shorter I guess.

16 MR. FAWCETT: Yes.

17 MR. SIEBER: The way I seem to figure it
18 out.

19 CHAIRMAN CORRADINI: Will there be a
20 discussion about reducing the core height and
21 increasing the core radial size on the stability
22 later. And the effect, when we discuss stability, I'm
23 curious of its effect on stability.

24 MR. FAWCETT: There is a discussion of
25 stability planned.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN CORRADINI: Okay, then let's just
2 go ahead.

3 MR. FAWCETT: The N-lattice, again, the
4 assembly, it's after the fact that it's shorter, has
5 the same dimensions as the assembly for the existing
6 fleet.

7 The N-lattice, the primary aspect or
8 parameter of the N-lattice is a slightly larger bundle
9 pitch, so there is a little more space in between
10 assembly.

11 And in the hot operating condition, that
12 reduces the void coefficient slightly, which is good,
13 and in terms of reactivity characteristics, it
14 improves cold shutdown margins.

15 This is the same lattice again that the
16 AVBWR is comprised of. So the cold shutdown margin
17 benefit has been demonstrated with AVBWR.

18 Next slide, please.

19 This has a little more substantive
20 information in terms of power distribution. This is
21 beginning of cycle power distribution for the
22 equilibrium design.

23 For design certification we prepared an
24 equilibrium design as it is more representative of the
25 plant lifecycle.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 We have also provided the staff with an
2 initial core design as well.

3 This illustrates the actual power shapes
4 that we observe are very consistent with that that we
5 observe with other BWR --

6 MR. WALLIS: No, in this picture,
7 presumably, red is hot?

8 MR. FAWCETT: Yes.

9 MR. WALLIS: Whereas in the previous
10 picture it was cold?

11 MR. FAWCETT: That is correct.

12 (Laughter)

13 MR. FAWCETT: So looking at those
14 distributions as is typical of assemblies that are
15 close to our design target, which is what the designer
16 is trying to achieve, is really a small population of
17 fuel.

18 And so those red assemblies would be
19 associated with assemblies having somewhere between 10
20 and 15 percent of thermal margin relative to the
21 operating limits. Likewise for LHGR.

22 Control rod patterns are the same kinds of
23 control rod patterns that we design for the operating
24 fleet.

25 MR. SIEBER: These power distributions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 will change, significantly is not the right word but,
2 somewhat as burnup progresses because of the change in
3 reactivity and also because of the rod patterns?

4 MR. FAWCETT: Yes.

5 MR. SIEBER: This is beginning of life, I
6 take it?

7 MR. FAWCETT: Just an example of beginning
8 of life.

9 MR. SIEBER: If you were to look at it
10 through 10 slices in time, you would see variations
11 all of which are enveloped by your thermal hydraulic
12 calculations?

13 MR. FAWCETT: Yes, in fact you would see
14 the axial power shape move from the bottom as the core
15 is depleted, and in the power and the voids tend to
16 collapse, you would see the axial power shape start to
17 move up the core.

18 MR. SIEBER: That's because of the
19 gadolinium depletion power.

20 MR. FAWCETT: And the physical inventory
21 depletion at the bottom.

22 MR. SIEBER: But you never get to a top-
23 loaded core?

24 MR. FAWCETT: We concede, looking at the
25 top of the core with the peak, you know, and this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 nodalization as high as node 20. It's certainly --
2 it's an acceptable power shape.

3 So why do we need thermal limits?

4 And in terms of establishing thermal limits, we
5 certainly analyzed all the safe ones in the cycle that
6 exhibit all these different power shapes.

7 MR. SIEBER: And you are using this as an
8 example of an initial core but not a guarantee that an
9 initial core is going to react like that, other than
10 including the envelope that you designed, correct?

11 MR. FAWCETT: So this is the beginning of
12 cycle for an equilibrium cycle, yes. An initial cycle
13 would have somewhat different characteristics. You
14 know, again, really any power shape is acceptable, as
15 long as it meets thermal limits.

16 MR. SIEBER: Right.

17 MR. FAWCETT: Next slide, please.

18 Moving on to the thermal and hydraulic
19 design in Section 4.4, we describe the natural
20 circulation flow configuration, the power operating
21 map, and introducing feedwater temperature control.

22 We talk about the thermal and the
23 hydraulic design basis, ensuring that we have adequate
24 heat transfer, and that we comply with our specified
25 acceptable fuel design limits during normal operation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 in AOOs.

2 And in terms of the methods and
3 evaluations focusing on compliance with critical power
4 limits, and core thermal hydraulics.

5 Again the ESBWR is very similar to the
6 existing plate.

7 MR. ABDEL-KHALIK: Is this where you are
8 going to talk about the applicability of the GEXL14
9 correlation?

10 MR. FAWCETT: Uh-huh, in two more slides.

11 MR. WALLIS: You are still using Finley
12 Dix (phonetic) after, whatever it is, 40 years or
13 something?

14 MR. FAWCETT: For the void correlation,
15 the Dix void correlation, yes.

16 MR. WALLIS: No attempt to upgrade it in
17 anyway? It just seems to keep working?

18 MR. FAWCETT: Uh-huh.

19 MR. WALLIS: Rather amazing.

20 MR. FAWCETT: It was well done.

21 MR. WALLIS: It has enough coefficients in
22 it, I think.

23 MR. FAWCETT: Next slide, please.

24 A boiling water reactor has good natural
25 circulation flow depending on the design, or let me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 say that there is different capability depending on
2 the design.

3 The AVBWR has internal pumps, and a fair
4 amount of hydraulic resistance in the down-comer. The
5 BWR6 and other jet-pump plants have reduced hydraulic
6 resistance in the down-comer in higher natural
7 circulation flow.

8 The ESBWR has very little hydraulic
9 resistance in the down-comer. We had a reduced core
10 height, and an extended chimney that increases the
11 level height and driving head in the down-comer.

12 So the ESBWR has very good natural
13 circulation flow characteristics.

14 MR. WALLIS: So you have one curve on this
15 map. WE are used to seeing this map with all kinds of
16 things, regions and things, and here you have just --

17 MR. FAWCETT: Yes, it's natural
18 circulation flow is really -- the flow is a function
19 of the power system.

20 MR. WALLIS: This other map which is
21 referred to about a core power feedwater operating
22 map, are you going to show us that?

23 MR. SORENSON: We have a separate
24 presentation.

25 MR. WALLIS: You are going to get to that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 at sometime?

2 MR. SORENSON: Yes.

3 MR. ABDEL-KHALIK: But compared to a rated
4 full power flow, this is natural circulation flow?

5 MR. FAWCETT: Uh-huh.

6 MR. ABDEL-KHALIK: So for the ESBWR mass
7 flux at full power is roughly half of the mass flux at
8 full power at BWR6 for example?

9 MR. FAWCETT: I would say that -- now
10 recognizing that the fleet with extended operating
11 domains has quite a range of core flows at rated
12 power. So if we compare say ESBWR at 100 percent
13 power to BWR6 at 100 percent power, we have a single
14 flow for ESBWR for either flow.

15 For BWR6 at 100 percent flow, ESBWR mass
16 flux is about 70 percent of the BWR6 at 100-100, 100
17 percent power, 100 percent flow.

18 MR. ABDEL-KHALIK: Point nine five times
19 ten to the sixth pounds per hour --

20 MR. FAWCETT: Yes.

21 MR. ABDEL-KHALIK: -- per square foot.

22 MR. FAWCETT: Right.

23 MR. ABDEL-KHALIK: Versus 1.8 times 10^6 .

24 MR. FAWCETT: No, actually in -- if -- I
25 should clarify, when we think of mass flux, or when we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 talk about mass flux, we tend to look at the active
2 in-channel mass flux, or four-circ plans like BWR6, at
3 100 percent flow.

4 The in-channel mass flux is approximately
5 one million pounds per hour per square foot. ESBWR is
6 approximately .6 and .7 depending on the assembly
7 power.

8 MR. SIEBER: The pressure drop is about
9 half, right?

10 MR. FAWCETT: Yes.

11 Next slide, please.

12 So here is where we talk about GEXL.
13 We've applied again GEXL14 is a boiling length
14 critical quality correlation that's been developed in
15 GEXL14, the GE14 specific correlation was developed on
16 an extensive database from several different
17 facilities to describe the onset of boiling transition
18 for GE14.

19 And we applied that GE14E with a shorter
20 overall length.

21 As part of the DC review we developed a
22 conservative set of correlation statistics for GEXL14
23 and applying it to GE14E. That conservatism manifests
24 itself in the operating limit MCPR. It's somewhat
25 higher by virtue of these conservative correlation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 statistics.

2 In being responsive to the staff, we
3 conducted a fullscale critical power test of GE14E.
4 What I'll say is a complete critical power and
5 pressure drop test to confirm the adequacy of GEXL14.

6 We completed that in November.

7 MR. ABDEL-KHALIK: Where was that done?

8 MR. FAWCETT: Stern Labs. And our --

9 MR. ABDEL-KHALIK: Will we have access to
10 that data?

11 MR. FAWCETT: You will. We'll be
12 providing a report on that. We are in the process of
13 completing our work on that analysis and the final
14 report that we will provide to the staff.

15 MR. ABDEL-KHALIK: When you talk about
16 conservative -- go ahead.

17 MR. SIEBER: I understand that's sending
18 two by diverse means, so that I get one.

19 MR. ABDEL-KHALIK: When you talk about
20 conservative statistics, I assume this is the way you
21 were applying of the correlation by assuming no
22 heating beyond the length of the GE14E.

23 And yet even with doing that, it seems
24 like the calculated CPR is higher than the measured
25 CPR as indicated in your topical report.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So how can that be conservative?

2 MR. FAWCETT: And it's a confusing thing
3 to understand why it's conservative. You are
4 absolutely right in that we declared GEXL14
5 nonconservative by an amount that we have established
6 throughout the DCD review. And so we say, GEXL14 is a
7 few percentage points nonconservative.

8 Now our process for establishing operating
9 limits is always to address any GEXL nonconservative
10 by increasing the operating limit. So that is how the
11 conservatism is propagated through the design.

12 So we have artificially declared GEXL
13 nonconservative.

14 MR. ABDEL-KHALIK: I don't know, maybe you
15 are not prepared to discuss the results of this
16 fullscale test for the GE14E, but how does that
17 compare to the level of nonsconservatism, the CPR
18 prediction of GEXL14 for the GE14E as explained in the
19 topical report?

20 MR. FAWCETT: And certainly we will
21 provide the detailed results to the staff. But
22 qualitatively, the test data shows that GEXL14 is a
23 very good prediction of critical power for GE14E, just
24 like it is for standard GE14, and with no significant
25 trends bias.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So that testing confirmed that GEXL14
2 really is just as good a best estimate critical power
3 predictor for GE14E as it is for GE14.

4 MR. ABDEL-KHALIK: To be seen?

5 MR. FAWCETT: To be seen.

6 MR. ABDEL-KHALIK: It implied that they
7 sort of declared GEXL14 to be nonconservative by X
8 percent because of the conservative way in which it
9 was applied.

10 MR. FAWCETT: Right.

11 MR. ABDEL-KHALIK: Can you sort of say
12 with confidence that GEXL14 is conservative?

13 MR. FAWCETT: GEXL and our overall
14 critical power methodology is -- or let me say our
15 licensing basis is conservative. GEXL is a best
16 estimate prediction of critical power.

17 The uncertainty in the prediction of
18 critical power is addressed in the formation of the
19 operating limit, or in the existing fleet, the safety
20 limit. So that is how uncertainties in the prediction
21 of critical power are addressed.

22 So GEXL is a best estimate prediction of
23 critical power. Uncertainties are addressed in the
24 operating limit.

25 Effectively we've increased the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 conservativisms here in the operating limit by assigning
2 this penalty to the GEXL.

3 MR. ABDEL-KHALIK: But just looking at the
4 average one really can't tell whether there is a
5 consistent bias?

6 MR. FAWCETT: Right, but in looking at the
7 data GEXL is not showing any trends bias, or GE14E,
8 and that will be illustrated in the report.

9 MR. ABDEL-KHALIK: I guess we will just
10 have to wait and see. Thank you.

11 MR. SORENSON: That is the last slide we
12 have in Section 4.4.

13 MR. ARMIJO: Just one slide there, the one
14 showing the -- yeah, that curve of the ESBWR average
15 power per bundle versus average flow per bundle
16 curving back on itself, you know, does that imply you
17 could have for the same flow two different powers,
18 operating power per bundle?

19 MR. FAWCETT: Uh-huh.

20 MR. ARMIJO: Is that a problem? I don't
21 understand it, I guess that's what I'm telling you.

22 MR. FAWCETT: So I think I will ask Mr.
23 Wayne Marquino to perhaps --

24 MR. WALLIS: Isn't there something there
25 about the control rod position? It's not just one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 curve?

2 MR. MARQUINO: That's right.

3 MR. WALLIS: It's along the curve.

4 MR. MARQUINO: This is Wayne Marquino,
5 GEH, and at different control rod positions we can
6 have different power levels with the same flow. That
7 curve is showing how power increases as we pull
8 control rods out.

9 MR. MAYNARD: The key is that the power is
10 setting the flow, not the other way around. So for
11 any given power you can only have one flow. You are
12 not setting a flow and see what the power comes out to
13 be; you are setting a power and then you are going to
14 --

15 MR. WALLIS: In the normal map for BWR you
16 would have rod lines. But you don't --

17 MR. MARQUINO: That's right.

18 MR. DERWER: Okay, thank you.

19 My name Jerry Derwer with with GEH. The
20 lead in the nuclear island systems and components
21 group.

22 I'll be covering 4.5 and 4.6. 4.5 deals
23 with reactor materials, basically there are two
24 sections within -- or parts to Section 4.5. One deals
25 with control rod drive materials; the second deals

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with the reactor internals materials.

2 With respect to the control rod driver
3 materials, basically the fine motion control rod drive
4 is essentially the same as the ABWR design that has
5 been previously certified.

6 MR. ABDEL-KHALIK: Excuse me if you will,
7 but when are you going to talk about stability?

8 MS. CUBBAGE: They are going to have a
9 separate panel. Excuse me, this is Amy Cubbage. They
10 are going to do it right after Mr. Derwer.

11 MR. ABDEL-KHALIK: Thank you.

12 MR. DERWER: Two major differences in the
13 design are the change from induction motors -- or to
14 induction motors from stepper motors.

15 Basically the ABWR has been in operation
16 in Japan with the stepper motors for over 10 years
17 with successful operation. The induction motors have
18 been incorporated in their newer designs, and there is
19 one plant with operational experience over two years
20 at this point with the induction loaders.

21 And they have also incorporated a seal-less
22 design to minimize leakage and maintenance with -- for
23 the drives themselves. Basically the drives also are
24 two-foot shorter because of the fuel geometry.

25 So those are the main differences. As far as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 materials are concerned, the drive is predominantly
2 stainless steel material. In a couple of areas we
3 used XM19 where we needed higher strength or -- and
4 corrosion resistance.

5 But fundamentally the drive materials are
6 pretty much the same as we've been using in the past.

7 The next drive shows the configuration of
8 the drive itself. I'll just point out a couple of
9 features.

10 Basically we have the traditional CRD
11 housing. We have a middle flange and a lower flange.

12 These are all the pressure boundary
13 materials, and we provide those in accordance with the
14 ASME code.

15 Starting from the bottom we have the motor
16 which is different from traditional hydraulic designs.

17 The motor is what drives the ball screw which will
18 advance the drive into the core, or withdraw it as
19 needed.

20 Then we have insert line. This is for the
21 scram function. So for normal operation we'd have the
22 motor-driven drive, but in a scram condition we have
23 the hydraulic design which -- the hydraulic control
24 unit drives a piston within the drive to insert the
25 blade rapidly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 We only have insert lines as opposed to
2 prior designs which had the withdrawal lines also.
3 And we don't have the discharge line anymore.

4 MR. WALLIS: So when the hydraulic system
5 scrams, what happens to the motor drive? Does it just
6 rotate or clutch out or what happens to it?

7 MR. DERWER: Yeah, it clutches out
8 allowing the drive to be inserted.

9 And we have the traditional ball check
10 valve here. If we had a break in the line the insert
11 line, then this would be blocked by the check valve.

12 Let's see, we have the traditional bayonet
13 lock at the top. This is the same interface that we
14 had between the blade and the drive.

15 And we have as with other drives we have a
16 position indicator probe which gives us an accurate
17 idea of where the blade is. And then we have a
18 separation probe which tells us whether we separated
19 between the drive and the cover.

20 MR. WALLIS: The whole thing hangs on the
21 valve, does it? The whole thing is supported by that
22 valve, or is there some other support?

23 MR. DERWER: Well, the housing -- the load
24 path for the fuel assembly and so forth is down
25 through the control rod guide tube.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Which is also fixed?

2 MR. DERWER: Yes, and this is the main
3 welded structure within the assembly. It transfers
4 the load into the vessel bottom head.

5 We have a locking feature in the drive
6 such that we don't need the pull out protection in the
7 drive, which is a difference from the hydraulic type
8 designs.

9 MR. BLEY: What keeps this drive in
10 position?

11 MR. DERWER: Well, basically, we have a
12 brake assembly that once it's moved it holds its
13 position.

14 MR. BLEY: What kind of assembly is that?
15 The motor has nothing to do with that, right?

16 MR. DERWER: The motor is powered to turn
17 it. And if the power is stopped, then there is a
18 break assembly in here that you know it's prevention
19 from dropping of the blade and moving of the blade
20 after the motor has moved it.

21 MR. BLEY: That is something that releases
22 when the motor is driving and grips otherwise?

23 MR. DERWER: Yes, there is magnetic
24 indicators in here that operate it.

25 CHAIRMAN CORRADINI: is there any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 difference between this drive and the ABWR line motion
2 control rods?

3 MR. DERWER: Fundamentally all these
4 components are the same basically. It's just a
5 difference in a motor down here that is really
6 different.

7 CHAIRMAN CORRADINI: Which you are
8 changing into some ABWRs is what I remember you
9 saying?

10 MR. DERWER: Yes, they have already
11 changed to the induction motor.

12 Basically it's just a cost factor that
13 they went to the induction motors, and easier to
14 control.

15 MR. ARMIJO: So mechanically, materials,
16 everything is the same --

17 MR. DERWER: Yes.

18 MR. ARMIJO: -- except for the induction
19 motors?

20 MR. DERWER: That's exactly right.

21 MR. ARMIJO: Okay.

22 MR. DERWER: I think that is all I wanted
23 to talk about.

24 MR. BLEY: I'm sorry to go back to this.

25 MR. DERWER: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BLEY: When you change from a stepper
2 motor, was the stepper motor involved in holding the
3 rod in position? Or was that still the same brake
4 arrangement?

5 MR. DERWER: Oh, the same brake
6 arrangement. All that is the same.

7 Moving forward, including on to the
8 reactor materials, reactor internals are predominantly
9 stainless steel materials which we control the carbon
10 content.

11 So as I explained in previous sessions we
12 control the materials to be resistant to intragranular
13 stress corrosion cracking, and then we control the
14 impurities and surface things that can occur with
15 materials.

16 And then we -- additionally we control
17 cowork and -- to avoid those kind of issues with the
18 stainless materials.

19 In some cases we use a modified Alloy 600
20 material. We use code case and 580-1, which allows
21 the niobium content to increase, and it stabilizes the
22 feed canal to be resistant to intragranular stress
23 corrosion cracking. A

24 MR. SHACK: What is the carbon limit on
25 that material?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. DERWER: Well, it's that ratio between
2 niobium and carbon that is important, you have to
3 establish a certain ratio there. So it can vary, but
4 there are ranges that it has to be within.

5 MR. ARMIJO: is that defined in the code
6 case? The range?

7 MR. DERWER: Yes, it is.

8 MR. SHACK: But if you just depend on that
9 ratio, don't you end up with a knife line attack
10 problem you had with the 347?

11 MR. DERWER: Brian, can you? We have
12 Brian Frew here who is our materials expert. He'd be
13 in a better position to answer that.

14 MR. FREW: Brian Frew from GEH. No, the -
15 - we haven't had issues with knife line attack in this
16 material. I mean you have to control that ratio.
17 There is sufficient chrome to avoid that problem.

18 MR. SHACK: What is the -- do you have a
19 range on the carbon? What is the upper limit on the
20 carbon?

21 MR. FREW: The upper limit is -- I'd have
22 to look at the code case to tell you the exact number.
23 But with that ratio the carbon content tends to be
24 lower.

25 MR. SHACK: You are following the Japanese

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 experience?

2 MR. FREW: Yes.

3 MR. SHACK: Their choice of these
4 materials?

5 MR. FREW: Yes.

6 MR. SHACK: And this has been used in all
7 the ABWRs?

8 MR. FREW: Yes. Yeah, it's been --

9 MR. SHACK: And there is a statement that
10 says your stresses everywhere are below the threshold
11 for intragranular IASCC. Does that mean you don't
12 have any welds, or all the welds are stress-relieved?

13 MR. DERWER: I wouldn't say that as a
14 positive statement.

15 MR. SHACK: I wouldn't think you would,
16 no.

17 MR. DERWER: We are working on things like
18 that, recognizing you know the shroud is a large
19 structure, and when we fabricate a structure we would
20 to solution heat treat it, but we are not there yet.
21 We are exploring those issues at the moment.

22 MR. SHACK: But this is a bolted shroud as
23 I understand, so it could be replaced if it had to be?

24 MR. DERWER: Yes. That's correct.

25 Looking at the components that use the
Alloy 600 materials, the shroud supports, which in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this case are brackets for the lower vessel. I'll
2 show you on the next slide.

3 Then we basically, the CRD penetration is
4 the typical penetration which provides us this
5 transition between the low alloy steel and the
6 stainless housing.

7 The chimney head bolts in prior BWRs, the
8 shroud head bolts, have the same basic design where we
9 use the Inconel material for thermal expansion
10 differential to apply the load actually in the bolt
11 when it heats up.

12 Then we have in-core guide tube
13 restraints. This is a lattice of materials that
14 stabilize the cores in the lower plenum area, and
15 again, we use this because of the thermal expansion
16 characteristics.

17 Then we use it in the guide rods. Guide
18 rods are just for guiding in components like the dryer
19 and the separator when we do refueling, so they don't
20 -- aren't in actual operation when the plant is
21 operating. They just -- they are sitting in there.

22 We do use castings. Basically the casting
23 applications are the same as we've always used for the
24 orifice fuel supports, the feedwater end brackets, and
25 the veins in the separator itself where it swirls the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 steam flow.

2 We use XM-19 for all bolting in the
3 reactor. In the past we've used stainless steel
4 without any real problems, but we feel that the XM-19
5 provides more corrosion resistance and higher
6 strength, so it's an improved material, and that's
7 what's been used on the BWR6, or the ABWRs, and we
8 haven't had any issues with that.

9 The X-750 is limited strictly to a
10 retainer screen in the shroud -- in the chimney head
11 assembly. It's -- we have a retainer that holds the
12 nut in place, and it only gets exercised when we are
13 trying to unbolt or bolt the chimney head. So that is
14 a very limited application, and it's not really
15 stressed in operation.

16 Going to the next slide --

17 MR. ARMIJO: Before you leave that, Jerry,
18 in the SER, in the DCD, the staff from GEH had some
19 exchanges related to the use of 304 and 316 stainless
20 steels, in which I believe GE made a commitment, or it
21 was your intent to limit the carbon content in those
22 alloys to effectively -- the same levels as the L-
23 grades. 304 would have an O2-carbon maximum of seven
24 three sixteen, the same as your L-grades. And that is
25 nice, but the implication was that you were using, or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you stated you were using these steels because they
2 were higher strength than the L-grades. And that
3 confused me.

4 Why -- what would you add to 304 or 316 to
5 get higher strength than a 304L or a 316L?

6 MR. DERWER: Well, yes, material suppliers
7 use a nitrogen addition to help.

8 MR. SHACK: So you'd use a nitrogen
9 strengthener?

10 MR. DERWER: Right.

11 MR. SHACK: Okay, so you'd get that, and
12 you'd increase the yield strength?

13 MR. DERWER: Exactly, and so we want them
14 -- the improved mechanical characteristics, properties
15 --

16 MR. SHACK: Without the sensitization
17 risk?

18 MR. DERWER: Right, and with still the low
19 carbon issues.

20 MR. ARMIJO: Have you tested these
21 nitrogen strengthened 300 series steels for IGSEC
22 resistance in high temperature oxygenated water tests
23 or anything?

24 MR. DERWER: Yes, they were tested. We
25 are performing on these.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ARMIJO: Okay, so they have been
2 tested and found to be acceptable?

3 MR. DERWER: Yes.

4 MR. SHACK: You said you were going to
5 give us detailed specifications once you had them. I
6 assume you are just pushing the nitrogen up to the 304
7 limit, you are not actually making this an LN series
8 steel?

9 MR. DERWER: Right.

10 MR. SHACK: So you just go up to that
11 limit. But the Japanese actually use the LN grades,
12 right? They take the nitrogen up to .12 or .14?

13 MR. DERWER: That could be; I'm not
14 familiar with what they have been doing.

15 MR. SHACK: But you are just going to push
16 it up so it stays at 304, but you are just taking the
17 --

18 (Telephonic interference)

19 MR. SHACK: -- as you do with the 316
20 nuclear -- the nuclear grade?

21 MR. DERWER: That's correct.

22 Going to the next slide, I was just going
23 to -- this is a small picture of the reactor, but I
24 will point out where we have been using these
25 materials. It's here at the attachment to the shroud,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 these are brackets in the lower bottom head area.

2 In the stuff tubes as I've explained
3 before, the major change is the addition of the
4 chimney and partitions within the reactor. And these
5 are stainless steel materials.

6 And the other change is, the routing of
7 the standby liquid control line is different. We
8 bring it in from the upper part of the vessel now, and
9 bring it in, and we penetrate through the shroud so
10 that the injection of the sodium pentaborate solution
11 can be injected directly into the core region itself.

12 MR. SHACK: This is still the same -- so
13 you are going to have like the nickel weld pads, where
14 you make the attachment welds for things and the
15 internals and stuff as you do in the conventional BWR?

16 MR. DERWER: Yes, you are talking about
17 brackets?

18 MR. SHACK: Yes.

19 MR. DERWER: Well, typically, in the upper
20 part of the vessel we have stainless steel cladding,
21 and the brackets, you know, are welded onto structural
22 material as a base for those brackets.

23 When we get into the bottom head where we
24 have mainly Inconel components there, or welded on,
25 we've changed the cladding material to Inconel for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 bottom head region only.

2 MR. SHACK: So the whole bottom head is
3 clad with an Inconel weld?

4 MR. DERWER: Yes, it is. So for
5 components like the scrub tubes and in-core housings,
6 and the shroud support, all those Inconel welds are
7 made to an Inconel clad structural material base.
8 Okay?

9 MR. ABDEL-KHALIK: What determines the
10 size of the cell in the chimney?

11 MR. DERWER: Well, that is -- basically
12 has 16 bundles within the cell itself. So it
13 encompasses four units that we typically had in --
14 associated with the control rod blades.

15 So we have four blades, and they are
16 associated with four fuel assemblies with -- in each
17 of those.

18 Wayne Marquino would be best to address
19 that issue.

20 MR. MARQUINO: We also considered the
21 range of data where we had the high diameter of our
22 chimney characterized. Initially we had I think it
23 was Wilson and EBWR reactor measurements, set the size
24 of the chimney partition.

25 And eventually we had the Ontario

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hydrotest specifically for the ESBWR.

2 MR. WALLIS: Why do you have partitions at
3 all?

4 MR. DERWER: Well, that is important to
5 make sure we straighten the steam flow up up to the
6 separator area?

7 MR. WALLIS: You don't want to have some
8 sort of swirling going on in there?

9 MR. DERWER: Exactly, we get some
10 vortexing otherwise that --

11 MR. WALLIS: It seems to me that you have
12 designed them to be as big as you have tested
13 essentially.

14 MR. SHACK: Again, your original design
15 was change three, wasn't it?

16 MR. MARQUINO: I think the very first
17 ESBWR design did not have them, but before -- I think
18 before we submitted anything we put partitions in.

19 CHAIRMAN CORRADINI: So you were going to
20 finish the statement when you said you had compromised
21 what with the vortexing, with the swirling?

22 MR. DERWER: Oh, yeah, if we didn't have
23 the partitions, you'd get the vortexing and steam, you
24 know, vortexing within the core. And so you'd get a
25 very unequal steam flow into the separators.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SIEBER: I think you would get
2 chugging.

3 CHAIRMAN CORRADINI: I was going to say,
4 you get a washing machine. You've got -- you could
5 have enormous wiggles in the system by having an
6 enormous washing machine.

7 But what I am curious about is, the four
8 by four sites, if this is the wrong place to discuss
9 it, that's fine, but eventually I'd like to discuss
10 this question, because I'm kind of curious, was it
11 picked or by the experiments, was four by four look
12 alike some sort of optimum because of some sort of
13 characteristics?

14 MR. MARQUINO: This is Wayne Marquino. It
15 was picked based on Dodoward (phonetic) and the total
16 experience at the time we had to set that design. And
17 there was the ESBWR reactor did not have a chimney.
18 It had a pretty big hydraulic diameter.

19 When we saw some -- it didn't have adverse
20 performance, but we saw some recirculation in there,
21 and basically we don't want to use a CF - you know, a
22 very complex CFD code to analyze the flow there, so to
23 keep it within the applicability range, or a TRACG
24 code, we set the chimney size, the partition side.

25 MR. WALLIS: So you wanted it to be one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 dimensional?

2 MR. MARQUINO: No. No.

3 CHAIRMAN CORRADINI: I know what you said,
4 but what you are telling me, I changed the design so I
5 could analyze it.

6 MR. MARQUINO: That's right. That helped.

7 MR. WALLIS: You want it to be one
8 dimensional, essentially, is that it?

9 MR. MARQUINO: Yes.

10 MR. ARMIJO: Just a quick question. Now
11 there is going to be a lot of welds in that chimney.
12 Is that correct, that these are going to be all welded
13 construction, all the lengths up and down those --

14 MR. DERWER: Are you talking about the
15 partitions specifically?

16 MR. ARMIJO: Yes.

17 MR. DERWER: There will be a considerable
18 number of welds.

19 MR. ARMIJO: Are these like full length?

20 MR. DERWER: Yes, they are. Our idea is
21 to use a cruciform for the intersections where the
22 cells are, and then we would have plates that are
23 welded full length, full penetration, and with a
24 cruciform design it allows us to take the weld away
25 from the discontinuity of the intersections. So --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: So that's sort of like an
2 extruded or --

3 MR. DERWER: An extruded -- it's like in
4 the blades where we have the tie rods.

5 MR. ARMIJO: Okay, and that material will
6 be the same as the shroud, it's not an L-grade?

7 MR. DERWER: Oh, it'll be stainless.

8 MR. ARMIJO: Stainless steel, very low
9 carbon.

10 MR. DERWER: Low carbon, and we have a
11 program where we are going to develop a mock up and
12 use the actual welding parameters, and then our GRC is
13 going to evaluate it for stress corrosion.

14 MR. WALLIS: Is there a follow up with
15 flow induced vibration in the chimney?

16 MR. DERWER: No, we actually had Hitachi
17 do a flow test for us.

18 MR. WALLIS: With a full sized chimney
19 matrix or just one cell?

20 MR. DERWER: Well, we did one cell. We
21 started out with a 1/12th scale. We went to a 1/16th,
22 one sixth, and then they openly did a full scale with
23 a single cell, and when we did that we saw that the
24 vibration characteristics improved for the full one.
25 And that is why we ultimately did that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: WE may want to move
2 on, because we are going to hit them with the
3 stability.

4 MR. ABDEL-KHALIK: Just one question which
5 is related to this, which is again the size of the
6 cells, the projection of what you call super cell is
7 four by four, 16 bundles, is that correct?

8 MR. DERWER: Yes.

9 MR. ABDEL-KHALIK: So in either a fresh or
10 an equilibrium core, what is the largest radial power
11 gradient between a bundle and a bundle that is four
12 rows away?

13 MR. DERWER: I don't think I can quote a
14 number off the top of my head.

15 MR. ABDEL-KHALIK: I mean looking at the
16 power distribution maps, even though they are sort of
17 qualitative in nature, it is possible to have one of
18 these super cells where you have a very large power
19 gradient between the bundle that is on one edge of
20 this cell, and another bundle that is four rows away.

21 So the issue of one dimensionality of the
22 flow within the chimney can be sort of questionable in
23 situations of this sort.

24 MR. FAWCETT: I'd like to turn to Mr.
25 Marquino.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MARQUINO: In terms of numbers we will
2 have to get back to you, but let me clarify something.

3 We have maybe a 2-1/2 dimensional analysis
4 of the chimney in our TRAK code. We model different
5 power bundles within a chimney partition. We have the
6 ability to do that, and we have the ability to monitor
7 different power partitions.

8 The biggest gradients are at the edge of
9 the core. You can kind of get that from the colors on
10 his map.

11 MR. ABDEL-KHALIK: But we would like to
12 find out if you don't mind, if you have that
13 information.

14 MR. MARQUINO: Okay, we can get you some
15 information on that.

16 CHAIRMAN CORRADINI: Please proceed.

17 MR. DERWER: Okay, I believe I have pretty
18 well covered most of what I wanted to on the figures.

19 Okay, the next is the 4.6 which is the
20 basically the system for reactivity control of -- this
21 is the control rod drive system.

22 This system is essentially the same as the
23 provision control rod drive system that you have seen
24 in the past, except that we've added one new feature,
25 and that is the high pressure make-up flow. This is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 ju9st a belt and suspenders thing that adds a feature,
2 you know, if it's needed in an accident condition.

3 The three major components are the prime
4 motion control rod drives. There are 269. The
5 hydraulic control units, which are 135. So there are
6 two HCUs that support two drives.

7 And then we have the hydraulic subsystem
8 which is the system that provides flow to the system.

9 MR. WALLIS: How much water do you bring
10 in through these control rods? What does it
11 correspond to in terms of megawatts and boil off? Can
12 it supply the boil off after two hours of decay heat
13 or something?

14 MR. DERWER: Are you talking about the
15 amount of fluid that is injected?

16 MR. WALLIS: Well, you are introducing
17 here a sort of a pumped versus cooling system.

18 MR. MARQUINO: But you need a small
19 quantity of water, compared to the core volume.

20 MR. DERWER: It's a very small volume.

21 MR. WALLIS: Is it really?

22 MR. MARQUINO: It does have the capability
23 right after scram to go into high flow mode, and that
24 makes up for boil off decay heat.

25 MR. WALLIS: It could cool the core?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MARQUINO: Yes, so it's diverse from
2 the IC function.

3 MR. WALLIS: So if quality is turned off -
4 -

5 (Laughter)

6 MR. DERWER: So going to the next slide,
7 so the FMCRDs is a -- has been mentioned before, has
8 the electric motors to drive it during normal
9 operation, the hydraulic function during normal
10 conditions.

11 The HCUs as always have been the source of
12 hydraulic power for scram, and those fundamentally are
13 the same. As a matter of fact the HCUs for ABWR where
14 we used directly for ESBWR, and the hydraulic system
15 basically provides demin water, and regulates and
16 distributes it to the HCUs and the perch (phonetic)
17 flow within the drives. The perch flow helps keep the
18 drives clean, and does keep them cooler with the perch
19 flow.

20 MR. ABDEL-KHALIK: What is the total worth
21 of all the control rods in a cold clean core?

22 MR. FAWCETT: The cold rod worth?

23 MR. ABDEL-KHALIK: Yes, total.

24 MR. FAWCETT: In other words cold all rods
25 out to cold, all rods in?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ABDEL-KHALIK: Correct.

2 MR. FAWCETT: I believe it's around 15
3 percent, but we would need to confirm that.

4 MR. ABDEL-KHALIK: Okay, thank you.

5 MR. DERWER: And moving forward, this is a
6 schematic of the CRD system. As I mentioned it is
7 provisional with prior systems. These are the FMCRDs
8 on this side. This box pertains to the hydraulic
9 control units. The new feature is the -- coming off
10 the pumps is, we have these valves that are normally
11 closed. This is the flow path --

12 (Telephonic interference)

13 MR. DERWER: -- flow into the reactor
14 water cleanup, and ultimately into the feedwater
15 system which would go back into the reactor vessel
16 itself.

17 In this system we draw out water from the
18 condensate storage tanks which is typical, and so
19 there's nothing really new about the system.

20 Okay, if you want to cover that, John?

21 MR. SORENSON: Well, I think the bottom
22 line is, we continue to work with NRC staff to resolve
23 and adjust open items.

24 MR. ARMIJO: There are a lot of open
25 items. There's 31 in chapter four that I know of.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Maybe I got to ask that staff at some point.

2 MR. SHACK: Let's do that after break.

3 CHAIRMAN CORRADINI: Well, they'll have an
4 answer.

5 MS. CUBBAGE: And GE needs to switch teams
6 to continue with Chapter 4.

7 MR. ARMIJO: We still have one more
8 presentation for Chapter 4, so I want to move on to
9 it.

10 Any other questions for this group?

11 Okay, thank you very much. You are going
12 to have another member join you?

13 MR. SORENSON: We are ready to begin.

14 Let me introduce Dr. Jun Yang, who will
15 provide a discussion of the ESBWR stability
16 evaluations.

17 MR. YANG: Good morning, everyone. My
18 name is Jun Yang, and I am here to share with you the
19 evaluation results for ESBWR stability, including
20 recent events since our last meeting.

21 I'm going to start out today by specifying
22 the licensing requirements that ESBWR needs to
23 satisfy.

24 So the conditions that need to be examined
25 for stability through normal operation and also AOOs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and the JDC-12 requires that power oscillation is
2 either not possible or can be detected and suppressed.

3 Next slide, please.

4 And based on the stability results we have
5 seen so far, we can safely conclude that ESBWR are
6 stable during normal operations, and AOOs, and the
7 growth of large power oscillations is not a credible
8 event.

9 In addition GEH will implement a detect
10 and suppress solution to further protect --

11 MR. WALLIS: This isn't just based on
12 analysis, this is also based on comparison with
13 experiment, isn't it, this conclusion, first
14 conclusion?

15 MR. YANG: It is mainly based on the TRACG
16 analysis in terms of decay ratio.

17 MR. WALLIS: There had to be experiments
18 too. Maybe it's a different forum where we
19 investigate these.

20 MR. MARQUINO: There has been experiments.
21 We saw the Advisory Committee's view about two years
22 ago when we submitted our TRACG method for analyzing
23 ESBWR stability.

24 MR. WALLIS: I remember that. I'm just
25 thinking about what would they call it, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 experiments in Holland, the Genesis experiments. Have
2 you come to terms with those yet in TRACG? Because
3 they had difficulty modeling -- they had a Freon loop
4 that modeled the whole system and supposedly scaled
5 properly. They had some trouble modeling it
6 analytically.

7 Have you come to terms with that yet?
8 Maybe we should investigate this in a subcommittee or
9 some other subcommittee.

10 MR. MARQUINO: We didn't have any open
11 items.

12 MR. WALLIS: Well, I wondered about that.
13 Because they had real trouble -- this was presented
14 in Pittsburgh in the fall, and maybe you should look
15 at the Genesis experiments, because we are going to
16 ask about them again.

17 MR. MARQUINO: I think this is not exactly
18 the forum, but I think we have to talk about them.

19 MR. ABDEL-KHALIK: The DCD says that, in
20 Section 4(d)(1)(5), that therefore the stability
21 during AOOs is assured by the scram protection. And
22 in there you talk about a level -- low level trip, and
23 the high powered trip.

24 MR. MARQUINO: There is a scram protection
25 on Level 3.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. ABDEL-KHALIK: Right. Now how does
2 that protect against regional instabilities during
3 AOs?

4 MR. YANG: So basically all the density
5 being reduced the stability will be protected by
6 limiting the power level. So scram protection will
7 limit the power level.

8 MR. ABDEL-KHALIK: How does the high flux
9 trip protect against regional instability?

10 MR. YANG: Once you do the high level
11 height, similar to the high-power scram established,
12 and the power, the low ratio will decrease. So based
13 on the TRACG results the decay ratio will improve,
14 give you a lot of margin, so that the regional decay
15 ratio, regional performance, is protected.

16 And I will get to that in later slides.

17 MR. MARQUINO: I think your concern is
18 that if you are in a regional oscillation, the sides
19 of the core are oscillating, the APRM won't have a
20 good indication of that, right?

21 MR. ABDEL-KHALIK: Correct.

22 MR. MARQUINO: But what we're crediting is
23 the average power of the core which does increase in
24 the loss of feedwater heating event.

25 We are not saying that that is going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 detect the oscillations, but it's going to detect the
2 power increasing as the feedwater temperature drops.

3 MR. ABDEL-KHALIK: I guess you will talk
4 about that in more detail.

5 MR. WALLIS: So these oscillations never
6 occur?

7 MR. MARQUINO: Right.

8 MR. WALLIS: They never occur unless they
9 are really -- I guess with the MELLLA+ we go into some
10 discussion about, couldn't use the DIVOM curves
11 because of single channel oscillations. You ever get
12 into that? How do you know, because TRAC says so?

13 MR. MARQUINO: We will see numbers in a
14 minute.

15 MR. ABDEL-KHALIK: Back to the point you
16 are making, the high flux drift, I guess you're saying
17 it protects against overall increase in power level?

18 MR. MARQUINO: Right.

19 MR. ABDEL-KHALIK: During a loss of
20 feedwater heating event?

21 MR. MARQUINO: Right.

22 MR. ABDEL-KHALIK: Now are you sure that
23 you will actually hit that point sooner than the point
24 where these regional oscillations coupled on top of
25 the overall power increase would put you at a point

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 where you will exceed your CPR limits?

2 MR. MARQUINO: Yes, because we analyze
3 with the -- in order to get the regional oscillations,
4 the power has to be above that trip. So that is what
5 Dr. Yang is demonstrating with his calculations, that
6 from a loss of feedwater temperature, or a loss of
7 feedwater, or just normal operation, where enveloped
8 by a certain power level, and at that power level the
9 core is stable.

10 MR. YANG: There is less stress in AOO
11 stabilities.

12 Next slide, please.

13 These are all the major possible
14 conditions that can lead to instability at least here.

15 And all this scenarios have been analyzed by using
16 TRACG code, and the methodologies using stability LTR,
17 and has been approved by NRC.

18 So basically for density being induced
19 instability which is also called Type II instability,
20 there are three modes to consider.

21 The single channel mode is when the flow
22 of a single channel oscillate with small power
23 oscillation. And the core alignment mode is when the
24 power in the flow of all core channel, oscillating in
25 phase; while the regional model is when half the core

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 oscillates out of phase with the other half.

2 And also several other kind of instability
3 -- mode of instability are considered during the plant
4 start-up including the condensation in the region
5 instability, and also the flashing the void induced
6 LOOP instability also considered during plant startup.

7 Also the xenon transient effect on the
8 power distribution is also considered using TRACG
9 methodology for simulating the plant startup.

10 MR. ABDEL-KHALIK: Do you analyze
11 situations where some of these instability modes are
12 coupled, where you have single channel instabilities
13 on top of regional instabilities?

14 MR. YANG: I think, in a sense, there are
15 a couple actually. Because the regional instability,
16 there is a limiting bundle we analyze. So it is the
17 single channel we are considering in the original
18 model.

19 We see like the limiting bundle based on
20 the power peaking and also the harmonic peaking.

21 MR. ABDEL-KHALIK: So you don't ever
22 foresee a situation where the core is going like this,
23 and within that region a channel is going like this at
24 the same time?

25 MR. YANG: Right, we are monitoring the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 limiting channel during the regional model also. So
2 inside there are a couple, we evaluate the performance
3 based on a single channel performance.

4 MR. WALLIS: I think when you do that the
5 limiting bundle has the same frequency as the regional
6 mode; it's not doing its own thing on top of that.

7 MR. YANG: That is covered by the
8 hydraulic single channel mode.

9 So basically for the single channel mode
10 it's purely concentrated on the hydraulic performance
11 of single channel. And I will get to that, showing
12 you the decay ratio value, you can see the margin.

13 Next slide, please.

14 This slide shows the decay ratio result
15 for the normal operating conditions, both the
16 equilibrium for any initial core. Since the last ACR
17 meeting, GEH has performed a series of additional
18 analysis for its colder level sensitivity, and it
19 determined that the peak hot access cycle point is the
20 limiting state.

21 MR. WALLIS: So you did use a Courant
22 number of one? You put enough nodes in that chimney?
23 Because this was a question we had before?

24 MR. YANG: Right, we addressed that by
25 using fine nodalization model.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: So you didn't artificially
2 damp the void perturbation?

3 MR. YANG: Right, and also in TRACG --

4 MR. WALLIS: I think in some other forum
5 we probably should look at the details of that, too,
6 again, visit that again.

7 MR. MARQUINO: Okay, I want to clarify
8 what Jake is discussing is the channel nodalization.
9 And we answered a lot of your questions and did
10 additional investigations of the chimney numerical
11 tracking, and we dispositioned that in the TRACG
12 review.

13 So what we did in --

14 MR. WALLIS: Well, we said we wanted to
15 revisit it again in our letter, I think, because you
16 hadn't actually reported your current number of one
17 results throughout the whole chimney at that time.

18 I understand you have done some better
19 simulations done.

20 MR. YANG: The calculations showed that
21 the chimney region has a minimum effect on stability
22 performance, especially with decay ratio value.

23 So you can see that all three mode decay
24 ratio meet the acceptance criteria with very good
25 margin, and all the region can be made here is, among

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this remote, if the channel, single channel mode, has
2 the largest margin, which means hydraulically, yes, we
3 believe our channels are very stable.

4 And the regional mode is limiting mode,
5 and -- but adequate modeling is --

6 Next slide, please.

7 So here we start talking about AOO
8 stability. So beyond normal operation, in the AOO
9 space, there are two limiting events that have been
10 identified. One is the lost feedwater heating event
11 where the power will increase as the feedwater
12 temperature reduces. Another one is loss feedwater
13 flow event, where the water level drops.

14 And the trajectories of these two events
15 are given on this power core fuel map, and you can see
16 that three lines of defense are established, to handle
17 the power level for the lost feedwater heating event.

18 So on detection of a temperature drop in
19 feedwater, the SCRRRI will be initiated through control
20 of power, overall power level.

21 And if power keeps rising, simulate
22 thermal power scram, and the trip from this
23 detect/suppress solution will further limit the power
24 level.

25 And as far as the loss of feedwater flow

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 event, the scram on a level three will protect
2 stability.

3 Next slide, please.

4 MR. ABDEL-KHALIK: If I may just go back
5 to the previous table where you talk about the channel
6 decay ratio. You talk in the DCP about the
7 statistical analysis, or the channel decay ratio that
8 you have done 59 trials or something like that. And
9 you select the parameters from the distribution. And
10 you say that a TRACG calculation is made for the
11 perturbed set of parameters to obtain a steady state.

12 Were you able to obtain a steady state
13 result for each of the 59 trials?

14 MR. YANG: Yes.

15 MR. ABDEL-KHALIK: For each case?

16 MR. YANG: Yes, because to evaluate
17 stability performance, we need to have a variable
18 steady state first, using TRACG.

19 MR. MARQUINO: To evaluate the decay ratio
20 number, yes.

21 MR. ABDEL-KHALIK: Okay, thank you.

22 MR. YANG: Okay, back to AOs. From the
23 results for the normal operating condition, we know
24 that regional mode is limiting mode. So here only the
25 regional decay ratios are given.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And you can see that for this two AOO
2 events, limiting events, the decay ratio value shows
3 adequate margin against acceptance criteria.

4 MR. WALLIS: Doesn't this vary with the
5 time in the cycle? Because the power distribution is
6 so very different in the beginning and end of cycle,
7 it must affect stability?

8 MR. YANG: Actually it --

9 MR. WALLIS: It's a worst condition there
10 or something?

11 MR. YANG: We determine the limiting cycle
12 point is at peak access, so we perform this --

13 CHAIRMAN CORRADINI: Sorry, the limiting
14 cycle point is what?

15 MR. YANG: Is at the peak of access,
16 reactivity cycle point. Is where the max reactivity
17 is the maximum during the cycle. And that would give
18 you the worst axial power shape.

19 CHAIRMAN CORRADINI: So it's near the
20 beginning of cycle.

21 MR. YANG: It's right in middle of --
22 middle of cycle and end of cycle.

23 MR. WALLIS: The bottom is worse for
24 instability?

25 MR. YANG: Yes. So actually this decay

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ratio obtained, and that peak of access point.

2 CHAIRMAN CORRADINI: So just so I
3 understand what you just said, so I were to plot the
4 overall core K effective, what you are saying is, with
5 gadolinium burn out, instead of going down you are
6 doing this, and you are picking that peak point?

7 MR. YANG: Yes, there is the peak during
8 the cycle.

9 CHAIRMAN CORRADINI: Okay.

10 MR. YANG: This decay ratio number recall
11 is the worst case.

12 MR. ARMIJO: In an initial core would you
13 expect it to be less? Would it meet the acceptance
14 criteria in an initial core? Would it be closer to --
15 the decay ratios be closer to your acceptance
16 criteria?

17 MR. YANG: Yes, we provided in the initial
18 core stability evaluation, the initial core LTR, and
19 the results were similar results to the palladium
20 core, and between these two cores, the equilibrium
21 core is a limiting condition for stability.

22 MR. ARMIJO: Equilibrium core is limiting?

23 MR. YANG: Yes.

24 MR. ARMIJO: Okay.

25 MR. YANG: Next slide, please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So following -- we are going to the
2 startup stability -- following the established startup
3 procedure, the voiding begins out of the core. So
4 there is no void reactivity oscillations during this
5 phase, so the core flow remains single phase sub
6 cooled. So largely CPR moderator is maintained during
7 the plant startup.

8 And there is no oscillation can challenge
9 the fuel design limit during the startup. So
10 stability is not of concern for plant startup.

11 MR. ABDEL-KHALIK: Do we have a complete
12 description of the startup procedure from cold
13 shutdown all the way to hot flow power step by step?

14 MR. YANG: In DCD 4B there is a startup
15 analysis up to 300 megawatts. And there is an in-
16 process effort to using Tri-G (phonetic) to get to the
17 full power rated commission.

18 MR. ABDEL-KHALIK: You know I looked
19 everywhere looking for -- from an operational
20 standpoint, a step-by-step procedure for how to go
21 from a cold shutdown to a hot full power. And I
22 couldn't find it.

23 MR. SIEBER: Well, you wouldn't find that
24 in this kind of a document. Procedures are a tier
25 lower than that, more detailed. The FSAR DCD sets the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 envelope and the limits. The procedures themselves
2 are the product of the utility operator. So they
3 don't appear.

4 MR. MAYNARD: Typically they would be
5 inspected during startup and they wouldn't be
6 submitted as part of the FSAR.

7 MR. YANG: And for existing plant --

8 MR. ABDEL-KHALIK: But without knowing the
9 detail step by step procedure for this machine, I
10 would find it hard to say that, oh, we have no
11 stability problems there at startup.

12 MR. MAYNARD: I'm just saying where the
13 review normally takes place is at that point. But the
14 NRC still, they do review those. I'm not sure when
15 the ACRS would get something like that.

16 MR. SIEBER: You wouldn't. You wouldn't.

17 MR. MAYNARD: Without asking for it.

18 MR. SIEBER: The commission wouldn't get
19 it either. It's just part of a startup.

20 MR. MAYNARD: It would be -- there would
21 be some estimate of it in the COL phase I would
22 assume.

23 MR. SIEBER: Yeah, and the startup test
24 procedures would determine whether the procedures were
25 adequate to meet the limits that were set in the DCD

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and the FSAR, and you would design and run tests to
2 show that.

3 MR. MARQUINO: And we have documented the
4 initial startup testing in Section 14.2 of the DCU.

5 MS. CUBBAGE: Yes, I was just going to
6 indicate that the staff has an open RAI at this time
7 requesting that the maximum heat up rate be specified,
8 and that limit would be implemented by the utility in
9 their startup procedure.

10 MR. KINSEY: And again this is Jim Kinsey
11 from GE-Hitachi, again getting back to the discussion
12 we just had.

13 It is not our intention to put a detailed
14 startup summary in the DCD, although we won't know
15 that one -- we recognize that one is needed as part of
16 the overall process, but it would be further down the
17 road in the process.

18 MR. ARMIJO: But to understand this plant,
19 how can you analyze it unless you think it through
20 what's going to happen at each step?

21 CHAIRMAN CORRADINI: I guess in 4(d)(6) on
22 a nondimensional map you kind of hand wave yourself
23 through the startup.

24 But I think what Sam is looking for is
25 some sort of progression. But you showed one slide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 but the next figure in you DCD is the one that I'm
2 assuming you are eventually going to talk to relative
3 to how you proceed through -- you proceed through a
4 Type I instability in the chimney, but by doing that
5 avoid the Type II instability.

6 MR. YANG: There is I believe there is a
7 trajectory including 4(d) on the sub-cooling number
8 map, but that's a schematic figure, and there is an
9 effort to perform evaluating Type II instability over
10 the plant start to the full power. We will establish
11 several steps and achieve the steady state -- good
12 steady state at the different power level, and the
13 performance stability, and provide the decay ratio
14 values.

15 CHAIRMAN CORRADINI: I see. Okay. Can I
16 say that back to you one more time? So you are going
17 to use TRACG and have stop pourings to see how the
18 decay ratio evolves as you proceed down through low
19 whatever it is, low power but increasing temperatures,
20 and then come back up through your path, and look at
21 the various stability decay ratios all the way through
22 that?

23 MR. YANG: And those we can't see from the
24 power flow map, my prediction is, the stability
25 performance will improve the power decrease, because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the power flow ratio decreases, because the power
2 changes more quickly than the flow changes.

3 MR. MARQUINO: Let me try and address what
4 you said and give you a brief like one minute
5 description of the startup.

6 We heat the vessel up with external
7 heating to get up to 80 Centigrade based on RT and DT
8 limit before we pull rods. And at that point we pull
9 rods, and that is the beginning of our TRAC analysis.

10 We start TRAC with the rods full in; pull the
11 critical; and then we are limited by a heat uprate
12 that is the same tech spec heat uprate as the
13 operating plants, 100 degrees Fahrenheit, and we've
14 shown that the reactor is stable, and it doesn't get
15 into a Type I or condensation slash flashing
16 instability during the heat up and pressurization that
17 we are limited by that thermal stress power level
18 versus the Type I instability power level.

19 So that was in Section 4D of the DCD. When one
20 unique feature of the ESBWR is because of the Type I
21 instability we minimize the steam load and the VOP
22 during startup. So we -- in the initial core
23 evaluation, analyze with some steam flowing from the
24 reactor based on condensation in the drains. But we
25 try and minimize the steam flow until we get to high

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 pressure, and we are out of any Type I instability
2 concern.

3 Now you were talking about what we are
4 going to do?

5 CHAIRMAN CORRADINI: Well, I'm just
6 repeating what I thought he said, which was, you will
7 take us through the startup path and at some selected
8 points in there look at a TRACG analysis to see that
9 your decay ratios and how they are evolving as you are
10 coming up in power and flow; that's what I thought I
11 heard.

12 MR. MARQUINO: No, we documented our
13 stability evaluation in 4D, and we were looking for --
14 we started out looking for flow instability in the
15 fuel channels. And three years ago the staff asked us
16 to do a kinetics evaluation, so we responded by
17 including a 3-D kinetic simulation, and that is in 4D
18 now.

19 We don't have to characterize the decay
20 ratio, because we show the power is stable during the
21 startup, and we have very large margins to CPR.

22 CHAIRMAN CORRADINI: Thank you.

23 MR. YANG: The next slide, please.

24 In summary, based on the approved
25 methodology, the results show that ESBWR is stable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 during normal operations and AOOs, and based on the
2 results, we can see -- we can say the ESBWRs meets the
3 GDC-10 and 12 requirements.

4 I will take -- I will use the next two
5 slides to go through the affirmatory items for this
6 stability LPR summation, and for the first three
7 items, GE's -- GEH's resolution is that there is no
8 change in the field design, the phase parameters.

9 And also we show that stability is not
10 sensitive to CPR correlations.

11 And also we have evaluated stability
12 performance during ATWS. And it show that stability
13 performance is not of concern during ATWS events.

14 Next slide, please.

15 And there is an ongoing effort to develop
16 the detect-suppress solution which will, based on
17 existing methodology, but it will consider the ESBWR
18 characteristics.

19 And for the startup stability, I think Mr.
20 Marquino summarized, and we will further evaluate with
21 different methodologies and also looking at xenon
22 trending effect.

23 MR. WALLIS: The ESBWR is stable during
24 startup as long as you startup slowly enough, but you
25 go into it for other reasons. It isn't inherently

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 stable. You've got to do things right. Isn't that
2 true?

3 MR. MARQUINO: That's true.

4 There was a lot of focus on this in some
5 universities and lab testing, and they did prove that
6 if you do something you can get the flashing
7 condensation instabilities.

8 But in the bundles, we are -- we're not
9 limited in that we -- as long as we comply with the
10 heat uprate, which we already had as a limit, we can
11 generate that regime.

12 MR. ABDEL-KHALIK: On item #5, will we
13 have the opportunity to review that design detail?

14 MR. YANG: Right, there is an open item on
15 this and GEH will address this.

16 MR. ABDEL-KHALIK: Right.

17 MR. YANG: So on the last item, we have
18 shown that for the gap conductance obtained from
19 different model, they are similar. One is from the
20 prime pallette model, another one is just for gap-
21 conducting model. And the results show there gave
22 similar results on the stability performance.

23 That will be all for stability.

24 CHAIRMAN CORRADINI: Other questions?

25 MR. MAYNARD: On stability, what is your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 current status on simulator? Do you have a simulator?

2 MR. MARQUINO: Yes.

3 MR. MAYNARD: Have you run a startup on
4 the simulator?

5 MR. MARQUINO: I have the simulator right
6 here on my laptop. I can show you during a break
7 maybe.

8 We --

9 MR. MAYNARD: I wonder if that might be a
10 way to go through a startup in similar -- you asked
11 for a detailed procedure. Well, a detailed startup
12 procedure is going to be involving a lot of system
13 line and some other things that are going on.

14 I think you are really interested in the
15 key aspects from the reactivity -- and there may be a
16 way to step through that without having a detailed
17 procedure --

18 MR. SIEBER: Well, Chapter 14 doesn't give
19 you the details. It tells you all the criteria you
20 have to meet.

21 MR. MAYNARD: I think what you are
22 interested in is what is going to occur, what limits
23 on rates and what parameters are really being looked
24 at from step to step there. If you have something
25 like that, I think it would help with the process.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ARMIJO: You know, related to that,
2 one of the things that BWR used to be very good at,
3 the old BWR had flow controlling power, and so you
4 wanted to raise power very smooth, very slowly; for
5 example, preconditioning fuel that was -- had PCI
6 risk, that was a nice feature of the -- with the
7 conventional BWR.

8 With the ESBWR I personally don't know
9 exactly if you could do the same thing.

10 MR. MARQUINO: Dr. Perditza (phonetic) has
11 a presentation that will go through that shows how we
12 will do that.

13 MR. ARMIJO: Okay, I'll just hold on.

14 CHAIRMAN CORRADINI: Any other questions
15 from the members? Or
16 else we will go into a break.

17 Thank you very much, and we will have the
18 staff talking to us about their SER and open items
19 after a break at 10:30.

20 (Whereupon at 10:14 a.m. the proceeding in the above-
21 entitled matter went off the
22 record to return on the record
23 at 10:30 a.m.)

24 CHAIRMAN CORRADINI: All right, so let's
25 get started. The staff is here, so we will let them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 begin.

2 SER WITH OPEN ITEMS FOR CHAPTER 4

3 MR. DONOGHUE: Before we get started, I'm
4 Joe Donoghue. I'm the branch chief in reactor systems
5 NRO. I just want to give you a couple of words on the
6 staff's perspective of getting ready for this meeting.

7 You see members, you will see some more
8 members, including people in front of you, from NRO
9 and from NRR. Remember that we formed NRO a little
10 over a year ago, so there are people that -- this is a
11 long review for ESBWR, and the people who had started
12 out, reviewing NRR, and there are some people that are
13 still in NRR. So don't be confused when you see that
14 on slides.

15 Just wanted to say that in preparing for
16 this, we have a -- the staff members here, we
17 contractor support, and we are also going to have
18 members of the staff of research, the Office of
19 Research here.

20 We prepare presentations to cover a lot of
21 ground. We do have to cover a lot of material, but
22 there is more for us to do, we realize that.

23 So we basically have given you a status of
24 the review. There are many open items. I think that
25 was mentioned earlier.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 There is also relatively new information
2 that has come in. In the earlier presentation you
3 heard about, I know you were interested in, the staff
4 is reviewing -- it's still reviewing. There are more
5 areas for us to inquire about, and we realize that.

6 And if you get into some areas of detailed
7 questioning, we are prepared for some of that, but
8 it's up to the committee how you want to spend the
9 time today and tomorrow.

10 We are prepared to do some of that detail
11 today. We can come back in future meetings and give
12 you some more detailed presentations.

13 And definitely by the time we are at the
14 final SER stage, when we think we have resolved the
15 open items, then we'll be ready to talk in a lot more
16 detail, okay?

17 CHAIRMAN CORRADINI: That sounds good.
18 Thank you very much. I would say just to answer one
19 of the points you raise is, we want to try to get
20 through at an appropriate level the four chapters over
21 the next four days.

22 If there are major things we have to note
23 and come back and schedule an additional meeting on
24 this, I think staff will then have to decide, and
25 we'll try to find a mutually agreeable time to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that, to get into more detail.

2 MR. DONOGHUE: Thank you.

3 MR. BAVOL: Well, good morning. My name
4 is Bruce Baval. I'm the lead project manager for
5 Chapter 4, ESBWR.

6 This morning's presentation, the outline,
7 we are going to be briefing the subcommittee on the
8 staff's ongoing review, like Joe mentioned, of the DCD
9 application.

10 First up will be 4.2, fuel system design.

11 And we will be doing 4.6, functional design of fine-
12 motion control rod drive; 4.3, nuclear design; 4.4,
13 thermal hydraulic design; and finally 4 delta and 21.6
14 stability.

15 I left off 4.5, reactor materials. That's
16 not going to be part of the presentation, but we have
17 the technical reviewers in the audience today if there
18 are any questions.

19 Besides myself, Amy Cubbage is discussing
20 items this morning. She is the team lead for this
21 project. The lead technical reviewers are going to be
22 Paul Clipper (phonetic), George Thomas, Dr. Peter
23 Yarskey (phonetic), James Gilmer, Dr. Weidong Wang,
24 Dr. Jose March-Leuba, excuse me, you know who he is.
25 Robert Davis, and Nihar Ray.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 This slide indicates a summary of
2 regulations and review guidance. Just wanted to post
3 that briefly.

4 REI status. The original number of REIs
5 started out 184, and we've resolved 150, and the
6 number of open items is currently 34, but as this is
7 an ongoing review, these numbers --

8 MR. WALLIS: Only 34? When you read these
9 documents, it seems like more than 34. Is that
10 because they are ongoing, or they are being tracked
11 for something? Is that why it seems so many?

12 MS. CUBBAGE: It should match with what
13 you have there.

14 MR. ARMIJO: I had 31, but close enough.

15 (Simultaneous voices)

16 (Laughter)

17 CHAIRMAN CORRADINI: We are also trying to
18 get them one at a time.

19 (Laughter)

20 MR. BAVOL: Each chapter will lay out the
21 specifics for that. But like you were saying there is
22 ongoing information still being reviewed. So these
23 numbers will definitely change.

24 The first section up for discussion is
25 Chapter 4.2, and I'd like to introduce Paul Clifford

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 from NRR.

2 MR. CLIFFORD: Good morning. I will begin
3 my presentation by describing the fuel design criteria
4 that is specified in the DCD, and then I'll move on to
5 discuss the topical reports which detail the hardware,
6 the fuel design and the control blade design, which
7 will be used by the ESBWR, and that meet the fuel
8 design criteria specified in the DCD.

9 The fuel design criteria that are
10 specified within ESBWR DCD, for example, shall not
11 fail fuel during an AOO, maintain a coolable geometry,
12 is consistent with the currently operating fleet, and
13 likewise, the control blade design requirements, such
14 as the ability to insert control blades during seismic
15 events and design basis events are consistent with the
16 current operating fleet.

17 MR. BANERJEE: This includes earthquakes,
18 right?

19 MR. CLIFFORD: Right.

20 Even though the criteria was identical to
21 the current fleet, the staff did identify a couple of
22 open items with the criteria themselves.

23 The first issue we identified which is an
24 allowance for limited fuel centerline melting during
25 AOOs. That remains and open item.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And secondly, the staff had concerns with
2 the mechanical database according to 1 percent plastic
3 straining criteria at end-of-life conditions.

4 MR. ARMIJO: I have a question on that.
5 There seems to be an open item related to the use of
6 uniform strain or ultimate strain, the difference
7 between GEH and the staff.

8 Could you give us a little summary of
9 exactly what the issue is there?

10 MR. CLIFFORD: Sure. The cladding -- I'm
11 sorry, the staff prefers the use of uniform strain
12 based upon more typical stress characteristics such as
13 you would find in a balloon test, as opposed to the
14 ultimate tensile strength you would see -- I'm sorry,
15 the ultimate stress that you would get during like a
16 tensile test.

17 The type of loading that you see, and
18 also, there were sensitivities in the results with
19 gauge length, et cetera. And what we've seen from GE
20 to justify the 1 percent classic strain we feel needs
21 further support, and GE -- GEH I should say - actually
22 I've used to calling them G&F, but GEH -- has
23 indicated that they have some uniform strain data from
24 the Japanese counterparts which they will be providing
25 to close out this open item.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. ARMIJO: is that your understanding,
2 the GEH will move toward the uniform strain, and we'll
3 close it out that way? Is that your expectation?

4 MR. CLIFFORD: That is my expectation.
5 And also, that gets onto another slide here, they will
6 be providing corrosion limits and hydrogen limits from
7 which will be the basis of the uniform strength.

8 MR. ARMIJO: What is this word, prefers
9 uniform strain? Is the limit on the uniform strain,
10 or is it on the ultimate strain?

11 MR. CLIFFORD: The SRP, which is our
12 standard, provides a steady stream. This criterion
13 goes back more than 25 years. So I think we have seen
14 some mechanical testing data that has caused us to
15 rethink the previous acceptance criteria from many
16 many decades ago, and now we are moving toward uniform
17 stress based on other testings.

18 MR. MAYNARD: Are we changing the
19 requirement?

20 MR. CLIFFORD: We are not changing the
21 requirement. They are specifying the requirement. I
22 guess our open item is, we don't see that they have
23 the capability of demonstrating that they meet their
24 own criteria.

25 We don't necessarily tell them that they -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 - they define their own samples, when the point of
2 cladding failure occurs. And they specify this 1
3 percent plastic strain. And based on ultimate
4 tensile.

5 And we asked them to demonstrate that they
6 can meet that with their current cladding. And I
7 don't believe to this point that they provide enough
8 evidence.

9 And as I indicated, they have stated that
10 there is additional test data in their Japanese
11 counterparts which they will use to close this open
12 item.

13 MR. MAYNARD: And it's an important issue.

14 But you talk about the staff prefers. We are dealing
15 in a regulatory environment, there should be a
16 requirement, and are they meeting the requirements or
17 not, as opposed to redefining what the staff may want.

18 Is this stuff that is just not very well
19 covered in the regulations?

20 MR. CLIFFORD: There are is no regulation
21 specifying --

22 MR. MAYNARD: Reg guides, sort of thing?

23 MR. CLIFFORD: The SRP, which was recently
24 updated, provides for clarification on what staff
25 would like to see.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MAYNARD: Yes, but the SRP applies to
2 the staff review. What is the requirement on the
3 applicant? I just wondered whether we are going
4 beyond what the regulation requires just because -- I
5 want to make sure that when we have different staff
6 members that may come in to all of a sudden start
7 changing, say now, we really prefer this, or we really
8 prefer that.

9 MR. CLIFFORD: That's a very good point.
10 I think that that's one of the reasons we added
11 further details to the SRP so that we don't get into
12 different regulatory instability I guess you would
13 call it.

14 MR. SHACK: But there is this
15 interpretation. I mean you have a GAC requirement,
16 then what do you use to demonstrate that you are
17 meeting that requirement I think is where we begin to
18 get these interpretative differences.

19 MR. MAYNARD: That's where most of them
20 come.

21 MR. CLIFFORD: And now we are moving on to
22 the hardware section, the actual -- there are four
23 topical reports that were submitted, two for the fuel
24 assembly design, and two for the control blade design.

25 The two topical reports which were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 submitted for GE14E were reviewed, and in addition,
2 the staff performed some FRAPCON benchmark or
3 independent calculations to verify that they met the
4 design requirements. And we performed an audit down
5 in GE Wilmington their engineering calculations.

6 GE previously identified that the GE14E is
7 almost identical to the GE14, except it's slightly
8 shorter components, materials, et cetera.

9 Of course that was important for the staff
10 to ensure that there was applicable operating
11 experience.

12 During the course of the interview we
13 identified a couple of open items with the GE14E. The
14 first is although the components are identical, the
15 space -- the distance between the spacers in effect
16 flow induced vibrations, and we have asked GE to
17 perform some full flow testing, and they agreed to.
18 And we are still waiting for the results. They may
19 have already performed it; I'm not sure. They are due
20 any time now.

21 The second is that we expected them to
22 provide us with the corrosion limits for both oxides
23 and hydrogen uptake.

24 The third item is that during the FRAPCON
25 benchmark we identified some discrepancies between the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 JESTER-M model and the FRAPCON model, and subsequently
2 GE issued an evaluation, and the staff is reviewing
3 that.

4 And based upon these changes and potential
5 changes to the DCE requirements, we would expect that
6 both of these GE14E topical reports to be revised in
7 the very near future.

8 MR. ARMIJO: To that point, I looked at
9 one of the topical reports, and looked at the
10 composition of the liner, and it's different from what
11 I think GEH actually uses. It has -- and I don't
12 know, I don't want to mention numbers, because that
13 might be proprietary.

14 When can we talk about that?

15 MR. CLIFFORD: We could have a closed
16 session I guess, whenever we do that.

17 MR. ARMIJO: The topical report is the
18 basis for the DCP, which is the basis for the SER. I
19 just wondering if we've got the right material defined
20 here.

21 MR. CLIFFORD: It was our understanding,
22 based on what was described in the topical report,
23 that the fuel design and the fuel barrier are
24 identical to the GE14.

25 MR. ARMIJO: The top report, it does give

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 specific composition, but I think it is different from
2 what is actually being used. Maybe GE --

3 (Simultaneous voices)

4 MR. CLIFFORD: Right, well, I'm going to
5 have to defer to GE.

6 MS. CUBBAGE: Does GE have an answer for
7 that at this time? Or is that a take away?

8 MR. ARMIJO: It may be just something that
9 we missed in updating that topical report.

10 MR. KINSEY: This is Jim Kinsey from GEH.
11 Maybe to help us address the question, what I think I
12 heard you say is that something that is depicted in
13 our topical is different from what you think we may be
14 doing. I just want to clarify that.

15 MR. ARMIJO: Let me just show you the
16 table that I copied. I don't think that is the
17 composition you wanted.

18 MS. CUBBAGE: Maybe sometime before the
19 end of the day tomorrow we could come back to that.

20 MR. ARMIJO: Is there a limiting location
21 for a fuel induced vibrations? And is that the same
22 location in GE14E as it is in GE14?

23 MR. CLIFFORD: I'm not sure if it's the
24 same location. I mean I'm sure it depends on the
25 hydraulic characteristics of the assembly between the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 spacers, and maybe the introduction of different rods.

2 And that is really we asked for specific testing.

3 Initially GE's position was that the
4 testing that was done for GE14 was applicable to GE14,
5 and there were also other compensatory issues, such as
6 the flow in the core is significantly lower than the
7 porous flow. So they were saying it's really not --
8 it is not expected to be a damage mechanism, because
9 of the lower flow. And they have testing on similar
10 bundles, but we asked for them to validate that, and
11 then they said okay, we'll run the test. So I guess
12 we'll have a sense of the demonstrations whenever we
13 get the test results.

14 MR. BANERJEE: What are the vibration
15 frequencies?

16 MR. CLIFFORD: I don't know off the top of
17 my head.

18 MR. BANERJEE: How do these do these
19 tests?

20 MR. CLIFFORD: They have a chamber where
21 they insert a full bundle, and they perform full flow
22 testing. The test rig is in Wilmington.

23 MR. BANERJEE: The reason I ask is, in the
24 chimney you get a frequency do to the chugging of --
25 appeared at one to two seconds. Any potential for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 pressure waves coupling?

2 MR. CLIFFORD: I'm not sure. We have
3 asked GE -- the tests which were done in the past were
4 done -- were just broader. It wasn't done with two-
5 phase flow.

6 We've asked GE to either consider running
7 tests for two-phase flow, or to justify the use of
8 just saturated liquid.

9 CHAIRMAN CORRADINI: But the chugging
10 phenomena that at least to my understanding, the
11 chugging phenomena that Sandra is talking about is as
12 you're coming up the power, and you are going to be
13 doing full flow test at full power flow conditions.

14 MR. BANERJEE: It could be at power, too,
15 because a void fraction in the chimney is such that
16 you are in the channel turbulence regime. So you will
17 stop --

18 CHAIRMAN CORRADINI: It's not an
19 instability chugging. It's just a churn turbulence --

20 MR. BANERJEE: It is the full regime,
21 which is why I gave the one to two second period. So
22 and that's why I was asking what the frequency is
23 likely to be.

24 MR. CLIFFORD: We have asked that the test
25 encompass the full range of flow, and also we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 inquired about the quality.

2 MR. BANERJEE: Can GE give us an idea of
3 what the frequency is?

4 MR. MARQUINO: Are you asking about flow
5 induced vibration?

6 MR. BANERJEE: Yeah or frequency, what is
7 the peak frequency or mean, whatever.

8 MR. MARQUINO: Well, you have the natural
9 frequency of the bundle, right, to see if it couples
10 with the forcing frequency.

11 MR. BANERJEE: Well, natural frequency
12 without the added mass, because it is going to be a
13 high void fraction.

14 MR. DERWER: This is Jerry Derwer with
15 GEH. When we did the flow testing in the chimney,
16 they determined the frequency of the fluid going
17 through the chamber, and that was 2 Hertz, that's what
18 we reported.

19 MR. BANERJEE: Well, that I know. These
20 are the Ontario hydro tests, right?

21 MR. DERWER: No, this is what Hitachi did
22 on the partitions.

23 MR. BANERJEE: You're doing a different
24 set of tests on the partition? The only void fraction
25 oscillation tests are the Ontario hydro ones. Is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a different set?

2 MR. DERWER: It's a different test. I'm
3 not familiar with that test, though.

4 MR. BANERJEE: Who knows about the current
5 set? Where was this done?

6 Anyway I accept the 2 Hertz, because it's
7 in the range of what I know. But it's a question of
8 what is the bundle frequency which clarifies the
9 issue.

10 MR. MARQUINO: The bundle frequencies are
11 given in the DCB along with the decay ratio.

12 CHAIRMAN CORRADINI: For flow and -- I
13 just want to make sure we're talking about the same
14 thing. For flow induced vibration? That is what
15 Sanjoy is asking.

16 MR. WALLIS: Can they look it up and tell
17 us later?

18 CHAIRMAN CORRADINI: Can we just take it
19 and get back to it and move on for the moment.

20 MR. CLIFFORD: And I just would like to
21 add, I think we will be in a better position to talk
22 about this once we have received the sample test data,
23 and that will probably be presented in a future
24 meeting.

25 I'd just briefly mention the two topical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 reports which were submitted, which document the
2 Marathon control blade design. Which was the original
3 Rev. 0 of these documents was almost identical to the
4 current generation Marathon which is in operation
5 right now.

6 The staff completed a review of topical
7 reports and performed an audit down at GE of the
8 engineering calculations. We identified several open
9 items. Most of them were related to some operating
10 experience that we've see in the fleet, and we
11 believe it has to do with some assumptions in their
12 design analysis due to reasons I've already stated and
13 some of the irradiated stainless steel properties
14 related to strain capabilities, for the irradiated
15 stainless steel.

16 This remains an open item, and as a result
17 of some of these issues, GE has redesigned the ESBWR
18 Marathon control blade, and Rev. 1 was just received a
19 couple of weeks ago, and the staff is beginning its
20 review of Rev. 1 which has a slightly new design.

21 MR. WALLIS: Now this business of channel
22 bow, is it just the channels that bow? Or do these
23 control rods themselves have some dimensional changes
24 over the length of the rod?

25 MR. CLIFFORD: I think in general the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 channels are flexible, but there is bowing on them as
2 a result of peaking, hydrogen corrosion, or
3 differential flow.

4 MR. WALLIS: Do the rods change their
5 dimension at all? Do they bow or swell?

6 MR. CLIFFORD: What we are concerned with
7 is that there is internal swelling in the chambers
8 that hold the B4C powder such that you can crack the
9 control blade, not necessarily -- -

10 (Simultaneous voices)

11 MR. WALLIS: -- changing their bowing, and
12 it's just cracking that you are worried about?

13 MR. CLIFFORD: That's what we are
14 primarily concerned with, yes.

15 MR. BANERJEE: And this Japanese
16 earthquake, there was some problem with one or more of
17 the control blades getting stuck. Have you heard
18 about that, and what happened, an understanding of
19 that?

20 This was a little bit beyond their safe
21 shutdown earthquake as you know of course; it went
22 beyond. But nonetheless, most of the systems were
23 okay. But there was something to do with control rod
24 getting stuck.

25 I only heard this at a presentation by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Commissioner Soda. I can probably give you a copy of
2 the slide

3 MR. CLIFFORD: Okay, in summary, we have
4 identified multiple issues, which should necessitate
5 revisions to both, some of the ESBWR design criteria,
6 and into the four topical reports which support the
7 hardware.

8 Further questions?

9 MR. WALLIS: These issues seem to be
10 completion issues. They don't seem to be something
11 that is really fundamental, show-stopping type
12 problems. It's just that they haven't done the
13 complete job of design yet, haven't completely
14 resolved some things. But it's not as though there is
15 a huge extrapolation from present practices for this
16 design.

17 MR. CLIFFORD: Right.

18 MR. WALLIS: So there is no real
19 fundamental question, is there? I think that's what
20 we should probably focus on, not all the details that
21 have to satisfy you for completeness. But something
22 which is a fundamental new question about ESBWR.

23 MR. CLIFFORD: As you mentioned, the
24 designs are extremely similar to what they've had
25 years of interactive experience with. So these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 designs we've seen, there is nothing fundamentally
2 flawed in them that would prevent them from being
3 approved by the staff.

4 MR. BANERJEE: I guess one issue would be
5 if there is any coupling with this chimney.

6 MR. CLIFFORD: And that is maybe an area
7 we didn't look at, because it's similar to unique
8 designs, and the test rates we've seen for other
9 vendors and for GE, so it is limited.

10 MR. WALLIS: Well, it gets back to the
11 question that my colleague, Said, earlier that if you
12 get some channels which are exhausting into the same
13 chimney, with really conditions coming out of the
14 channel, some kind of adjustment goes on at the bottom
15 of the chimney. Does this produce some kind of
16 frequency, some sort of driving force from what's
17 happening at the bottom of the chimney, as it's
18 adjusting itself to being nonuniform.

19 You have a much greater flow coming out of
20 one passage, one channel, than another one, you can
21 use vortices and things at the bottom of the chimney,
22 which hopefully will die away when you go --

23 CHAIRMAN CORRADINI: The next presentation
24 will be given by George Thomas of NRO, and we are
25 going to move right into 4.6, which is the control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 drive system which we just were talking about.

2 MR. THOMAS: Good morning. Throughout the
3 system in ESBWR is very similar to the ABWR, approved
4 in 1997 and there are only very minor differences,
5 like the induction model, it has not changed. And
6 there is now high pressure coolant injection in the
7 reactor. There are only minor difference in the ESBWR
8 compared to the ABWR and now, as you know, in Japan
9 ESBWR operating this system now for some time. So
10 there is a good operating experience now, so based on
11 that experience, we know that system can be built and
12 operated to satisfy all the analysis.

13 Also they submitted the ABWR, they
14 submitted a thorough analysis. So they wanted to take
15 apart that one and they also identified all the
16 differences between the ABWR and the ESBWR. So based
17 on that we redid the CRD design.

18 Now he have only a few open items,
19 basically only two of them. And one of them is
20 related to the current GE tech for the information
21 system.

22 CHAIRMAN CORRADINI: And we are going to
23 talk about these open items in Chapter 15?

24 MR. THOMAS: We don't have any plans to go
25 into detail, but if you want to, basically we got an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 open item basically because --

2 MR. CLIFFORD: When the staff reviews the
3 internal drive system, the first thing which seems
4 apparent is, you want to ensure that all the design
5 characteristics, how it moves the blade, et cetera.
6 Anything that is credited in Chapter 15 is
7 specifically captured in a testing for both tier one
8 ITAC, in other words, they'll test each blade, each
9 drive to ensure that it can meet the requirements as
10 assumed in Chapter 15.

11 And there will be tech specs and future
12 surveillance to make sure that the performance is
13 maintained for future cycles.

14 That is the obvious.

15 The next thing you always look at, if you
16 have a new system, you want to make sure that there
17 are not any new characters of that system that could
18 cause a transient, or cause the system to introduce
19 like a new anomaly that wasn't there in the previous
20 design.

21 And really the REIs that are open right
22 now are really the second part. It's really that we
23 have asked some questions that, okay, here's the new
24 future of this new design. Could this cause a
25 different accident than we've previously analyzed?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And we are still waiting for some of the responses,
2 and waiting to go through some of the responses.

3 MR. KRESS: Do those have anything to do
4 with the induction motors as being a difference?

5 MR. CLIFFORD: No. One of them, for
6 instance, is the ability to move many rods at the same
7 time, whether or not that's been considered in the
8 accident analysis.

9 MR. ABDEL-KHALIK: You mean the fine rod
10 control?

11 MR. CLIFFORD: Right. And another one is
12 the control -- but there are drawbacks, and as you
13 know, as a limited reactivity initiated accident. And
14 there is many enhanced features of this design which
15 have been credited, and GE's position is that -- or
16 GEH's position is that that accident has now moved
17 beyond design space.

18 And the staff is questioning that
19 position, whether or not it is beyond design basis, or
20 whether it has to be or not.

21 We can talk more about that.

22 CHAIRMAN CORRADINI: At that time I think
23 we'll wait, unless you really want to talk about it
24 here.

25 MS. CUBBAGE: If you want to discuss this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 issue, this is the time.

2 CHAIRMAN CORRADINI: This is the time?

3 MR. ARMIJO: What is the GEH basis for
4 saying it's moved off the table that the rod dropped?

5 I mean what mechanical changes or logical changes?

6 MR. CLIFFORD: For instance in order for
7 today's plants to get a control rod drop accident,
8 they've got to move the control blade up during normal
9 power, and then it's got to stick, and then it's got
10 to physically separate from the decoupling device, and
11 you withdraw the control arm, and then eventually it
12 just falls. It falls out of the core.

13 Some of it is unique design -- well, they
14 are all detailed in the DCD. But like for instance,
15 they have changed the coupling such that it is
16 physically impossible to decouple the control blade
17 from what they call the hollow piston. You would
18 actually have to rotate it 45 degrees, and you
19 couldn't do that when it's in the core and surrounding
20 by a shield.

21 MR. ARMIJO: So they have a mechanical
22 change?

23 MR. CLIFFORD: They have a mechanical
24 change, went through a coupling, a bayonet coupling
25 they call it. And there are other features too.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And I guess the staff -- we have an open
2 REI on this -- but we have kind of looked at
3 probabilities, and more so deterministically, if you
4 don't analyze this event, if you just say it's beyond
5 design basis and you never look at it, in a sense you
6 have given up on any control blade worth.

7 You know there is no limit on control area
8 worth. You could have four high enrichment bundles in
9 the same control cell, and you could have significant
10 delta ro over H worth if something were to happen, and
11 our position is that even though the probability may
12 be slightly less for ESBWR than for the current plant,
13 still it's something that should be analyzed, since
14 the consequences are potentially so severe.

15 MR. MARQUINO: I can add something to what
16 Mr. Clifford said. We do have an REI in the process.

17 We start with REIs about the probability and failure
18 modes and effects analyses. We responded to that.

19 We quantified the probability, and now as
20 Mr. Clifford said, they are asking us about the
21 consequences, and our plan is to compare the ESBWR to
22 other control rod drop accident evaluations that we
23 have done on a rod work basis to show that our rod
24 works are similar to those for plants where we have
25 evaluated the consequences control rod drop, and when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that is the case, the rod drop is a local event.

2 We expect to be able to show that it is
3 bounded by the dose evaluation we provided for
4 infrequent events, which is 1,000 rod failures.

5 CHAIRMAN CORRADINI: So can I just get a
6 clarification? Because the way you discuss it, this
7 actually brings up this new categorization.

8 So is the GEH position that it moves out
9 of the DBA space or moves out of the AOO space into
10 the DBA space?

11 MR. CLIFFORD: Out of the DBA space.

12 CHAIRMAN CORRADINI: Okay, so we're not in
13 this new categorization, infrequent events.

14 MR. BLEY: May I ask you a question about
15 it? Because looking at the pictures it's hard for me
16 to fully understand the physical mechanisms of how
17 that rod drive works.

18 If it's explained that there is a clutch
19 that allows the hydraulic air to drive the rod in for
20 a scram, is there any way that clutch could fail and
21 the rod drop out when you are not facing a scram
22 criteria? Have you looked at that?

23 MR. CLIFFORD: There's two mechanisms
24 there, I can kind of visualize it and that is how you
25 have your control blade, which has a long what they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 call hollow piston. And that thing is resting on a
2 small shelf which they call the ball nut.

3 And that's driven by an induction motor
4 which turns a screw which raises the shelf up and
5 down. And in the event of a scram you inject the high
6 pressure water into the system, and that then lifts
7 because of the hollow piston design, lifts the piston
8 off that shelf up into the core really fast.

9 And as soon as it gets into the core there
10 are latching mechanisms that will hold it in place in
11 its fully inserted position. And also during a scram
12 there is a signal sent to the motor to drive that
13 shelf up, and for whatever reason it wasn't to be
14 inserted, that's like an odd diverse scram in a sense.

15 MR. BLEY: And show the shelf is a
16 physical thing, so the rod can't go past that shelf?

17 MR. CLIFFORD: It doesn't -- correct. But
18 as they mentioned, there is a break, and the break
19 does have testing requirements to ensure that during a
20 full pressurization event the pressure on the rod
21 wouldn't cause that motor to turn backward in a sense
22 to try to push it out. And we have captioned those
23 testing requirements.

24 MR. BANERJEE: So more of these control
25 rod slip accidents were because of the flow control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 valve being open, or does it have to be closed or
2 something?

3 MR. CLIFFORD: For the current flow, you
4 mean?

5 MR. BANERJEE: Yeah.

6 MR. CLIFFORD: Right. I mean there have
7 been incidents where flow control valves have
8 essentially decreased the pressure in the piston
9 region which caused the rod to drop up; we've seen
10 those in Japan the last couple of years -- or actually
11 it was about a dozen years ago; it was just reported.

12 But the classic event is that of it
13 sticking in the floor. And in that situation the
14 operators don't know where it is. As far as they're
15 concerned, it's been withdrawn. But it's sitting up
16 there and it falls at a future time; that is the
17 classic event.

18 I don't think we have had one of those.

19 CHAIRMAN CORRADINI: And that's -- by this
20 new design, I just want to make sure we get back to
21 it, so I understand -- in the new design there is some
22 sort of physical connection and turning; the point is
23 that it can't be unhitched once it's in the core?

24 MR. CLIFFORD: The new design has some
25 unique features that make the problem less, but there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are a couple of features which could make the
2 probability.

3 For instance, the only thing holding the
4 control blade and the hollow piston on that shelf is
5 its weight; gravity. So you could argue that if there
6 was a lot of channel bow, as soon as you move that
7 down it would stick. The shelf would go down, but the
8 hollow piston and the blade attached would stay there.
9 That was one of our concerns.

10 So you don't need it to decouple for it to
11 hang up into the core. You would still have the
12 hollow piston. The hollow piston can't physically
13 decouple from the blade, but the blade and the hollow
14 piston as one unit would hang up.

15 But they've introduced -- to counteract
16 that they've introduced redundant load sensors which
17 would identify if it were -- the hollow piston were to
18 leave that shelf, the weight sensors would say, oops,
19 it's not there anymore. Set off a rod block alarm;
20 set off an alarm into the control room, and the
21 operators would respond.

22 MR. BLEY: So the issue is how much credit
23 can you give for an improved design and still address
24 the issues that you had?

25 MR. CLIFFORD: Right, exactly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CLIFFORD: This is a very gray area,
2 because the ABWR was approved. Acknowledging that the
3 event was non-design basis. On ESBWR the staff has
4 said, well, we think the way it was done before maybe
5 wasn't the right way.

6 CHAIRMAN CORRADINI: I missed that.

7 (Simultaneous voices)

8 MR. CLIFFORD: We should have known that
9 part. I don't think we knew that part. I didn't know
10 that part.

11 CHAIRMAN CORRADINI: DCD, the ABWR which
12 was approved what year?

13 MR. CLIFFORD: Ten years ago.

14 CHAIRMAN CORRADINI: Ten years ago, sorry,
15 the DCD took credit for all these advanced features,
16 and stated that the event was beyond design basis.

17 Now when the staff was evaluating it, the
18 staff didn't fully disagree with that position.
19 However, they did do an independent dose calculation.

20 They did an analysis of rod worths and they did the
21 transient, and then they determined what the dose
22 would be. And they said, well, since the dose is
23 acceptable, the design was acceptable.

24 It's kind of a gray area, because the SE
25 is not the DCD. The DCD is captured in the rule; the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 SE isn't necessarily captured in the rule. I think
2 it's kind of a gray area how that was approved.

3 And I don't think we wanted to do the same
4 thing here, because it leads to confusion, future --
5 regulatory confusion when you implement this decision
6 whether or not they have to maintain a dose calc in
7 the future, or whether or not they have to maintain
8 rod worth limits in the future.

9 So a regulatory gray area, and we didn't
10 want to repeat that; we wanted to have a definitive
11 regulatory position.

12 MR. SHUAIBI: Hey Paul, if I could -- this
13 Mohammed Shuaibi from the staff. I guess what we are
14 looking for is for GE to justify their position that
15 this does not to be addressed. We are looking for
16 them to do the analyses that were previously done on
17 the ABWR design by the staff, and then show us or
18 convince us that this is okay.

19 Where we will end up on this I don't know.
20 I guess we will be back to brief you on the closure
21 of these open items at a future meeting. But that's
22 what we're waiting for is for them to provide that
23 information to show that the probability is what it
24 is; the consequences are what they are; and then based
25 on probability and consequences together, we will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 decide whether this is okay or not, and then you'll
2 hear about it at a future meeting.

3 MR. THOMAS: I want to say, my worst
4 problem with the review is the ABWR. CHAIRMAN

5 CORRADINI: Just to end this so we can let you go on,
6 just to repeat what you said, is even though that
7 might be in your heart, the DCD doesn't reflect it.

8 MR. THOMAS: That's my conclusion. If you
9 got any questions.

10 MR. ARMIJO: I just had one quick question
11 on the open items on the control blade design.

12 You have a statement, irradiated stainless
13 steel properties in question. Exactly what are you
14 concerned about there?

15 MR. CLIFFORD: We reviewed several
16 calculations to find that element analysis
17 calculations for the control blade design, and there
18 were some conflicting statements and different design
19 calcs as opposed to strain capability of the
20 irradiated stainless steel, what we call square tubes.

21 MR. ARMIJO: The square tube, these are
22 just mechanical limits, or related to stress corrosion
23 cracking susceptibility? Or just straight mechanical?

24 MR. CLIFFORD: This is straight
25 mechanical. MR. ARMIJO: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CLIFFORD: The stress corrosion
2 cracking was addressed with material changes where
3 they changed the recipe of the 304 stainless steel.

4 MR. ARMIJO: Okay.

5 MR. CLIFFORD: But the new design, the rev
6 one design, is -- provides a lot more margin in the
7 sense that the maximum depletion of the B4C, the
8 maximum B force in swelling, they will maintain
9 margins. In other words there will be no contact
10 between the two capsules and other square tube.

11 So by not having contact or having stress
12 or strain, you don't have to worry about what the
13 strain capability of that cladding is. That's one way
14 of resolving that open issue.

15 MR. THOMAS: I will introduce Mr. Yarsey
16 who are we talking about Point 3.

17 MR. YARSKY: Yes, some will be talking
18 about our review of 4.3. Most of the review is
19 related to the review of these four topical reports
20 here, which is the gamma thermometer system for LPRM
21 calibration and power shape monitoring; the nuclear
22 design report; initial core nuclear design report; and
23 as you heard about earlier the feedwater temperature
24 power operating domain transient accident analysis.

25 So I'm going to focus on the presentation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of significant open items related to those topical
2 reports, and each is really unique to ESBWR.

3 The first would be the in-core
4 instrumentation design, which is how you meet general
5 design criteria 13. The ESBWR has a unique design
6 feature relative to operating BWRs, which is to
7 eliminate the traversing in-core probe system for
8 conventional BWRs, which allows complete axial mapping
9 of the axial power shape and replace that system with
10 an automated fixed import probe system.

11 That is currently under review, and has a
12 significant number of open items related to that
13 review.

14 The second open item in regards to review
15 is the applicability of neutronic methods and
16 historically determined uncertainties for establishing
17 safety and operating limits. And that is also
18 currently under review.

19 Next slide. Our plan for resolution of
20 these open items is, we'll be conducting an audit of
21 the core monitoring software method, and moving from a
22 traversing import probe type system to the automated
23 fixed import probe system. The staff right now is
24 reviewing -- relying more heavily on the neutronic
25 methods to characterize the axial power shape versus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 direct measurement.

2 So in that review we are going to be
3 highly scrutinizing and reviewing the core monitoring
4 methods as they will be implemented.

5 And two, in the area of methods, apply
6 appropriate conservatisms where required to resolve
7 those issues.

8 MR. SIEBER: I have a couple of questions.

9 It seems to me this is a fixed system composed of
10 gamma thermometers, and also fission chambers; is that
11 correct?

12 MR. YARSKY: There are still going to be
13 local power range monitors, which are similar to the
14 local power range monitors in the operating fleet,
15 which are going to be neutron sensitive fission
16 chambers.

17 MR. SIEBER: Okay, so they deplete the
18 core. How do you accommodate calibration of those?
19 Is it just purely the depletion that you think is
20 going on?

21 MR. YARSKY: Well, talking about the
22 calibration would require going to core session.

23 MR. SIEBER: Right.

24 MR. YARSKY: So they are calibrated.

25 MR. SIEBER: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ABDEL-KHALIK: How about OPRMs?

2 MR. YARSKY: The OPRMs right now -- right
3 now the DSS solution for ESBWR is still being
4 developed by GE, and will be reviewed by the staff. I
5 imagine that it will be based on the DSS CD --

6 MR. ABDEL-KHALIK: Is there an open item
7 with regard to them, considering the fact that there
8 is no detail?

9 MR. YARSKY: Well, as you'll recall from
10 this morning the licensing basis for ESBWR stability
11 is not the detect and suppress solution. So to date
12 our, when our review has been focused on, is the ESBWR
13 stable versus does the ESBWR have an acceptable means
14 for detecting and suppressing an oscillation.

15 Right now we have an open item, I believe,
16 which is for GE to provide the detect and suppress
17 solution. But that is a backup to the ESBWR just
18 being stable.

19 The ESBWR is stable, and that is their
20 licensing basis, then there is no regulatory
21 requirement for detect and suppress solution.

22 MR. ABDEL-KHALIK: Okay.

23 MR. YARSKY: Okay. I hope that answers
24 your question.

25 MR. ABDEL-KHALIK: I guess we will wait

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for GE's response.

2 MR. YARSKY: Yes. I think, yes, also we
3 had identified several COL action items in regard to
4 the initial core design. Many of these open items
5 have been identified and are now being resolved in the
6 design certification space, and are no longer COL
7 items. They are now being addressed through the IEI
8 process, since GE submitted the initial core nuclear
9 design; report initial core transient accident
10 analysis.

11 So we intend to resolve those previous
12 identified COL items through the RIF process related
13 to the recent submittal of topical reports.

14 And just the significant design changes in
15 the submittals that were in one case we're reviewing
16 for substance, in another case beginning the review
17 for are the feedwater temperature power operating
18 domain which you have heard about I believe briefly
19 this morning.

20 MR. WALLIS: We still haven't seen what it
21 is. We just heard the words.

22 MR. YARSKY: There will be a presentation
23 I believe being made by GE at some point. I don't
24 know when that is scheduled.

25 MS. CUBBAGE: At the end of the day.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: End of the day?

2 MR. YARSKY: But this particular topical
3 report which describes the operating domain is
4 currently under review by the staff for acceptance.
5 So it's not been formally accepted to date. It's just
6 to let you know that there is this new operating
7 domain, which we consider a significant design change.

8 And also the initial core nuclear design
9 is a significant addition to the review in the area of
10 the nuclear design.

11 So if you have any questions?

12 MR. BAVOL: At this point I'd like to
13 change out the team up here at the front table.

14 (Simultaneous voices)

15 MR. WALLIS: guys, get on the record if
16 you talk.

17 MR. BAVOL: Okay, I'd like to introduce
18 James Gilmer. He's going to be reviewing Chapter 4.4
19 for thermal and hydraulic design.

20 MR. GILMER: As Mr. Fawcett discussed
21 earlier this morning, the proposed fuel is the GE14E
22 which is essentially identical to the current
23 operating fleet GE14 which we will accept the shorten
24 to optimize the natural circulation flow, and because
25 of the shortening the print spacers are closer,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 separation, and in addition the rod heights are
2 shorter.

3 The staff has reviewed the method GE
4 proposes to use to evaluate core --

5 MR. WALLIS: did they have orifices at the
6 bottom of these channels to control the distribution?

7 MR. GILMER: Yes.

8 MR. WALLIS: Are they less restrictive in
9 order to promote natural circulation?

10 MR. GILMER: I believe they are identical
11 to the GE --

12 MR. WALLIS: They are identical to what
13 they have already?

14 MR. GILMER: Yes.

15 MR. WALLIS: So they haven't changed them?

16 MR. GILMER: Correct. And the debris
17 filters are the same.

18 MR. SIEBER: But they did have a slightly
19 different spacing between assemblies.

20 Well, the fuel assembly itself, the
21 nozzles, is the same. But I think the gap between
22 them is different to allow -- is that correct?

23 MR. WALLIS: But that's in the assembly
24 itself.

25 MR. FAWCETT: Hi, this is Russ Fawcett,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 yes. Assembly hardware is the same. The bundle pitch
2 is increased by 100 mils, or a tenth of an inch.

3 MR. WALLIS: So there is no bypass flow or
4 something?

5 MR. FAWCETT: I'm sorry, what was the
6 question?

7 MR. WALLIS: Is there anymore bypass flow
8 in this than usual?

9 MR. FAWCETT: There is slightly more
10 bypass flow just looking at the assembly pitch
11 relative to, say, a C-lattice, which is six inches
12 bundle to bundle hitch.

13 The N-lattice was originally developed to
14 -- for nuclear reasons to reduce the magnitude of the
15 void reactivity coefficient in concert with BWR
16 development. It has other good characteristics
17 associated with the shutdown margin and control blade
18 spacing between channels.

19 MR. SIEBER: Is it undermoderated or
20 overmoderated? My suspicion is it's undermoderated.

21 MR. FAWCETT: The void reactivity
22 coefficient is negative under all reactor conditions.
23 Specifically looking at what we call the isothermal
24 temperature coefficient in which at cold conditions
25 the temperature is increased. We can insert some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 positive reactivity so the temperature coefficient can
2 be positive, and is allowed to be positive --

3 MR. SIEBER: But the void coefficient is
4 negative?

5 MR. FAWCETT: The void coefficient is
6 always negative, as is the prompt power coefficient,
7 as is the Doppler coefficient.

8 MR. SIEBER: Can you ever under any
9 circumstance -- that you can think of?

10 MR. FAWCETT: I know of no circumstance.

11 MR. SIEBER: So even if you have an
12 excursion you will get to some point and it will --
13 and that's below the power range?

14 MR. GILMER: Any others before we
15 continue?

16 Okay, the TRACG code is being used to
17 evaluate the core thermal hydraulics, and ACRS has
18 seen that before in the preauthorization phase, and we
19 will be discussing it further during tomorrow's
20 presentation.

21 MR. WALLIS: How far across is this TRACE
22 code model of this?

23 MR. GILMER: We are doing some independent
24 calculations with Trace Nuclear Development, versions
25 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WALLIS: It models the core and the
2 chimney and all that the same way that TRAC II does?

3 MR. GILMER: Yes.

4 MR. WALLIS: So some time we can see
5 comparisons?

6 MR. DONOGHUE: There is a commitment from
7 staff to show us a set of accidents.

8 MR. WALLIS: Okay, when are they going to
9 do that? They committed at some time in the future?

10 MR. DONOGHUE: Yes. This is Joe Donoghue.
11 There is a lot of work going on, as I mentioned in my
12 opening remarks, and there are calculations. There
13 are results that the staff is still evaluating.

14 MR. SIEBER: But the analysis of record is
15 TRACG.

16 MR. GILMER: Okay, the staff review of
17 Section 4.4 mainly consists of determining if all the
18 conditions and limitations of the current safety
19 evaluations for TRACG applications have been met.

20 And also looking at the input parameters,
21 especially the local pressure drop measurements which
22 are documented in a separate topical report which I
23 didn't get the number of, I believe it's 333238 on
24 pressure drop characteristics.

25 The staff has proposed a safety evaluation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to apply an operating limit within the critical power
2 ratio penalty similar to what's currently being used
3 in the operating fleet to account for uncertainties
4 such as the power measurement, flow measurement,
5 feedwater temperature measurement, and others.

6 MR. WALLIS: Void fraction prediction?

7 MR. GILMER: Yes. The values are still
8 yet to be determined, because we have some open REIs
9 on void fraction and others that we will reserve the
10 determination of the final value.

11 MR. BANERJEE: So you only decided that
12 there will be a penalty?

13 MR. GILMER: Yes.

14 MR. BANERJEE: Not how much?

15 MR. WALLIS: I thought you said it was .01
16 or something, or you don't know what it is yet?

17 MR. GILMER: Well, that is what is in the
18 operating fleet, and it probably will be in the same
19 ballpark.

20 The GEXL14 correlation was based on the
21 improved method for the GE14 fuel. If there is a
22 topical report, I didn't put the numbers 32851.

23 As Mr. Fawcett mentioned this morning, the
24 correlation uncertainties are based on the ATLAS
25 facility testing in San Jose, and also the STERN

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Laboratory in Ontario.

2 MR. BANERJEE: But now your spaces are a
3 little different, right?

4 MR. GILMER: That's correct. Actually it
5 enhances the critical power performance with the short
6 part length per hour because of the stagnation
7 effects.

8 MR. WALLIS: But they have done
9 experiments -- yes, they have done experiments of GE
10 or TE?

11 MR. GILMER: Yes -- well, just recently --

12 MR. WALLIS: And I guess we're going to
13 get to look at the results some time?

14 MR. GILMER: Yes, that's still to be
15 determined. They have to look at them first, I think.

16 MR. BANERJEE: But were these done at the
17 STERN? The ATLAS is shut down, correct?

18 MR. GILMER: Yes.

19 MR. BANERJEE: They were done at the STERN
20 labs?

21 MR. GILMER: The new tests were done at
22 the STERN lab.

23 MR. WALLIS: Did you approve their test
24 matrix at the time?

25 MR. GILMER: No, we haven't. Actually we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have an REI 4.4-1.

2 (Simultaneous voices)

3 MR. WALLIS: -- before they responded to
4 the REI?

5 MR. GILMER: Yes.

6 CHAIRMAN CORRADINI: How large is that
7 database?

8 MR. GILMER: Can GE address that?

9 MR. FAWCETT: Hi, this is Russ Fawcett.

10 The test that we just completed, the full
11 scale test of GE14E I think in qualitative terms it is
12 consistent with a full test of steady state data
13 covering the entire range of ESBWR under steady state
14 and transient conditions including transient tests.

15 MR. BANERJEE: What was the maximum power
16 that you get out of this facility?

17 MR. FAWCETT: I'm sorry, what was the
18 question?

19 MR. BANERJEE: Maximum power in the
20 facility?

21 MR. FAWCETT: The name plate rating on the
22 power supplies is about 16 megawatts. We have
23 delivered power to the assembly in excess of 13
24 megawatts for a full-length assembly.

25 MR. ABDEL-KHALIK: Is the database large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 enough so that you would not have to rely on prior
2 data for GE14 to establish the uncertainties?

3 MR. FAWCETT: In my judgment it is
4 sufficient to establish a correlation for GE14E.

5
6 I think we will conclude that the GEXL14
7 is adequate, and there is no need to make any changes.

8 MR. BANERJEE: Did you take any void
9 fraction data?

10 MR. FAWCETT: Not direct measurements, no.
11 By virtue of having assembly pressure drop data, and
12 we have done this, elsewhere, it is an indirect
13 affirmation of the void fraction predictions.

14 MR. BANERJEE: You didn't put a chimney on
15 top?

16 MR. FAWCETT: No, we didn't.

17 MR. BANERJEE: What a pity.

18 (Laughter)

19 MR. BANERJEE: The facility is run by one
20 of my ex-students, you know, Gord Hadalla.

21 CHAIRMAN CORRADINI: You should have
22 taught him better.

23 (Laughter)

24 MR. GILMER: Okay, the significant -- or I
25 should say ongoing review activities are several

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 topical reports. The key one is the critical power
2 correlation uncertainty of development, 33237. We
3 have re viewed up to revision two, and just recently
4 received revision three around Christmastime, which we
5 have not begun review on yet.

6 And we have been told that the new data
7 will be submitted as a revision to the topical report;
8 Jim, correct me if I'm wrong.

9 MR. FAWCETT: This is Russ Fawcett again.

10 Our plan is to provide a separate -- hi, this is Russ
11 Fawcett. Our plan is to provide a separate report .

12 MR. GILMER: The second one has been
13 mentioned earlier, the nature of core transients,
14 topical. We expect there will be some effects on the
15 core thermal hydraulics. We evaluated based on
16 equilibrium core that --

17 MR. WALLIS: When I was reading all this
18 stuff, I noticed there was an enormous number of
19 technical reports, and I was a little uncertain about
20 how much we are supposed to get involved, and looking
21 at those, because it would be a huge task to go over
22 all these topical reports.

23 CHAIRMAN CORRADINI: I think the way we
24 are handling it is, we, are this point, we are looking
25 at the open items, and if we need to delve into it -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WALLIS: They keep referring to
2 topical reports.

3 CHAIRMAN CORRADINI: We do have some
4 topical reports in this.

5 (Simultaneous voices)

6 MR. WALLIS: So I mean this isn't enough
7 to hold all the topical reports.

8 (Laughter)

9 CHAIRMAN CORRADINI: No, no, no, this one
10 is the one we've received already, and there is more
11 they are speaking about.

12 MR. GILMER: And 33237. Or the 33237, but
13 not the next two.

14 MS. CUBBAGE: We did not provide those at
15 this time because they were not included in the
16 staff's evaluation.

17 CHAIRMAN CORRADINI: That's fine.

18 MS. CUBBAGE: But we would be happy to get
19 you copies of those now.

20 CHAIRMAN CORRADINI: When it's
21 appropriate.

22 MS. CUBBAGE: We didn't want you to get
23 confused with too much information.

24 CHAIRMAN CORRADINI: I can't imagine us
25 getting confused.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. GILMER: Okay, as mentioned, there are
2 several open RAIs on the 33237 that are currently in
3 the safety evaluation. The other topical report that
4 we know will have some affects on the protocol is the
5 order temperature operating domain, which I guess will
6 be discussed later this afternoon.

7 The primary concern, we believe, is the
8 cold water injection of feedwater for certain
9 transients, so we expect them to be done in detail.

10 Summary of current open items. These are
11 the significant ones. The critical power testing for
12 the GE14 fuel. We will start that evaluation as soon
13 as we receive written documentation.

14 The high void fraction data is basically
15 the same issue as in the operating fleet within the
16 Findlay-Dix and we -- the staff feels that the
17 pressure drop indirect determination that came in with
18 the methods topical as a supplement were the 10X10
19 fuel. That's nice to have. It's not all you need,
20 since other vendors get the data, we would like to
21 have it from GE also.

22 MR. WALLIS: Did you look at the chimney
23 data? Don't they have some new data with the actual
24 box design? We don't have the Ontario hydro data, but
25 apparently they have some new data.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. BANERJEE: That was referred to. Do
2 we really have new data?

3 MR. BANERJEE: Have you looked at that?

4 MR. CLIFFORD: No, I have not seen it.

5 MR. WALLIS: You haven't seen it yet? So
6 that could be another open item that was part of the
7 results of these chimney tests.

8 MR. CLIFFORD: That's correct.

9 MR. BANERJEE: So let's clarify this,
10 because it wasn't clear in the statement. We are
11 aware of the Ontario hydro data on the void fraction,
12 but is there additional chimney void fraction data?
13 Do we have a clear answer to that?

14 MR. KRESS: I think I'd like to ask GE to
15 explain, because they were the ones who mentioned it
16 earlier.

17 MR. MARQUINO: There was an RAI, and we
18 provided data from our air-water FIV testing.

19 MR. WALLIS: That's all you have?

20 MR. BANERJEE: So it's only air-water
21 data?

22 MR. MARQUINO: That's right.

23 MR. BANERJEE: Okay. It will be another
24 open item.

25 MR. MARQUINO: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. GILMER: Okay, this past summer the
2 Office of Research did a confirmatory study, or
3 several studies, with the subchannel code COBRAG,
4 which GE has used to evaluate the effects of those at
5 the spacial separation and the rod height and the
6 results of our studies studies, although they are
7 still preliminary, that indicate that nothing is
8 acceptable.

9 I included the critical power uncertainty
10 evaluation as an open item still, because we will have
11 to relook at it for the new test data.

12 Our factor method, we agree that the
13 method is acceptable using the same method as is used
14 for the GE 9 through 13 that we have at RAI that
15 requested a split for GE, 14E specific confirmation
16 based on the test data.

17 MR. BANERJEE: So on this you get this
18 data from the GE14E, you don't really know what files
19 been used and all this sort of stuff.

20 CHAIRMAN CORRADINI: Before you had come,
21 there was a discussion on how they are using the GE14
22 fuel, and doing a back-correction which they consider
23 conservative.

24 But in that discussion this is where we
25 learned about the STERN data, STERN Lab data to look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at and compare.

2 Did I characterize that correctly?

3 MR. BANERJEE: The shorter fuel with more
4 spaces.

5 MR. GILMER: Fewer spacers.

6 MR. BANERJEE: Fewer spacers.

7 MR. GILMER: It was two feet shorter, so I
8 don't think there are more spaces.

9 MR. BANERJEE: I mean the distance between
10 the spaces is shorter, right?

11 MR. GILMER: That is what I meant.

12 Okay, in summary, the staff has a
13 reasonable assurance that the methods being used by GE
14 for the core thermal hydraulic design are acceptable.
15 However, the actual determination of values we have
16 to evaluate later when we get to the new data.

17 The same applies to the --

18 MR. BANERJEE: Does GE have any plans to
19 reduce the uncertainties in the void fraction data?
20 Have they indicated this to you?

21 MR. GILMER: Not to my knowledge. We got
22 a response to the RAI that referred to the GE methods,
23 topical and supplement, the 10X10.

24 MR. FAWCETT: Hi, this is Russ Fawcett.
25 I'll say it's in our interest and in the interests of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the fleet to remove that penalty. So it's in our plan
2 to address this issue.

3 MR. GILMER: Okay, any questions?

4 (No response)

5 Okay, well, I'd like to introduce Dr.
6 Weidong Wang, and Jose March-Leuba who will talk about
7 the appendix 4D on stability.

8 MR. WANG: First, stability stability
9 review, actually the data was reviewed by Wilson, who
10 is sitting in the back. For the rest of the
11 presentation I would like to introduce Jose Leuba.

12 MR. MARCH-LEUBA: Yes, so we are going to
13 talk about stability. And I heard the whole morning
14 that everyone was waiting for this topic.

15 There are two items that we are covering.
16 The first is Appendix D of Chapter 4, which covers
17 the stability of ESBWR, and Chapter 21 which is the
18 coverage of the methodology which is TRACG. And we
19 were in there with the members especially this side of
20 the table on the review of strategy in 2006.

21 We had two full committee meetings one-day
22 long, one full committee, when we went through the
23 stability of ESBWR and the ability of TRACG to ESBWR.

24 MR. BANERJEE: I was there for one.

25 CHAIRMAN CORRADINI: Now that I'm trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 remember it, but go ahead.

2 MR. MARCH-LEUBA: The issue that we had at
3 that time I remember was the nodalization.

4 There was an issue -- there has been an
5 ACRS issue from TRACG with a positive letter from this
6 committee saying that we should be approved for use of
7 --

8 MR. WALLIS: The issue was a courant
9 number, and the artificial dumping of fluctuations.

10 MR. MARCH-LEUBA: The only issue remaining
11 was the nodalization of the chimney. So let's
12 backtrack and talk about what the regulatory guidance
13 is, what does the law say.

14 And we have GDC 12 and 10 that tells us
15 what to do. GDC 12 tells you that oscillations should
16 not be possible. If they are possible, you should be
17 able to detect and suppress them.

18 If you go the route of detect and
19 suppression, then you invoke GDC 10 and say you
20 suppress them, you have to suppress before SAFDL are
21 violated.

22 We also have guidance from SRP 15.9 which
23 is the BWR stability and 15.0.2 --

24 MR. WALLIS: When it says oscillations,
25 presumably it means growing oscillations?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MARCH-LEUBA: Actually, the
2 possibility of --

3 MR. WALLIS: Because some sort of
4 minuscule oscillation is always possible.

5 MR. MARCH-LEUBA: That's correct. And
6 that's why the GDC actually says oscillations with the
7 possibility of causing damage to the reactor. And
8 that the deceleration is already 15.9 because you
9 always have noise. You always have oscillations.

10 The ESBWR designed team at GE has decided
11 to go the route of GDC 12 to demonstrate by analysis
12 that instabilities are not possible. And they do this
13 because in the most unstable point in the ESBWR is
14 actually the normal operating condition. So if you
15 don't design this reactor to be stable it will never
16 work. And the operating fleet, indeed, most reactors
17 now have a calculated deviation of greater than 1.
18 The reactors that are operating right now are unstable
19 at some operating condition which is very unlikely to
20 be reached.

21 So the ESBWR team decided to prove by
22 analysis that it's stable. The downside of that is,
23 any change they make like for example in the review of
24 GE14E they changed a spacer. You have to redo the
25 analysis again, and demonstrate with new spacer design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you are unstable. Let's go to the next slide.

2 MR. BANERJEE: There is nothing like
3 making assurance doubly sure.

4 MR. MARCH-LEUBA: I'm going to move on two
5 or three slides, there is a defense in depth in which
6 the DCD has committed to have an OPRM-type scram, and
7 the DCD actually mentions the SSCD. There is an RAI
8 open to specify exactly what I mean by that.

9 Do you want DSS/CD or what is it that you
10 are going to use, because it is only one sentence in
11 the DSS/CD.

12 But there is a commitment, and there will
13 be a defense in that with an OPRM scram, which answers
14 your question this morning that protection against the
15 out-of-phase type of instability will be produced in
16 case it happens, in case TRACG was mistaken, in case
17 our analysis is mistaken and we do have an
18 instability, it will be provided by the OPRM scram.

19 MR. BANERJEE: Will that guard against
20 also single channel type instability or small groups
21 of channels?

22 MR. MARCH-LEUBA: Without getting into
23 proprietary nature of all the presentations we have
24 seen in the last month, the argument on the long term
25 solution to stability is that before you have a single

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 channel instability, you have original instability.
2 So the issue you remember as you're trajecting, you
3 become unstable originally out of phase. A little
4 later, in addition to that --

5 CHAIRMAN CORRADINI: Well, if it is
6 proprietary we can go off the record in a closed
7 session.

8 MR. MARCH-LEUBA: It's not proprietary.
9 The proprietary is the use. So the argument is that
10 if a channel is going to become unstable, the
11 likelihood is that the whole core become unstable
12 before the channel becomes unstable, and therefore it
13 would be protected.

14 Or MR. BANERJEE: Not just a likelihood; it's
15 a certainty, right?

16 MR. MARCH-LEUBA: Certainty is such a
17 strong word. There have been two channel
18 instabilities in history. They were both because one
19 channel broke down. So if you -- you can have
20 physical changes to one particular channel and make it
21 unstable with the core being stable. But you require
22 some accident or mismanagement of the loading.

23 So during the review we concentrated on
24 three items. First we have what we call the core
25 stability, which is what we are aware of. It's the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 density-wave instability that all operating reactors
2 would worry about, and you have the channel core 1 and
3 regional oscillation.

4 But in addition because of the specific
5 features of the ESBWR which are new, we have to study
6 the stability of the chimney and the stability of the
7 stack.

8 MR. BANERJEE: The loop oscillation is
9 driven by the chimney.

10 MR. MARCH-LEUBA: In the chimney we were
11 worried about three types of instability modes. One
12 of them is a loop instability, which is a kind of a
13 normative type of instability where the down-comer
14 oscillates against the chimney. We were worried about
15 the floor region use instability. And thirdly, we
16 were worried about the fact that the chimney itself
17 could enhance the density- wave instability.

18 All three were evaluated and came out to
19 be that in the chimney place had no dynamic role in
20 the ESBWR.

21 The biggest recommendation from the
22 previous review of this --

23 MR. BANERJEE: Were there any -- there
24 were some experiments, or there is even a reactor in
25 the Netherlands which has a chimney, doesn't it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MARCH-LEUBA: There was a reactor in
2 the Netherlands, which was a nuclear reactor that
3 operated for in the U.S. about five or 10 years ago.

4 MR. BANERJEE: How big was the chimney?

5 MR. MARCH-LEUBA: Four or five meters, I
6 don't remember.

7 MR. BANERJEE: Comparable?

8 MR. MARCH-LEUBA: Comparable. It's a
9 smaller reactor, much smaller reactor.

10 (Simultaneous voices)

11 MR. MARCH-LEUBA: It was natural
12 circulation. It operated safely for many, many years.

13 Recently there was some experiments
14 conducted in the --

15 MR. WALLIS: The Genesis.

16 MR. MARCH-LEUBA: The Genesis, which
17 showed some different results. That's a separate
18 item.

19 On the startup stability issues -- all
20 reactors, I mean Brown's Ferry, Susquehanna, starts
21 up, and they're all there. The difference between
22 ESBWR and the operating fleet is that ESBWR is started
23 with a nuclear hit so your reactor is critical when
24 you are at low pressure.

25 So therefore you operate -- and during low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pressure the difference in density between water and
2 steam is enormous. So any boiling that you produce
3 produces a tremendous feedback on the density, and you
4 can have very large oscillations on low pressure. You
5 should not operate on low pressure.

6 The solution to this for the ESBWR design
7 team was to start them very slowly. And the idea is
8 to startup and to produce flashing at the top of the
9 chimney by the difference in density -- in pressure,
10 and never ever get voids into the core while you are
11 at low pressure.

12 MR. WALLIS: The slow upgrades seem to be
13 very, very slow to me. I mean they seem to be so much
14 slower than any of the time constants for the system.
15 I didn't understand why it had to be so slow.

16 MR. MARCH-LEUBA: Well, I'll tell you, the
17 biggest constraint, and the reason they did it, is
18 for the heat uprate of the vessel. It's at 100
19 degrees per hour.

20 MR. WALLIS: Well, that dominates
21 everything then. But the hydrodynamic transients are
22 so much quicker.

23 MR. MARCH-LEUBA: They are but because the
24 vessels have to heat up so slowly, they have to
25 produce heat very slowly, and that prevents having

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 boiling in the core.

2 So there will be instabilities during
3 startup. It's a Type I instability.

4 MR. WALLIS: In the chimney?

5 MR. MARCH-LEUBA: In the chimney.
6 Whenever you flash, you get more flow, and you
7 collapse.

8 MR. WALLIS: In fact, there is no way
9 around it.

10 MR. MARCH-LEUBA: There is no way around
11 it, but it has no consequence. As long as you are
12 still cooling the core, and your CPR is 20 to 40, who
13 cares.

14 MR. SIEBER: Well, they're not divergent.

15 MR. MARCH-LEUBA: They are not divergent.
16 They are not divergent.

17 And all these areas, like I said, we are
18 TRACG SER, which was presented this morning.

19 MR. BANERJEE: The concern is, I agree
20 with everything you've said except what -- how did you
21 resolve the flow regime instability issue?

22 MR. MARCH-LEUBA: We resolved it, but we
23 analyzed and we have a small disagreement. We have an
24 RAI issue that has never been resolved. The flow
25 regime instability issue is like for example is when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you have bistable flow in the feedwater loop in
2 operating reactors, where you have two possible
3 solutions.

4 Imagine that you are in transition flow,
5 and you could be laminar or turbulent. So you have
6 two possible solutions. Then you have a flow regime
7 instability. You are jumping from laminar to
8 turbulent or from annular flow to slide, and you have
9 different void fractions on the two solutions. And
10 you could be jumping between the two.

11 We calculated a transition of the flow
12 regime, the staff did. And we estimated that the
13 transitions to the annular flow at about 60 percent
14 power. So when you operate at full power --

15 MR. WALLIS: In the chimney?

16 MR. MARCH-LEUBA: In the chimney.

17 MR. WALLIS: You do get annular flow in
18 the chimney, really? I don't think -- that doesn't
19 seem believable.

20 MR. MARCH-LEUBA: Tracking claims you
21 don't transition --

22 CHAIRMAN CORRADINI: You do or do not?

23 MR. MARCH-LEUBA: Do not.

24 CHAIRMAN CORRADINI: Good. It doesn't
25 sound like you would to me. I don't see how.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MARCH-LEUBA: So you have slide four,
2 and is, you're far away from the transition rate.

3 MR. WALLIS: Well, the issue there in the
4 limited amount of data that we have seen in steam
5 water was that you see frequencies of oscillations
6 because of the slugging or whatever. I mean it's more
7 churn turbulent than slugging.

8 MR. MARCH-LEUBA: Which are, as I say, we
9 don't know --

10 MR. WALLIS: I think, according to Ishi,
11 you can never get slugging, so it's a big challenge.

12 MR. BANERJEE: Yes, you get churn
13 turbulent flow. It gives you oscillations.

14 CHAIRMAN CORRADINI: This is the concern
15 that you had expressed before, Sanjoy?

16 MR. BANERJEE: Yes, but I was asking how
17 has it been resolved, or is it still an open item.

18 MR. MARCH-LEUBA: The resolution is,
19 whenever you have two-phase flow, if you were to look
20 at an operating reactor now, you would see that the
21 power of oscillating about 3 percent, and it is
22 because the two-phase flow inside the core is
23 producing the noise, which is the slugging you are
24 talking about. It is the randomness of the voids are
25 causing changes in buoyancy, changes in friction. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the flow is oscillating 3 percent. You will have some
2 noise.

3 MR. BANERJEE: Now you have a large system
4 there which could lead to somewhat larger
5 oscillations.

6 MR. MARCH-LEUBA: Or, well, because of
7 that, we do have oscillations that might cancel out --

8 MR. BANERJEE: This was the issue, really,
9 an issue that if you look back there was a question as
10 to whether these were correlated or not. And Ontario
11 hydro data was taken with two gamma densitometers, and
12 one of the issues really was whether cross-correlation
13 were done between those two.

14 Now apparently they weren't. They had
15 these data, but they didn't -- they have the real-time
16 signals, but they did not cross-correlate it to get
17 whether there was a concerted motion going on.

18 And the issue would be if there is a
19 concerted motion, because then you would get fairly --
20 you'd get oscillations which are roughly the same
21 frequency as your core.

22 CHAIRMAN CORRADINI: We are running behind
23 a bit, so I'm -- I'll let you decide. But I guess
24 just one thing to take away, we may have to get back
25 to that, we may have to ask you, Sanjoy, so you think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 one channel of the 16 could actually synergistically
2 feed the chimney or vice versa? That's what I'm
3 struggling with. You got 16 to 1?

4 MR. BANERJEE: No, it's not that. All of
5 them are feeding it, but in the chimney itself you can
6 start to get oscillations which are pretty -- you know
7 it's a question of how random they are, as you were
8 saying. It's correlated, the whole thing is jogging
9 up and down. It's different from --

10 CHAIRMAN CORRADINI: But the
11 characteristic natural frequency of one would have to
12 somehow intersect with the other to create some sort
13 of synergistic effect, right?

14 MR. BANERJEE: Well, in the chimney
15 itself, you could feed back a pressure wave.

16 MR. WALLIS: Maybe we just have to list
17 these things for our subcommittee meeting.

18 MR. BANERJEE: I think what probably needs
19 to be done at some point when these RAIs have been
20 answered or something, or even before. Some of these
21 topics will have to be looked at in more detail once
22 again. Maybe they are put to bed, maybe they're not,
23 I don't know.

24 MS. CUBBAGE: Are your questions
25 associated with open items?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BANERJEE: I don't know if it's an
2 open item. That's why I asked, is it still an open
3 item, the floor regime stability, or have you closed
4 it?

5 MR. MARCH-LEUBA: We believe we closed it.

6 MR. WALLIS: Then we probably need to know
7 how it was closed.

8 MR. BANERJEE: It may be perfectly fine,
9 we just want to know how it was closed.

10 MR. MARCH-LEUBA: So all of these -- there
11 are two SERs associated with this review. One is the
12 TRACG SER which was previously issued, and it was a
13 very large, topical report, 33083, which covered a
14 large -- of applications of TRACG.

15 But in the staff SER for TRACG, we
16 approved the use of TRACG for decay ratio calculations
17 in steady state, and we did -- because of the nature
18 of the calculation, you cannot calculate a decay ratio
19 during a transient, but we approved that you can use
20 it to demonstrate that the decay ratio in the
21 transient was less than 1.0. So if you run the
22 transient with the proper numerics, and the proper
23 nodalization, and the oscillation does not develop
24 itself, then you can guarantee the decay ratio is less
25 than one, you just don't know how much less than one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. BANERJEE: How do you guarantee that
2 the numerical damping isn't actually playing a role
3 here? By just changing the nodalization?

4 MR. MARCH-LEUBA: Two things, changing the
5 nodalization, see that it doesn't go, and do benchmark
6 against real, planned data.

7 MR. BANERJEE: Has there been any
8 confirmatory analysis done with trace?

9 (Simultaneous voices)

10 CHAIRMAN CORRADINI: That is one of the
11 promised calculations in Chapter 15 and 21 that will
12 be done. Audit calculations, is that what you're
13 asking about?

14 MR. BANERJEE: Yes.

15 (Simultaneous voices)

16 MS. WILSON: This is Veronica, I'm just
17 going to correct you for a second. I do believe Trace
18 is capable of doing stability, as our friends in
19 research have told us, but it's not planned for the
20 DCD -- to support the DCD in the area of stability at
21 this time, although we've been told --

22 MR. WALLIS: Well, the trace is modeling
23 the tractor who probably --

24 (Simultaneous voices)

25 CHAIRMAN CORRADINI: This is on Chapter 6,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 so we are going to get to it this afternoon. But what
2 I have written down from the staff SER was main steam
3 line both feedwater rate GDCS injection lines, a
4 number of LOC (phonetic) design basis, is that
5 correct?

6 MR. MARCH-LEUBA: Correct.

7 MR. BANERJEE: So what is the plan again?
8 I missed it.

9 MS. WILSON: LOCUS, AOOs and ATLAS.

10 MR. WALLIS: Once you have those running,
11 you can probably investigate stability without much
12 trouble.

13 MS. WILSON: At the time we did some
14 calculations to support the initial review trace was
15 not available to us as a tool for stability, but Jose
16 used LAPUR.

17 MR. MARCH-LEUBA: The confirmatories were
18 done with LAPUR. The LAPUR is a frequency domain
19 code.

20 Next slide, please. This one in
21 conclusion is of the TRACG SER, and you can read them
22 on the SER. Next slide.

23 And all those conclusions were based on
24 the follow-up review of the physical walls inside
25 TRACG, and we did some of the numerical vamping

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 evaluation answering the questions by the members,
2 especially the finalized assessment of the chimney.

3 MR. WALLIS: Did you find that you did not
4 get the void fraction wave attenuating artificially,
5 that propagated all the way down the chimney?

6 MR. MARCH-LEUBA: This was cooler number
7 one.

8 MR. WALLIS: So it didn't change?

9 MR. MARCH-LEUBA: And the most important
10 analysis was the characterization with core
11 organization and the characterization with
12 finalization in that change.

13 MR. WALLIS: Because the core dominated
14 succinctly?

15 MR. WALLIS: Neutronic feedback, the void
16 dominated --

17 MR. MARCH-LEUBA: There's no friction
18 pressure at all for the chimney. It's only buoyancy.

19 And in addition to those, we do have a very large
20 TRACG qualification that I include in lateral systems
21 and benchmarks against operating reactors.

22 MR. ABDEL-KHALIK: Now in these numerical
23 simulations was each super cell modeled as a one-
24 dimensional cell -- as a one-dimensional channel?

25 MR. MARCH-LEUBA: Well, the chimneys are a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 one-dimensional channel, yes.

2 MR. ABDEL-KHALIK: Okay, so the effect of
3 radial variation in power within an individual super
4 cell has not been explored?

5 MR. MARCH-LEUBA: No. No. The issue per
6 cell is held by sixteen channels.

7 MR. ABDEL-KHALIK: Right.

8 MR. MARCH-LEUBA: And there will be a
9 radio power distribution, a significant radio power
10 distribution.

11 MR. ABDEL-KHALIK: Yes.

12 MR. MARCH-LEUBA: The expectation is that
13 all that power will mix shortly after --

14 MR. MARQUINO: Excuse me, are you asking
15 about the staff evaluation, or the GE evaluation?

16 MR. ABDEL-KHALIK: Both. I mean we
17 haven't seen any evaluation of this issue by either
18 GEH or the staff.

19 MR. MARQUINO: In the GE calculations in
20 the DCD there are 16 super bundles or partitions
21 modeled. So we grouped -- we have a grouping. We
22 modeled some individually and we lumped some together.

23 MR. ABDEL-KHALIK: Well, I'm talking about
24 an individual super channel

25 (Simultaneous voices)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: I think what he's
2 looking for is that, did somebody do an analysis of
3 the 16 flowing into the one, and looking at the entry
4 length where it essentially eventually becomes one
5 dimensional? That's what he's looking for.

6 MR. MARQUINO: We looked at one -- we have
7 one super channel modeled with 15 other ones --
8 actually we have six individual super channels modeled
9 with 10 other ones lumped ones, and we've executed
10 simulations where we perturbed one to come up with the
11 decay ratio. That was part of the LTR evaluation.

12 MR. ABDEL-KHALIK: I guess you are not
13 really answering the question that was posed, what
14 happens with an individual super cell.

15 MR. MARQUINO: You mean within one of them
16 --

17 MR. ABDEL-KHALIK: Right.

18 MR. MARQUINO: -- we have -- it's a one-
19 dimensional model, and there is something like --
20 well, we discussed finer and coarser nodalization
21 within that one-dimensional model.

22 MR. ABDEL-KHALIK: So no three-dimensional
23 effect within an individual super cell has either been
24 done by GEH or the staff; is that correct?

25 MR. MARQUINO: That's true for GE, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. ABDEL-KHALIK: Okay.

2 MS. WILSON: This is Veronica Wilson, and
3 this is something I'm going to have to get back to you
4 on, but the staff did do -- in preapplication, a CFD
5 analysis of a super channel. And I unfortunately
6 don't remember the details. So I'll have to look at
7 that and get back to you.

8 But we did look at that in pre-
9 application.

10 CHAIRMAN CORRADINI: Well, we would
11 appreciate that. Thank you.

12 MR. ABDEL-KHALIK: Thank you.

13 MR. MARCH-LEUBA: Now, once we have a
14 TRACG methodology approved, that has been applied to
15 the ESBWR design, and the conclusions of their
16 applications of the ESBWR design is a stable -- as
17 advertised, and that is confirmed by the TRACG
18 calculations on our confirmatory LAPUR calculations.

19 The regional stability mode is the
20 dominant mode for several reasons. Number one is
21 because that's what the code says it is.

22 (Laughter)

23 MR. MARCH-LEUBA: You can generalize with
24 why, because it has a very large diameter. And the
25 decay ratio is approximately of the order of zero

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 point four, which was the design idea.

2 The acceptance criteria is zero point
3 eight. So that gives us a very large margin for
4 stability under the nominal conditions. And there was
5 a CSAU analysis performed on these numbers. I'm sure
6 that the error is less than the point four margin they
7 have.

8 The calculation I'm sure the chimney has a
9 very small effect on stability, and no loop flow type
10 of instabilities have been predicted.

11 And during the startup, as long as we keep
12 the heat-up rate at the prescribed limits, which is of
13 the order or 50 megawatts, and it's 100 degrees an
14 hour, you do not get so cool boiling into the core,
15 and there is no reactivity feedback involved, and the
16 flow oscillations that will happen have no
17 consequence.

18 MR. WALLIS: Now when you shut off -- when
19 it is subcritical, you've still got decay heat, and
20 you are cooling this thing. Now you have the
21 opportunity for loop oscillations, but you don't have
22 the feedback from neutron.

23 MR. MARCH-LEUBA: I would say yes.

24 MR. WALLIS: Has anyone looked at
25 oscillations during the long-term cooling or the post-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 LOCA cooling, when you don't have the neutron feedback
2 which drives these other oscillations?

3 MR. MARCH-LEUBA: To my knowledge, we have
4 not done that.

5 MR. BANERJEE: Is there boiling in the
6 core in these situations?

7 MR. WALLIS: Maybe it's all single phase.
8 Well, they're boiling off, aren't they? So there
9 must be boiling presumably.

10 MR. BANERJEE: There is boiling somewhere.

11 MR. WALLIS: Boiling somewhere.

12 (Simultaneous voices)

13 MR. MARCH-LEUBA: So the conclusions for
14 the SER are the GDCS pool will be satisfied because
15 the stability is a highly unlikely in ESBWR, and by
16 going through this route, we have to demonstrate that
17 instabilities are highly unlikely for every core
18 boiling, and indeed GD plans to calculate every core
19 boiling and guarantees compliance for future course,
20 and in addition we have a defense in there mechanism
21 which is a detecting supersolution.

22 MR. BANERJEE: Now this is still an open
23 item?

24 MR. MARCH-LEUBA: It is an open item for a
25 couple of reasons. Number one, the DSS/CD has not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 been approved for use on the ESBWR.

2 MR. WALLIS: Nothing has been approved.

3 MR. MARCH-LEUBA: Yes, but specifically
4 it's mentioned in the last systemic report that is not
5 applicable to anything beyond BWR6s. I think it was
6 an oversight.

7 MR. BANERJEE: We get to approved it then?

8 MR. MARCH-LEUBA: We get to review it,
9 that's correct. We get to review why that statement
10 was made.

11 MR. BANERJEE: Well, we never reviewed the
12 SSCD. It never came to ACRS.

13 MR. MARCH-LEUBA: Maybe not in detail,
14 correct.

15 MR. BANERJEE: We reviewed everything else
16 in detail.

17 MR. MARCH-LEUBA: I know. So there are a
18 number of open items which are really not related to
19 stability. They are related more to the input
20 parameters that we go into TRACG calculations.

21 So the staff has a number of reviews going
22 with physics -- directions of cross sections that are
23 now under review. And if those change significantly
24 then the stability operation have to be redone. And
25 that's why it's being tracked as the stability of an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 item.

2 There is an issue with the dynamic of
3 conductance model. GE14E has been under review, and
4 should they come out with an GEXY, the reevaluation of
5 stability will have to be done.

6 So this is a type of stability oversight
7 that we have. The obvious stability analysis is not
8 complete. There was an RAI issue because they had
9 performed and now was transient, and so there is no
10 oscillation. So the characterization was less than
11 one. But we didn't know how much margin we had. So
12 they are supposed to do some steady state calculations
13 of several points and tell us how much margin we have.

14 And there was another question --

15 MR. BANERJEE: Is that analysis available
16 at the moment?

17 MR. MARCH-LEUBA: Being performed.

18 MR. BANERJEE: Being performed?

19 MR. MARCH-LEUBA: That is a truly open
20 item.

21 MR. BANERJEE: And that -- preliminary
22 indications is there is no ATWAS instability?

23 MR. MARCH-LEUBA: Correct, because there
24 is no recirculation.

25 MR. BANERJEE: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: Say it again.

2 MR. MARCH-LEUBA: There is no
3 recirculation.

4 MR. BANERJEE: Yes, you are all in natural
5 circulation.

6 MR. MARCH-LEUBA: Yes, you are already
7 there.

8 MR. BANERJEE: That would be a great --

9 MR. MARCH-LEUBA: It's a big selling
10 point.

11 MR. MARCH-LEUBA: It's a big selling
12 point. Finally, during the startup analysis, the
13 analysis assumes constant serum. And because it's so
14 slow, serum exchange. And so have issued some REI for
15 them to justify or do calculations.

16 MR. ABDEL-KHALIK: Now, what are the
17 operability requirements for this detect and suppress
18 stability solution?

19 MR. MARCH-LEUBA: I do not know, because,
20 again, that's part of the REI. It's not the licensing
21 basis. It's a defense in depth. So we have not seen
22 the tech specs, proposed tech specs. But they might
23 be different.

24 MR. BANERJEE: So you are basically
25 excluding the normal -- almost every situation from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 stability problem, the wholesale map. If you get into
2 it, it's a good idea to have something.

3 MR. MARCH-LEUBA: It's a good thing to
4 have just in case.

5 MR. BANERJEE: You never know.

6 MR. MARCH-LEUBA: So it is a defense in
7 depth, so we are waiting for a proposal on the tech
8 specs.

9 MR. WALLIS: But this looks like the other
10 issues we heard about today. I mean there isn't any
11 sort of show stopper. There is nothing big. It's
12 just tidying up the issues which you think have
13 already been resolved.

14 MR. MARCH-LEUBA: That is correct.

15 MR. BANERJEE: The only thing that bothers
16 me is that we don't have a flow loop with even a small
17 number of channels that actually show this thing in
18 some sort of typical way. It's all calculations.

19 MR. WALLIS: This is this Genesis thing,
20 which is a Freon loop.

21 MR. MARCH-LEUBA: Near the land slope,
22 yes?

23 CHAIRMAN CORRADINI: You are more worried
24 about the coupling, Sanjoy? What are you worried
25 about?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BANERJEE: I'm worried about
2 everything.

3 (Simultaneous voices)

4 MR. BANERJEE: There are so many things
5 that bite you in complicated systems.

6 (Simultaneous voices)

7 CHAIRMAN CORRADINI: Given that it behaves
8 as a one-dimensional system, there doesn't appear to
9 be a show stopper. And you are still concerned about
10 recoupling in between.

11 MR. BANERJEE: Yes.

12 CHAIRMAN CORRADINI: If I understand.

13 MR. BANERJEE: It would have been nice to
14 have had a facility like the stone facility with the
15 chimney running full height bundles. A bit of
16 assurance that the thing would work.

17 CHAIRMAN CORRADINI: Other comments?
18 Thank you very much. We are due to come back at 1:00.

19 Are we going to discuss Chapter 6?

20 MR. ARMIJO: Before we leave Chapter 4 I
21 just have one thing. And that was, we didn't talk
22 about the conclusion on the materials.

23 CHAIRMAN CORRADINI: That was purposefully
24 -- I think they mentioned --

25 MR. ARMIJO: They are going to whip by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that?

2 CHAIRMAN CORRADINI: They said materials
3 won't be part of today's presentation, but we can ask
4 questions.

5 MS. CUBBAGE: And I will caution you as we
6 speak that our materials lead is going to be back this
7 afternoon as part of the Chapter 6 presentation, but
8 they are not here at the moment.

9 MR. ARMIJO: I'll hold it to Chapter 6.

10 CHAIRMAN CORRADINI: So let's adjourn, and
11 we'll get back at 1:00 o'clock.

12 (Whereupon at 12:12 p.m. the proceeding in the above-
13 entitled matter went off the
14 record to return on the record
15 at 1:05 p.m.)

16 CHAIRMAN CORRADINI: So let's go back into
17 session.

18 And we have GEH here to talk to us about
19 the engineered safety features.

20 Is it Mr. Watkins who is going to kick
21 off?

22 OVERVIEW DCD CHAPTER 6 - ENGINEERED SAFETY FEATURES

23 MR. WATKINS: Good afternoon. My name is
24 George Watkins. I am the regulatory affairs engineer
25 for Chapter 6, Engineered Safety Features.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Today we are going to present a brief
2 overview of the material section, the presource and
3 insource inspection program for the ESF system.

4 We will discuss containment design and the
5 containment performance analyses, and our emergency
6 core cooling system design features and performance
7 analysis.

8 I have Jerry Deaver here. We will be
9 primarily discussing system design features. We have
10 Brian Frew, who is our materials expert, who will talk
11 about material section in ESF materials.

12 And Dr. Chung (phonetic), who is the
13 performance analysis guru for us, who will discuss
14 our containment and ECCS performance analysis.

15 We are going to start with the materials
16 discussions and the preservice and inservice testing
17 programs. And then we're going to move to the
18 containment systems and emergency core cooling
19 systems.

20 So with that, Jerry, you can begin.

21 MR. DEAVER: I guess, maybe, before we
22 start here, there were at least one question from this
23 morning's session related to carbon content of alloy
24 600 materials. And Brian with the code case.

25 MR. FREW: The code case specifies maximum

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 carbon content of .050 percent.

2 MR. DEEVER: Okay, in 6.1, basically this
3 section covers engineered materials for engineered
4 safety systems, and the intent of this section is to
5 ensure that material interactions do not occur that
6 impair the operation of the safety related systems.

7 And related to that it wants to make sure
8 that the material selection also isn't impacted by
9 environmental conditions during either normal
10 operation or postulated accident events.

11 Basically materials with the engineered
12 safety systems and containment are fundamentally the
13 same as we did in the past. Specifically due to
14 debris, we specified that like for insulation, for
15 piping and for the vessel and so forth, that only
16 metallic insulation is allowed in containment. And so
17 this hopefully will take care of issues related to
18 debris issues and that.

19 With regard to protected coatings, we to
20 the maximum extent possible will be meeting the
21 requirements of Reg Guide 154. But there are small
22 exceptions, things like valve handles and face plates
23 and things like that that come with standard
24 equipment, and in some cases may not have the approved
25 materials. But those should be very small.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And we basically have been minimizing the
2 amount of equipment in containment. It's pretty much
3 limited to valves and so forth.

4 MR. ABDEL-KHALIK: So you would depend on
5 these requirements that you list suppliers; is that
6 what you are saying?

7 MR. DEEVER: Definitely, yes. You know
8 the bigger surfaces are the containment liners and
9 surfaces like that that need to be painted. So we
10 would be using a glue epoxy material for that. But in
11 the procurement of valves we will, to the maximum
12 extent possible, try to limit the materials that are
13 not allowed.

14 So anyway, that's the material covered in
15 6.1.

16 Going on to 6.6, which is the preservice
17 and inservice inspection, that's an area where
18 basically this section covers Class 2 and Class 3.
19 Class 1 was, the content of that is contained in
20 Chapter 5. So this pertains only to Class 2 and 3.

21 Fundamentally the approach is that we are
22 meeting the requirements and specifying the
23 requirements of ASME Section 11 as preservice and
24 inservice inspection, and because we are a new plant,
25 the inspection access, all those areas we expect to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 fully comply with those kind of topics so that there
2 won't be any exceptions.

3 So there's quite a few topics covered in
4 this section, but they pretty much boil down to that
5 we're following the ASME code as a standard, and fully
6 expect to meet those requirements.

7 MR. SHACK: Okay, so you are saying you
8 are going to fully meet the accessibility
9 requirements?

10 MR. DEEVER: That is basically what we are
11 attempting to do. I don't know of any circumstances
12 at the moment where we wouldn't be able to meet them.
13 But we haven't gone through the detailed design yet.
14 So, but that --

15 MR. SHACK: But that was an issue in
16 Chapter 5, right, with some of the pressure bound
17 components?

18 MR. DEEVER: Well, that was a point of
19 discussion. Remember, we talked about a code case
20 that for ISI purposes narrowed the inspection area
21 down.

22 So using that code case we are fully
23 compliant with the pressure vessel.

24 So there was an issue of preservice
25 inspections. In some cases we are going to have to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 inspections from inside the vessel on the nozzle, the
2 feedwater nozzle.

3 But when it then goes to Section 11 for
4 ISI then the code case is invoked, and we are fully
5 committed to the requirements.

6 MR. MAYNARD: Due to the taller vessel and
7 similar components in there, will the existing ISI
8 type equipment, examination equipment, work? Or are
9 you going to have to design or build any new equipment
10 for testing?

11 MR. DEEVER: No, the same basic approach
12 will apply. The insulation will be a stand-off
13 insulation that will give us space of basically we've
14 been using automated inspection equipment that tracks
15 on the weld seams, and there is no reason that we
16 won't be able to use that same type of equipment.

17 You know our round nozzles and stuff, they
18 typically put tracks to go around. Actually a point
19 that we are stressing, and we're buying pressure
20 nozzles right now, is that we want everything
21 associated with ISI to be the same, so that if
22 somebody is going to an ESBWR plant they can fully
23 expect all weld seams to be in the same location, and
24 nozzle diameters and everything to be the same, such
25 that they can go in with standard equipment. Okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Any other questions on 6.6? Okay then,
2 now we move on to 6.2, which is containment systems.
3 Basically our containment system is typical of past
4 containment systems in that they include a dry well, a
5 wet well space. In our case we have the PCCS system,
6 the Passive Containment Cooling System, is part of our
7 containment boundary, and function of the containment.

8 We have the containment isolation valves,
9 which are typical.

10 So I'll describe the next figure.

11 MR. WALLIS: So you say PCCS is part of
12 the containment. That means each tube is part of the
13 containment?

14 MR. DEEVER: Basically it's part of the
15 containment valve.

16 MR. WALLIS: It's true it's part of the
17 containment.

18 MR. DEEVER: And in 6.2 we also cover the
19 performance analysis.

20 MR. WALLIS: The isolation condenser has
21 penetrations then, or how does that work?

22 MR. DEEVER: Yes, it has piping
23 penetrations. That is a little different scenario, in
24 that that's a system that is under full pressure, sees
25 the full pressure of the vessel. Whereas the PCCS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 system only sees the containment conditions.

2 CHAIRMAN CORRADINI: But to follow up
3 Graham's question, that still penetrates and therefore
4 is part of the containment boundary, the IC?

5 MR. DEEVER: The IC system is, yes.

6 Okay, as I mentioned another part of 6.2
7 is the analysis of the containment systems, and that
8 will be covered by Mr. Chung later on.

9 The ESBWR incorporates a pressure
10 suppression containment design that has been used on
11 prior plants.

12 Next figure, let me see.

13 MR. WALLIS: This is peculiar. This is
14 probably about the PCCS. And the PCCS doesn't have a
15 box around it like that.

16 MR. DEEVER: Well, here is the figure that
17 --

18 (Simultaneous voices)

19 MR. DEEVER: Basically --

20 MR. WALLIS: There is no box there.

21 MR. DEEVER: Well, the boundary, we have
22 defined the boundary to go around the PCCS.

23 MR. WALLIS: If you put a box in there,
24 then the water can't get to it. So I mean there is no
25 box around the tubes, right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. DEAVER: No.

2 MR. WALLIS: No physical boundary like
3 that.

4 MR. DEAVER: The boundary is the tubes.

5 MR. WALLIS: It's misleading. It looks as
6 though you put a box around the whole thing.

7 CHAIRMAN CORRADINI: I think that's just -
8 - the let the artist have too much license.

9 (Simultaneous voices)

10 MR. DEAVER: But basically the boundary is
11 the -- you have a dome of the containment head here,
12 and so we have a little line around the PCCS
13 condensers. But in fact there is the penetration and
14 the tubes.

15 And then we have the upper dry well, the
16 suppression pool and wet well area, and the lower dry
17 well area. A little different in the ESBWR design is
18 the fact that the upper and lower dry well areas
19 communicated; previously we had a skirt that blocked
20 those two areas.

21 And the other key feature is that the
22 suppression pool is an elevated suppression pool as
23 compared to prior designs, which allows us some
24 ability to transport water into the vessel if
25 necessary under accident conditions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 What's also unique is the GDCS pool, which
2 is a capacity system which will inject water.

3 MR. WALLIS: There is no isolation of the
4 PCCS system?

5 CHAIRMAN CORRADINI: That is a matter of
6 debate for an open item, I think.

7 MR. WALLIS: In this design so far there
8 isn't?

9 MR. DEEVER: No, there are no valves.
10 It's truly a passive system in that it's an open
11 system, it'll function without any moving parts
12 currently.

13 And that -- we feel that that is a good
14 way to design the system.

15 Fundamentally with the low pressure that
16 the containment would experience, of the components
17 that make up the condenser are at very significant
18 design margins because --

19 MR. WALLIS: I think they are designed to
20 100 and something PSI, aren't they?

21 MR. DEEVER: Well, that is the containment
22 design pressure. But the components themselves, the
23 piping components, are fully capable of going up to
24 1000 psi. I mean there is no reason --

25 CHAIRMAN CORRADINI: You mean the piping

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 itself?

2 MR. DEEVER: The piping itself, yes.
3 Because they meet heavy duty components.

4 CHAIRMAN CORRADINI: So I guess I was
5 looking for this, and if this is the wrong time,
6 eventually. I'm curious on how you couple the piping
7 through the concrete pressure boundary and the shall I
8 say the details of how I take thousands of pipes
9 through a pressure boundary and they hit the next
10 pressure boundary.

11 That made me curious, and I couldn't find
12 a drawing of that. Where should I look?

13 MR. WALLIS: Is it thousands of pipes? Or
14 is it just one?

15 CHAIRMAN CORRADINI: Is it one big header?

16 MR. DEEVER: Well, are you talking
17 specifically the XE unit? The PCCS.

18 CHAIRMAN CORRADINI: Is there one big
19 header?

20 MR. DEEVER: There is one pipe, basically
21 you have an open-ended pipe in the containment here,
22 and that is the seed path into the unit. A little
23 hard to see.

24 CHAIRMAN CORRADINI: And then so that is
25 the transition. Then from then on it's essentially a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 main header that goes into the actual tubing.

2 MR. DEEVER: Well, it's channeled to the
3 top, and then there is piping that goes across and
4 goes into the upper header and channels the steam down
5 into the unit itself.

6 So -- is that kind of clear then? Okay.

7 So that is the containment system. Then
8 this is a little more detail of the PCCS system. This
9 is the condenser unit itself. It's in the upper part
10 of the containment. We have two lines that come from
11 this unit, one that is the condensate water that comes
12 out of the unit, and it's taken to the GDCS pool where
13 it replenishes water supply in that pool. And the
14 other line is one that goes to the suppression pool.
15 This is where any non-condensable gases are vented in
16 the case of an accumulation of gases.

17 MR. WALLIS: Only if the drywell pressure
18 exceeds the suppression co-pressure.

19 MR. DEEVER: Yes.

20 MR. WALLIS: And can overcome the
21 hydrostatic head in the suppression pool?

22 MR. DEEVER: Right.

23 CHAIRMAN CORRADINI: We're talking a blow
24 down into a suppression pool, right?

25 MR. DEEVER: That is the venting of gases

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we are talking about at the moment, yes.

2 CHAIRMAN CORRADINI: The initial phase?

3 MR. CHEUNG: In the long term phase.

4 CHAIRMAN CORRADINI: I'm sorry, could you
5 repeat it? I apologize, I misunderstood. I'm sorry.

6
7 MR. DEEVER: I was just discussing the
8 fact that there is a vent system for nondensables,
9 because that would affect the performance of the
10 condenser itself. So we have a -- we can open up the
11 system to be --

12 MR. WALLIS: But again, your analysis has
13 done something very strange. And in fact the big pipe
14 goes through the containment. The big pipe there.

15 MR. DEEVER: This is the inlet.

16 CHAIRMAN CORRADINI: But that is a big
17 pipe.

18 MR. DEEVER: Concrete was across the
19 bottom.

20 CHAIRMAN CORRADINI: But that is the
21 pressure boundary.

22 MR. DEEVER: Yes.

23 CHAIRMAN CORRADINI: That's what I guess
24 I'm still looking for.

25 MR. DEEVER: The passive boundary is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 unit pipe, the branch piping, the IC unit itself, and
2 it clearly penetrates back into --

3 CHAIRMAN CORRADINI: So there is a main
4 header inlet and then two main header outlets that
5 essentially reconnect back up to the concrete
6 pressure valves?

7 MR. DEEVER: Yes.

8 CHAIRMAN CORRADINI: Okay.

9 MR. DEEVER: One additional feature that
10 is not shown on this figure that will be on revision
11 five of our DCD is a blower that will be installed in
12 the noncondensable side, gas side of this system. And
13 that's being put in there to facilitate, you know,
14 once everything reaches equilibrium condition, we
15 still want to facilitate the PCCS condensers to
16 operate, and with a blower it'll facilitate seed flow
17 or flow into the condenser, and it'll continue to
18 provide cooling within the containment.

19 And that's a feature we are depending on
20 between three and seven days.

21 CHAIRMAN CORRADINI: Can we just go back
22 to that branch coming out of the 300 BD (phonetic)
23 line?

24 MR. DEEVER: Yes.

25 CHAIRMAN CORRADINI: So one is a 100 AB

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 line and a 200 EB line, and there is a straight there
2 where the condensate will drain to the GDCS pool, and
3 supposedly the noncondensers will go into the
4 suppression pool?

5 MR. DEAVER: That's correct.

6 CHAIRMAN CORRADINI: And that is
7 accomplished how? By just drainage?

8 MR. DEAVER: Yes, of just natural --

9 CHAIRMAN CORRADINI: It's like a wet -- or
10 like a hot well collection point for the water, and
11 the gases will go in a separate direction? I'm just
12 trying to envisage -- not the inlet. I'm talking the
13 outlet. You've got a line draining through the
14 suppression pool which takes the non-condensable
15 gases. And you've got a line which is the condensate
16 drain line back to the GDCS, right?

17 MR. DEAVER: I'll have Mr. Gels, he's the
18 system engineer for the system. He can better explain
19 that.

20 MR. GELS: My name is John Gels. The
21 physical arrangement is that the condensate line comes
22 off the bottom of the lower drome, returns to the
23 upper drywall to the GDCS pools. The event comes off
24 the upper portion of that drome, so the fluid will
25 collect in the bottom.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: So it's essentially
2 like a steam drome?

3 MR. GELS: Yes.

4 MR. WALLIS: So it's not as drawn here?

5 MR. GELS: Yes.

6 MR. ABDEL-KHALIK: Could you tell us
7 something about the flow water? You just mentioned
8 that you will add in?

9 MR. DEAVER: Yes, we are finalizing some
10 of the details on that. The fundamentals are that it
11 is to facilitate a forced flow to be able to pull flow
12 into the inlet of the IC unit. ^

13 MR. ABDEL-KHALIK: Physically where is
14 that blower going to be mounted, where on the line at
15 the inlet?

16 MR. DEAVER: John, can you help me with
17 some of the details? We've had a couple of options.
18 One is to power it from the outside, or inside, and so
19 forth.

20 MR. GELS: Well, I believe the current
21 thinking, and I think Wayne can correct me if I'm
22 wrong, but the blower will be installed to come off of
23 the vent line, and there will be downstream from the
24 TM vent line, and it will blow its discharge into the
25 GDCS pool area.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: I'm not understanding
2 -- so one what you are talking about is not on the
3 picture.

4 MR. GELS: That's correct.

5 CHAIRMAN CORRADINI: Okay, and two, the
6 flow path is to the GDCS pool, not to the suppression
7 pool?

8 MR. GELS: That is correct.

9 MR. WALLIS: It seems strange.

10 CHAIRMAN CORRADINI: I'm confused then,
11 I'm really confused.

12 So this is an active system?

13 MR. DEEVER: You're going to start up the
14 blower when we have power.

15 MR. MARQUINO: When we get to some
16 response codes, Dr. Cheung will show --

17 (Simultaneous voices)

18 MR. MARQUINO: So the function of the
19 blower is to rapidly reduce the pressure in the
20 containment at three days, and it does this by
21 actively purging the condenser of non-condensable gas.

22 Without the blower the condenser will
23 exactly match the steam generated from the core. So
24 you will always match the core steam generation, but
25 you move -- drop the pressure --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN CORRADINI: So can I say it to
2 you backwards?

3 MR. MARQUINO: Yes.

4 CHAIRMAN CORRADINI: So when the staff
5 asked you in the REI questions saying, how come it's
6 not coming down, to bring it down, what you are really
7 saying is you are coming to an equilibrium at a high
8 pressure. And without this you will never come down?

9 MR. MARQUINO: Bingo.

10 CHAIRMAN CORRADINI: Thank you.

11 MR. MAYNARD: But that only comes into
12 play after 72 hours, after three days?

13 MR. MARQUINO: Yes.

14 CHAIRMAN CORRADINI: I just want to make
15 sure we are clear. All your curves are doing this
16 where the slope looks asymptotically going to zero in
17 their result.

18 So the question about why isn't it
19 negative. And the answer is, you are achieving a new
20 equilibrium in the containment by this passive
21 approach. You would just raise the whole atmospheric
22 condition up, and it would not come back down, save
23 heat leak out of the building which is almost zip. So
24 it would very slowly creep down.

25 MR. WALLIS: I think it's worse; at 72 it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was still going up.

2 CHAIRMAN CORRADINI: Well, that -- the
3 staff asked the question is it up, is it down.

4 MR. KINSEY: This is Jim Kinsey from GE Hitachi.
5 In about two or three slides further into this
6 presentation I think you will see some of that detail.

7 MR. DEEVER: Yes, this was meant to be a
8 little bit of an introduction of what we have added to
9 this.

10 CHAIRMAN CORRADINI: That helps, thank
11 you.

12 MR. DEEVER: Okay, next we'll turn it over
13 to Chester to talk about the containment performance.

14 MR. CHEUNG: We will use the summary of
15 the containment performance analysis.

16 GEH uses the TRACG to analyze containment
17 analysis of performance. The TRACG have been rebuilt
18 in 2003, and the application for U.S. performance have
19 been approved, accepted in 2004.

20 Since then we have performed additional
21 study to address the SER confirmation items. We also
22 have performed quite a bit of parametric cases to
23 address an issue that relates to the design change and
24 also the nodalization change.

25 And the performance system -- containment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 system performance analysis includes the containment
2 pressure, temperature, the nominal condition as well
3 as bounding conditions, and also TRACG is used to
4 analyze the negative pressure between the drywell and
5 wetwell.

6 MR. WALLIS: This is 1D code or is it 3D
7 code?

8 MR. CHEUNG: TRACG is a 3D code.

9 MR. WALLIS: But you don't do much 3D
10 analysis of the containment, do you?

11 MR. CHEUNG: We model the containment with
12 TRACG. We did a TRACG. We have a radial and axial
13 margin more or less like a pseudo --

14 MR. WALLIS: Oh, you do? Okay.

15 MR. CHEUNG: And to go back a little bit,
16 we use the TRACG to model the whole containment. And
17 we believe that we have the --

18 MR. WALLIS: So it will show
19 stratification on the containment? It will model
20 stratification and the containment? Or is the
21 containment supposed to be mixed?

22 MR. CHEUNG: That's the next slide. We
23 forced it to maximize the pressure.

24 MR. WALLIS: To stratify?

25 MR. CHEUNG: We forced it to.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: You forced it to stratify.
2 So TRACG doesn't do that itself?

3 MR. CHEUNG: TRACG doesn't do a good job
4 on that. And we may have a hard time to certify how
5 much stratification is going to be forced.

6 CHAIRMAN CORRADINI: Hundred percent
7 stratification of what?

8 MR. CHEUNG: In a suppression pool
9 surface, and also in a wetwall top area. We are going
10 to the next slide.

11 MR. WALLIS: Because he will show us. Is
12 that in the containment vessel itself, you put the
13 steam on the top or something?

14 MR. CHEUNG: Within the containment, we
15 have. MR. WALLIS: But they are all separate
16 nodes. And then the drywall is no node, or is it lots
17 of nodes?

18 MR. CHEUNG: No, the drywall is in the
19 order of 30 or 40 nodes.

20 MR. WALLIS: And it can model
21 stratification in the drywall?

22 CHAIRMAN CORRADINI: No, no, no, that
23 isn't what they -- now I understand what he said. It
24 wants to make it two phase with the flow regime, and
25 they forced it to be a pool MR. CHEUNG: No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: I thought that's what
2 I interpreted you --

3 MR. CHEUNG: The suppression pool is
4 single phase. We force the suppression pool -- energy
5 cool in the suppression pool, stay at the top of the
6 layer.

7 MR. WALLIS: Unrealistic.

8 MR. CHEUNG: You will also force the
9 leakage from the drywell in the wet well, stay on top
10 of the wet well -- the layer.

11 MR. BANERJEE: Was this methodology
12 outlined in the application that was --

13 (Simultaneous voices)

14 MR. BANERJEE: So do we have a document to
15 look at?

16 MR. CHEUNG: It was outlined in the
17 application report. The relaxation somewhat change in
18 the code because one of the SER , that we need to have
19 a unique one modeled. And use the same nodalization
20 for containment analysis and also as well as for UCCS
21 analysis.

22 So it's one containment nodalization for
23 all applications.

24 MR. WALLIS: But what's conservative isn't
25 very clear. If you have too high a pressure on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 dry well then you pop the containment. But if you
2 have too low a pressure you don't work the PCCS very
3 well. So that's sort of iffy, isn't it?

4 MR. CHEUNG: No. The -- well, let me go
5 back. The containment pressure is simple way to
6 describe it, because -- give me one sec -- only three
7 things, the total amount of gas.

8 MR. WALLIS: We should have dropped into
9 the wet well.

10 MR. CHEUNG: Then you would really get a
11 maximized test. It also depends on the service
12 temperature in the suppression pool which gives you
13 the partial steam pressure that amount to that wet
14 well pressure.

15 It also depends on when there is leakage
16 from the drywell into the wet well, and the leakage
17 creates a high energy for the dry well, and how they
18 will mix. The contribution of that leakage or energy
19 will be lost.

20 Now going back to the performance of PCC.
21 The wet well always need a pressure. The dry well
22 trying to push same thing into it. If the steam not
23 condense the wet well pressure will be higher. It'll
24 push something into it, and you push too much in the
25 PCC tube, then the PCC can condense more steam than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the wet wall.

2 MR. WALLIS: It stops the steam source.

3 MR. CHEUNG: The cell adjust in the sense
4 that whatever amount of steam is generated, you push a
5 certain amount of non-condensable gas accumulating to.
6 You have to keep on going because there is always
7 seventy-two hour cases. You keep on going because
8 there is always small amount of non-condensable gas
9 generated in the core, and find a way to try to adjust
10 the amount being condensed and generated.

11 CHAIRMAN CORRADINI: So the last statement
12 you made is the reason I don't see a zero slip at 72
13 hours is radiolytic decomposition?

14 MR. CHEUNG: Yes.

15 CHAIRMAN CORRADINI: And there is that
16 large amount of radiolytic decomposition that
17 essentially it's degrading the performance, or
18 lessening the performance of the PCCS? Because I'm
19 always achieving a new equilibrium and it's slightly
20 higher, slightly higher?

21 MR. CHEUNG: No, the equilibrium -
22 whatever is generated is always condensed. The PCC
23 about six hours, the PCC compartment always higher
24 than indicated.

25 CHAIRMAN CORRADINI: I understand that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But when I said an equilibrium is that you are saying
2 you are generating more non-condensable gas, and
3 enough of it, that it is perceptibly higher and higher
4 pressure. MR. CHEUNG: Because it going

5 into the wet wall --

6 MR. WALLIS: So the pressure on the wet
7 wall is governing.

8 CHAIRMAN CORRADINI: Well, sure. If they
9 are within delta P, they are in equilibrium.

10 MR. CHEUNG: Yes.

11 CHAIRMAN CORRADINI: But your performance
12 could be degraded by two things. One is leakage not
13 through the PCCS but undetermined leakage between the
14 dry wall and the wet wall. And second is degradation
15 of the tubes -- degradation of the heat transfer in
16 the tubes by other means.

17 MR. CHEUNG: Test data show that
18 degradation, we already account for that.

19 CHAIRMAN CORRADINI: So I have one
20 question here, but not to be answered here. So you
21 went through a lot of work in 6.1 talking about how
22 you are minimizing stuff. So if I create stuff from a
23 blow down like the main steam line break in
24 containment and generate debris, would it be
25 transported into PCCS tubes, and therefore create an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 additional heat transfer resistance?

2 MR. DEAVER: Well, what we are doing, just
3 as a protection, we are putting a shield on the inlet
4 to the PCCS system such that debris can't basically go
5 up there and block it. So it's going to be a shield,
6 and it will enable the steam flow to go through it,
7 but it will shield and prevent stuff from getting into
8 the system.

9 MR. WALLIS: A screen?

10 MR. DEAVER: No, well, I envision maybe
11 more like a cone that -- if you come up and hit it it
12 will deflect off, but it won't go around and get
13 sucked into the pipe itself. It'll have -- that is
14 the visual picture I have that it's going to look
15 like.

16 CHAIRMAN CORRADINI: To be designed. So
17 there are no debris sources about the entry point?

18 MR. DEAVER: Well, initially things are
19 going to be flying around. But you know gravity is
20 going to settle everything down ultimately.

21 So because it's right in the top of the
22 containment, anything that would go up in the area
23 would simply be deflected away, and then it would just
24 drop down.

25 MR. BANERJEE: But even if it was dust.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. DEEVER: Dust?

2 MR. BANERJEE: Yes, really fine stuff. I
3 mean I guess the concern is whether some of this
4 could get into the tube.

5 CHAIRMAN CORRADINI: So let me tell you
6 where I am going with this, and then you can pick --
7 you choose to talk about it now or later.

8 But you went through a great amount of
9 effort at 6.1 to convince me that you have minimized
10 places that you could generate debris. And I kept on
11 asking myself a question: Why? Where? Why?

12 And then we talk about the performance of
13 this, and I have this vision of having such a pipe
14 break pointed at something where I generate debris. I
15 don't -- I don't want to use the word, aerosolize, but
16 creating a lot of stuff. And the stuff gets
17 transported in your PCCS, and essentially it creates a
18 fouling factor.

19 Now you are telling me you're going to put
20 in a shield so it doesn't follow it. But then I ask
21 myself, how small of a debris can pass through the
22 fouling, and therefore, what fouling factor penalty
23 must I have to consider. Because you are going to
24 have some; it's a heat exchanger, and with an action
25 such as this, it will follow to some extent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. DEAVER: Well, we are basically
2 putting metallic components in containment. And the
3 other reason for minimizing debris is the strains that
4 we would have in the suppression rate.

5 MR. BANERJEE: Who designed the PCCS?

6 MR. CHEUNG: PCCS in the first six hours
7 is not mentioned, then after six hours it's over the
8 line.

9 CHAIRMAN CORRADINI: By how much?

10 MR. CHEUNG: By a factor of two.

11 MR. MARQUINO: This is Wayne Marquino of
12 GEH. As was said we have a fouling factor that is
13 included, and the spec on the PCCE transfer. The
14 system will be designed to provide more heat transfer
15 initially so that the end of its life, considering
16 fouling, it will perform per spec.

17 MR. BANERJEE: And then establishing this
18 fouling what did you take into account? Did you just
19 pick a number? Or did you do some evaluation?

20 MR. MARQUINO: We picked a number based on
21 the containment pressure analysis that's being
22 discussed.

23 MR. BANERJEE: You did some experiments,
24 and these were pretty close to full scale, right, of
25 PCCS, if I remember?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. DEAVER: We did one half.

2 MR. BANERJEE: Right.

3 MR. DEAVER: And created a mock up and
4 tested it.

5 MR. BANERJEE: Now did you -- remind me
6 what happened with the noncondensables? Did they
7 actually get pushed out? Or what happened there?
8 Because this was an issue which I remember back from
9 SBWR days.

10 What happened to the non-condensables?

11 MR. CHEUNG: They are pushed out.

12 MR. BANERJEE: They are all pushed out?

13 MR. CHEUNG: They get swept out.

14 MR. BANERJEE: And it doesn't matter what
15 they are, if there is a bit of hydrogen or something,
16 it doesn't matter.

17 MR. CHEUNG: Doesn't matter. But in
18 effect, we depend on the drywell, depend on the
19 location. Some air or some non-condensable do hide in
20 those walls. It takes a long time to mix with the
21 steam.

22 MR. WALLIS: But then they get pushed out?

23 I mean the steam that is pushing them gets condensed,
24 and then it doesn't do much pushing, does it? Because
25 you stick there. As long as the steam keeps

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 condensing, the non-condensables stay there too. They
2 don't have any effect because the steam is still being
3 condensed.

4 If it doesn't get condensed, then it
5 pushes out non-condensable --

6 (Simultaneous voices)

7 CHAIRMAN CORRADINI: If you plotted it
8 down to the non-condensable gas fraction, it starts
9 off high, and it starts coming down. But then it
10 comes to some point, and it now comes to an
11 equilibrium.

12 MR. WALLIS: And the thing could be off
13 code with non-condensables.

14 MR. BANERJEE: In fact, that is exactly
15 what happens.

16 MR. BLEY: So then why do you need the
17 blowers if it still works?

18 MR. WALLIS: It's a self-correcting
19 system. (Laughter)

20 MR. CHEUNG: I will explain that in about
21 two slides.

22 MR. WALLIS: It was trying to self correct
23 and didn't succeed?

24 (Simultaneous voices)

25 CHAIRMAN CORRADINI: Give us a slide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 number.

2 MR. CHEUNG: Slide number eight. At least
3 the lower portion of it. We have performed a
4 percentage spectrum of rate that include the medium
5 RAI rate, which is the largest brake in the system and
6 the highest elevation.

7 CHAIRMAN CORRADINI: But smallest sizes?

8 MR. CHEUNG: Smallest sizes. And GDC, you
9 can keep in mind, is somewhere in the middle and
10 medium sized, and pre-waterline break is high
11 elevation, slightly higher flow air pickup rate area.

12 CHAIRMAN CORRADINI: If I might just make
13 sure I understand.

14 So these are design basis accidents, but
15 particularly challenging given the design to the
16 containment rather than the reactor, because with
17 these, as I understood in a subsequent chapter, you
18 don't get core uncovering. These are ones that are
19 really determining the design basis for the
20 containment systems.

21 MR. CHEUNG: Let me go back. Let me
22 iterate, there is no charge in core. We analyzed all
23 nine elevations, or nine penetrations; we analyzed it.
24 Then for containment we picked four, and then we
25 realized that the limiting case would be mentioned

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 right there.

2 CHAIRMAN CORRADINI: So that's how I
3 understood it. But thank you, I appreciate it.

4 MR. CHEUNG: Because we analyzed the
5 spectrum, high or low, and liquid break, steam
6 migrate.

7 Now the key measure for this analysis is
8 to -- is the dry wall pressure. For that matter we
9 have to try to maximize the effect that will give the
10 higher drive of pressure. And in that we assume in
11 the model, in a calculation, we force all the non-
12 condensable emissary in a dry well into the wet well -
13 -

14 MR. WALLIS: All is a big word.

15 MR. CHEUNG: All.

16 MR. WALLIS: All is a big word.

17 MR. CHEUNG: Yes, sir.

18 (Laughter)

19 MR. CHEUNG: And also, all this subsequent
20 generating radial -- generating in the core, find its
21 way into the wet well.

22 CHAIRMAN CORRADINI: But is it a fair -- I
23 just want to make sure we're communicating -- but it's
24 a fair characterization what Graham said before which
25 is, you get this initial discharge, which blows your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 noxious emissible gases through your system, and then
2 eventually makes it to the suppression pool.

3 But then you come to a point where you are
4 still feeding it gases, which are still some fraction
5 non-condensable, because that is the driving flow,
6 right? You are not going to go to vacuum, so you are
7 driving it with some non-condensable, at some rate.

8 We are communicating there? Because the
9 way you explained it I guess I thought it was exactly
10 the same way.

11 MR. BANERJEE: I think it would be nice if
12 we had a diagram, and you showed us exactly what you
13 are doing. Very confusing in words. I don't know
14 what all non-condensables means.

15 MR. CHEUNG: The non-condensable gas
16 usually in the dry well, lower dry well --

17 MR. WALLIS: But it goes through the
18 vents, the big vents.

19 (Simultaneous voices)

20 MR. WALLIS: And stays in there because
21 the valves don't leak.

22 MR. BANERJEE: The vacuum breakers.

23 MR. WALLIS: Don't open?

24 MR. CHEUNG: The vacuum breakers don't
25 open. Well, it opens, come back, and then you go back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 into it. Because we used a multiple pipe -- we used
2 the nodalization that during the transient alteration,
3 we'll introduce additional force, too.

4 MR. WALLIS: Well, what do you do about
5 condensation in the wet well? I think you assume that
6 all the steam that goes in condenses.

7 MR. CHEUNG: Not all the --

8 MR. WALLIS: You say it is conservative to
9 say all the gas goes in there and pressurizes the wet
10 well. But you could get steam which goes in and isn't
11 condensed.

12 MR. CHEUNG: It stays on the top.

13 MR. WALLIS: Stays on the top, and that
14 pressurizes away. I don't think you consider that, do
15 you? I think you consider it to be all condensed.

16 MR. CHEUNG: No.

17 MR. WALLIS: No? How do you know how much
18 is condensed?

19 MR. CHEUNG: It depends on the calculation
20 in the amount of steam processing pressure; it depends
21 on the temperature in the code calculation.

22 MR. WALLIS: The code calculation of how
23 much is condensed?

24 MR. UPTON: Chester, this is Hugh Upton
25 with GEH. Maybe it would be better if we walk you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 through what's done on a containment system diagram.
2 Maybe that will give you a better feel for what's
3 happening.

4 MR. BANERJEE: You have to have a mike.

5 MR. DEEVER: One thing I didn't cover
6 earlier that I should have, and it's probably
7 important to this argument is, we have vacuum
8 breakers. We have three vacuum breakers that relieve
9 pressure between the wet well and dry well. And so
10 that is part of the -- of the interaction that is
11 going on.

12 (Simultaneous voices)

13 MR. SIEBER: If I could have your
14 attention, it would be good if in your explanation to
15 tell us what happens --

16 MR. CHEUNG: Okay, let me try to go
17 through a little bit. In the very beginning we didn't
18 go out from the wet -- and flow out into the dry well.

19 And what it does is, you mix -- the steam we mix with
20 the initial non- condensable gas in the dry well, and
21 forces it -- the majority will force it through the
22 main way.

23 MR. BANERJEE: Can you stay to the side so
24 we can see?

25 MR. CHEUNG: And so this operation prove

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that steam condense.

2 MR. WALLIS: But does it?

3 MR. CHEUNG: And the --

4 MR. WALLIS: Does it condense or not?

5 MR. CHEUNG: -- non-condensable gas goes
6 into the dry well.

7 MR. WALLIS: I'm concerned about the
8 condensing models in the wet well. Because you have a
9 big bubble comes out.

10 It can go to the surface without
11 condensing all that much. In which case you get two
12 feet of steam up above, which isn't going to condense
13 very readily.

14 I've never been very happy about the way
15 that is modeled.

16 (Simultaneous voices)

17 MR. CHEUNG: Because the tract is
18 calculated so that these will overpressurize, go right
19 to a dry well, for a time period and then you actually
20 get to an equilibrium point.

21 Now, that process go into -- roll down
22 process go into about a couple of hundred, one or two
23 hundred seconds.

24 MR. ABDEL-KHALIK: What is the volume
25 ratio between the dry well and the wet well?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. CHEUNG: The dry well is about 7,000
2 cubic meter; the wet well is about 5,000 cubic meter.

3 MR. ABDEL-KHALIK: The gas space in the
4 wet well.

5 MR. CHEUNG: The gas space in the wet
6 well, 5,000.

7 After a short time period, the water level
8 dropped, dropped to level one. Commencing RAI rate is
9 about five per second. Once the Level A initiate the
10 ADS, that means further depressurized RPV, and you set
11 upon that the RPV pressure is lower than the static
12 here, and the water will form. That will go on for
13 some time period. That's called GDCS period.

14 And what it does is that because --

15 MR. WALLIS: What comes out of the ADS?
16 Is it just steam? Or is it a mixture of steam and
17 water?

18 MR. CHEUNG: Pardon me?

19 MR. WALLIS: What comes out of the ADS?
20 Is it just steam? Or is it a mixture of steam and
21 water?

22 MR. CHEUNG: The ADS --

23 MR. WALLIS: It's up there, but you've got
24 a full swell in the vessel, too. So what comes out of
25 the ADS?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CHEUNG: The SRV will see only steam.
2 At that point in time the compressor is steam
3 pressurized.

4 MR. WALLIS: The swell doesn't rise up
5 that high?

6 MR. CHEUNG: No.

7 MR. DEAVER: The RPV part of it just vents
8 to the upper driver.

9 MR. BANERJEE: Now do you have experience
10 of that? Or is it just a calculation, whether the
11 pool swelling will reach the SRV?

12 MR. MARAQUINO: Excuse me. The pool swell
13 is in the suppression pool.

14 MR. WALLIS: No, we are talking within the
15 vessel.

16 MR. MARAQUINO: The level swell within the
17 vessel?

18 MR. WALLIS: Level swell, yes.

19 MR. CHEUNG: That -- one -- the reason
20 that the RPV in the SDS is tall. When it fresh, the
21 level not coming up all the way to the line.

22 MR. BANERJEE: But that depends on a lot
23 of things. Because even a small amount of surfactant
24 there would get it right to the top.

25 MR. CHEUNG: The TRACG code having

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 qualified against data on the swell rate.

2 MR. BANERJEE: Right, but this is very
3 tricky. In fact there is a very similar problem that
4 occurs during emergency relief of chemical reactors.
5 And what has been found is even tiny amounts of
6 impurities of one sort or another can change the level
7 swell enormously, because of its surfactant effect.

8 CHAIRMAN CORRADINI: Can I ask a question?

9 So you are talking us through the process.

10 So putting that issue aside for the moment, so I
11 discharge a GDCS pool in, and then can you just shut
12 down?

13 MR. CHEUNG: Okay, for some time period,
14 because it's cold water going into the RPV, and then
15 no steam coming out of the RPV. In the sense the
16 steam available in the dry well now is become less and
17 less. And no way to break it open because the PCC
18 condense more steam than a variable.

19 Now if I can break it open then the --

20 MR. DEEVER: (off mic)

21 MR. BLEY: Not anymore.

22 MR. CHEUNG: Some of the non-condensable
23 gas from the wet well going back into the dry well.
24 Now start over again the process.

25 Now you've got in a one hour period,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 couple hour period, that this air, non-condensable gas
2 and steam, keep mixing and you're going to send that
3 because the system, the PCCS, the dry well pressure
4 always higher than the wet well pressure by amount of
5 that stirred-up heat, and the push, the mixture of
6 non-condensable gas and steam into these wet wells, in
7 the suppression board --

8 MR. WALLIS: It's possible the vent valves
9 of the vacuum breakers have closed.

10 MR. CHEUNG: Yes, because once at higher
11 pressure, then vacuum breakers that closed were
12 knocked open again.

13 Now going back to one of those questions,
14 we keep saying that why we want to force --

15 MR. WALLIS: Something by the GDC as it's
16 trying to open the vacuum breakers, including while
17 the PCC is trying to close them.

18 MR. CHEUNG: Yes.

19 MR. WALLIS: So it's sort of a battle
20 between the two.

21 MR. CHEUNG: Yes, but after the GDC
22 injection period, no more sub-cooling in the core,
23 then the vacuum breaker will not open for a long, long
24 time unless external cold water like spray or things
25 like that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now where one -- a moment ago we keep seeing
2 that we forced all air, on account of a guess, one
3 other thing is one the GDC approved drain -- created
4 drain down water and suck whatever things stuck in the
5 dry well into it. And this is a hideout area because
6 this is a very small opening --

7 PARTICIPANT: High what?

8 MR. CHEUNG: This other level will stay
9 about the pressurization elevation with about 22
10 meter, and that creates water from here to here, about
11 three or four meter; that is 12 feet, and the steam in
12 here is keep going, going, going, and physically we
13 will have a hard time to go in and make steam and come
14 back out because only one way in. Then the pressure
15 would be lower because that amount of air a long time
16 ago is not going into the dry or wet well.

17 So what we've done is, in the model, is by
18 calculation, we put in another pair of pipes to get
19 some steam into and try to mix it and come back out,
20 and it's exactly purge, all the hideout non-
21 condensable gas in this water and then get it out in
22 here and get into a PCC and eventually get into the
23 wet well. So at the end of the calculation, 72 hours,
24 we can see that no more non-condensable gas in this
25 area or in all these areas.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WALLIS: That's probably being
2 conservative.

3 MR. CHEUNG: Very conservative, but to
4 demonstrate that --

5 MR. WALLIS: It's pretty close.

6 MR. CHEUNG: Now that's the main steam
7 line on low air region break to prove we drop all the
8 way to this air region, the hideout void even bigger,
9 in over 15,000 kilometers. And the height, six
10 meters, two stories high. And in that situation, the
11 mixing of the steam with the non-condensable get high
12 and dry, will be even harder for this kind of gas to
13 get out.

14 CHAIRMAN CORRADINI: Which means that -- I
15 just want to make sure I understand -- your point is
16 the fact that it's hiding out there reduces the amount
17 of non-condensable, which sets the pressure on the
18 volume?

19 MR. CHEUNG: Yes.

20 MR. WALLIS: He's doing that anyway to be
21 conservative.

22 CHAIRMAN CORRADINI: That's what he does.
23 But just to be clear it's still improving a driving
24 flow for the circulation to the PCCS. So you still
25 have some small amount of non-condensable gas fraction

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that is driving the flow through the PCCS.

2 MR. CHEUNG: Yes, because it's a continued
3 channel, yes.

4 CHAIRMAN CORRADINI: And the difference by
5 letting it hide out versus forcing it to mix into the
6 suppression fuel is, what, a few PSI?

7 MR. CHEUNG: A few PSI.

8 CHAIRMAN CORRADINI: Okay. Then the
9 uncertainty of the following of the PCCS?

10 MR. WALLIS: It's a lot, if you take all
11 those non-condensables in the GDCS pool and put it in
12 the suppression pool you are going to get a fair
13 amount of low pressure, aren't you?

14 MR. CHEUNG: That's what we did. That's
15 what we saw --

16 MR. BANERJEE: Now when you say there is
17 no mixing in the gas space of the wet well --

18 MR. CHEUNG: Now the vacuum breaker is at
19 this elevation, and we assume the leakage. The
20 leakage could be anywhere, but we assume at the top of
21 it, and the hot energy go into it and stay in this
22 layer. It not mix, not mix with this water. Once it
23 mix it, then we have chance that the energy will go
24 down the suppression pool into the surface.

25 MR. WALLIS: If it sticks open then the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 PCCS pool doesn't work; is that right?

2 MR. CHEUNG: What open?

3 MR. WALLIS: If the vacuum break sticks
4 open it doesn't work?

5 MR. CHEUNG: Oh, yes. It won't work
6 because vacuum breaker has about one square foot of
7 flow air in --

8 CHAIRMAN CORRADINI: Let's hold off on
9 picking on the vacuum breakers. That's Chapter 3.
10 We're still -- we don't want to go there just yet.

11 MR. WALLIS: We're going to give that to
12 another meeting?

13 MR. CHEUNG: Let me go back --

14 MR. BANERJEE: I'm beginning to understand
15 what the effect is.

16 CHAIRMAN CORRADINI: I understand.

17 MR. CHEUNG: So we know the assumption is
18 the energy going into a pool. Think about it: 72
19 hour. We assume the non-condensable gas is coming in
20 with slightly higher temperature, and it will stay in
21 this layer. That means keep higher, partial pressure,
22 steam pressure, into the wet well. That's another
23 conservative assumption.

24 MR. BANERJEE: So you're saying it's all
25 coming out at saturation? Or what sort of -- your end

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 game, is it at saturation terms --

2 MR. CHEUNG: The energy goes into this
3 layer.

4 MR. WALLIS: So your bottom layer for the
5 suppression pool doesn't do you any good at all.

6 CHAIRMAN CORRADINI: Yes, well, they force
7 it not to do any good at all.

8 MR. CHEUNG: Yes. I can call you a
9 number. We have --

10 MR. WALLIS: Until you drain it, until you
11 equalize and even though it doesn't do you any good at
12 all.

13 CHAIRMAN CORRADINI: You do in the
14 beginning.

15 MR. WALLIS: It doesn't even happen in the
16 beginning, because they don't mix them.

17 (Simultaneous voices)

18 CHAIRMAN CORRADINI: The main steam line
19 break, that is the only time when they are using the
20 full volume for essentially condensing. They need it.

21 MR. CHEUNG: Because in the beginning, the
22 physical distance is a blow-down force. You blow it
23 down.

24 MR. WALLIS: You use the liquid below the
25 bottom vent? You still use that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CHEUNG: No, after a couple of hours.
2 Now we have performed prime education. Physically
3 after a couple of hours, or 72 hours for that matter,
4 these pools were mixed by itself. If we turn on the,
5 take out the stratification model, that's 6.5 percent
6 margin we can gain. When we turn off --

7 MR. BANERJEE: Well, what would mix it
8 physically? You have hot liquid on the top. Now why
9 would it mix?

10 MR. CHEUNG: Know why, because this is
11 concrete wall. It doesn't transfer much energy from
12 here to here, but the concrete wall will induce an
13 action flow. This is a large flow area, large water
14 area --

15 MR. BANERJEE: Is it because of heat
16 conduction or what?

17 MR. CHEUNG: The heat conduction from here
18 into the concrete wall. It's small amount, but small
19 amount and long time period, you will induce flow
20 naturally.

21 MR. UPTON: Chester, this is Hugh Upton
22 with GEH. We also have a stainless steel liner inside
23 the suppression pool, which also adds to conduction.

24 MR. CHEUNG: Does that answer your
25 question?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. ABDEL-KHALIK: Timeline, how long does
2 it take to force the non-condensable from the dry well
3 to the wet well?

4 MR. CHEUNG: In the calculation, it takes
5 about 22 hours.

6 MR. ABDEL-KHALIK: But there must be a
7 very high rate initially. So the initial period --

8 MR. CHEUNG: Initial period about half of
9 the mass went into the wet well.

10 MR. ABDEL-KHALIK: In an hour?

11 MR. CHEUNG: In a matter of a couple of
12 hundred seconds.

13 CHAIRMAN CORRADINI: Just so to make sure
14 each question is understood, his point is, if you take
15 your limiting case, which is the main steam line
16 break, you dump 50 percent of it in the matter of two
17 or three minutes.

18 MR. CHEUNG: Yes, but then later on the
19 vacuum breaker open, and it come back.

20 Now let's move on a little bit before I go
21 on. The pressure keep going at 72 hour without any
22 active system. Now we have put in the PCC vent line.

23 You put in the vent fan from here, branch out, put a
24 blower or fan, and detach it back into the GDC pool,
25 up apart from it because any longer, the other part of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it will be drained down, and we'll see --

2 MR. BANERJEE: Now why is that necessary?

3 I mean, I can see it may improve things but is it
4 necessary?

5 MR. CHEUNG: I can give you a couple of
6 examples. The vent fan takes very little power, very
7 little. And what it does is blow the charge the water
8 valve accumulated in a tube to suck it out. When it
9 suck it out, the tube condensation power increase.

10 MR. BANERJEE: But is it necessary?

11 MR. CHEUNG: Well, if we don't have that
12 fan, we don't have another active means. The pressure
13 will keep going slowly and slowly because in a model
14 we assume the RAI gas keep generating, even a small
15 amount.

16 CHAIRMAN CORRADINI: And you are
17 generating. So here is where I'm confused. You are
18 generating more of a radio ID composition and you have
19 a huge leak out of the building through the concrete?

20 MR. CHEUNG: Yes.

21 CHAIRMAN CORRADINI: And you've done a
22 hand calculation, those two things are not crossing
23 some time?

24 MR. CHEUNG: Well, it takes a long long
25 time, because this is two meter; two meter of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 concrete, and the thermal layer, what's the conduction
2 in that only one foot in maybe a couple of days. That
3 means outside doesn't see anything happening inside.

4 MR. BANERJEE: Well, that's why you need
5 to suck it out.

6 MR. CHEUNG: Suck it out? Well, two
7 effect. Once you create -- suck the air out, then the
8 PCC condensation will increase right away and then
9 condense all the steam. Once it condense the steam,
10 then the dry well pressure will be lower than wet well
11 pressure. Vacuum breaker open. Once they're open,
12 the air -- the amount of gas goes from wet well into
13 dry well. We make the pressure drop further until we
14 get the equilibrium point at the mixture, the non-
15 condensable gas and steam mixture, get into the
16 system, get to another equilibrium point.

17 MR. BANERJEE: But now let's say you
18 didn't have the fan, okay. There would be no
19 equilibrium because you are always getting a little
20 bit of addition of noncondensables.

21 MR. CHEUNG: Yes, that's the reason.

22 MR. WALLIS: From slowly rising.

23 MR. CHEUNG: Yes.

24 MR. MARQUINO: This is Wayne Marquino from
25 GEH. We also added in rev three I think it was gas or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 oil catalytic recombiners to address the continuing
2 radiolytic gas generation.

3 But again that stabilizes at a high
4 pressure, and the fan allows us to drop the pressure
5 at three days.

6 CHAIRMAN CORRADINI: So there is another,
7 just to make sure I understand all this, what is the
8 state of the pool above the containment shell, which I
9 guess is a steel liner? Is there water above that?

10 MR. CHEUNG: Yes.

11 CHAIRMAN CORRADINI: And then you also
12 have a filter -- I want to call it a filter vented,
13 but you can call it whatever you want -- when you get
14 to above a certain pressure you are actually then
15 discharged into another system. Or am I getting this
16 confused with some other design? There's a vent
17 valve, is there not?

18 MR. CHEUNG: I don't see it.

19 MR. UPTON: This is Hugh Upton with GEH.
20 We have a manual containment vent. Is that what you
21 are talking about, in the event, yes? But that's an
22 unfiltered vent.

23 CHAIRMAN CORRADINI: Oh, excuse me.

24 MR. UPTON: No, it's not filtered.

25 CHAIRMAN CORRADINI: It's not filtered?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. UPTON: No, it's not filtered.

2 CHAIRMAN CORRADINI: Okay. The thing that
3 concerns me is you've gone through all this effort to
4 make this passive. And now all of a sudden at 72
5 hours, bang, you need active. It sounds a bit
6 incredulous.

7 And I'd also I wonder about if it starts
8 operating somewhere else in the system when you don't
9 want it to operate, does it make it worse? What if I
10 turn it on when I don't want it on? Is there a time
11 when that might occur?

12 MR. BLEY: You'd be pumping steam then.

13 MR. CHEUNG: The only true thing I can
14 think of, with the pool doesn't drain. You turn on
15 the fan, the air cannot go in because of a high static
16 head. Now --

17 MR. MAYNARD: I don't think GEH ever
18 represented that they could last forever; 72 hours
19 without active equipment and without operator action,
20 but at that point there would be action needed.

21 MR. UPTON: This is Hugh Upton with GEH.
22 The design assumption has always been that it would be
23 passive for 72 hours, and then we would have active
24 systems to deal with the transient.

25 CHAIRMAN CORRADINI: Okay, thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BANERJEE: Now if you just use
2 catalytic recombiners, how high does the pressure get?

3 MR. UPTON: It would not increase much
4 over the 72 hour pressure.

5 MR. BANERJEE: Which would be what?

6 MS. CUBBAGE: You might want to go to the
7 slide presentation.

8 (Simultaneous voices)

9 MR. CHEUNG: The key thing now is, the
10 next thing is in all the DCD calculations, we assume a
11 design base of one square centimeter of leakage. As a
12 design basis.

13 MR. WALLIS: There's a mystery to me. How
14 can you just assume something.

15 MR. CHEUNG: The design base.

16 MR. WALLIS: I mean that must have some
17 basis, beyond those words.

18 MR. UPTON: This is Huge Upton with GEH.
19 Based on his assumption, one square centimeter, the
20 SBWR and the ESBWR team went off with a design
21 requirement to come up with, well, the current
22 configuration that we have in the vacuum break or end
23 of the diaphragm floor to try and minimize the leakage
24 across the diaphragm floor. And we can address that
25 here or elsewhere if you want.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We have done extensive tests -- well, do
2 you want me to continue on on this subject?

3 CHAIRMAN CORRADINI: Well, I think if you
4 can quickly do it, but we are going to have to come
5 back to it, because this was something that I had on
6 my list of questions, which is, isn't it assumed? And
7 then you went through and said, well, even given that
8 it could be as big as X, and we would still have
9 performance.

10 So the basis on how you come up with this
11 is bypassed, which I think eventually it's going to be
12 brought up.

13 There is a short answer, and we will come
14 back to it later.

15 MS. CUBBAGE: And that is a significant
16 staff open item at this point; we are waiting for
17 information from GE on that.

18 MR. UPTON: Let me give you a brief answer
19 then to it. The diaphragm floor itself has been
20 designed to minimize the number of penetrations across
21 the diaphragm floor. That's the critical are in the
22 containment.

23 We have -- the diaphragm floor itself is a
24 composite structure of steel, concrete and steel. We
25 have minimized the number of penetrations through the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 diaphragm floor. We only have three vacuum breaker
2 penetrations, which are 24 inches. Then we've got six
3 PCCS penetrations, which are 10 inches; and we've got
4 four IC vent fans, net penetrations, which are one
5 inch penetrations.

6 These are the only penetrations coming
7 through the diaphragm floor that could possibly leak.

8 The most credible source of leakage would be through
9 the vacuum breaker. And we can go into the tests of
10 the vacuum breaker and the design of the vacuum
11 breaker later.

12 MR. WALLIS: It's a big vacuum breaker.

13 MR. UPTON: The vacuum breaker is 24
14 inches; that's correct.

15 MR. WALLIS: And they don't work very
16 well.

17 MR. UPTON: What you have to do is you
18 have to understand that the design of a vacuum breaker
19 is different than anything you have seen so far.

20 CHAIRMAN CORRADINI: It's like a pocket --

21 MR. UPTON: It's a pocket valve, that's
22 correct. And within full qualification testing on the
23 vacuum breaker.

24 CHAIRMAN CORRADINI: I guess if we get to
25 that, I'd like to wait. Because we have already asked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about the fact that there were three other meetings,
2 and and we've been told that Chapter 3 -- I learned.
3 So this is leakage, back leakage is the issue.

4 MR. WALLIS: This is all the other leakage
5 besides the vacuum break.

6 CHAIRMAN CORRADINI: Why don't we proceed
7 on? We are going to come back through the vacuum and
8 at least discuss this further.

9 MR. CHEUNG: We have performed zero to 72
10 hours three-day calculation based on percentage of the
11 DCD. And to highlight or to summarize it, normal
12 conditions, normal calculations, and maximum dry well
13 pressure with all these no mixing, all condensable
14 gases going to the wet well, we have about a 19
15 percent margin.

16 The bounding calculation, which is all the
17 bounding model and bounding initial condition,
18 operating conditions, we have 9 percent.

19 MR. WALLIS: What do you mean by margin?
20 What do you mean by 9 percent, means what divided by
21 what?

22 MR. CHEUNG: The fortified PSI G.

23 MR. WALLIS: The G part --

24 MR. CHEUNG: Yes.

25 MR. WALLIS: -- divided by the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CHEUNG: Divided by the calculated
2 pressure.

3 So you can see that the nominal value they
4 have about 19 percent margin; the bounding case on top
5 of our -- we put it on our conservative model,
6 penalize ourselves, we still have 9 percent margin.

7 MR. ABDEL-KHALIK: So the bounding
8 calculation is sort of the fudge calculation that you
9 are talking about where you force the pool to be
10 stratified?

11 MR. CHEUNG: No, the pool certification
12 and the wet well stratification, these are
13 conservative models.

14 MR. WALLIS: So realistic is probably much
15 lower.

16 MR. CHEUNG: Much lower, yes.

17 MR. ARMIJO: If your bypass leakage was
18 greater than one square centimeter -- let's say it was
19 two or five -- how sensitive is that? When does your
20 margin disappear?

21 MR. CHEUNG: At two square centimeters, we
22 are just slightly below the design margin; 2.5,
23 slightly above the design margin. So it's somewhere
24 between two and 2.5.

25 MR. WALLIS: Well, it's important to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that leakage right?

2 MR. CHEUNG: Yes. Now the next slide says
3 patient number 10. This table summarized what system
4 we have credited in a calculation. For the first
5 three days, we only credit the PCCS with a passive
6 ADS, GDCS, and the inventory in IC drain line, we do
7 not credit any IC heat transfer. We credit the scram
8 liquid void in a SLC system. The calculation of
9 percentage in DCD 6.2; three day press and on.

10 MR. WALLIS: What do you do about the
11 noncondensables that dried the SLCS system? Do you
12 let them come in?

13 MR. CHEUNG: No, the SLCS system has a ms2
14 failure proof. That means the N nitrogen would not go
15 into the --

16 MR. WALLIS: So what happens if your
17 calculation, if it did go in?

18 MR. CHEUNG: That would be a very high
19 pressure.

20 MR. WALLIS: That's not desirable, then?

21 MR. CHEUNG: Not desirable.

22 CHAIRMAN CORRADINI: There is an open item
23 on this also.

24 MR. WALLIS: Another open item?

25 CHAIRMAN CORRADINI: I'm pretty sure if I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 remember correctly.

2 MS. CUBBAGE: Right, we were planning to
3 talk about that briefly.

4 MR. CHEUNG: At three days, the first
5 thing we can do, simple thing to do, is to make up, to
6 review the ICCG pool, we have cold water. And so we
7 can do it before that, but in the calculation, we do
8 it in three days. We can turn on the dry well fan,
9 the dry well gas and circulating fan at three hours.
10 And we are still in the process of doing the analysis
11 and seeing whether that would -- we could have, the
12 system with the fan thing, to have the system such as
13 FAPCS algorithmic system, which these two systems
14 have large capacity to heat changer. Take out the
15 energy from the containment and dump it outside.

16 MR. BLEY: Do you need all of these after
17 three days? Or will one or two of them suffice?

18 MR. CHEUNG: The next slide will show in
19 case the calculations, with no credit for past, with
20 no FAPCS or WCU, only at the fan and the refilling of
21 the pool.

22 Now I would like to explain a little bit
23 more. Now this is the calculations, bounding
24 calculations, presented in DCD from several days to 72
25 hours. If no additional system like the fan or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 whatever, this will slowly graduate, keep going up and
2 up, and eventually cross the line of the design
3 threshold.

4 In 72 hours, when we fill the pool which
5 enhance the top condensation capacity, they turn on a
6 fan. Now in this calculation we have from three days
7 to seven days. We present two sets of calculations,
8 the upper set with dry well/wet well pressure for four
9 systems, four fans. Each fan has 700 cubic feet per
10 minute, per line. The lower set has six systems, six
11 vent line systems. And each system has 700 cubic feet
12 per minute.

13 And you can see that that's so in this
14 calculation, right on the 72 hour, we turn on,
15 initiate the system. The pressure, the dry well
16 pressure, drop rapidly, and continue to drop.

17 MR. WALLIS: Is it your intention to
18 switch these things on at 72 hours, or to wait until
19 something happens and then switch them on.

20 MR. CHEUNG: In the calculation, we assume
21 72 hours --

22 MR. WALLIS: What is the operator supposed
23 to do? Is he supposed to switch the fans on?

24 MR. MARQUINO: Excuse me, this is Wayne
25 Marquino, GEH. And we had to develop the emergency

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 procedures in much detail. We expect that these
2 active systems will be employed as they are available
3 to mitigate the event.

4 We will develop emergency procedures that
5 do that, certainly.

6 MR. ABDEL-KHALIK: It's remarkable that
7 there is such a huge difference between the case of
8 four vent fans and six vent fans. The only reason
9 that could be true is if you are generating so much
10 gas that for such a long, long time we continue to
11 have a difference.

12 Now I would have expected that once you
13 pulled the uncondensable gases out of that heat
14 exchanger, within a few minutes, you know, it wouldn't
15 make any difference.

16 If your explanation of the function of
17 these fans is correct, then there shouldn't be a
18 steady state difference between the case of four fans
19 and six fans.

20 MR. BANERJEE: Well let's ask how many
21 cubic feet per minute of noncondensables generates it.

22 (Simultaneous voices)

23 MR. BANERJEE: So you multiply that by
24 six, and you get about -- how much is being generated?
25 Cubic feet per minutes from --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CHEUNG: Going through the system.
2 That air has to go through that --

3 MR. BANERJEE: No, we're just asking how
4 much is being generated by radiolytic decomposition.

5 PARTICIPANT: Just hydrogen and oxygen,
6 that's all we're talking about.

7 MR. BANERJEE: How much is that? How many
8 cubic feet per minute?

9 MR. CHEUNG: I don't have the number off
10 my head.

11 MR. BANERJEE: Maybe we should ask that.

12 CHAIRMAN CORRADINI: I guess that -- you
13 guys have probably done all these calculations, but
14 you may not have -- but the first question I ask is,
15 let me magically shut off radiolytic decomposition.
16 Do you come to a steady state?

17 MR. CHEUNG: Yes, we did that.

18 CHAIRMAN CORRADINI: Okay, and then the
19 second question was what Sanjoy and Said were asking
20 is what is the production rate relative to this. But
21 I have to admit, that doesn't strike you as odd that
22 you add the 50 percent capacity and you get more than
23 50 percent effect, if I understand this curve right.

24 MR. WALLIS: Something doesn't look right.

25 MR. CHEUNG: No, no, the fan only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 circulates through the PCC2, and hands the -- you can
2 see that -- pick one set. It says wet well pressure
3 is slightly higher than the dry well pressure.

4 MR. WALLIS: Not much.

5 MR. CHEUNG: Not much. So that means some
6 of the air, trying to find a way from the dry well
7 going into the wet well. Now once it goes into the
8 wet well, it will find a way back in the PCC because
9 everything mix.

10 MR. ABDEL-KHALIK: But you're saying that
11 the pressure in the dry well comes down because you
12 get better heat transfer in those heat exchanges. And
13 therefore the time constant for the decrease in
14 pressure depends on how fast you brow the gas out of
15 those heat exchangers. And to me, if you are pulling
16 gas at 4 times 700 cfm or six times 700 --

17 MR. CHEUNG: Let me try to explain to you.
18 I have not finished the arrangement. Let me try
19 again.

20 The noncondensable gas in the dry well
21 move from the dry well. Once it gets into -- finds a
22 way into the PCC, and then the PCC will degrade but
23 that way there will be mixture going in and eventually
24 get to an equilibrium point. That why this thing
25 tries to get to an equilibrium point. I mean, the gas

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mixture, the noncondensable portion of it, is higher
2 than the fan, keep circulating the same amount, keep
3 circulating.

4 MR. MARQUINO: So that was a good
5 clarification, that the fans are circulating the
6 noncondensable gas through the dry well, so they are
7 clearing it, but then it has the opportunity to go
8 back in the PCC. So that's one factor.

9 My mental picture of this is what the fan
10 is doing is stabilizing at a different noncondensable
11 gas pressure and the containment. So without a fan we
12 stabilize with zero-noncondensable mass fraction in
13 the dry well with a high pressure with six fans we
14 stabilize at a lower pressure and a higher
15 noncondensable gas fraction, and you see with four
16 fans there is an intermediate pressure and
17 noncondensable gas fraction.

18 The good thing about these calculations
19 is, we are doing them with our TRAC code, but I think
20 there -- we'd get similar results by using Excel
21 spreadsheets.

22 MR. CHEUNG: Let me go on a little.

23 MR. BANERJEE: Well, there was a question
24 asked of you, almost answered, but you didn't. If
25 there is no radiolitic hydrogen and oxygen generated,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 what happens to that curve? Can you describe it?

2 MR. CHEUNG: The curve will stay flat.

3 MR. BANERJEE: Where will it stay flat?

4 MR. CHEUNG: We need fifty hours of
5 recording, clean up all the air, noncondensable gas,
6 in the drywell with no more noncondensable gas in the
7 wet well, then wet well gas is not going up --

8 MR. BANERJEE: So find the equilibrium
9 point in the PCCS. And what you are doing by blowing
10 -- sucking stuff out is just dropping that --

11 MR. CHEUNG: Equilibrium point.

12 MR. BANERJEE: -- level. So you still
13 have noncondensable material. You are just getting it
14 lower.

15 So your flow of noncondensables is a
16 pretty high amount for this, is that it? I think you
17 ought to equalize this.

18 CHAIRMAN CORRADINI: Can I just say it
19 back to you, because I want to make sure -- we're
20 going to come back to this anyway; we should move on
21 anyway.

22 It's not just -- it's not just the
23 noncondensable gas fractions. It's also the flow to
24 the PCCS by you moving the van fan, you are changing
25 the delta mass fraction, and the heat transfer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 coefficient of condensation ought to be essentially
2 linearly proportional to the mass fraction,
3 approximately.

4 MR. BANERJEE: Approximately.

5 CHAIRMAN CORRADINI: Approximately, so the
6 energy pulled off. Because the condensation transfer
7 coefficient at these very high mass fractions is like
8 small. And so like small times a delta X. So you
9 increase the delta X.

10 But the other thing is, the flow through
11 the PCC. And that is the only way I can explain this
12 nonlinear effect, is that you have almost very little
13 flow when you are stagnant, and by moving the vent fan
14 you are getting more flow through.

15 So some layer, at some time, not now, I'd
16 like to investigate that, just to make sure that I
17 feel all this is kosher, because it does look a bit
18 odd.

19 MR. BANERJEE: You need to look at the
20 heat transfer.

21 CHAIRMAN CORRADINI: Yes, and the other
22 thing is, the decomposition rate. I guess I'm still
23 surprised --

24 (Simultaneous voices)

25 CHAIRMAN CORRADINI: - it sounds to me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 really large.

2 MR. CHEUNG: It's an indicator effect,
3 from --

4 (Simultaneous voices)

5 MR. BANERJEE: But we need to sit and look
6 at it in detail.

7 MEMBER BLEY: I know you told us once, but
8 would you tell me again exactly where is this fan
9 drawing suction from, and exactly where is it
10 discharging?

11 MR. CHEUNG: Can we have the other
12 picture?

13 (Off the record comments.)

14 MEMBER ARMIJO: We're essentially creating
15 a forced flow through the PCCS.

16 MR. DEAVER: I don't know if it was clear,
17 but we have one dedicated fan per PCCS unit.

18 MR. CHEUNG: Okay. That will do it.

19 MR. WALLIS: Well, that figure, where is
20 it?

21 MR. CHEUNG: This is the vent line. We
22 have a fan going from the vent line for the blower or
23 fan, and then they chart into this area.

24 MR. WALLIS: Flows into the --

25 MEMBER BLEY: Into the air space of the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1

2 MR. CHEUNG: Air space of the pool. The
3 air space will be created in the case of LOCA.

4

MEMBER BLEY: From the vent line into the
5 air space.

6

MR. CHEUNG: Yes.

7

MEMBER BLEY: Can we pressurize that air
8 space?

9

MR. CHEUNG: No.

10

MEMBER BLEY: Or is that in free
11 communication with the drywell?

12

MR. CHEUNG: Because it's free
13 communication between the wetwell and --

14

MR. WALLIS: It's part of the drywell
15 then.

16

MR. CHEUNG: There's a little opening
17 here.

18

MEMBER BANERJEE: Now if you just had the
19 recombiners, what would the pressure stabilizer --

20

MR. CHEUNG: Well, in the calculation we
21 saw, we didn't recombine --

22

MEMBER BANERJEE: These slides?

23

MR. CHEUNG: Well, I do not have that. In
24 the calculation we saw that we recombine what is
25 generally after 72 hour, but actually in reality, in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the real world, once you put a pass in a wet well,
2 whatever hydrogen, oxygen prior to 72 hours, they all
3 combine, so actually the amount of non-condensable gas
4 in the wet well is going to drop real fast, but in
5 proportion to the integrated effect of the time.

6 MEMBER BANERJEE: So if you go back to
7 slide on page 11 or whatever it is, I can't see
8 without my glasses, 11. What happens to the special
9 curves if you have recombiners?

10 MR. CHEUNG: We have the recombiner. The
11 wet well pressure will go down, because of the effect
12 in the non-condensable gas.

13 MEMBER BANERJEE: Right.

14 MR. CHEUNG: We'll go down in proportion
15 to whatever lap over, that cannot be combined because
16 of a fraction of the hydrogen or oxygen. So we have
17 brought it down to, I would say somewhere around here,
18 is not going to drop down to atmospheric pressure.

19 MEMBER BANERJEE: The drywell?

20 MR. CHEUNG: The drywell.

21 MEMBER BANERJEE: So you don't have a
22 calculation done just with recombiners?

23 MR. CHEUNG: We have calculation. We have
24 recombiner, but only combine whatever is generated out
25 of the 72 hours.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: Okay. Then what happens
2 if you just do it after 72 hours?

3 MR. CHEUNG: Then we have a curve that
4 look like this, drop down to here.

5 MR. WALLIS: What's the volume of this
6 drywell, again?

7 MR. CHEUNG: Seven thousand cubic meter.

8 MR. WALLIS: Seven thousand cubic meters.

9 MR. CHEUNG: Yes.

10 MR. WALLIS: What's that in cubic feet?

11 MR. CHEUNG: Cubic meter.

12 PARTICIPANT: Multiply by 27.

13 MEMBER BANERJEE: It is not cubic feet per
14 minute then.

15 MR. CHEUNG: Cubic feet per --

16 MR. WALLIS: Cubic feet per minute.

17 MEMBER BANERJEE: Now going back to, why
18 do you want these fans if your recombiners do the
19 jobs?

20 MR. CHEUNG: Well, I'm going to complete
21 it in two sentence saying that it's a defense-in-depth
22 system. Power is one thing, vent fan is another. The
23 vent fan is very easy to install, very low power, only
24 couple of horsepower would do it.

25 MEMBER BANERJEE: These vent fans.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CHEUNG: Vent fans.

2 MEMBER BANERJEE: But you're going to put
3 recombiners, anyway, no?

4 MR. CHEUNG: Yes.

5 MEMBER BANERJEE: I mean, if you have the
6 recombiners anyway, what difference does it make?

7 MR. CHEUNG: It is not me to answer that
8 question.

9 MEMBER BLEY: The mechanics like the fans
10 --

11 PARTICIPANT: Mine just to do and die.

12 (Laughter.)

13 MR. CHEUNG: Let me -- a little bit more.
14 The vent fan have been tested in the PANDA test, in
15 the PANDA facility.

16 MEMBER BANERJEE: I know, but that doesn't
17 mean you install them --

18 MR. WALLIS: So four vent fans punched
19 down the entire drywell in an hour, even if it's all
20 full of gas.

21 MEMBER BLEY: But it's pumping back to
22 itself.

23 MR. WALLIS: It's just circulating.

24 (Simultaneous speech.)

25 CHAIRMAN CORRADINI: All it is is a forced

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 flow vacuum breaker right through the PCCS. They
2 basically have turned on a pump through the PCCS.

3 MR. WALLIS: All it does is pump gas
4 through it with no steam left. There should be no
5 pressure in there. It doesn't make any sense.

6 (Simultaneous speech.)

7 MR. UPTON: Gentlemen, this is GEH. This
8 is Hugh Upton with GEH. I guess the question on the
9 table, I was in a separate discussion, but one of the
10 reasons why we do have the vent fans is we have to
11 show a dramatic drop in containment pressure at 72
12 hours to meet the GDC requirements, and so if we just
13 had PARS, it would go to a steady state condition at
14 high pressure. And here, with the vent fans, we show
15 a dramatic drop.

16 CHAIRMAN CORRADINI: So let me -- I was
17 hoping you wouldn't say that, but since you did, all
18 you've shown us was six fans. You went down 20
19 percent. Now if you want to call that dramatic, okay,
20 but you went from 3.7 bars to 3 bars.

21 MEMBER BANERJEE: Drama is the eye of the
22 beholder.

23 CHAIRMAN CORRADINI: I guess, when I saw
24 the open item originally, I had a feeling you guys
25 were going to answer it somehow. I find it very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 creative, but if rather you come to some steady state,
2 I guess personally, I guess I would argue that you've
3 done -- personally, I was looking for what's happening
4 here. And after this, I wasn't so concerned, if I
5 could understand why you're coming to some
6 equilibrium. And so, your passive recombiners, you've
7 answered that part of the question of how you could
8 come to an equilibrium.

9 MEMBER BANERJEE: It will be below the
10 design pressure. Right?

11 MR. CHEUNG: Well, from 90 percent down to
12 30 percent, and we have -- the other system will come
13 out.

14 MEMBER BANERJEE: Well, you've taken a
15 very elegant design and you really made --

16 PARTICIPANT: We're going to have to look
17 at this separately, I think.

18 MR. WALLIS: It doesn't make any sense to
19 me.

20 MEMBER ARMIJO: In this analysis, the
21 recombiners are not operational.

22 MR. CHEUNG: No.

23 MEMBER ARMIJO: But if they're truly
24 passive recombiners, they are operational.

25 MR. CHEUNG: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: They have to be there.

2 (Simultaneous speech.)

3 MR. MARQUINO: Dr. Armijo, let me give you
4 some background on why. We started out with a passive
5 design for three days, and GE expected that we'd apply
6 our active systems at three days. After submitting
7 Rev 0, we learned about the regulatory treatment of
8 non-safety systems, the fact that makes systems tech
9 spec. If we want to use diesel generators we have to
10 have a four-day supply of fuel on site, so we
11 apologize for addressing some of these to the staff in
12 piecemeal fashion, but we first added the passive
13 recombiners to address the source of the
14 pressurization, the radiolytic gases. And then when
15 we showed the results for that, the GEC 38 concern
16 came up, and the staff will expand on what their
17 concerns are there. We've added the fans, so we
18 retain a design that's passive for three days, and it
19 minimizes the regulatory burden on the utilities in
20 terms of RTNA systems, so we use these small fans
21 which will be pretty easy to check, versus using the
22 standby diesel generators and their fuel supplies.

23 MEMBER ARMIJO: Yes, I see that, but it
24 seems like you have a passive recombiner. You're
25 going to put that in anyway. You ought to take credit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 for it from day one, because it's there. That's the
2 whole idea of passive. Right? You can't stop it from
3 working.

4 MR. MARQUINO: The regulatory oversight is
5 higher if we credit it immediately versus at seven
6 days. The regulatory burden for having it, to get
7 credit for it is so severe that you --

8 MEMBER MAYNARD: Well, you're talking
9 about credit. They still -- it doesn't mean they
10 won't use their active systems during the first 72
11 hours. So from a safety standpoint, they're going to
12 have available anything that they've got. It's just
13 what they --

14 MR. MARQUINO: The recombiner does not
15 have a clock in it, so it won't know that it's 72
16 hours or not.

17 CHAIRMAN CORRADINI: Does staff want to
18 say something to this point?

19 MS. CUBBAGE: I was just going to say it's
20 up to the vendor and their customers to make some of
21 these economic decisions, and they'd certainly be
22 welcome to credit anything they want early on with the
23 appropriate regulatory control, and before 72 hours it
24 would be safety related, and that was a burden they
25 weren't willing to take on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SNODDERLY: Also, Chairman Corradini,
2 this is Mike Snodderly from the staff. The Committee
3 in the letter concerning the AP-1000 in its review
4 pointed out uncertainties associated with the PARS,
5 and the fact that there had not been integrated
6 testing done in a post-accident atmosphere. And, also
7 into the Phebus test where that had been done, and
8 showed some poisoning, so there is some uncertainty
9 associated with the PARS.

10 MEMBER ARMIJO: Is that still the case,
11 these things are --

12 MR. SNODDERLY: Right now, we are aware of
13 some Phebus testing with PARS that has shown poisoning
14 and a detrimental effect. They still function, but
15 there was some --

16 MEMBER ARMIJO: Not as well.

17 MR. SNODDERLY: Yes. So I just wanted to
18 remind the Committee of that uncertainty that was
19 pointed out to us by the Committee.

20 MEMBER MAYNARD: Well, whether they credit
21 them or not doesn't change the safety. I mean, that's
22 only a matter of what shows up on the graphs or the
23 outputs there, but they're still there.

24 CHAIRMAN CORRADINI: So it's our fault
25 you're behind, but can you move along?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. WALLIS: Well, can we have a
3 Subcommittee meeting on this 700 cubic feet thing,
4 which doesn't make any sense, 700 cubic feet from --

5 CHAIRMAN CORRADINI: Well, I'd propose
6 that you talk to the Chair of the Thermal Hydraulics
7 Committee right to your right, and we can negotiate
8 that.

9 MEMBER BANERJEE: Just one last thing. I
10 think we can accumulate a number of topics, and then
11 set it up.

12 MEMBER ARMIJO: Are you guys really
13 convinced you generate that much radiolytic gases?
14 Did somebody triple check that?

15 MEMBER BANERJEE: Well, it's not the
16 radiolytic flow. It's basically, as Mike says, a
17 forced convection system --

18 MR. WALLIS: But the non-condensers have
19 all gone into the wet well anyway, so I mean what are
20 you circulating? You're sucking on nothing. It
21 doesn't make any sense. Okay. You're going to be
22 tell us all about it some other day.

23 MEMBER BANERJEE: Yes, I think it's --

24 MR. DEAVER: Okay. Section 6.3. This is
25 the emergency core cooling system section. Basically,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 what we're going to go into more detail on, but we've
2 already had a lot of discussion, is the gravity-driven
3 cooling system, the iso condenser system, the standby
4 LOCA control system, and the ADS system for
5 depressurization. So I'll describe the systems, and
6 then Chester will give you some details on the
7 analysis performed.

8 Basically, the ESBWR design incorporates
9 passive emergency core cooling systems in conjunction
10 with traditional systems, such as ADS, which enable
11 depressurization.

12 Some of these systems we've gone through
13 before, so I'll go through some of them quickly.
14 Gravity-driven cooling system I believe is a new
15 system that we haven't talked about before. It
16 basically has three sub-systems to it. The primary
17 function of the system is to deliver injection cooling
18 flow from the pool into the RPB, and the component
19 that opens the system up after the vessel is
20 depressurized is a squib valve. And another important
21 feature is the check valve in the line, which if for
22 some reason the system still had pressure in it, it
23 would prevent the backflow of pressure into the pool
24 itself.

25 MEMBER BANERJEE: Where is the check valve

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 again?

2 MR. DEEVER: The check valve is here, just
3 upstream of the squib valve.

4 This line actually branches into two
5 lines, so for any given system or train, this will
6 branch into two lines, and there will be two nozzles
7 into the vessel. There are four lines to the system.
8 There are three pools. Two pools are essentially the
9 same dimensions, but the third one is a larger pool
10 where we draw fluid from two pipes.

11 The second subsystem is what we call the
12 equalizing line. So the initial part of the system
13 would act early in an accident phase. The equalizing
14 line is a way to open up the suppression pool and
15 connect it with the reactor pressure vessel. And
16 this, if needed, would be a longer term sort of thing.
17 And it, likewise, is activated by a squib valve. So
18 this is a precaution if you need more water in the
19 core longer term.

20 MEMBER BANERJEE: It doesn't come on
21 automatically then.

22 MR. DEEVER: No.

23 CHAIRMAN CORRADINI: But it's squib-
24 related. And then if I understand it, by the
25 elevation -- by your normal calculation of where the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 water is would not be needed. You would not normally
2 -- you would have drainage from the GDCS --

3 MR. DEEVER: Yes, you would.

4 CHAIRMAN CORRADINI: -- to the reactor,
5 and that would probably create the needed inventory.
6 You wouldn't open that up.

7 MR. DEEVER: Yes. This isn't normally
8 needed in that scenario.

9 MR. UPTON: Gentlemen, I want to at least
10 clarify a point. The equalizing line is automatically
11 initiated on level. Okay? So it's not a manual
12 initiation.

13 MEMBER BANERJEE: I think that's what I --

14

15 MR. DEEVER: Okay. I forgot about that
16 fact.

17 CHAIRMAN CORRADINI: But the expectation
18 is that that level, you won't get down to that level,
19 to finish that up.

20 MR. UPTON: That's correct. The level
21 initiation for the equalizing line is below the
22 initiation for the GDCS, so it's a backup.

23 MR. DEEVER: Thank you. And the third
24 function is the deluge line, which is shown on this
25 side of the figure. This basically, in the event

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there was a severe accident, where cooling was needed
2 in the bottom of the reactor, or the bottom of the
3 drywell, the squib valves, again, would open up the
4 system and allow flow into the low area.

5 MR. WALLIS: If there's any water left in
6 the GDCS pool by then.

7 MEMBER BANERJEE: And how would this logic
8 work? When would this --

9 MR. DEAVER: Well, what we have in the --

10 MEMBER BANERJEE: What happens if it
11 inadvertently opens, or something?

12 MR. UPTON: Gentlemen, this is Hugh Upton
13 with GEH. The initiation of the deluge system, which
14 ties to the BIMAC is coupled to extreme temperature in
15 the lower drywell, which you'd see based on core
16 ejection from the vessel. They're embedded
17 thermacouples, which will initiate the system.

18 MEMBER BANERJEE: What happens if it
19 inadvertently initiates? It makes a big mess.
20 Correct?

21 MR. UPTON: That's correct. If it
22 inadvertently initiates, you'll have a lot of water in
23 the lower drywell.

24 MEMBER BANERJEE: And none in the --

25 PARTICIPANT: Where you want it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. UPTON: That's correct.

2 MR. DEEVER: But it is --

3 MEMBER BANERJEE: Did you consider severe
4 accidents?

5 CHAIRMAN CORRADINI: No, not today.

6 MEMBER BANERJEE: Why are we doing this?

7 CHAIRMAN CORRADINI: I was about to stop
8 you from asking this question, but you started this.

9 (Laughter.)

10 MEMBER MAYNARD: But you do have a motor-
11 operated valve to isolate. It looks like that's
12 normally open, but is that something that could be
13 closed? It would require operator action, it looks
14 like.

15 PARTICIPANT: You'd have to figure out
16 what was going on.

17 MEMBER MAYNARD: Yes.

18 PARTICIPANT: That's probably not very
19 likely.

20 MR. UPTON: Right. That's correct. I
21 mean, you can isolate that if it's draining.

22 MEMBER BANERJEE: But I think my question
23 is still valid, why are you doing this? I mean, I
24 just don't understand it.

25 MR. UPTON: This is defense-in-depth,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that's why we have it. It's being -- it's for severe
2 accident for core melts. And it also --

3 CHAIRMAN CORRADINI: This is part of their
4 design.

5 MR. UPTON: It's part of the design.

6 CHAIRMAN CORRADINI: For their design,
7 they want water down there. It's not designed - just
8 to repeat one thing I asked early in one of the things
9 - by the way you've designed it, well, your lower
10 cavity, or whatever you call that region below the
11 reactor vessel, is to be dry. The only way to get
12 water in is this way. It doesn't leak in naturally.

13 MR. DEEVER: That's correct.

14 MEMBER BANERJEE: This is not a
15 requirement of our licensing process, is it?

16 MR. UPTON: Yes.

17 MEMBER BANERJEE: Or is it?

18 MS. CUBBAGE: They're required to address
19 severe accidents. It's their option to choose a
20 system to do that. It was their design choice. I
21 think there's been a lot of talk about this in the PRA
22 Subcommittee, but they were trying to avoid some
23 uncertainty with the corium spreading area and things
24 like that.

25 CHAIRMAN CORRADINI: But I think we're a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 bit off topic. Your biggest point is inadvertent
2 actuation that would then limit it for normal --

3 PARTICIPANT: Yes, for a real emergency.

4 CHAIRMAN CORRADINI: More normal accident
5 considerations.

6 MEMBER BANERJEE: But even a relatively
7 small break or something, the GDCS will be called on.
8 Right? And you don't want this to pour water into
9 the lower part of the floor.

10 MR. UPTON: It is a diverse control
11 system, so there's no possibility that a failure in
12 the control system could disable GDCS or during a LOCA
13 -- there's no relation to the initiation parameters
14 for the GDCS system core cooling function, and this
15 BIMAC cooling function.

16 MEMBER BLEY: Are these down in the lower
17 drywell?

18 MR. UPTON: Yes.

19 MR. DEEVER: Highly reliable valves built
20 into the INC system. Okay.

21 Next is the iso condenser system. We've
22 gone over this previously. I think one thing that I
23 didn't point out earlier is that we have a vessel
24 within the line which is, from a performance
25 viewpoint, adds more inventory of water in the event

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of a LOCA accident, and so this inventory of condensed
2 water in the line is credited in the accident
3 analysis. So that's been an addition to the system.
4 Otherwise, it's the same components that we've
5 discussed earlier.

6 Okay. Moving ahead.

7 MR. WALLIS: So in the event of a small
8 break, you only need the isolation condenser? You
9 don't need to activate the other systems. Is that
10 right? If you have a small enough break, you don't
11 need to have the GDCS work at all, you don't need an
12 ADS?

13 MR. CHEUNG: It would depend on whether
14 that was very small break, and --

15 MR. WALLIS: You will handle it. Right.

16 CHAIRMAN CORRADINI: But in terms of --
17 so, since we're on Chapter 6, but in terms of the
18 progression of the four accidents you mentioned, you
19 took us through the performance of the containment,
20 assuming a main steam line break, but you have other
21 smaller break sizes down to the bottom drain line
22 break.

23 MR. CHEUNG: Yes.

24 CHAIRMAN CORRADINI: But all four of
25 those, given their size, they would activate all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 systems we're talking about, and challenge all the
2 systems we're talking about.

3 MR. CHEUNG: Except the equalization line.

4 CHAIRMAN CORRADINI: Oh, except the
5 equalization line?

6 MR. CHEUNG: Yes, because for all breaks,
7 line penetration, all break within --

8 CHAIRMAN CORRADINI: Oh, I'm sorry. Okay.
9 I understand your -- I'm sorry. But in terms of
10 exercising everything --

11 MR. CHEUNG: Yes.

12 CHAIRMAN CORRADINI: Okay. Thank you very
13 much.

14 MR. DEEVER: Okay. Moving ahead, this is
15 the standby LOCA control system. Basically, this has
16 been revised to be a passive system. Previously, it
17 had a pump that would initiate and inject the sodium
18 pentaborate solution. What we do here is we basically
19 have accumulators that have the sodium pentaborate
20 solution with nitrogen system in these accumulators.
21 And the normal pressure in these accumulators is 2250
22 psi.

23 Again, we have parallel squib valves that
24 would have to open in order to initiate the system.
25 And we have two sides to the system, we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 accumulator on both sides of the reactor. The
2 combined capacity of these two systems equals 100
3 percent of the capacity needed for shutdown purposes.

4 Also part of the system is a mixing
5 system, and a sampling system so that we can check the
6 solution at periodic times to make sure it's mixed.

7 MR. WALLIS: So they both have to work.

8 MR. DEEVER: Yes.

9 MR. WALLIS: It just equals 100 percent?
10 There's no margin, it's not 150 percent or something?
11 You say you just have 100 percent of what you need? I
12 would think you'd need to have a margin, have more
13 capacity than you need.

14 MR. DEEVER: Maybe, Wayne, you can address
15 the margins available.

16 MR. MARQUINO: Yes. If one of them didn't
17 work, which would require multiple failures, the core
18 would still be covered, but we wouldn't have as much
19 margin as we show in the LOCA analysis.

20 MR. WALLIS: Other flume can shut down --

21 MR. MARQUINO: And in terms of reactivity
22 control in the ATWS scenario, if one of them worked we
23 would reach a hot shutdown state, but before we cool
24 down, we'd have to inject more boron because we
25 wouldn't reach a cold shutdown state.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. DEEVER: Yes. I might explain that
2 this system initially was only in place because of
3 ATWS in the older plants, going forward into this
4 plant. But what we're also crediting it for now is
5 the water and sodium pentaborate solution as an
6 inventory for injection into the reactor.

7 MEMBER SIEBER: Does that accumulator have
8 a rubber bladder in it?

9 MR. DEEVER: No. It's just simply a
10 solution gas interface. I might also mention that we
11 have level detectors in the accumulator, and we have
12 these two air actuated valves as shutoff valves. Once
13 the system is open, obviously, as the accumulator gets
14 down to a certain level, we want to shut it off, and
15 that's what these valves do, to make sure that none of
16 the nitrogen enters into the reactor system.

17 VICE CHAIRMAN ABDEL-KHALIK: Now does this
18 use enriched boron?

19 MR. DEEVER: Yes, it does.

20 VICE CHAIRMAN ABDEL-KHALIK: So is there a
21 trade-off between the pressure in this accumulator and
22 the enrichment, so that you'd get --

23 MR. DEEVER: Yes. I guess if you had
24 higher enrichment, you could use less pressure, but --

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 VICE CHAIRMAN ABDEL-KHALIK: What sets the
2 pressure currently in the accumulators?

3 MR. DEAVER: 2250.

4 VICE CHAIRMAN ABDEL-KHALIK: I mean what
5 sets that valve?

6 MR. DEAVER: Oh. That's a volume of --

7 MR. MARQUINO: It's sized to get -- this
8 is Wayne Marquino. It's sized to get 86 gpm per a
9 certain volume which is written into 10 CFR 50.36, I
10 believe it is. So that determined what flow rate we
11 had to produce, and we designed the pressure and flow
12 areas of the system to meet that requirement.

13 VICE CHAIRMAN ABDEL-KHALIK: But that
14 depends on which ATWS you're talking about, which
15 pressurization ATWS.

16 MR. MARQUINO: Well, we'll get into that
17 more tomorrow, but it's way over-sized because that
18 requirement assumes like a normal water level, and we
19 automatically reduce the water level in an ATWS, so we
20 inject the boron into a much smaller volume. And
21 you'll see the results in Chapter 15.

22 VICE CHAIRMAN ABDEL-KHALIK: Okay.

23 MEMBER BANERJEE: You reduce the water levels by
24 feedwater --

25 MR. MARQUINO: Yes. Run-back.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: So just so I -- I
2 think the staff is going to mention this about an open
3 item relative to this nitrogen going in and not being
4 stopped, because the current -- the way this should
5 work is you inject the liquid, and then you close off
6 before you start having a continued injection of the
7 nitrogen. Is that correct?

8 MR. DEEVER: Exactly.

9 CHAIRMAN CORRADINI: Okay. So just to get
10 a rule of thumb, if I didn't, and the nitrogen went
11 into the system, at normal containment pressure
12 conditions what's the -- how many cubic feet, or cubic
13 meters, or what's the inventory affect on
14 pressurization inside containment with this? Would
15 this be a small, insignificant amount of
16 pressurization?

17 MR. CHEUNG: Would be a very significant
18 increase in pressure.

19 CHAIRMAN CORRADINI: It would.

20 MR. WALLIS: Significant increase in non-
21 condensables.

22 CHAIRMAN CORRADINI: Well, that was the
23 second -- I was about to get there, but at least I
24 wanted to know the pressurization. And then you're
25 increasing your non-condensable fraction, but you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 already at a very high enough non-condensable
2 fraction, you're at the asymptote on how it affects H,
3 the transfer --

4 MR. WALLIS: How does it know when it's
5 got nitrogen instead of liquid?

6 MR. DEEVER: There's level sensors.

7 MR. WALLIS: Level sensors?

8 MR. DEEVER: Four levels.

9 MR. WALLIS: So it senses the level in the
10 accumulator?

11 MR. DEEVER: Yes.

12 PARTICIPATION: Then it closes a valve or
13 something. Right?

14 MR. DEEVER: Then it closes both of these
15 valves.

16 VICE CHAIRMAN ABDEL-KHALIK: What is the
17 volume of the accumulators?

18 MR. DEEVER: I think - what is it - 5.3
19 cubic meters, I believe is the --

20 MR. CHEUNG: Water volume, or the gas?

21 VICE CHAIRMAN ABDEL-KHALIK: No, the total
22 volume. The gas volume. I think that would be
23 sufficient. What's the gas volume?

24 MR. DEEVER: The gas volume versus the
25 water volume?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN ABDEL-KHALIK: Just the gas
2 volume.

3 MR. DEEVER: We'll have to look it up and
4 get you a specific number for that.

5 MR. UPTON: We can pull that out of the
6 DCD.

7 MR. WALLIS: It looks big in the picture.

8 (Off the record comments.)

9 MR. DEEVER: As I recall, the height of
10 this vessel is going to be about 5 meters -- it's a
11 fairly good size, yes.

12 MEMBER MAYNARD: These are operated valves
13 in your analysis for closing?

14 MR. CHEUNG: Yes.

15 MEMBER MAYNARD: They are credited. Okay.
16 I thought we were talking about in Chapter 9 on the
17 standby liquid control system, that it just
18 discharged, and you did get nitrogen in there.

19 MR. DEEVER: No.

20 MEMBER MAYNARD: Okay.

21 MR. MARQUINO: Okay. Shall we move on to
22 the next --

23 VICE CHAIRMAN ABDEL-KHALIK: So we could
24 translate 2250 psi, the amount of gas in those
25 accumulators, and dump them into the containment. How

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 much would the pressure go up?

2 MR. DEAVER: I don't know that number.

3 MR. CHEUNG: I forgot the number. It's
4 significant. More than likely than will exceed the
5 design pressure, because it's 22 psi.

6 VICE CHAIRMAN ABDEL-KHALIK: 2250.

7 MR. WALLIS: You'd need at least six fans
8 running to go in the --

9 (Simultaneous speech.)

10 MS. CUBBAGE: I think I've got the right
11 number here for you, but the DCD is talking about 14.8
12 cubic meters of nitrogen cover in the accumulator.

13 PARTICIPANT: What is that volume you
14 said?

15 MS. CUBBAGE: Yes, 14.8 cubic meters of
16 nitrogen cover.

17 MR. DEAVER: Yes. That's -- I probably
18 had my numbers confused.

19 MR. WALLIS: Say that again.

20 MS. CUBBAGE: I was just reading from the
21 DCD. It's talking about necessary to maintain 14.8
22 cubic meters of nitrogen cover gas at 14.82
23 megapascals in the accumulator for each slick train.

24 MR. DEAVER: That sounds like it's
25 probably right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: 225.

2 (Off the record comments.)

3 MS. CUBBAGE: You want feet? They have it
4 here, 523 cubic feet.

5 MR. WALLIS: So it's a big proportion of
6 the amount of nitrogen in the containment to start
7 with, looks like.

8 CHAIRMAN CORRADINI: Keep on going.

9 MR. DEAVER: Okay. The ADS system we've
10 seen before. Again, it's just the SRV safety valves
11 and DPVs, which we discussed before. I won't go any
12 further into that.

13 Okay. Then we go into the performance
14 side of the presentation.

15 MR. WALLIS: Remind me how big the ADS
16 valves are.

17 MR. DEAVER: Which ones are we -- are we
18 talking about the DPVs?

19 MR. WALLIS: The flow area that comes out
20 of those DPVs.

21 MR. DEAVER: Oh, okay. The standpipes are
22 eight inches.

23 MR. WALLIS: They're all eight inches?

24 MR. DEAVER: Coming up to the DPV, and it
25 opens up to at least that much area.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Open. Okay.

2 MEMBER BLEY: And the full ADV flow
3 converter main steam flow, number you know off-hand?

4 MR. DEEVER: I know there's a ratio that
5 we're required to have.

6 MR. CHEUNG: And, also, the --

7 MR. DEEVER: Both the IC and the steam
8 line both have the same restricting orifice on the
9 discharge. They're both upper vessel diameters with
10 steam --

11 PARTICIPANT: It's going to a lower
12 pressure, so it's a lot more flow.

13 MR. DEEVER: Okay?

14 MR. CHEUNG: For the ECCS performance,
15 again, the ESBWR with the TRACG code: the key part is
16 we use the same nodalization for ECCS and nodes used
17 in containment analysis. And for ECCS at NRC we have
18 performed more detailed time lines from zero to 2,000
19 seconds because during this time period all the blow-
20 down, all the GDC injection, and the things going on,
21 we have an interest in whether the core is covered or
22 not covered during this time period. After the GDC
23 injection, the core inventory increase or recover
24 after that, and then the water stay there for long
25 time, and we have analyzed that from zero to 72 hours,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and look at the output calculation. And, also, we
2 have evaluated the up and down to 72 hours.

3 The bottom line is for all breaks that no
4 core uncovers, and there's no core heat-up --

5 MR. WALLIS: Now this is water above the
6 core.

7 MR. CHEUNG: Water above the --

8 CHAIRMAN CORRADINI: Substantially above
9 it.

10 MR. WALLIS: Taking credit for the voids
11 in the core.

12 MR. CHEUNG: Yes.

13 MR. WALLIS: But if you collapse the voids
14 in the core you'd get a different number, wouldn't
15 you?

16 MEMBER BANERJEE: What's the average void
17 fraction in the core?

18 MR. CHEUNG: In the core, 80 percent, 90
19 percent. It's high, but now let me go back a little
20 bit.

21 CHAIRMAN CORRADINI: What was that number
22 you said?

23 MR. CHEUNG: 80 percent, 90 percent.

24 CHAIRMAN CORRADINI: Oh, 80 percent.

25 MR. CHEUNG: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: I thought you said
2 eight. Sorry.

3 MR. CHEUNG: Now in order to -- for a
4 figure of merit for comparison of LOCA evaluation,
5 using the PCT as operating parameter, is not going to
6 change because the core is not uncovered, so we used
7 another measure with that. We used the amount of
8 water step up on top of the extra fuel, the amount of
9 water in the accumulator region, and we collect it,
10 and calculate static head, including the water, 1.5
11 meter, whatever that is, and stick it on top of it,
12 and then that's the measure, the comparator from one
13 case to --

14 MR. WALLIS: As long as you've calculated
15 your core void, it's right.

16 MEMBER BANERJEE: And your chimney void.

17 MR. CHEUNG: I will calculate the amount
18 of water in the chimney.

19 MEMBER BANERJEE: So you have to get the
20 chimney right.

21 MR. CHEUNG: Yes.

22 MR. WALLIS: But, particularly, you've got
23 to get the core right because if there were no voids
24 in the core, that's the only water would be in the
25 core.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CHEUNG: Well, depend on the pressure
2 during transient. Next slide, please. Okay. So we
3 have calculate all penetrations, a total of 9
4 penetrations in RPV, using the three creditable single
5 failure relays one PPV available, or one injection rod
6 available, or one safety valve not available. So in
7 PCV 6.3 we have presented result maximum line break,
8 water line break, GDL, injection line break, and point
9 of entry line break. And for DPV Step Two, shutdown
10 cooling suction line break or ICU return line break,
11 or GDCS equalization line break we present in response
12 to RAI 6.3-46 , and the slick injection line break is
13 all presented in 6.3, RAI 6.3-65.

14 In summary, all this break for nominal
15 condition, the amount of water stack up in the chimney
16 is about 1.5 meters.

17 MR. WALLIS: What does this chimney static
18 head mean?

19 MR. CHEUNG: It means whatever that two-
20 phase stop in the chimney on top of the core, we
21 calculate amount of water in that.

22 CHAIRMAN CORRADINI: So there's 1.5 meters
23 of pure unadulterated liquid water.

24 MR. CHEUNG: Yes.

25 MR. WALLIS: What is 8.9 meters then?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 What is that?

2 MR. CHEUNG: That reference to the bottom
3 of the RPV.

4 MR. WALLIS: The bottom of the RPV.
5 Right. So it doesn't really mean anything.

6 MR. CHEUNG: It doesn't mean anything in
7 the case of our --

8 MR. WALLIS: Much better to talk about
9 them,
10 talk back to --

11 MR. CHEUNG: Because internal calculation,
12 we reference RPV-0. Now we try to go back and say 1.5
13 is the water collected, amount of water stack up on
14 top of fuel. And after the GDCS injection, the water
15 coming in, the water level recover. And the limiting
16 break is the -- based on the evaluation on this
17 nominal calculation, we select the main steam line
18 break and the GDCS injection line break for a bounding
19 condition calculation. And the bounding calculation
20 so that -- which is a GDCS injection line break, we
21 have one injection mode failure. We still have more
22 than one liter of water on top of the field. Now
23 that's from zero to 2,000 seconds.

24 MR. WALLIS: This says during the first
25 three days.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CHEUNG: No, this is during the first
2 2,000 seconds.

3 MR. WALLIS: Oh, 2,000 seconds.

4 MR. CHEUNG: The next slide we show the --
5 on the containment calculation we analyze the result.
6 We saw that depends on what break, for all this break
7 we evaluate that the static head is more than one
8 meter of water from top of the field for 72 hours.

9 Now beyond 72 hours, we do not have an
10 actual calculation, so we used hand calculation, we
11 evaluate, because some of the water, some of the steam
12 generated in RPV could have condensed in the drywell
13 and the wall region, and then drop down to the lower
14 drywell region, and not going back in the RPV through
15 the recycling of the PCCS. However, we still see that
16 based on calculation that we have more than -- it
17 depends on the break evaluation. Is a low break
18 aeration that acts on the annulus water, we
19 communicate with RPV water, so the amount that would
20 get in the coolant pump. If high aeration break, the
21 RPV have more inventory to boil off, and not coming
22 back.

23 The bottom line is, for all these things,
24 we value the amount of water on top of the fuel of
25 more than one liter.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: So what does the long-term
2 cooling, is it the PCCS system with the fans, or is it
3 the isolation condenser?

4 MEMBER BANERJEE: Without the fans.

5 MR. CHEUNG: This is not just water in --

6 PARTICIPANT: This is in the first 72
7 hours.

8 MR. WALLIS: The PCCS system, you refill
9 the pool. Is that what --

10 MR. CHEUNG: PCCS, refill the pool, and go
11 back to the --

12 MR. WALLIS: So refilling the pool is the
13 long-term cooling.

14 MR. CHEUNG: Yes.

15 MEMBER BANERJEE: Yes, it's the boil-off.

16 MR. CHEUNG: It's the boil-off and coming
17 back.

18 MEMBER BANERJEE: Well, what is the steam
19 velocity here in the chimneys?

20 MR. CHEUNG: Steam velocity in the
21 chimney, I don't have the number.

22 MR. WALLIS: In the chimney is tiny.

23 MEMBER BANERJEE: Well, no. I don't know.

24 That's what I'm asking you, is it just a boil-off,
25 because this is a fairly low pressure now. Right? So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you're taking 2 or 3 percent decay heat, and you're
2 generating steam.

3 MR. CHEUNG: Yes.

4 MEMBER BANERJEE: So that's -- just divide
5 by the latent heat in the water, flow area you can
6 give me a velocity. Right?

7 MR. CHEUNG: Yes.

8 MEMBER BANERJEE: I'm looking for the
9 velocity.

10 CHAIRMAN CORRADINI: It's not a very high
11 velocity, because you've got 45 megawatts divided by
12 2.2 megawatts per kilogram, so you're producing about
13 22 kilograms a second of steam by boil-off.

14 MR. CHEUNG: Very small amount.

15 VICE CHAIRMAN ABDEL-KHALIK: How many
16 parallel channels are used in these models?

17 CHAIRMAN CORRADINI: You mean the TRACG?

18 VICE CHAIRMAN ABDEL-KHALIK: Right.

19 MR. CHEUNG: In the TRACG. Okay. In a
20 core we model, we have three --

21 CHAIRMAN CORRADINI: I'm sorry?

22 MR. CHEUNG: In the TRACG, the core which
23 we model in three rings, we call them ring one, two,
24 three. And with each ring, we have two different --
25 we beat the ring, we have two different we call

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 chimney addition. We simulate two separate partition,
2 so each ring is a partition, but within the ring we
3 have a single partition, chimney partition to simulate
4 that. So in terms of chimney addition, we have a
5 total of five group to simulate partition with
6 different flow area, or different grouping.

7 CHAIRMAN CORRADINI: So three radial
8 positions, and then within each radial position, can
9 you repeat that part again? I'm sorry.

10 MR. CHEUNG: Three radial positions, one,
11 you know, the center one and the next ring we have
12 additional partition --

13 CHAIRMAN CORRADINI: Thank you.

14 MR. CHEUNG: So we have inside the shroud
15 we have total of five parallel channel.

16 MEMBER BANERJEE: So what's the flow area
17 in the core, and the flow area in the chimney, meters
18 squared?

19 MR. CHEUNG: The core shroud diameter is
20 about --

21 MEMBER BANERJEE: No, I mean the flow
22 area.

23 MR. CHEUNG: I don't have the number.

24 VICE CHAIRMAN ABDEL-KHALIK: So the same
25 radial nodalization, five parallel channels, does that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 carry over to the chimneys, as well?

2 MR. CHEUNG: Yes.

3 VICE CHAIRMAN ABDEL-KHALIK: Okay. Do you
4 think that's adequate for determining any radial
5 variability?

6 MR. CHEUNG: We look at the level response
7 in all these five different channels. They all
8 similar.

9 VICE CHAIRMAN ABDEL-KHALIK: Well, sure,
10 because they're all smeared.

11 MR. CHEUNG: Well, in a real -- well,
12 we've got two -- those channel is only 16 bundle, with
13 16 bundle fitting, so that's a real simulation, 16
14 bundle what if the power go into 16 bundle, generally
15 the steam go in that partition.

16 VICE CHAIRMAN ABDEL-KHALIK: Would you say
17 that again? So one of the two in each of the two
18 outer radial zones corresponds to only 16 bundles?

19 MR. CHEUNG: We have two partitions
20 inside, we have total of five parallel channels. Two
21 of them -- each one of those simulates 16 bundles.
22 And out of the 16 bundles they go into the box for
23 this scenario, this partition. There are two.

24 VICE CHAIRMAN ABDEL-KHALIK: And the one
25 in the center?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CHEUNG: The one in center.

2 MEMBER BANERJEE: And what about the core?

3 VICE CHAIRMAN ABDEL-KHALIK: Thank you.

4 MR. WALLIS: That's what I mean.

5 MR. WATKINS: That concludes our
6 presentation. I'd like to thank the ACRS Subcommittee
7 Members for your attention.

8 CHAIRMAN CORRADINI: Thank you for your
9 patience.

10 MR. WATKINS: And thank you to the NRC
11 staff for their thorough review of Chapter 6.

12 CHAIRMAN CORRADINI: Any other last
13 questions before we go to a break? None. So we'll
14 take a short break, 3:25.

15 (Whereupon, the proceedings went off the
16 record at 3:12 p.m., and went back on the record at
17 3:27 p.m.)

18 CHAIRMAN CORRADINI: Okay. So let's get
19 started. The staff will discuss their draft SER, and
20 I was told by Amy that following that, we might go a
21 little bit long because there is an expert here from
22 GE that can address some of the questions by the
23 members on the vacuum breakers. And they also want to
24 discuss the feedwater power flow map. Since they have
25 the ability to do that today, we want to get those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 questions out of the way. All right?

2 So, Mr. Williams, are you the lead?

3 MR. WILLIAMS: Yes. Good afternoon. My
4 name is Shawn Williams, I'm the Project Manager for
5 Chapter 6. This afternoon the staff is going to
6 present mostly only significant open items within
7 certain sections of Chapter 6.

8 This is a list of the lead technical
9 reviewers. There were many significant contributions
10 by staff. They're in the audience today to also
11 speak, if necessary.

12 I'm going to outline the presentation.
13 I'm going to quickly go over the RAI status, hand it
14 over to Bob Davis to discuss his open items in 6.1 and
15 6.6. Hanry Wagage is going to discuss open items in
16 Chapter 6.2. Weidong Wang is going to discuss open
17 items in Chapter 6.3. If you recall, we've already
18 discussed Chapter 6.4, control room habitability at an
19 earlier ACRS meeting, and Jay Lee is going to discuss
20 Chapter 6.5 with 15.4 tomorrow morning.

21 We issued a total of 306 RAIs, which 215
22 resolved, and right now we have 91 open items, but I
23 do want to say GE responded to 42 out of those 91 open
24 items just recently, so maybe the next month that's
25 going to reduce drastically.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm going to hand it over to Bob Davis to
2 discuss 6.2 and 6.6.

3 MR. DAVIS: My name is Bob Davis, and I'm
4 in the Plant Integrity Branch, Division of
5 Engineering, and I reviewed Section 6.1.1 on engineer
6 safety features and materials. The ESF materials were
7 found to comply with the requirements of ASME Code
8 Section 3, with one exception, which I'll discuss as
9 part of my description of the open items.

10 Fabrication of ESF components comply with
11 the appropriate requirements of ASME Section 3, and
12 materials and processing of stainless steels conform
13 with the guidance in NUREG 03-13, Reg Guide 1.44,
14 which is consistent with the reactor coolant pressure
15 boundary, the requirements are identical, and they met
16 all those. And the cleaning and climate controls, as
17 with the reactor coolant pressure boundary, conform
18 with Reg Guide 1.37.

19 There aren't really very many open items
20 in this section, but some of the ones that are -- we
21 still have a lot of issues with is the isolation
22 condenser, material specifications, fabrication, and
23 processing as the Niobium modified Alloy 600, which is
24 part case, and 580. GEH has indicated that they'll
25 using a tubing spec which is SB 163 for the Alloy 600,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 as modified by the code case. The code case does not
2 include SB 163, so we're still working with GEH to try
3 to resolve that. Because the code case only includes
4 piping, plate, forging, and bar specs, it does not
5 include any tubing specs; so, therefore, it's not in
6 accordance with Section 3, or Reg Guide 1.84, which
7 lists acceptable code cases.

8 We also have in addition to that material
9 issue, we've asked GEH questions on the effect of
10 induction bending of IC tubes. The testing following
11 bending to confirm the acceptability of the material
12 for use, the IC tubing support design structure to
13 insure there's no presence of crevices, and the
14 material properties of the most limiting vent tube.
15 These same issues, even though it's a different
16 material, are very similar to the CCS heat exchanger,
17 which is made out of 304L tubing, but we have RAIs
18 asking similar questions. And that's it for Section
19 6.1.

20 I also reviewed Section 6.6, which is pre-
21 service and in-service inspection.

22 MEMBER ARMIJO: Can I interrupt?

23 MR. DAVIS: Yes.

24 MEMBER ARMIJO: In RAI 4.5-21, the staff
25 asked questions about the adequacy of the material

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 selected for the ESBWR with respect to the water
2 chemistry. And then the staff closed it out with a
3 statement that says, "The staff finds that it is
4 appropriate for the ESBWR design to include features
5 to facilitate future installation of hydrogen water
6 chemistry", and by inference, that they were
7 satisfied, the staff was satisfied that the choice of
8 materials and fabrication was acceptable. And my
9 question is, does the staff believe, and maybe GEH, as
10 well, does the staff believe that the material
11 selected for the ESBWR, primarily the stainless
12 steels, are going to operate for 60 years with normal
13 water chemistry without IASEC or IGSEC? Is that what
14 the staff is saying?

15 MR. DAVIS: Well, I think for the IASEC,
16 we'll have to direct that -- that probably wouldn't
17 apply to the ESF components. I guess you're talking
18 about reactor vessels internals for --

19 MEMBER ARMIJO: Yes, reactor vessel
20 internals, as well.

21 MR. DAVIS: So I'll address the ESF
22 components, and then for reactor vessel internals, we
23 have the gentleman here who reviewed that section.
24 But for the ESF materials, yes, we do believe that
25 they are using -- for the stainless steel materials,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 they are using Category A materials per NUREG 03-13,
2 which we recognize as not even needing any additional
3 inspections as far as IGSEC. Now that's -- now for
4 the question on the vessel, I guess Nahir Ray could
5 speak to that.

6 MR. RAY: Hi. This is Nahir Ray from the
7 staff. I think this same subject we discussed as
8 Chapter --

9 MEMBER ARMIJO: And we'll discuss it
10 again, as long as I'm --

11 (Laughter.)

12 MR. RAY: And during that -- and, also, we
13 are currently reviewing and trying to address your
14 questions, which came to EDO's office. So to address
15 the subject is this way. Reactor internals in the
16 ESBWR are made up very low .02 carbon stainless steel,
17 and that's one thing. If you --

18 MEMBER SHACK: That's bad for IASEC.

19 MR. RAY: Right. I'm coming back to that.
20 I think they -- let's recognize one fact here. BWR
21 plates in current plans, almost all of them having
22 this problem of IGSEC and IASEC problems. We all know
23 that.

24 Now knowing that, what we can do, or what
25 GE can do, or what they have done - let me summarize

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that. First of all, the internals, they used
2 basically the lowest possible carbon content there,
3 and the second question that you raised, and you asked
4 for is, are they going to do any water chemistry
5 control?

6 The answer - actually, we are trying to
7 answer that question along with GE. We had several
8 phone calls with them, and the answer in a summary to
9 you is they are still thinking about it, and trying to
10 figure out what are the best solution for that
11 situation. And here are the four options they told us
12 yesterday over the phone.

13 One is the solution, and the second
14 solution is make it completely forged, no welding.
15 Third is use the water chemistry control, which in
16 their opinion, for all domestic potential customers,
17 they already decided to put that water chemistry
18 control in their plans, which is currently in the
19 ESBWR as an option. And, in addition, I suggested to
20 them what about frequent inspection of the internals,
21 and associated components. And they didn't comment
22 anything, so these are the four options basically on
23 the table. And we are planning to provide you the
24 response in that with all four options.

25 MEMBER ARMIJO: Okay. Well, the point

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 about the -- thank you. If domestic customers for
2 this plant are going to use the hydrogen water
3 chemistry to protect against IASEC, and, frankly, I
4 think also against IGSEC, even with the low carbon,
5 because there have been instances of low carbon 316
6 failing in Swedish reactors, piping, welds, so if the
7 U.S. customers are going to specify that process, I
8 don't understand why it isn't part of the -- in the
9 DCD, and part of the design certification. Would they
10 have to come back later and do an amendment to the
11 certified design in order to have hydrogen water
12 chemistry?

13 MS. CUBBAGE: No. And I'd actually like
14 to turn to GE to answer that.

15 MR. UPTON: We don't believe that it will
16 require us to come back. It's in the DCD as an
17 option, and it's really an economic decision by the
18 customer whether he wants to install it or not. We
19 think that we recommend it, and that's our position
20 going in from day one, but we leave it to the
21 customer.

22 MEMBER ARMIJO: So GE recommends the
23 hydrogen water chemistry for protection of the
24 austenitic stainless steel components.

25 MR. UPTON: That's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Okay. Thank you.

2 MR. DAVIS: And in addition to the -- on
3 the rad coolant pressure boundary pipe, we have
4 discussed with GE about information to DCD regarding
5 service preparation when they do have to grind, and
6 the grinding is held to a minimum. And that language
7 that we've asked them to put in the DCD is similar to
8 what the staff requested for the BWR PIT for
9 addressing welds for internals.

10 I also reviewed Section 6.6, which is
11 Class II and III PSI and ISI. With the exception of
12 open items, PSI and ISI Class II and III systems were
13 found to comply with the requirements of 10 CFR
14 50.55a, and ASME Code Section 11. The development of
15 the pre-service and in-service inspection program is
16 the responsibility of the COL holder.

17 All items within the Class II and III
18 boundaries are designed to provide access for
19 examination as required by Section 11.

20 Augmented examinations include augmented
21 ISI to protect against postulated piping failure
22 between containment isolation valves. That will be
23 performed in accordance with the recommendations of
24 the Standard Review Plan, as acceptable. And
25 augmented inspections as described in Generic Letter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 89-08 to detect and monitor potential wall thinning of
2 high energy piping by erosion, corrosion will be
3 implemented. And that will be included to all ASME
4 Code Class I, II, and III, and non-code class piping
5 that is susceptible.

6 The open items that we have, I think
7 somebody brought it up earlier about the accessibility
8 of welds. Well, we still have the same open item that
9 we had for reactor coolant pressure boundary. Yes,
10 all the welds can be inspected by Section 11. Our
11 concern is that those welds that cannot be inspected
12 by UT, that would have to be inspected by RG, that
13 later on licensees, as they do now, would come in and
14 say it's impractical to do an RT and would want a
15 relief request.

16 And the NT selected for each weld that
17 would be ISI, you can't select a method that is going
18 to be impractical, because you have to drain the pipe,
19 or you have to do something that you know that that's
20 going to be a hardship later on, so we're still
21 working to resolve those issues.

22 We also have issues with the inspection
23 for the isolation condenser and the PCCS heat
24 exchangers. Currently, the isolation condenser, the
25 only thing that's planned is a VT2, and we're not sure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that we're going to be able to accept that. The code
2 doesn't really address the isolation condenser, and
3 applying rules that are meant for pipe may not be
4 acceptable, especially given that they're submerged in
5 water, which makes it more difficult to do a VT2 on
6 them.

7 The COL action items for this section, the
8 COL applicant will provide a description of the PSI
9 and ISI programs for Class II and III components, and
10 the milestones for the full program implementation.

11 MR. WILLIAMS: Any questions on 6.6? Then
12 we'll move to Handry Wagage, Chapter 6.2. Handry.

13 MR. WAGAGE: Good afternoon. My name is
14 Handry Wagage. I'm going to talk about the
15 significant open items in Section 6.2. I reviewed
16 Section 6.2.1 on containment functional design. I got
17 support from Alan Notafrancisco of Office of Research,
18 who is in the audience, for containment analyses.
19 Office of Research performed confirmatory analyses
20 with MELCOR computer code.

21 Andrzej Drozd, who is also in the
22 audience, reviewed Section 6.2.2 on passive
23 containment cooling system. Fred Goyle, who is also
24 in the audience, performed review on Section 6.2.4 on
25 containment isolation system, and 6.2.5 on combustible

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 gas control in the containment.

2 GEH went through the design features of
3 containment, drywell, and wetwell. I would like to
4 remind you that what we mean by drywell and wetwell,
5 just to make sure when I talk about bypass from
6 drywell to wetwell. Wetwell is --

7 MEMBER MAYNARD: You might want the
8 pointer with the pad on it.

9 MR. WAGAGE: Oh, you have one? Okay.

10 CHAIRMAN CORRADINI: You don't want the
11 gas into the room. You never know what's going to
12 happen.

13 (Laughter.)

14 MR. WAGAGE: It shakes. That's why I
15 don't like this. This is the boundary of the -- this
16 is the wetwell. Oh, that's much better.

17 This is what they call wetwell, which
18 contain the suppression pool and the suppression pool
19 air space. And everything else in the containment
20 boundary, containment boundary is right here. And
21 this is the physical containment boundary. Everything
22 else is called drywell.

23 I have an open item in containment sub-
24 compartment analysis. In this containment, GEH
25 considered two sub-compartments. One is this drywell

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 head region, second one is not shown here. It is
2 reactor shield annulus. There's reactor shield around
3 the vessel, there's the annulus. About these
4 two sub-compartments, the first one did not have any
5 high energy line, so there was no need to analyze
6 that. GEH analyzed two high energy line breaks in
7 this sub-compartment in reactor shield annulus. Those
8 were feedwater line break and reactor water coolant
9 unit line break. We had used TRACG computer code.
10 Tough plan to perform confirmatory analyses of sub-
11 compartment with TRACE computer code. To get ready
12 for these analyses, staff requested more information
13 on the details of GE analyses.

14 By reviewing the GE analyses, we found
15 that GEH mistakenly calculated half of the mass and
16 energy coming into the sub-compartment, so by that, it
17 was in error. GEH had to recalculate. We have not
18 seen the results yet.

19 CHAIRMAN CORRADINI: What's the error?

20 MR. WAGAGE: Error was that the mass and
21 energy coming into the sub-compartment, mass and
22 energy release head, by mistake GEH calculated half of
23 that coming in.

24 MR. WALLIS: Because it's a single-ended
25 break or something, or what is it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WAGAGE: No. What happened was that
2 this is an annulus, this is by symmetry, the
3 calculation assumed half of that for modeling. When
4 they assumed half for the modeling, then they have
5 calculated it ---- they have to get the half of the
6 mass and energy coming in. Then they got half of the
7 mass and energy coming in. To get the velocity of
8 flow, they divide by the total area. Now we are
9 modeling half of the annulus, we have to use half the
10 area, by which they double --

11 CHAIRMAN CORRADINI: They dragged out the
12 time scale of the event.

13 MR. WAGAGE: Yes. It's slow energy coming
14 in, and also this is a short time scale, milliseconds
15 time -- it's a short, very short time scale. That
16 mean it pressurizes quickly, that mean it's completely
17 off, that means GEH has to recalculate, and we have to
18 see the results.

19 MR. MARQUINO: This is Wayne Marquino. We
20 concur with what's been said. This has to do with the
21 local pressures in the annulus area, and it doesn't
22 affect the containment pressure responses that you saw
23 earlier.

24 CHAIRMAN CORRADINI: Is this a
25 qualification-related issue relative to what's in that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 region?

2 MR. WAGAGE: This is to find whether that
3 annulus can stay in tact.

4 CHAIRMAN CORRADINI: So, essentially, a
5 pressure loading, a local pressure loading.

6 MR. WAGAGE: Or loading on the annulus.

7 CHAIRMAN CORRADINI: Okay. Thank you.

8 MR. WAGAGE: I have an open item on
9 containment debris protection for ECCS strainers.
10 There are no pumps in ESBWR for cooling for first
11 three days, so GEH suggested that there was no need to
12 do analyses for debris in the earlier DCD revisions.

13 Then we questioned that there may be
14 possibilities also, there are no pumps, the debris may
15 getting into water coming into the core. One
16 possibility, that this is PCCS condenser. During the
17 blow-down, debris may getting into these inlet pipe
18 and go through PCCS, and get into the GDCS pool.
19 That's one path. It gets into GDCS pool, where there
20 is GDCS injection into the core, the debris can get in
21 there.

22 CHAIRMAN CORRADINI: What would be the
23 composition of what you're worried about? What would
24 get in there?

25 MR. WAGAGE: During the blow-down, debris

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is produced, because of blow-down. Some may getting
2 into this pipe.

3 CHAIRMAN CORRADINI: Yes.

4 MR. WAGAGE: And go through the condenser.
5 And when water drains into the GDCS pool, debris may
6 getting into GDCS pool.

7 CHAIRMAN CORRADINI: Were you concerned
8 about any hold-up on the actual tubing?

9 MR. WAGAGE: Actually, we asked that
10 question. What GE said was that hole size of that
11 debris screen was one inch, whatever gets in go
12 through the condenser because that hole is smaller
13 than the size of the condenser. And there is another
14 possible part debris can getting into the system.
15 There is that opening in the GDCS air space to the
16 drywell. We asked questions on that later. GEH added
17 the debris screen to that so that during the blow-down
18 debris would not get into GDCS pool.

19 CHAIRMAN CORRADINI: Is there any -- so
20 let me ask the question differently, so you can see
21 where I'm worried about it. Is there any sort of
22 transport mechanism, that if I have small enough
23 particles that aren't trapped by the cone screen
24 entering the PCCS, and flow with the flow through the
25 tubes, that they wouldn't be transported, almost like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 a cold trap, onto the heat transfer area. Right?
2 I've got dust in the flow, it condenses, I bring it to
3 the surface. What makes the dust want to stay with
4 the liquid and not essentially start affixing itself
5 and fouling the surface?

6 MR. WAGAGE: GEH used only metallic
7 insulation, so it will be pieces of metals, not
8 regular dust, or any other pipe insulation. It may be
9 possible, some of the little pieces may stuck.

10 CHAIRMAN CORRADINI: So because it's
11 metallic, you don't think there would be any sort of
12 fouling issue.

13 MR. WAGAGE: No. This happens only during
14 the blow-down.

15 CHAIRMAN CORRADINI: No, I understand.
16 Yes, I understand that.

17 MEMBER SIEBER: What about biological
18 fouling? You've got a lot of open pools here
19 uncirculating basically. It would seem to me it's a
20 perfect for biological fouling.

21 MR. UPTON: This is Hugh Upton with GEH.
22 Let me address that. There is a pool cooling and
23 cleanup function for the ICPCC pools. It's
24 demineralized water, and we maintain the clarity, so
25 we don't believe that there's going to be biological

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fouling.

2 MEMBER SIEBER: What about these other
3 open pools?

4 MR. UPTON: They're all cleaned and cool -
5 - FAPCS, actually, that's one of the functions of that
6 system is to cool and clean up those pools.

7 MEMBER SIEBER: You don't use any chemical
8 treatment I take it.

9 MR. UPTON: No, it's demineralized water.
10 We have no chemical treatment.

11 MEMBER SIEBER: So there's no way to kill
12 off bacteria or anything else that's in there. Right?

13 MR. UPTON: The system, the FAPCS systems
14 have demineralized filter beds, so that's where it
15 would get caught.

16 MR. WAGAGE: Other features of this ESBWR
17 is there is suppression pool liner which is made of
18 stainless steel, and GDCS liner made of stainless
19 steel. There is no way that rust getting into the
20 system, like other systems.

21 MEMBER ARMIJO: When you look at these
22 things, do you and GE assume that nothing will be in
23 the containment except what they designed? I mean,
24 people work in there, people do maintenance in there,
25 and sometimes things get left behind. Is any of that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 under consideration?

2 MR. WAGAGE: Yes, because we are going to
3 insist that the system has to be designed according to
4 the guidance in Reg Guide 1.8-2, Revision 3, that has
5 latent debris, that mean that GE has to consider
6 latent debris.

7 MEMBER ARMIJO: Do you have some
8 specification on how of that they have to consider in
9 the containment?

10 MR. WAGAGE: How much -- early BWR
11 considers certain amount, but GSI 191 issue that
12 during the resolution of GSI 191 we learned more about
13 this latent debris, and we are working on it, how to
14 address those issues for BWRs.

15 There is suppression pool equalizers in
16 line. When the vessel water level comes down in the
17 long-term, water from suppression pool can inject into
18 the vessel. We asked GEH to explain how it's going to
19 prevent debris getting into the vessel through these
20 GDCS equalizers and line, because during the blow-
21 down, some of the debris can get into the suppression
22 pool through the vertical and horizontal vents. And
23 that debris can move into the vessel.

24 We have in RAI 6.2-6, GEH is working on it
25 as we had a telephone call to GEH. You recall that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 GEH is going to use design this strainer according to
2 Reg Guide 1.8-2, Revision 3.

3 There is an other related issue.

4 CHAIRMAN CORRADINI: If I could just ask a
5 question here, just so, again for my own
6 understanding. Is there some sort of -- in your
7 discussions with GEH, where they think if there is
8 debris produced, where it would end up being mainly
9 accumulated? Will it mainly accumulate in the bottom
10 of the suppression pool? Will it mainly be
11 accumulated on surfaces? What is the disposition,
12 given that the major, if I remember correctly, the
13 major limiting accident is the main steam line break,
14 and then feedwater. Where does the debris go,
15 primarily?

16 MR. WAGAGE: This is -- we are working on
17 it.

18 CHAIRMAN CORRADINI: Okay. Still in
19 process.

20 MR. WAGAGE: Still in progress. The main
21 reason was that because there are no pumps, this
22 wasn't an important issue. And as you saw some
23 results from GEH today, in the long term, GEH is going
24 to use suppression pool water to inject into the
25 vessel. Then there will be recirculation. Then we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 have to consider -- then we have to ask how debris is
2 going to --

3 CHAIRMAN CORRADINI: You brought this up,
4 but I guess just to clean up, because we had asked
5 this of them earlier, maybe you weren't in the
6 audience. What I thought I heard was that given the
7 way they see the accident going, in the first 72 hours
8 they're not seeing any need for the initiation of the
9 equalization line opening, unless I misunderstood
10 their discussion.

11 MR. WAGAGE: Agreed. I agree. During the
12 first 72 hours, yes. But in response to RAI, GEH
13 mentioned the long term, that when they use equalizing
14 the line, how to insure that this is not an issue
15 given the long term. For first 72 hours, yes.

16 CHAIRMAN CORRADINI: Okay. Thank you.

17 MR. WAGAGE: There is a related open item
18 coming from Section 6.1.1, which is on unqualified
19 core rings, because I insist that we are going to --
20 according to the guidance, that debris screens had to
21 be designed according to Reg Guide 1.82, Revision 3,
22 that GEH has to consider unqualified core rings that
23 are supposed to be damaged, and enter into the
24 atmosphere and come off then maybe into the pool, so
25 this open item is asking GEH to quantify it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 unqualified core rings.

2 We have an open item on GDC 50. GDC 50
3 states that containment structure shall accommodate
4 design leakage with sufficient margin containment
5 pressure and tempered following a LOCA. When we saw
6 that GEH calculated containment pressure, we found
7 that pressure was gradually rising, and calculation
8 stopped at 72 hours. When we looked at the results,
9 there was no guarantee that after 72 hours the
10 pressure would not exceed design pressure.

11 We asked General Electric to explain. GEH
12 came up saying that there is a PCC pool refill after
13 72 hours using a FAPCS, that's supposed to solve the
14 problem. We wanted some analysis. When we saw the
15 analysis, we found only that PCC pool refill would not
16 help. There was more need for other systems to be --
17 we did staff confirmatory analyses with MELCOR
18 computer code. It confirmed the same. That was an
19 issue after 72 hours, although the pressure stayed
20 below design pressure within 72 hours, after 72 hours
21 the issue would come up.

22 CHAIRMAN CORRADINI: So let me ask you
23 about the MELCOR calculation. Does the MELCOR
24 calculation also estimate radiolytic composition, or
25 is that a separate calculation that's an input?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WAGAGE: We use radiolytic gas
2 production after we found that GEH used that. We had
3 an --

4 CHAIRMAN CORRADINI: No. I'm asking once
5 you did it, did you have an independent check of the
6 rate?

7 MR. WAGAGE: The rate --

8 CHAIRMAN CORRADINI: Not use their rate,
9 have somebody else go and do it to make sure they got
10 the same rate?

11 MR. WAGAGE: The Office of Research --

12 MR. SNODDERLY: Handry, this is Mike
13 Snodderly, NRC staff. I believe from our audit that
14 took place in December of last year at GE, I believe
15 GE said that they used the radiolytic source term that
16 was in Reg Guide, the previous source term that was in
17 Reg Guide 1.7 before it was updated as part of the
18 50.44 revision, it removed the radiolytic source term.

19 So it's the one that was in Rev 2 of Reg Guide 1.7, I
20 believe.

21 CHAIRMAN CORRADINI: Say that again
22 slower. I don't think I got it.

23 MR. SNODDERLY: They used the radiolytic
24 source term that was in Reg Guide 1.7, Revision 2,
25 which told you how much radiolysis to consider in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 doing the 50.44 analysis. But when 50.44 was updated
2 to eliminate the need for recombiners, because the
3 risk was from the more bounding severe accident, that
4 source term was then taken out of Revision 3. But
5 that was my understanding of the source term that they
6 used.

7 CHAIRMAN CORRADINI: So they use it from -
8 - so let me ask a different question. So it's
9 realistic, conservative, it's what?

10 MR. SNODDERLY: Conservative.

11 CHAIRMAN CORRADINI: How conservative?

12 MR. SNODDERLY: Again, I'm going by --

13 CHAIRMAN CORRADINI: Got six fans.

14 MR. SNODDERLY: I'm going by memory, but I
15 believe it used a radiolytic factor of like .4, which
16 is very conservative. It has to do with a number of
17 factors, such as pH and other things, but it's a very
18 -- it's a conservative bounding factor.

19 CHAIRMAN CORRADINI: Okay. Thank you.

20 MR. SNODDERLY: But there is a basis for
21 that source term. It's the staff. It was in a
22 previous Reg Guide.

23 CHAIRMAN CORRADINI: But then just to --

24 MR. SNODDERLY: But no, it's not
25 realistic.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN CORRADINI: That's okay. But
2 just to educate me, even though not realistic, it is
3 the only basis that they can use?

4 MR. SNODDERLY: There is no guidance for
5 that particular calculation. I mean, there was
6 guidance, as I said, for calculating radiolysis when
7 there was a 50.44. The new 50.44 doesn't require it.
8 And, again, I'm speaking for GEH, and they can jump
9 in when they would like to.

10 CHAIRMAN CORRADINI: You gave me the base
11 -- you just told me --

12 MR. SNODDERLY: My understanding is they
13 were looking for one, and that was one that exists,
14 and they used it.

15 CHAIRMAN CORRADINI: Thank you.

16 MR. SNODDERLY: And we, of course, didn't
17 have a problem with that one, because we understood
18 it, and we knew it was conservative.

19 CHAIRMAN CORRADINI: Okay. Thank you.

20 MR. WAGAGE: We have a policy paper, SECY
21 94-084 on RTNA system, figurative treatment of non-
22 safety systems. According to this policy, advance
23 reactors can use non-safety systems after 72 hours.
24 That's what we saw in GEH's results that they're using
25 non-safety systems after 72 hours.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The reason for this gradual increase of
2 pressure is -- the main reason is that this is
3 completely a passive containment cooling system, which
4 is not -- which is of less capacity as compared to
5 active system. Active system pumps start, and they
6 dump water into the core, and also containment space
7 coming and drop the pressure. But passive containment
8 cooling system, depend on how much steam is produced
9 in the core and then removed. That's one reason.

10 Second reason is that containment
11 suppression pool bypass. I'm going to talk about more
12 on suppression pool bypass later. Because of these
13 two reasons, contain pressure was rising, this was the
14 first time we have seen that containment pressure was
15 rising at the end of the calculation. Other advance
16 reactors calculated contained pressure, but they were
17 lower because of the active systems coming in, and
18 this was the first time, so we were asking RAI on that
19 one. We asked RAI 6.2-140.

20 We saw the GEH new results, that new
21 results are encouraging. This new system, the PCC gas
22 recirculation system has several advantages. One, the
23 reason that contained pressure was rising more, that
24 PCC was degrading because of accumulation of non-
25 condensables, and non-condensables have to be purged

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 into the wetwell. GEH -- this gas recirculating
2 system, what it does is that it creates a flow path
3 through PCC condensers by which it removes the non-
4 condensables, then it increases the PCC efficiency and
5 increase heat transfer. And because there is higher
6 flow rate than before, that increases heat transfer
7 coefficient, and it increases flow to PCC. And, more
8 importantly, that bypass will not be an issue after
9 this new system starts working at 72 hours.

10 CHAIRMAN CORRADINI: Pardon me. Can I ask
11 a question about the first of the three effects?

12 MR. WAGAGE: Yes.

13 CHAIRMAN CORRADINI: You had in your SER -
14 now I can't find it - but you had in your SER a table
15 where you showed timing of the TRACG calculation
16 versus MELCOR. Maybe it was just the MELCOR
17 calculation. In the absence of radiolytic
18 decomposition, does MELCOR show a turn-around, or just
19 essentially reaching a stable equilibrium pressure?

20 MR. WAGAGE: We did not see turn-around,
21 even we turn off radiolytic decomposition.

22 CHAIRMAN CORRADINI: But was it rising? I
23 would expect --

24 MR. WAGAGE: Yes, it was rising. I mean,
25 it was not the major reason. The major reason is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the bypass, I think bypass discussion come in the
2 earlier presentation. What bypass does is that it
3 continually leaks steam into the wetwell air space
4 which pressurizes the wetwell air space. And all the
5 other BWRs, including ABWR, this bypass is an issue
6 only during the initial blow-down, because after
7 suppression pool sprays come in and drop, condenses
8 the steam, that then the active systems inject water
9 into the core. The pressure is low. But in this
10 case, the design of PCCS is such that it depends on
11 purging of non-condensable into the suppression pool.

12 For that we have to have a pressure gradient between
13 drywell and wetwell to purge non-condensables. That's
14 why this vent line is submerged, that pressure
15 difference is equal to that pressure different coming
16 from the vent line submerges.

17 Now in this case, because there is -- the
18 PCC depend on these pressure difference for purge of
19 non-condensables, that works against us. Now there is
20 a pressure gradient between drywell and wetwell. That
21 same pressure gradient causes bypass to continue
22 during a low time period. That's why you see there is
23 a pressure difference. Drywell pressure is slightly
24 higher than wetwell pressure, that difference you see
25 because of the submerging. So bypass is a major

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 issue in this one.

2 CHAIRMAN CORRADINI: So it's not -- I'm
3 sorry. It's not the radiolytic decomposition in terms
4 of the MELCOR analysis, it's the bypass amount? So
5 let me ask the question slightly different. If the
6 bypass amount in the audit calculation with MELCOR,
7 with TRACG if you had the same bypass, would you come
8 to the same, essentially the same qualitative
9 behavior? It may not be the same number, but the same
10 qualitative behavior?

11 MR. WAGAGE: Yes. Our analyses confirmed
12 that decomposition concludes in same, similar results
13 like TRACG analysis of GEH.

14 CHAIRMAN CORRADINI: Okay. Because your
15 answer with bypass seems to answer what the pressure
16 level would end up at. It doesn't answer the rate to
17 get to it. It seems to me in the absence of adding
18 more non-condensable gas, with bypass all I do is
19 essentially have a less efficient heat exchanger,
20 which means the absolute magnitude of the pressure I
21 get to would be different. It might be higher, or
22 lower, depending on the amount of bypass, but I
23 eventually would get to essentially a zero slope line;
24 whereas, with radiolytic decomposition, I'm adding
25 mass, which has continued to pressurize. So I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 understand your explanation, but for a different
2 reason.

3 MR. WAGAGE: I think one important point
4 missing here is that by bypass what you mean is that
5 some steam bypassing the suppression pool water, and
6 without condensing, getting into this air space.

7 CHAIRMAN CORRADINI: Yes.

8 MR. WAGAGE: If you do that, then steam
9 keeps coming into this air space, and keep
10 pressurizing. That's the reason the pressure was
11 going up.

12 CHAIRMAN CORRADINI: Right, but just to
13 push the point one last -- I've got all that water
14 down there, so it's a different amount of heat
15 exchange. It's less efficient than the PCCS, but I'm
16 still condensing it on the water of the surface of the
17 water. It's just a slower rate, so I come to a
18 different equilibrium value, not to a different -- not
19 to a continually increasing slope. See my point?

20 MR. WAGAGE: Yes. There is some
21 condensation at the surface. That's significantly
22 smaller than condensing in the pool. To find the
23 effect of this, we assumed in our confirmatory
24 analysis -- in one case we assume there is no bypass
25 at all. In that case, what we found was that pressure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 would not go higher. It was going slightly higher and
2 higher, but at much slower rate. The reason is that
3 although there is no bypass, still there is effect of
4 non-condensables affecting PCCS efficiency, reducing
5 heat transfer rate.

6 MEMBER BANERJEE: Now, can you give me a
7 physical picture of how that bypass occurs, actually,
8 what is happening? So the pressure in the drywell is
9 higher than the wetwell.

10 MR. WAGAGE: Yes.

11 MEMBER BANERJEE: So there's some flow,
12 which is a mixture of steam and non-condensables
13 flowing in. Exactly where is it flowing in?

14 MR. WAGAGE: Okay. That's --
15 unfortunately, we don't show those vacuum breaker
16 valves. The vacuum breaker valves are between drywell
17 and wetwell. That's the main bypass path. And in
18 addition to that, there may be some minor openings.

19 CHAIRMAN CORRADINI: Some what? I'm
20 sorry.

21 MR. WAGAGE: Some small openings. We
22 don't know where the openings, cracks, or whatever.

23 MR. UPTON: This is Hugh Upton with GEH.
24 In our opinion, the most credible path is through the
25 vacuum breakers.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WAGAGE: Yes, I agree with that
2 completely. I mean, that's the most credible, but
3 there may be other flow paths. That's the point I was
4 making.

5 MEMBER BANERJEE: Now, what is the
6 physical dimensions of the space above the water level
7 in the wetwell?

8 MR. WAGAGE: I have it somewhere in a
9 later figure.

10 MEMBER BANERJEE: The vacuum breakers are
11 right on top, they're not on the side. Right?

12 MR. WAGAGE: Yes, right on the top, and
13 they are to be protected from hydrodynamic loads.
14 There is another section, hydrodynamic loads, GEH has
15 --

16 MEMBER BANERJEE: Whatever is seeping
17 through them, mixture of non-condensables and steam,
18 you are saying accumulating at the top, and not
19 communicating very much with the water below.

20 MR. WAGAGE: Yes. There is no mixing in
21 the wetwell air space. If you had wetwell space, then
22 --

23 MEMBER BANERJEE: Well, clearly because
24 steam is a little bit lighter than air, so it tends to
25 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: It's not going to
2 unmix.

3 MEMBER BANERJEE: No, it's not going to
4 unmix. And the temperatures are the same?

5 MR. WAGAGE: Same, temperature were --

6 MEMBER BANERJEE: Drywell and wetwell?

7 MR. WAGAGE: The air space, consider air
8 space here is similar, not much different. But water
9 is much lower than that.

10 VICE CHAIRMAN ABDEL-KHALIK: Perhaps GE
11 can answer this. Order of magnitude, what is the tube
12 side volume of the PCCS heat exchanger? Order of
13 magnitude, not exact number.

14 MR. CHEUNG: This is Chester Cheung. The
15 tube water into the warmer is about couple of meter,
16 couple of cubic meter.

17 VICE CHAIRMAN ABDEL-KHALIK: Okay. So
18 let's say 50 cubic feet. And you have -- if you put
19 one of those vent valves running at 700 CFM, how long
20 do you think it would take to pull any and all gas out
21 of the tubes?

22 MR. CHEUNG: Now it takes some time to
23 take it out, but remember that it's coming in back
24 from the other end and recirculate. The non-
25 condensable gas coming from the wetwell into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 drywell because vacuum breaker open, and then they
2 will find their way into the tube again. And then you
3 eventually get your creeping point that the gas
4 mixture going into the tube, a certain percentage, a
5 certain mass fraction, and then stay there.

6 MEMBER BANERJEE: I think, Mike, we will
7 need to understand this. I do agree with you that we
8 should do --

9 CHAIRMAN CORRADINI: Okay. Keep on going.
10 We've confirmed something for ourselves. Thank you
11 very much.

12 MR. WAGAGE: We will have to review GEH
13 response. We are awaiting for GEH to respond to RAI
14 6.2-140 on GDC 50 use. You saw some results today.
15 When we get the results, we will review that. We will
16 continue our MELCOR calculation for long term, and
17 confirm --

18 MEMBER BANERJEE: When will you bring in
19 rough terms this understanding of this from the staff,
20 and your communication with GE, to some sort of a
21 position where we can look at it more or less in its
22 final form?

23 MS. CUBBAGE: We'd be planning to come
24 back to the Committee with the final SER about a year
25 from now, maybe a little bit less than that. If there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 was a need to get into a lot of detail between now and
2 then, we could schedule a separate Subcommittee
3 meeting, but the intent on most issues is to come back
4 with resolution at the final SER.

5 MEMBER BANERJEE: But to deal with some of
6 these subjects in a Subcommittee meeting would be -
7 are we talking about three months, two months, one
8 month, six months? What is the time scale?

9 MS. CUBBAGE: Not one month, probably
10 something more like six months, three to six months.

11 MEMBER BANERJEE: Oh.

12 MS. CUBBAGE: I think coming back in a
13 month, you wouldn't probably hear much more than
14 you're hearing now.

15 MR. WALLIS: Will you perhaps do some
16 confirmatory analysis?

17 MR. WAGAGE: This is regards of
18 confirmatory analyses. What you are seeing here is
19 that sensitivity to contain suppression pool bypass.
20 Remember that at three days, PCC pools refill, but
21 this calculation we did not consider that PCC pool
22 refill. That's why there is no change in gradient at
23 three days. If you use one square centimeter, this is
24 the pressure. That's the design value GEH used in its
25 calculation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 VICE CHAIRMAN ABDEL-KHALIK: And what is
2 the cause of the slope difference, rapid increase in
3 slope at four and a half days?

4 MR. WAGAGE: This time, rapid increase is
5 because of PCC pool refill, PCC pool boiling, because
6 of boiling in the PCC pool, pool water level goes down
7 and there is much less heat transfer.

8 CHAIRMAN CORRADINI: You're running out of
9 water?

10 MR. WAGAGE: As I said at the beginning,
11 this is not the way it's going to be operated. We
12 assumed for this calculation for simplicity, there was
13 no PCC refill. When PCC is refilled --

14 MEMBER BANERJEE: No refill of the PCC
15 pool you are saying.

16 MR. WAGAGE: In the design, PCC pools are
17 going to be refilled after 72 hours.

18 CHAIRMAN CORRADINI: Right.

19 MR. WAGAGE: There will be enough water
20 after 72 hours, but we did not assume that condition
21 in this calculation. That's why you see the -- there
22 is no change in gradient.

23 MEMBER BANERJEE: That's just boiling in
24 the PCC pool.

25 MR. WAGAGE: Yes. Water level coming

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 down. As you are showing GEH results, so that there
2 the pressure comes down right away, because that's one
3 reason. Other one is that main system --

4 MR. WALLIS: The results are so sensitive
5 to this very small leak.

6 MR. WAGAGE: Exactly.

7 MR. WALLIS: How are you going to measure
8 it? How are you going to know what it is?

9 MR. WAGAGE: What we have this RAI on,
10 that's an important question.

11 CHAIRMAN CORRADINI: Well, let's just take
12 one line, the red line.

13 MR. WAGAGE: Okay.

14 CHAIRMAN CORRADINI: And then we'll stop
15 torturing you. We're going to find another meeting to
16 torture you on it. But at the red line, it looks like
17 it's coming to some steady state, and you get these
18 wiggles, and then there's a slope, and then there's
19 another slope. So when we have the little wiggles, is
20 that when we're starting to boil off? What's the
21 wiggles?

22 MR. WAGAGE: Wiggles? Okay. We have
23 Andre Drozd here.

24 CHAIRMAN CORRADINI: The wiggle explainer?

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. DROZD: I'm Andre Drozd from
2 Containment. The design value for the PCC pool is
3 that at three days, the water level is going to go
4 down to the top of heat exchanger tubes, so that's
5 where you see how the two-phase level is dropping down
6 and down. And that's the artifact of calculation, the
7 water level is going up and down, and the area,
8 transfer area is slowly diminishing.

9 CHAIRMAN CORRADINI: Okay. And then after
10 the wiggles are done at 3.6 days.

11 MR. DROZD: Right. Just drying out. Just
12 drying out.

13 CHAIRMAN CORRADINI: Right. Thank you.
14 And that same sort of wiggling is just for seating to
15 earlier times as we bypass.

16 MEMBER BANERJEE: You're not going to get
17 off so easy. Go back to the previous slide, please,
18 for me. Now you didn't do anything like GE did, like
19 turning on these vent fans or anything to --

20 MR. WAGAGE: No, that came much later.

21 MEMBER BANERJEE: Okay.

22 CHAIRMAN CORRADINI: I think these MELCOR
23 calculations were done many months ago.

24 MR. DROZD: I mean, those results are not
25 submitted to us yet, and that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER BANERJEE: Potentially, how -- if
2 this is happening due to bypass, and I can see the
3 mechanism you're talking about, I'm trying to think
4 physically what happens if you turn the fans on, and
5 you -- what does that do for you?

6 MR. WAGAGE: If you turn the fans on at
7 that time bypass really is not an issue, because by --
8 what that fan does, there is a T-connection from the
9 vent line. There is a T-connection. It takes suction
10 from PCC.

11 MEMBER BANERJEE: It just doesn't let it
12 go into the suppression pool. Right?

13 MR. WAGAGE: That's right. Now what
14 happens is that steam and water mixture -- because
15 there's suction here, there is a T-junction. There is
16 a fan operating. There's suction, and --

17 MEMBER BANERJEE: Just making a forced
18 convection --

19 MR. WAGAGE: That's right, forced
20 convection. And there is no pressure gradient now
21 because the non-condensables goes back to the drywell.
22 Again, it's recirculated. Stop this bypass
23 completely when this system starts, so it's not an
24 issue, but we have an issue before three days, before
25 these systems come in. Then we have question how are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they going to measure, how are they going to confirm
2 that one centimeter squared assumed in the analysis is
3 --

4 MS. CUBBAGE: This was an early
5 calculation that was demonstrating, number one, the
6 sensitivity to bypass, thinking also that there was a
7 concern with the peak pressure that was calculated.
8 And now GE is addressing it, and we need to review
9 that when it's submitted. I don't think we're going
10 to get much more out of this right now.

11 MR. WAGAGE: This is sensitivity to
12 bypass.

13 MEMBER BANERJEE: And, of course, it also
14 is sensitive to the submergence of the vent line.

15 MR. WAGAGE: Because that bypass is going
16 by that, too, so that gives the pressure gradient for
17 the bypass.

18 MR. UPTON: Excuse me. This is Hugh Upton
19 with GEH. I just want to put something in perspective
20 about this leak rate. If you take a look at, say
21 containment testing, Appendix J testing, if you have a
22 .4 percent weight percent volume per day requirement
23 on your Appendix J leak rate out of the containment,
24 and that's your ELSA bay, you test at say .75 times
25 ELSA bay. That actually is going to come out to, at a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 45 PSIG leak rate, about 3 SCFM. Okay? Now we're
2 looking at an acceptance criteria of .5 square
3 centimeters. That actually comes out to be about 10.7
4 SCFM, so we believe that we have a test that's capable
5 of, within the current technology, of measuring that
6 one square centimeter leak rate.

7 CHAIRMAN CORRADINI: Okay. So you
8 actually have gone to where I was about to ask, which
9 is if you really are looking at this as two attached
10 containments, what's the equivalent of the leak rate
11 between the drywell to the wetwell. You've got about
12 a .15 bar delta P.

13 MR. UPTON: Right. The test that we're
14 looking at using is actually pressurizing the drywell
15 to just above the top horizontal vent, 2.2 PSIG. And
16 that gives us an allowable leak rate into the
17 suppression pool of about 10.7 SCFM. And, so, we know
18 that based on the Appendix J instrumentation we can
19 absolutely measure that.

20 CHAIRMAN CORRADINI: Thank you.

21 MR. WAGAGE: This table compares ESBWR
22 bypass leakage to other BWRs. I have these wetwell
23 free gas space, because it's important for bypass,
24 because if the wetwell air space is larger, it can
25 accommodate more bypass, more steam coming in before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 it pressurizes.

2 As you see here, that GEH used one square
3 centimeter, assume one square centimeter bypass for
4 analysis, compared to much larger values assumed by
5 other BWRs.

6 The reason that GEH has to use smaller
7 bypass leakage is that this bypass continues for a
8 long duration. Other BWRs, bypass is short term
9 issue, but in this case, it's a long term issue,
10 continues for a long time, that's why have to use one
11 centimeter square.

12 There is another important issue in this
13 bypass. Because bypass is assumed in the safety
14 analysis, we did that -- SRP guidance is that bypass
15 has to be confirmed by surveillance testing. It's in
16 tech specs. So far, the staff has accepted the lowest
17 bypass surveillance testing value of around 3 square
18 centimeters. There is SRP guidance to say that what
19 the surveillance criteria has to be one-tenth or 10
20 percent of the value assumed for the analysis.

21 Operating BWRs have satisfied that
22 requirement, that guidance. ABWR you're going to see
23 that the value assumed for the analysis is same as the
24 value assumed in the surveillance criteria. The
25 reason is that ABWR has safety-related suppression

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 pool sprays. If there is a need, then operator can
2 activate safety-related suppression pool gas,
3 suppression pool sprays. If they use suppression pool
4 sprays, then this ABWR can accommodate 50 square
5 centimeters. That mean that what is measured is one-
6 tenth or 10 percent of what ABWR can accommodate.

7 The ESBWR is different. When we see in
8 the DCD that GEH was proposing to measure two square
9 centimeters as the surveillance criteria, which was
10 not acceptable to the staff, because the reason for
11 the surveillance test is to confirm what was assumed
12 in the analysis was correct. But there is no point of
13 measuring higher than that value, and there is nothing
14 to confirm. MR. WALLIS: How does that
15 work? You want to be sure you've got one, you measure
16 two?

17 MR. WAGAGE: That's for the proposed
18 value. To be consistent with all the other operating
19 reactors, what the SRP guidance, is that surveillance
20 criteria has to be 0.1.

21 CHAIRMAN CORRADINI: What is the AB -- I
22 understand column one and column two for the current
23 operating ones. What is the ABWR, it's five and five?
24 And that's acceptable to the staff?

25 MR. WAGAGE: Staff accepted that five and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 five, based on this reason, because ABWR has safety-
2 related sprays in the wetwell. I mean, the
3 pressurizer operators can activate safety-related
4 sprays in the wetwell, and pressure comes down.

5 By analysis, showed that if ABWR used 50
6 square centimeter bypass and sprays, then you maintain
7 under design pressure.

8 CHAIRMAN CORRADINI: And that's why you
9 accepted it as measuring -- testing for five, versus
10 having a design that gives you five.

11 MR. WAGAGE: Yes, that was the reason
12 staff accepted five and five, but for all the other
13 operating reactors we have accepted 10 percent.

14 MR. WALLIS: Are you proposing to accept
15 two for the ESBWR?

16 CHAIRMAN CORRADINI: No. That's just what
17 he said.

18 MR. WAGAGE: GEH was proposing to the
19 staff, the staff made clear that --

20 MR. WALLIS: You want .1, don't you?

21 MR. WAGAGE: We want .1, and --

22 CHAIRMAN CORRADINI: Don't agree with
23 Professor Wallis. He sucked you in there.

24 (Laughter.)

25 CHAIRMAN CORRADINI: Let's just stick with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the five and five for the moment, and understand that.

2 MEMBER BANERJEE: Under discussion.

3 CHAIRMAN CORRADINI: Under discussion.

4 MR. SNODDERLY: Yes. This is Mike
5 Snodderly. I think the feedback to GE was that the
6 two and the one would be unacceptable. But I think as
7 they've said, and this is the first that we've
8 formally heard that, but if one were to pose one and
9 .5, first of all, the expectation is that at least
10 what you're testing to would be less than what is in
11 the design basis. But the .1 is guidance in the SRP
12 section. I think you can see that right now you're
13 starting to get down to the physical limits, and then
14 number two. But we would probably be willing to give
15 some latitude to .1, knowing that this is an extremely
16 low leakage containment.

17 MR. WALLIS: Aren't you concerned about a
18 design which requires such a very small leakage in
19 order to work? Doesn't that give you some concern?

20 MR. UPTON: This is GE. Can I respond?

21 MR. SNODDERLY: Yes.

22 MR. UPTON: This is Hugh Upton with GEH.
23 This design has -- we've always known that this was a
24 key type leakage rate, bypass leakage rate, and so in
25 SBWR and ESBWR we've done a significant amount of work

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to try and minimize all of the leakage paths across
2 the diaphragm floor to maintain a leakage rate at
3 lower than one square centimeter. The entire vacuum
4 breaker test and development program, which was done
5 on SBWR, was extremely successful. And we can go into
6 the great detail of what testing was actually done on
7 the vacuum breaker.

8 But let me say this, that of the three
9 vacuum breakers, what we tested, and this is tested
10 after blowing -- after 3,000 cycles thermally,
11 radiation, seismically aging the valve, blowing four
12 pounds of sandblasting grit into the valve that had
13 been coated with oil to make sure that the bearing
14 surfaces would stick. We tested the valve leak rate,
15 and it was less than .02 square centimeters. Okay?
16 That is after 3,000 cycles, so we have confidence that
17 the vacuum breaker itself is an extremely reliable
18 component.

19 As-built, the vacuum breaker leakage rate
20 was bubble tight .00002 square centimeters. In
21 addition to that, what we've done is we've committed
22 to having an isolation valve in series with the vacuum
23 breaker that will be bubble tight. So if there is
24 indication of a failure of the vacuum breaker, or
25 leakage of the vacuum breaker, based on logic, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 isolation valve will shut that vacuum breaker.

2 The design as it stands today is N minus
3 2. We can fail two vacuum breakers, and still
4 operate, and still have sufficient relief capacity, so
5 we've done what we've tried -- by design, we've tried
6 to make sure that that bypass leakage is achievable.

7 MR. WALLIS: You say fail, you mean they
8 fail to open, they fail to --

9 CHAIRMAN CORRADINI: No, failed by bypass
10 leakage and then isolate.

11 MR. UPTON: Yes. Right.

12 CHAIRMAN CORRADINI: So let me ask, or
13 just let me put it in perspective. I guess the one
14 thing, Graham, that I was trying to do as a
15 calculation is that at one square centimeter, that's
16 about .75 percent per day leakage as if this were a
17 containment boundary, which is, as I understood, is in
18 the ballpark of what you require, anyway, in terms of
19 continue leak rate, of .5 percent per day? Isn't that
20 what I remember seeing in the, not the DCD, but in the
21 SER in terms of the limit?

22 MR. WAGAGE: .5 is the design leakage --

23 CHAIRMAN CORRADINI: Okay. Go ahead.

24 MR. WAGAGE: To put in perspective, ESBWR
25 assumes one square centimeter leakage, that during the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 surveillance testing the acceptance criteria has to be
2 fraction of that, that we have not seen that proposal
3 yet.

4 MR. WALLIS: Are these vacuum breakers
5 just pieces of chopped up metallic insulation?

6 MR. UPTON: Again, this is GEH. Let me
7 address that.

8 CHAIRMAN CORRADINI: We're going to have
9 that at the end. There's an expert, I am told, in the
10 audience. Let's get through this, and then we'll get
11 to the vacuum breaker.

12 MEMBER SIEBER: There's also a drawing of
13 it, it's 6.2, and it's on page 221.

14 CHAIRMAN CORRADINI: Yes.

15 MEMBER SIEBER: Looks pretty reliable to
16 me.

17 MR. WALLIS: Did you test it?

18 MR. WAGAGE: You have seen this figure
19 from actually a GEH chart, this is up to three days,
20 GEH showed longer time, that the first period up to
21 three days, you have seen the same one in these
22 presentations.

23 Okay. Let's go back. I want to make one
24 point on that figure, that you see that drywell
25 pressure is higher than the wetwell pressure. This is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pressure difference in the drywell and wetwell
2 pressure, it is driving the bypass. Okay. Let's go
3 back, go to the next one.

4 We have an open item on GDC 38. GDC 38
5 requires containment heat removal system, system
6 safety function shall be rapidly reduce containment
7 pressure and temperature after loss of coolant
8 accident, and maintain at acceptably low levels.

9 During the initial phase, just after the
10 blow-down steam is condensed in the wetwell, the
11 pressure comes down, but after that, pressure starts
12 rising, and pressure continue to rise. That mean that
13 although it's dropped the pressure initially, it did
14 not maintain at acceptably low level. It was going to
15 pass, the pressure was going to pass the design
16 pressure later on, unless more systems are created
17 after 72 hours.

18 For first 72 hours, this is something that
19 the feature of the PCC, PCC cannot remove significant
20 -- rapidly like active systems. Because of the
21 advantage of having these completely passive system,
22 that GDC 38 not satisfying, were not dropping off
23 within 72 hours. But after 72 hours, other systems can
24 be used, and pressure can be dropped. But as you saw
25 today from GE's results, that it's encouraging that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 PCC gas recirculation system and other systems GE is
2 going to use, that GDC 38 will be addressed.

3 CHAIRMAN CORRADINI: So I think I
4 understand your explanation, but I'm still curious, so
5 you want them to put in the -- because I read the back
6 and forth between the licensee and the staff, to put
7 in an isolation valve to the PCCS.

8 MS. CUBBAGE: You know what, I think we
9 got a little confused here, because Handry was
10 speaking to a different issue than what's behind him
11 there.

12 CHAIRMAN CORRADINI: Oh.

13 MS. CUBBAGE: I don't think we're on to
14 this issue yet. Right, Handry?

15 MR. WAGAGE: Oh, okay.

16 MEMBER BANERJEE: He's still talking about
17 GDC 38.

18 MS. CUBBAGE: Drywell gas recirculation,
19 yes.

20 MR. WAGAGE: Oh, that's coming next.

21 MS. CUBBAGE: All right. You want to move
22 on to this issue now, Handry, please?

23 CHAIRMAN CORRADINI: Yes, that would be
24 good. Let's move on to this issue.

25 MR. WAGAGE: Okay. Next one, we have an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 open item on PCCS isolation. PCCS system is an
2 advanced system. It starts operating immediately
3 after LOCA. There are no valves to open, and there is
4 no need for electric power, no need for operator
5 action. It start right away. But the downside is
6 that PCCS is a penetration in the containment, as you
7 see here. There is one pipe penetrating to take --

8 CHAIRMAN CORRADINI: Now, if I could just
9 stop you. It's penetrating the containment, or it is
10 the containment?

11 MS. CUBBAGE: That's the issue.

12 CHAIRMAN CORRADINI: I guess I'm still
13 trying to understand that, because I read the back and
14 forth from the staff and the licensee, and somehow I
15 tend to fall with the left.

16 MEMBER MAYNARD: Several plants have a
17 similar deal where basically, a penetration, you have
18 a pipe that penetrates the containment, but that pipe
19 becomes the containment.

20 MEMBER BLEY: It would be nice to see a
21 detail of that connection. That's what you'd like,
22 Mike.

23 MR. WAGAGE: I'm coming to that.

24 CHAIRMAN CORRADINI: Okay. Sorry.

25 MR. WAGAGE: Right now --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: The way you gave the
2 preliminary discussion got me a little bit nervous.

3 MR. WAGAGE: Maybe have some patience.

4 CHAIRMAN CORRADINI: That's okay. Go
5 ahead. I'm sorry.

6 MR. WAGAGE: As you see, there are three
7 penetration in the physical containment boundary. We
8 ask the -- according to our GDC 56, that there are
9 penetration, and penetration has to have isolation
10 valves. We asked GEH in an RAI.

11 MR. WALLIS: So you have to isolate the
12 inlet and the outlets.

13 PARTICIPANT: Which defeats the purpose,
14 doesn't it?

15 MR. WAGAGE: According to our GDC 56,
16 penetrations have to have inside and outside isolation
17 valves, that mean there are three penetrations, there
18 has to be six isolation valves. That is GDC 56. Then
19 GEH came up with an argument, although this is the
20 penetration in the physical boundary, that it is
21 closed system. And PCCS is designed to significantly
22 higher design pressure than the containment, and GE
23 came up with an idea that all this -- extend the
24 containment boundary, and include that as part of the
25 containment boundary.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: It makes sense, because
2 if you close those isolation valves, you'd lose your
3 heat sink.

4 MR. WALLIS: If it's got a hole in it,
5 too.

6 MR. MARQUINO: This is Wayne Marquino of
7 GEH. I'd like to admit that in our initial submittal,
8 it was unclear whether this heat exchanger was part of
9 the containment, with some places we said it was
10 extension of the containment. Our intent always was
11 to apply the same structural codes that apply to the
12 primary containment to evaluations of the PCC heat
13 exchanger.

14 As one of the members pointed out, we have
15 containments like the MARK II, that have a pretty
16 complex structure, and the ducts that come off between
17 the drywell and wetwell, we feel this is analogous to
18 that.

19 There is an existing RAI on this, so that
20 was our latest response to the staff. And we've had
21 discussions with them since then, where they've asked
22 us to provide a risk-based evaluation of putting
23 isolation valves versus not -- isolation valves versus
24 no isolation valves. Our PRA group is in the process
25 of responding to that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN CORRADINI: So let me ask you
2 then, since you are taking this route to discuss it,
3 are these automatic isolation, or manual isolation?
4 What are these valves? If they --

5 MR. MARQUINO: Since we don't have valves
6 --

7 CHAIRMAN CORRADINI: All right. And I
8 apologize, I turned to you.

9 MR. MARQUINO: GEH --

10 CHAIRMAN CORRADINI: Are these automatic
11 isolation valves that concern you, or manual isolation
12 valves?

13 MR. WAGAGE: There are no isolation valves
14 at all right now in the design.

15 CHAIRMAN CORRADINI: Yes, I know that, but
16 in my mind, I mean I'll just say what I'm thinking,
17 and then you can get mad at me later. This is crazy.
18 Right? You don't want to put a valve right where you
19 have your only method of heat loss, heat sink, so
20 what's the staff thinking here?

21 MR. WAGAGE: The purpose of isolation
22 valve is --

23 CHAIRMAN CORRADINI: Sorry to say it so
24 bluntly, but --

25 MR. WAGAGE: The purpose of isolation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 valve is to be able to isolate if there was failure in
2 the system, if there is a failure of the valves or
3 drop off, there will be -- if there's a failure in the
4 system, then --

5 VICE CHAIRMAN ABDEL-KHALIK: What kind of
6 signal would allow you to detect that and actuate
7 those valves?

8 MR. WAGAGE: The idea is that there are
9 valves, if there is a need, then the system can be
10 isolated. But as GE --

11 VICE CHAIRMAN ABDEL-KHALIK: I'm sorry. I
12 don't think you answered my question. Let's say the
13 applicant complies, how would an operator detect the
14 need to actuate those valves?

15 MR. WAGAGE: Operator --

16 VICE CHAIRMAN ABDEL-KHALIK: Obviously,
17 those valves would be normally open to maintain this
18 heat sink function.

19 MR. WAGAGE: Yes.

20 VICE CHAIRMAN ABDEL-KHALIK: So how would
21 one go about detecting, ascertaining the need to close
22 those valves?

23 MR. WAGAGE: There has to be other
24 measurements, there is the need that --

25 VICE CHAIRMAN ABDEL-KHALIK: Sensors in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the pools?

2 MEMBER MAYNARD: Well, typically, you
3 probably have radiation monitors or other things in
4 the area. You'd have other indications that would say
5 you had some type of containment leakage during an
6 accident. I think what they're really trying to deal
7 with here is how do they show compliance, or how do
8 they justify compliance with a general design
9 criteria, and does it need to -- and I do think that
10 there's other precedents already set out there for
11 addressing these types of issues. And I think we need
12 to be careful that we don't force somebody to do
13 something that is less safe, just to be --

14 MR. SNODDERLY: That's exactly the gray
15 issue that we're trying to deal with. If you look at
16 the ANS standard 45.2, it clearly says that -- the way
17 it defines a closed system outside containment, one
18 could interpret that this meets that definition, i.e.,
19 penetrations that are welded to containment, and
20 return fluid back to containment. So it meets the
21 definition of the standard that says you shall have at
22 least one isolation valve.

23 Now the normal configuration that people
24 are used to seeing is the pool is inside containment,
25 so you have at least one isolation valve outside

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 containment. This one is flipped around. Okay? So
2 one could interpret the standard that you should have
3 at least one isolation valve inside containment, but
4 it would be to the applicant to determine how it
5 should be shut.

6 If you're asking the question, then it
7 would be, I would assume, remote manual, but that
8 would be for them to decide. But, again, we have a
9 standard that clearly says a system, a closed system
10 outside containment that penetrates should have an --
11 if it returns fluid back to containment, should have
12 an isolation valve.

13 MR. WALLIS: Should have?

14 MR. SNODDERLY: Should have, should. But
15 we also are acknowledging -- so, for example,
16 isolation condensers have had -- do have these
17 isolation valves, and this design proposed I believe
18 also has isolation valves. Okay. But, as was said
19 before, you have high pressure fluids, here you don't,
20 so, again, it's a gray area, but we have a question.
21 We'd like to understand. Another thing that could
22 justify it would be looking at what's the likelihood
23 that you would have a failure of containment, and the
24 one I was postulating was in that pool region, say
25 someone were to drop a heavy load on the exchanger and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 damage a tube, but then you could have certain
2 precautions that would prevent such a heavy load
3 during operation. But things like this that can
4 reduce that likelihood, to say -- so those are the
5 types of arguments that we're trying to develop and
6 justify.

7 CHAIRMAN CORRADINI: So let me try one on
8 you. So why, if this is containment, not a system
9 welded to containment, but containment, why can't it
10 be part of the normal integrated leak rate test, and
11 use that as the service inspection method to determine
12 if they're above their integrated leak rate on a
13 continuing or surveillance basis. They can then find
14 out where it is. But if it is containment, isn't that
15 the surveillance, or the periodic test that one would
16 use?

17 MR. SNODDERLY: Right. So, periodically,
18 they -- they don't have the diagram up there now, but
19 the one that they did have up for the PCCS, you can
20 see there's some temporary connections for doing
21 pressurizing the PCCS to verify.

22 Of course, the problem there is, if you do
23 your test, and you don't know how thick the -- and
24 let's say there was corrosion going on, you do a test.
25 It appears that it's pressurized, but you only have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 small amount of material left, so that's one. But,
2 again, the fact that you were doing that test every
3 couple of years, yes, would give you some assurance.

4 CHAIRMAN CORRADINI: That's an economic
5 issue. If they want to take the chance that they have
6 to shut down the machine and fix containment, I mean,
7 if it was a large dry, and I didn't make the leak
8 rate, I don't go back up to power until I find the
9 leak, and fix the leak, and that's it.

10 MR. SNODDERLY: Right, but it would be a
11 303 concern.

12 MS. CUBBAGE: I guess on this one, I'd
13 like to just close by saying we've asked them to
14 justify their current design. We haven't told them
15 one way or the other that it's required.

16 CHAIRMAN CORRADINI: Okay. Thank you.

17 MR. SNODDERLY: It's an open item. We've
18 made you aware of it, and it's something that we have
19 to resolve.

20 CHAIRMAN CORRADINI: That's helpful.
21 Thank you so much.

22 MR. WALLIS: Well, is it up to you to
23 decide, or is it possible this --

24 MR. SNODDERLY: Well, as Otto said, we
25 have a GDC, and we have an ANS standard, so we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 going to have to reconcile that.

2 MR. WALLIS: I think the man on the street
3 might say it's not containment. It doesn't look like
4 containment. It's piping and stuff.

5 MR. SNODDERLY: Yes. And that's --

6 MR. WALLIS: It doesn't look like
7 containment at all.

8 CHAIRMAN CORRADINI: We're beyond this
9 one. Move on.

10 MR. WAGAGE: We have an open item on very
11 fine containment of concentration. ESBWR containment
12 is inerted by regulation, inerted mean that oxygen
13 concentration in the containment has to be less than 4
14 percent. 10 CFR 50-55(c)(2) for advance reactors,
15 state that these containers do not require inerted
16 containments to provide methods to control combustible
17 gas, because containment is inerted, there is no
18 possible combustion.

19 Containment has flammability control
20 system that is PARS, part of catalytic converters.
21 There are monitors for hydrogen and oxygen in the
22 containment. However, that oxygen monitoring, the
23 confirmation is not in the tech spec, it's in
24 availability controls manual. Once it's not in tech
25 spec, there is less regulatory control because the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 assumption is that containment is inerted, it's less
2 than 4 percent oxygen in the containment, but there is
3 no verification unless it's in the tech spec. We have
4 an open item asking GEH to have verification of oxygen
5 concentration in the containment.

6 MR. WALLIS: This radiolytic generation
7 after an accident, surely radiolytic generation is
8 going on all the time while the reactor is operating
9 at a higher rate, isn't it, or apparently the same
10 rate, or something. It's not -- and that is on the
11 control. There's not that much, is there? It seems
12 to be such a small amount compared with the volume of
13 the containment.

14 MR. WAGAGE: I think during that time that
15 for clean up system removes that --

16 MR. WALLIS: But it's not that much, is
17 it?

18 MR. WAGAGE: I don't know the number, how
19 much.

20 MR. WALLIS: If it's enough to cause a
21 fire in containment, then I don't see how they could
22 handle it during normal operation. It would be much
23 too much, wouldn't it?

24 MR. UPTON: This is Hugh Upton of GEH. We
25 have a separate system called the off-gas system that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 deals with during normal operation --

2 MR. WALLIS: There's not that much gas, is
3 there? There's no huge flow which would really -- if
4 went into the containment, would enable a fire to
5 occur there.

6 MR. UPTON: I would have to take a look at
7 the design specification. I don't remember how much
8 gas actually is generated.

9 MR. MARQUINO: Well, the flow is mainly
10 condenser leakage, air that's leaking in from the
11 condenser is processed by the off-gas system, and
12 there is some hydrogen and oxygen generated by
13 radiolytic gas. I don't know that we can -- that
14 we've measured --

15 MR. WALLIS: But there have been
16 explosions in BWRs gathering this gas and not venting.

17 But it takes months to gather enough gas in a pipe
18 which isn't very big in order to make an explosion, so
19 there can't be very much of it being made. Why is
20 there suddenly a great concern with an accident that
21 you're going to make a lot more of it? It doesn't
22 make any sense, just by radiolysis.

23 MEMBER BANERJEE: TMI got it in a
24 different way. Metal water --

25 PARTICIPANT: That's different.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 PARTICIPANT: It's a bigger generator.

2 (Off the record comments.)

3 MR. WAGAGE: During an accident, this adds
4 into other pressurization from bypass and not removing
5 heat from the containment. This adds on, it keeps on
6 going, that may be reason.

7 MR. WILLIAMS: Okay. We still have one
8 more presentation to go.

9 MEMBER ARMIJO: During an outage, you open
10 up that containment, get a lot of air in there, and
11 then when you button it up and go back, you've got to
12 do something to verify you've got an inerted
13 containment.

14 MS. CUBBAGE: Yes, they do. The question
15 is whether it's in tech specs or not. It's just a
16 matter of a tech spec. This is not a big technical
17 issue.

18 MEMBER ARMIJO: Okay.

19 MR. WILLIAMS: I just wanted to make sure
20 we didn't mislead Dr. Bley in his question about
21 cleanliness. Right now, what the DCD says is that the
22 GDCS pool will have a stainless steel liner, will have
23 a screen, and will have a temporary strainer to
24 prevent debris getting into the system, but it would
25 be removed prior to start-up, and there would be no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 strainer. But they have not committed to Reg Guide
2 182, Rev 3 for the GDCS pool. We have a question
3 concerning the -- meaning Reg Guide 182, Rev 3 for the
4 suppression pool, and meeting the bullets in 95-02,
5 but it's not clear that that -- how that applies to
6 the GDCS pool, because it is unique. So I just wanted
7 to make sure that that was clear, and perhaps GE can
8 respond to you about their plans concerning
9 cleanliness for the GDCS pool. But right now in this
10 revision, there is no commitment for that in the GDCS,
11 except what I just laid out.

12 MR. WILLIAMS: Now Weidong Wang is going
13 to go over Chapter 6.3.

14 MEMBER BLEY: Let me raise a question,
15 Mike. Given what you just told me, how do you folks
16 convince yourself whether or not there might be a
17 problem with debris?

18 MR. SNODDERLY: Well, I think as Handry
19 said, there are some very key differences between this
20 design and the problem we're trying to solve, and have
21 solved for operating BWRs. Debris falls down or
22 transfers into the suppression pool. Here you have an
23 elevated release and a screen that prevents debris
24 from going in. And, also, there's -- we don't
25 anticipate as much maintenance or communication into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the GDCS pool where those sources would come from.
2 And it does have a stainless steel liner, so it's just
3 a different system.

4 Now, I do believe that in pursuing this
5 issue with the suppression pool, we will also want to
6 know about cleanliness programs. I just wanted to say
7 that we -- I think we gave you an impression that
8 there will be one. Right now in the DCD there is not
9 a formal commitment for the GDCS pool, but there are
10 some unique differences. But I do believe that it's -
11 - it's mainly gravitational settling. Right. The
12 high elevated release, there is a screen to prevent
13 the debris. And I think we also said that the
14 diameter was one inch. The diameter is an inch and a
15 half, and I think we're also -- so although a formal
16 calculation in accordance with Reg Guide 182, Rev 3,
17 it's not being performed to determine the amount of
18 debris, it's transport and how it would get into -- I
19 think there is a concern about downstream effects, and
20 I believe that Jim Gilmore in Chapter 4 has asked an
21 RAI concerning the filters for the fuel, and whether
22 that debris would be a problem or not, so we're going
23 to be pursuing that coordinating with Reactor Systems.

24 MR. WILLIAMS: You're up, Weidong.

25 MR. WANG: My name is Weidong Wang. I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 going to present Chapter 6.3. This section is also
2 contributed by a team, George Thomas and Veronica
3 Wilson, and also from Offices of Research. I'm kind
4 of tired.

5 (Laughter.)

6 CHAIRMAN CORRADINI: That's okay. We have
7 a lot of time tonight. Don't worry.

8 MR. WANG: Basically, we will go over a
9 little bit about the regulations, and also talk about
10 SER topic of interest. And, again, significant open
11 items, and answer questions.

12 So I'm not going to go into detail of
13 these federal regulations, and also our review
14 guidelines. This is a list for the LOCA.

15 Now for the ECCS system, this is a summary
16 of what components for the ECCS system, basically,
17 automatic depressurization system, which include SRVs
18 and the DPVs, and safety relief valve, isolation
19 condenser system, and also standby liquid control
20 systems all went discussion in the past ACRS meetings.

21 And gravity-driven cooling system is also part of the
22 ECCS. And for DPV, which Jerry already went over,
23 went through, and staff currently is reviewing a test
24 report for this DPV.

25 Number four, GDCS check valve, that was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 changed from biased open to normal open. And the
2 check above design is an open item. Basically, staff
3 is concerned about what about more function, say
4 opposed to the not open, but it's open during the
5 LOCA, and that that might backflow through the check
6 valve.

7 And also for GDCS open items, ITAAC-
8 related, we would like to check the as-built nozzle
9 throat lengths to be verified against TRACG input,
10 because the --

11 MR. WALLIS: This is for critical flow, or
12 what is this?

13 MR. WANG: Yes, check for the critical
14 flow. And also for loss of -- flow loss coefficient
15 needed to be verified by test against the TRACG input.

16 Basically, we would like to make sure what as-built
17 the same as what the TRACG input.

18 Staff verified all RPV penetrations, and
19 accepted GE's eight break flow locations. In the DCDG
20 submitted four break locations for main steam line
21 break, gravity-driven line, cooling system line break,
22 bottom drain line and the feedwater. And they have an
23 extra, another four breaks, which is isolation --

24 MR. WALLIS: Is the bottom drain line the
25 only line that's below the core level?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WANG: Yes.

2 MR. WALLIS: It's the only one, is it not?

3 MR. WANG: Yes. And one open item is
4 staff is asking GE to perform standby liquid coolant
5 steam line break, and GE has revised Rev 3 under Rev
6 4. I don't see where this break was analyzed, so this
7 is one open item. And for the single failure
8 selection, basically federal regulation applies, ECCS
9 functions accomplished with a single failure. And the
10 staff found that GE basically considered all the
11 systems connected to RPV, and the staff verified GDCS
12 valve and ADS SLC and isolation condenser, they can
13 break, bottom drain line break, and the control rod
14 hydraulic control unit. And the final --

15 MR. WALLIS: But not a break of the PCCS
16 itself?

17 MR. WANG: Not break of the PCCS, they are
18 not --

19 CHAIRMAN CORRADINI: You're seeing PCCS or
20 isolation condenser?

21 MR. WALLIS: No, a LOCA followed by a PCCS
22 tube break.

23 MR. WANG: PCCS is a low pressure system,
24 and it's very --

25 (Off the record comments.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WALLIS: This is a conceivable
2 failure.

3 CHAIRMAN CORRADINI: It's in the PRA.

4 MS. WILSON: Hi, Dr. Wallis. This is
5 Veronica Wilson. The regulations only require a
6 single active failure, so we weren't allowed to break
7 that, but it would be an interesting simulation.

8 CHAIRMAN CORRADINI: That was a cast off.
9 Nicely done.

10 MR. WANG: Yes. Thank you.

11 CHAIRMAN CORRADINI: Nicely done.

12 MR. WANG: And the final selection of the
13 single failure is GDCS squib valve. Now one SRV or
14 one DPV single failure was selected. Other systems
15 are GE designed basically failure proof.

16 MR. WALLIS: So another failure is when
17 the isolation valve is closed by mistake. But now
18 you've put it in, you run the risk of having an
19 accident when it's closed. Someone left it closed for
20 maintenance or something.

21 MR. WANG: And there is, I believe, a
22 bypass valve, so once --

23 MR. WALLIS: There's another valve, yet
24 another valve.

25 MEMBER BANERJEE: That could be closed,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 too.

2 MR. WANG: But we only consider one single
3 failure.

4 MR. WALLIS: When in doubt, put in another
5 valve.

6 MR. WANG: And the open items are
7 basically when vacuum breaker fails to close, and by
8 design from DCD, there's an isolation valve will be
9 used. And the staff is asking for the design of this
10 isolation valve, and also how this isolation valve --

11 MR. WALLIS: Now this vacuum breaker valve
12 opens and closes several times sometimes, so you're
13 going to have somebody open and close the isolation
14 valve, as well?

15 MR. WANG: That's what we have as a
16 question for GE to answer the design --

17 MR. WALLIS: I understand the vacuum
18 breaker opens on demand, and closes on demand.
19 Isolation valve you tend to just close it, and then
20 leave it. The operator isn't going to be able to know
21 when he should be opening and closing.

22 MEMBER BLEY: I think they said they can
23 live with two of them isolated.

24 MR. WALLIS: So that's what they do, they
25 just isolate it and leave it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: One would think so.

2 MR. WALLIS: I think that's what you have
3 to do, yes.

4 MR. UPTON: Yes, we're looking at that.
5 This is Hugh Upton with GEH. We can tolerate for a
6 period of time an absolute failed open vacuum breaker,
7 and when there's indication that you actually are --
8 you have a failed open vacuum breaker both from seat
9 indication and the pressure response of the
10 containment, then we would isolate it. But it is N
11 minus 2, and we can live with one isolated.

12 MR. WALLIS: Do you know which one is
13 failed?

14 MR. UPTON: The valve itself is designed
15 with indication on the disk, we've got proximity
16 probes on the seats, so we know when the valve is
17 stuck open or off its seat. Okay? And then you'd
18 also have some indication on containment pressure
19 response. Those are equalizing --

20 MR. WALLIS: I think my question was what
21 will tell you which one is failed.

22 MR. UPTON: But containment pressure
23 response in addition with a disk off the valve seat
24 would give you indication that you've got a failed
25 vacuum breaker, because you've got -- yes, it would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tell you which one it was, so you've got four probes
2 on each one of the vacuum breakers.

3 CHAIRMAN CORRADINI: Let me just ask one
4 other thing, because these are -- well, we're going to
5 have -- well, maybe not ask now, because we're going
6 to have somebody talking about this in detail at the
7 end. Is that correct? Right? There is somebody,
8 because I wanted to ask a little bit more about your
9 surveillance mechanism.

10 MR. WANG: Okay. Another item, I think I
11 just went through previous GDCS check valve failure.
12 Basically, we would like to see if that fails, and
13 what's the design of this check valve. And if fails,
14 what's the consequence.

15 CHAIRMAN CORRADINI: But there's an
16 upstream squib that has to open for discharge.

17 MR. WANG: Right.

18 CHAIRMAN CORRADINI: So your worry is
19 what?

20 MR. WANG: After the squib valve open, the
21 check valve didn't function as it is, what about it's
22 open also, and then flow will go back through the --
23 RPVs are pressurized.

24 MEMBER BANERJEE: Doesn't act as a check
25 valve.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WALLIS: It gets stuck.

2 CHAIRMAN CORRADINI: Leakage once the
3 squib opens. Okay. Thank you.

4 VICE CHAIRMAN ABDEL-KHALIK: Have you
5 looked at possible failure loss of nitrogen in
6 combination --- as the single failure in combination
7 with a LOCA?

8 MR. WANG: Loss of nitrogen --

9 VICE CHAIRMAN ABDEL-KHALIK: So that the
10 water in the isolation condenser system would actually
11 end up inside the vessel, and the total inventory that
12 would be released into the containment would increase,
13 so that your total containment pressure would be
14 higher than the calculated value.

15 MR. WANG: So then what's --

16 MS. CUBBAGE: I think it's assumed that
17 the liquid in the isolation condenser does go into the
18 vessel.

19 VICE CHAIRMAN ABDEL-KHALIK: It does?

20 MS. CUBBAGE: Yes. That's part of the
21 inventory that's assumed in the calculation.

22 MR. WANG: TRACG was used for this LOCA
23 analysis by GEH, and this slide basically talk about a
24 few selected input parameters. For the bounding
25 calculation, the power is like 2 percent higher, plus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 2 percent for this designed power, which is considered
2 consistent with SRP. And we look at the maximum
3 linear heat generation rate, and also we look at the
4 actual power shapes, which is not important for this
5 LOCA, since from the calculation we didn't really see
6 core uncover, so power won't -- cladding was not where
7 the heat up, so we would just use the one power shape.

8 MEMBER BANERJEE: You mean that there was
9 no dry out anywhere in the core.

10 MR. WANG: No dry out is what the
11 calculation show.

12 VICE CHAIRMAN ABDEL-KHALIK: I would like
13 to just verify what Amy said. Does GE agree with what
14 Amy said, that in the event of a LOCA, that all the
15 inventory in the isolation condenser system will end
16 up inside the vessel, and eventually gets into
17 containment?

18 MR. MARQUINO: Yes, we agree.

19 VICE CHAIRMAN ABDEL-KHALIK: Thank you.

20 MR. WANG: And for the initial stored
21 energy, we have an open item, which we asked GE to
22 justify the use of the simple conductivity model they
23 used.

24 MEMBER ARMIJO: Is there any difference
25 between this model and previously used thermal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 conductivity model?

2 MR. WANG: Previous model I believe they
3 used from the PRIMUS-II code, and that code was
4 approved by NRC. And later, GEH, they used a later
5 version of the TRACG, and they used the conductivity
6 models from Time Code 4, which was not approved by
7 NRC, so we asked --

8 MEMBER BANERJEE: Do you have a comment,
9 Veronica?

10 MR. JUNGEE: Yes, this is Nahim Jungee
11 from GEH --

12 MS. WILSON: This is Veronica Wilson.
13 It's correct in principle, but it was the JESTER M
14 code that's always been used with previous LOCA
15 analyses, and GE is using the PRIME III for the
16 thermal conductivity, so the staff just asked them to
17 justify that.

18 In addition, there was some mismatch of
19 the models, because they used the gap contents from
20 JESTER M, and that's a very coupled process, so the
21 staff was interested in finding out how GE justifies
22 the use of two different codes to calculate thermal
23 conductivity and then gap contents.

24 MR. JUNGEE: Let me respond to that. This
25 is Nahim Jungee again from GEH, and talking about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 thermal conductive model in PRIME and JESTER M, the
2 difference is we have modified the thermal
3 conductivity model to account for the expositive
4 index, which is reflected in the PRIME model. JESTER
5 model didn't have that expositive index in the thermal
6 conductivity model. That has been addressed in the
7 Part 21 evaluation, what are the consequences of not
8 having the expositive dependency. I think staff
9 mentioned that. Going back to the gap contents issue,
10 we look at the impact of gap contents if you change
11 the thermal conductivity model, I think the impact is
12 very negligible, so that code, if you use that gap
13 contents from either code, should be -- the impact
14 should be similar, no impact, basically.

15 MEMBER ARMIJO: So, basically, the thermal
16 conductivity model has been --

17 MR. JUNGEE: Updated.

18 MEMBER ARMIJO: -- approved for burn-up
19 effects.

20 MR. JUNGEE: Yes.

21 MEMBER ARMIJO: That has not been reviewed
22 by the staff. Is that correct?

23 MS. WILSON: Currently under review.

24 MEMBER ARMIJO: Pardon?

25 MS. WILSON: You're correct, but it is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 currently under review.

2 MR. WANG: The PRIME code has been
3 submitted to staff review.

4 MEMBER ARMIJO: Okay. Thank you.

5 MR. WANG: Okay. For the control rod
6 insertion, basically, it is factored into the decay
7 heat curve. This was selected into the assumptions.
8 Summary of this ECCS LOCA analysis, basically, you all
9 see this, all calculations show that the core remains
10 covered with water. And from GE's submission, we saw
11 that the minimum water above the top of active fuel is
12 1.447 meter.

13 MR. WALLIS: Can somebody tell me in this
14 -- some of these LOCAs, there's a mention of the
15 spill-over hole. I don't know what a spill-over hole
16 is.

17 MR. WANG: Okay. I believe this is --

18 MR. WALLIS: Oh, I thought it was
19 something to do with the vessel.

20 PARTICIPANT: He needs the microphone,
21 Shawn.

22 MEMBER BANERJEE: Repeat what you said
23 with the mic.

24 MR. WALLIS: Well, he pointed to it, so
25 that did it. You can't do that with a mic.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WANG: I'll use this. This one is the
2 spill-over hole. Basically, when you have a lower
3 kind of break, and the water eventually will fill,
4 reach that level, and --

5 MR. WALLIS: Oh, that explains it. Thank
6 you very much.

7 MEMBER BANERJEE: Now this seems very high
8 precision on the --

9 (Laughter.)

10 CHAIRMAN CORRADINI: Let's just keep on
11 going. He's just trying to tease you. VICE

12 CHAIRMAN ABDEL-KHALIK: Based on the results that were
13 presented by GE, it looks like the smallest vertical
14 channel in their model was a 4 by 4 bundle, and there
15 were two of them. But does that give you enough
16 resolution to look at what happens in the hot channel,
17 in the hot bundle, excuse me?

18 MR. WANG: So you are talking about the
19 nodalization for the --

20 VICE CHAIRMAN ABDEL-KHALIK: Radial --

21 MR. WANG: Radial numbers?

22 VICE CHAIRMAN ABDEL-KHALIK: Yes.

23 MR. WANG: I believe, Veronica can correct
24 me, we have done some sensitivity studies, and we
25 noticed that basically from the sensitivity study with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 different ring, or different nodalization, we found
2 it's acceptable.

3 MS. WILSON: I'm sorry. I wasn't entirely
4 sure. What was the question again?

5 VICE CHAIRMAN ABDEL-KHALIK: The question
6 pertains to the adequacy of the radial nodalization,
7 and whether the fact that the smallest radial channel
8 was a 4 by 4, essentially super channel. And the
9 question is whether that gives you enough information
10 on the performance of the hot bundle.

11 MS. WILSON: Yes, Weidong is correct.
12 During the pre-application phase, they study this in
13 great detail, and I don't know if there's anybody in
14 the audience from that part of the review, but they
15 did look at the different nodalization schemes, and it
16 was actually -- they originally did not have the 4 by
17 4 smaller bundle, but after a few nodalization
18 studies, the staff actually found that to be the most
19 conservative way of measuring the minimum level.
20 Because they found if you just assume a bunch of hot
21 channels underneath like these larger rings that they
22 had put in, that you end up getting this kind of
23 drafting effect, and then it turns out to be actually
24 less conservative, so that's why they had to switch to
25 the smaller bundles.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN ABDEL-KHALIK: Is that
2 information documented somewhere?

3 MS. WILSON: Yes, it is. It's in NEDERC
4 33083P-A, and it's in the appendix to that document.

5 MS. CUBBAGE: I believe that was provided
6 to you all.

7 MS. WILSON: Yes. It was actually listed
8 in the RAI section, because the staff asked that RAI
9 during that review, so there's a detailed RAI response
10 from GE discussion, and a kind of a back and forth
11 from the staff on what was done to find the minimum,
12 most conservative minimum --

13 VICE CHAIRMAN ABDEL-KHALIK: Thank you.

14 MR. WANG: Thank you for the confirmation,
15 Veronica. You see why I bring her here.

16 CHAIRMAN CORRADINI: You brought her, or
17 she agreed to come?

18 (Laughter.)

19 MR. DONOGHUE: I should have never let her
20 leave the branch, basically.

21 PARTICIPANT: Why did you?

22 (Laughter.)

23 MR. WANG: Okay. So let's come back to
24 this summary of this LOCA analysis results. GEH has
25 concluded most limiting breaks are main steam line

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 break, and the gravity-driven line break, and we have
2 an open item. From GE's II response, which they had
3 additional four LOCA analyses, and we found isolation
4 condenser return line break looks like the number is
5 smaller, and we are just asking them to clarify.

6 This is a summary of what GEH had obtained
7 the results. The left column basically is all breaks,
8 and EQL means equalization line break. I'm not going
9 to read the rest of them.

10 MS. CUBBAGE: And those are all above
11 vessel zero.

12 MR. WANG: And, also, in the middle is
13 like single failures, one DPV or one GDCS injection
14 line, or one SRV. And that open item we just
15 basically asked from this reading, we saw the
16 isolation condenser return line break looks like --

17 MR. WALLIS: When you give these areas,
18 are these double-ended for some of these breaks on
19 single and otherwise, depending on how they're
20 connected? There's the total area of the break, or
21 does it? It says break size. Is this the total area?

22 MR. WANG: It should be break area.

23 MR. WALLIS: Aren't some of them double,
24 and some single, depending on how they're connected to
25 things?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WANG: I don't know if it's --

2 MR. MARQUINO: Dr. Cheung indicated it's
3 single area. We don't have things like a recirc loop,
4 where we break a pipe and we get flow from both
5 directions.

6 MR. WALLIS: But they're all single area.

7 MR. MARQUINO: Yes.

8 MR. WALLIS: Okay.

9 PARTICIPANT: So I guess I don't
10 understand the logic of what concerns you about the
11 ICR. Can you explain again? I'm sorry.

12 MR. WANG: Okay. Basically, if you look
13 at this number, the GEH, that ICR with one GDCS break
14 is nine point zero zero --

15 MR. WALLIS: Lowest.

16 MR. WANG: And this one --

17 MEMBER SIEBER: And top of active fuel is
18 how many meters?

19 MR. WANG: Top of active fuel --

20 MR. WALLIS: Around seven and a half.

21 MR. WANG: Seven and a half. And we
22 basically look at the table and compare with the other
23 break, and it was failures; we think that this one
24 should be considered as the most limiting. However,
25 if you look at a DPV, which DPV tube line break we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 consider as a similar break as main steam line break,
2 so that one we were to put -- consider here, but
3 that's from this table.

4 CHAIRMAN CORRADINI: Thank you.

5 MR. WANG: Okay. The next one, please.
6 And the other significant open items, okay, this one
7 is, basically, it's a regulatory issue. GE has
8 demonstrated the core is keep covered during the whole
9 -- not covered -- always covered with water during the
10 break. And federal regulation requires either do
11 uncertainty analysis, or do a -- use Appendix K ECCS
12 variation model, and GE actually didn't really address
13 this tube.

14 MR. WALLIS: How can you use Appendix K
15 with this design?

16 MR. WANG: This, basically, is the federal
17 regulations. We would like them either to address by
18 uncertainty, or with the other method, but we don't
19 decide that here.

20 CHAIRMAN CORRADINI: So they have to
21 choose.

22 MR. WANG: They have to choose.

23 CHAIRMAN CORRADINI: And they haven't
24 chosen yet. Okay. Thank you.

25 MR. WANG: Or either they want to say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 apply a waiver, and they have good justification.
2 Basically, saying that they --

3 MR. WALLIS: Well, they can't choose,
4 because you can't use Appendix K with this design, can
5 you? It doesn't make sense.

6 MEMBER BANERJEE: You can, but --

7 MR. WALLIS: You can?

8 CHAIRMAN CORRADINI: It's not very
9 applicable, but you can try.

10 MEMBER BANERJEE: It's not very good.

11 MR. WANG: For the long-term cooling
12 calculation, GEH showed the core covered with water up
13 to 12 hours, and the staff is asking GEH to show the
14 results up to 72 hours.

15 CHAIRMAN CORRADINI: So it's that there's
16 no concern in the time available, they just haven't
17 run the calculation out? Is that your point?

18 MR. WANG: Not just the calculation.
19 Basically, they have yet to run the calculation, and
20 justify the results. For example, we have some
21 concern about from this II issued to GE, where we say
22 we don't -- staff do have concern about the non-
23 condensable.

24 CHAIRMAN CORRADINI: Non-condensable
25 where?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WANG: Basically, hiding or as
2 transportation --

3 MEMBER BANERJEE: In the PCCS.

4 MR. WANG: For the PCCS.

5 CHAIRMAN CORRADINI: Oh, okay. All right.

6 But this is --

7 MEMBER BANERJEE: The whole thing is a
8 coupled calculation.

9 CHAIRMAN CORRADINI: Right. But this is
10 the emergency core cooling. How is the -- forget
11 about the containment making its design margin, but
12 taking that aside, how would the PCCS non-condensable
13 gas affect this?

14 MEMBER BANERJEE: Water came back to the
15 GDCS.

16 CHAIRMAN CORRADINI: But it's all gravity-
17 driven.

18 MR. WALLIS: It doesn't matter. There's
19 not much water held up in there.

20 CHAIRMAN CORRADINI: There's not much
21 water held up in the isolation condenser. It's all
22 sitting in that pool, though. That's what I'm --

23 MEMBER BANERJEE: And if the isolation
24 condenser didn't work, and didn't condense any water,
25 there would be no water coming back.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WANG: We're talking about the PCCS.

2 MR. WALLIS: Where would the water go
3 then? It doesn't go anywhere.

4 CHAIRMAN CORRADINI: I know, but this is -
5 -

6 MS. CUBBAGE: In the long term you could
7 have a --

8 CHAIRMAN CORRADINI: This is a
9 quantitative question. Yes?

10 MS. CUBBAGE: Right. In the long term,
11 you could have a transfer of water into the
12 suppression pool, and not everything coming back
13 through the GDCS, and so there's a question of whether
14 that equalizing line is going to end up opening or
15 not. That's part of it.

16 CHAIRMAN CORRADINI: Okay. Right. So now
17 let me ask the next question. So you had audit
18 calculations with MELCOR and the containment, which we
19 think we would like to have a meeting and talk about
20 that, but in this case, what are you going to look at
21 to audit this? In other words, are you going to just
22 ask for them to show you another calculation, or are
23 you going to do something yourselves?

24 PARTICIPANT: TRACE.

25 CHAIRMAN CORRADINI: I didn't say that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm asking --

2 MEMBER BANERJEE: But they use TRACG for
3 this long term cooling --

4 MR. WANG: For the long term cooling, GE
5 used TRACG, and staff planned to do complimentary
6 calculations.

7 MR. WALLIS: With what?

8 MR. WANG: With TRAC/TRACE.

9 MR. WALLIS: With TRACE.

10 MR. WANG: With TRACE.

11 MEMBER BANERJEE: With the non-
12 condensables and everything?

13 MR. WANG: Yes.

14 MR. CHEUNG: This is Chester Cheung from
15 GEH. Actually, we have response to the RAI 6.3-79
16 that address the long term cooling from time zero all
17 the way to 30 days. So we have to respond to that.

18 MEMBER BANERJEE: You have run that now?
19 You've run your calculations out?

20 MR. CHEUNG: No, we run the calculation
21 all the way to 72 hours, and based on the result from
22 the 72 hour, and then we project on how much, say the
23 steam condenses, the drywell wall, breaking down to
24 the drywell annulus and not coming back, we project
25 the loss rate, and then we project all the way to 30

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 days. We still have more than one meter covering the
2 core.

3 CHAIRMAN CORRADINI: But staff has yet to
4 review or look at it.

5 MS. CUBBAGE: I was just going to -- I
6 wasn't sure if you said you had submitted that, or you
7 were getting ready to.

8 MR. CHEUNG: I don't know the status of
9 that.

10 MS. CUBBAGE: Okay.

11 MR. CHEUNG: We have finished, and --

12 MEMBER BANERJEE: Finished the
13 calculations.

14 MR. CHEUNG: We finished writing the
15 response.

16 MEMBER BANERJEE: And when is the
17 confirmatory -- this is one of the main issues,
18 clearly, what happens to the non-condensables.

19 MR. WANG: We already had some preliminary
20 confirmatory calculations done by Office of Research -
21 - actually Joe, because he didn't really get a chance
22 to present, because staff is still under review the
23 results from NRO side, but basically, Office of
24 Research made a few calculations, and they will give
25 us I think in the next one or two months -- I think we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 will have a better answer for that.

2 CHAIRMAN CORRADINI: Excellent. Okay.

3 MEMBER BANERJEE: You don't want to give
4 us a peep at the answer at the moment? You want to
5 evaluate them before --

6 MR. WANG: It's up to our manager.

7 MR. DONOGHUE: Not now, no. We want to make
8 sure that we understand what the results are, and that
9 -- because Research has performed them. They've
10 handed them over to us in preliminary form. When they
11 are issued in final, we'll be more than glad to send
12 them to you. And we'll be talking to them definitely
13 when we come back here.

14 MR. WANG: Other significant open items,
15 basically GEH performed a sensitivity study for GD,
16 gravity-driven line break, and they ran for this break
17 up to -- it says, 20 percent of the break. And staff
18 is asking what about say smaller than 20 percent.

19 MR. WALLIS: That's for the GDL based?

20 MR. WANG: GDL.

21 MR. WALLIS: And the next bullet says 80
22 percent size --

23 MR. WANG: That's -- the first --

24 MR. WALLIS: Which is the one where you go
25 down through 180, 60, 40, 20, still gets worse and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 worse? Which one is that?

2 MR. WANG: That's GDL line break.

3 MS. WILSON: That's the main steam line.
4 For the GDL break, it was mostly just trying to cover
5 all of our bases, because they didn't analyze anything
6 smaller than 20, so it's mostly just --

7 MR. WALLIS: It's getting worse as you --

8 MS. WILSON: This one it does not. The
9 GDL one is not -- it's the main steam line that --

10 MR. WALLIS: I thought it was the main
11 steam line.

12 MS. WILSON: Yes. They had analyzed --

13 MR. WALLIS: I was wondering why he said
14 GDLB. It's the main steam line that's the problem.

15 MS. WILSON: There's two different RAIs
16 out right now. They've only -- they've performed a
17 spectrum on the GDLB and the main steam line breaks,
18 and so for the GDLB, this is more of a completeness
19 issue, where we're like --

20 MR. WALLIS: The main steam line break
21 gets worse and worse as it gets smaller --

22 MS. WILSON: Right. And that was another
23 -- so there are two separate RAIs. This is more for
24 completeness sake. The other one was more of a
25 concern.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: I expected to see it here.
2 That's why.

3 CHAIRMAN CORRADINI: Why is it main steam
4 line gets worse and worse the smaller and smaller it
5 is? I don't understand.

6 MR. WALLIS: But it does, apparently.

7 CHAIRMAN CORRADINI: But I don't
8 understand.

9 MR. WALLIS: You don't have to understand,
10 just look at the result.

11 CHAIRMAN CORRADINI: I'm sorry.

12 MR. WANG: I don't have an answer here.

13 MS. CUBBAGE: Is it because there's a
14 delay in the ADS, if it's a small --

15 MR. WALLIS: Shouldn't extrapolate it to
16 zero, anyway.

17 (Off the record comments.)

18 VICE CHAIRMAN ABDEL-KHALIK: What is the
19 size, the flow limiter on the steam line?

20 MR. WALLIS: We don't know yet.

21 PARTICIPANT: It's 16 inches, or something
22 like that.

23 MR. WANG: I don't know the number.

24 MR. MARQUINO: I don't know off the top of
25 my head. It is documented in the DCD, the break area

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for the steam line break, and the flow limiter area.

2 VICE CHAIRMAN ABDEL-KHALIK: Well, yes.
3 Right here it's 1.058 square feet, which is much, much
4 less than the diameter of the --

5 MR. WALLIS: I read that the minimum
6 static head in the chimney keeps dropping as you go to
7 --

8 MR. MARQUINO: Definitely, yes.

9 MR. WALLIS: All the way down to 10
10 percent, it keeps dropping. Is that right?

11 MR. MARQUINO: Can you explain? Can you
12 say that again, Graham? I didn't hear you.

13 MR. WALLIS: They did a sensitivity of the
14 main steam line break, 180, 60, 40, 20, 10, and the
15 minimum static head in the chimney kept dropping as
16 they decreased the break size. So the question is
17 what happens between 10 percent and zero?

18 MR. MARQUINO: We understand the concern.
19 There is some numerical noise in these results, and
20 we'll address the NRC's question about this, and go
21 down to running a zero square foot break, if
22 necessary.

23 (Laughter.)

24 (Simultaneous speech.)

25 VICE CHAIRMAN ABDEL-KHALIK: I hope you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 use long concepts.

2 MEMBER BANERJEE: What's the physics?

3 MEMBER SHACK: I don't understand it.

4 MR. CHEUNG: This is Chester Cheung from
5 GEH. The basic thing is everything -- all the breaks,
6 all you count is what happened at a point of level
7 one, and how much inventory remaining in RPV. That's
8 the piece measurement, because the level one is 4
9 meter above the top active fuel. Now, at that point,
10 ADS open, and pretty sure memory, SRV to PV open, look
11 like a large break -- everything fresh, and then go
12 through DPV, we call the suppression pool, then the
13 RPV lose inventory that way.

14 MR. WALLIS: So it doesn't matter how big
15 the break is, as long as ADS opens.

16 MR. CHEUNG: No, it doesn't matter how big
17 is it, but it matters in the sense that when the level
18 one trip, now 100 percent it trip at 500 seconds. If
19 smaller break, then the level one trip keep pushing
20 out.

21 CHAIRMAN CORRADINI: So you're losing
22 inventory. That's your point.

23 MR. CHEUNG: No, at the point where level
24 one, the inventory is about the same. But the decay
25 heat different. At the time, also the system pressure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is different, say 500 second to decay heat, and so and
2 so, 600 second to decay drop. The system pressure
3 drop because you have a break anyway, so the way the
4 fresh, or blow-down, or the DPV or SRV lose --

5 MR. WALLIS: It shouldn't matter very
6 much, once you open ADS everything is the same.

7 MR. CHEUNG: Everything is the same, but
8 the point is initiation point --

9 MR. WALLIS: It shouldn't matter much at
10 all.

11 CHAIRMAN CORRADINI: So it's the delay
12 time.

13 MEMBER BANERJEE: I still don't understand
14 it.

15 MR. CHEUNG: Because at level one 500
16 second, the decay heat, the system pressure is
17 observed. At 600 second, the decay is lower, the
18 system pressure is lower. On these two case,
19 everything blow up, that means either lower decay
20 heat, lower system pressure, the inventory lost will
21 be less.

22 MR. WALLIS: Before all the things happen.

23 CHAIRMAN CORRADINI: The inventory loss
24 will be less.

25 MR. CHEUNG: And that means --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: For a smaller break,
2 you're getting more --

3 MR. CHEUNG: Smaller break, that means the
4 level one trip would be further, further out.

5 MEMBER BANERJEE: But it's going to be at
6 the same level. Right?

7 MR. CHEUNG: No. And ADS timing is
8 different.

9 CHAIRMAN CORRADINI: That's right. That
10 we got.

11 MR. WALLIS: That's what this is.

12 CHAIRMAN CORRADINI: And so let's just say
13 it out loud. So if at 100 percent break it's at time
14 one, and at 50 it's time two, time two is longer than
15 time one.

16 MR. CHEUNG: Much longer.

17 CHAIRMAN CORRADINI: Therefore, what's
18 different, the amount of inventory left in the --

19 MR. CHEUNG: After the DPV open.

20 CHAIRMAN CORRADINI: Okay. All right. So
21 it's the inventory remaining. Okay.

22 MEMBER BANERJEE: What trips the ADS
23 system?

24 MR. CHEUNG: Level one. Four meter above
25 the top of the fuel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: But you were going to
2 do it for smaller -- so eventually it turns around and
3 all is good. Right?

4 MR. CHEUNG: Yes.

5 CHAIRMAN CORRADINI: Okay.

6 MR. CHEUNG: And we have gauges.

7 MEMBER BANERJEE: Do you understand it?

8 MR. WALLIS: Yes. They tell you that it's
9 --

10 MR. WANG: Another open item is basically
11 one category showed GD air line break, 80 percent is
12 the most limiting using nominal, but for 100 percent
13 size break, the most limiting for the bounding
14 condition, and the staff is asking what's basically
15 the reason. And the next one is, basically, staff is
16 asking GEH to perform SLCS, standby liquid cooling
17 system line break long-term results, with a worst
18 single failure.

19 Conclusion. Basically, from the
20 calculation results, the results show that the core is
21 covered in all LOCA, and preliminary staff calculation
22 also confirmed GEH's analysis. And there are major
23 open items. This concludes my presentation.

24 MR. WALLIS: Are there any showstoppers?
25 Are there really serious open items, or are these just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 tidying up the details, as we heard this morning?

2 MR. WANG: Basically, it's detail, but GE,
3 I don't know if you have a solution for this
4 uncertainty.

5 MS. CUBBAGE: But that's not a technical
6 issue.

7 MR. WANG: That's not technical.

8 MR. WALLIS: I thought they were going to
9 just bound it, instead of doing uncertainty analysis.
10 They just bound it.

11 CHAIRMAN CORRADINI: It's in the mail.

12 MR. MARQUINO: Well, Professor Wallis,
13 you're basically right. When we submitted the
14 application methodology, we looked at the important
15 parameters, and we set a set of very important
16 parameters at limiting values, and we call that our
17 bounding analysis, and we still have a meter and a
18 half of water level. But we did not do a 95-95 Monte
19 Carlo analysis on PCT, because the PCT is down like
20 the initial temperature of the fuel, and the
21 acceptance criteria is 2200 degrees.

22 MR. WALLIS: I'm saying it's absurd to use
23 those rules.

24 MR. MARQUINO: So we will respond to the
25 staff's --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WALLIS: I thought you were doing an
2 uncertainty analysis on the level.

3 CHAIRMAN CORRADINI: Yes, that's what they
4 told -- so, thank you very much.

5 MR. WANG: Thank you.

6 CHAIRMAN CORRADINI: So I'll turn to Amy
7 and Jim, so I understand that there is a --

8 MS. CUBBAGE: They actually have some
9 slides, so why don't we let GE take the table, and
10 talk about vacuum breakers.

11 CHAIRMAN CORRADINI: So all you vacuum
12 breaker folks.

13 MR. UPTON: Let me make one correct. What
14 we'd like to do is not present slides, but I'm open
15 for any questions and clarifications.

16 MR. WALLIS: No pictures?

17 MR. UPTON: The picture --

18 CHAIRMAN CORRADINI: He got you there. He
19 got you.

20 (Laughter.)

21 MEMBER BANERJEE: We're really
22 disappointed.

23 MR. UPTON: Well, we can discuss -- it's
24 in the DCD, a rough sketch of what the vacuum breaker
25 looks like.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: No pictures and no data, it's
2 no good.

3 MR. UPTON: Oh, no.

4 (Laughter.)

5 MEMBER BLEY: When you -- earlier you said
6 you can live with a vacuum breaker stuck open for a
7 period of time. Can you tell us a little more about
8 the period of time, and how effective is your passive
9 cooling system under that --

10 MR. UPTON: What we've seen, and I think
11 we have an analysis that shows, say for a two square
12 centimeter leak, you have containment pressure and
13 temperature is increasing, the delta P between the
14 drywell and the wetwell is increasing at a steady
15 rate. That period of time, if and when we see that we
16 have zero DP between the drywell and the wetwell, and
17 we isolate one of the vacuum breakers, it just re-
18 establishes, it's basically another equilibrium state
19 within the containment. So we have -- and so the
20 change is within -- I mean, at 72 hours, that's when
21 we see containment pressure even with excess leakage,
22 so we think we've got time to operate, or even
23 manually isolate if we had to.

24 MR. WALLIS: Do these vacuum breakers have
25 some sort of seal material in them?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. UPTON: Yes. If you'd like, I can
2 walk you through what we have done on the vacuum
3 breaker.

4 CHAIRMAN CORRADINI: Yes. It's in Chapter
5 4, is it not?

6 MR. UPTON: It's in Chapter 6, isn't it?

7 MEMBER SIEBER: Six.

8 CHAIRMAN CORRADINI: Six, 228.

9 MR. UPTON: Right. It's in Chapter 6.

10 (Off the record comments.)

11 MR. UPTON: If I might, I might give you
12 some of the history. The vacuum breaker design itself
13 was developed during the SBWR program, which is the
14 precursor to the ESBWR program. There was an
15 extensive design and development program that went
16 into it.

17 CHAIRMAN CORRADINI: Page 250.

18 MEMBER SIEBER: About two-thirds of the
19 way down.

20 MR. UPTON: And, as a matter of fact, the
21 prototype testing on the valve --

22 MS. CUBBAGE: This is the sensitive
23 version, so I'd like to search right to it. If you
24 have a number, do you have a figure number?

25 CHAIRMAN CORRADINI: Page 250, 6.2-28.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: That's the figure number,
2 but the page is like 250 or something like that.

3 CHAIRMAN CORRADINI: The page is 250, yes.
4 One more time.

5 MS. CUBBAGE: It's thinking.

6 CHAIRMAN CORRADINI: There you go. There
7 it is. Okay.

8 PARTICIPANT: Somebody explain to us how
9 that thing works.

10 MR. UPTON: Right. Okay. Now, first of
11 all, let me state that what's not shown on this figure
12 are the exhaust screens, which are flanged. You see
13 the flange connections on the valves. I'll get into
14 that in a minute, but -- I could go up with a pointer.

15
16 MR. WALLIS: It's just a weight that jumps
17 up and down?

18 MR. UPTON: That's basically what it is.

19 MR. WALLIS: What's the point for?

20 MR. UPTON: Let me give you some
21 background. The vacuum breaker was developed
22 specifically for the SBWR program. Okay? And the
23 development was completed in like July of 1994. Okay?

24 It was docketed under the SBWR program in response to
25 an RAI. There was a complete test and development

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 program done.

2 Now, I'll walk you through. It's a very
3 simple passive device. First of all, what's not shown
4 on here, there will be a debris screen underneath the
5 vacuum breaker, where the screen itself is sized for a
6 minimum particle.

7 The unique feature about this vacuum
8 breaker basically is the fact that we've got two
9 seats. You've got a non-metallic seat, and you've got
10 a hard seat. Okay? So the non-metallic seat is an
11 elastomer seat, which gives you extremely tight --

12 MR. WALLIS: That's an O-ring-like thing
13 that goes around --

14 MR. UPTON: Yes. So the vacuum breaker,
15 as tested, is effectively bubble tight. It lists just
16 a disk. It has an anti-chatter ring here, basically,
17 it's an increased area that once it opens up at half a
18 PSID, will force the vacuum breaker up. But it opens
19 at half a PSID to relieve pressure between the drywell
20 and the wetwell, when you have a vacuum, either during
21 the GDCS quenching phase, or during -- if you decide
22 to use drywell spray and create a vacuum in that
23 region.

24 MEMBER BANERJEE: So it's just that weight
25 which determines what --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. UPTON: That's correct. It's just the
2 weight, the weight of the disk, the weight of this
3 disk determines the valve set point. Now, when we
4 tested it, we tested -- a full-scale prototype was
5 built. It was tested in FIAT in Italy in a full-scale
6 test facility. We did -- we aged the valve, we did
7 thermal aging, we did dynamic aging, we tested for
8 seismic conditions, we radiation-aged it, radiation-
9 aged the seal, then we did as-built testing on the
10 valve before we started. We did performance testing
11 on the valve, and then we did reliability testing on
12 the valve.

13 MR. WALLIS: How about those bearings?
14 What's in the bearings? Is this metal-on-metal?

15 MR. UPTON: I'd have to go back and look
16 at the specifics of what the bearing is.

17 MR. WALLIS: What you worry about is
18 bearings getting jammed up or something? It doesn't
19 take much to jam a bearing.

20 MR. UPTON: Right. And that's -- one of
21 the things we did was we looked at okay, what is the
22 expected debris into the valve over a 60-year life, so
23 what we did is ingest a lot of basically grit,
24 sandblasting grit.

25 MR. WALLIS: Which ought to go right

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 through the thing, but if grit gets in the bearing --

2 MR. UPTON: Well, what we did is we coated
3 the inside of the valve with oil so that it would
4 stick. And then after we ingested two pounds of
5 sandblasting grit, we cycled the valve for 3,000
6 times, and basically had no failure.

7 CHAIRMAN CORRADINI: What is the position
8 indicator for this valve?

9 MR. UPTON: What you have, you've got
10 proximity switches in the seat area here, which
11 determines where the seat is. There's four of them
12 located. You can operate with one failed, and that
13 will give you sufficient indication to determine -- in
14 the original design, they were sufficiently sensitive
15 enough that even if you had a particle on the seat,
16 you would determine how much area --

17 MEMBER BANERJEE: What principle does the
18 proximity sensor work from?

19 MR. UPTON: It's just the proximity of
20 metal, and it gives you a voltage output.

21 MEMBER BANERJEE: Capacity --

22 MR. UPTON: I think so.

23 MEMBER BLEY: Is the only thing that moves
24 that little round disk --

25 MR. UPTON: This disk here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: There's no guides for it.
2 It's just --

3 MR. UPTON: No, this is the guide here.
4 This is the guide here. There's a bearing here, and
5 there's a bearing here.

6 MR. WALLIS: The shaft moves up and down.

7 MR. UPTON: The shaft moves up and down.

8 MR. WALLIS: Grit might not hurt you. I
9 mean, what hurts a bearing is very, very fine
10 particles or corrosion inside the bearing, usually
11 there's a small clearance in the bearing. I don't
12 know what you've got in there at all, but it doesn't
13 take much if you've got a tight clearance in a bearing
14 to prevent it from moving.

15 MEMBER BANERJEE: Depends on what bearing
16 they're using.

17 MR. WALLIS: Yes, I know.

18 MEMBER BANERJEE: What is it?

19 MR. UPTON: I'd have to go back and review
20 exactly what we're using in the bearing. I don't
21 recall. It's been a while.

22 CHAIRMAN CORRADINI: So now just one
23 thing. You said you tested this under the SBWR
24 program, so is the design in the ESBWR just more of
25 the same, or larger?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. UPTON: It's identical. It's an
2 identical valve.

3 CHAIRMAN CORRADINI: Same number, there's
4 four.

5 MR. UPTON: Same number, there's just --
6 no, just same number, same size valve. It's
7 identical. We had three on the ESBWR or on SBWR, and
8 we've got three on ESBWR.

9 VICE CHAIRMAN ABDEL-KHALIK: You said the
10 original position indicator was very sensitive.

11 MR. UPTON: Yes.

12 VICE CHAIRMAN ABDEL-KHALIK: What is the
13 sensitivity of the current position indicator, and
14 what --

15 MR. UPTON: Well, after the testing, we
16 used proximity probes during the testing on SBWR.
17 Okay? There was some drift associated with those
18 proximity probes, so they recommended after the
19 testing that we use proximity switches, which are
20 basically the same thing, the same technology. It
21 just shows you whether the disk is in contact or not.

22 So we haven't actually -- in an actual production
23 valve, we may look at those sensors and say well,
24 maybe we can get more accurate proximity probes that
25 don't drift. We haven't gotten there yet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN ABDEL-KHALIK: I mean, the
2 reason I'm asking is, can these things be not quite
3 closed, but would give you an indication that they are
4 closed?

5 MR. UPTON: That is not possible with the
6 proximity sensors themselves, because it's based on
7 the location of where the disk is, you have a voltage
8 output, and so you would have some --

9 MEMBER SIEBER: You've got some
10 calibration error.

11 MR. UPTON: That's true, there will be
12 calibration error.

13 MEMBER SIEBER: It may be open a little
14 bit. One of the things that's important is that that
15 valve is normally closed.

16 MR. UPTON: Right.

17 MEMBER SIEBER: And if you're worried
18 about debris, and the valve is normally closed, the
19 amount of debris accumulation is pretty small.

20 MR. UPTON: And the filter, the discharge
21 filters that we designed basically have a cover over
22 the top of the filter, and the discharge port is below
23 it, so any LOCA debris would not actually get into or
24 on to the seat. That's by design.

25 VICE CHAIRMAN ABDEL-KHALIK: How much of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 gap would give you a one centimeter square area?

2 MR. UPTON: The discharge holes on the
3 exhaust screen are .9 millimeters.

4 VICE CHAIRMAN ABDEL-KHALIK: No, no. How
5 much of the field gap on the seat?

6 MR. UPTON: On the hard seat, even if you
7 had a particle on the hard seat, the soft seat still
8 seals, so we did do testing for various particle sizes
9 at FIAT to determine at what size would fail it. And
10 I have the report here.

11 MEMBER BANERJEE: Could you give us the
12 diameter of the circle which the O-ring makes, we can
13 calculate it.

14 MS. CUBBAGE: I think you're answering a
15 different question than was asked. They want to know
16 how much --

17 VICE CHAIRMAN ABDEL-KHALIK: How much
18 would it have to rise to equal --

19 MEMBER BANERJEE: Just give us the
20 diameter.

21 MR. UPTON: Oh, oh, oh, oh. I don't have
22 that off the top of my head.

23 MEMBER BANERJEE: Give us the diameter.
24 How big is it?

25 MR. UPTON: Well, the diameter of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 valve is 24 inches. Okay?

2 MEMBER SIEBER: Manholes. A person --

3 MEMBER BANERJEE: Sixty centimeters.

4 MR. WALLIS: Sixty centimeters, yes.

5 MR. UPTON: Part of the --

6 (Off the record comments.)

7 MR. UPTON: As I said, the test report for
8 the vacuum breaker was docketed under the SBWR
9 program, so it was in response to an RAI on the SBWR
10 program, and we have the docket number, and the MFN
11 letter that it was transmitted under. And as part of
12 that testing, we used -- we did look at particles on
13 the hard seat, and to see what the leakage rate would
14 be.

15 MEMBER SIEBER: No chance for it to rattle
16 or get --

17 MEMBER BANERJEE: One two-hundredth of a
18 centimeter.

19 MR. WALLIS: 10,000 over 200.

20 MS. CUBBAGE: Were there any other points
21 you wanted to make?

22 MR. UPTON: I guess the other point is
23 that what we're currently going to do is put in an
24 isolation valve with -- basically bubble tight
25 isolation valve, with a scotchlogarp operator nitrogen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 supplied solenoid actuated. That's the current
2 reference configuration, so that not only do we have a
3 vacuum breaker that's extremely leak tight, but you've
4 got an isolation valve which is also extremely leak
5 tight, or bubble tight.

6 MR. WALLIS: So human error in there would

7 --

8 VICE CHAIRMAN ABDEL-KHALIK: It's 2 mils.

9 MEMBER BLEY: If it's uniformly open.

10 CHAIRMAN CORRADINI: I guess I want to ask
11 one other thing about the proximity switch, or
12 proximity whatever they are. So are they all around
13 the whole circumference of the manhole, or are they in
14 precise positions?

15 MR. UPTON: There are four, basically one
16 in each quadrant.

17 MEMBER SIEBER: Ninety degrees apart.

18 MR. UPTON: Ninety degrees apart. Now
19 there's nothing that says we can't add additional
20 proximity probes. It was just that four was felt to
21 be sufficient to detect the seat not fully seated.

22 CHAIRMAN CORRADINI: And now let's talk
23 about bypass leakage, the opposite direction. That
24 would be the path the bypass leakage in the opposite
25 direction, through an unseated valve this way. Yes?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. UPTON: Right. Right.

2 CHAIRMAN CORRADINI: So what's the weight
3 of the piston or the cylindrical thingamabobber in the
4 middle?

5 MR. UPTON: You'd have to calculate it.
6 It lists at half a PSID. I don't recall exactly what
7 the weight is.

8 CHAIRMAN CORRADINI: I guess what I --
9 maybe I should ask the question in a bit different
10 way. When you say it's tight, do you design it to
11 have a certain weight to cause it to essentially seal
12 on the hard seal? I don't understand the soft seal.
13 I understand the hard seal. How is it sealing on the
14 soft seal above it?

15 MR. UPTON: Not above it. In other words,
16 you've got a hard seat here, and then in addition to
17 that, you've got an elastomer seat.

18 CHAIRMAN CORRADINI: Oh, in the middle as
19 an O-ring.

20 MR. UPTON: Yes, as an O-ring.

21 CHAIRMAN CORRADINI: That's this little
22 black square?

23 MR. UPTON: Right.

24 CHAIRMAN CORRADINI: Okay. Thank you.

25 MR. UPTON: Right. Right. Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: Why does it have to be -
2 -

3 MEMBER SIEBER: The weight of the disk is
4 determined by how much pressure you want to have --

5 MR. UPTON: There is a certain relief area
6 that's required, and I think it was 1.04 foot squared,
7 so that defined the size of the valve. We could have
8 done it by multiple valves.

9 MEMBER BANERJEE: How many of these do you
10 have?

11 MR. UPTON: Three, we have three valves.
12 We only need one, so it's like an N minus 2 type
13 situation.

14 MEMBER MAYNARD: You really end up with
15 quite a bit of force trying to shut it. I mean, the
16 size of that valve, even fairly small differential
17 pressure is going to be a lot of force.

18 MEMBER SIEBER: That disk is probably 30
19 or 40 pounds, too. You have to have enough force to
20 lift it, and that's -- the weight of the disk
21 determines when it's going to trip.

22 MR. UPTON: Right.

23 CHAIRMAN CORRADINI: It's a manhole.

24 MR. UPTON: Right, that's what it is.

25 CHAIRMAN CORRADINI: It's a manhole.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. UPTON: And the reason we went this
2 way is it doesn't have the same problems that the
3 swing checks had. You don't have -- you've got all of
4 the force of gravity working on this plate, basically,
5 to seal it, and it's sealed uniformly.

6 MEMBER MAYNARD: Now when you want it
7 shut, it's got a lot of force shutting it. When you
8 want it open, it ends up --

9 MR. UPTON: A lot of force opening it.

10 MEMBER SIEBER: Right. And it goes to the
11 top.

12 MEMBER BLEY: How wide is the seating
13 surface?

14 MR. UPTON: I've got the detail example
15 drawing. It's about --

16 CHAIRMAN CORRADINI: It's probably an
17 inch.

18 MR. UPTON: Yes, it's an inch and a half,
19 an inch.

20 MEMBER BLEY: That's what it looks like.

21 MEMBER BANERJEE: It's a big valve.

22 MR. UPTON: It's a big valve.

23 VICE CHAIRMAN ABDEL-KHALIK: So how tight
24 is the clearance on the vertical rod that's providing
25 guidance for this valve?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: It's the bearing we're
2 talking about.

3 MR. UPTON: On the bearings?

4 VICE CHAIRMAN ABDEL-KHALIK: No, just --
5 how tight -- in other words, to answer the gravity
6 question, can this valve actually be partially seated
7 because it's crooked?

8 MR. UPTON: The tolerances on the bearings
9 are pretty tight, so we maintain the configuration,
10 that is up and down. And I have to -- I don't have
11 the assembly drawing with me. We can get you those
12 numbers, because we have an assembly drawing that the
13 valve was built by, and the tolerances are -- I don't
14 want to guess. I'll get you the --

15 VICE CHAIRMAN ABDEL-KHALIK: Well, this
16 may sound like a lot of detail, but when you figure
17 out that it takes only 2 mils of a gap to give you one
18 square centimeter of a leakage area, then you start
19 worrying about things, how aligned is this valve,
20 whether or not -- if you've got so many of them, you
21 can actually add up to one centimeter square.

22 MR. UPTON: Yes, but the elastomer seal is
23 very forgiving, too. In other words, you've got not
24 only a hard seat, only if the hard seat didn't meet --
25 -- if I had a single seal, yes, I'd be concerned,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 because then a particle on the hard seat would then,
2 indeed, give you leakage. But the elastomer seat is
3 very forgiving. And, as a matter of fact, what we've
4 seen is even if we have particles on the hard seat,
5 the elastomer seat seal is still within tolerance. I
6 mean, it's less than point zero -- well, it's
7 extremely leak tight. And, again, in the testing that
8 we did in Italy, we looked at that. And we looked at,
9 okay, what is the leakage rate if we have something on
10 the seal?

11 (Simultaneous speech.)

12 MEMBER BLEY: Is there a test report?

13 MR. UPTON: Yes, there is a test -- and
14 that's what I was saying. On the SBWR docket in 1994,
15 the entire test report was supplied. As part of an
16 RAI response, we plan on also -- on ESBWR we will also
17 provide that.

18 MEMBER BANERJEE: Is there a program --
19 you know, these are basically polymers. Right? Your
20 elastomer.

21 MR. UPTON: Yes.

22 MEMBER BANERJEE: So they're going to age.

23 MR. UPTON: Yes, six years.

24 MEMBER BANERJEE: Yes. So the question is
25 how often do you change them out?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. UPTON: We change it out six years,
2 about.

3 MR. WALLIS: You check it out actually
4 every outage or something like that?

5 MR. UPTON: Yes. We will be -- the plan
6 is that every refueling outage, you will confirm the
7 leak tightness of the valve by local leak rate test.

8 CHAIRMAN CORRADINI: But you'll cover it
9 with a housing --

10 MR. UPTON: Basically, take off the
11 discharge ports, add flanges, and then pressurize over
12 the seat, and do a pressure decay to confirm that it's
13 not leaking.

14 CHAIRMAN CORRADINI: I'm sorry. One
15 question about -- so you said it's on the SBWR, but
16 this is not the design on the ABWR.

17 MR. UPTON: No, it is the design on the AB
18 ---- it's identical. They're identical.

19 CHAIRMAN CORRADINI: It is, on the ABWR?

20 MR. UPTON: Oh, no, I'm sorry. I'm sorry.
21 No, it's not the ABWR. On the ESBWR it is identical.

22 CHAIRMAN CORRADINI: Right. I understand.

23 MR. UPTON: Yes.

24 MEMBER MAYNARD: How often, if ever, will
25 these actually be exercised?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. UPTON: I think the calculation
2 predicts 37 times.

3 MS. CUBBAGE: Tested.

4 MEMBER MAYNARD: No, I mean tested. I'm
5 sorry, tested.

6 MR. UPTON: Oh, when we tested it, we
7 cycled it 3,000 times plus.

8 MEMBER MAYNARD: No, I'm talking about
9 during normal -- my concern isn't debris getting in
10 there and stuff. It's a type of corrosion build up or
11 something that's sitting there over a long period of
12 time, and maybe 10, 15 years after this thing has been
13 put in service.

14 MEMBER BANERJEE: Well, they change it
15 every six years, anyway.

16 MR. UPTON: And we're talking about leak
17 rate testing it, and lifting it every outage.

18 MEMBER MAYNARD: Okay. Lifting at each
19 outage. Okay. The leak rate -- okay.

20 MEMBER BANERJEE: And changing out the O-
21 ring.

22 MEMBER MAYNARD: Now that's every six
23 years I think.

24 MEMBER SIEBER: How do you lift it?

25 CHAIRMAN CORRADINI: Carefully.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. UPTON: Yes, carefully.

2 MEMBER SIEBER: There's no handle any
3 place.

4 MR. UPTON: We haven't worked that out
5 yet, but the thinking is that you'll have something
6 that will grab onto the stem of the valve and just
7 lift it. Or you can come in through the top of the
8 valve here, and lift the stem.

9 MEMBER BLEY: The only thing looks just a
10 little funny to me, the stem -- given this is a
11 manhole cover, the stem is real skinny.

12 MR. UPTON: Well, this may not be
13 representative of the actual valve.

14 MEMBER BLEY: I'm just thinking about some
15 kind of bending moments on there, when it -- does it
16 bang open?

17 MR. UPTON: We can provide the staff the
18 actual assembly drawing of the valve.

19 MS. CUBBAGE: Right. And we'll be getting
20 that test report, and we'll send it to you guys.
21 There's one more presentation, so if you want to get
22 to that, we probably ought to --

23 CHAIRMAN CORRADINI: Yes, we do.

24 MS. CUBBAGE: So we'll send it.

25 CHAIRMAN CORRADINI: Are we done torturing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Mr. Upton?

2 MR. UPTON: Is that it, all these
3 questions?

4 CHAIRMAN CORRADINI: So just to repeat
5 about the one thing you said, just all kidding aside.
6 So you're planning to take the test program and give
7 it back to the staff under the ESBWR --

8 MR. UPTON: Docket.

9 CHAIRMAN CORRADINI: -- docket.

10 MR. UPTON: Yes.

11 CHAIRMAN CORRADINI: Thank you.

12 MR. UPTON: That's true.

13 CHAIRMAN CORRADINI: Okay. And then we
14 could look that --

15 MEMBER BLEY: WE can look at anything we
16 want, but it's already filed on the SBWR docket.

17 MR. UPTON: Yes. In other words, we could
18 ---- I've got the docket number, the MFN letter that
19 it was transmitted under. You can get access to it --

20

21 CHAIRMAN CORRADINI: Pass that to Amy.

22 MEMBER BANERJEE: This was done in a steam
23 --

24 MR. UPTON: Yes.

25 MEMBER BANERJEE: Where, in Kachensa, or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 where was it?

2 MR. UPTON: Fiat. Now the cycling test,
3 the reliability test was an air test. But the valve
4 performance test was done at full speed.

5 (Off the record comments.)

6 DR. WHITE: Are we ready?

7 CHAIRMAN CORRADINI: Go ahead.

8 DR. WHITE: Hi, I'm Dr. Frostie --

9 CHAIRMAN CORRADINI: Oh, I'm sorry.

10 DR. WHITE: We're going to go into light
11 topics today, since we had so many wide ones over
12 there. I'm Dr. Frostie White, and I'm the lead
13 license engineer for the transient analysis, and we
14 have submitted a topical report on feedwater
15 maneuvering over the past month. It's under review
16 right now. We've had a couple of presentations with
17 th staff, and we thought it would be appropriate to
18 present this also to the ACRS.

19 Dr. Pradip Saha will be our presenter, and
20 go through how we looked at the analyses, and I will
21 caution, if we get into some topics related to the
22 actual feedwater controller, we may have to go into a
23 closed session, because we are under a patent review
24 right now for our feedwater control. Dr. Saha.

25 DR. SAHA: Okay. As Dr. White mentioned,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm Pradip Saha, and I work for GE Nuclear Energy.
2 I'm a principal engineer in the ESBWR engineering
3 team. And I know it's late, but I'm sure everybody is
4 awake. Right? You're all interested to hear this.

5 CHAIRMAN CORRADINI: We're all interested.

6 DR. SAHA: That's right. Professor
7 Wallis, and Sanjoy, and you, Mike. Anyway, so what I
8 will do, basically, I will just give you the concept
9 and the overview of this feedwater temperature control
10 system, and the operating domain. We have developed a
11 new operating domain, because this morning we have
12 heard, and it is rightly, that for the operating BWR
13 reactors, we have two nice features. One is, of
14 course, the control rod movement, and another is the
15 cold flow changes. And in the ESBWR again this
16 morning, we heard - we saw, even though now, of
17 course, the natural circulation core quality is quite
18 good, but it is really just a function of power, so
19 there is no other method to change the reactor power
20 other than the control rod motion. So, basically, our
21 objective of this work is to develop a metric similar
22 to cold flow control in operating BWRs. But this is
23 additional to the control rod movement much like in
24 operating reactor. And this is desired for ESBWR
25 operational acceptability.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER ARMIJO: Is it GE's intent to make
2 this an integral part of the design certification?

3 DR. SAHA: Yes.

4 MEMBER ARMIJO: Okay.

5 DR. SAHA: Right. Okay. So we actually
6 assembled a team about a year ago, maybe a little bit
7 more than one year ago. We assembled a team, a multi-
8 disciplinary team of experts, and the experts were
9 from nuclear analysis area, balance of plant area,
10 implementation and control, mechanical design, safety
11 analysis, and reactor operation. And all these
12 experts, they had combined probably 200, maybe 300 man
13 years of experience in nuclear industry. And they're
14 all highly respected in their own field. And we
15 looked into -- this team, actually, looked into
16 various methods, and then finally, we decided on this
17 feedwater temperature control. And this slide shows
18 three bullets, and I'm more accustomed, and more at
19 ease standing up, and using my pointer. This is good.
20 This is all Spanish pointer that we used to use at
21 NRC in meetings 20 years ago.

22 Okay. So these are three bullets, is that
23 what we did, we reconfigured our feedwater heaters.
24 Actually, we did it such that we have now seven
25 feedwater heater. It's the high pressure. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 basically brought one from the low pressure feedwater
2 heater, but, of course, now this is a high pressure
3 feedwater heater. And we allow, when we want, to have
4 steam from the main steam bypass header, which is, of
5 course, high pressure, and high temperature, to
6 increase the final feedwater that is going into the
7 reactor vessel. Okay?

8 And this seven feedwater heater is sized
9 such that the feedwater temperature will increase at
10 the right condition by 66 degree Fahrenheit, so from a
11 nominal temperature, feedwater temperature of 420
12 degree Fahrenheit, it will go to 400 -- maximum of 486
13 degree Fahrenheit. And that lowers the reactor power,
14 if the reactor were at 100 percent power, lowered by
15 about 15 percent, or 85 percent rated power. Low
16 insertion of control rod, control rod pattern stays
17 the same. We just increase the feedwater temperature,
18 and the power goes down.

19 DR. WHITE: This makes more voids in the
20 core.

21 DR. SAHA: Yes, no. The reason is here,
22 Professor Wallis. What happens when we increase the
23 feedwater temperature, and our circulation water is,
24 of course, in the saturation, that drops the core
25 inlet temperature somewhat. Okay? Maybe by one-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fourth of whatever increase we are doing. It
2 increases the temperature, so that drops the volume
3 boundary, so more parts in the core, and, again, avoid
4 the activity feedback. That brings the power down.

5 MEMBER BANERJEE: Are there any stability
6 implications of this?

7 DR. SAHA: Well, we have done stability
8 analysis. I will come to that. Well, first of all,
9 this presentation is supposed to be just an overview.
10 I have only five slides. And as staff has mentioned
11 many times during the whole day, that there has been,
12 one, an EDO report is a Class I report, an EDO 3338.
13 This is a 400-page document, and it has got all the
14 stability, AOs, and infrequent event analysis, LOCA
15 analysis, everything.

16 VICE CHAIRMAN ABDEL-KHALIK: Now your
17 circulation ratio at full power is about 6.

18 DR. SAHA: I think one is to 4, because --

19

20 VICE CHAIRMAN ABDEL-KHALIK: How much?

21 DR. SAHA: One is to 4, about one is to 4.

22 VICE CHAIRMAN ABDEL-KHALIK: Four?

23 DR. SAHA: Four.

24 VICE CHAIRMAN ABDEL-KHALIK: About four.

25 So you mean the average quality at the top of the core

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is 25 percent?

2 DR. SAHA: About 20, 25 percent, because -
3 -

4 VICE CHAIRMAN ABDEL-KHALIK: That is
5 inconsistent with what we heard --

6 DR. SAHA: Okay. Let me -- if we go back,
7 if we go to say feedwater flow or steam flow, and the
8 core flow rate, if I remember, there is a table in DCD
9 4.4-1, that has feedwater flow rate, steam flow rate,
10 2,000, a little bit more than 2,000 kg plus --

11 CHAIRMAN CORRADINI: 2400 is a steam flow
12 about 10,900 is your --

13 DR. SAHA: That's right. That's about one
14 is to 4. Right?

15 VICE CHAIRMAN ABDEL-KHALIK: Okay. So
16 what is your circulation ratio at 85 percent power at
17 this lower feedwater temperature?

18 DR. SAHA: Okay. Again, this -- the EDO
19 3338 has that table, again. And that shows that
20 number. I don't exactly remember the number, but the
21 number is there. It's not much different. Bigger
22 code, the circulation flow rate goes up a little bit,
23 goes down, because now we have a little bit higher
24 void fraction.

25 Anyway, so this is basically an opposite happens if we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 defeat the feedwater temperature.

2 DR. ALAMGIR: This is Dr. Alamgir from
3 GEH. I did the evaluation of condition at high
4 temperature. It's about the same, four to one.

5 DR. SAHA: Thank you.

6 MEMBER ARMIJO: Just for clarification, by
7 this technique you can -- at any power level you can
8 move plus, with a 15 percent range of that stated
9 power just by this changing the feedwater temperature?

10 DR. SAHA: No, this is from 100 percent,
11 it comes to 85 percent.

12 MEMBER ARMIJO: 85.

13 DR. SAHA: And I have --

14 MEMBER ARMIJO: But going up from low
15 power up.

16 DR. SAHA: Low power up?

17 MEMBER ARMIJO: If you're at 10 percent
18 power, and you want to go up to 30 percent.

19 DR. SAHA: Oh, okay. Now there, actually,
20 again, if you -- I mean, if I can wait for one or two
21 slides.

22 MEMBER ARMIJO: Okay, I'll wait.

23 DR. SAHA: This will be clearer. Things
24 will be clearer. Can we go to the next slide? Okay.
25 So this is a schematic. Again, this is from DCD, in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the DCD 10.1-1, I just took a part of it. The high
2 pressure feedwater heater part. Here you see this is
3 basically the feed pump, the normal feedwater flow
4 line is going like this, and there are two trains,
5 heater number 5, 6, and 7. And the 7, as I said
6 before, the steam comes from the main steam line. And
7 there are valves here and here. It is not necessarily
8 that one wants to increase the feedwater temperature
9 all the time. It's kind of an option.

10 And, also, so feedwater temperature can
11 increase when we allow main steam line to come to the
12 7 heater. Also, you can see there is a bypass line
13 here, and this valve is, of course, normally closed.
14 But if somebody wants to, the operator or the utility
15 wants to reduce the feedwater temperature, they can
16 open this bypass valve, so some feedwater will go
17 unheated, and some other will go heated. And the
18 mixture, temperature here, final feedwater temperature
19 will be lower than the normal. So this is the way we
20 can go high, as well as low in the feedwater
21 temperature. Question?

22 MEMBER BANERJEE: The flow eventually is
23 calibrated for temperature changes?

24 DR. SAHA: Are you going into --

25 MEMBER BANERJEE: The measurement of the -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

-

DR. SAHA: Feedwater flow?

MEMBER BANERJEE: Yes.

MR. MARQUINO: Yes, they are.

MEMBER BANERJEE: You calibrate them over this?

MR. MARQUINO: Yes. We compensate for temperature density variations in the heat balance, and the feedwater flow measurement. VICE

CHAIRMAN ABDEL-KHALIK: So at full power, there is no lead steam going to feedwater heater number 7?

DR. SAHA: At the normal condition --

VICE CHAIRMAN ABDEL-KHALIK: Operation, full power.

DR. SAHA: In the normal operation, feedwater -- yes, okay. In normal operation, there is no steam going into this feedwater heater. There may be just a crack open valve or orifice just to keep these heaters warm.

DR. WHITE: But that would be to reduce your efficiency, presumably, because you're just circulating stuff around that's doing nothing.

DR. SAHA: No. This -- just a little steam will come, and the drain goes to this open heater number 4.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: Doing this, does it
2 affect your cycle efficiency?

3 CHAIRMAN CORRADINI: Not much.

4 DR. SAHA: No, no, no. Actually, the BOP
5 side, the balance of plant side, is designed such that
6 we have maximum thermal efficiency at operating point
7 of 100 percent power and 420 degrees.

8 MEMBER BANERJEE: Yes. I'm asking when
9 you do this --

10 MR. WALLIS: So when you maneuver, you
11 reduce it.

12 DR. SAHA: Yes, we reduce a little bit of
13 efficiency.

14 MEMBER SIEBER: Well, that happens in a
15 normal configuration, too.

16 MEMBER BANERJEE: Yes.

17 MEMBER SIEBER: Once you start to
18 throttle, the valves on the turbine lose some
19 efficiency. But I think you have to go the whole way
20 on this once you increase feedwater temperature.
21 That reduces the core power output, which reduces the
22 steam pressure, and since this is basically a constant
23 pressure device, you have to change the governor
24 valves to get the pressure back up. And so there's
25 more things that happen than just changing the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 feedwater control.

2 DR. SAHA: That's right. Okay. Now, I
3 would like to explain this, take some time and explain
4 this figure, because it shows the similarity and the
5 difference between what we are all familiar with for
6 the forced circulation boiling water reactors. This
7 is the forced circulation side, and this is the
8 natural circulation, the ESBWR side. And here I have
9 got two maps, one is power flow map, this way. And
10 another is power feedwater temperature map this way.

11 MR. WALLIS: It would help if you put the
12 -- on the power flow map, you actually put different
13 feedwater temperatures. That one over there on the
14 right, upper right-hand --

15 DR. SAHA: Yes, what I'm saying --

16 MR. WALLIS: It would help if you put --
17 the upper right-hand one, which has one curve on it,
18 that's for one feedwater temperature. That one on the
19 right upper right.

20 DR. SAHA: Upper right?

21 MR. WALLIS: That's for one feedwater
22 temperature.

23 DR. SAHA: This is for one feedwater, yes.

24 MR. WALLIS: It would help if you had
25 curves of different feedwater temperature in that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. SAHA: Good point. Good point. Okay.

2 What I wanted to say is this, that even for operating
3 reactors, we do have a natural circulation line that
4 was shown this morning, and then because of this cold
5 flow that we have this recirculation of the pump, we
6 have this operating zone. So there are two ways to
7 change reactor power; one is, of course, control rod,
8 another is the core flow. And, originally, of course,
9 GE had this map, and then basically we analyzed
10 further, and we went to higher and higher power. And
11 NRC and ACRS have reviewed all this thing.

12 MEMBER BANERJEE: Total plant you have no
13 plants yet at.

14 DR. SAHA: Not yet at, but they are going
15 towards higher power.

16 MEMBER BANERJEE: Right.

17 DR. SAHA: Okay. So more electricity
18 generation. Okay. Now the lower figure, this column,
19 first column, shows the power feedwater temperature,
20 and this black line, solid line is the normal
21 feedwater temperature versus power. Because as you
22 increase power, of course, more extraction steam, so
23 feedwater temperature also increases.

24 Okay. Now here is this green region, is
25 the feedwater temperature reduction region, and in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 several BWRs, operating BWRs, towards the end of cycle
2 to get to more power out of the core, feedwater
3 temperature has been reduced, maybe by passing
4 feedwater heater. And, again, GE and the utility
5 worked together, and NRC and ACRS have reviewed it,
6 and they have approved this, so we do have operational
7 experience of this region also, feedwater temperature
8 reduction area.

9 Okay. Now let me focus on the right-hand
10 side. Here is the ESBWR, and, again, today many times
11 it was mentioned. It is basically practically in
12 line, and to answer Professor Wallis' question, yes,
13 if we change the feedwater temperature, and it does
14 move a little bit, but, again, we do not get a big
15 region. It is a very, very narrow band, but your
16 point is --

17 MR. WALLIS: But it changes the power a
18 lot, because you're on that vertical path.

19 DR. SAHA: Yes. Because 85 percent, this
20 point will come down somewhere here. But flow doesn't
21 change that much.

22 VICE CHAIRMAN ABDEL-KHALIK: If we go to
23 this lower right corner diagram --

24 DR. SAHA: Yes, this is what I'm coming
25 to.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN ABDEL-KHALIK: At the 85
2 percent power, 486 degrees F, Fahrenheit, if we were
3 to operate at this point, the natural circulation
4 driving head through the core, the difference with the
5 same chimney would be decreased. Correct?

6 DR. SAHA: Again?

7 VICE CHAIRMAN ABDEL-KHALIK: The driving
8 pressure difference --

9 DR. SAHA: Can I have a blow up, the next
10 figure has the blow up.

11 VICE CHAIRMAN ABDEL-KHALIK: Right there.

12 DR. SAHA: Yes.

13 VICE CHAIRMAN ABDEL-KHALIK: Okay.

14 DR. SAHA: So let me explain first, this is the
15 normal power ascension line with no seven feedwater
16 heater, or no steam to the seven feedwater heater.
17 Six feedwater heaters are on line, and we are cooling
18 rods, and we are going this way. And suppose we are
19 here, and now we open the valve to the seven feedwater
20 heater, no change in the control rod pattern, the
21 power goes here.

22 VICE CHAIRMAN ABDEL-KHALIK: So let's look
23 at this dropped power, you've cut power down by 15
24 percent.

25 DR. SAHA: Correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN ABDEL-KHALIK: How much do
2 you cut the flow? How much of the flow decreased?

3 DR. SAHA: Recirc flow? Recirculation
4 flow?

5 VICE CHAIRMAN ABDEL-KHALIK: Right.

6 DR. SAHA: Very little, 2 or 3 percent.

7 VICE CHAIRMAN ABDEL-KHALIK: That's it?

8 DR. SAHA: Yes. There is a table, 4.1-1
9 in NEDO 33338.

10 MR. WALLIS: Because if you'd shown it on
11 the other curve, it would be obvious --

12 MEMBER BANERJEE: It would have been
13 obvious.

14 MR. WALLIS: You've shown it in the other
15 picture, the curves are close together, and the flow
16 doesn't change much, although the power changes a lot.

17 VICE CHAIRMAN ABDEL-KHALIK: So from a
18 stability standpoint, the worst point is still hotter
19 than normal full power operating point.

20 DR. SAHA: Yes. I mean, this is from
21 stability point of view, this is worse than this. But
22 then this morning my colleague has shown you that even
23 for the worst, that regional oscillation, the decay
24 ratio is well below that acceptance criteria of .8.
25 Okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: So the only reason you want
2 to do this is so that you can maneuver without moving
3 the control rods so much.

4 DR. SAHA: Yes, this one. If I may
5 explain, so this is the normal ascension line. Okay?
6 This is where I have given this legend, that
7 feedwater temperature change only, and so this region
8 here, you can do both if you want. Okay? And this is
9 typical. Again, this is not hard and fast, and these
10 are naturally going through evolution. This is a
11 typical start up path. It could be that you come up
12 up to a point where you would like to say reduce power
13 before you maneuver the control rods. So you increase
14 feedwater temperature, you lower power, do your
15 maneuvering. Again, you go to another point, and
16 again you increase feedwater. You can come up to here
17 with your kind of best control rod pattern.

18 MR. WALLIS: The fuel or something, why
19 would you want to do that?

20 DR. SAHA: Yes. This is the operational
21 flexibility, and also easy on the fuel. So then once
22 you come here, then you just drop the temperature
23 again, basically close the valve to the seven
24 feedwater heater, and you come here.

25 VICE CHAIRMAN ABDEL-KHALIK: Normally,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 during start up at low power, don't you bypass the
2 steam directly to the condenser?

3 DR. SAHA: Okay. Here what we're talking
4 about, what you were saying, said this morning, we
5 were talking about this type one oscillation, those
6 are at very low power, maybe only up to 2 percent
7 power. Here we are talking about all this thing we
8 would like to do, if necessary, at higher power, like
9 60 percent power and above.

10 MR. WALLIS: The turbine is not running.

11 DR. SAHA: The turbine is running. It is
12 generating electricity, yes. This is not a low power
13 situation. Low power would be way back --

14 MEMBER BANERJEE: What is the limit at
15 Point A? Is it fuel performance, or what limits you
16 to A?

17 DR. SAHA: There is no limit on Point A.
18 This is our normal --

19 MEMBER BANERJEE: Yes. I mean, why can't
20 -- if you extrapolate the line from Point C to A, to
21 the left-hand side.

22 DR. SAHA: Right.

23 MEMBER BANERJEE: And keep going up --

24 MR. WALLIS: You don't have a license to
25 do that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER BANERJEE: It's called what? No, I
2 know.

3 PARTICIPANT: It's called an uprate, like
4 A Prime up there.

5 MEMBER BANERJEE: So it's a single power -
6 -

7 DR. SAHA: Just like operating reactors do
8 have --

9 MEMBER BANERJEE: It's the fuel, critical
10 power.

11 DR. SAHA: -- rod blocks, so here we just
12 show that, maybe 108 percent or something like that.

13 MEMBER BANERJEE: So A is limited by CPR.

14 MR. WALLIS: It's limited by your license
15 at the moment.

16 CHAIRMAN CORRADINI: Limited by your
17 license, and then if you want to argue that you can
18 make the MCPR, you can go up there. First you have to
19 build one before you go there.

20 MR. WALLIS: Why do you have to ask if you
21 can do this? You can obviously do it. But you have
22 to ask if you can do it, or you just do it?

23 CHAIRMAN CORRADINI: No, but there was --

24 MR. WALLIS: As long as you don't violate
25 any rule.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: Yes.

2 DR. SAHA: The question, of course, are
3 the safety - this is our -- and, as I said, this is
4 also -- we can also lower the temperature, so this is
5 now an operating domain.

6 CHAIRMAN CORRADINI: Somewhere in --

7 DR. SAHA: We did not have really an
8 operating domain.

9 CHAIRMAN CORRADINI: Somewhere in your
10 DCDs you made references a few times, and then in the
11 SER there are discussion about how this control was.
12 In fact, I was trying to understand what -- so this is
13 very helpful.

14 MS. CUBBAGE: No. This is new information
15 that came in this topical, will be officially
16 incorporated in DCD Rev 5.

17 CHAIRMAN CORRADINI: But I thought in
18 Chapter 4 there was some reference to feedwater
19 control.

20 MS. CUBBAGE: In our SE, we alluded to the
21 fact that this had been submitted, but we haven't
22 reviewed it yet.

23 CHAIRMAN CORRADINI: Okay.

24 MEMBER BLEY: The driving force for you to
25 figure this out is easier to control, or the rods are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 easy enough to control. What was driving, why you
2 really want this --

3 DR. SAHA: As I said, driving thing was to
4 have another method of changing power.

5 MR. WALLIS: Why?

6 DR. SAHA: Why?

7 MR. WALLIS: What do you gain by doing it?

8 DR. SAHA: As I said, yes, it is easier on
9 the fuel.

10 MR. WALLIS: It's easier on the fuel.

11 DR. SAHA: Easier on the fuel. Correct.

12 MEMBER ARMIJO: But you've got a very
13 resistant fuel, so unless you were thinking of going
14 to, let's say back to operational techniques to
15 prevent, let's say PCI failures, and reducing the cost
16 of your fuel, maybe it's cheaper to make it, what
17 other benefit is there?

18 DR. SAHA: We want to go to the zero fuel
19 failure as INPO's I think 2010 initiative, so that
20 one of the driving thing now for this.

21 MEMBER BLEY: Your recommendations would
22 be to use the feedwater control for minor changes and
23 maneuvering things to your license, to your customers.

24 Is that right?

25 DR. SAHA: Well --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mEMBER BLEY: Where they can.

2 DR. SAHA: Okay. At 100 percent power, if
3 they want to make some changes, slight changes, that
4 they can with the control rods. There's no problem.

5 MEMBER MAYNARD: I think there are some
6 potential safety benefits to this, too, besides just
7 being good for the fuel. It's good to have a way to
8 make minor power changes without having to do rod
9 repositioning.

10 DR. SAHA: Right.

11 MEMBER MAYNARD: Not only for the fuel,
12 but also just for the core, any time you're
13 positioning control rods, now you're starting to move
14 flex around and things in there, and also, any time
15 you're having to reposition control rods, I believe
16 that this is less susceptible to human error than
17 control rod repositioning is. I'm not sure without
18 taking a better look at it, but I think there are some
19 potential safety reasons, in addition to just easier
20 on the fuel.

21 CHAIRMAN CORRADINI: It's not transparent.

22 MR. WALLIS: It's not transparent. You're
23 controlling with two hands, instead of with one, so it
24 may not be --

25 DR. SAHA: Let me clarify something. Oh,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you want to say something?

2 MR. MOEN: I'm Steve Moen. I worked with
3 the team that developed this. I think it was very
4 well stated over here that one of the big drivers for
5 this is to provide additional operating flexibility.
6 It gives the operators an extra knob that they can
7 turn to control the reactor.

8 The initial driver was to reduce the duty
9 on fuel, given that fuel still has -- experiences duty
10 failures on occasion. They're very, very low today,
11 but we wanted to reduce the possibility of that to the
12 absolute minimum. And what this does is it allows us
13 to bring the power down far enough, we can get out of
14 the region where we can have duty-related failures.

15 MR. MARQUINO: Steve, you may want to
16 clarify that's related to pattern exchange.

17 MEMBER SIEBER: It's big control rod
18 movements that give you PCI failures. This avoids
19 this. On the other hand, a commercial nuclear power
20 plant, when you start it up, at least I was in charge,
21 started up from the first day after fueling, and you
22 shut it down the day before you refuel the next time.

23 This would be okay, if we had nothing but nuclear
24 power plants, and some of the --

25 CHAIRMAN CORRADINI: I was going to say,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the thing that --

2 MEMBER SIEBER: They're the cheapest thing
3 out there, so they run them at 100 percent power all
4 the time, except when you have to do rod swaps.

5 DR. SAHA: Right.

6 MEMBER MAYNARD: There are times when you
7 have good stability issues, maybe totally unrelated to
8 your plant, that you have to make a power reduction,
9 so the plants have restrictions on that. You may have
10 to come down to 90, 85 percent power, so --

11 MEMBER SIEBER: Or your transmission
12 system operator.

13 MR. UPTON: This is Hugh Upton, GEH. One
14 of the other considerations is that you have to do
15 control rod pattern change-outs during the cycle, so
16 this also allows you to do that without over-stressing
17 the fuel.

18 MEMBER SIEBER: Yes, you're still going to
19 put some stress on it. It's just not going to be as
20 much. You're moving the power around in the core.

21 MEMBER BANERJEE: You can also go to the
22 green region.

23 MR. WALLIS: Presumably, it's slightly
24 more unstable when you have -- you bring down your
25 boiling boundary?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. SAHA: Which one?

2 MR. WALLIS: Hotter feedwater is slightly
3 more unstable.

4 DR. SAHA: No, it is not.

5 MR. WALLIS: No?

6 DR. SAHA: Because if you see the
7 exuberant number versus sub-cooling number plain, you
8 see we already operate below that mean.

9 MR. WALLIS: You're below the mean.

10 DR. SAHA: Yes, we are below the mean. So
11 what happens --

12 CHAIRMAN CORRADINI: Even with a decrease
13 in the feedwater temperature?

14 DR. SAHA: Normally, we are already below
15 the mean. So what happens --

16 CHAIRMAN CORRADINI: If I want to stray
17 into the green region, I get towards the mean.

18 DR. SAHA: I heard, you were asking in the
19 red region, the hot region.

20 CHAIRMAN CORRADINI: He was talking about
21 green region.

22 PARTICIPANT: Must pick up now the other
23 feed heaters.

24 DR. SAHA: I didn't understand your
25 question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: I was talking about the
2 effect on stability of going to Point C.

3 DR. SAHA: Yes, so that is the hot region.

4 MR. WALLIS: As opposed to A.

5 DR. SAHA: That's right. So he's talking
6 about hot region, so hot region, what is happening, we
7 are going below -- I mean, dropping the sub-cooling
8 number.

9 MR. WALLIS: Okay. Less sub-cooling,
10 which usually is bad.

11 DR. SAHA: You are already below the mean,
12 so we are more stable.

13 MR. WALLIS: Okay.

14 DR. SAHA: When we go to the green region,
15 the opposite happens. And we have analyzed that, and
16 our, again, maximum decay ratio value is well within
17 the acceptance criteria of .8.

18 VICE CHAIRMAN ABDEL-KHALIK: Now when you
19 change control rod patterns, let's say you're starting
20 at Point A, how would you go about doing that?

21 DR. SAHA: Okay. So what we do, we
22 basically first, we increase the feedwater
23 temperature, increase the feedwater temperature.

24 VICE CHAIRMAN ABDEL-KHALIK: Okay.

25 DR. SAHA: So we come down this way, right

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 here, say around 85 percent power, and then we do
2 whatever swapping we have to do. And then we go back
3 up again.

4 VICE CHAIRMAN ABDEL-KHALIK: But what
5 happens to power during that swap at Point C?

6 DR. SAHA: Well, here the power can, of
7 course, change a little bit when we are doing the
8 swapping. But once we go to the new pattern, new
9 control rod pattern, then we go up again here, by
10 throttling steam.

11 MR. WALLIS: So you think that having two
12 controls is easier --

13 DR. SAHA: Well, again, we have talked
14 naturally, regularly with our potential U.S.
15 customers.

16 MR. WALLIS: Actually, your procedures to
17 the operators might be more complicated.

18 DR. SAHA: Yes, let me answer that.

19 MEMBER SIEBER: That's true.

20 DR. SAHA: Let's me answer this. Yes, let
21 me answer this. We have talked regularly with our
22 potential U.S. customer, because they're a team from
23 that. And they would like to have the ESBWR as a base
24 load plant, so they would not like to use this feature
25 until the time of control rod exchange, which is maybe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 once in a quarter. So they would like to operate
2 right here, as I think --

3 MR. WALLIS: As the fuel ages, they have
4 to move around a bit, don't they?

5 DR. SAHA: Yes.

6 MR. WALLIS: So they have to maneuver.

7 VICE CHAIRMAN ABDEL-KHALIK: If you did
8 not have that flexibility, how would you do control
9 rod exchange?

10 DR. SAHA: Okay. That is -- see, again,
11 if he wants to add to it --

12 MEMBER MAYNARD: You put rods in further
13 than you need it, you swap them around, and then you
14 pull them back out.

15 PARTICIPANT: Right. Before it cools off
16 too much.

17 MR. MOEN: Steve Moen, GEH. With the fine
18 motion control rods, it gives us another knob that we
19 can move the control rods without impacting the fuel
20 too much. And there are some additional things that
21 are in the works to reduce the susceptibility of fuel
22 to fuel duty concerns. And, originally, we were
23 working with the SBWR at lower power levels, where we
24 weren't even approaching these thresholds where fuel
25 duty was a concern. But, fundamentally, control rod

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 motion is how the power was originally going to be
2 controlled. And, to a large extent, on day-to-day,
3 week-to-week operation, once an envelope is
4 established, I'll say the fuel duty envelope, the
5 plants will be able to move rods within that envelope
6 without impacting the fuel, or causing fuel duty
7 failures.

8 CHAIRMAN CORRADINI: Other questions?

9 MEMBER ARMIJO: What about the green
10 region, is that part of the domain that you're trying
11 to create?

12 DR. SAHA: Yes. We are creating this
13 entire domain so that, if necessary, we can even
14 operate here. But then, again, as I said, from
15 thermal efficiency point of view, A is definitely the
16 point that the plant would like to operate.

17 MEMBER ARMIJO: Okay. So the green is not
18 a more efficient regime.

19 DR. SAHA: No.

20 MEMBER BANERJEE: How much degradation is
21 there to go to that Point E there?

22 CHAIRMAN CORRADINI: Degradation of what?

23 DR. SAHA: Degradation in what?

24 MEMBER BANERJEE: Efficiency.

25 DR. SAHA: Yes. I cannot answer that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: So what is your thermal
2 efficiency at A?

3 DR. SAHA: At A, around --

4 MEMBER BANERJEE: Thirty-three percent?

5 DR. SAHA: -- 35 percent.

6 MEMBER BANERJEE: As high as 35?

7 DR. SAHA: You know, 4,500, say 15, 20
8 megawatt electric is what we are saying, but, again,
9 that number can change depending on the site
10 condition. So 15, 20 divided by 4,500 --

11 VICE CHAIRMAN ABDEL-KHALIK: Thirty-three
12 is what I -- so to get from Point A to Point E, you
13 cut down bleed steam to another heater.

14 DR. SAHA: No, we use the bypass. Can I
15 go back to that earlier line? No, we don't cut down
16 on all that. See, this line, there is no valves on
17 these lines, extraction lines, except for this line,
18 this is a special line. That has valve, but these do
19 not have any valve, so what we do to cool down the
20 feedwater temperature below normal, we, of course,
21 close the valves here. And then we open this valve,
22 which is a bypass valve. So this is the feedwater
23 that is coming, so some of it will go unheated. And
24 others will be heated by fifth and sixth heater.

25 VICE CHAIRMAN ABDEL-KHALIK: Oh, I see.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WALLIS: So you're adding --

2 DR. SAHA: Here, the temperature will be
3 lower than --

4 CHAIRMAN CORRADINI: Bypass valve has
5 always been there? That's always been there in the
6 design?

7 DR. SAHA: Yes. What I understand, it was
8 always there.

9 CHAIRMAN CORRADINI: I has an analyzed
10 accident path in case I have a feedwater cooling
11 event.

12 MEMBER ARMIJO: That was the question I
13 wanted to ask. If you're operating at Point C on your
14 domain, does that make a loss of feedwater heater
15 transient more severe on the --

16 DR. SAHA: I don't think so. We analyzed
17 those.

18 MEMBER ARMIJO: You have a bigger delta T.

19 DR. SAHA: When?

20 MR. MARQUINO: We did not change the
21 requirement that the BOP design doesn't impose more
22 than a 100 degree F delta T in the event of a failure.

23 MEMBER ARMIJO: Okay.

24 MR. MARQUINO: And we have analyzed the
25 loss of feedwater heater. Now the delta CPR is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 little bit worse at Point C with that same delta, but
2 we can accommodate it by adjusting the CPR operating
3 limit.

4 MEMBER BANERJEE: Come again?

5 MR. MARQUINO: If we have a higher delta,
6 we set a higher operating limit, and we avoid
7 transition boiling in that case, as well.

8 CHAIRMAN CORRADINI: Other questions?
9 Thank you.

10 DR. SAHA: Okay. My pleasure.

11 CHAIRMAN CORRADINI: So can I get comments
12 from the members about the two chapters today, because
13 I want to kind of summarize some stuff tonight. And
14 then we are going to look at accident analysis in
15 Chapter 15 and 21 tomorrow. Can I go around the
16 table, starting with Jack? Any issues that you want
17 me to make sure I don't forget?

18 MEMBER SIEBER: I didn't see either in my
19 -- doing my homework or reading today, any issues that
20 would gravely interfere with the progress issuing and
21 approving the DCD. There are a number of details that
22 need cleaning up, and I'm sure that the staff will
23 make sure that happens. The questions I had have been
24 answered.

25 CHAIRMAN CORRADINI: Tom.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. KRESS: Well, I agree with Jack. I
2 thought the staff was asking the right questions in
3 the SER and that's a good job. As far as particular
4 issues, personally, I hope the business of whether we
5 need isolation valves or not on the PCCS is resolved
6 to the way that we don't need them. I think that
7 increases the risk putting those on there. I don't
8 know how you do that, because I can see staff's
9 problem with complying with the regulations.

10 I'm still not quite content with the
11 business of potential injection of nitrogen. I
12 suspect it's no longer a design basis, but it probably
13 ought to be part of the PRA, maybe. I, also, was
14 surprised at the amount of non-condensables we're
15 dealing with. I'm not sure yet why that's the case,
16 and I think we need to learn a little more about that.

17 And I also liked Sanjoy's question about whether
18 there's some coupling between the chimney and the core
19 that might induce either oscillations, or even fatigue
20 issues, thermal fatigues, so that's another one. And
21 Said's question about what sort of power gradients you
22 might get across a given chimney, I think we need to
23 know what that is, and see if it has any problems.
24 And I'm not sure I know enough about the detect and
25 suppress for regional oscillations, whether we've got

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 enough of the things that we can pick up regional
2 operations, to detect them and suppress them, so I'd
3 like to hear just a little more about what that system
4 is. So, basically, that's my issues.

5 CHAIRMAN CORRADINI: Otto.

6 MEMBER MAYNARD: I definitely agree with
7 Tom on the isolation valves. I think that's important
8 to get resolved, and get resolved correctly. There
9 are mechanisms that even if it requires a waiver, or
10 exemption to the rules or regs, anyway, that would be
11 interesting to find out what the final outcome of that
12 is.

13 I think the staff is asking the right
14 questions. A number of the things that are of
15 interest to me are things that are not resolved yet,
16 but the staff is pursuing those, and I think that's
17 good.

18 There's a couple of things that, like the
19 vacuum breaker. There's not a lot of margin there as
20 far as on the size of the lift, but still, even if
21 it's three times more than what the acceptance
22 criteria is, you still have 40 hours or so before you
23 come close to exceeding something, so even though you
24 may not meet the 72 hours, there's still a lot of time
25 there, so I think probably all that can be balanced

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 out.

2 The debris and tube fouling I think is
3 still an important issue. And I think there's two
4 stages that we're going to address. I think, first of
5 all, the design has to be to minimize and keep it out
6 of there. I think when it comes to the COL stage, I
7 think that's going to be probably the key time to work
8 with the licensee on exactly how -- what are they
9 going to do to make sure that the design criteria is
10 met. And that, also, what inspections. I still think
11 that over time some, I don't know, dust or whatever
12 may build up in the tube. There needs to be some type
13 of inspection to make sure that the heat exchangers
14 will still do their job. That's probably more at the
15 COL stage, than at this stage, but I do think that's
16 an important issue, too.

17 CHAIRMAN CORRADINI: Said.

18 VICE CHAIRMAN ABDEL-KHALIK: I guess I'm
19 concerned about the large number of open items. So
20 specific comments about Chapter 4 would be, I'd like
21 to see the analysis of this maximum heat up rate
22 during start up. I'd like to see the details of the
23 detect and suppress stability system. And if it is a
24 defense-in-depth feature, I'd like to know what the
25 operability requirements will be. I'd like to see the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 details of the new full-scale GE 14E test results are.

2 And how those results sort of either support, or
3 refute the applicability of the JEXL correlation. I'd
4 like to see the details in support or otherwise, in
5 support of that one dimensionality of the flow within
6 the chimney cells given the large radial power
7 gradients in a super cell. I'd like to see the test
8 data on the flow induced vibrations, what the critical
9 locations are in the GE 14E bundle versus the GE 14.
10 I mean, there are some unsupported cantilevered length
11 for the parked length rod, which is a little longer
12 than what you have in the GE 14 bundle, and does that
13 change the location of -- the critical location from a
14 flow induced vibration standpoint.

15 For Chapter 6, I really would like to see
16 the details of the containment response calculations.

17 Some of the results just are counterintuitive. And,
18 particularly, the effect of the vent fans. And the
19 results with regard to the rate of the radiolytic
20 decomposition, how much gas is being produced by
21 radiolytic decomposition? The pressurizing
22 containment in the event of discharge of the
23 accumulator gas, this is something new, but if you do
24 a calculation, just the gas in those two accumulators
25 would increase the containment, the drywell pressure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 by 11 PSI. And that's a significant change.

2 MS. CUBBAGE: I don't know if it came
3 across in the presentation, but there are -- the
4 shutoff valves are safety-related and automatically
5 actuated. GE can confirm that.

6 MR. MARQUINO: Right.

7 MR. KRESS: That would make it a PRA
8 issue.

9 MS. CUBBAGE: Yes.

10 VICE CHAIRMAN ABDEL-KHALIK: So I guess
11 the point to be made is, there are a lot of detail
12 things that perhaps would be much more appropriate if
13 we generate a list of those detailed calculations, and
14 ask the thermal hydraulic subcommittee to just look at
15 that list of items, and see the details of the
16 calculations, rather than present them sort of in a
17 big picture presentation like we're seeing chapter-by-
18 chapter. Thank you.

19 CHAIRMAN CORRADINI: Bill.

20 MEMBER SHACK: I'll say if all these
21 questions are answered, I won't have any left. But I
22 think I would keep in perspective, one of the things
23 that I do like is that when you do these accidents,
24 you have so much margin under many of these accidents.
25 And as we go through all the unknowns here and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 details that we have left out, I don't think you want
2 to lose the picture that this actually is sort of an
3 interesting looking reactor, with ample margins in
4 many ways.

5 MEMBER ARMIJO: Yes. I think when you
6 don't have to talk about peak clad temperature during
7 a LOCA, that's a nice --

8 MEMBER SHACK: How to apply Appendix K.

9 MEMBER ARMIJO: That's a significant
10 accomplishment, I think. Well, I don't want to. I
11 think they're doing the right thing. In the case of
12 the -- just on flow induced vibration experiments, I
13 think they're good to do. My expectation with a
14 shorter bundle, very low, much lower flow rates, that
15 there probably won't be a problem, but they could find
16 some surprises, and so doing the test is a good idea.

17 I'd like to learn more, hear more about
18 this issue of uniform strain versus ultimate strain.
19 To me, it's strange that we would be looking for a
20 uniform strain, applying that to a pellet clad
21 mechanical interaction problem, when really ultimate
22 strain adequately handles that, but I'll wait to see
23 some more on that.

24 I was happy to see finally that I
25 understand that GE does recommend hydrogen water

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 chemistry for the ESBWR, and that the design
2 certification will permit it without any amendment, so
3 that -- and the U.S. utilities who are the ESBWR are
4 going to use it. I don't believe that just material
5 selection, and materials fabrication controls alone
6 will protect these materials from IASEC, and even from
7 IGSEC. Even though they are better materials, I think
8 the belt and suspender with a good environment, and
9 good materials, and good fabrication could potentially
10 make these a 60-year plant life materials. So I think
11 that's a good thing.

12 Control rod drive design, several
13 improvements have been made in the mechanical design
14 of the control rod drive. GEH is proposing to get the
15 control rod drop accident analysis removed. I think
16 there should be some sort of encouragement for
17 improving system designs so that -- but if you still
18 stick them with the analysis requirements, then
19 there's no incentive to improve the design, so I think
20 -- I'm hoping that the staff looks at that carefully,
21 and doesn't say yes, you improved the design, but
22 we're still going to make you do the same old stuff.
23 And I think that's all I have.

24 CHAIRMAN CORRADINI: Dennis.

25 MEMBER BLEY: Well, most of the things I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was concerned with have been mentioned, but I
2 personally -- and a couple of these things can wait
3 until the PRA, perhaps. But these things that can't
4 possibly happen are things that worry me a little.
5 And like the CRDMs, I want to understand those a
6 little better, and see what the PRA has to say about
7 it. The debris issue, kind of the same thing, but it
8 sounds like the staff is on track with chasing that.

9 I guess, I think I want to look at the GDC
10 56, and just the issue on the primary containment, and
11 maybe that's something we want to comment on
12 ourselves, it's important to understand real well.
13 And the other thing that can't possibly fail, that I
14 want to know more about, is these vacuum breakers.
15 And I think seeing the test report will help. In
16 addition, I want to see how it's handled in the PRA
17 later. It's probably fine for now, but at least when
18 we get to the PRA, I need to see what can't possibly
19 fail means. That's all.

20 MEMBER BANERJEE: I think that most of the
21 issues that are important have been mentioned. I
22 think, though, that what Said brought up was to make a
23 list of certain issues, which I think we'd like to see
24 more details about at a thermal hydraulic subcommittee
25 meeting. It would be useful, so we might want to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 together at some point and make a trial list, and
2 propose it, and see --

3 CHAIRMAN CORRADINI: Just to interject, I
4 think -- I was talking to Amy at a break. My thought
5 is that we could use this subcommittee, but
6 essentially stay with it so the full subcommittee can
7 hear about it, but get a meeting specifically on these
8 issues, because I think that if you add them up,
9 there'll be a few of these that all kind of come
10 within this construct of containment response, et
11 cetera.

12 MEMBER BANERJEE: Yes. The details,
13 particularly with regard to containment behavior,
14 that's a key thing here. And the coupling with --

15 CHAIRMAN CORRADINI: The core.

16 MEMBER BANERJEE: -- long-term cooling.

17 CHAIRMAN CORRADINI: Yes.

18 MEMBER BANERJEE: That needs to be
19 explored. And then there are side issues, like what
20 happens to debris, where does it go, does it foul,
21 what happens to the non-condensables. And that's also
22 related to what happens with these vacuum breakers,
23 what margins you have, do you have these fans, do you
24 really need them. So we need to see some details
25 here. This is very much an overview. CHAIRMAN

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CORRADINI: Professor Wallis.

2 MR. WALLIS: Well, it's pretty well been
3 said. I'd like to reiterate what Tom said. I think
4 the staff did a very good job of asking these hundreds
5 of questions. And most of the questions are the kind
6 of questions that I think we would have asked.
7 Really, until we get the answers to some of these
8 questions, how does the GE 14E fuel behave when you do
9 these critical power tests, and what happens to the
10 high void fractions, and so on, we get those answers,
11 then we'll know better where we are. So there's a lot
12 that we're waiting for.

13 I agree that we should look at certain
14 things in more detail, actually look at the basic
15 analysis, maybe go back to a few topical reports. We
16 don't all need to do that, but one or two of us might
17 want to do that. Generally, we seem to be in good
18 shape. I'd really like to see some TRACE runs. That
19 hasn't been mentioned yet, but keeping promise that
20 TRACE is going to look at some of these key issues,
21 and I'd like to see how well they can do.

22 The thing that I felt most uncomfortable
23 about was the way the non-condensables get handled,
24 particularly after 72 hours. And I would hope that
25 it's a good enough reactor, you don't have to switch

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 on a lot of fans, and move around a huge amount of gas
2 in order to make it work after 72 hours. I don't
3 quite understand why that's necessary. That's the
4 issue that bothered me the most, was about this sudden
5 appearance of a lot of non-condensables, which I
6 thought had been sequestered in places where they
7 didn't do any harm. I need to look at that some more.

8 But, generally, I think the staff has done a very
9 good job, and we need to see how GE responds to these
10 open items.

11 MEMBER BLEY: One last thing I forgot to
12 mention is, and maybe this is just something I need to
13 understand. I want to understand why the recombiner
14 issue is such a burden. What is it? I know we were
15 part of it, from what you said, but really understand
16 what all of the burden is, and why taking credit for
17 that is -- looks hard to do.

18 CHAIRMAN CORRADINI: I think Mike is not
19 here, so we have --

20 MS. CUBBAGE: He's right behind you.

21 CHAIRMAN CORRADINI: Can you give us some
22 thought?

23 MR. SNODDERLY: No. I thought, I just was
24 going --

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SNODDERLY: I think what can help us
2 in our review is -- because I think what we're asking
3 the Committee for right now is that the open items
4 that we've identified are correct. And if there's
5 something that we missed, let us know so that we can
6 determine if we need to, or how to proceed.

7 Now, how do we address GE has performed
8 their analyses, and they've explained how they
9 calculated those analyses. And then we showed that
10 we've done confirmatory analyses, that show that the
11 design pressure is correct. I think that there --
12 we're trying to address uncertainties, and we've seen
13 one place where there's uncertainty, is that there
14 could be a build-up of non-condensables in the PCCS.
15 There's a test program that shows that those non-
16 condensables would probably burp through, but there's
17 a chance that they could build up, and so we addressed
18 that by saying provide a mitigative feature, or
19 something that could do that. And they've done that
20 with this drywell gas mixing system. And I think that
21 it shows -- it provides greater margin. It has a
22 system that I can analyze better, and understand
23 better than a PARS system, that has, I believe, more
24 uncertainty, and provides greater margin. So I'm a
25 little -- I believe -- I don't want to let this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 opportunity slip away while we're all here with the
2 people from GE, the Committee, so I want to really
3 make sure -- do we have a good enough understanding of
4 the non-condensables to make a regulatory decision? I
5 think so. And I think --

6 CHAIRMAN CORRADINI: You're asking us
7 today?

8 MR. SNODDERLY: Well, I'm trying to
9 determine where we go from here. To come back and to
10 say we have to have a better understanding of where
11 the non-condensables are, I think we've conservatively
12 bounded it. Right? The worst case is that the non-
13 condensables end up in the PCCS and affect its
14 performance.

15 MR. WALLIS: And you say you blow them out
16 with a fan? Is that the idea?

17 MR. SNODDERLY: Yes. And that --

18 mS. CUBBAGE: Recognize that the Committee
19 ---- we haven't seen those results yet. GE hasn't
20 provided them yet. We'll provide those results to you
21 as soon as they come in, and we'll talk about them
22 when we come back with the final SER, unless there's
23 some --

24 CHAIRMAN CORRADINI: So let me talk --
25 suggest a path forward, because I think in some sense

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 we covered a lot more of what I thought we'd be ending
2 up doing in 15 today because it's all related to
3 containment performance relative to ECCS, because we
4 didn't have core uncovering as one of the issues. But a
5 suggestion, I'll just go off with Said's point and
6 connect it with Sanjoy's, maybe the members want to
7 give me a list of things that apparently are details,
8 but then will drive a common theme. And we try to get
9 another day on what I'll call containment response,
10 and if I were to pick one topic that I definitely want
11 to start with, is that curve. That curve gets me a
12 little bit crazy.

13 MR. SNODDERLY: Which curve, Mike?

14 CHAIRMAN CORRADINI: I get very unsettled
15 when I turn on a fan at 72 hours to make things good
16 by 20 percent.

17 MS. CUBBAGE: I mean, the alternative is
18 you don't turn on the fan, and then the results were
19 questionable, and that's why the staff had questions.

20 CHAIRMAN CORRADINI: I understand that,
21 but I mean, just thinking out of the box, I'd rather
22 vent out of the wetwell through a HEPA filter than
23 turn on fans.

24 MEMBER BANERJEE: We're not doing a
25 brainstorm here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN CORRADINI: I understand.

2 MEMBER BANERJEE: Right now we really --

3 CHAIRMAN CORRADINI: But my point is, what
4 I would rather do is get together on a subcommittee
5 with a set of issues, and at least start off with, to
6 me, containment response as a starting point. But I
7 think there's other issues that you guys have brought
8 up relative to --

9 MEMBER BANERJEE: Stability needs to be
10 looked at.

11 CHAIRMAN CORRADINI: Well, I wrote it down
12 in terms of core chimney coupling, thermal hydraulic
13 coupling. But to get a series of these, and I'd like
14 to show them to the staff.

15 MS. CUBBAGE: Right.

16 CHAIRMAN CORRADINI: And see which ones
17 are at a point where you feel you can come back and
18 give us more detail, and which ones you're still
19 analyzing, waiting for GEH response.

20 MS. CUBBAGE: Absolutely. And I think --

21 CHAIRMAN CORRADINI: And then bundle them,
22 and then come back and have a subcommittee on that.

23 MR. WALLIS: I'd like to see the staff do
24 some independent analysis of these non-condensables so
25 that you really feel comfortable with that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SNODDERLY: And I think we can answer
2 that question now. We are. It's conservative.

3 MR. WALLIS: Happy with this four fan, and
4 six fan, and this mysterious huge amount you have to
5 pump around. That's okay?

6 MR. SNODDERLY: Yes, because the analyses
7 - the concern, Graham, the concern is the sensitivity
8 to the bypass leakage. That's what's unique here in
9 this design, and the absence of wetwell sprays. So
10 now bypass leakage is very important, and I think --
11 and what we tried to communicate to you today, is
12 that the confirmatory analyses show that that's where
13 the focus should be. And the non-condensable gases
14 are conservatively bounded, conservatively modeled in
15 the containment analysis, and the concern is their
16 effect on possibly degrading PCCS performance.

17 MR. WALLIS: You see these plants as
18 having to check their bypass leakage all the time with
19 some instrumentation and stuff to be sure that they
20 don't have more than a square centimeter?

21 MR. SNODDERLY: No more than what's done
22 now, which would be an as-found, and as-left during
23 the refueling outage.

24 MEMBER BANERJEE: So if the PCCS doesn't
25 work, there's other problems that occur, in terms of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 getting water down to the GDCS system, long-term
2 cooling. It's all coupled. This is a very coupled
3 system, so you've got not just one thing to fix by
4 blowing -- if you can blow the non-condensables and
5 make sure the water goes back where it has to go,
6 that's fine. But we really need to take a close look
7 at this. I think what has happened is we've seen all
8 these results. Some people have done MELCOR, some
9 people have done TRACG, some people have done
10 something else. It all has to be put together and
11 brought to some order in our minds.

12 MR. SHUAIBI: Mike, if you don't mind, let
13 me suggest, I think the suggestion was that the
14 Committee was going to get together and come up with a
15 list of things that you're interested in seeing. And
16 maybe we could work through your staff, Gary Hammer,
17 and see what the best way to deal with those items
18 are. If it's getting you reports, we can do that. If
19 it's having another meeting, then that's what needs to
20 happen, and we can work on that.

21 CHAIRMAN CORRADINI: I think that might be
22 the most effective way, because some things you are
23 still analyzing, GEH is still doing calculations on.
24 Other things may be wrapped up in a way that with four
25 or five issues that seem disparate, all fit together

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 in some calculation with an audit calculation that we
2 could look at and kind of -- so it might occur in a
3 month, it might occur in two months. We're going to
4 have wait until other things you get, and look at.

5 MS. CUBBAGE: Right. And I can just tell
6 you from -- we can talk schedule later, but from a
7 timing perspective, I think it would be a challenge to
8 come back before the end of March, just in light of
9 where the status of different issues and different
10 work load is.

11 CHAIRMAN CORRADINI: Thank you.

12 MEMBER MAYNARD: Something I think we need
13 to keep in mind here, because one of the things that
14 seemed to be confusing is the curve that shows then at
15 72 hours, all of a sudden we do something. And,
16 again, that's for regulatory purposes, and for the
17 analysis. In reality, that's not what's going to be
18 going on. They're not going to be setting there for
19 72 hours. I think we need to keep that in mind. We
20 may want somebody -- what we really expect to be going
21 on.

22 MEMBER BLEY: What's really going to
23 happen, analyze that.

24 MEMBER MAYNARD: I think we're getting a
25 little confused, and from a regulatory standpoint they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have to demonstrate that they can sit there basically
2 hands-off doing nothing for 72 hours. And if you do
3 that, yes, then at the end of 72 hours when you start
4 doing something, you have more of a need to do it than
5 if you've been doing it all along.

6 MEMBER BLEY: I think two things. I don't
7 think any -- at least I didn't hear anybody on this
8 Committee say they really understood those curves of
9 what was happening in 72 hours, so that's one thing.
10 The other is something you just said, Mike, which kind
11 of -- I'm probably wrong on this, but I have to ask
12 the question. I would be more comfortable analyzing
13 the fan system and the recombiners, but chemical
14 engineers I've worked with probably would say just the
15 opposite. Do we have chemical engineers here looking
16 at that, or are we nukes, and EEs and MEs?

17 MEMBER BANERJEE: I'm a chemical engineer.

18 MEMBER BLEY: And you're not the one who
19 said you couldn't analyze the recombiners, or have as
20 much confidence --

21 MR. SNODDERLY: And I think, Dennis,
22 that's the last point I'll make, that part of what --
23 another challenge that we were looking at is,
24 something else isn't typical. We don't have a safety-
25 related active mixing system for the drywell. Okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So when you take that away, and then you say well,
2 we're going to look at four to six PARS, and say that
3 that's going to solve our non-condensable gas problem,
4 then it brings in something like chemical engineering
5 kind of problems about poisons, reliability, mixing,
6 and so the problem comes, what's the worst -- if I
7 can't say for exactly where these non-condensables are
8 going to go, because I have a one node model. I'm
9 trying to bound this thing. What's the worst thing
10 that can happen? Well, I have a bounding amount of
11 non-condensables, and they end up in the PCCS. So I'm
12 going to say that if that happens, I can solve that
13 problem. That's why I think we're where we are today.

14 MR. KRESS: You think that's the simplest,
15 most direct.

16 MR. SNODDERLY: That's where -- making a
17 decision that I have to make --

18 MR. KRESS: You still have to say that
19 even if you had --

20 MR. SNODDERLY: Yes. Right. Because
21 otherwise they're going to come back, and have to
22 justify the mixing, and the absence of an --

23 MR. WALLIS: The whole design basis of the
24 PCCS is that the non-condensables don't end up in it.
25 It's been designed so they don't, so I'm still

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 concerned about --

2 MR. SNODDERLY: Well, if they don't, then
3 Steve is there, and it's removing heat.

4 MEMBER BANERJEE: All the experiments show
5 that they're clear, that there is a lot of evidence
6 which shows they're clear. So in a way, if that can
7 be pretty certain, then -- and we have to look at that
8 in a little bit more detail, I think. You may have
9 satisfied yourself, Mike, that there is sufficient
10 uncertainty that you want a backup system there.

11 MR. SNODDERLY: We haven't satisfied you,
12 and we need to do that. And as Mohammed said, let's
13 work out what GE can do to explain their analyses, and
14 what we can do to explain our confirmatory analyses.

15 VICE CHAIRMAN ABDEL-KHALIK: Just a point
16 of information, Mr. Chairman. Has GE transmitted the
17 results of their full-scale GE 14E testing to you?

18 MS. CUBBAGE: They have not. I heard
19 earlier end of --

20 VICE CHAIRMAN ABDEL-KHALIK: What is the
21 time line for that?

22 MS. CUBBAGE: -- March was probably a best
23 case.

24 MR. MOEN: Yes, end of March time frame.
25 Expect about the end of March.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: And the same for the
2 flow induced vibration test?

3 MR. MOEN: I'm not sure what the schedule
4 is for that. Steve Moen, GEH. I'm not sure what the
5 schedule is for the FIV testing. We're still working
6 that out with the staff, and, of course, internally.

7 MS. CUBBAGE: I don't think you're working
8 --- you may be waiting to inform us, but the schedule
9 is what you can deliver. Right?

10 CHAIRMAN CORRADINI: Okay.

11 MS. CUBBAGE: We're waiting for it.

12 CHAIRMAN CORRADINI: Any other comments by
13 the members? So at least one action I hear is that
14 I'm going to get from all of you individual comments,
15 such as Said I saw already has a list. And I'll
16 accumulate them, and with Gary work with Amy to see if
17 that's a way to start thinking how to bundle it to, if
18 you have -- if it's appropriate, and there's a point
19 where you want to come back, how we can do it to be
20 most efficient.

21 MS. CUBBAGE: Right. Because I think we
22 need to get through the rest of the chapters with the
23 SER with open items. Then we're going to be coming
24 with the final at the end. There will be a window in-
25 between where we can try to get some of these issues

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 in, so they don't just all get saved up to the end
2 when there's no time to resolve them.

3 MEMBER BANERJEE: My impression, though,
4 from Mike's talk, Mike here, Mike's exposition on the
5 mic - where is Mike? Is that he would like some sort
6 of clarity on this relatively soon. Is that what --

7 MR. SNODDERLY: I didn't hear that.

8 MS. CUBBAGE: No. I think we've come to
9 an understanding that you need to hear more, so that
10 you get the same understanding level that the staff
11 has with the issue. And, also, we all need to see
12 these additional results that GEH is going to provide.

13 CHAIRMAN CORRADINI: Okay. Any other
14 comments? Well, it's past our normal -- so thank you.
15 We're recessed.

16 (Whereupon, the proceedings went off the
17 record at 7:14 p.m.)

18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701