

1
2 UNITED STATES OF AMERICA
3 NUCLEAR REGULATORY COMMISSION
4 ***
5 BRIEFING BY
6 NATIONAL MINING ASSOCIATION ON
7 REGULATION OF THE URANIUM RECOVERY INDUSTRY
8 ***

9 PUBLIC MEETING
10 ***

11 Nuclear Regulatory Commission
12 One White Flint North
13 11555 Rockville Pike
14 Rockville, Maryland

15 Wednesday, June 17, 1998
16

17 The Commission met in open session, pursuant to
18 notice, at 10:00 a.m., the Honorable Shirley A. Jackson,
19 Chairman, presiding.
20

21 COMMISSIONERS PRESENT:

22 SHIRLEY A. JACKSON, Chairman of the Commission
23 GRETA J. DICUS, Member of the Commission
24 NILS J. DIAZ, Member of the Commission
25 EDWARD MCGAFFIGAN, JR., Member of the Commission

2

1 STAFF AND PRESENTERS SEATED AT THE COMMISSION TABLE:

2 JOHN C. HOYLE, Secretary
3 KAREN D. CYR, General Counsel
4 KATIE SWEENEY, NMA
5 ANTHONY THOMPSON, Shaw, Pittman, Potts & Trowbridge
6 GENERAL RICHARD LAWSON, NMA
7 MARK WITTRUP, ESPRI
8 STEPHANIE BAKER, ESWNI
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

3

1 P R O C E E D I N G S

2 [10:06 a.m.]

3 CHAIRMAN JACKSON: Good morning, ladies and
4 gentlemen. Today representatives of the National Mining
5 Association have requested an opportunity to brief the
6 Commission on its white paper entitled, "Recommendations for
7 a Coordinated Approach to Regulating the Uranium Industry."

8 The National Mining Association promised to
9 provide this white paper at a briefing of the Commission in
10 May, 1997. The paper was provided to the Commission in

11 April of this year and this meeting provides an opportunity
12 for the National Mining Association to discuss aspects of
13 the paper that it feels are most important for the
14 Commission to focus on.

15 Currently the NRC Staff is evaluating the entire
16 framework under which the uranium recovery operations are
17 regulated and is developing a detailed approach to be
18 presented to the Commission on how best to proceed.

19 This paper we expect to be presented to the
20 Commission for approval in the near future. This gives us
21 then the opportunity to consider the issues raised in your
22 white paper and discussed here today when it reviews the
23 recommendations by the Staff.

24 Now I understand that viewgraphs of your
25 presentation are available, copies of the viewgraphs, at the

4

1 entrances to the room, and unless my colleagues have
2 anything to add, Mr. Lawson, please proceed.

3 GENERAL LAWSON: Thank you very much, Madam
4 Chairman and Commissioners, and members of the Staff, and we
5 are thrilled to have this kind of a turnout here today.

6 In the agenda, I thought I would give some brief
7 opening remarks and kind of set the stage for our actions,
8 and then turn the discussions over to Mr. Thompson and Ms.
9 Sweeney to cover some of the specifics in the program, and
10 then we have members from the industry here as well to
11 provide additional insights.

12 The National Mining Association, as I think you
13 know, represents all of the mining that goes on in the
14 United States, and our efforts are to work as carefully as
15 we can to provide an environment for that activity to occur
16 and which not only meets the needs of the industry but meets
17 the needs of the country as a whole.

18 In our industry we say that everything begins with
19 mining and that is only a little bit of an expansion on
20 reality. Last year the U.S. economy used 47,000 pounds per
21 person of items and energy that we took out of the earth in
22 order to make this economy of ours run.

23 We are really talking here today about those items
24 associated with the uranium industry, but I would just
25 remind all of you that mining coal and uranium provide 80

5

1 percent of the electricity that is used in this country and
2 when you look out to the future and the needs of our economy
3 as projected from the Department of Energy, you begin to see
4 how critical that is to the country because now and the year
5 2010 our electrical grid is being asked to add an amount of
6 electricity equal to that currently used by Japan and
7 Germany, our two principal competitors, so it is a
8 remarkable program out there in front of us and those who
9 are familiar with energy in the most basic form realize that
10 given some of the environmental concerns about certain
11 aspects of the electrical industry and given the
12 technological demands that are coming forth, this is a time
13 when we need all of the energy that we can find for this
14 country of ours because there are about two billion people
15 that will also join us at the same time that have to be fed
16 and housed and clothed.

17 Our efforts in this study -- and by the way, let
18 me once again, as I did a year ago, congratulate the
19 Commission upon the establishment of this assessment. It
20 comes at exactly the right time for all of us to put
21 together our heads on how to proceed into the 21st century,
22 it seems to me, and that is what we tried to do in this

23 paper.

24 We discussed, as you will recall, a year ago, we
25 kind of circled around some of the problems and we gave a

6

1 few of the incidents that we have concerns on, but in this
2 white paper what we have tried to do is say if we were part
3 of your Staff, what are the kinds of issues that we would
4 re-examine after this first 20 years? What kinds of
5 technology, what kinds of expertise, what kinds of legal
6 thoughts -- what are the general dimensions of the Staff's
7 problems as they make this assessment and how can we provide
8 assistance?

9 In that fashion, let me just say as a postscript
10 to this briefing, we will be there for any assistance that
11 any of the Staff need, for any discussions that any of the
12 Staff need, and to provide anything else that will be useful
13 because we believe that in the 21st century nuclear energy
14 is indeed not going to have a rebirth -- is going to be
15 forced to have a rebirth because of the huge energy demands
16 that are just around the corner for the entire globe.

17 So with that kind of a background, let me just ask
18 Tony and Katie to proceed with the presentation. We will
19 all be available for questions and thank you again for
20 inviting us.

21 CHAIRMAN JACKSON: Thank you. You are going to
22 begin?

23 MS. SWEENEY: Yes. I am Katie Sweeney, Associate
24 General Counsel for the National Mining Association. NRC's
25 strategic assessment and rebaselining initiative really

7

1 struck a chord with the National Mining Association's
2 uranium recovery members. It is not often that a Government
3 agency can or is willing to conduct a strategic assessment
4 of its regulatory program.

5 While NMA had identified some problems, some
6 regulatory problems that could pose serious problems, it
7 wasn't until NRC came out with its strategic assessment that
8 we realized that a strategic reassessment of the Uranium
9 Recovery Program was exactly what was needed, so NMA's white
10 paper builds on NRC's strategic assessment concept and at
11 heart really is a request that NRC perform a strategic
12 reassessment of some key NRC positions taken regarding the
13 uranium recovery industry with a view towards the goal of
14 optimization of protection of public health, safety, and the
15 environment, something that we believe both NRC and industry
16 would like to see achieved.

17 This presentation is, as General Lawson said,
18 intended to provide to you with NMA's input on the issues
19 integral to such a reassessment and offer some
20 recommendations on how they should be addressed.

21 The white paper is an opportunity to address these
22 potential regulatory problems to ensure they are minimized
23 or eliminated before they undermine the intent of the
24 Uranium Mill Tailings Implementation and Control Act or
25 UMTRCA.

8

1 We believe the white paper recommends a common
2 sense approach for conducting a reassessment of the Uranium
3 Recovery Program and we believe the recommendations make
4 sense and we'll help NRC conduct a strategic reassessment of
5 the Uranium Recovery Program. We also believe the
6 recommendations will assist NRC in instituting a
7 legally-sound program consistent with UMTRCA.

8 The white paper addresses four regulatory
9 positions for NRC to reassess.
10 The first is jurisdiction of nonagreement states
11 over nonradiological components of 11e.2 byproduct material.
12 The second is NRC jurisdiction over in-situ
13 leach facilities.
14 The third is disposal of non-11e.2 byproduct
15 material and tailings impoundments.
16 Finally is NRC's alternate feed policy.

17 We will discuss each of those in turn today.
18 Why is reconsideration necessary? Reconsideration
19 is needed because these positions were adopted over the last
20 20 years on an ad hoc basis, in response to specific
21 questions and specific circumstances, without always
22 considering whether an efficient, coherent program was being
23 achieved.

24 I must stress that this is not intended as blame
25 or criticism of NRC Staff, but we are criticizing these

9

1 positions, recognizing that there may be reasons they were
2 reasonable or appropriate at the time they were developed.

3 Just because these positions have been followed
4 since they were developed, that should not prevent NRC from
5 revisiting these positions nor as new questions arise from
6 adopting the mindset to stand back from an issue and look at
7 the whole program to see if the right questions are being
8 asked or if an efficient, cohesive program is being
9 developed.

10 Basically the general problem with the positions
11 taken is that these positions, particularly those on
12 jurisdiction, have become de facto Staff policy and they
13 have been conformed to since their inception, built on, and
14 various regulatory questions and puzzles have been
15 developed.

16 MR. THOMPSON: I guess one of the next points that
17 we are making is some of the positions that were taken in
18 those days, while they may have made sense at the time,
19 aren't really compatible with the industry as it exists
20 today.

21 For example, the memorandum in 1980 assumed that
22 the focus of the NRC regulations was radiological and not
23 nonradiological, and in fact at the time the NRC's draft and
24 final regulations were going to address groundwater on a
25 site-specific basis as did EPA's first standards for their

10

1 Title I sites, but by 1983 groundwater standards were
2 promulgated and now groundwater is the most problematic
3 issue at any uranium recovery facility, not control of the
4 radon or the radiation hazards.

5 There was an assumption there would be an enormous
6 number of additional mills -- I think some 50 or so. ISL
7 was considered to be just -- you know, going to be a minor
8 contributor to uranium production, yet now ISL production is
9 the primary focus of production, and you have in the ISL
10 area also an extensive EPA Safe Drinking Water Act,
11 underground injection control program, that regulates these
12 facilities as well.

13 So that is just by way of sort of a quick
14 reference to why we think things are little bit different
15 than back when some of these decisions were made.

16 MS. SWEENEY: The most crucial issue addressed in
17 the White Paper is jurisdiction of non-agreement states over
18 the non-radiological components of 11e.2 byproduct material.
19 In 1980 NRC's Office of Executive Legal Director issued an

20 advisory legal opinion concluding that federal law does not
21 pre-empt the exercise of non-agreement state authority over
22 the non-radiological aspects of 11e.2 material.

23 As discussed in extensive detail in the text of
24 the White Paper, this conclusion is legally unsound. We
25 would like to call your attention to the four reasons cited

11

1 by OELD to support its opinion.

2 First, the opinion advanced the idea that since it
3 appeared that radiological hazards, as Tony just discussed,
4 radon emissions, associated with those tailings and waste
5 would be the primary focus of regulatory concern. And that
6 meant that federal pre-emption of agreement state regulation
7 existed only with respect to the radiological aspects. This
8 argument is clearly incorrect since, as Tony just explained,
9 UMTRCA requires both the Environmental Protection Agency and
10 NRC to regulate both radiological and non-radiological
11 components of uranium mill tailings and related waste from
12 the point of their generation to their ultimate disposition.

13 Second, the OELD opinion cited the fact that
14 states regulate NORM, which is naturally occurring
15 radioactive material, which is similar in nature to these
16 mill tailings waste. OELD found this supported its
17 conclusion that states have concurrent jurisdiction over the
18 non-radiological components of 11e.2 material. But this
19 argument makes no sense since the definition of 11e
20 byproduct material is what makes the legal difference, as
21 recognized in NRC's non-11e.2 disposal policy.

22 Third, the OELD found that the states' ability to
23 take custody of these sites after license termination
24 implied that states have an independent authority over these
25 sites. But that is not the case. The state can only take

12

1 custody by becoming an NRC licensee, and then they will be
2 regulated by NRC and not have authority over the site
3 themselves.

4 Fourth, the OELD asserted that the savings clause
5 contained in Section 275 of the Atomic Energy Act gave the
6 states authority over these sites. This savings clause
7 states that the UMTRCA amendments are not intended to impact
8 EPA authority under the Clean Water Act or the Clean Air
9 Act. The OELD appeared to reason that to the extent states
10 have derivative authority from the Environmental Protection
11 Agency, they can continue to exercise authority over
12 hazardous constituents. The savings clause does not even
13 mention NRC authority and the Ninth Circuit recently held
14 the savings clause does not give EPA the authority to
15 regulate 11e.2 by product material, so it would be difficult
16 for the states to claim that that same savings clause would
17 give them authority to do so.

18 CHAIRMAN JACKSON: I am confused.

19 MS. SWEENEY: Okay.

20 CHAIRMAN JACKSON: I mean it almost sounds as if
21 you just walked your way through to say that the savings
22 clause doesn't give anybody authority.

23 MS. SWEENEY: I think that what the Court said --
24 and, Tony, jump in if you feel I am -- is that the savings
25 clause was not intended to impact the authority of the

13

1 Environmental Protection Agency under the Clean Water Act or
2 the Clean Air Act in other regards. And --

3 CHAIRMAN JACKSON: According to -- yes.

4 MS. SWEENEY: Yes. And -- what were you going to

5 say, Tony?

6 MR. THOMPSON: Well, I think that -- I think you
7 said it. I mean the opinion seems to suggest that it
8 doesn't affect the Environmental Protection Agency's
9 authority under the Clean Water Act or the Clean Air Act,
10 except that now we have, in conjunction with the Supreme
11 Court Opinion, something that says that under the Clean
12 Water Act, EPA doesn't even have the authority to regulate
13 byproduct material.

14 MS. SWEENEY: Right.

15 MR. THOMPSON: Including 11e.2 byproduct. Under
16 the Clean Water, the savings clause doesn't affect the
17 authority of EPA to issue regulations under the Atomic
18 Energy Act, which they clearly were given and which
19 regulations has conformed its regulations to.

20 CHAIRMAN JACKSON: Okay.

21 COMMISSIONER McGAFFIGAN: Madame Chairman.

22 CHAIRMAN JACKSON: Yes, please.

23 COMMISSIONER McGAFFIGAN: On an issue of this
24 sort, that has been kicking around for 18 years, and I guess
25 some of the others are almost similar duration, you are

14

1 basically arguing, our General Counsel's Office or its
2 predecessor erred, but -- and court decisions have come
3 down. But if the Congress is indeed going to look at our
4 authorizing statues in some comprehensive way later this
5 year, as is implied in some of the Appropriations Report
6 language, do you want us to clarify, or do you want Congress
7 to clarify some of these matters?

8 MS. SWEENEY: I think that some of them could be
9 clarified without --

10 COMMISSIONER McGAFFIGAN: Without statute.

11 MS. SWEENEY: Without statute. I think that,
12 particularly on the jurisdictional issues that we are
13 raising, that it is something that the Commission could do
14 on their own. I don't think that statutory changes are
15 needed to implement the recommendations. However, if that
16 would help.

17 COMMISSIONER McGAFFIGAN: But let me just ask --
18 you know, there's always multiple parties. If we were to do
19 what you are suggesting, in clarifying the two
20 jurisdictional issues, the other one that you are going to
21 come to, who is going to take us to court saying that we
22 have erred on the other side? And would you -- if there's
23 no one, then we don't have to worry, but if there is
24 someone, would we be better off having Congressional
25 statutory clarification and legal clarification at that

15

1 point just so we don't get into these endless court cases?
2 I love lawyers, but I don't like lawyers' entitlement acts.

3 MS. SWEENEY: I think that if you implemented all
4 of our recommendations, might you face some issues with the
5 states?

6 COMMISSIONER McGAFFIGAN: Yes.

7 MS. SWEENEY: I would say greater than -- yes,
8 greater than 50 percent chance that you would. I think it's
9 -- statutory changes probably would give you a stronger
10 basis for contesting their arguments in court. But they are
11 not --

12 COMMISSIONER McGAFFIGAN: But I wouldn't guarantee
13 that they would take it to court. I mean you have agreement
14 -- I think if you are talking about, as your notice had
15 suggested, that in conjunction with rulemaking, raising
16 these issues for public comment, you would get a plethora of

17 comment and be able to sort through it and see what you
18 think with respect to what the public has said. Certainly,
19 there might be some agreement states who would come in and
20 say, yeah, we agree with this. We go through all the
21 trouble of becoming an agreement state and, essentially, a
22 non-agreement state has more authority than we do, that
23 doesn't make sense.

24 So I would -- I mean it hasn't come to litigation,
25 really, yet, except in a very special case in the past. And

16

1 I think part of that is that the issues weren't ripe until
2 now. Now, you have a bunch of these sites going to closure
3 and the issues of where a non-agreement state gets involved
4 with final site closure of a mill tailing site are just
5 coming to the fore because you just now have the site
6 starting to go to closure.

7 COMMISSIONER DICUS: I have a follow-up question
8 to Commissioner McGaffigan's point that he was making.
9 Specifically, do you know of individual views of any states,
10 if we were to assume the authority of 11e.2 material, the
11 issue that you had before us, of any particular views how
12 the states -- the non-agreement states would really view
13 this, or EPA, their points on this, specifically?

14 MR. THOMPSON: I would suspect that Utah and
15 Wyoming, who have been fairly aggressive in expressing their
16 views, would take a different view. Whether they would, you
17 know, do any more than express their opinions in terms, in a
18 rulemaking proceeding, obviously, I couldn't say.

19 I know that, presumably, an agreement state like
20 Colorado will present a slightly different approach. Having
21 an agreement state program that is covering mill tailings
22 and has from the 1980s on, I suspect they would advance a
23 different position.

24 MS. SWEENEY: And I don't think we have any views
25 on EPA, on their thoughts. I haven't -- or I don't --

17

1 MR. THOMPSON: No, I mean I don't know that EPA --
2 it seems to me this is really -- really, NRC's call. I mean
3 we know that EPA sets the general applicable standards and
4 we know that EPA has, for ground water, provided equivalent
5 to RCRA standards for mill tailings, and we know that EPA is
6 forbidden from issuing RCRA permits for mill tailings sites.
7 So, I don't know that EPA would be actively involved in
8 this.

9 MS. SWEENEY: We would like to provide you with
10 some examples of problems with the concurrent jurisdiction
11 position. I would like to acknowledge that these are
12 potential problems, at least for now. But with more sites
13 nearing closure, there is a greater likelihood that one of
14 these problems could occur.

15 The first example is the potential for perpetual
16 license. In January 1998, NRC and the Department of Energy
17 finalized their working protocol on license termination and
18 transfer of custody of 11e.2 byproduct material facilities.
19 The protocol states NRC will not terminate any site-specific
20 license until the site licensee has demonstrated that all
21 issues with state regulatory authorities have been resolved.

22 This language was presumably included to address
23 concerns that DOE could be required by the Federal
24 Facilities Compliance Act to resolve these state issues
25 after license termination. While this provision may address

18

1 DOE concerns, it forces any Title 2 site that is subject to

2 complex state regulations, such as ground water standards,
3 to grapple with the prospect of a substantial delay in
4 termination of the license, even after the licensee has
5 completed remediation satisfying all NRC requirements.

6 Given the active role playing by states such as
7 Wyoming in extending their regulatory jurisdiction over
8 uranium mill tailings sites, this scenario will likely be
9 played out at many Title 2 sites and may result in serious
10 delays in license termination, or perhaps even a perpetual
11 license situation.

12 The protocol, as agreed to by both NRC and DOE,
13 demonstrates that DOE is extremely reluctant to accept title
14 to sites where concurrent jurisdiction means states will be
15 able to require clean-up measures even after all NRC
16 requirements have been made.

17 A second example is that concurrent jurisdiction
18 could also potentially create a whole new category of
19 licenses. For example, say a site has completed surface
20 stabilization and been granted an alternate concentration
21 limit. Anything within the point of exposure would remain
22 within NRC jurisdiction, but under the concurrent
23 jurisdiction approach, states would have jurisdiction over
24 ground water inside and outside the point of exposure. And
25 if there are non-hazardous, non-radiological constituents in

19

1 such ground water that exceed the state standards, states
2 may require the licensee to institute pump and treat
3 technology. If this involves pumping and treating 11e.2
4 byproduct material outside the point of exposure, a new
5 license for 11e.2 material could be required, which raises
6 some interesting questions such as -- What if the licensee
7 doesn't own the land outside the point of exposure, who will
8 be the licensee, and where will the material being treated
9 be disposed?

10 A final problem is the concurrent jurisdiction
11 could also pose a potential threat to the Agreement State
12 Program and Tony was just talking about this.

13 Agreement states must carefully conform their
14 regulation of radiological and nonradiological hazards
15 associated with 11e.2 material to federal standards, as
16 required by UMRCA. Nonagreement states, on the other hand,
17 are free to regulate 11e.2 material without any regard to
18 consistency with the federal standards

19 In other words, agreement states would have to
20 comply with stringent requirements in order to achieve and
21 retain their agreement state status and yet receive less
22 authority over 11e.2 material than they would otherwise be
23 able to exercise as nonagreement states and we don't think
24 this makes much sense.

25 CHAIRMAN JACKSON: Please.

20

1 COMMISSIONER McGAFFIGAN: Is there real cases at
2 the moment in Colorado and New Mexico that different from
3 Wyoming and Utah in how they are going about terminating and
4 turning over to DOE sites? Can you discern real differences
5 in the programs of those states?

6 MS. SWEENEY: At the moment, since only two Title
7 II licenses have been terminated, and other sites are just
8 starting to go through the process, I don't believe that we
9 see any noticeable differences at this juncture.

10 COMMISSIONER McGAFFIGAN: Which two are
11 terminated?

12 MS. SWEENEY: TVA and Atlas Blue Water.

13 COMMISSIONER McGAFFIGAN: And Arco?

14 MS. SWEENEY: Arco -- I mean Arco Blue Water, I'm
15 sorry. Got Atlas on the brain.

16 MR. THOMPSON: There have been assertions by state
17 regulatory officials in New Mexico, Wyoming and Utah that we
18 are aware of suggesting that they, because of their
19 authority to regulate nonradiological constituents right up
20 under the pile -- not just inside the point of exposure --
21 that they even have authority to review the surface
22 stabilization plan because part of the surface stabilization
23 is to prohibit infiltration and therefore it impacts
24 groundwater and therefore they have a derivative authority.

25 That has been expressed, in some cases in writing.

21

1 MS. SWEENEY: I am sure as more sites are going
2 through the closure process, I think we will see some
3 diverging activities between -- differences between the
4 agreement states and the nonagreement states in their
5 approaches.

6 COMMISSIONER DICUS: But there have been to date
7 no actual problems of the transfer in DOE. What I am
8 getting at is wanting to address an issue before it becomes
9 a problem, is that a fair statement?

10 MS. SWEENEY: Correct. Definitely.

11 The National Mining Association's recommendation
12 on the concurrent jurisdiction issue is we are asking the
13 Commission to re-evaluate the current de facto policy being
14 applied and to affirmatively assert and as needed vigorous
15 defend Federal preemption in this area.

16 CHAIRMAN JACKSON: Please.

17 COMMISSIONER DICUS: If the NRC were to do this, I
18 want to try -- no, let me ask my question and see if I have
19 to explain it.

20 If we were to do this, would there be in your view
21 net harm to the public health and safety or net improvement
22 in the public health and safety? I am trying to tie the
23 action to a health and safety issue if there is one, or is
24 the issue predominantly legal and economic?

25 Can you tie those together for me?

22

1 MS. SWEENEY: That's a big one. Do you want to --

2 MR. THOMPSON: I think you can. I think you can
3 in the sense that you are going to optimize regulatory --

4 MS. SWEENEY: -- efficiency.

5 MR. THOMPSON: -- efficiency.

ncy. What you may wind

6 up with is the nonhazardous, nonradiological constituents in
7 groundwater, for example, driving the issue of when you can
8 terminate a license.

9 The NRC's program is risk-based. Alternate
10 concentration limit is a site-specific risk-based standard.
11 The State of Wyoming says that we don't do risk-based. You
12 have to meet a more stringent standard where there is any
13 risk to human health or not. That is one example, so we
14 think that it would promote human health and safety because
15 the idea is to get these piles closed, address whatever
16 issues there are related to them in terms of long-term
17 public care and public exposure, get them stabilized, get
18 the groundwater done and get on with it.

19 That would be my answer.

20 MS. SWEENEY: And I think that that's right and I
21 think that the risks being addressed by NRC encompass what
22 the states are trying to achieve. I think what we have is

23 duplicative and that if the states were out of it, the
24 public certainly wouldn't be at any greater risk. They are
25 already protected by the Nuclear Regulatory Commission and

23

1 the Environmental Protection Agency.

2 MR. THOMPSON: I am just going to briefly address
3 the in-situ issue.

4 As I mentioned, in-situ at the time that opinion
5 came out was really a very small, tiny -- you know, R&D; kind
6 of a thing and now it is really dominating production in
7 this country.

8 Our view of that opinion is that it really is
9 perhaps -- I don't know why -- I mean it's sort of an
10 aggressive position on taking jurisdiction there and a more
11 reluctant position on taking jurisdiction over --
12 pre-emptying jurisdiction, shall we say.

13 There is an inconsistent application of some of
14 NRC's definitions and things as they are applied, as far as
15 we are concerned NRC doesn't regulate or that is taken from
16 underground or surface uranium mines and stored on pads at
17 the surface or transported to the mill, because NRC has
18 traditionally not regulated source material until it's
19 removed from its place in nature.

20 We view this mining as mining and not underground
21 milling, which is what the Staff position is.

22 Also, the whole reason for creating the byproduct
23 material was that there was no source material left in the
24 tailings at .05 percent or greater. The uranium in the
25 solution coming out of the underground mine is not at .05

24

1 percent until it gets at least to the I-X, and perhaps
2 further and it is not refined. It is unrefined and
3 unprocessed according to the definition of that, as far as
4 we consider it.

5 So the final thing I guess is you have now the EPA
6 UIC Program and basically what that says is you have got to
7 get an aquifer exemption first which says this is not a
8 drinking water aquifer that you are operating in because you
9 have got minerals in there and you have got high levels of
10 radionuclides. You can't drink it because you have got, for
11 example, radon concentrations in hundreds of thousands,
12 perhaps millions of picocuries per liter, so they grant you
13 an aquifer exemption within a certain confined area, and
14 then you have to get a UIC permit which says how you pump it
15 and all that, and that is completely overlapping with NRC
16 right now.

17 It is totally duplicative and the states as
18 well -- for example, in Wyoming the state has a very
19 sophisticated, I would say -- fair statement? --
20 sophisticated program that involves ISL because they have a
21 lot of ISL mines, so basically we think it would make sense
22 for the NRC to regulate the discrete surface wastes from ISL
23 mining because that is really what the Mill Tailings Act was
24 looking at and not at the wellfields as such.

25 I guess the -- I am not going to dwell on this

25

1 effluent guidance because the Staff is changing the effluent
2 guidance in response to comments and discussions we have had
3 with them, but as an example, you get into all kinds of sort
4 of funny situations. I mean under the current situation we
5 are saying that the NRC -- that we have milling underground,
6 yet the wastes that are created underground are not
7 byproduct material, whereas the waste created by milling on
8 the surface, the tailings and the contaminants that get into

9 the groundwater, are considered 11e.2 byproduct material, so
10 that we wind up with a mixture of what we call production
11 wastes, which are 11e.2 byproduct materials because the
12 wellfield is part of NRC's jurisdiction currently, and then
13 the restoration of the wellfield, which is not 11e.2
14 byproduct material, and that has led to a mixture of wastes
15 in the past in sludges, for example, that are a mixture of
16 process and restoration wastes.

17 What that then has resulted in is when you say,
18 well gee, we have a non-11e.2 policy that says we are not
19 supposed to put in effect restoration wastes in the tailings
20 pile, we have come up with predominant waste tests. We are
21 having to jerry-rig at this point in this point in time and
22 we are saying that if most of the wastes created by ISL are
23 from process then we can put it in the tailings pile and we
24 will call it all 11e.2, because most of the wastes are
25 restoration.

26

1 Well, if that predominant test is the predominant
2 source test, you could put anything in a big enough mill
3 tailings pile because it is going to be swamped by the fact
4 that 98 percent of everything in there is 11e.2, so it just
5 that I guess again, getting back to the strategic
6 reassessment, you have got to sort of back-and-fill now in
7 some of these situations and that is what has happened and
8 it creates perplexing situations for I think the Staff and
9 for the licensees as well.

10 Our recommendation would be for NRC to consider
11 essentially regulating the surface activities of ISL
12 facilities, waste that is to go to tailings piles, such as
13 filters, things of that nature, that are on the surface, but
14 to get out of the wellfields.

15 COMMISSIONER McGAFFIGAN: Again, this has been in
16 place for 18 years and things have changed, but would we be
17 leaving a gap? I guess Wyoming hasn't come to rely on your
18 testimony, but has EPA come to rely on us in other cases,
19 and would our backing off and just dealing with the surface
20 activities leave them in any fix or not?

21 MR. THOMPSON: I don't believe so. I mean I
22 believe that EPA proceeds independently under the UIC
23 provisions and those who are concerned, for example, with
24 issues relating to an ISL project, there is a complete
25 public input process involved in EPA's UIC program, so that

27

1 proceeds independently and in duplication of what NRC is
2 currently doing, and indeed perhaps in triplication with
3 certain states.

4 CHAIRMAN JACKSON: Okay. Commissioner?

5 COMMISSIONER DICUS: Follow-up on that.

6 Does the EPA's UIC program provide the same degree
7 of protection to the environment as ours, more or less?

8 MR. THOMPSON: I would say yes, the same. Mark
9 might be able to speak to the specifics more than --

10 MR. WITTRUP: I would say in general more,
11 especially as administered in my case by Wyoming.

12 CHAIRMAN JACKSON: EPA's provides more?

13 MR. WITTRUP: Yes.

14 CHAIRMAN JACKSON: Okay.

15 MS. SWEENEY: The third issue addressed in the
16 white paper is NRC's final guidance for disposal of
17 non-11e.2 byproduct material and tailings piles.

18 Under the guidance, a facility may dispose of
19 non-11e.2 material and tailings impoundments only after

20 satisfying nine criteria specified in the guidance. The
21 purpose of the guidance is to prevent inappropriate
22 commingling of mill tailings with non-11e.2 materials and
23 tailings piles in order to prevent a mixed waste situation,
24 and thus to avoid any duplicative regulation by EPA or a
25 state and also to avoid DOE reluctance to accept title to

28

1 the site.

2 We believe that guidance is too restrictive,
3 making it very difficult to actually dispose of such
4 materials and tailings piles.

5 Let me tell you that the materials we are talking
6 about aren't materials that would increase the risk to the
7 public. We are talking about materials that are similar in
8 nature to the wastes already in the tailings impoundments.

9 NMA believes that facilitating such disposal is
10 consistent with sound public policy and the goal of
11 optimizing protection of public health, safety and the
12 environment.

13 Given the current shortage of disposal capacity
14 for low level radioactive materials, difficulties involved
15 with siting new facilities, and the conservative UMTRCA
16 requirements that protect public health and environment, it
17 makes sense to allow such disposal. And NRC has recognized
18 that uranium mill tailings may potentially be a solution for
19 radioactive waste disposal in Direction Setting Issue 9,
20 Option 7 of its Strategic Assessment.

21 We believe that DOE should not have a problem
22 accepting title to sites with such material. While UMTRCA
23 only requires DOE to take 11e.2 byproduct material, the
24 Nuclear Waste Policy Act authorizes DOE to take title to and
25 custody of low level waste under certain conditions that we

29

1 believe UMTRCA and the regulations thereunder satisfy by
2 definition.

3 As to duplicative regulation by EPA, UMTRCA's
4 statutory scheme provides for EPA-NRC dual jurisdiction in a
5 variety of circumstances, so we don't think that dual
6 jurisdiction poses a new problem here. And we think that
7 duplicative regulation with EPA or the states is something
8 that can be worked out, maybe memorandums of understandings,
9 maybe legislation. There might be solutions out there, and
10 we think that this is an areas where perhaps being creative
11 can be helpful, and it just makes a lot of sense to allow
12 this type of disposal.

13 CHAIRMAN JACKSON: Let me ask you a question. As
14 far as I understand, the staff's guidance doesn't preclude
15 --

16 MS. SWEENEY: No.

17 CHAIRMAN JACKSON: -- the disposal of the
18 materials, --

19 MS. SWEENEY: It just makes --

20 CHAIRMAN JACKSON: -- it just says that there
21 should be special reviews done?

22 MS. SWEENEY: Correct.

23 CHAIRMAN JACKSON: So is it that -- is your
24 objection then to having the special reviews done?

25 MS. SWEENEY: Of special nuclear material?

30

1 CHAIRMAN JACKSON: Yes.

2 MS. SWEENEY: No. We don't object to that. As a
3 matter of fact, in the White Paper, we wrote that perhaps
4 for special nuclear material that there would have to be a
5 new framework set up. But once that -- you know, there

6 might have to be certain criteria that would have to be met
7 before you could dispose of special nuclear material in the
8 pile. But we think if that framework was in place, then we
9 wouldn't have to have an individual review each time that
10 you wanted to place special nuclear material in the pile,
11 you would just have to have met those specific new criteria.

12 CHAIRMAN JACKSON: Please.

13 COMMISSIONER McGAFFIGAN: I think you said
14 something to the effect that DOE can take possession under
15 the Low Level Waste Policy Act of this material and it is
16 similar to the material that is at UMTRCA. But do you end
17 up in a situation where the site, having accepted this
18 material, essentially, is both a low level waste site and
19 comes under that regulatory scheme, and -- I mean if you are
20 DOE, you know have -- you have a low level waste site and
21 you have a -- which DOE currently self-regulates, if it's a
22 DOE low level waste site, but you -- and a uranium mill
23 tailings site, and you will end up with a very complex
24 regulatory framework?

25 MS. SWEENEY: I --

31

1 COMMISSIONER McGAFFIGAN: Go ahead.

2 MS. SWEENEY: I was going to say, no, I don't
3 think so. The UMTRCA program has a much larger horizon of
4 time that it covers. It is more protective than the Low
5 Level Waste Program, so I believe that DOE could follow the
6 UMTRCA requirements.

7 COMMISSIONER McGAFFIGAN: And just say that by --

8 MS. SWEENEY: That by following those they are
9 meeting the low level waste.

10 COMMISSIONER McGAFFIGAN: Low level waste. So
11 there is nothing additional? The one regime trumps the
12 other and anything the other requires is already met by the
13 UMTRCA, that's --

14 MR. THOMPSON: I think you could address that
15 issue, and you probably should address that issue if you are
16 going to try to create alternate criteria. The issue has
17 been somewhat addressed, for example, with respect to the
18 Envirocare 11e.2 facility, in which initially there was some
19 question about whether there would have to be sort of a dual
20 Part 61-Part 40 license and, basically, they said, no, this
21 is 11e.2, it will be under Part 40, however, you are going
22 to have to comply with some Part 61 record keeping
23 requirements.

24 So to the extent that there -- and waste form, for
25 example, is more important in -- at least in Part 61

32

1 because, in Part 40, if you are talking about an operating
2 mill, you have got liquid in it, and you don't have liquid
3 in the waste that is going to a Part 61 facility. But those
4 are kinds of issues that could be addressed, and it seemed
5 to me that NRC could include some provisions that they felt
6 were relevant in Part 61 that would be applicable to the
7 disposal of any such material as part of the generic
8 criteria. There could be a waiver of certain Part 61
9 requirements, a generic waiver based on certain
10 requirements. And I think we suggest that in the comment.

11 CHAIRMAN JACKSON: Have you ever petitioned the
12 NRC for rulemaking?

13 MR. THOMPSON: Have I ever?

14 CHAIRMAN JACKSON: Yes, on these particular
15 issues.

16 MR. THOMPSON: No. No, in fact, we -- the

17 question was whether -- should we petition for rulemaking on
18 these issues? And the answer, essentially, was we knew that
19 NRC was possibly going to be looking at some of the issues
20 in conjunction with Part 41. Also, again, this is an issue
21 that is just coming to maturity in some ways now, because
22 what we are really talking about in a lot of respects is a
23 lot of high volume wastes that are simply unlikely to go to
24 a compact site just because of the cost, if for no other
25 reason. Where you are talking about hundreds of dollars a

33

1 cubic foot and we are talking about thousands of tons of
2 material. So we had just, really, in the last year begun
3 discussions, that is, the NMA did, with members of the Fuel
4 Cycle Facility Forum. And so these issues are still, I
5 would say, in the opening phases of consideration and that's
6 the way we proffer them. We don't necessarily suggest we
7 have all the answers, but we think they might ought to be
8 looked at.

9 CHAIRMAN JACKSON: Well, Commissioner Dicus, then
10 Commissioner McGaffigan.

11 COMMISSIONER DICUS: Have you discussed this issue
12 with, for example, the Low Level Radioactive Waste Forum or
13 with compacts as to whether or not any changes that we might
14 make in our criteria create problems or take away problems
15 with, particularly, states that are in the process of either
16 trying to license a new site or those states that are still
17 in the process? I would just be interested to know if this
18 creates a problem.

19 MR. THOMPSON: I think we are too preliminary. We
20 are just raising the issues. I mean I think that there have
21 been active discussions amongst our group in the Fuel Cycle
22 Facility Forum licensees that if they were to petition for
23 rulemaking, and that has been discussed, that they would
24 need to go and talk to the compacts and the state regulators
25 as well. And there is an awareness that that would have to

34

1 be something that would be addressed.

2 COMMISSIONER MCGAFFIGAN: And my question directly
3 follows Commissioner Dicus'. The other interested party in
4 this may be DOE, not just from a regulatory perspective, but
5 if somebody has large volumes of low activity waste lying
6 around at various places, it is the Department of Energy
7 itself. Have you talked to them about whether, you know, in
8 their environmental management mode, they would be
9 interested in these sorts of schemes? I mean the sort of --

10 MR. THOMPSON: Not directly. But, certainly, that
11 has also been discussed, because, in conjunction with the
12 potential that DOE may be ultimately, or some portions of
13 DOE may be regulated by NRC, it seemed to make some sense to
14 raise the issue, since by law these sites will in all
15 likelihood, since no state has expressed an interest, be DOE
16 licensees anyway under the Mill Tailings Act.

17 COMMISSIONER DIAZ: Going back to the bottom line
18 on this issue, you are really at the present time just
19 saying that the criteria need to be maybe simplified and
20 clarified for use and in other possible options, that is the
21 bottom line on this?

22 MS. SWEENEY: Correct.

23 COMMISSIONER DIAZ: Okay.

24 MS. SWEENEY: And just to add to Tony's response
25 on Department of Energy, I know that there have been some

35

1 folks that I have talked to just very casually about the
2 idea at Department of Energy who have said that is something

3 that should be considered. And, in fact, the National
4 Mining Association submitted comments to DOE on its notice
5 of intent to consider use of commercial facilities for low
6 level radioactive waste, and in addition to our comments, we
7 submitted a copy of the White Paper with those comments to
8 highlight that issue. So I think it is something that at
9 least some people at DOE are aware of and are considering.

10 COMMISSIONER McGAFFIGAN: Could we get a copy of
11 those comments just to have in our system as well?

12 MS. SWEENEY: Sure.

13 COMMISSIONER McGAFFIGAN: Thank you. Okay.

14 MR. THOMPSON: Actually, this fits rather nicely
15 into the next topic, which is the alternate feed policy.
16 You have two tests now under the alternate feed policy, the
17 co-disposal test, which incorporates all nine of the
18 requirements for the non-11e.2 disposal and therefore is,
19 practically speaking, of little use. And then the
20 certification test which now appears to incorporate some
21 sort of economic analysis of whether or not the uranium
22 itself is in and of itself economically viable to process
23 the ore.

24 And it is the position of NMA, and embellished
25 upon in the IUC petition, that, basically, when they create

36

1 11e.2 byproduct material, Chairman Henry's testimony was to
2 modify the definition of byproduct material to include -- so
3 that there wouldn't be a waste stream escaping the 11e.2
4 designation. That would include processing ores below the
5 .05 percent licensable level. And that was designed in
6 order to assure there was no -- in other words, our view is
7 that the real focus is to make sure there is no regulatory
8 gap here, and there isn't a regulatory gap. It isn't really
9 whether the economics of the production are based only on
10 the uranium. In fact, NRC's policies for a long time have
11 recognized that that isn't necessarily the case because you
12 have the IUC mill and previously the energy fuels and Union
13 Carbide, when they owned that mill, were processing dual
14 streams of vanadium and uranium.

15 There are other facilities -- and the point is
16 that the word primary, and in NRC's own language, which we
17 quote in the IUC petition, the word primary is to
18 distinguish from secondary uranium recovery facilities, a
19 molybdenum or a copper facility that is taking off, you
20 know, lead, zinc, whatever, perhaps uranium, because it
21 isn't their primary purpose. Their uranium recovery may be
22 licensed under a source material license, but it doesn't
23 turn all the tailings and the mill and everything else into
24 11e.2 byproduct material.

25 And we think this fits very nicely with this idea

37

1 of waste disposal. For example, there is an amendment
2 before the staff now to take some FUS wrap materials, which
3 DOE has classified as essentially byproduct material, and to
4 do it at less cost than other options that have been quoted.
5 At the same time, to be able to take out whatever valuable
6 components, in terms of source material, are in that
7 material. And so this is an example of a way in which --
8 this was formerly DOE, now Corps of Engineers, but some DOE
9 wastes can be disposed after you process them, recycle them
10 to get whatever value there is, and then dispose of them in
11 the tailings. It is not escaping regulation.

12 CHAIRMAN JACKSON: So you think that the staff's
13 concerns about sham disposals are unfounded?

14 MR. THOMPSON: Yes, we do. We think that,
15 basically, -- I mean there was an opinion in a case where
16 the judge said we have to look at economics, but there was a
17 recent opinion where the judge said, well, what would be
18 wrong with recovery valuable source material and lowering
19 the cost of disposal at the same time? As long as you make
20 the basic assumption that uranium mill tailings facilities
21 are licensed as part of the fuel cycle and, therefore, the
22 primary purpose for processing materials that contain source
23 material is, by definition, to recover the source material
24 content. There can be second side stream or secondary
25 recovery such as vanadium or tantalum or niobium or other

38

1 things, but the materials become 11e.2, the wastes become
2 11e.2.

3 CHAIRMAN JACKSON: Okay.

4 MR. THOMPSON: And, really, again, we are talking
5 here about materials that are similar to mill tailings,
6 large volume soil and rubble that just it's going to be hard
7 to send to a compact, and just direct disposal doesn't give
8 you the benefit of taking whatever value -- valuable
9 minerals are in there, whether it be just uranium or uranium
10 and some other things.

11 COMMISSIONER DICUS: What technical assessments
12 have been made to demonstrate that the hazardous waste
13 components from a milling alternative feed, materials are
14 generically within the design parameters of conventional
15 uranium mill tailings disposal sites would not affect their
16 performance?

17 MR. THOMPSON: Well, right now the Staff's policy
18 requires that you demonstrate that it doesn't contain a
19 listed -- that it isn't a listed hazardous waste, so that
20 you don't run into a mixed waste problem, but the Staff
21 policy says that if it is, just the corrosivity, toxicity
22 and those things, that recycling takes it out from under
23 RCRA.

24 Essentially you have RCRA requirements or the
25 equivalent of RCRA requirements applied to mill tailings

39

1 facilities anyway and you are really talking about hazardous
2 materials and groundwater. The same RCRA standards that are
3 applicable to surface impoundments essentially are
4 applicable to these facilities through the EPA and NRC
5 regulations, so there is no gap there.

6 We know that one of the reasons they said mill
7 tailings are to be all waste was that they knew that it
8 contained heavy metals, hazardous constituents and they
9 wanted to cover it all, and that is why Congress for this
10 one subset of your licensees has made them responsible for
11 the nonradiological components.

12 Mill tailings, if you look at them physically,
13 radiologically and hazardous, they are classic mixed waste,
14 but NRC's interpretation, and which we cite in here in a
15 memo from Mr. Lohaus says that because it is 11e.2 byproduct
16 material it is not, by definition, mixed waste, and DOE and
17 EPA agree with him -- even though it has hazardous
18 constituents that might otherwise make it a mixed waste. It
19 is because of that definition, and that is why we say these
20 definitions are very important.

21 CHAIRMAN JACKSON: I want you to repeat the
22 question, because I thought it was an interesting question.

23 COMMISSIONER DICUS: Well, I am not sure it's --

24 CHAIRMAN JACKSON: -- been answered.

25 COMMISSIONER DICUS: -- been answered either.

1 I am asking specifically technically assessments.
2 Have they been done --
3 MR. THOMPSON: Yes.
4 COMMISSIONER DICUS: -- or are you aware that they
5 have been done?
6 MR. THOMPSON: Yes.
7 COMMISSIONER DICUS: Where?
8 MR. THOMPSON: In conjunction with license
9 amendments, licensees have done detailed tests to determine
10 whether or not the materials contain hazardous waste or
11 hazardous materials and would have an adverse impact --
12 COMMISSIONER DICUS: -- on the performance.
13 MR. THOMPSON: -- on the performance. In general,
14 the rules that EPA created when they created the rules in an
15 engineering sense, made the assumption that they wouldn't
16 because they were going to be subject to these RCRA
17 groundwater standards anyway.
18 If you go back and look at the EPA, in 1983 they
19 just incorporated the RCRA requirements in.
20 COMMISSIONER DICUS: Are you aware of any of those
21 assessments that were done that found a problem with a
22 certain strange alternative feed?
23 MR. THOMPSON: I am not aware of any but there
24 were, I am sure they weren't granted. To the extent that a
25 hazardous constituent is a problem, a listed hazardous

1 constituent, bringing dual jurisdiction, I think you could
2 set that aside and deal with that later, but I think the
3 assumption is now that for an alternate feed it has to meet
4 the requirements of RCRA that it be characteristic and that
5 there be recycling so it is no longer a hazardous concern.
6 I don't think there's ever been any real concern
7 expressed that I am aware of that any of the hazardous
8 constituents that typically go with alternate feeds are
9 going to adversely affect the performance of the mill
10 tailings cell. If there were, I am sure that the Staff
11 wouldn't grant the amendment or if there were I am sure that
12 the licensee, certainly if they were raising it with their
13 counsel, their counsel would say don't put it in there if it
14 is going to impact the -- if you go beyond what is accessed
15 environmentally or EA or whatever, you can't put it in.
16 CHAIRMAN JACKSON: Well, as far as you know, the
17 Staff explicitly considers the impact on the --
18 MR. THOMPSON: Yes.
19 CHAIRMAN JACKSON: And has an application filed
20 for the processing of alternative feed material ever been
21 denied by the Staff?
22 MR. THOMPSON: You know, I can't answer that. I
23 know that there have been --
24 CHAIRMAN JACKSON: I think not.
25 MR. THOMPSON: -- sort of withdrawn but --

1 CHAIRMAN JACKSON: Okay. I think not, and so I
2 guess I am trying to get at what the fundamental issue is.
3 MR. THOMPSON: The fundamental issue is I think
4 that the Commission's actual practice in addressing
5 applications is almost right where we are suggesting it
6 ought to be explicitly.
7 CHAIRMAN JACKSON: But in practice there's --
8 MR. THOMPSON: In practice, but for example the
9 question comes up when you are dealing with some FUSWRAP
10 material or perhaps some other DOE wastes or other wastes,

11 do we have to go through a full-scale process every time to
12 address it, and do we have to look at the economics of the
13 uranium alone and our answer is no.

14 COMMISSIONER MCGAFFIGAN: My sense is what they
15 are saying is delete the economic tests and have all the
16 health and safety tests that we put them through in terms of
17 justifying that this material, once it is processed, still
18 is similar to the material that is going to be in the
19 tailings pile anyways, and so it is the economic tests that
20 you are suggesting that we delete while keeping all of the
21 health and safety tests.

22 MR. THOMPSON: That is one way of saying it, yes.

23 We think you are very close to the way we want it
24 addressed, but we think a easy way to do it is to make that
25 assumption that we talked about.

43

1 CHAIRMAN JACKSON: Well, an easy way would be the
2 health and safety way -- is to focus on the health and
3 safety issues vis-a-vis the performance of the mill
4 tailings.

5 MR. THOMPSON: Right, and we agree with that.

6 CHAIRMAN JACKSON: All right.

7 MS. SWEENEY: We have a few suggestions for
8 changes necessary to institute the recommendations as a
9 whole in the white paper.

10 The strategic reassessment will be required and as
11 your letter yesterday to me stated, Chairman Jackson, that
12 seems to be a path that you are already on, and you are
13 going to be looking at these issues in conjunction with
14 Staff and the Staff is looking at rulemaking options and we
15 think that changes in regulatory practices or regulations
16 may be necessary.

17 We know that there are concerns about the
18 nonradiological, nonhazardous components of 11e.2 byproduct
19 material, and maybe there is need for some work in that
20 area.

21 Also, there might be, as we were discussing, with
22 the special nuclear material, maybe there is a need there to
23 find out -- to draw up some guidelines on what could and
24 could not go in the tailings pile for disposal.

25 We also believe that on the jurisdictional issues

44

1 that Commission directives would be helpful. We don't think
2 legislation is necessary but if that is the path the NRC
3 would like to follow, we would certainly support it and we
4 would like to support any efforts in this area and will
5 continue to work with the Staff and the Commission to
6 proceed on these issues.

7 We just have a few questions that we feel need to
8 be asked and they are questions that highlight the issues
9 that we talked about today, and we consider these common
10 sense questions and if we could go back to the beginning,
11 these are the kind of questions that we would like to ask
12 and we think that these kind of questions can help focus our
13 attention on the issues.

14 Does concurrent jurisdiction over nonradiological
15 component of 11e.2 byproduct material make sense, given how
16 it will interfere with site closure and license termination?

17 Does it make sense to treat the subsurface aspects
18 of ISL mining differently than conventional mining when the
19 processes are essentially similar?

20 Does it make sense to ignore the waste capacity of
21 mill tailings piles given the difficulty in siting new waste
22 disposal facilities?

23 Does it make sense to create barriers to putting
24 other materials in tailings piles as long as risks to the
25 public do not increase?

45

1 Does it make sense to create barriers to running
2 alternate feed through the mill when such activity makes
3 both environmental and economic sense?

4 The answer to all these questions of course, in
5 our opinion anyway, is no. We believe NMA's white paper
6 recommendations are legally sound, are good public policy
7 and will optimize the protection of public health and
8 safety, which is the primary mission of the Nuclear
9 Regulatory Commission.

10 We thank you for your attention today and hope to
11 continue to work with you on these issues.

12 CHAIRMAN JACKSON: Let me take you back to your
13 more common sense questions.

14 MS. SWEENEY: Okay.

15 CHAIRMAN JACKSON: Where you say does it make
16 sense to ignore the waste capacity of mill tailings piles
17 given the difficulty in siting new waste disposal
18 facilities, are you willing to have your mill tailings piles
19 subject to the same regulatory requirements as low-level
20 waste facilities?

21 MS. SWEENEY: I would have to ask my -- I think
22 there are some NMA member companies who would, but I cannot
23 answer for them individually, but I do believe that there
24 are some companies that would be interested enough in
25 pursuing that.

46

1 CHAIRMAN JACKSON: I mean given that there are low
2 level waste requirements, as well as ones that relate to
3 siting of them -- I am just only focusing on that one common
4 sense question --

5 MS. SWEENEY: Yes.

6 CHAIRMAN JACKSON: -- that at the heart of it, you
7 seem to be suggesting that we adopt a policy that would de
8 facto allow you to create a low level waste disposal site
9 and therefore the question has to be addressed as to the
10 subjection of that given mill tailings site to low level
11 waste siting requirements and there are specific ones that
12 are in the low level waste -- in the Nuclear Waste Policy
13 Act, et cetera, and so this one is not -- and we talked
14 about it and you --

15 MR. THOMPSON: I think you would have to address
16 those issues and see which ones are relevant at a particular
17 site, and I think again that the focus here is on low level
18 waste that you could say are essentially similar --

19 MS. SWEENEY: Similar.

20 MR. THOMPSON: -- physically, chemically and
21 radiologically to what is in there, so we are not talking
22 about all low level waste, clearly. We are talking about a
23 very fine subset of low level waste.

24 CHAIRMAN JACKSON: Commissioners?

25 [No response.]

47

1 CHAIRMAN JACKSON: Any further comments?

2 MR. THOMPSON: Thank you very much.

3 MS. SWEENEY: Thank you.

4 CHAIRMAN JACKSON: Well, thank you very much.

5 I think it's been a helpful presentation and as we
6 are considering our various reassessments and the Staff
7 recommendations relative to that later on this year,

8 particularly relating to the regulation of uranium recovery
9 operations, your white paper will be useful to us.

10 Thank you very much for coming.

11 MS. SWEENEY: Thank you.

12 [Whereupon, at 11:12 a.m., the briefing was
13 concluded.]

14

15

16

17

18

19

20

21

22

23

24

25