

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title:                   Advisory Committee on Reactor Safeguards  
                              APR1400 Subcommittee Meeting

Docket Number:     (n/a)

Location:             Rockville, Maryland

Date:                  Friday, February 24, 2017

Work Order No.:     NRC-2903

Pages 1-182

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

APR1400 SUBCOMMITTEE

+ + + + +

FRIDAY

FEBRUARY 24, 2017

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B1, 11545 Rockville Pike, at 8:30 a.m., Ronald Ballinger, Chairman, presiding.

COMMITTEE MEMBERS:

RONALD BALLINGER, Chair

MATTHEW W. SUNSERI, Co-Chair

CHARLES H. BROWN, JR., Member

MARGARET CHU, Member

WALTER L. KIRCHNER, Member

JOSE A. MARCH-LEUBA, Member

DANA A. POWERS, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

JOY REMPE, Member

GORDON R. SKILLMAN, Member

JOHN W. STETKAR, Member

DESIGNATED FEDERAL OFFICIAL:

DEREK WIDMAYER

NRC STAFF PRESENT:

LAWRENCE BURKHART, NRO

JEFF CIOCCO, NRO

EDWARD STUTZCAGE, NRO

GETACHEW TESFAYE, NRO

ALSO PRESENT:

SANGHO KANG, KEPKO

JOONKON KIM, KEPKO

TIM LLOYD, WEC

ANDY OH, KHNP

ROB SISK, WEC

IRVING TSANG, DERADS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

C-O-N-T-E-N-T-S

Call to Order.....4

Opening Remarks and Objectives.....4

Staff Opening Remarks.....6

KHNP Opening Remarks.....7

Chapter 12, Radiation Protection.....7

Applicant Presentation

Chapter 12, Radiation Protection.....73

Staff Presentation

Questions and Comments.....115

Opportunity for Public Comment.....117

(None)

Adjourn.....118

## P R O C E E D I N G S

8:31 a.m.

CHAIR BALLINGER: (presiding) Good morning. The meeting will now come to order.

This is a meeting of the APR1400 Subcommittee of the Advisory Committee on Reactor Safeguards.

I'm Ronald Ballinger, Chairman of the -- and I've never been called that before -- I'm Ron Ballinger, Chairman of the APR1400 Subcommittee.

ACRS members in attendance today are Joy Rempe, Charles Brown, Jose March-Leuba, John Stetkar, Matt Sunseri, Dana Powers, Gordon Skillman, Margaret Chu, and Walt Kirchner.

Derek Widmayer is the Designated Federal Officer for this meeting.

The purpose of today's meeting is for the Subcommittee to receive briefings from Korea Electric Power Corporation and Korea Hydro and Nuclear Power Company, Limited, regarding their Design Certification Application and the NRC staff regarding their Safety Evaluation Report with Open Items specific to Chapter 12, Radiation Protection.

ACRS was established by statute and is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 governed by the Federal Advisory Committee Act,  
2 FACA. That means that the Committee can only speak  
3 through its published letter reports. We hold  
4 meetings to gather information to support our  
5 deliberations. Interested parties who wish to  
6 provide comments can contact our offices requesting  
7 time after the meeting announcement is published in  
8 The Federal Register. That said, we also set aside  
9 10 minutes for spur-of-the-moment comments from  
10 members of the public attending or listening to our  
11 meetings. Written comments are also welcome.

12 The ACRS section of the U.S. NRC public  
13 website provides our charter, bylaws, letter  
14 reports, and full transcripts of all full and  
15 subcommittee meetings, including slides presented  
16 at the meetings.

17 The rules for participation in today's  
18 meeting were announced in The Federal Register on  
19 Tuesday, February 7th, 2017. The meeting was  
20 announced as an open/closed-to-the-public meeting.  
21 This meant that the Chairman can close the meeting  
22 as needed to protect information propriety to KHNP  
23 or its visitors. I understand that there's no  
24 proprietary information.

25 No request for making a statement to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Subcommittee has been received from the public.

2 A transcript of the meeting is being  
3 kept and will be made available, as stated in The  
4 Federal Register notice. Therefore, we request  
5 that participants in this meeting use the  
6 microphones -- better than I do, actually; press  
7 the little button until the green light comes  
8 on -- located throughout the meeting room when  
9 addressing the Subcommittee. Participants should  
10 first identify themselves and speak with sufficient  
11 clarity and volume, so that they be readily heard.

12 We have a bridgeline established for  
13 interested members of the public to listen-in. The  
14 bridge number and password were published in the  
15 agenda posted on the NRC public website. To  
16 minimize disturbance, this public line will be kept  
17 in a listen-in mode only. The public will have an  
18 opportunity to make a statement or provide comments  
19 at a designated time towards the end of this  
20 meeting.

21 I request that the meeting attendees  
22 and participants silence cell phones and other  
23 electronic devices as well.

24 I invite now Jeff Ciocco, NRO Project  
25 Manager, to introduce the presenters and start the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 briefing.

2 Jeff?

3 MR. CIOCCO: Yes. Thank you.

4 My name is Jeff Ciocco. I'm the Lead  
5 Project Manager for the APR1400 Standard Design  
6 Certification Application.

7 Thank you for having us back today for  
8 the sixth APR1400 Subcommittee meeting on Chapter  
9 12, Radiation Protection. We're here with our  
10 technical staff and our Project Managers, and we are  
11 ready to go.

12 Thank you.

13 MR. SISK: This is Rob Sisk,  
14 Westinghouse, and on behalf of KHNP and KEPCO, we  
15 appreciate this opportunity to present Chapter 12.

16 Without more, I will turn it over to Mr.  
17 Sangho Kang, and we'll go from there.

18 MR. KANG: Thank you.

19 Good morning, everyone.

20 My name is Sangho Kang. I was working  
21 as a nuclear engineer and group supervisor at KEPCO  
22 Engineering and Construction.

23 Today I am going to talk about radiation  
24 protection and the features of APR1400. I am very  
25 pleased to have this opportunity to present the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 overview of the DCD Chapter 12 to ACRS members.

2 Before I start my presentation, I would  
3 like to introduce my team. On my left there is Mr.  
4 Dongsu Lee who is the Team Lead of Radiation  
5 Protection at KEPCO E&C. On my right, sitting, Mr.  
6 Irving Tsang from DERADS, is our technical  
7 consultant for Chapters 11 and 12. Mr. Joonkon Kim,  
8 sitting next to Mr. Lee, is the INC Team Lead at  
9 KEPCO E&C, is going to make presentation for the  
10 Area Radiation Monitoring System.

11 Now I can start the presentation. This  
12 presentation follows the other sections of DCD Tier  
13 2 Chapter 12, as shown in this slide.

14 After a brief overview of the  
15 application and review status of Chapter 12, I will  
16 talk about the highlights of each section from 12.1  
17 through 12.5. And then, I will show you the list of  
18 COL items which belong to this chapter. Then, I  
19 will talk about the open items and summarize this  
20 presentation.

21 For the staff's review of radiation  
22 protection design features, we submitted DCD Tier 1  
23 and Tier 2 without any technical or topical reports.  
24 The total number of RAIs associated with Chapter 12  
25 is 83. We have submitted all the responses as of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 February 23rd, this year.

2 According to the staff's SER, there are  
3 14 open items. We are working with the staff to  
4 close these open items. So, I'm going to talk about  
5 the details of the open items at the end of this  
6 presentation.

7 The structure of Chapter 12 follows the  
8 guidance of Reg Guide 1.206 and the associated SRPs.

9 Section 12.1 discusses about the design  
10 and operational policies to ensure that the  
11 occupational radiation exposures are maintained  
12 ALARA.

13 Section 12.2 provides the information on  
14 the radiation sources in the plant, including the  
15 contained, airborne, and accident source terms.

16 The APR1400 radiation protection design  
17 features such as layout, systems design, shielding,  
18 ventilation, and area radiation monitors are  
19 providing in Section 12.3.

20 Section 12.4 presents the dose  
21 assessment on occupational radiation exposure and  
22 the vital area mission doses and the design features  
23 to minimize contamination and radwaste generation.

24 The Operational Radiation Protection  
25 Program is described in Section 12.5.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now I'm going to start with the APR1400  
2 policies to assure ORE are ALARA. In order to  
3 ensure that occupational radiation exposures are  
4 ALARA, APR1400 provides organizational structure to  
5 effectively implement radiation protection policy,  
6 training, and reviews that are consistent with  
7 operational and maintenance requirements.

8           There are several Regulatory Guides  
9 related to ALARA implementation, including Reg Guide  
10 1.8, 1.33, 8.8, and 8.10.

11           The design policy of APR1400 is to  
12 implement the ALARA philosophy during the early  
13 stages of the design. This is fulfilled through the  
14 design review and documentation that assure  
15 consistency with the APR1400 ALARA design guide.  
16 The design is then supplemented by operational  
17 policies and programs that are intended to keep  
18 occupational exposure ALARA.

19           Details of the design considerations for  
20 maintaining ORE ALARA are shown in the second bullet  
21 of this slide. First, the APR1400-specific ALARA  
22 Design Guide, which is a high-level design criteria  
23 document developed in accordance with the associated  
24 Regulatory Guides, specify the approach, methods,  
25 and implementation guides for the responsible

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 engineers to take into account when they prepare,  
2 check, and review the design documents.

3 CHAIR BALLINGER: I have a question  
4 about that. This title APR1400 ALARA Design Guide  
5 appears in a number of places in the chapter, but we  
6 don't have that. Is that an available document?

7 MR. KANG: It was not requested by the  
8 staff, but that's the Design Guide we use  
9 internally.

10 CHAIR BALLINGER: Oh, okay. Because it  
11 seemed like it was the high-level --

12 MR. KANG: Yes.

13 CHAIR BALLINGER: -- document that sort  
14 of underwrote everything.

15 MR. KANG: Right.

16 CHAIR BALLINGER: Thank you.

17 MR. KANG: And the lessons learned from  
18 the construction and operation of the earlier  
19 nuclear power plants are incorporated using the  
20 systematic design procedures.

21 MEMBER SKILLMAN: Would you give us some  
22 examples, please, of the lessons learned that have  
23 been incorporated in your APR1400, lessons learned  
24 from your other nuclear power plants?

25 MR. KANG: Yes. Yes, because we have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 constructed that in the nuclear power plants since  
2 the 1970s, we have a lot of comments from the  
3 construction workers and operators in terms of the  
4 ALARA to reduce the dose. So, these kinds of  
5 comments are collected and provided to the designer.  
6 Because in Korea we are one family, the operator and  
7 the designer, this information was delivered to us,  
8 so that we can take into it account for the next  
9 construction and design.

10 CHAIR BALLINGER: So, are these lessons  
11 learned, are they incorporated into this ALARA  
12 Design Guide? Does that get updated?

13 MR. KANG: That kind of lessons learned  
14 are not controlled by this ALARA Design Guide, but  
15 the process is described in this guide. And the  
16 details, the systematic system, which is operated by  
17 the designer and collecting information from the  
18 site, we will check it and we implement it,  
19 incorporate their comments into the next design.  
20 That's our design procedure.

21 MEMBER SKILLMAN: Okay. That's very  
22 nice. Can you give us an example of where the  
23 APR1400 has been changed because of what you learned  
24 from your prior experience?

25 MR. KANG: I don't remember exactly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 But, for example, the access control system --

2 MEMBER SKILLMAN: The what?

3 MR. KANG: Access controls system,  
4 access control system for checking the entrance to  
5 the radiation area, and there is a health physics  
6 room which we designed. But, during the operation,  
7 the operator might feel that this is not convenient  
8 with respect to the exposure control. Then, they  
9 give us the comments. Then, we take into account  
10 their comments. We change our design by  
11 incorporating their comments. So, that's the one  
12 example.

13 MEMBER SKILLMAN: Are there any other  
14 examples that are prominent? For instance, the  
15 relocation of passageways or the relocation of  
16 shielding?

17 MR. KANG: That could be one of the  
18 comments. Yes. I don't remember exactly, but we  
19 can provide some kind of list for you after we get  
20 back home.

21 MEMBER SKILLMAN: No, I was just  
22 interested in how the design is maturing based on  
23 the experience that you have to date. That was the  
24 tone of the question. I'm not requesting a list.  
25 Do you understand what I'm --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KANG: Yes, the list, the comment  
2 lists are piled up in our system, and we check it  
3 for the start of the new construction design.  
4 Because those kinds of comments were raised by the  
5 operator. So, they ask us to incorporate their  
6 comments.

7 MEMBER SKILLMAN: I was particularly  
8 interested in whether or not you chose to reroute  
9 high-energy piping or piping that might contain a  
10 very high source term to a different location based  
11 on the experience that you have had in your other  
12 plants to date. That was what I was really curious  
13 about.

14 MR. KANG: So, the high-energy line  
15 which contains the highest radioactive source as we  
16 can -- I don't remember exactly. But, normally, we  
17 take the main steam line as a high-energy line;  
18 also, the similar blowdown and the others. But  
19 those kinds of system components that are part of  
20 the secondary system, and some part of the CVCS  
21 might be -- I don't know, exactly remember --

22 MEMBER SKILLMAN: The letdown line.

23 MR. KANG: Yes.

24 MEMBER SKILLMAN: The letdown line.

25 MR. KANG: Yes, it's that kind of piping

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 should be routed within the pipe chase which is  
2 shielded by the big complete doors.

3 MEMBER SKILLMAN: Thank you.

4 MR. SISK: This is Rob Sisk.

5 Just additional information for you.  
6 You may want to take a look at Section 12.1.3.2,  
7 which provides design features for the ALARA during  
8 maintenance and inspection. And it talks about some  
9 of the features that have been incorporated into  
10 APR1400.

11 MEMBER SKILLMAN: Thank you, Rob.

12 MR. KANG: Okay. The ALARA training  
13 program, which is a part of the ALARA Design Guide,  
14 is also an effective way of implementing ALARA  
15 during the design process.

16 In the design of equipment, the ALARA  
17 Design Guide requires to select the materials to  
18 effectively remove the contamination; to enhance  
19 reliability; to reduce maintenance, and to minimize  
20 corrosion.

21 In the layout design, the guide also  
22 requires to separate the radioactive equipment from  
23 the non-radioactive equipment and to provide  
24 sufficient area for inspection and maintenance.

25 The details of the ALARA design

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 considerations are described in Section 12.3 of the  
2 DCD, as Rob just mentioned.

3 The operational ALARA considerations are  
4 not within the scope of the Design Certification and  
5 will be provided by the COL applicants.

6 There are no outstanding review items by  
7 the staff for this section.

8 If you do not have any questions, I can  
9 move forward, move onto the 12.2. 12.1 is about the  
10 radiation sources of the APR1400.

11 In this slide, I will talk about the  
12 sources in the nuclear steam supply system first,  
13 the primary radiation emanating from the reactor  
14 core and also from the reactor vessel during normal  
15 operation and neutrons and gamma rays produced by  
16 the fission reactions.

17 The reactor core fission products are  
18 estimated using ORIGIN-S computer code based on the  
19 thermal power of 102 percent. The fission product  
20 core inventory data is provided in Chapter 15,  
21 Appendix A, not in Chapter 12.

22 The source of radiation in the reactor  
23 coolant system are the fission products released  
24 from the fuel and the activation and corrosion  
25 products. The fission product source terms provided

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in Chapter 12 are determined based on the fuel  
2 defect rate of .25 percent and used for the design  
3 of shielding and ventilation.

4 MEMBER POWERS: Does a calculation based  
5 on the defect give us a useful understanding of the  
6 contamination in the reactor coolant system with  
7 respect to activation and corrosion products? I can  
8 understand using it for shielding purposes, but if I  
9 want to understand what the activity is within the  
10 reactor coolant system, don't I need some other  
11 mechanism to understand activation and corrosion  
12 products, especially since I think at our last  
13 meeting we discussed extensively the use of cobalt  
14 alloys in the system?

15 MR. KANG: The core products in the  
16 reactor coolant system are produced by the  
17 activation of cobalt and other impurities within the  
18 reactor coolant system material. If it is corroded  
19 and you have some particles which go through the  
20 reactor core and it is activated and becomes  
21 radioactive, that is the mechanism of the production  
22 of corrosion products.

23 In the design of the APR1400, the amount  
24 of corrosion product in the RCS system is based on  
25 the operating experience in the United States, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the amount of corrosion product in the system was  
2 used as our shielding design as well as for the HVAC  
3 and the affluent design.

4 MEMBER POWERS: Okay. You have  
5 succeeded in puzzling me enormously.

6 (Laughter.)

7 MR. KANG: Yes, we understand that it is  
8 quite complicated to analytically calculate it. And  
9 we know that there are several models which can  
10 calculate the corrosion product inside the RCS, but  
11 we do not rely on the analytical model for the use  
12 of the design basis source. Instead, we use  
13 operating experience data.

14 CHAIR BALLINGER: I am sure this is  
15 going to come up more during this discussion, but if  
16 you will look at the DCD and some of the discussion  
17 in the SER for the Open Items with respect to dose,  
18 .25-percent failed fuel, which is a number you can  
19 use for shielding calculation, that is 50 fuel rods  
20 failed. Under normal operation, there is no way  
21 that any utility would ever operate with that many  
22 failed fuel rods, not even more than two, right?  
23 They would shut down and get rid of it.

24 And yet, in one section of the DCD it  
25 says that 25 to 50 percent of the dose is due to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 failed fuel, and the other 50 percent, or it adds up  
2 to 100 or so, is due to corrosion products. So, if  
3 that is true, and you actually have operating data  
4 on operating plants for which I'm sure you don't  
5 have 150 failed fuel rods, how does that square with  
6 the shielding calculations, the measurements that  
7 you actually do in a plant when you say this is my  
8 calculated dose for design purposes, but this is  
9 what I actually measure?

10 Maybe I'm not stating it as clearly as I  
11 could. But I'm wondering about that because it  
12 almost seems like if, in fact, 25 to 50 percent of  
13 the dose is from failed fuel and the failed fuel  
14 fraction is an artificially-high number, then when  
15 you actually operate the plant, 50 percent of the  
16 dose is due to something that will never happen.  
17 And so, if you actually measure the dose, it should  
18 be much, much lower. Is that true?

19 MR. KANG: I can tell you --

20 CHAIR BALLINGER: I'm sure I'm maybe not  
21 being clear.

22 MR. KANG: Yes. Yes, you're right, we  
23 use .25-percent fuel defect for shielding design  
24 basis because it is required by the SRP and Reg  
25 Guide 8.8.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR BALLINGER: Yes.

2 MR. KANG: If you want to use the lower  
3 number, then we have to justify. But we don't want  
4 to tackle with the regulation. So, that is why we  
5 use .25 percent as --

6 CHAIR BALLINGER: Yes, I understand that  
7 part, but when you actually go and measure the dose  
8 in room X --

9 MR. KANG: Yes.

10 CHAIR BALLINGER: -- for which you have  
11 calculated a number --

12 MR. KANG: Yes, when we actually look at  
13 the operating experience there for occupational  
14 exposure, then most of the dose comes from the  
15 corrosion product for the activity --

16 CHAIR BALLINGER: Right.

17 MEMBER KIRCHNER: Yes, that makes sense,  
18 yes.

19 CHAIR BALLINGER: Yes, it makes sense,  
20 yes.

21 MEMBER KIRCHNER: That makes sense.

22 MEMBER SKILLMAN: What is the span for  
23 normal operation of fuel? It must be substantially  
24 below .25 percent.

25 CHAIR BALLINGER: Well, they will shut

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 down with one failed fuel, two failed fuel rods.  
2 They will put them out, right?

3 MEMBER SKILLMAN: Right. It is really  
4 all governed by dose-equivalent iodine in your tech  
5 specs. And DEI will tell you what you need to do.  
6 In just a skosh of a pinhole leak or a failed fuel  
7 pin you will be there already. It will drive you to  
8 the dose-equivalent iodine, DEI, and you will shut  
9 down.

10 MEMBER KIRCHNER: So, going back to  
11 Dick's question earlier, from your operating  
12 experience, did you change any materials to reduce  
13 corrosion or as a source term in your APR1400  
14 design?

15 MR. KANG: Because the cobalt is the  
16 main source of the corrosion products, in our design  
17 specification we limit the contents of cobalt in the  
18 RCS components to less than 7 amount of level. That  
19 is how we control the production of the corrosion  
20 products. And the vendor, it is describing the CDS  
21 --

22 CHAIR BALLINGER: Yes, my understanding,  
23 that that was subject to one of the RAIs, which we  
24 might be discussing later on, where certain  
25 materials, the cobalt content was actually reduced

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as a result of an RAI.

2 MEMBER POWERS: But, still, if memory  
3 serves, we have got a lot of cobalt in this.

4 CHAIR BALLINGER: There are cobalt  
5 alloys used in selective locations.

6 MEMBER POWERS: For hardening.

7 CHAIR BALLINGER: For hard-facing and  
8 stuff.

9 MEMBER POWERS: And we end up not having  
10 a good understanding of what the real contamination  
11 in this system is. I mean, it seems to me using  
12 .25-percent fuel defect for shielding calculations  
13 is just fine, but to understand what the real  
14 contamination in the system is, we have got to have  
15 something different than that.

16 CHAIR BALLINGER: Yes. And for the  
17 record, I went back and looked at the AP1000 system.  
18 After all the RAIs and things like that --

19 MEMBER STETKAR: Be careful.

20 CHAIR BALLINGER: Okay. Never mind. I  
21 was never here.

22 (Laughter.)

23 MEMBER STETKAR: Just be careful about  
24 --

25 MEMBER POWERS: It's a different system.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 It is a different plant, different power.

2 MEMBER STETKAR: And it might be  
3 proprietary.

4 CHAIR BALLINGER: Okay.

5 MEMBER POWERS: But they are consistent.  
6 Material traces are consistent.

7 MEMBER KIRCHNER: So, then, therefore,  
8 what is the assumption, like the second bullet on  
9 fuel defect, what is the assumption for generating  
10 the corrosion source?

11 MR. KANG: As I mentioned, the corrosion  
12 product, the amount of corrosion products used in  
13 the design are based on the operating experience.  
14 So, we do not make any assumption to calculate the  
15 corrosion product source term.

16 MEMBER KIRCHNER: You haven't operated  
17 long enough to get what the amount would be after 40  
18 or 60 years, right?

19 MR. KANG: No, because the --

20 MEMBER KIRCHNER: So, you must, then,  
21 extrapolate some estimate of what the corrosion  
22 products are?

23 MR. SISK: This is Rob Sisk,  
24 Westinghouse.

25 And perhaps maybe I can at least

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understand the question more. The APR1400 is in  
2 operation in Korea. It is based on the OPR1000,  
3 which has a tremendous amount of operating history.

4 The level of cobalt is comparable  
5 between the two units. So, what they have been able  
6 to do is go to actual operating history, actual  
7 operating measurements of the plants in Korea and  
8 make assumptions based on comparable levels of  
9 cobalt. It is the same fuel, +7 fuel. And based on  
10 that, they are able to bring that knowledge or that  
11 information into their assessments for the APR1400.  
12 So, there is practical operating experience on which  
13 this is based.

14 MEMBER REMPE: Just a second, though. I  
15 thought earlier I heard you say or one of the  
16 members here say that it was based on U.S. operating  
17 experience. Is it U.S. operating experience or  
18 Korean +7 fuel operating experience?

19 MR. KANG: It is based on U.S.  
20 experience in the operating plants in the 1970s,  
21 because that makes our design more facilitative  
22 because the test source and corrosion source were to  
23 be used for the design basis of surety and  
24 ventilation. So, in actual measurement data in the  
25 Korean operating plant the sourcing would be much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lower there.

2 MEMBER REMPE: So, you used U.S.  
3 experience, but you have benchmarked those numbers  
4 with Korean operating experience and found that it  
5 is very conservative and your Korean plants are  
6 running with lower amounts, to paraphrase?

7 MR. KANG: Yes.

8 MEMBER REMPE: Thank you.

9 MR. SISK: The designs are very similar  
10 across the board, as we have talked about with CE  
11 and OPR.

12 MEMBER REMPE: Yes.

13 MR. SISK: So, recognizing U.S.  
14 operating experience, which is different than Korea  
15 -- I think you have summarized it very well.

16 CHAIR BALLINGER: I should probably know  
17 this, but what is the steam generator tubing  
18 material in the OPR1000?

19 MR. KANG: OPR1000? That is the Inconel  
20 600.

21 CHAIR BALLINGER: Okay. So, it is alloy  
22 600?

23 MR. KANG: The APR1400 is 690.

24 CHAIR BALLINGER: Yes, well, there's a  
25 big difference between OPR1000 and APR1400. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that will have a big effect on corrosion product  
2 transport and concentration and stuff. So, that is  
3 a huge difference between the two.

4 MR. KANG: Yes, but I don't remember  
5 exactly what material was used for OPR1000 for the  
6 steam generator, but if they use Inconel 690, it is  
7 one of the design improvements --

8 CHAIR BALLINGER: Right.

9 MR. KANG: -- to reduce the dose for  
10 APR1400.

11 CHAIR BALLINGER: That's good.

12 MEMBER KIRCHNER: So, that is a good  
13 answer to Dick's earlier question where you have  
14 made a substantive change to reduce dose in the  
15 spirit of ALARA, right?

16 MEMBER SKILLMAN: I think the design  
17 changes --

18 MEMBER KIRCHNER: Or whatever you were  
19 asking, things like that --

20 MEMBER SKILLMAN: It's not just  
21 operating dose rates. It is also the very real need  
22 to change out steam generators.

23 MEMBER KIRCHNER: Exactly.

24 (Laughter.)

25 MEMBER SKILLMAN: That's real ALARA

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 savings. There's where your ALARA savings is. So,  
2 if you don't have to change them out, then you are  
3 lightyears ahead in terms of the worker dose.

4 CHAIR BALLINGER: But I think the  
5 pressure boundary is about 75 or 80 percent in the  
6 steam generator, right?

7 MEMBER SKILLMAN: Yes, of the heat  
8 transfer area.

9 CHAIR BALLINGER: Yes.

10 MEMBER MARCH-LEUBA: Just out of  
11 curiosity, and you may not know the answer to this,  
12 but I assume the instrumentation in the plant has a  
13 gross dose rate measurement in which you set your  
14 alarms if you surpass that dose rate. But, at least  
15 periodically, you do some galvanized spectroscopy.  
16 So, you do the gamma spectrum function of energy.  
17 So, you know where that dose is coming from, which  
18 you can separate iodine from cobalt from  
19 nitrogen-16. Is that correct?

20 MR. KANG: During normal operation, in  
21 the design we do not have that kind of gamma  
22 spectroscopy permanently in the plant. We can use  
23 it as a portable equipment. So, if it is  
24 necessary --

25 MEMBER MARCH-LEUBA: And I'm sure you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 do. If you get an alarm, you will go on, say, high  
2 scramble or a high --

3 MR. KANG: Yes. We have personal  
4 dosimetry.

5 MEMBER MARCH-LEUBA: Sure.

6 MR. KANG: Yes, and, also, area  
7 radiation monitors, which is how much everywhere.

8 MEMBER MARCH-LEUBA: But my question is,  
9 if you went to .25-percent failed fuel versus --

10 MR. KANG: Well, that is controlled by  
11 the technical specification, limited condition of  
12 operation.

13 MEMBER MARCH-LEUBA: Yes.

14 MR. KANG: It's the operator takes a  
15 sample from the RCS, and it is sent to the  
16 laboratory.

17 MEMBER MARCH-LEUBA: Oh, you do like a  
18 --

19 MR. KANG: They check --

20 MEMBER MARCH-LEUBA: It's an instructive  
21 sample --

22 MR. KANG: Right.

23 MEMBER MARCH-LEUBA: -- of the water?

24 MR. KANG: Yes. They check it, whether  
25 it exceeds the RCL limit or not.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER MARCH-LEUBA: Are there problems  
2 with coatings on the pipes? I mean, some of those  
3 corrosion products will transport and they will not  
4 show up in a sample of the water.

5 MR. KANG: As I know, we do not  
6 require --

7 MEMBER MARCH-LEUBA: No?

8 MR. KANG: -- to have electric polishing  
9 of the surface.

10 MEMBER MARCH-LEUBA: Okay. Thank you.

11 CHAIR BALLINGER: But that would be an  
12 option.

13 MR. KANG: Yes.

14 CHAIR BALLINGER: We will probably never  
15 get beyond slide 8 if we keep going. But there was  
16 a question there of electric polishing versus fine  
17 machining. And in most cases, you did not decide to  
18 do electric polishing?

19 MR. KANG: Not yet.

20 CHAIR BALLINGER: Not yet?

21 MEMBER REMPE: Before you leave this  
22 slide, could we discuss the DAMSAM -- if I am  
23 pronouncing it correctly -- code? It is not an  
24 approved code. I believe in some areas the NRC  
25 said, well, we'll just compare it with hand

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 calculations and other values we had. But,  
2 eventually, you're comparing it with the  
3 Westinghouse codes which are approved.

4 MR. KANG: Yes, and that is what I am  
5 going to explain in the key issue items in a couple  
6 of slides later.

7 MEMBER REMPE: Okay. Could you explain  
8 a little bit about what the code does? Or will you  
9 talk about that later? Because how it determines  
10 the species of the isotopes released and things like  
11 that --

12 MR. KANG: I can turn that question to  
13 the Westinghouse team.

14 MEMBER REMPE: Okay, and whenever you  
15 want to do it is fine, but I just would like to hear  
16 more about the code.

17 CHAIR BALLINGER: Tell us your name,  
18 please.

19 MR. LLOYD: My name is Tim Lloyd. I'm  
20 with Westinghouse.

21 I can either begin to answer that now --  
22 I think there's a slide coming up in one or two that  
23 would be a good place to dovetail.

24 MEMBER REMPE: That's fine. I just want  
25 to make sure I get to understand.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. LLOYD: So, we will. We will come  
2 to that.

3 MEMBER REMPE: Okay. Thanks.

4 MR. KANG: Can I continue?

5 So, I talk about the source term in  
6 Chapter 12. And another design basis source term  
7 determined based on 1-percent fuel defect is  
8 provided in Chapter 11. This source term is used  
9 for the system design, equipment qualification, and  
10 accident analysis. The RCS source term is  
11 calculated by DAMSAM code.

12 One of the water activation products,  
13 nitrogen-16, is the predominant radiation source in  
14 the reactor coolant system due to its high-energy  
15 gamma. However, since its half-life is very short  
16 and the design provides sufficient time for decay  
17 inside the containment, it is not a significant  
18 source outside the containment.

19 The spent fuel assemblies are the  
20 predominant source of radiation in the reactor  
21 containment building after plant shutdown for  
22 refueling. The most significant sources in the  
23 auxiliary building, except for the spent fuels, are  
24 contained in the CVCS components. The design basis  
25 source terms are determined assuming that the CVCS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 gas stripper is not operated to maximize the gaseous  
2 source terms. The CVCS source term calculation is  
3 performed using SHIELD-APR computer program. The  
4 source terms for the Shutdown Cooling System are  
5 calculated assuming that the system starts operation  
6 after four hours after shutdown.

7 Now I am going to talk about the  
8 auxiliary system. The design basis source terms in  
9 the secondary systems, including main steam, steam  
10 generator blowdown, and condensate polishing  
11 systems, are determined assuming that the primary  
12 coolant is leaking by .6 gallons per minute in the  
13 two steam generators. This assumption is considered  
14 conservative since the limiting condition of  
15 operation or LCO for steam generator leakage rate is  
16 .2 gpm.

17 And the source terms in the Component  
18 Cooling Water System is determined assuming that all  
19 of the unidentified RCS leakage of .5 gpm for an  
20 hour is transferred to the CCWS system. The  
21 unidentified leakage of .5 gpm for an hour is also  
22 the LCO defined in the technical specifications.

23 The design basis source term in the  
24 spent fuel pool water is determined assuming that  
25 the primary coolant water is mixed with the spent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fuel pool water after 48 hours of shutdown cooling  
2 operation. And the maximum source terms in the  
3 filters, ion exchangers, and the associated piping  
4 of the system are calculated using this initial  
5 spent fuel source term.

6 The source terms in the Liquid Waste  
7 Management System are determined based on the  
8 expected in-flow rates and their activities into the  
9 three kinds of LWMS collection tanks. The buildup  
10 activities in the treatment components are then  
11 calculated using DIJESTER computer code. In  
12 particular, the source term for the monitor tank,  
13 which is used to collect the treated water and  
14 sampling for final discharge, is determined based on  
15 the maximum level of primary coolant.

16 The buildup activities in the Gaseous  
17 Waste Management System charcoal delay beds are  
18 calculated using the inflow from CVCS tanks and the  
19 gas stripper.

20 The solid wastes, such as spent filters  
21 and resins and the reversis osmosis sludge, are  
22 generated in the CVCS, LWMS, Spent fuel Pool Cooling  
23 and Cleanup System, and Steam Generator Blowdown  
24 Systems. Source terms in resin storage tanks in the  
25 SWMS are calculated based on their in-flow source

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 terms. The source terms for the dry active wastes  
2 are calculated based on the maximum operating  
3 experience data and the storage plan.

4 Now I am going to talk about the  
5 airborne and accident source terms. The source of  
6 airborne contamination mostly comes from the leakage  
7 from the radioactive systems, including CVCS,  
8 radwaste, and HVAC systems. Other sources are  
9 evaporation of pool water and some vents from the  
10 tanks.

11 The airborne activity calculations are  
12 performed in all radioactive areas to determine the  
13 minimum required HVAC flow rates to maintain the  
14 airborne concentration ALARA. The ventilation flow  
15 rates in areas which require frequent access  
16 determined to maintain the airborne concentrations  
17 are less than a small fraction of derived air  
18 concentration, or DAC, specified in 10 CFR Part 20,  
19 Appendix B. Other areas are designed to less than 1  
20 DAC.

21 The accident source terms are defined to  
22 provide adequate shielding in vital areas during  
23 accident conditions, so that the operators are  
24 protected during their post-accident mitigation  
25 actions. In addition, the accident source terms are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 used to determine the environmental conditions for  
2 the equipment important to safety.

3 As recommended in Reg Guide 1.183, the  
4 alternative source term which assumes a significant  
5 core melt condition is used to define the accident  
6 source term. Shielding for the areas which require  
7 continuous occupancy such as the main control room  
8 and the technical support center is designed to  
9 maintain the average dose rate over 30 days is less  
10 than .15 millisieverts per hour as well as meeting  
11 the cumulative dose of 50 millisieverts, as required  
12 in GDC 19.

13 MEMBER POWERS: I guess I don't  
14 understand, certainly don't understand the line  
15 concerning areas requiring infrequent access. I  
16 just don't know what you mean exactly there.

17 And I would also like, for continuous  
18 occupation, what is the annual accumulated dose of  
19 an operator in the main control room if you are  
20 operating at your limit?

21 MR. KANG: During the accident  
22 condition, right? During the accident conditions?  
23 You are talking about the MCR dose during the  
24 accident.

25 MEMBER POWERS: I see.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KANG: Yes, that is described in DCD  
2 Section 6.4, which is about MCR habitability. Also,  
3 this is provided in Chapter 15 in LOCA Section  
4 15.6.5. Because the requirement is 15 millisieverts  
5 for the whole period of the accident. It is  
6 described there. I don't remember the exact number,  
7 but it is 40-somewhat millisieverts for 30 days.

8 CHAIR BALLINGER: I recall that there  
9 was an RAI related to this. It came out to be like  
10 49.78 or something like that --

11 MR. KANG: Yes, that is for the --

12 CHAIR BALLINGER: -- which was  
13 suspiciously close to 50.

14 MR. KANG: Yes, that is not for the MCR.

15 CHAIR BALLINGER: Okay.

16 MR. KANG: That is for the other  
17 infrequent access area.

18 CHAIR BALLINGER: Okay. Thanks.

19 MR. KANG: Did I answer your question?

20 MEMBER POWERS: I understand better now.  
21 Thank you.

22 MEMBER REMPE: Before you leave that  
23 slide, on the partitioning of the nuclides and  
24 activity concentrations, I believe you and the staff  
25 have had some exchanges and you eventually went back

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to NUREG-0409 to justify how much of the halogens  
2 were -- how much was the super-halogens in the cold  
3 liquid and hot liquid. Do you have any data to  
4 support that assumption, too, or you solely relied  
5 on this old, very old NUREG?

6 MR. KANG: Because we would like to use  
7 the data which are approved by the U.S. NRC, even  
8 though we might have some kind of information, we  
9 did not want to use our experimental data, something  
10 like this. So, that is why we used the NUREG data  
11 and the EPRI information. That is how we responded.

12 MEMBER REMPE: Okay. I will ask the  
13 staff if they have confidence in that very old NUREG  
14 then, when they get up. Okay? Thank you.

15 MR. KANG: Yes. Thank you for your  
16 question.

17 Let me continue. For other vital areas  
18 which do not require continuous occupancy, the  
19 shielding design aims at meeting 50 millisieverts  
20 during the time for taking post-accident actions.

21 The key review item for the Section 12.2  
22 source term is about the consideration of daughter  
23 nuclides. The staff requested to provide  
24 justification why the source terms are already more  
25 conservative than they would be if the contribution

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of daughters was included.

2 In order to estimate the effects on the  
3 buildup of the daughter products in the RCS and the  
4 CVCS, we reviewed the methodology of DAMSAM and the  
5 SHIELD-APR code system and compared with the results  
6 of another code system which takes into account the  
7 daughter nuclides. The review demonstrated that  
8 there are sufficient conservatisms in the results of  
9 the DAMSAM and SHIELD-APR code system.

10 For the other systems, including spent  
11 fuel pool cooling and cleanup system, blowdown  
12 system, polishing system, and the gaseous waste  
13 system, the source terms considering daughter  
14 nuclides were conservatively evaluated and the  
15 shielding analyses were performed again using the  
16 updated source terms. As a result, the impacts of  
17 the new source terms on the current design were  
18 negligible since the civil structure design has  
19 sufficient margin to bound the minor increase of the  
20 source terms. That's how we responded in the RAI  
21 and the staff is under review of our responses.

22 MR. LLOYD: So, Sangho, I think this is  
23 the right time to jump in and answer Dr. Rempe's  
24 question.

25 MR. KANG: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. LLOYD: Yes, and for starters, you  
2 had asked essentially what DAMSAM does that kind of  
3 sets us up to be able to look at it on a comparison  
4 basis with the Westinghouse equivalent codes, right?

5 MEMBER REMPE: Okay.

6 MR. LLOYD: I have a slide, when I  
7 discuss this stuff, that kind of shows what -- by  
8 the way, this is Tim Lloyd again with Westinghouse  
9 -- they go from. In our analysis for the  
10 Westinghouse plants we would look at ORIGEN and,  
11 then, go to FIPCO and, then, a code called SSP.  
12 ORIGEN I think most people here are aware what it  
13 does. It usually is used to track burnup in fuel  
14 and to produce all the radionuclides that exist in  
15 the fuel.

16 We, then, model that in a way that leaks  
17 out into the reactor coolant system and also gets  
18 processed into a few components, volume control tank  
19 and gas decay tank. And then, we move into a code  
20 called SSP which looks at a whole bunch of different  
21 auxiliary components.

22 What happens in APR1400 is that they use  
23 a code called DAMSAM which effectively does the job  
24 of ORIGEN and also that initial leak part out into  
25 the reactor coolant. And then, they use SHIELD or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 SHIELD-APR for that plant to do all the other  
2 complicated -- looking at every different component,  
3 every different tank, and mainly in the application  
4 it gets used for the CVS or CVCS system. So, that's  
5 background.

6 MEMBER REMPE: Okay.

7 MR. LLOYD: If I can speak to why we  
8 think that DAMSAM does not have a problem with non-  
9 conservatism, there are two reasons. One reason is  
10 that there is no difficulty with daughter treatment  
11 in DAMSAM. It treats daughters properly and  
12 completely. There's no difficulty there. And we do  
13 demonstrate that.

14 The best way to get a demonstration is  
15 to look at reactor coolant system activities. As a  
16 proxy for that, we were able to find between our  
17 typical plants and the APR1400, "our" being  
18 Westinghouse plants, and the APR1400 plant, there  
19 were four really good comparisons between these  
20 codes and into tanks.

21 And so, one example, it is almost a  
22 trivial example, except it is a great benchmark, is  
23 the letdown heat exchanger. And that is just  
24 effectively full of the reactor coolant system. We  
25 looked at that with a total of four different ways

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of modeling, four different types of cases. And it  
2 does always bump up. There is no difference.

3 The conclusion, for a number of reasons,  
4 was that there isn't difficulty under the hood with  
5 DAMSAM. It's pretty straightforwardly doing its  
6 job. There is also some methodological things that  
7 they do where they run for five cycles to make sure  
8 they build up enough inventory that, when they then  
9 pull the maximum everywhere, you get maximum values.  
10 The difficulties where there were problems with the  
11 treatment of daughters were all in the SHIELD-APR  
12 code.

13 MEMBER REMPE: Okay. Thank you.

14 MR. LLOYD: Okay.

15 MR. KANG: So, then, I will move on to  
16 12.3. And we will talk about the radiation  
17 protection design features addressed in Section  
18 12.3.

19 This section covers the ALARA design  
20 features, shielding and ventilation design, and area  
21 radiation monitoring system.

22 Mr. Joonkon Kim will present the area  
23 radiation monitoring system, and I will be back to  
24 cover the remaining items.

25 The APR1400 design incorporates the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ALARA principles in accordance with Reg Guide 8.8  
2 and 8.10. The principles are applied to various  
3 areas of the plant design including: layout,  
4 equipment and system design, source term control,  
5 airborne control, radiation zoning and shielding,  
6 and the vital area accessibility.

7 Details of the design features to ensure  
8 ORE ALARA are provided in DCD Section 12.3.1.

9 The design criteria for shielding are  
10 specified in Reg Guide 8.8, 40 CFR 190, GDC 19, and  
11 10 CFR 50.34.

12 In order to ensure compliance with these  
13 criteria, the shielding analyses are performed using  
14 several computer codes such as ANISN, MCNP, and  
15 MicroShield, which are widely used in the design of  
16 nuclear facilities. The RUNT-G code is used to  
17 determine the post-accident shielding requirements.

18 The shielding analyses produce the  
19 design basis drawings, including radiation zone maps  
20 and the minimum required shield thicknesses.  
21 Details of the design information is provided in DCD  
22 Section 12.3.

23 As mentioned in the previous slide, the  
24 ventilation flows are provided to ensure the  
25 airborne contamination is maintained less than DAC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fractions. These airflows are designed to flow from  
2 lower to higher contaminated areas, so that the  
3 spread of contamination is minimized.

4 In addition, the continuous air  
5 monitoring by effluents and area radiation monitors  
6 ensure the detection of airborne contamination level  
7 change within 10 DAC-hours, as required in the SRP  
8 12.3.

9 If you don't have other questions, I  
10 would like to turn the microphone over to Mr. Kim  
11 for the Area Radiation Monitoring System.

12 MR. KIM: Good morning, ladies and  
13 gentlemen.

14 My name is Joonkon Kim of KEPCO E&C.

15 My presentation will discuss the Area  
16 Radiation Monitoring System design features and  
17 description of system functions. During my  
18 presentation you may ask questions at anytime.

19 The purpose for ARMS design is to warn  
20 operators and station personnel of unusual  
21 radiological events to protect personnel from  
22 radiation exposure in radioactivity or contaminated  
23 areas. The ARMS monitors normal radiation levels as  
24 well as post-accident radiation levels in selected  
25 areas in the plant.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The ARMS meets the applicable  
2 requirements of 10 CFR 20, 10 CFR 50, 10 CFR 70,  
3 NUREG-0737, Reg Guide 1.97, and ANSI/ANS-HPSSC-  
4 6.8.1.

5           Location of ARMS monitors is determined  
6 based on expected frequency of crew access,  
7 occupancy time, and potential radiation levels in  
8 the plant work areas. The monitors are installed  
9 where access to safety-related equipment is required  
10 during post-accident conditions. The ARMS provides  
11 visible and audible alarms and readouts in the main  
12 control room and the local areas when the  
13 radioactivity level exceeds a predetermined  
14 setpoint. Portable radiation monitors are used for  
15 the plant personnel to determine airborne iodine  
16 concentration and the optimal route to vital areas  
17 to minimize personnel exposure as low as reasonably  
18 achievable.

19           Containment upper and lower operating  
20 area monitors and spent fuel pool area monitors are  
21 safety-related monitors in accordance with the  
22 safety criteria of ANSI/ANS-51.1. Other monitors  
23 are non-safety-related.

24           Two redundant safety-related containment  
25 upper operating area monitors detect high-range

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 gamma radiation after a design basis accident to  
2 meet the requirements of Reg Guide 1.97.

3 Two redundant safety-related containment  
4 lower operating area monitors monitor fuel-handing  
5 accidents.

6 These four containment area monitors  
7 initiate a containment purge isolation function when  
8 a high radiation level is detected. This isolation  
9 prevents the radioactive materials to be released  
10 outside containment.

11 When a fuel-handing accident occurs, two  
12 redundant safety-related spent fuel pool area  
13 monitors initiate the fuel-handing area emergency  
14 ventilation upon detection of a high radiation level  
15 in the spent fuel pool area.

16 Warning and alarm setpoints of the ARMS  
17 will be determined by the COL applicant after the  
18 site-specific conditions and operational  
19 requirements are determined.

20 The ARMS monitor consists of a detector  
21 part, which is RE, for detecting gamma radiation and  
22 electronic or display part, which is RT, for  
23 processing and displaying of the radiation signl.  
24 The RE consists of ionization chambers or Geiger-  
25 Mueller tubes. The RE and RT are separated or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 combined on a single skid, depending upon the  
2 monitoring location.

3 All local alarms are located at the  
4 electronic part of the monitor. Some monitors have  
5 a local alarm at the detector part as well as the  
6 electronic part, depending upon the monitoring  
7 locations.

8 Okay, next slide.

9 APR1400 design has 16 places where a  
10 total of 21 ARMS monitors are installed, as shown in  
11 this table. Each monitor has its safety function,  
12 electrical class, seismic category, measuring range,  
13 function, and display/alarm location.

14 Containment upper operating area,  
15 containment of lower operating area, and spent fuel  
16 pool area monitors are designated as safety-related  
17 monitors. They are designed to comply with  
18 redundancy requirements to meet the single failure  
19 criteria of IEEE Standard 603.

20 The containment upper and lower  
21 operating area monitors, in-core instrument area,  
22 hot machine shop area, truck bay area, and the waste  
23 drum storage area monitors have local alarms both at  
24 the detector part and the electronic part of the  
25 monitor.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           AMI stands for accident monitoring  
2 instrumentations which is required by Reg Guide  
3 1.97. The operator can assess the plant status  
4 following design basis events by monitoring plant  
5 variables and equipment/system operating status.

6           The containment upper operating area,  
7 containment lower operating area, and spent fuel  
8 pool area monitors are designed as AMI Type C.  
9 Other AMI monitors are Type E, in accordance with  
10 Reg Guide 1.97 and IEEE Standard 497.

11           This is my presentation of ARMS. Thank  
12 you for your time.

13           MR. KANG: Okay. I am Sangho Kang  
14 again. So, I will continue with the key review  
15 items for Section 12.3

16           The key review item for this section is  
17 RAI 8599, Question 12.03-53. The question requests  
18 to provide the cumulative impacts on overall  
19 radiation protection design by the change of normal  
20 operation source terms due to consideration of  
21 daughter nuclides and the change in accident source  
22 term.

23           As mentioned in a previous slide, we  
24 provided the response to Question 12.02-22, 23, and  
25 25, addressing that the consideration of daughter

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 nuclides has no impact on the current physical  
2 design.

3 Since the accident source term was  
4 modified during the RAI process, the vital area  
5 mission dose analyses were updated. And it was  
6 found that the mission doses for all vital areas  
7 meet the criteria of 50 millisieverts.

8 The response to this RAI was just  
9 submitted and it is under the staff's review now.

10 MEMBER MARCH-LEUBA: Sorry, I must have  
11 been asleep before when you were presenting this.  
12 Can you explain what the dose limit of 15  
13 millisieverts is? Is that the dose to the whole  
14 population in the plant or per person, per day, per  
15 year, per life of the plant?

16 MR. KANG: Yes, this is for the accident  
17 condition as defined in the 10 CFR 50, Appendix A,  
18 where the operator could take emergency action.

19 MEMBER MARCH-LEUBA: To a single  
20 operator?

21 MR. KANG: Yes.

22 MEMBER MARCH-LEUBA: Okay. So, that's  
23 to a single operator for an event?

24 MR. KANG: Yes.

25 MEMBER MARCH-LEUBA: And that's 5 rem,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for those of us who think American.

2 (Laughter.)

3 MR. KANG: The dose to the operators,  
4 the workers in the United States as defined in  
5 ICRP-20, which is 15 millisieverts.

6 MEMBER MARCH-LEUBA: Yes, that is the  
7 personal dose maximum allowed, yes. We typically  
8 stay much lower than that.

9 MR. KANG: Yes. Thank you for your  
10 question.

11 Okay, I'm going to move on to the next  
12 slide.

13 The Section 12.4 addresses the dose  
14 assessment for occupational exposure and vital area  
15 mission dose. And it also provides design features  
16 to minimize contamination and radwaste generation.

17 The regulatory guidance for ORE  
18 estimation is specified in Reg Guide 8.19. Since  
19 the first APR1400 has just started its commercial  
20 operation in Korea, the ORE estimation for APR1400  
21 was based on the measurement data for an operating  
22 plant, Hanul Unit No. 3, which is also the  
23 combustion engineering type PWR. And this exposure  
24 data was increased taking into account the power  
25 ratio.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Even though the APR1400 has several  
2 dose-reduction design improvements described in DCD  
3 Section 12.4.1.1.1, this was not taken into account  
4 in the ORE estimation. The resultant ORE was  
5 estimated to be 585 person-millisieverts per year or  
6 58.5 person-rem per year.

7           MEMBER MARCH-LEUBA:       Okay.       I'm  
8 following up on my question. Can you explain those  
9 units? Is this the dose for the whole population of  
10 the plant?

11          MR. KANG:     The terminology we use is  
12 collective dose. That is for the many people.

13          MEMBER MARCH-LEUBA:       Right.       And  
14 roughly, you are talking 5 people, 50, or 500?

15          MR. KANG:     It's a couple of hundred  
16 people.

17          MEMBER MARCH-LEUBA:       A couple of  
18 hundred? Okay. Thank you.

19          MR. KANG:     As specified in Reg Guide  
20 8.19, the DCD table provides the details of the  
21 breakdown of the work tables, so that it can provide  
22 the dose-causing activities to facilitate further  
23 reduction efforts for construction and operation.

24          CHAIR BALLINGER:    I have a question.  
25 Back on the routine maintenance fraction, it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about a quarter of the dose. We had an earlier  
2 comment about the difference between electric  
3 polishing and fine machining. In the U.S. there's a  
4 push for electric polishing to reduce crud  
5 deposition and things like that. For your design,  
6 you are going to avoid that. You are going to use  
7 fine machining. Did you do a detailed analysis of  
8 the pros and cons and how much you might save in  
9 terms of dose for electric polishing versus using  
10 what we call fine machining, I guess? I mean, how  
11 was that decision made?

12 MR. KANG: I might not be the right  
13 person to answer this question because it is  
14 strongly related to the operation. I'm from KEPCO  
15 E&C, the designer, and KHNP, who is the operating  
16 plants, might have the answer for your question.  
17 So, we can table that question and we will get back  
18 to you later.

19 CHAIR BALLINGER: Yes. I'm just  
20 curious, is it a 10-percent savings or would it be a  
21 50-percent savings? Because that is a lot of dose.

22 MR. KANG: Yes. Well, we designers have  
23 not performed those kind of analyses yet.

24 CHAIR BALLINGER: Do any of the OPR1000  
25 plants or Hanul have -- is there a comparison in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Korea between machining and electric polishing that  
2 you can get information?

3 MR. KANG: I don't have that  
4 information, no.

5 MR. SISK: This is Rob Sisk.

6 We have the wrong people here in the  
7 room to answer that question at this time, Ron.

8 CHAIR BALLINGER: Okay.

9 MR. SISK: We could take a look to see  
10 what we have available, but we are not prepared to  
11 address that today.

12 MEMBER MARCH-LEUBA: Off the top of my  
13 head, if you have 200 people involved and roughly 15  
14 rem per year, you are having 250 millirem per year  
15 for the average person. It means that a few of them  
16 are getting 500 or more, and that's high. It is not  
17 negligible.

18 MR. KANG: The 585 millisieverts is the  
19 total dose.

20 MEMBER MARCH-LEUBA: Correct, but you  
21 said, roughly, 200 people were involved.

22 MR. KANG: Yes.

23 MEMBER MARCH-LEUBA: So, that means you  
24 get a quarter of a rem per year per person, for the  
25 average person, meaning that some of them are going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to get twice as much.

2 MR. KANG: The situation might be  
3 similar in the United States. The individual dose  
4 is below 10 millisieverts per year. So, the 3 to 5,  
5 that is the highly probable individual dose to the  
6 people who are working in these --

7 MEMBER MARCH-LEUBA: If I remember my  
8 training correctly, whenever you hit 500 millirem in  
9 a year, you are not allowed to work anymore. You  
10 get sent to a desk, right? Is that correct?

11 MEMBER POWERS: Yes, typically.

12 MEMBER MARCH-LEUBA: Because, I mean,  
13 that's 10 percent of the maximum dose, which is 5  
14 rem.

15 MEMBER POWERS: Five rem, yes.

16 MEMBER MARCH-LEUBA: So, I mean,  
17 anything you can do to reduce that -- I assume that  
18 this is a high-bound estimate? Does this correspond  
19 to actual operating conditions?

20 MR. KANG: The number came from the  
21 actual operating data, and we increased it by a  
22 power ratio of 1.4 because the data came from the  
23 1,000-megawatt PWR. But we didn't take into account  
24 the design enhancement which was incorporated in the  
25 APR1400 design, not to mention the use of Inconel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 690, and the additional design features. We can say  
2 that we have an integrated reactor head assembly to  
3 facilitate the removal we would have during the  
4 refueling operation.

5 MEMBER MARCH-LEUBA: Oh.

6 MR. KANG: They can save time for the  
7 exposure, something like that. But, if you take  
8 into account that kind of design enhancement, we can  
9 reduce this number. The actual number would be  
10 lower than this one.

11 MEMBER MARCH-LEUBA: Yes, I would expect  
12 it to be much lower.

13 MEMBER SKILLMAN: I would like to  
14 explore this a little further. In the past number  
15 of years in this country, the very clean Pressurized  
16 Water Reactors generate about 5 to 10 rem per year.  
17 A lot of plants are at 5 rem per year, 5,000  
18 millirem, for the entire site population.

19 MR. KANG: That's man-rem per year,  
20 right?

21 MEMBER SKILLMAN: That's correct.

22 MR. KANG: Yes.

23 MEMBER SKILLMAN: Person-rem.

24 MR. KANG: Yes, because if you do not  
25 have any refueling outage, the dose would be much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 lower.

2 MEMBER SKILLMAN: Exactly, exactly. So,  
3 hold that thought, and that's exactly where I was  
4 going. So, you subtract the 163 millisieverts per  
5 year from your 585, that is about 400 millisieverts  
6 a year. That's very different than the experience  
7 in this country for the very clean Pressurized Water  
8 Reactors. It's almost a factor of 100.

9 So, what's the difference? Is this your  
10 actual operating data from Korea?

11 MR. KANG: Yes, it comes from the Hanul  
12 operation data from 2004 to 2013. And the  
13 refueling, in this calculation we have taken into  
14 account the overhaul for refueling outages and it  
15 was factored in, in order to give the one-year  
16 exposure. Because the APR1400 has the fuel cycle of  
17 18 months. So, this number is for the 12 months.

18 So, all the contributing, dose-  
19 contributing activities are included here, based on  
20 the operating experience. And I can mention you  
21 might have lower collective dose in a U.S. operating  
22 plant, but, based on my knowledge, the KHNP who is  
23 operating our plant has very good numbers, low-dose  
24 annual exposure by a good performance. So, they are  
25 trying their best to reduce the dose.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But I didn't exactly compare it this  
2 number with the U.S. operating numbers yet. So, we  
3 can go back and check what the real actual status in  
4 the United States and what is the status of our  
5 calculation compared to your operating experience.

6           MEMBER SKILLMAN: I think the reference  
7 that you will use is NUREG-0713. This is the most  
8 recent, and that is what is driving me to ask this  
9 question.

10           I understand your 585 sieverts are 58.5  
11 person-rem. What I'm observing is that for the last  
12 number of years the very clean Pressurized Water  
13 Reactors, particularly those with the Inconel 690  
14 tubes --

15           MR. KANG: Yes.

16           MEMBER SKILLMAN: -- no source term, the  
17 radiological controls people are controlling at the  
18 millirem level on a daily basis. And at the end of  
19 a calendar year, 12 months, many of the plants are  
20 below 10 person-rem, 10,000 MR. And so, that number  
21 is starkly different from what would be  
22 approximately 400 person-rem on a non-outage year.

23           MR. KANG: Okay. It might be dependent  
24 on what the power of the plant is. And then, the  
25 information from that literature might come from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some lower power then.

2 MEMBER SKILLMAN: I'm talking 1,000-  
3 megawatt electrical plants.

4 MR. KANG: A thousand?

5 MEMBER SKILLMAN: Four-loopers, three-  
6 loopers, large plants.

7 MR. KANG: Because we increased by  
8 multiplying 1.4 from the 1,000-megawatt data. So,  
9 if we want to compare with your data, then we have  
10 to divide by 1.4 again to compare with your numbers.  
11 And then, if they have incorporated some kind of  
12 zinc injection, you might have a much lower dose.  
13 But this number didn't take into account zinc  
14 injection. As I know, the zinc injection can reduce  
15 the dose by 20 to 30 percent. And the number could  
16 be similar.

17 MEMBER SKILLMAN: Okay. Thank you.

18 MR. KANG: So, it might be different.

19 MEMBER SKILLMAN: Okay.

20 CO-CHAIR SUNSERI: I want --

21 CHAIR BALLINGER: Go ahead.

22 CO-CHAIR SUNSERI: One of the practices  
23 that I think in the United States is leading to  
24 these low numbers -- well, actually, never mind.  
25 I'm thinking about the outage dose reduction, not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the online operation.

2 But let me finish my question anyway.  
3 So, I did not see -- one of the operating practices  
4 in the United States for outages is to perform what  
5 is called a crud-burst cleanup. So, a crud-burst is  
6 induced at the beginning of the outage. The  
7 corrosion products are removed and the radiation  
8 doses are significantly reduced during the outage.

9 I did not see where that practice is  
10 invoked in your plants. Is that a strategy or not?

11 MR. KANG: Unfortunately, I cannot  
12 answer that question.

13 So, can you answer, Irving?

14 MR. TSANG: My name is Irving Tsang.

15 You have a description of the different  
16 activities performed to come up with dose in the  
17 chapter. We could go back and look at that and see  
18 that activity, whether this crud-burst cleanup  
19 activity is specifically included or not. Off the  
20 top of my head, I do not remember.

21 MR. KANG: But the data we got from the  
22 operator does not include what condition at that  
23 time.

24 MR. SISK: This is Rob Sisk,  
25 Westinghouse.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I would make one observation here that  
2 maybe is helpful. A lot of what we are talking  
3 about is operational parameters of how the plant is  
4 operated and how the plant is maintained by the COL.  
5 The ALARA program and the operational considerations  
6 really fall into a COL area where they will make  
7 decisions on whether to use any condition, crud-  
8 burst, things like this that they use to enhance  
9 their plant activities.

10 So, I guess I just wanted to bring that  
11 up to kind of make sure we focus on what the design  
12 requirements are which are one level and, then, of  
13 course, we expect the numbers to be much less as you  
14 go forward and you implement a robust ALARA program  
15 from a licensee perspective.

16 MEMBER SKILLMAN: Rob, I appreciate  
17 that, but that is why my first question was, what  
18 operating experience or what changes have you made  
19 into the APR1400? These numbers, if these numbers  
20 are truly anticipated, I would expect your shielding  
21 design to be enhanced. That's why I asked the  
22 question. If you really think you are going to  
23 -- I'm going to say it -- burn through that much  
24 radiological exposure, I would expect that in  
25 certain areas you would be doubling your shielding

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because you can get these numbers down to a  
2 reasonable level. At some point there are  
3 diminishing returns on the investment; I understand  
4 that.

5 But in all of the passageways and all of  
6 the places where operators need to go, I have been  
7 part of dose reduction and it is a discipline. It  
8 is how you think about where people are going to be  
9 and when, how they get there and get back, and what  
10 it takes to get there. Do they have to be in scuba?  
11 Do they have to be breathing air packs? Is the  
12 ventilation going to prevent exposure? And are the  
13 walls thick enough for what is on the other side to  
14 be sufficiently shielded for the isotopes?

15 MEMBER MARCH-LEUBA: Another item to  
16 consider is this is person-rem per year.

17 MEMBER SKILLMAN: Yes.

18 MEMBER MARCH-LEUBA: So, the U.S. plants  
19 are operated with a very small amount of people.

20 MEMBER SKILLMAN: Well, that's what I  
21 said. These plants --

22 MEMBER MARCH-LEUBA: If they use twice  
23 as many workers in there, then we will get twice as  
24 much --

25 MEMBER SKILLMAN: Bingo. A clean P with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 690 tubes is running 110 rem on a not-outage year  
2 without any failed fuel, squeaky-clean fuel,  
3 generators tight. You are running under -- some of  
4 them are running 5 rem per year. And the HPs are  
5 managing it, 2- and 3- and 4-millirem per week and  
6 month.

7 MEMBER MARCH-LEUBA: The point I was  
8 trying to put on the record is a control issue that  
9 some people -- you are using two workers to do a job  
10 and, then, in the U.S. you would send only one.  
11 Right there, you just doubled your dose.

12 MEMBER SKILLMAN: Or not do the job at  
13 all.

14 MEMBER MARCH-LEUBA: Or don't do it,  
15 correct.

16 So, there are places for savings there  
17 that you need to consider.

18 CHAIR BALLINGER: Since you opened the  
19 door -- (laughter) -- and you mentioned zinc, the  
20 plant does not have, if I recall reading right, a  
21 setup to do the zinc injection, is that correct?

22 MR. KANG: We don't have zinc injection,  
23 no.

24 CHAIR BALLINGER: Okay. Why?

25 MR. KANG: I think the COL applicants,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 if they want, they can do it.

2 CHAIR BALLINGER: Okay.

3 MR. KANG: Applicants can question if it  
4 is necessary to reduce the dose.

5 CHAIR BALLINGER: Okay. Thank you.

6 MR. KANG: Okay. And I would like to  
7 conclude this slide. The ORE was estimated to be  
8 585 person-millisievert per year. As specified in  
9 Reg Guide 8.19, the DCD table provides the details  
10 of the breakdown of the work activities, so that it  
11 can provide the dose-causing activities.

12 CHAIR BALLINGER: Sorry again. The  
13 Hanul Unit 3 is more than 10 years old. So, the  
14 chances are that has alloy 600 tubing for steam  
15 generators? Or have the steam generators been  
16 replaced?

17 MR. OH: This is Andy Oh, KHNP  
18 Washington office.

19 Hanul No. 3 is, based on my memory, is  
20 their steam generator is replaced. At the time, I  
21 think their material was also replaced with 690 TT  
22 or something like that.

23 CHAIR BALLINGER: But how long ago?

24 MR. OH: That's about four or five years  
25 ago.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIR BALLINGER: Okay. So, 10 years is  
2 probably half the time is with an alloy 600 steam  
3 generator?

4 MR. OH: I guess --

5 MR. KANG: I think so.

6 CHAIR BALLINGER: Okay. So, that  
7 complicates things just a little bit if you are  
8 trying to figure out what might happen with alloy  
9 690 then.

10 MR. KANG: Right. Yes.

11 So, let me move on to the vital area  
12 mission dose. As mentioned earlier, the vital area  
13 mission doses are estimated for both continuously-  
14 occupied areas and the infrequent access areas.

15 The infrequent access areas include:  
16 post-accident sampling area; remote shutdown room  
17 and remote control console room; Class 1E switchgear  
18 room; I&C equipment room; access areas outside the  
19 containment spray and shutdown cooling pump rooms.

20 The exposure to the plant personnel who  
21 take emergency action is calculated using the source  
22 terms, transit and stay time in the course of the  
23 access route to the vital areas. As indicated in  
24 DCD Table 12.4-8, the estimated mission doses  
25 satisfy the regulatory limit of 50 millisieverts.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER SKILLMAN: Did you assume for the  
2 past post-accident sampling system the quarter-  
3 percent failed fuel? Is that your source term for  
4 that?

5           MR. KANG: No. For this calculation, we  
6 assume significant core melt, which is defined at  
7 1.183. That is the severe accident condition.

8           MEMBER SKILLMAN: Yes. You can't get to  
9 the pass if you have had big core damage -- I can  
10 tell you that for sure -- unless you are wearing  
11 lead clothing. I mean, if you have really had an  
12 accident, you've got to make sure that the pass is  
13 well-shielded.

14          MR. KANG: Yes. The post-accident  
15 shielding is based on that source term because we  
16 have the core melt reactor and the IRWST is  
17 contaminated by the fission product. And the safety  
18 injection pump and containment spray pump is taking  
19 the water from the IRWST, which is highly  
20 contaminated. But these components are located at  
21 the bottom level of the auxiliary building. And the  
22 operators should go through these areas, and these  
23 areas, these components are heavily shielded by  
24 considering the core melt source term --

25          MEMBER SKILLMAN: Okay. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. KANG: -- to get into the sampling  
2 station.

3                   MEMBER STETKAR: Let me ask you -- I've  
4 gotten a little confused about the post-accident  
5 dose rates that you show in the figures. And you're  
6 going to have to stop me if I get into any  
7 proprietary information. So, keep me honest,  
8 please.

9                   In particular, when we reviewed Chapter  
10 10 of the DCD, I asked a question about personnel  
11 access to the main steam atmospheric dump valves,  
12 the MSADVs, which are located in the main steam  
13 valve rooms. And I was told at that time that that  
14 is not a problem because there is good shielding  
15 there and they are fully accessible.

16                   I have not completed my review of the  
17 PRA, but I am confident that the PRA takes credit  
18 for operators manually/mechanically operating those  
19 valves with local handwheels. I was told in Chapter  
20 10 that those handwheels are, in fact, located at  
21 the valves, which is not surprising.

22                   If I look at the -- and it's figure  
23 12.3-36 in the DCD -- I see post-accident dose rates  
24 in those locations on the order of 100 millisieverts  
25 per hour. It is relatively high if I have to stand

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and manually operate those valves for an extended  
2 period of time to control the cooldown after the  
3 accident, which the PRA includes credit for.

4 So, I am curious now about what types of  
5 shielding are available at those valves and whether  
6 they really are accessible for the times that are  
7 required, as included in the PRA for manual  
8 operation of those valves. You don't have to answer  
9 that today, but it is one area that I was  
10 particularly interested in. And all of your other  
11 evaluations of areas requiring infrequent access you  
12 say should be less than 50 millisieverts total  
13 equivalent dose. I couldn't find any discussion of  
14 those particular areas, locations in the plant,  
15 except for this figure.

16 So, if you could take that back and try  
17 to reconcile that with what credit may be taken in  
18 the PRA, for example, for local manual/mechanical  
19 operation of those valves? Because there are  
20 scenarios in the PRA that require an extended  
21 cooldown for several hours by control of those  
22 valves.

23 MR. SISK: We have captured such, but  
24 I'll --

25 MEMBER STETKAR: Thank you, and I hope I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 didn't say anything that was proprietary.

2 MR. KANG: Okay. So, we captured the  
3 question. But, as I look at the figures, the 1  
4 millisievert per hour in that area, in the main  
5 steam valve areas --

6 MEMBER STETKAR: I'm sorry, that's  
7 normal operation. I'm looking at figure 12.3-36,  
8 which is one hour after the accident. It shows up  
9 to 100 millisieverts per hour in those areas.

10 MR. KANG: I'm looking at the same  
11 figure.

12 MEMBER STETKAR: Are you? Okay.

13 MR. KANG: Yes. But it is true that in  
14 that area after one hour of the accident, it is less  
15 than 100 millisieverts power, which is very high.

16 MEMBER STETKAR: Yes.

17 MR. KANG: But, if we look at the later  
18 time --

19 MEMBER STETKAR: I don't care about the  
20 later time because all of the accidents in the PRA  
21 -- all of the requirements are to initiate a 100-  
22 degree-Fahrenheit-per-hour manual cooldown of the  
23 secondary side, with the idea of achieving low  
24 pressure in the primary side. And that has to be  
25 initiated within a relatively short period of time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So, I don't care about things like several days  
2 later or a week later. I care about shortly after  
3 these events occur.

4 MR. KANG: My one question is, do they  
5 have to operate the valve before core melt or after  
6 core melt?

7 MEMBER STETKAR: In the PRA it is -- I  
8 don't know the complete answer to that question.  
9 Most of the scenarios that I think I know, because I  
10 have not seen the details of the PRA models, I think  
11 most of them are pre-core melt. However, there are  
12 some depressurization post-core-melt scenarios. I  
13 don't know whether they account for the secondary  
14 cooldown.

15 MR. KANG: Yes, that is what I was  
16 asking.

17 MEMBER STETKAR: I don't, I just don't  
18 know.

19 MR. OH: Yes, this is Andy, KHNP  
20 Washington office.

21 That MSADV manual operation is only used  
22 for the SCBO status, not core is affected or melted.

23 MEMBER STETKAR: Pre-core-melt? Okay.

24 MR. OH: Yes, pre-core-melt.

25 MEMBER STETKAR: Are these dose rates

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 post- -- these accident dose rates and these figures  
2 are all post-core-damage or are they --

3 MR. KANG: Right, because we assume --

4 MEMBER STETKAR: Okay.

5 MR. KANG: -- a significant core melt.

6 MEMBER STETKAR: Okay. I didn't  
7 appreciate that. So, these dose rates are all --

8 MR. KANG: Right.

9 MEMBER STETKAR: -- post significant  
10 core melt? Thanks. That answers my question.  
11 Thank you. No problem.

12 MR. KANG: So, can I continue for the  
13 minimization of contamination? So, as you are aware  
14 of, 10 CFR 20.1406 requires to provide how the plant  
15 is designed to minimize contamination of the  
16 facility and the environment and to minimize  
17 generation of radioactive waste. The detailed  
18 guidance to implement 10 CFR 10.1406 are provided in  
19 Reg Guide 4.21.

20 To fulfill these requirements, APR1400  
21 established six high-level design and operational  
22 objectives. The first four items under the second  
23 bullet are those applied to the design, and the  
24 remaining two are applicable during the operational  
25 phase.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The four design objectives include:  
2 prevent and minimize contamination of the facility  
3 and the environment; provisions for the leak  
4 detection to support a timely and appropriate  
5 response in the event of an unintended release of  
6 radioactive contamination; and provision of the  
7 capability to reduce cross-contamination; the need  
8 for decontamination, and the generation of  
9 radioactive waste. And the final one is to provide  
10 decommissioning planning.

11           The two operational objectives are:  
12 development of the operations and documentation and  
13 development of the site radiological environmental  
14 monitoring.

15           Under these four design objectives, the  
16 APR1400 design was reviewed and evaluated in  
17 accordance with the design guidance in Reg Guide  
18 4.21. As a result, an extensive list of design  
19 features are identified and provided as a table in  
20 Section 12.4.

21           This slide shows an example of early  
22 leak detection capability of APR1400. In order to  
23 detect any leakage in the LWMS tank room, the floor  
24 is sloped to a drainage port, of which pipe flows  
25 out of the room. The pipe is equipped with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 water detection instrumentation, of which signal is  
2 provided to the plant operator. The leakage is,  
3 then, routed to the sump inside a trench for further  
4 treatment.

5 And next is 12.5. This Section 12.5  
6 covers the operational RP program.

7 Next.

8 This operational RP program is to be  
9 developed and implemented by the COL applicant to  
10 maintain occupational and public doses meet the  
11 regulatory limits and are maintained ALARA. There  
12 is no open item in this section.

13 All of the 19 COL items in Chapter 12  
14 are listed throughout the following three slides,  
15 but I am not going to talk about the details of  
16 these COL items. There are three COL items in  
17 Section 12.1, just one for 12.2, four items in 12.3,  
18 10 items in 12.4, and one item in 12.5.

19 Now I am going to discuss about the open  
20 items. There are 14 open items in the staff's SER  
21 with Open Items. Five items belong to Section 12.2  
22 and the rest, nine items, are for Section 12.3.  
23 There is no item for Sections 12.1, 12.4, and 12.5.

24 As shown in this and the next slides,  
25 responses for most of the open items have been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 submitted. For some of the items, the staff is  
2 under review of our responses, and for the others,  
3 we are working with the staff to resolve some  
4 additional comments to close these items. So, you  
5 can take a look at the current status of the open  
6 items from these slides.

7 MEMBER SKILLMAN: Sangho, let me ask  
8 this. This has to do with the third item there on  
9 the outdoor tanks. I was interested in the design  
10 of the holdup tank, the boric acid storage tank, and  
11 the reactor water makeup tank, particularly the  
12 holdup tank. That is what we call, we used to call  
13 it a push-pull tank. We could move an awful lot of  
14 boric acid out of the reactor coolant system when  
15 you were changing the reactor coolant system  
16 chemistry.

17 But there isn't any real information  
18 about that tank. There is a sentence in Chapter 9.  
19 It is on page 9.3-54 and 65. But there isn't any  
20 real description of that tank.

21 MR. KANG: About how the tank, it  
22 looks --

23 MEMBER SKILLMAN: How it is shielded.

24 MR. KANG: How the shield --

25 MEMBER SKILLMAN: Yes. Apparently, it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is outside. It is on a pad. It appears to have a  
2 concrete shield exterior to the three tanks, and the  
3 three tanks sit together, the holdup tank, the boric  
4 acid storage tank, and the reactor water makeup  
5 tank. But there is no description.

6 MR. KANG: Yes, but, actually, that is  
7 part of the detailed design. So, we did not provide  
8 this shielding information for those yard tanks.

9 And in our design, the yard tanks are  
10 shielded just around the outside exterior of the  
11 tank with the concrete, like that way. That is how  
12 we shield the yard tanks.

13 And the cover is not shown there for the  
14 main tanks purpose, because these areas are not  
15 going to impact the dose to the people because it is  
16 high enough not to expose the people.

17 MEMBER SKILLMAN: I just make that  
18 observation. You have described a tank that is  
19 important to the operation of the plant, but there  
20 isn't any real information. There is the table, but  
21 there is not a whole lot of description.

22 MR. KANG: The shielding for this, the  
23 yard tank, is a part of the detailed civil structure  
24 design which is not the scope of the design  
25 certification.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SKILLMAN: Okay. Thank you.

2 MR. KANG: Thank you for your question.

3 If you don't have any further questions,  
4 I would like to close the presentation. In summary,  
5 we can say that the policy and design considerations  
6 applied to APR1400 conform to the associated  
7 Regulatory Guides.

8 The radiation sources, which are based  
9 on .25-percent fuel defect, are used in the design  
10 and provided in Section 12.2, in accordance with the  
11 SRP 12.2.

12 The radiation protection design features  
13 to ensure that ORE are ALARA are consistent with the  
14 guidance in Reg Guide 8.8.

15 The ORE doses are estimated based on the  
16 operating experience data and is provided in the  
17 DCD.

18 And the vital area mission doses are  
19 within the criteria in GDC 19 and NUREG-0737.

20 Design features to minimize  
21 contamination and waste generation comply with the  
22 requirements in 10 CFR 20.1406 and Reg Guide 4.21.

23 We have 14 open items that were  
24 identified by the staff's SER. Even though most of  
25 the responses have been submitted, there are items

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that need further review or discussion. We are  
2 working with the staff to close these open items.

3 That's all for my presentation for  
4 Chapter 12, and thank you for your attention.

5 MEMBER REMPE: I had a question about  
6 one of your responses, and I just want to understand  
7 it. It was a question, I believe, that you asked,  
8 Ron, of: do you have zinc injection? And I believe  
9 your response was, well, the COL applicant can add  
10 that if they want, but it is not part of the  
11 certified design. Is that your response? Is it in  
12 the OPR1400? In Korea is it part of other designs  
13 you have sold and established?

14 MR. KANG: In the original design for  
15 OPR1000 the zinc injection was not there.

16 MEMBER REMPE: Uh-hum.

17 MR. KANG: And as I know, the one  
18 operating plant has implemented, has modified their  
19 design to include the zinc injection. That could be  
20 Hanul. I don't remember.

21 MEMBER REMPE: Okay. Thank you.

22 MR. KANG: I'm sorry, I don't remember  
23 which unit has incorporated zinc injection.

24 MEMBER REMPE: Okay. Thank you.

25 CHAIR BALLINGER: Questions, further

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 questions? Further questions?

2 (No response.)

3 No?

4 We are eight minutes ahead of schedule,  
5 which is remarkable. So, we will recess until,  
6 let's try 20 minutes after.

7 (Whereupon, the foregoing matter went  
8 off the record at 10:07 a.m. and went back on the  
9 record at 10:22 a.m.)

10 CHAIR BALLINGER: We are back in  
11 session. We are back in session. The floor is  
12 yours, whoever "you" is.

13 (Laughter.)

14 MR. TESFAYE: Okay. Good morning,  
15 everyone.

16 My name is Getachew Tesfaye. I'm the  
17 NRC Project Manager for APR1400, Chapter 12,  
18 Radiation Protection. Ed Stutzcage, on my right, is  
19 the technical reviewer, and, of course, you have  
20 heard from Jeff Ciocco earlier, who is the Lead  
21 Project Manager.

22 The staff has completed the first review  
23 and submitted the report to you about a month ago.  
24 As you have heard earlier in the Applicant's  
25 presentation, there were 14 open items that will be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 addressed in the next phase, Phase 4. Today Ed will  
2 go through these four major bullets and give you the  
3 areas that he reviewed and his group reviewed, and  
4 we will also address their findings, and, finally,  
5 the remaining issues.

6 So, with that, I will leave the slides.

7 MR. STUTZCAGE: All right. Hi. I am Ed  
8 Stutzcage, Lead Reviewer of Chapter 12.

9 I guess we will start here with Section  
10 12.1. 12.1, more or less, just provides the general  
11 high-level design information on the ALARA design of  
12 the plant, information like the discussion of clean  
13 systems being separated from contaminated systems,  
14 that type of thing, and COL items for the COL  
15 applicant to describe their ALARA program. We  
16 reviewed that, and we have no open items in 12.1.

17 Let's, then, go on to 12.2. Okay. 12.2  
18 describes the radiation sources like the RCS tanks,  
19 filters, demineralizers, reverse osmosis package,  
20 spent fuel pool, refueling pool, irradiated  
21 components, piping systems, and such.

22 The source terms for the shielding and  
23 radiation zoning are based on the .25-percent failed  
24 fuel percentage. And just to add on to a little bit  
25 of the discussion we had early on, yes, the .25-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 percent failed fuel percentage is meant to be a  
2 conservative design basis source term. I would  
3 point out that the tech specs, if you looked at the  
4 dose-equivalent iodine, the .25 percent is actually  
5 equivalent to or lower in most PWRs; in this case,  
6 it is a little bit lower than what you would  
7 correlate to this .25-percent failed fuel. So, they  
8 can actually exceed that with their tech specs,  
9 although we would never expect them to. Normally,  
10 they're not. There have been instances of some  
11 failed fuel in plants and fairly significant, but  
12 not to the .25-percent level, at least in our  
13 knowledge, in recent years.

14 MEMBER MARCH-LEUBA: While you are  
15 talking about this subject, when you say a quarter  
16 of percent failed fuel, do you mean all of the  
17 fission products have left the cladding or what do  
18 you assume?

19 MR. STUTZCAGE: It is essentially  
20 assuming that .25 percent of the core inventory is  
21 in the RCS.

22 MEMBER MARCH-LEUBA: Completely just  
23 normal gases and, then, volatile gases?

24 MR. STUTZCAGE: No, all of it, but it  
25 does get removed by the CVCS system as it circulates

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 through and stuff.

2 MEMBER MARCH-LEUBA: But, basically,  
3 assume the pellets just fell down from the fuel?

4 MR. STUTZCAGE: Essentially, yes.

5 MEMBER MARCH-LEUBA: Okay. Thanks.  
6 That's very conservative.

7 MR. STUTZCAGE: Yes, yes, yes.

8 Okay. So, that's that slide. Next  
9 slide, please.

10 Okay. (Making a lot of noise.) Sorry,  
11 my bad.

12 MEMBER SKILLMAN: I hate to use his  
13 name, but Charles will come and get you if you ever  
14 do that again.

15 (Laughter.)

16 MR. STUTZCAGE: Yes, yes, I'm sorry  
17 about that.

18 Okay. This is facts about airborne  
19 activity. We evaluate there is airborne activity in  
20 the containment building, the reactor building, the  
21 auxiliary building, the compound building. Again,  
22 they are based on the .25-percent failed fuel  
23 percentage. And the airborne activity is based on  
24 projected leak rates from pipes and valves and  
25 flanges, and stuff.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Go on to the next slide.

2                   Then, we also review the accident  
3 sources, which accident sources include the accident  
4 sources for the plant operators, the main control  
5 room, filtered dose in the main control room, and  
6 the vital area access we review. Those sources are  
7 the shutdown cooling system, safety injection  
8 system, containment spray system, and, also, the  
9 main control room emergency filter.

10                  Next slide, please.

11                  MEMBER SKILLMAN: Edward, I'll ask it  
12 now. I don't do this stuff. So, I am honestly just  
13 trying to get educated.

14                  When you say "accident," and, in  
15 particular, when you say "accident" in NUREG-0737,  
16 is that a design basis accident with some assumed  
17 failed fuel prior to core damage or is that post-  
18 core-damage?

19                  MR. STUTZCAGE: For the design basis  
20 accident, it is post-fuel-damage. The guidance of  
21 1.183 is followed, and that gives the release  
22 fractions and stuff.

23                  MEMBER SKILLMAN: So, it is, to be very  
24 clear, that is core melt, core on the floor? Okay.  
25 Thank you. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. STUTZCAGE: Next slide. Yes, slide  
2 8.

3 So, in 12.2, we reviewed the radiation  
4 sources provided by the Applicant and the  
5 methodology. And with the exception of the open  
6 items discussed in the next few slides, we found the  
7 source terms to be acceptable.

8 Next slide, please.

9 Okay. On this slide, the first bullet  
10 was associated with Question 12.22. In this RAI we  
11 requested the Applicant provide missing source terms  
12 and source term details which were initially not  
13 included in the DCD. The Applicant did provide the  
14 information, provided additional information  
15 describing how they developed their sources.

16 In correcting some of the source terms,  
17 the Applicant didn't properly account for  
18 barium-127m. Initially, it was the only of the  
19 daughter radionuclides in the components downstream  
20 of the RCS that was considered. When revising the  
21 source terms, they initially forgot to include it.  
22 So, that was an open item in the phase 2 SER. They  
23 have come in since then and included that  
24 information, but it is still under review, that  
25 issue. We haven't got a chance to look through --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER MARCH-LEUBA:   Well, you bring  
2                   this item.   Sorry to interrupt.   I'm bringing  
3                   something completely different.

4                   The Applicant is only required to use  
5                   approved COLs and methods when it affects a setpoint  
6                   or something isn't in the tech specs, basically.  
7                   So, they are not required to use, I assume they are  
8                   not required to use approved COLs for this  
9                   calculation?

10                  MR. STUTZCAGE:   No, they aren't.

11                  MEMBER MARCH-LEUBA:   Okay, but did you  
12                  follow some process to verify that the COLs were  
13                  acceptable?   Obviously, their COL for volume was not  
14                  doing quite well.

15                  MR. STUTZCAGE:   Right.   These sources,  
16                  the sources for the individual components were based  
17                  off of -- it all starts with the RCS source term  
18                  which was developed using their DAMSAM code.   And  
19                  then, the remaining sources, everything downstream  
20                  of that, essentially, except for the radwaste  
21                  systems, was done with the SHIELD-APR code, which  
22                  did not account for the daughter products.   But, in  
23                  order to account for barium-137m, they just made it  
24                  the same as cesium-137, which in reality it should  
25                  be about 95 percent of the decay of cesium-137 goes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to barium-137m. So, for this one, for barium-137m,  
2 it is just kind of artificially made conservative.

3 MEMBER MARCH-LEUBA: So, it was an  
4 interface between two COLs that was an issue or was  
5 an input --

6 MR. STUTZCAGE: It's the code. The code  
7 itself is limited in that it doesn't account for  
8 that. And as discussed in the following open items,  
9 we are evaluating their explanation for why it is  
10 acceptable that it doesn't account for the  
11 daughters, because of other conservatism in the code  
12 such as the five cycles of operation assumed in  
13 developing the RCS source term.

14 MEMBER MARCH-LEUBA: Okay. Thank you.

15 MR. STUTZCAGE: Yes.

16 MEMBER SKILLMAN: Ed, let me follow up.  
17 The gentleman behind me was explaining that, at  
18 least in part, you take ORIGEN and, as a result of  
19 ORIGEN, you I guess marry up and you end up with  
20 this Westinghouse code, and you use that code to  
21 take a look at the code that the Koreans used.

22 MR. STUTZCAGE: Yes.

23 MEMBER SKILLMAN: In at least my  
24 experience with ORIGEN, it is very thorough and it  
25 identifies all of these nuclides. So, I'm curious

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 why there is this open item.

2 MR. STUTZCAGE: Well, because the  
3 APR1400, I mean they didn't use ORIGEN in their  
4 source terms for Chapter 12. So, they used DAMSAM  
5 and, then, that is where some of the changes --

6 MEMBER SKILLMAN: So, it's really in  
7 DAMSAM where this wrinkle shows up?

8 MR. STUTZCAGE: It's really in  
9 SHIELD-APR code. But, again, their approach is  
10 different than, for example, what other designs have  
11 done.

12 MR. BURKHART: This is Larry Burkhardt.  
13 I'm the Branch Chief for Radiation Protection and  
14 Accident Consequence.

15 Their codes of record for the design  
16 certification will be DAMSAM and APR-SHIELD. And a  
17 lot of what we discussed was were the combination of  
18 those codes conservative. We asked them to explain  
19 why it is conservative, and they decided to do a  
20 benchmarking using ORIGEN and some of the other  
21 Westinghouse codes to show that the DAMSAM and  
22 APR-SHIELD code together were conservative. But the  
23 DAMSAM and APR-SHIELD code will be the codes of  
24 reference for the design certification.

25 MEMBER SKILLMAN: And are you convinced

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they are conservative?

2 MR. BURKHART: We are still reviewing  
3 that. I could just say, from the meetings I've been  
4 in, there has been a lot of work on this  
5 benchmarking that, in my opinion, does show  
6 conservatisms, but we are still evaluating that.

7 MEMBER SKILLMAN: Okay. Thank you,  
8 Larry. Thank you.

9 MEMBER REMPE: So, while we've got you  
10 sidetracked, earlier when I was discussing this  
11 issue, I mentioned this NUREG-0409 that was used for  
12 assumptions related to the form of iodine in the  
13 RCS. And that's like a seventies vintage NUREG.  
14 I'm just wondering, and the Applicant justifiably  
15 said, "Well, that's what the NRC said to use and we  
16 were just going with their assumptions."

17 What gives you confidence after all  
18 these years that NUREG has given you a good number?

19 MR. STUTZCAGE: I think we're talking  
20 about the partition factors to the airborne  
21 activity? Is that what we're --

22 MEMBER REMPE: Well, it would be,  
23 according to what you have in your SER, eventually,  
24 you are using it to airborne activity, but,  
25 basically, the actual NUREG is talking about what is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually in the hot liquid that would become  
2 airborne. And it was based on this post- -- I have  
3 forgotten the other author of this NUREG --

4 MR. STUTZCAGE: Right.

5 MEMBER REMPE: -- but it is a pretty old  
6 one. There has been other work since then learned  
7 about iodine, and I'm just surprised that that would  
8 be the reference that the staff would accept. And I  
9 was curious about that.

10 MR. STUTZCAGE: Right. Well, we have to  
11 review what the Applicant provides. For what is in  
12 the RCS and in the fluids, that is all based on the  
13 DAMSAM and the SHIELD-APR code. But, for what gets  
14 in the airborne activity, again, they use this  
15 NUREG.

16 What we did is we looked at that. We  
17 looked at a couple of documents, an EPRI document.  
18 And I can't give you an extremely detailed, thorough  
19 answer off the top of my head, but, you know, the  
20 iodine is based on the iodine concentration, the  
21 temperature, the pH of the water, how much was  
22 airborne. It is based on all of that.

23 MEMBER REMPE: Well, this is basically  
24 what the form of iodine is. If you don't mind, I  
25 sure would like -- it's my own education again --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 but what data, if you have looked at other  
2 documents --

3 MR. STUTZCAGE: Yes.

4 MEMBER REMPE: -- that gave you  
5 confidence that it is acceptable to go with 1978  
6 assumptions.

7 MR. STUTZCAGE: Right. I can get back  
8 to you and give you more specifics on how we came to  
9 that conclusion. But we did conclude that, based on  
10 the data we looked at, for the temperatures that the  
11 water is, for the partition factors, that it was  
12 acceptable.

13 MEMBER REMPE: Okay.

14 MR. STUTZCAGE: But I can get you --

15 MEMBER REMPE: I would like to have --

16 MR. STUTZCAGE: No problem.

17 MEMBER REMPE: -- some research done on  
18 that.

19 CHAIR BALLINGER: That EPRI document is  
20 EPRI 3002005404, which we tried to get --

21 MR. STUTZCAGE: Is it?

22 CHAIR BALLINGER: -- which we couldn't  
23 get. I think that is the one. It is called  
24 "Advanced Nuclear Technology: Reactor Coolant  
25 Radiological Source Terms for Normal Operation -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Updated and Revised Methodology". Did you have that  
2 document? Because we tried to get it and we  
3 couldn't get it.

4 MR. STUTZCAGE: That is the one that  
5 you're asking about? I do not have that one.

6 CHAIR BALLINGER: Okay.

7 MR. STUTZCAGE: And I have not reviewed  
8 that document. But I will get back to you with  
9 better, more detailed explanation.

10 MEMBER REMPE: Thank you.

11 MR. STUTZCAGE: Yes.

12 MR. BURKHART: This is Larry Burkhart  
13 again, if you don't mind.

14 We do have some instances in many areas  
15 where we have Regulatory Guides or NUREGs that are  
16 old. We will get back to you on that information.  
17 We do look at, as what Ed Said, we look at what the  
18 Applicant provides us. And really, our concern is,  
19 are their assumptions conservative? So, that is  
20 what we will get to back to you about.

21 MEMBER REMPE: That is what I would like  
22 to know, is why you --

23 MR. BURKHART: Why is it conservative?  
24 There are many instances where there is new  
25 information and, for whatever reason, an applicant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 may not choose to pursue using newer information, or  
2 sometimes we will put a different NUREG out. But we  
3 will get back to you on that.

4 MEMBER REMPE: Thanks.

5 MEMBER MARCH-LEUBA: Anyway, so I keep  
6 getting in trouble all the time by not following  
7 procedure. You don't sent it to us; you send it to  
8 Derek or Chris.

9 MR. STUTZCAGE: Okay. Great. Thank  
10 you.

11 MEMBER MARCH-LEUBA: Don't get us in  
12 trouble.

13 (Laughter.)

14 MR. STUTZCAGE: I'll send it to  
15 Getachew, and we will make sure we get it to the  
16 right place.

17 MEMBER MARCH-LEUBA: It is okay to cc to  
18 us, but --

19 MR. STUTZCAGE: Right.

20 MEMBER MARCH-LEUBA: -- it goes to him.

21 MR. STUTZCAGE: Okay. Okay. Going on  
22 to the second bullet on this slide, that was  
23 associated with Question 12.2.16, where we requested  
24 the Applicant provide post-accident source term  
25 information in order to demonstrate compliance with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the TMI requirements for accessing vital areas in  
2 GDC 19.

3 The Applicant provided the information.  
4 However, in Rev. 1 of the response, the accident  
5 main control room filter source term was updated,  
6 but the revised source term had an error. And  
7 suppliant to the phase 2 SER, the Applicant  
8 provided Revision 2 of the response which corrected  
9 this discrepancy and made changes to the post-  
10 accident mission doses. However, during a SHIELD  
11 outage, it was determined that the Applicant uses an  
12 erroneous post-accident recirculating fluid source  
13 term that contained an approximately 2-percent  
14 error, a small error, which we are waiting on them  
15 to, hopefully, update the response to correct and do  
16 those things. This RAI remains open and awaiting  
17 the Applicant's revision.

18 MEMBER KIRCHNER: So, may I ask -- these  
19 are difficult calculations to do with a high degree  
20 of fidelity unless you invest an enormous amount of  
21 effort and use a code like MCNP, and et cetera, et  
22 cetera. What uncertainty bands do you use? Since  
23 they are skirting the 5 rem --

24 MR. STUTZCAGE: Right.

25 MEMBER KIRCHNER: -- how comfortable are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you with that? And what is, in the rad-protection  
2 business in the area of shielding of personnel and  
3 dose and exposure, what is a typical band that you  
4 would put on these kinds of calculations and  
5 estimates?

6 MR. STUTZCAGE: Right. I mean, I don't  
7 think we have a hard-and-fast number band. But  
8 there is an open question, one of the future ones,  
9 on that, how we are so close to the 5 rem for the  
10 access to one of the areas, the vital areas, and how  
11 we can be assured that it is acceptable.

12 And the 2-percent error was just found  
13 as a discrepancy. It was in looking through the DCD  
14 versus their shielding, their detailed calculations,  
15 there was a discrepancy there. And we asked them  
16 about it, and they said that there is a small  
17 discrepancy. So, that is how the 2 percent came in.  
18 I guess it is the best I can answer that right now.

19 CHAIR BALLINGER: I mean, to expand on  
20 that, that number is given to three significant  
21 figures.

22 MR. STUTZCAGE: Yes, it is. Yes.

23 CHAIR BALLINGER: And so, the question  
24 is relevant. I mean, really?

25 MEMBER KIRCHNER: These kinds of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 calculations, as I have said, at risk of repeating  
2 myself, are quite difficult to do with a high degree  
3 of fidelity. So, yes, that many significant digits,  
4 I would expect -- and I'm not a practitioner in this  
5 field -- that you would have some conservatisms, and  
6 I don't know -- pick a number out of the air --  
7 because engineers count 1, 2, 5, 10, right? So,  
8 something like 5 or 10 percent or something, you  
9 know, as an uncertainty band on a calculation like  
10 this --

11 MR. STUTZCAGE: Right. I mean, that is  
12 partly why we have the open item. I mean, because  
13 the Applicant has provided the three significant  
14 figures in the DCD. And then, they just provided  
15 that response this week. Unfortunately, I didn't  
16 get to look at it. So, I don't have a good, a  
17 better answer than that.

18 MEMBER KIRCHNER: It is not so much the  
19 Applicant; it is just for you, as the reviewers,  
20 what is the expectation in terms of a confidence or  
21 uncertainty or margin? There should be some  
22 generally-applicable via the SRP acceptance  
23 criteria, right?

24 MR. STUTZCAGE: Well, I mean, there is  
25 no margin in the SRP or anything. And if you look

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at NUREG-0737, it just says it should be 5 rem.

2 MR. BURKHART: So, this is Larry  
3 Burkhart.

4 You're exactly right, we look at all the  
5 conservatisms in the calculation. We ask the  
6 Applicant to describe all the conservatisms. There  
7 is not a stated margin. I would throw out there  
8 that probably 5 to 10 percent is probably a  
9 benchmark. If we start seeing results that are 4.8  
10 rem, 4.9 rem, we are going to ask more questions  
11 about the conservatisms, to be convinced that those  
12 conservatisms actually exist. But there is some  
13 certain amount of engineering judgment, too, that we  
14 are using to reach the reasonable assurance finding.  
15 But you're right, in the SRP there is no explicit  
16 uncertainty of 5 percent or 10 percent.

17 MEMBER MARCH-LEUBA: I need to talk into  
18 the microphone.

19 But I may be misunderstanding this. The  
20 5-rem limit will not be exceeded in the real life  
21 because they have a dosimeter, and when you hit 5,  
22 you go home. So, the question is, these is vital  
23 operations I need to perform, like these valves? Do  
24 you have confidence that I have sufficient backup  
25 maintenance operators to send a new guy that hasn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reached the 5? Or is there something that requires  
2 that a single guy do the whole operation?

3 MR. STUTZCAGE: It isn't required that a  
4 single guy do the whole operation. What is required  
5 is they have to be able to show that the operation  
6 can be done with less than the 5 rem.

7 MEMBER MARCH-LEUBA: Okay. So, if you  
8 have backup technicians, you can --

9 MR. STUTZCAGE: But the operation --  
10 excuse me; I'm sorry to interrupt -- that nobody  
11 exceeds 5 rem. So, if two people have to do it,  
12 neither of them are supposed to exceed 5 rem.

13 MEMBER MARCH-LEUBA: Yes, but if you  
14 send them singularly --

15 MR. STUTZCAGE: Right.

16 MEMBER MARCH-LEUBA: -- even if you will  
17 have more than 10, you will still be able to do it.

18 MR. STUTZCAGE: Yes.

19 MEMBER MARCH-LEUBA: The first one gets  
20 5, the second one gets 5. That is the way they --

21 MR. STUTZCAGE: Right.

22 MEMBER MARCH-LEUBA: -- are doing most  
23 of the severe accident.

24 CHAIR BALLINGER: So, it is 5 rem per  
25 person, not 5-person-rem?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. STUTZCAGE: No. Yes, it is 5 rem  
2 per person.

3 MEMBER MARCH-LEUBA: So, that is doable,  
4 except you have to have sufficient bodies.

5 MR. STUTZCAGE: Right.

6 MR. BURKHART: And what we focus on --  
7 this is Larry Burkhart -- what we focus on is the  
8 Applicant providing us, okay, what's the mission  
9 that this person would have to do? What's your  
10 evaluation of the rem that that person would get for  
11 the accident? But you're right, if situations --  
12 that is why we look at the conservatisms to make  
13 sure it is somewhat reasonable. But you're right,  
14 it would be up to the eventual operator to make sure  
15 that that individual doesn't exceed 5 rem.

16 MR. STUTZCAGE: Yes, we look at the  
17 access path to the area, the time to perform the  
18 operation, and then, the dose on the way out as  
19 well.

20 MEMBER MARCH-LEUBA: Yes. So, with that  
21 in mind, I wouldn't worry too much about the third  
22 significant digit because --

23 MR. STUTZCAGE: Yes, I understand.

24 MEMBER MARCH-LEUBA: -- it has a way of  
25 self-correcting.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. STUTZCAGE: I understand the  
2 comment.

3 Okay, ready, next slide.

4 The first bullet is on RAI 8420,  
5 Question 12.2.22, which we asked the Applicant to  
6 provide more information on the outdoor tanks. Or,  
7 actually, this was on -- sorry -- yes, the tank  
8 levels, including the outdoor tanks.

9 Remaining issues include ALARA concerns  
10 associated with the outdoor tanks. Most of the  
11 questions associated with the issue have been  
12 resolved. However, the Applicant did not provide  
13 information associated with the potential dose to  
14 the public from the outdoor tanks for compliance  
15 with 40 CFR 190. In addition, the Applicant did not  
16 provide any information regarding how the tanks  
17 would be inspected. The Applicant provided a  
18 response recently that we are reviewing.

19 I will note that we mentioned the  
20 outdoor tanks earlier. It was discussed earlier.  
21 There is shielding information for the tanks added  
22 in a response to Question 12.2.3, I believe it is.  
23 They provided the shielding around the tanks, and  
24 they are proposing putting it in the DCD in the  
25 future revision.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER REMPE: I don't know where the  
2 place is to bring this up, but there's a lot of open  
3 items in this section and there's a lot of RAIs we  
4 were getting even this week. And maybe some of our  
5 older members can provide guidance. Is there like a  
6 limit where you say this is just not ready to bring  
7 to the ACRS? I mean, surely, I hope things won't  
8 come this way when we have to write a letter on this  
9 section, but what is the precedent? I mean, are we  
10 going to get other sections that are like this or  
11 worse? Or where is the limit in saying, oh, no,  
12 even though you've done your --

13           MEMBER POWERS: We've gotten a lot more  
14 than this.

15           MEMBER STETKAR: Oh, yes. Having been  
16 through this --

17           MEMBER REMPE: Okay.

18           MEMBER STETKAR: -- it is the whole  
19 purpose of our getting involved when we do, to see  
20 whether we, not the staff, whether we have any  
21 issues that raise a flag either for the staff or the  
22 Applicant before we get to the end of the process.  
23 So, having a large number of open items is not  
24 unusual.

25           MEMBER REMPE: But what if there is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 content that we haven't seen yet? Are we going to  
2 write a letter on this chapter and still not have  
3 seen this?

4 MEMBER POWERS: We will do exactly what  
5 we have always done, Joy.

6 MEMBER REMPE: Which is?

7 MEMBER POWERS: We write letters on  
8 blocks of chapters.

9 MEMBER REMPE: Even if there's some  
10 major pieces that we don't --

11 MEMBER POWERS: And we document what we  
12 have reviewed.

13 MEMBER REMPE: And we ask for the  
14 additional --

15 MEMBER STETKAR: Yes, we flag things.

16 MEMBER REMPE: -- information as it is?  
17 So, there is no stopping --

18 MEMBER POWERS: If we want something, we  
19 can make it clear we do. I mean, you have been  
20 through this --

21 MEMBER REMPE: Okay.

22 MEMBER POWERS: -- with this  
23 application.

24 MEMBER REMPE: In this application, this  
25 one I think is the one that I've seen with the most

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 so far.

2 MEMBER POWERS: I've seen much, much,  
3 much worse.

4 (Laughter.)

5 MEMBER REMPE: That's what I'm asking.

6 MEMBER STETKAR: Not on this particular  
7 one, but yesterday.

8 MEMBER REMPE: I just was curious.  
9 Okay.

10 MR. BURKHART: If I can give you some  
11 personal views -- this is Larry Burkhart -- there  
12 was a lot of discussion over the last six months  
13 about getting the information we thought we needed  
14 to write our SER with Open Items. I can say that,  
15 in my opinion, we are moving in the right direction  
16 in getting the information we need in closing out.

17 There were a lot of RAIs. I can just  
18 tell you that my impression is there has been a lot  
19 of work on the Applicants, then, to show us the  
20 conservatisms, and that is what we are concerned  
21 about, are there sufficient conservatisms in  
22 evaluating the radiation sources? So, I think it is  
23 moving in the right direction.

24 So, you shouldn't see a lot more RAIs in  
25 this area, not that you won't see any, but we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 funneling-down the issues. So, I hope you won't see  
2 a lot of new content in what closes out the SER open  
3 items.

4 MEMBER REMPE: Yes. Thank you.

5 MR. STUTZCAGE: All right. The next  
6 bullet was on Question 12.2.23. That is associated  
7 with the daughter progeny issue that was discussed  
8 earlier. We are reviewing that. There is a lot of  
9 information there to review.

10 The third bullet was Question 12.2.25.  
11 This is kind of a similar issue with gaseous waste  
12 management system source term with the daughter  
13 progeny and, also, some other just more minor  
14 inconsistencies. That response was just recently  
15 provided, and I haven't gotten a chance to look at  
16 it yet. It was provided this week, I believe.

17 So, next slide.

18 We're going to Sections 12.3 and 12.4.  
19 So, this slide is on facility design features. Some  
20 of the design features include minimizing the cobalt  
21 content in the RCS and components in high-neutron  
22 flux areas to reduce cobalt-60.

23 The APR1400 has a high-efficient pre-  
24 holdup ion exchanger for cesium and rubidium, which  
25 helps reduce the dose from the outdoor tanks.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Improved reliability. A lot of the  
2 equipment is designed to last the life of the plant  
3 under reduced maintenance, such as in some areas  
4 radiation-resistant seals and gaskets and that type  
5 of thing.

6 By reducing leaks, for example,  
7 modulating valves or valves greater than 2 inches in  
8 diameter. Use live loading of the packing to  
9 maintain a compressive force in the packing to help  
10 reduce the leakage.

11 Radiation shielding is sufficient to  
12 maintain doses in walkways and frequently-accessed  
13 areas are ALARA. Most areas are less than 2.5  
14 millirem per hour in the frequently-accessed and the  
15 walkways.

16 And most components with the potential  
17 for a significant dose rate are located with their  
18 own individual room which minimizes exposure during  
19 maintenance. So, you don't have a bunch of high-  
20 activity components in the same room, so you are  
21 getting dose from a bunch of different directions at  
22 the same time.

23 MEMBER MARCH-LEUBA: Sorry to interrupt  
24 before you go to the next slide. That 2.5 millirem  
25 per hour, is that normal operation?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. STUTZCAGE: Yes. This is all normal  
2 operation.

3 MEMBER MARCH-LEUBA: And it is for  
4 normally-accessed places?

5 MR. STUTZCAGE: That's the maximum --  
6 yes, that is the upper bounds of the dose rate for  
7 the design basis source term.

8 MEMBER MARCH-LEUBA: Assuming that your  
9 .25 pellets drop down? So, the actual dose you  
10 expect is at least a factor of 10 lower, right?

11 MR. STUTZCAGE: It would be  
12 significantly lower, yes.

13 MEMBER MARCH-LEUBA: Because I have been  
14 in power plants where they tell you, when you get to  
15 this corridor, you run.

16 (Laughter.)

17 MR. STUTZCAGE: Yes, I --

18 MEMBER MARCH-LEUBA: Or you won't be  
19 able to make it through the morning.

20 (Laughter.)

21 And that was 20 years ago, not now. In  
22 this country, but it was 25 years ago, and those  
23 things don't happen anymore.

24 MR. STUTZCAGE: Right.

25 MEMBER MARCH-LEUBA: I've been in plants

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 a long time ago when the workers are sitting  
2 upstream of the monitor waiting for radon to  
3 dissipate so they can get out. And that doesn't  
4 happen anymore. So, a modern reactor should not  
5 design to those methods. It should be much lower.

6 MR. STUTZCAGE: Right, right. I mean,  
7 this is the design basis. This is with the  
8 shielding and zoning to the design basis is based  
9 on.

10 Okay. The next slide, slide 12, on  
11 shielding.

12 Shielding thicknesses for rooms  
13 containing significant radiation levels are provided  
14 to limit the dose to the radiation zones and ALARA,  
15 including during refueling and other anticipated  
16 operating occurrences.

17 Adequate shielding is provided to limit  
18 the dose to operators on the refueling machine and  
19 spent fuel pool handling machine platform, the 2.5  
20 millirem per hour.

21 And adequate shielding surrounds the  
22 outdoor tanks and boric acid storage tank to limit  
23 the contact dose rate to less than .25 millirem per  
24 hour, except for possibly we are evaluating -- there  
25 are hatches on the tanks to access them. In that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 area, it may possibly exceed that, but we are  
2 looking at that. And the tanks are in the tank  
3 house, which further limits the dose and helps  
4 contain any leakage that occurs.

5 Next slide, slide 13.

6 Yes, this is on the are radiation  
7 monitors. As discussed by the Applicant, there are  
8 safety-related monitors in the containment upper  
9 operating area, the lower operating area. The spent  
10 fuel pool area monitors, two monitors there, are  
11 safety-related. And the area radiation monitors are  
12 in conformance with the SRP and the ANSI standard  
13 listed here.

14 MEMBER MARCH-LEUBA: Do they have any  
15 airborne contamination monitors or just radiation?  
16 Just the area?

17 MR. STUTZCAGE: I'm getting a little  
18 confused with another design in my head. No, I  
19 believe they don't have any built-in airborne  
20 monitors to monitor for the workers.

21 MEMBER MARCH-LEUBA: But that gets done  
22 periodically?

23 Go to a microphone.

24 MR. KANG: I'm Sangho Kang, KEPCO E&C.

25 I can give you these answers. We have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 containment air monitor which is used to detect the  
2 leakage from the reactor coolant system inside the  
3 containment. That is the containment air monitoring  
4 we have.

5 MR. STUTZCAGE: Right.

6 MEMBER MARCH-LEUBA: Thank you.

7 MR. STUTZCAGE: So, it is not for the  
8 personnel dose. It is for detecting --

9 MEMBER MARCH-LEUBA: It is more for  
10 detecting accidents?

11 MR. STUTZCAGE: Right. And I think they  
12 do have a COL item that is part of their radiation  
13 protection program that, if portable airborne  
14 monitoring is needed, they can add in actual  
15 operation.

16 MEMBER MARCH-LEUBA: I am sure the HP  
17 personnel will do continuous swipes of every room.

18 MR. STUTZCAGE: Yes.

19 All right, next slide.

20 This slide is on minimizing  
21 contamination. This describes, gives the APR1400  
22 general design principles, design objectives.

23 Prevent, minimize unintended  
24 contamination. Provisions of adequate and early  
25 leak detection capability. Reduction of cross-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 contamination. Decontamination and waste  
2 generation. Decommissioning planning. And they  
3 have COL items for the last two, operations and  
4 documentation and site radiological environmental  
5 monitoring.

6 So, that's about all I have to say on  
7 that, unless you want to get into specifics.

8 Next slide.

9 On the dose assessment, again, it gives  
10 the estimated dose rate, or the person-rem, person-  
11 sievert here. Most of the dose is from refueling  
12 and maintenance activities. And then, the post-  
13 accident mission dose for the continuously-occupied  
14 main control room and the non-continuously-occupied  
15 areas. Doses for the mission dose and the main  
16 control room are due to direct radiation and from  
17 the airborne activity in the areas.

18 Next slide.

19 MEMBER KIRCHNER: Before you go on --

20 MR. STUTZCAGE: Okay.

21 MEMBER KIRCHNER: -- so, we had  
22 considerable discussion about operational experience  
23 in the U.S. and driving down the exposures. And  
24 listening to my colleagues, I infer that the state-  
25 of-the-art in the U.S. might suggest a factor of 10

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lower number than the number on your slide.

2 MEMBER STETKAR: State of practice.  
3 Yes, state of practice.

4 MEMBER KIRCHNER: So, philosophically,  
5 in the spirit of ALARA, is that an acceptable  
6 number? And allowing for, you know, it is a larger  
7 rated power plant, but that is only a small fraction  
8 of the answer. And they may use more people. So,  
9 they may have more exposure. But, in the spirit of  
10 ALARA, is that where you wanted to see a state-of-  
11 the-art design winding up or would you expect it to  
12 compete, so to speak, with what the current fleet is  
13 doing?

14 MR. STUTZCAGE: Well, I guess I can give  
15 two pieces of information. One is that during  
16 operation the requirement would be to always keep it  
17 as low as you possibly can. And the other thing is  
18 that these dose rates weren't very significantly  
19 different from what has been provided in some of the  
20 other DCD applications. I guess that is all I can  
21 really offer right now.

22 MR. BURKHART: This is Larry Burkhart.

23 I think it is a good philosophical  
24 question. When it comes to regulating, I think that  
25 is an acceptable number. We expected it would be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lower, based on current practice. There is some  
2 conservatism, I'm sure, that goes into that  
3 evaluation. So, I would say, yes, that that is an  
4 acceptable answer, but we would expect on a day-to-  
5 day basis that the operations would drive that  
6 lower.

7 MEMBER MARCH-LEUBA: Yes, but at this  
8 point, well, No. 1, we have been told that that  
9 number is based on real operating experience. It is  
10 not a calculation. And No. 2 is, at the moment of  
11 the design, should we consider some mitigation, like  
12 make those operations easier to do, so operators  
13 don't have to spend that much time? Use remote  
14 action whenever possible, more shielding. There is  
15 a point at which maybe you can improve on that.

16 MR. BURKHART: This is Larry Burkhardt  
17 again.

18 I think that is a very good question.  
19 The question is, as a regulator during the design  
20 certification process, what kind of additional  
21 requirements do we ask for? That is kind of what we  
22 struggle with with ALARA sometimes.

23 MEMBER POWERS: I will remind the  
24 members that the objective is to provide adequate  
25 safety, and that a continuous improvement philosophy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that may pervade DOE does not pervade this agency,  
2 that we set an adequate standard and we hold the  
3 licensees to that adequate standards, which has  
4 margin build into it inherently. We are not in the  
5 business of running their plant.

6 MEMBER KIRCHNER: Dana, yes, I  
7 appreciate that. I just point out that ALARA in a  
8 sense is a philosophy of design and operations --

9 MEMBER POWERS: But if you look at in  
10 the regulations, you will see that --

11 MEMBER KIRCHNER: -- and mechanisms of  
12 action.

13 MEMBER POWERS: -- it occupies a  
14 peculiar position. If you look at how it is used in  
15 the regulations, ALARA has a peculiar position.

16 MEMBER KIRCHNER: Yes, agreed.

17 MR. STUTZCAGE: I will say that we do,  
18 and you probably see from reading the SER, we do ask  
19 quite a few questions on the ALARA design and review  
20 the DCD. So, there are a lot of design features  
21 built into the plant to help to try to reduce the  
22 dose.

23 MEMBER SKILLMAN: Well, I reacted the  
24 same way that you did to that number. And so, I  
25 went seeking information that would give me comfort

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that that number is in the ballpark for a new plant  
2 or is not in the ballpark for a new plant.

3 And the most recent version of  
4 NUREG-0713, in my view, provides the clarity that  
5 would suggest for a large plant that number is  
6 probably right about where it should be, given U.S.  
7 operating experience. But I would be quick to say  
8 that the modern fleet operators certainly do not see  
9 that as a goal for an annual exposure acceptable  
10 amount. A number 100th of that is what would be  
11 accepted in today's current environment. But that  
12 number is consistent with the last 25 years of  
13 integrated exposure on a 12-month basis for the Ps  
14 in this country, and the number has been dropping,  
15 by and large, year by year by year.

16 So, if you are interested, it is  
17 NUREG-0713, and the most recent version is the 47th  
18 Annual Report. It gives good information that would  
19 give you perhaps comfort for the 58-person-rem.

20 MR. STUTZCAGE: Move on? Okay. Thanks.

21 MEMBER SKILLMAN: Okay. Could I  
22 respond, one other comment? My colleague Jose was  
23 really digging into this idea about what the air  
24 monitors are sensing. And the real description for  
25 the radiological monitoring system is in Section 11,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and it really ties down the answers to the questions  
2 that you were asking. What are the CAMs,  
3 containment air monitors? Are particular monitors  
4 looking for alpha and gamma and beta, exactly what  
5 you were asking for, but it is not described in  
6 Chapter 12. It is back in 11.

7 MR. STUTZCAGE: Right. Chapter 12 just  
8 discusses the area monitors.

9 Okay. So, the next slide. Yes.

10 Okay. So, for this section, we reviewed  
11 it and, with the exception of the open items, we  
12 found that they are meeting the applicable  
13 regulatory requirements, including ALARA and  
14 requirements to minimize contamination.

15 Next slide.

16 It goes through the open items. The  
17 first bullet on Question 12.3.8, this question asked  
18 the Applicant to provide missing shielding  
19 information in the DCD, which was included. In  
20 Revision 1 of the response, the Applicant proposed  
21 updating Tier 1 to include thicknesses for the  
22 volume control tank, to update the thicknesses for  
23 the volume control tank south wall which were  
24 originally less than the minimum thickness specified  
25 in Tier 2.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           These changes were reviewed and found  
2 acceptable.   However, as part of our shielding  
3 audit, we requested the Applicant provide additional  
4 justification for the shielding around piping areas.  
5 We also noted that there appeared to be a  
6 discrepancy in the dose conversion factors used in  
7 the piping calculations as opposed to the other  
8 sources.

9           They do a comparison.   They basically  
10 take one pipe, do the calculation.   They ratio it  
11 based on the number of pipes in the area.   And in  
12 doing the different calculations, there are  
13 different dose conversion factors used.   So, we are  
14 reviewing that, and the Applicant is going to  
15 provide us more information on that issue.   So, that  
16 is why that RAI remains open.   That is that issue.

17           The next one is on Question 12.3.10  
18 which requested the Applicant to provide minimum  
19 shielding information for some of the irregularly-  
20 shaped piping areas and rooms.   There's a couple of  
21 rooms that are very oblong-shaped with various  
22 different corners.   They are not just square rooms  
23 or rectangular.

24           And from reviewing the initial DCD, you  
25 couldn't tell which walls had which thicknesses and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the floor thicknesses and the ceiling thickness.  
2 So, we asked for more information on that. We got  
3 most of it, but there's still a few areas we  
4 couldn't tell. Over one of the hallways, for  
5 example, we couldn't tell what the shielding was  
6 over it.

7 And this is a significant piping area.  
8 It contains some of the hottest pipes in the plant  
9 going to the waste management systems and stuff.  
10 So, that is still an open item.

11 The next slide, please.

12 MEMBER KIRCHNER: Edward --

13 MR. STUTZCAGE: Yes?

14 MEMBER KIRCHNER: -- just out of  
15 curiosity, I am curious, how do you check their  
16 calculations, so to speak? You mentioned a  
17 complicated problem, many pipes in the same room.  
18 You have self-shielding and such. Do you use kind  
19 of a rule-of-thumb, tabular estimates to see if they  
20 are in the ballpark or do you actually run your own  
21 codes?

22 MR. STUTZCAGE: We do run MicroShield  
23 calculations if we need to. It was pretty simple to  
24 run. So, we run that a lot for the piping, and we  
25 can kind of multiply it to do simplified

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 calculations.

2 MEMBER KIRCHNER: Yes.

3 MR. STUTZCAGE: That's usually what we  
4 do. And we find that something seems to be off or  
5 doesn't make sense, then we will ask questions.

6 MEMBER KIRCHNER: Okay. Thank you.

7 MR. STUTZCAGE: So, where are we? I  
8 think the next slide. Okay, slide 18.

9 The first bullet, related to Question  
10 12.3.11, requested the Applicant to provide  
11 information on the CCW sump design and the CCW  
12 structure, which is a separate little structure on  
13 its own.

14 They provided information. The only  
15 thing that was missing was they described a  
16 radiation monitor that wasn't included in the DCD.  
17 And subsequent to the P2 SER, they included that  
18 monitor in Chapter 11. There is just a little  
19 discrepancy with the description of the monitor in  
20 the Chapter 11 that the Chapter 11 staff are asking  
21 them to resolve.

22 The next bullet is related to Question  
23 12.3.13. Asks the Applicant to provide information  
24 on the access requirements of the gaseous waste  
25 management system charcoal delay beds, which are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 very high-radiation areas with the design basis  
2 source term. We re-asked if there was a need to  
3 access the room to work on any instrumentation, the  
4 humidity instrumentation or temperature  
5 instrumentation. We got that response very  
6 recently, and we didn't review it yet. So, that is  
7 that issue.

8 The next slide, please.

9 Slide 19 is on Question 12.3.26. This  
10 requested information on the in-core instrumentation  
11 and how you dispose of the in-core instrumentation  
12 and the dose in the refueling pool. The Applicant  
13 indicated that cutting of in-core instrumentation  
14 was performed underwater above a container to  
15 collect debris. And one of the initial questions  
16 was, do you have any kind of temporary filtration  
17 system or provisions to set up a temporary  
18 filtration system to clean up the refueling pool?

19 Subsequent to the phase 2 SER, the  
20 Applicant provided a response which informed us -- I  
21 was unaware at the time -- that there is the  
22 capability to directly connect the spent fuel pool  
23 cleaning system directly to the refueling pool,  
24 which would eliminate the need for a temporary  
25 filtration system.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We are currently evaluating that,  
2           though, because we had a couple of questions on if  
3           there were design provisions to prevent kind of  
4           overflowing the pool, since there is this  
5           interconnection capability. If you had the pools  
6           separated and accidentally suctioned from one pool  
7           and sent the water to the other pool, the balance-  
8           of-plant generator reviews that to make sure the  
9           water level doesn't go low and expose the fuel.

10           But we were just asking questions  
11           related to making sure that the pool won't overflow,  
12           either of the pools won't overflow. So, the  
13           Applicant is going to provide us a response on that.

14           The next slide.

15           On Question 12.3.46, the first bullet,  
16           which requested the Applicant to address  
17           discrepancies and provide information about  
18           preventing fires involving radioactive material and  
19           controlling the resulting dose to the public workers  
20           and minimize contamination, consistent with the  
21           guidance of Reg Guide 1.1.89, which not only  
22           provides information on the safety-related aspects  
23           of fire protection, but also on minimizing the  
24           release of radioactive material.

25           And the Applicant corrected a lot of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       inaccurate and kind of inconsistent information and  
2       provided some more information on the design, like  
3       sprinkler systems over waste storage areas and such.  
4       However, we still have questions on venting, on the  
5       vent lines to the ion exchangers, the CVCS ion  
6       exchangers in particular, and where they are vented.  
7       We just want to ensure that they aren't  
8       contaminating the ventilation systems with potential  
9       liquid that could ruin them or prevent accidental  
10      spills out the ventilation pathway from overflows.  
11      So, that issue is still under review.

12               The next bullet, Question 12.3.49, this  
13      remains open. Because it described monitoring and  
14      access for the instrumentation calibration facility,  
15      and the initial DCD included an instrument  
16      calibration facility which contained a high enough  
17      source to be considered an irradiator under 10 CFR  
18      Part 36, we asked the Applicant how they were going  
19      to meet the Part 36 requirements. Well, we asked  
20      them how they were going to meet the Part 36  
21      requirements. And they ended up proposing to remove  
22      the irradiator from the DCD design.

23               So, the irradiator is being -- the  
24      instrumentation calibration facility is being  
25      changed to a future use area, and they are adding a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 COL item for the COL applicant to describe how that  
2 room will be used.

3 We found that acceptable because it  
4 isn't required that these high-level, high-activity  
5 calibrations be performed at the facility. However,  
6 we are waiting on the Applicant to provide a revised  
7 response that kind of changes everything.

8 CHAIR BALLINGER: This is, I think, if I  
9 recall again, this is a place where there was a high  
10 source that they were using, where if it was  
11 oriented in a certain way, then dose rates would be  
12 far exceeded. And they decided that, okay, we will  
13 just turn it around or do something to reorient the  
14 source. Is that what I'm --

15 MR. STUTZCAGE: No, I don't think it was  
16 ever oriented the wrong way. I think we may have  
17 asked a question about its orientation, and they  
18 provided the information. And per 10 CFR Part 36,  
19 if it is exceeding 500 R, I think, at a meter, then  
20 it meets the definition of an irradiator in Part 36  
21 and they have to meet all of those requirements.  
22 And it did. And it did.

23 Okay. The next slide is the what? I  
24 think the last of the remaining open RAIs, related  
25 to Question 12.3.53, which is associated with the --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 it asks about the 2-percent error in the post-  
2 accident recirculating fluid source term and getting  
3 that corrected, and also on the issue we kind of  
4 discussed earlier related to being so close to the  
5 5-rem limit and how they are ensuring that their  
6 calculations are conservative enough that they  
7 wouldn't exceed 5 rem in the actual event of an  
8 accident. And that has just been provided this week  
9 as well, which I haven't begun to look at yet.

10 So, go on to the next slide, slide 22.  
11 If we can look at slide 22? Yes.

12 It is on Section 12.5, the Operational  
13 Radiation Protection Program. The Applicant  
14 indicated that the Radiation Protection and ALARA  
15 Program should conform to NEI 07-03A and NEI 07-08A,  
16 but the COL applicant is to fully describe the  
17 program, which is an acceptable approach and it is  
18 normally done. So, there were no open items in this  
19 section.

20 Next slide.

21 And this just summarizes that it is  
22 acceptable to defer the description of the programs  
23 to the COL applicant.

24 Next slide.

25 And that concludes the presentation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Feel free to ask any questions.

2                         CHAIR BALLINGER:  Questions?  Questions?

3                         (No response.)

4                         I think now we should try to get the --

5                         MEMBER SKILLMAN:  I do have one.  There  
6           was a series of questions about the fuel handling  
7           equipment and the block to ensure that the fuel  
8           assemblies could not be raised to probably 12 or 16  
9           feet below the work platform.  And the text kind of  
10          indicated this is not a problem because we've got a  
11          mechanical device to prevent the elevator from  
12          raising the fuel assembly.

13                        My question is, how thoroughly did you  
14          probe that?  I was on an NSRB for a utility in the  
15          South where the interlocks and the bypasses were all  
16          defeated with jumper cables and there was a  
17          mechanical device that was not in place.

18                        MR. STUTZCAGE:  Okay.

19                        MEMBER SKILLMAN:  So, my question is,  
20          how thoroughly did you probe that question?  That is  
21          a real problem if you're an operator and you're  
22          moving fuel.

23                        MR. STUTZCAGE:  Yes.  I mean, I ensure  
24          that they describe that they have the interlock.  I  
25          didn't look into that level of detail of defeating

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at the interlock or anything of that nature.

2 MEMBER SKILLMAN: Are you comfortable  
3 that the mechanical lock is welded in place or it is  
4 lock-wired and certified to be present?

5 MR. STUTZCAGE: I mean, I can say that  
6 they have an ITAAC that ensures that they have it.

7 MEMBER SKILLMAN: Okay. That's fair  
8 enough. Okay.

9 MR. STUTZCAGE: Yes.

10 MEMBER SKILLMAN: All right. Thank you.  
11 Thanks.

12 CHAIR BALLINGER: Others?

13 (No response.)

14 Okay. We will now go around. Are there  
15 any questions from people in the room, people who  
16 want to make a comment? Are there any people in the  
17 room who would like to make a comment?

18 (No response.)

19 Hearing none, shall we get the phone  
20 line open?

21 MR. T. BROWN: Bridge open.

22 CHAIR BALLINGER: Bridge open.

23 Are there any people on the bridge line  
24 that would like to make a comment?

25 (No response.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Okay. Thank you.

2                   I appreciate, I'm sure everybody on the  
3 Committee much appreciates the presentation as well  
4 as from the Korean side.

5                   But, if there are no other questions,  
6 then we have finished almost more than half-an-hour  
7 early, and we are adjourned.

8                   (Whereupon, at 11:21 a.m., the meeting  
9 was adjourned.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2

3

4

5

# APR1400 DCA

## Chapter 12: Radiation Protection

---



**KEPCO/KHNP**  
**February 24, 2017**

# Contents

---

- Overview of Chapter 12
- 1 12.1 Ensuring that ORE are ALARA
- 2 12.2 Radiation Sources
- 3 12.3 Radiation Protection Design Features
- 4 12.4 Dose Assessment & Minimization of Contamination
- 5 12.5 Operational Radiation Protection Program
- 6 COL Items
- 7 Open Items & Summary
- 8 Acronyms

# Overview of Chapter 12 (1/2)

## □ List of Submitted Documents

Document No.	Title	Revision	Type	ADAMS Accession No.
APR1400-K-X-FS-14002-P/NP	APR1400 Design Control Document Tier 2: Chapter 12 Radioactive Waste Management	0	DCD	ML15006A039
APR1400-K-X-FS-14001-P/NP	APR1400 Design Control Document Tier 1	0	DCD	ML15006A051

## □ RAI Summary

(As of 2/23/2017)

No. of Questions	No. of Responses	Not Responded	No. of OI
83	83	0	14



# Overview of Chapter 12 (2/2)

## □ Section Overview

Section	Title	Presenter
<b>12.1</b>	<b>Ensuring that ORE are ALARA</b>	Sang-Ho Kang
<b>12.2</b>	<b>Radiation Sources</b>	Sang-Ho Kang
12.2.1	NSSS Source Term (Reactor core, RCS, Spent Fuel, CVCS, SCS) BOP Source Term (SGBDS, CPS, CCWs, SFPCCS, LWMS, GWMS, SWMS)	
12.2.2	Airborne Source	
12.2.3	Accident Sources	
<b>12.3</b>	<b>Radiation Protection Design Features</b>	
12.3.1	Facility Design Features	
12.3.2	Shielding	
12.3.3	Ventilation	Joon-Kon Kim
12.3.4	Area Radiation and Airborne Radioactivity Monitoring Instrumentation	
12.3.5	Dose Assessment	Sang-Ho Kang
<b>12.4</b>	<b>Dose Assessment &amp; Minimization of Contamination</b>	Sang-Ho Kang
12.4.1	Dose Assessment	
12.4.2	Minimization of Contamination and Radioactive Waste Generation	
<b>12.5</b>	<b>Operational Radiation Protection Program</b>	Sang-Ho Kang

# 1. Ensuring that ORE are ALARA (12.1)

---

## 1.1 Policy, Design and Operational Considerations

# 1.1 Policy, Design, Operational Considerations

## □ Policy Considerations

- APR1400 provides organizational structure to implement the radiation protection policy, training, and reviews
- Applicable guidance : RG 1.8, 1.33, 8.8, and 8.10

## □ Design Considerations

- Design procedures
  - ALARA design guide provides design guidance and implementation methods
  - Incorporates lessons learned from earlier nuclear plants
  - Training programs
- Equipment design
  - Removal of contamination
  - Reduction of maintenance
  - Minimization of corrosion
- Facility layout design
  - Separation
  - Space for maintenance

## □ Operational Considerations

- COL items

## 2. Radiation Sources (12.2)

---

- 2.1 NSSS Source Term
- 2.2 Auxiliary System Source Term
- 2.3 Airborne Sources
- 2.4 Accident Sources
- 2.5 Key Review Items

## 2.1 NSSS Source Term

---

### ❑ Reactor Core

- Primary radiation : Neutrons and Gamma
- Core fission products : Calculated based on 102% thermal power

### ❑ Reactor Coolant System (RCS)

- Sources: Fission products, Activation and Corrosion products
- Calculated based on 0.25% fuel defect using DAMSAM code
- N-16 is the predominant activity in primary coolant inside containment

### ❑ Spent Fuel

- Predominant source in containment during refueling and in spent fuel pool
- 100-hour decay is ensured before movement from the core by Tech. Spec. LCO

### ❑ Chemical and Volume Control System (CVCS)

- Most significant sources in Aux. Bldg.
- Calculated using SHIELD-APR code

### ❑ Shutdown Cooling System (SCS)

- 4-hour decay after reactor shutdown is assumed

## 2.2 Auxiliary System Source Term

- ❑ **Secondary Systems (MSS, SGBDS, CPS)**
  - Calculated assuming SG tube leak rate of 3,270 L/day (0.6 gal/min)
- ❑ **Component Cooling Water System (CCWS)**
  - Assumed all RCS unidentified leakage (0.5 gpm for 1 hour) is transferred to CCWS
- ❑ **Spent Fuel Pool Cooling & Cleanup System (SFPCCS)**
  - Initial SFP water source is determined based on 48-hour SCS operation
  - Component sources are determined at maximum time during SFPCCS operation
- ❑ **Liquid Waste Management System (LWMS)**
  - Calculated based on expected flow rates and concentration of in-flows to LWMS
  - Use DIJESTER code
- ❑ **Gaseous Waste Management System (GWMS)**
  - Gaseous in-flows from CVCS are assumed to build up for maximum time of delay beds
- ❑ **Solid Waste Management System (SWMS)**
  - Determined based on the radionuclide inventories of the resin and filters in the CVCS and LWMS

## 2.3 Airborne & Accident Sources

### □ Airborne sources

- Sources of airborne contamination
  - Leaks or vents from radioactive systems (e.g. CVCS, Radwaste, HVAC)
  - Evaporation from refueling pool & SFP
- Design calculations
  - Based on the maximum allowable leak rates of component, partitioning of nuclides and activity concentrations in the fluids
  - Determine minimum required HVAC flow rates to maintain DAC fractions ALARA in all rooms in Containment, Auxiliary, and Compound buildings

### □ Accident source terms

- Design application
  - Define adequate shielding in vital areas during post-accident
  - Define environmental conditions for equipment qualification
- Determined based on RG 1.183
- Design Targets
  - Areas requiring continuous occupancy (MCR, TSC) :  $< 0.15$  mSv/hr averaged over 30 days
  - Areas requiring infrequent access :  $< 50$  mSv

## 2.4 Key Review Items

---

- ❑ **RAI 8420, Question 12.02-22, 23, and 25 (Dec. 22, 2015)**
  - Description of issue
    - Provide justification for not including daughter nuclides
  - Resolutions
    - Use of DAMSAM/SHIELD-APR code system for RCS and CVCS demonstrates the conservatisms
      - Comparison with another previously NRC-approved code system that considers daughter nuclides indicates conservatism of DAMSAM/SHIELD-APR system
    - For other systems including SFPCCS, SGBDS, CPS, and GRS, the source terms considering daughter nuclides were evaluated
      - It is confirmed that the shielding design margin covers the additional contributions of the daughter nuclides



## 3. Radiation Protection Design Features (12.3)

---

- 3.1 Facility Design Features
- 3.2 Shielding & Ventilation Design
- 3.3 Area Radiation Monitoring System
- 3.4 Key Review Items

## 3.1 Facility Design Features

---

- ❑ **ALARA design principles**
  - Based on RG 8.8 and 8.10
- ❑ **Applicable design areas**
  - Plant layout
  - Equipment and system design
  - Source term control
  - Airborne contamination control
  - Radiation zoning
  - Shielding
  - Post-Accident vital area accessibility

## 3.2 Shielding & Ventilation Design

### □ Shielding Design

- Design criteria : RG 8.8, 40 CFR 190, GDC 19, 10 CFR 50.34
- Shielding analysis codes
  - Primary shield : ANISN
  - Neutron/Gamma Streaming : MCNP
  - Other gamma radiation: MICROSHIELD, RUNT-G
- Outcomes
  - Radiation zone maps
  - Minimum shield thicknesses

### □ Ventilation Design

- Average airborne concentration in normally occupied areas is a small fraction of DAC in 10 CFR 20 App. B
  - Determine minimum HVAC flow rates to meet the DAC fractions using airborne source term defined in Sec. 12.2
- Maintain airflow from lower to higher contaminated areas
  - ALARA design procedures ensures the HVAC system design
- Detect the time-integrated change of the airborne radioactivity within 10 DAC-hours
  - Effluent & area radiation monitors are provided

## 3.3 Area Radiation Monitoring System (1/3)

- ❑ **Design Objectives and Functions**
  - Warn unusual radiological events to protect personnel from possible exposure in area
  - Monitor the post-accident radiation levels in areas
- ❑ **Design Criteria : 10 CFR 20, 10 CFR 50, 10 CFR 70, NUREG-0737, RG 1.97, and ANSI/ANS-HPSSC-6.8.1**
- ❑ **Location of radiation detectors**
  - Expected frequency of access, occupancy time, and potential radiation levels in plant work areas
  - Areas where accident access to safety-related equipment is required during post-accident conditions
  - Visible and audible alarms and readouts at MCR and local area
  - Portable radiation monitor for minimizing personnel exposure and determining the optimal route to vital areas

## 3.4 Area Radiation Monitoring System (2/3)

### □ System Description

- Containment upper operating area monitors
  - Detect high-range gamma radiation after design basis accident to meet the criteria of RG 1.97
- Containment lower operating area monitors
  - Monitor fuel handling accident
- Containment purge isolation (CPIAS) initiated by containment upper operating area monitors and containment lower operating area monitors to prevent the release
- Spent fuel pool area monitors
  - Initiate fuel handling area emergency ventilation (FHEVAS)
- Local alarms
- Installed at detector part (RE) and electronic part (RT) depending upon the installed location
- WARN and ALARM setpoints determined by COL applicant

## 3.4 Area Radiation Monitoring System (3/3)

### □ ARMS List

Description	Tag No.	Class			Range	Function
		S	SE	E	Area (mSv/hr)	
Post-accident primary sample room	RE-205	N	III	N	$10^{-3} \sim 10^2$	AMI
Normal primary sample room	RE-285	N	III	N	$10^{-3} \sim 10^2$	
Main steam and FW containment piping penetration area	RE-237 RE-238	N	II	N	$10^0 \sim 10^5$	
Containment lower operating area	RE-231A RE-232B	3	I	A B	$10^{-3} \sim 10^2$	CPIAS, AMI
Containment upper operating area	RE-233A RE-234B	3	I	A B	$10^1 \sim 10^8$	CPIAS, AMI
In-core instrument	RE-235	N	II	N	$10^{-3} \sim 10^2$	
Containment personnel access hatch area	RE-236	N	II	N	$10^{-3} \sim 10^2$	
Spent fuel pool area	RE-241A RE-242B	3	I	A B	$10^{-3} \sim 10^2$	FHEVAS, AMI
New fuel storage area	RE-245	N	II	N	$10^{-3} \sim 10^2$	
Hot machine shop	RE-293	N	III	N	$10^{-3} \sim 10^2$	
Radiochemistry lab	RE-257	N	III	N	$10^{-3} \sim 10^2$	AMI
Main control room area	RE-275	N	II	N	$10^{-3} \sim 10^2$	AMI
TSC area	RE-279	N	III	N	$10^{-3} \sim 10^2$	AMI
Truck bay area	RE-288 RE-289	N	III	N	$10^{-3} \sim 10^2$	
Waste drum storage area	RE-292	N	III	N	$10^{-3} \sim 10^2$	
Compound building dry active waste storage area	RE-284	N	III	N	$10^{-3} \sim 10^2$	

## 3.4 Key Review Items

---

### □ RAI 8599, Question 12.03-53 (May 25, 2016)

- Description of issue
  - Since the source term is expected to be changed due to the two issues; 1) daughter nuclide effects, 2) re-calculation of the accident source terms, the cumulative impacts on the radiation shielding, zoning, mission dose, and equipment qualification design should be provided
- Resolution
  - No impact was identified due to inclusion of daughter nuclides
  - KHNP re-performed the accident source term calculations and the vital area mission doses. The results meet the dose limit of 50 mSv

## 4. Dose Assessment & Minimization of Contamination (12.4)

---

### 4.1 Dose Assessment

- Occupational Radiation Exposure
- Vital Area Mission Dose

### 4.2 Minimization of Contamination and Radioactive Waste Generation



## 4.1 Occupational Radiation Exposure

### □ Regulatory Guidance

- RG 8.19

### □ ORE estimation for APR1400

- Basis on experience data from an operating Korean 1,000 MWe PWR
  - 10-year ORE data from 2004 to 2013 for Hanul Unit 3
- Adjusted in proportion to thermal power

### □ Estimated ORE

- 585 person·mSv/yr (=58.5 person·rem/yr)
  - Design enhancements not included

Category of Activity	Fraction [%]	Estimated Dose [person·mSv/yr]
Reactor operations and surveillance	6.3%	36.6
Routine maintenance	24.9%	145.6
Inservice inspection	5.9%	34.6
Special maintenance	34.0%	199.0
Waste processing	1.0%	6.0
Refueling	27.9%	163.2
Total		585.0

## 4.2 Vital Area Mission Doses

---

### □ Design requirements

- Areas requiring continuous occupancy (MCR, TSC)
  - < 50 mSv TEDE for 30 days
  - < 0.15 mSv/hr averaged over 30 days
- Areas requiring infrequent access (PASS, RCCR, etc)
  - < 50 mSv TEDE

### □ Design evaluation

- Based on RG 1.183 source term (AST)
- Dose rates, transit/stay times and shielding are taken into account

### □ Results

- MCR/TSC doses are within GDC 19
- Mission doses for infrequent access area meet 50 mSv

## 4.3 Minimization of Contamination (1/2)

---

### ❑ Design requirements

- 10 CFR 20.1406
- RG 4.21

### ❑ Design/operational objectives



- Prevent and/or minimize contamination of the facility and environment
- Early leak detection of an unintended release
- Reduce cross-contamination, need for decontamination, and generation of radioactive waste
- Decommissioning planning
- Operations and documentation
- Site Radiological Environmental Monitoring

### ❑ Design evaluation & documentation

- Performed design review & evaluation in accordance with RG 4.21
- Provided control measures & design features to meet RG 4.21

# 4.3 Minimization of Contamination (2/2)

## □ Early leak detection capability of APR1400



ACRS Meeting (Feb.24 , 2017)

## 5. Operational Radiation Protection Program (12.5)

---

ACRS Meeting (Feb.24 , 2017)

## 5. Operational Radiation Protection Program

- ❑ **Operational radiation protection program**
  - To be developed and implemented by the COL applicant to maintain occupational and public doses both below regulatory limits and ALARA
- ❑ **No open item**

## 6. List of COL Items for Ch. 12 (1/3)

COL No.	Description
COL 12.1(1)	The COL applicant is to provide the organizational structure to effectively implement the radiation protection policy, training, and reviews consistent with operational and maintenance requirements, while satisfying the applicable regulations and Regulatory Guides including NRC RGs 1.33, 1.8, 8.8, and 8.10.
COL 12.1(2)	The COL applicant is to describe the operational radiation protection program to provide reasonable assurance that occupational and public radiation exposures are ALARA
COL 12.1(3)	The COL applicant is to describe how the plant follows the guidance provided in NRC RGs 8.2, 8.4, 8.7, 8.9, 8.13, 8.15, 8.20, 8.25, 8.26, 8.27, 8.28, 8.29, 8.34, 8.35, 8.36, and 8.38.
COL 12.2(1)	The COL applicant is to provide any additional contained radiation sources, such as instrument calibration radiation sources, that are not identified in Subsection 12.2.1.
COL 12.3(1)	<p>The COL applicant is to provide the material composition and shielding properties of the following doors/hatches, and these thicknesses equivalent to the minimum required concrete shield thicknesses.</p> <ul style="list-style-type: none"> <li>• Personnel Air Lock between Containment Annulus Area (100-C01) and Personnel Air Lock Entrance (100-A14A)</li> <li>• Personnel Air Lock between Operating Area (156-C01) and Containment Entrance Area (156-A04B)</li> <li>• Equipment Hatch between Operating Area (156-C01) and Equipment Hatch Access Room (156-A10A)</li> <li>• Door between Equipment Hatch Access Room (156-A10A) and the building exterior</li> <li>• Doors between Truck Bay (100-P08) and the building exterior</li> </ul> <p>In addition, the COL applicant is to provide the service life of these doors/hatches and perform periodic in-service inspection and maintenance for these doors/hatches to provide reasonable assurance of functionality throughout the life of the plant.</p>

## 6. List of COL Items for Ch. 12 (2/3)

COL No.	Description
COL 12.3(2)	The COL applicant is to provide portable instruments and the associated training and procedures in accordance with 10 CFR 50.34(f)(2)(xxvii) and the criteria in Item III.D.3.3 of NUREG-0737 as well as the guidelines of RG 8.8.
COL 12.3(3)	The COL applicant is to establish the ARM setpoints for WARN, ALARM, and the containment purge isolation and fuel handling area emergency ventilation actuation signals, based on the site-specific conditions and operational requirements.
COL 12.3(4)	The COL applicant is to establish how the water chemistry pH control reduces radiation fields.
COL 12.4(1)	The COL applicant is to estimate construction worker doses based on the site-specific information such as the number of operating units, distances from radiation sources, meteorological conditions, and construction schedule.
COL 12.4(2)	The COL applicant is to prepare a site process control program for solid waste management in accordance with 10 CFR61, Part 71, branch Technical Position 11-3, and other applicable regulatory requirements for handling, packaging, transportation, and disposal of radioactive waste resulting from plant operation.
COL 12.4(3)	The COL applicant is to implement concrete tunnels for piping of the systems that may include underground piping carrying contaminated or potentially contaminated fluid to minimize buried piping. The tunnels are coated with epoxy and are equipped with sumps with liquid detection level switches. If liquid is accumulated to the detectable level, an alarm is initiated in the MCR for operator actions.
COL 12.4(4)	The COL applicant is to provide operational procedures and programs for a site radiological environmental monitoring program for the minimization of contamination control in accordance with NRC RG 4.21 and RG 4.22, as applicable, and the documentation required by 10 CFR 20.1501.
COL 12.4(5)	The COL applicant is to maintain complete documentation of system design and any site specific design modifications during the COL application, for the features for contamination control, in accordance with RG 4.21, Subsection A-3 to facilitate decommissioning



## 6. List of COL Items for Ch. 12 (3/3)

COL No.	Description
COL 12.4(6)	The COL applicant is to prepare a RG 4.21 Program following the guidance of NEI 08-08A. The RG 4.21 program shall include identification of plant-wide components, buried piping, and embedded piping, that contain or handle radioactive materials, the built-in leak detection methods and capabilities, and the methods utilized for the prevention of unnecessary contamination of clean components, facility areas, and the environment.
COL 12.4(7)	The COL applicant is to prepare an offsite dose calculation manual (ODCM) in accordance with NRC RGs 1.109, 1.111, and 1.113. The ODCM shall include a description of the methodology and parameters for calculation of the offsite doses for the gaseous and liquid effluents. The ODCM can follow the guidance of NEI 07-09A for content and format.
COL 12.4(8)	The COL applicant is to prepare and implement an epoxy inspection, testing, repair, and maintenance program in accordance with RG 1.54 for Service Level I, II and III coatings. This program shall include considerations for the design and operating objectives for implementation of NRC RG 4.21 for minimization of cross-contamination and decommissioning planning.
COL 12.4(9)	The COL applicant is to develop a leak detection program to facilitate timely identification of leaks, prompt assessment, and appropriate responses to isolate and mitigate leakage. The leak identification program can be integrated into and formed part of the PCP.
COL 12.4(10)	The COL applicant is to prepare operational procedures and maintenance programs relating to the RG 4.21 features described in this system. Procedures and maintenance programs are to be completed before fuel is loaded for commissioning.
COL 12.5(1)	The COL applicant is to provide the operational radiation protection program, including the items described in Section 12.5.

## 7. Open Items & Summary (1/3)

RAI No	Question No	Description	Response Submitted	Status
13-7856	12.02-02	<ul style="list-style-type: none"> <li>Not accurate Ba-137m activity in HUT, BAST, and IRWST</li> <li>Not revised shielding calculation based on the revised source terms</li> </ul>	2/22/2017	Revised response submitted
207-8247	12.02-16	<ul style="list-style-type: none"> <li>Not accurate post-accident MCR filter source term</li> </ul>	11/01/2016	Revised response submitted (Working on additional comments)
343-8420	12.02-22	<ul style="list-style-type: none"> <li>No information on 40 CFR 190 compliance related to the outdoor tanks</li> </ul>	01/23/2017	Revised response submitted (Working on additional comments)
343-8420	12.02-23	<ul style="list-style-type: none"> <li>Justification of the conservatism of the DAMSAM and Shield-APR code calculations</li> </ul>	02/07/2017	Uploaded a report to ERR to justify conservatism of DAMSAM and Shield-APR codes (Under review by staff)
343-8420	12.02-25	<ul style="list-style-type: none"> <li>Significantly smaller 0.25% fuel failure waste gas dryer source than 1.0% fuel failure</li> <li>Not included buildups of the daughter nuclides in the GRS source terms</li> <li>Not accurate dimension of header drain tank</li> </ul>	02/15/2017	Response submitted (Under review by staff)
141-8098	12.03-08	<ul style="list-style-type: none"> <li>Not used ICRP-51 DCF for the pipe shielding analyses</li> <li>Not considered back scattering in pipe shielding analyses</li> </ul>	01/12/2017	Revised response submitted (Working on additional comments)
141-8098	12.03-10	<ul style="list-style-type: none"> <li>Not provided many of shielding wall thicknesses</li> </ul>	07/19/2016	Revised response submitted (Working on additional comments)

## 7. Open Items & Summary (2/3)

RAI No	Question No	Description	Response Submitted	Status
225-8254	12.03-11	<ul style="list-style-type: none"> <li>Provide revised response to RAI 8088 Q11.05-2 to include the CCW sump monitors and missing turbine building sump monitors</li> </ul>	11/18/2016	Revised response of RAI 8088 Q11.05-2 Rev.2 submitted
225-8254	12.03-13	<ul style="list-style-type: none"> <li>Access control to limit radiation exposure in GRS delay bed rooms</li> </ul>	02/21/2017	Revised response submitted (Under review by staff)
235-8275	12.03-26	<ul style="list-style-type: none"> <li>Design to use temporary filtration system during ICI cutting work</li> </ul>	10/25/2016	Response submitted (Working on additional comments)
235-8275	12.03-43	<ul style="list-style-type: none"> <li>Inconsistencies of the information on the reactor vessel closure head vent</li> </ul>	07/08/2016	Revised response submitted (Working on additional comments)
235-8275	12.03-46	<ul style="list-style-type: none"> <li>No description on the numerous criteria associated with fire protection of radiological material in DCD 9.5A or in the applicant's responses</li> </ul>	12/19/2016	Revised response submitted (Working on additional comments)
376-8496	12.03-49	<ul style="list-style-type: none"> <li>Locations of alarms in truck bays and waste drum area are not consistent with ANSI/ANS-HPSSC-6.8.1.</li> </ul>	02/15/2017	Revised response Submitted (Under review by staff)
490-8599	12.03-53	<ul style="list-style-type: none"> <li>Cumulative impacts of source term change and simplified model using MICROSHIELD code on the mission dose rate</li> </ul>	02/21/2017	Response submitted (Under review by staff)

## 7. Open Items & Summary (3/3)

---

### □ Summary

- APR1400 radiation protection design
  - Policy and design considerations conform to associated Reg. Guides
  - Radiation sources based on 0.25% fuel defect are provided in accordance with SRP 12.2
  - Radiation protection design features are consistent with RG 8.8 to ensure ORE are ALARA
  - Estimated ORE is provided and the vital area mission doses are within the criteria in GDC 19 and NUREG-0737
  - Design to minimize contamination complies with 10 CFR 20.1406 and NRC RG 4.21
- Open items
  - 14 items are identified in staff's SER with open item
  - Most of the responses were already submitted
  - Responses for the remaining items will be provided soon

## 8. Acronyms

ALARA	as low as (is) reasonably achievable	MCR	main control room
AMI	Accident Monitoring instrumentation	NSSS	nuclear steam supply system
AOO	anticipated operational occurrences	OPR	optimized power reactor
APR	advanced power reactor	ORE	occupational radiation exposure
BOP	balance-of-plant	PASS	post-accident sampling system
CCWs	component cooling water system	RCCR	remote control console room
CPIAS	containment purge isolation actuation signal	RCS	reactor coolant system
CPS	condensate polishing system	RP	radiation protection
CPS	condensate polishing system	RPV	reactor pressure vessel
CVCS	chemical and volume control system	RSR	remote shutdown room
DAC	derived air concentration	SCS	shutdown cooling system
FHEVAS	fuel handling area emergency ventilation actuation signal	SFP	spent fuel pool
GWMS	gaseous waste management system	SFPCCS	spent fuel pool cooling and cleanup system
HVAC	heating, ventilating, and air conditioning	SGBDS	steam generator blowdown system
LOCA	loss-of-coolant accident	SWMS	solid waste management system
LWMS	liquid waste management system	TSC	technical support center



# **Presentation to the ACRS Subcommittee**

**Korea Electric Power Corporation  
APR 1400 Design Certification Application Review**

**Safety Evaluation with Open Items: Chapter 12**

**RADIATION PROTECTION**

February 24, 2017

# Staff Review Team

- **Technical Staff**

- ♦ Ed Stutzcage – DCD Chapter 12 Reviewer  
Radiation Protection and Accident Consequences Branch

- **Project Managers**

- ♦ Jeff Ciocco – Lead Project Manager
- ♦ Getachew Tesfaye – Project Manager

# Technical Topics - Overview

## Chapter 12, Radiation Protection

- 12.1 - Ensuring that Occupational Radiation Exposures are As Low As is Reasonably Achievable (ALARA)
- 12.2 - Radiation Sources
- 12.3&4 - Radiation Protection Design Features (including Dose Assessment)
- 12.5 - Operational Radiation Protection Program



# Technical Topics

## Section 12.1 - Ensuring that Occupational Exposures are ALARA

### Technical Topics Reviewed:

- ALARA considerations applied during initial design
- Equipment design considerations for ALARA
- Facility layout considerations to maintain exposures ALARA

### Findings:

- Based on the information supplied by the applicant, the staff determined that the general APR1400 design features and commitments are acceptable. The COL applicant will address the policy and operational considerations.

# Technical Topics

## Section 12.2 – Radiation Sources

### Technical Topics – Contained Sources:

- Types of contained sources
  - ♦ Reactor and Reactor Coolant System
  - ♦ Tanks and pools
  - ♦ Equipment concentrating activity
    - Filters and resin demineralizers
    - Boric Acid Concentrator
    - Reverse Osmosis Package in Liquid Waste Management System
  - ♦ Irradiated components
- Basis for stated content
  - ♦ Source terms are based on an assumed 0.25% failed fuel fraction and are used as the basis for plant radiation shielding and zoning (in Section 12.3-12.4).

# Technical Topics

## Section 12.2 – Radiation Sources

### Technical Topics – Airborne Activity:

- Areas potentially containing airborne activity
  - ◆ Containment Building
  - ◆ Radiological portions of:
    - Reactor Building
    - Auxiliary Building
    - Compound Building
- Basis for stated content
  - ◆ Source terms are based on an assumed 0.25% failed fuel fraction and are used as the basis for the ventilation system design.

# Technical Topics

## Section 12.2 – Radiation Sources

### Technical Topics – Accident Sources:

- Systems that recirculate fluid to cool the core during an accident
  - ♦ Shutdown Cooling System
  - ♦ Safety Injection System
  - ♦ Containment Spray System
- Post-Accident Airborne in Containment
- Main Control Room (MCR) Emergency Filter

# Technical Topics

## Section 12.2 – Radiation Sources

### Findings:

- The staff reviewed the radiation sources provided by the applicant and the methodology used to develop the sources. With the exception of the remaining issues discussed on the following slides, the staff finds the list of sources and the methodology used to develop the sources to be complete and in accordance with applicable regulatory requirements (including 10 CFR 52.47(a)(5)) and SRP Section 12.2.

# Technical Topics

## Section 12.2 – Radiation Sources

### Remaining Issues:

- The source term information provided by the applicant did not properly account for Ba-137m activity, because the values were obviously too low as compared to Cs-137. The applicant is expected to revise the response to correct the Ba-137m activity in these source terms and to ensure that the plant shielding and zoning is based on the updated source terms.
- The applicant used an erroneous post-accident recirculating fluid source term (approximately 2% error in the source term) for determining radiation shielding and accident doses, resulting in a small non-conservative error in the calculated mission doses. Due to this issue, in combination with other uncertainties, such as uncertainty in what time after the accident the vital functions are required to be performed, it was unclear if the post-accident mission dose will remain below 5 rem, as some mission doses are near the 5 rem limit.

# Technical Topics

## Section 12.2 – Radiation Sources

### Remaining Issues:

- ALARA issues associated with outdoor tanks – the applicant has not provided information associated with the potential dose to the public from the outdoor tanks and how these tanks (which are surrounded by concrete) would be inspected.
- Radiation source terms downstream of the RCS do not properly consider daughter progeny (except for Ba-137m). The applicant is performing benchmark calculations using Westinghouse codes to demonstrate that the DAMSAM and Shield-APR codes, which were used in most APR 1400 source terms, include adequate conservatisms in the calculation of parent radionuclide concentrations that daughter radionuclides (other than Ba-137m) need not be considered.
- The applicant has been requested to provide information and to address apparent inconsistencies in the gaseous waste management system source term information. Including additional detail regarding the inclusion of daughter progeny.

# Technical Topics

## Section 12.3-12.4 – Radiation Protection Design Features (Including Dose Assessment)

### Technical Topics – Facility Design Features:

- Source control
  - ♦ Minimizing Cobalt-60
  - ♦ High efficiency demineralizers for Cs and Rb to minimize dose from outdoor tanks
- Component specifications
  - ♦ Improving reliability
  - ♦ Reducing maintenance and leaks
- Radiation Zones
- Shielding for significant radiation sources (most significant sources are located within their own individual room).
- Doses in walkways and frequently accessed areas are ALARA. Most are below 2.5 mrem/hour.



# Technical Topics

## Section 12.3-12.4 – Radiation Protection Design Features (Including Dose Assessment)

### Technical Topics – Facility Design Features:

- Shielding
  - ◆ Shield thicknesses for rooms containing significant radiation levels are provided to limit the dose to the radiation zones and ALARA, including during refueling and other anticipated operating conditions.
  - ◆ Adequate shielding is provided to limit the dose to operators on refueling machine and spent fuel pool handling machine platform to 2.5 mrem/hour.
  - ◆ Adequate concrete shielding surrounds the outdoor holdup tank and boric acid storage tank to limit the contact dose rate on the side to less than 0.25 mrem/hour. In addition, the tanks are located in a tank house which further limits radiation exposure.

# Technical Topics

## Section 12.3-12.4 – Radiation Protection Design Features (Including Dose Assessment)



### Technical Topics – Facility Design Features:

- Area Radiation Monitors (ARMs)
  - ♦ Safety-Related ARMs – Containment upper operating area (high range), Containment operating area, and spent fuel pool area radiation monitors (2 each) are safety related. The 4 containment monitors have an emergency function of activating containment purge isolation and the 2 spent pool monitors actuate spent fuel handling area emergency ventilation. The containment upper operating area monitors are also required to monitor radiological conditions in containment during an accident.
  - ♦ ARMs are in conformance with ANSI/ANS HPSSC-6.8.1 (1981)

# Technical Topics

## Section 12.3-12.4 – Radiation Protection Design Features (Including Dose Assessment)

### Technical Topics – Facility Design Features:

- Minimization of Contamination - 10 CFR 20.1406(b)
  - ◆ Design objectives
    - Prevention/Minimization of Unintended Contamination
    - Provisions of Adequate and Early Leak Detection Capability
    - Reduction of Cross-Contamination, Decontamination, and Waste Generation
    - Decommissioning Planning
  - ◆ Programmatic Considerations
    - Operations and Documentation
    - Site Radiological Environmental Monitoring
      - COL Item 12.4(2)

# Technical Topics

## Section 12.3-12.4 – Radiation Protection Design Features (Including Dose Assessment)

### Technical Topics – Dose Assessment:

- APR 1400 total annual dose estimate of 0.585 person-Sievert
  - ♦ Mostly from refueling and maintenance activities.
  
- NUREG-0737 post accident mission doses
  - ♦ Continuously Occupied
    - MCR/TSC
  - ♦ Non-Continuously Occupied
    - Post-accident sampling system
    - Remote shutdown room and remote control console room
    - Class 1E switchgear room
    - I&C equipment room
    - Access areas outside the containment spray and shutdown cooling pump rooms

# Technical Topics

## Section 12.3-12.4 – Radiation Protection Design Features (Including Dose Assessment)

### Findings:

- The staff reviewed the radiation protection design features provided by the applicant. With the exception of the remaining issues discussed on the following slides, the staff finds the radiation protection design features to be in accordance with the applicable regulatory requirements, including ALARA requirements and requirements to minimize contamination.

# Technical Topics

## Section 12.3-12.4 – Radiation Protection Design Features (Including Dose Assessment)

### Remaining Issues:

- The staff has requested the applicant to provide additional justification for the shielding provided around piping areas, including why different dose conversion factors were used for determining the dose from piping. These questions may require changes to the minimum shielding thicknesses provided. In addition, other pending RAI responses may impact the shielding provided.
- The staff has requested the applicant to provide minimum shielding information for irregularly shaped rooms with significant radiation sources. These wall thicknesses for these rooms were not clearly identified in DCD Table 12.3-4 in the initial DCD submittal or the response to an RAI. The responses and proposed DCD updates did not include the shielding thicknesses for all of the radiation shield barriers for these rooms. The applicant is expected to revise the response to provide all shield barriers for room 077-P01 in the Compound Building and rooms 068-A07A and 068-A10A in the Auxiliary Building.

# Technical Topics

## Section 12.3-12.4 – Radiation Protection Design Features (Including Dose Assessment)

### Remaining Issues:

- In reviewing responses related to radiation protection design features associated with the CCW structure, the staff determined that the CCW monitor description provided in the proposed DCD update does not accurately describe the monitor location. The description of the monitor location in the DCD remains an open item.
- The applicant has not provided adequate information on when access to the gaseous waste management charcoal delay beds would be required (such as if there are temperature or humidity sensors located within the room that may have to be worked on) and how the design meets the requirements of 10 CFR 20.1101(b).

# Technical Topics

## Section 12.3-12.4 – Radiation Protection Design Features (Including Dose Assessment)

### Remaining Issues:

- The applicant indicated that cutting of in-core instrumentation was performed under water in a container to collect debris and that there was no need for any kind of temporary filtration system to clean the refueling pool because the spent fuel pool purification system would be used to clean the refueling pool. The applicant contends that refueling pool water could be cleaned by direct connections from the refueling pool to the spent fuel pool purification system. This issue is currently under evaluation. The staff plans to discuss provisions to prevent pool draining or overflow due to this design, with the applicant.



# Technical Topics

## Section 12.3-12.4 – Radiation Protection Design Features (Including Dose Assessment)

### Remaining Issues:

- Regarding the Compound Building design to prevent the creation of flammable/explosive gas concentrations from ion exchange columns and resins and protection of stored waste from fires and combustibles, the applicant proposed adding information to the DCD specifying that the waste storage area will have an automatic fire detection and suppression system and is ventilated by the Compound Building ventilation system. This information is currently under evaluation.
- The access controls and design of the instrument calibration facility did not fully meet the requirements of 10 CFR Part 37. To resolve this issue, the applicant proposed removing the instrument calibration facility from the DCD and leaving the use of the room to the COL applicant. This is currently under review.

# Technical Topics

## Section 12.3-12.4 – Radiation Protection Design Features (Including Dose Assessment)

### Remaining Issues:

- The staff requested the applicant to 1) ensure that the cumulative effects of all changes to source terms due to RAls in Section 12.2 and the small error in the post-accident recirculating fluid source term discussed in Section 12.2 are appropriately considered in the shielding design, including the mission dose rates for access to vital areas during accidents; and 2) provide justification for why the results of the post-accident mission dose rate analysis is acceptable for the Remote Control Console Room and the Remote Shutdown Room, with the 2% error in the post-accident recirculating fluid source term, when the doses to access these areas were already near the 5 rem limit and the dose rate modeling for direct exposure was performed with the Microshield computer code, which is not as accurate as some other computer codes, such as MCNP, which is used for modeling some of the other radiation shielding in the APR1400 design. The applicant has yet to respond to this question.

# Technical Topics

## Section 12.5 - Operational Radiation Protection Program

### Technical Topics – Operational Radiation Protection

#### Program:

- No Open Items
- Required to be provided by COL applicant
- Radiation Protection and ALARA Programs as described in Nuclear Energy Institute templates:
  - ◆ NEI 07-03A Generic DCD Template Guidance for Radiation Protection Program Description
  - ◆ NEI 07-08A Generic FSAR Template Guidance for Ensuring that Occupational Radiation Exposures are as Low as is Reasonably Achievable (ALARA)

# Technical Topics

## Section 12.5 - Operational Radiation Protection Program



### Findings:

- The staff has determined that it is acceptable for the applicant to defer to COL applicants to provide information in this area.

# Conclusion

# Questions?

# ACRONYMS

10 CFR – Title 10 of the Code of Federal Regulations

ALARA – as low as is reasonably achievable

ARM – area radiation monitor

COL – combined license

DCD – Design Certification Document

FSAR – Final Safety Analysis Report

GSI – generic safety issue

MCNP – Monte Carlo N-Particle Transport Code

MCR – Main Control Room

NEI – Nuclear Engineering Institute

NUREG-0737 – “Clarification of TMI Action Plan Requirements”

RAI – request for additional information

RG – Regulatory Guide

SER – safety evaluation report

SRP – Standard Review Plan