

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Reactor Safeguards  
Open Session

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Wednesday, July 12, 2017

Work Order No.: NRC-3164

Pages 1-117

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

645TH MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS) OPEN SESSION

+ + + + +

WEDNESDAY

JULY 12, 2017

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear  
Regulatory Commission, Two White Flint North, Room  
T2B1, 11545 Rockville Pike, at 8:30 a.m., Dennis C.  
Bley, Chairman, presiding.

## 1 COMMITTEE MEMBERS:

2 DENNIS C. BLEY, Chairman

3 MICHAEL L. CORRADINI, Vice Chairman

4 PETER RICCARDELLA, Member-at-Large

5 RONALD G. BALLINGER, Member

6 CHARLES H. BROWN, JR. Member

7 MARGARET CHU, Member

8 WALTER KIRCHNER, Member

9 JOSE MARCH-LEUBA, Member

10 DANA A. POWERS, Member

11 GORDON R. SKILLMAN, Member

12 JOHN W. STETKAR, Member

13

## 14 DESIGNATED FEDERAL OFFICIAL:

15 CHRISTOPHER BROWN

16 KENT HOWARD

17

18

19

20

21

22

23

24

25



1 ALSO PRESENT:  
2 TONY AHN, KHNP  
3 ARDEN ALDRIDGE, STPNOC  
4 DENNIS ANDRUKAT, NRO  
5 JOE ASHCRAFT, DEI  
6 THOMAS BERGMAN, NuScale  
7 ARACELI BILLOCH, DLR  
8 THERESA BUCHANAN, NRC  
9 ANGELA BUFORD, NRR  
10 ALEX BURJA, NRO\*  
11 EDWARD CARLEY, NextEra Seabrook  
12 MARK CARUSO, NRO/DSRA/SPRA  
13 NAN CHIEN, NRO  
14 WOOCHONG CHON, KEPCO E&C  
15 JORGE CINTRON, NRR  
16 RUSSELL CIPOLLA, Intertek  
17 PHYLLIS CLARK, DLR  
18 STEPHEN CUMBLIDGE, NRR  
19 JOHN DAILY, Member of the public  
20 ROB ENGEN, STPNOC  
21 ROBERT FITZPATRICK, NRR  
22 ADAKOU FOLI, NRR  
23 BART FU, DLR  
24 ISMAEL GARCIA, DEI  
25 MICHAEL H. GARNER, STPNOC

1       RON GIBBS, STPNOC  
2       JAMES GILMER, NRO  
3       VIJAY GOEL, NRC  
4       RAFAEL GONZALES, STPNOC  
5       NICHOLAS HANSING, NRO  
6       RAUL HERNANDEZ, NRO  
7       ALLEN HISER, DLR  
8       WILLIAM HOLSTON, DLR  
9       JOHN HONCHARIK, NRO  
10      ATA ISTAR, NRO  
11      DIANE JACKSON, DSRA  
12      LOIS JAMES, DLR  
13      JAE HOON JEONG, KEPSCO/NF  
14      JONG HODU JHEOU, KEPSCO E&C  
15      REBECCA KARAS, NRO  
16      RAIHAN KHONAKER, STPNOC  
17      HANGON KIM, KHNP  
18      JUNGHO KIM, KHNP  
19      YOUNGKI KIM, KEPSCO E&C  
20      MATTHEW KING, STPNOC  
21      REBECCA KARAS, NRO  
22      HIEN LE, NRO  
23      JAEIL LEE, KEPSCO/NF  
24      SAMUEL LEE, DNRL  
25      CHANG-YANG LI, NRO

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Y.C. (RENEE) LI, NRO  
2 DAEHEON LIM, KEPCO E&C  
3 MARK LINTZ, NRO  
4 SHANLAI LU, NRO  
5 TIM LUPOLD, NRO  
6 JOHN MA, NRO  
7 GREG MAKAR, NRO  
8 TANIA MARTINEZ NAVEDO, NRC  
9 MIKE MCCOPPIN, NRO  
10 SEUNG MIN, DLR  
11 AARON MINK, DLR  
12 JILL MONAHAN, Westinghouse  
13 MICHAEL MURRAY, STPNOC  
14 JINSUO NIE, NRO  
15 CAROL NOVE, RES  
16 JIYONG (ANDY) OH, KHNP  
17 MATTHEW PANICKER, NRC/DSS  
18 GREGORY PICK, Region IV\*  
19 ANDREW PRINARIS, NRR  
20 SHEILA RAY, NRR  
21 ERIC REICHELT, NRO  
22 DAVE RENCURREL, STPNOC  
23 BILL ROGERS, DLR  
24 FANTA SACKO, NRR  
25 MOHAMMAD SADOLLAH, NRR

1 JEFF SCHMIDT, NRO  
2 SUNG-JE SEO, KEPCO E&C  
3 ROB SISK, Westinghouse  
4 MIKE SNODDERLY, ACRS/RSB-A  
5 SWAGATA SOM, NRR  
6 LYLE SPIESS, STPNOC  
7 RICK STARK, STPNOC  
8 JOSEPH STAUDENMEIER, RES  
9 JAMES STECKEL, NRO  
10 ANGELO STUBBS, NRO  
11 SHELDON STUCHELL, DLR  
12 EDWARD STUTZCAGE, NRO  
13 KI KWANG SUNG, KEPCO E&C  
14 ROBERT SWEENEY, KHNP/AECOM  
15 OMID TABATABAI, NRR  
16 DINESH TANEJA, NRO  
17 TOMEKA TERRY, NRO  
18 VAUGHN THOMAS, NRO  
19 CARL THURSTON, NRO  
20 CHRIS VAN WERT, NRO  
21 ANDREA D. VEIL, Executive Director, ACRS  
22 DAVE WAGNER, AECOM  
23 JAY WALLACE, RES  
24 WILLIAM WARD, NRO  
25 GARY WARNER, WorleyParsons

1 JAMES WILLIAMS, STPNOC

2 GEORGE WILSON, DLR

3 BRIAN WITTICK, NRR

4 YUKEN WONG, NRO

5 GEORGE WUNDER, NRO

6 ZUHAN XI, NRO

7 MARK YOO, DLR

8 JINKYOO YOON, KHNP and KEPCO E&C

9 CRAIG YOUNGER, STPNOC

10

11 \*Present via telephone

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CONTENTS

1

2 Opening Remarks by the ACRS Chairman . . . . . 9

3 License Renewal Application for the South Texas

4 Project . . . . . 11

5 NuScale Topical Report TR-0815-16497, Safety

6 Classification of Passive Nuclear Power Plant

7 Electrical Systems . . . . . 57

8 Advanced Power Reactor 1400 (APR 1400) . . . . . 65

9 Public Comment . . . . . 116

10 Adjourn . . . . . 117

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## P R O C E E D I N G S

8:30 a.m.

CHAIRMAN BLEY: This is the 645th Meeting of the Advisory Committee on Reactor Safeguards. During today's meeting, the committee will consider the following: 1) License Renewal Application for South Texas Project; 2) NuScale Topical Report on Safety Classification of Passive Nuclear Power Plant Electrical Systems; 3) Advanced Power Reactor 1400; 4) WCAP on Westinghouse Performance Analysis and Design Model L for PAD5; and 5) preparation of a ACRS Reports.

The ACRS was established by statute and is governed by the Federal Advisory Committee Act. As such, this meeting is being conducted in accordance with the provisions of FACA. That means that the committee can only speak through its published letter reports. We hold meetings to gather information to support our deliberations. Interested parties who wish to provide comments can contact our offices requesting time after the Federal Register Notice describing a meeting as published.

That said, we also set aside ten minutes for spur of the moment comments from members of the public attending or listening to our meetings.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Written comments are also welcome. Mr.  
2 Kent Howard is the designated federal official for the  
3 initial portion of this meeting. I knew I saw you  
4 earlier.

5           Portions of the sessions on NuScale  
6 Topical Report and the APR1400 may be closed in order  
7 to discuss and protect information designated as  
8 proprietary.

9           The WCAP meeting will be closed in its  
10 entirety in order to discuss protective proprietary  
11 information.

12           The ACRS section of the USNRC public  
13 website provides our charter bylaws, letter reports  
14 and full transcripts of all full and subcommittee  
15 meetings, including the slides presented there.

16           We have received no written comments or  
17 requests to make oral statements from members of the  
18 public regarding today's session. There will be a  
19 phone bridge line. To preclude interruption of the  
20 meeting, the phone will be placed in the listen-in  
21 mode during the presentations and committee  
22 discussion.

23           A transcript of portions of the meeting is  
24 being kept and it is requested that the speakers use  
25 one of the microphones, identify themselves, and speak

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 with sufficient clarity and volume so that they can be  
2 readily heard.

3 At this time, we turn to the South Texas  
4 Project License Renewal Application and I turn the  
5 meeting over to Dick Skillman. Dick?

6 MEMBER SKILLMAN: Dennis, thank you.

7 Good morning. This is Agenda Item 2,  
8 License Renewal Application for the South Texas  
9 Project. This morning, we will hear presentations  
10 from the Division of License Renewal and the  
11 applicant, South Texas Nuclear Operating Company.

12 Our License Renewal Subcommittee  
13 previously met to discuss this matter on November 17,  
14 2016. At the conclusion of that meeting, there was  
15 one open item and that item had to do with the  
16 selective leaching of aluminum bronze.

17 Today, we will hear from the applicant on  
18 addressing enclosure of this item and from the staff.  
19 And with that, I call upon and welcome George Wilson  
20 to begin the presentation.

21 George.

22 MR. WILSON: Thank you, Chairman Bley, Mr.  
23 Skillman, and members of the ACRS. I am George  
24 Wilson, the Director of the Division of License  
25 Renewal. With me at the table is Sheldon Stuchell,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Branch Chief for the Projects Branch.

2 Presenting for the NRC today will be Lois  
3 James, the Senior Project Manager for South Texas,  
4 Bill Holston, the Senior Mechanical Engineer, and Dr.  
5 Allen Hiser, the Senior Level Advisor for License  
6 Renewal.

7 Also behind me in the audience are members  
8 of technical review team. We look forward to a  
9 productive discussion today while presenting our  
10 safety evaluation report for the South Texas Project  
11 Units 1 and 2, which determined that the requirements  
12 of 10 CFR 54.29(a) have been met for the license  
13 renewal of South Texas Project Units 1 and 2.

14 During the subcommittee, we discussed one  
15 open item associated with the Selective Leaching of  
16 Aluminum Bronze Aging Management Program. This item  
17 is now closed and the staff will be discussing its  
18 resolution during our presentation.

19 At this time, I would like to turn the  
20 presentation over to the South Texas Project Nuclear  
21 Operating Company and Dave Rencurrel, Senior Vice  
22 President of Operations, to introduce his team and  
23 commence their presentation.

24 MR. RENCURREL: Thank you, George.

25 Good morning. My name is Dave Rencurrel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Good morning, Mr. Chairman. Before we get started, I  
2 would really like to thank George and his staff and,  
3 specifically, Lois, our Project Manager, for the hard  
4 work and the preparation of the SER and really  
5 accepting of our application.

6 And I would also like to thank you and the  
7 ACRS for this opportunity to present our License  
8 Renewal Application. I look forward to the  
9 questioning.

10 Our next slide, this shows our agenda.  
11 And as you can see, we are going to present some  
12 background information about our station and then a  
13 high-level discussion of our application. And we do  
14 have an agenda item to focus on the open item that we  
15 had for selective leaching.

16 It was our opinion, our working, we really  
17 feel that we believe that we have developed a robust,  
18 high-quality License Renewal Application, that our  
19 Aging Management Programs provide the reasonable  
20 assurance for the continued safe and reliable  
21 operation of our station and we appreciate this  
22 opportunity today to make this presentation. I look  
23 forward to answering any questions that you all may  
24 have.

25 Let's start with some introductions. As

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 said earlier, my name is Dave Rencurrel. I am the  
2 Senior Vice President of Operations. My current  
3 position at the staff after 29 years is I am  
4 responsible for all the major projects on-site, all  
5 the construction activities, and then the contracts  
6 associated with those. Part of those projects is the  
7 license renewal project.

8 Throughout my history, I have also had  
9 very many jobs. I started off in the Navy in 1981 and  
10 served seven years as the nuclear officer and I  
11 joined South Texas in 1988 and I have been at South  
12 Texas since '88. So, it is really over 29 years now.  
13 I have had many jobs, like I have said, up to and  
14 including site VP and in my current role.

15 And to my left I have Michael Murray.

16 MR. MURRAY: Good morning. Michael  
17 Murray. I have been in the industry for 42 years.  
18 Don't try to do the math on that one. But at STP for  
19 32 years, I was there for startup of both units. So,  
20 I had the opportunity of actually working in the  
21 startup of the units.

22 At South Texas Project, I have had various  
23 opportunities in supervisory and management positions.  
24 Most recently, System Engineering Manager. Then I  
25 worked as I&C Design Manager for the Units 3 and 4

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 licensing activities. And currently, I am the  
2 Regulatory Affairs Manager.

3 MR. GIBBS: Good morning, I'm Ron Gibbs.  
4 I have over 31 years in the nuclear industry. I  
5 started in 1986 up at the Comanche Peak Nuclear Power  
6 Plant. I received an SRO in 1988 and was Unit Sup STA  
7 during initial startup and testing.

8 I joined the South Texas Project in 1993,  
9 obtaining my senior reactor operator license in 1995  
10 at the South Texas Project. I was a member of the on-  
11 shift control room for 17 years as a Unit Sup STA and  
12 the progressing up through a shift manager.

13 In 2013, I joined the Operations  
14 Management Team. I was the senior license at the  
15 South Texas Project for about two years and  
16 transitioned in April to my current position, which is  
17 Ops Manager in Training.

18 MR. ALDRIDGE: Good morning. My name is  
19 Arden Aldridge. I've been in the South Texas Project  
20 25 years in various engineering roles. Currently, the  
21 License Renewal Application Project Lead and will be  
22 the License or am the License Renewal Implementation  
23 Coordinator.

24 MR. RENCURREL: All right, thank you  
25 Arden. And throughout the room we have our Aging

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Management Plan subject matter experts. We have folks  
2 from both design engineering and programs engineering  
3 and we also have some specialty consultants here to  
4 help support and help answer any questions that you  
5 all may have.

6 Let's give an overview right quick of our  
7 station ownership and operation. The South Texas  
8 Project Nuclear Operating Company is a company that  
9 parks on top of the asset. We don't own the asset.  
10 We operate the asset and maintain the asset for three  
11 owners. And our license is assigned to the South  
12 Texas Project Nuclear Operating Company. Our three  
13 owners are NRG Texas, the City Public Service Board of  
14 San Antonio or CPS Energy, and the City of Austin or  
15 Austin Energy.

16 I can say that our owners are committed to  
17 providing the right level of resource support and  
18 oversight to ensure that we have safe and reliable  
19 operation at South Texas and that we maintain and that  
20 we stay a critical long-term power generator for the  
21 State of Texas.

22 This slide shows a list of some of the  
23 major capital improvements that have been made  
24 throughout the history of South Texas. As you can see  
25 by the slide, our initial license was granted in 1987

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and 1988, respectively, for Unit 1 and 2. Since that  
2 time, our owners have invested heavily to position our  
3 station for long-term, safe, reliable operation. You  
4 can see that we have changed out our steam generators.  
5 We have updated our low pressure turbines. We've  
6 replaced our reactor vessel heads. For the main  
7 generators, the main electrical generators, we both  
8 replaced the stators and the rotors. We completed our  
9 Alloy 600 program with the mechanical stress  
10 improvement process -- complete might not be the right  
11 word but feel committed to exercising the Alloy 600  
12 program.

13 And also what's not shown here is we also  
14 have changed out our main transformers and are in the  
15 process of changing out our large feedwater heaters.  
16 And so we are positioning the unit for long-term  
17 reliable operation.

18 I can also say that in regards to the  
19 Aging Management Plan and the commitments in the Aging  
20 Management Plan, the governance that we use is that we  
21 have what is called a Plant Investment Plan which is  
22 incorporated into our business plan. What that Plant  
23 Investment Plan does is it ensures that we have the  
24 right funding and the right resources committed to  
25 ensure that the commitments of the Aging Management

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Plan are carried out appropriately and they are  
2 carried out in a way that they will be completed well  
3 before the expiration of the current operating period.

4 That concludes my brief introduction. And  
5 with that, I would like to transfer over to Ron Gibbs,  
6 our Ops Manager.

7 MR. GIBBS: Good morning, again, Ron  
8 Gibbs.

9 So I would like to give a site description  
10 here. The South Texas Project is located near this  
11 star, as annotated over here in the State of Texas.  
12 We see it by the aerial view. We are in a rural area  
13 in Matagorda County, which is about 90 miles southwest  
14 of Houston and we are about 15 miles inland from the  
15 Gulf.

16 The big area in the middle most notable is  
17 our 7,000-acre main cooling reservoir, which we sit on  
18 a 12,000-acre site. The main cooling reservoir is  
19 made up from the Colorado River to the east of the  
20 plant here and from rainwater.

21 On the station description here you can  
22 see the main cooling reservoir, which I was just  
23 explaining on the top here.

24 At the bottom here is our central cooling  
25 water pond. That's commonly referred to in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 industry as service water and that is our ultimate  
2 heat sink. Makeup to our ultimate heat sink is from  
3 well water and rainwater.

4 On the right here, you can see our  
5 switchyard. And in the center are the two units of  
6 South Texas Project. They are separate units, are  
7 Westinghouse four-loop pressurized water reactors,  
8 3853 megawatts thermal and 1250 megawatts electric for  
9 both units.

10 Operators are licensed on both units and  
11 we use common operating procedures.

12 Containment structures are semispherical  
13 heads with steel liners and flat bottoms. Each unit  
14 has three independent safety-related trains. That  
15 includes all our pumps, piping, valves, and diesel  
16 generators, and each unit has four auxiliary feedwater  
17 trains; three electric-driven pumps and one steam-  
18 driven pump for each unit.

19 Next, I would like to turn it over to  
20 Arden to give a status of our license application.

21 MR. ALDRIDGE: Good morning; Arden  
22 Aldridge, License Renewal.

23 The slide here just kind of gives us a  
24 historical perspective of where we've been. We  
25 submitted our application in October of 2010 and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 during that time, we have completed all the different  
2 reviews, annual updates, integration of operating  
3 experience through the Interim Staff Guidances and  
4 responses to Requests for Additional Information from  
5 the NRC staff.

6 And here we are today. So, we're excited  
7 to be able to present this.

8 The GALL Consistency Table is the same as  
9 what you saw during the subcommittee meeting. I think  
10 there might be a few little changes with the things  
11 that we incorporated since then. But here, it  
12 basically tells us that we have 41 Aging Management  
13 Programs; 8 new ones and 33 existing programs of which  
14 we have various enhancements and exceptions and plant-  
15 specific.

16 The STP License Renewal Application  
17 addressed all the lessons learned identified in GALL  
18 Rev. 2 and all the other requirements of the standard  
19 review plan.

20 Out of that review and through that  
21 process of the license renewal, we established 47  
22 commitments and those commitments are included in the  
23 SAR supplement, which is Appendix A of the License  
24 Renewal Application and will be managed through the  
25 South Texas Licensing Commitment Management

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 administrative processes.

2 Eight of those commitments have already  
3 been implemented and 39 commitments remain to be  
4 completed. To give you a perspective, those  
5 commitments represent 22 procedural enhancements or  
6 new procedures, 13 inspection scopes, 2 replacement  
7 scopes, and 2 additional analysis updates specifically  
8 around fatigue cycle counting and 62060 sentinel  
9 locations.

10 We have an implementation plan, a schedule  
11 and budget to complete all the remaining commitments  
12 on their scheduled due dates, prior to entering the  
13 period of extended operation in 2027 and 2028.

14 So, why are we here today? To wrap up the  
15 things that have happened since the subcommittee  
16 meeting. We have three activities that were  
17 incorporated. The first one was we clarified the  
18 selective leaching of Aluminum Bronze Management  
19 Program to close this open item. And we did that  
20 using -- we identified and optimized the use of a non-  
21 destructive examination to manage the age-related  
22 degradation of the aluminum bronze weld materials.

23 The second one is we revised the Steam  
24 Generator Aging Management Program to incorporate  
25 lessons learned from interim staff guidance 2016-01

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and in that, we added additional steam generator  
2 component scope inspections to the program.

3 And then the third one is we updated the  
4 Bolting Integrity and External Surfaces Monitoring  
5 Aging Management Program to add some additional  
6 clarification for inspection methods to be used to  
7 detect leakage associated with closure bolting in air-  
8 filled and gas-filled systems.

9 So the last two were both incorporation of  
10 lessons learned during the -- from the time of the  
11 subcommittee to today.

12 MEMBER STETKAR: Arden, on the selective  
13 leaching, I lose track of meetings. I read the  
14 revised app and what you are going to do about the  
15 welds. Didn't you also commit to replacing all  
16 aluminum bronze castings? I don't know what the -- it  
17 must be to help valve bodies and things like that.  
18 Was that done at the time -- was that done before our  
19 subcommittee meeting or was that also done during this  
20 interim period?

21 MR. ALDRIDGE: No, that was addressed as  
22 part of the attributes of the Aging Management Program  
23 that we've developed. That is part of the Aging  
24 Management Program.

25 MEMBER STETKAR: Are we talking about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 primarily valve bodies or are they heat exchanger  
2 components or what?

3 MR. ALDRIDGE: To answer that, primarily  
4 we are talking about flanges.

5 MEMBER STETKAR: Oh, flanges.

6 MR. ALDRIDGE: Flanges but there are valve  
7 bodies and a couple of T's and then the pump casings  
8 have aluminum bronze.

9 MEMBER STETKAR: Have you got underground  
10 valve bodies?

11 MR. ALDRIDGE: No, we do not.

12 MEMBER STETKAR: Not in the central area.

13 MR. ALDRIDGE: That's a separate one.

14 MEMBER STETKAR: Okay, thank you.

15 MR. ALDRIDGE: That concludes my  
16 presentation.

17 MR. RENCURREL: And that concludes our  
18 opening comments, our remarks. Again, we are  
19 committed to the safe, long-term, reliable operation  
20 of South Texas. As you can see by introductions here,  
21 many of us have really dedicated our lives and our  
22 efforts to make sure this station is successful and  
23 this is a big part of what we wanted to do. So, we  
24 thank you very much for this opportunity.

25 MEMBER SKILLMAN: Dave, thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER STETKAR: I do have a follow-up  
2 question because I'm not a materials person. And I'm  
3 sorry to come in after the fact a bit.

4           I noticed that the AMP does -- I don't  
5 know whether it is all or most of -- the inspections  
6 on the above-ground sections of piping on the welds.  
7 Can you give us your rationale about why you feel that  
8 those inspections provide adequate information to  
9 understand what's going on on the below-ground welds?

10           I understand you are going to do episodic  
11 examination -- or I don't want to say examinations.  
12 You are going to check things if you have to ever  
13 excavate the pipe but that is on an opportunistic  
14 basis. Your program is primarily organized around the  
15 readily accessible above-ground piping.

16           So do why do you feel that that gives you  
17 confidence in the status of the below-ground welds?

18           MR. ALDRIDGE: Alden Aldridge responding.  
19 The difference between the above-ground and below-  
20 ground, as we established, the below ground  
21 components, as far as the piping and the valves are  
22 not susceptible. They are out of rock material that  
23 don't dealloy like the castings and stuff do. That  
24 addresses the overall system.

25           To specifically address your question on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 welds, which the welds are the same, whether they are  
2 below ground or above ground, is we are doing a  
3 sampling of all the above-ground welds, which  
4 represent the total population. And based on the as-  
5 found conditions, the initial criteria is the weld  
6 material itself is not -- it's susceptible but we have  
7 had no operating experience of significant dealloying  
8 in the welds at the station after the initial startup.  
9 So, we have that to start with.

10 The second thing that we have is the  
11 margin of between the stress requirements of the  
12 below-ground and above-ground, we have about a two-  
13 times margin of available stress margins between the  
14 above-ground and the below-ground. So if we find  
15 anything on the above-ground, we have the opportunity  
16 to expand the scope, which is part of the Aging  
17 Management Program, to below-ground scopes.

18 So, the program doesn't ignore them but it  
19 uses the above-ground as the leading indicators and we  
20 have sufficient time to be able to do a recovery.

21 MEMBER STETKAR: That's what I was looking  
22 for is why do you have confidence that those above-  
23 ground welds are appropriate as leading indicators.

24 MR. ALDRIDGE: Right.

25 MEMBER RICCARDELLA: So would the sampled

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 expansion automatically go to some underground welds  
2 if you found unacceptable indications?

3 MR. ALDRIDGE: It depends what we find.  
4 It doesn't necessarily immediately go to it but if we  
5 have -- we would go to stress margins, stress  
6 locations where we had the lowest margins.

7 MEMBER SKILLMAN: Dave and team, thank  
8 you. At this point, let's change out and go to the  
9 NRC team, please.

10 Lois, welcome. Let's just give a minute  
11 here so we can get the bridge line open. Bill, Allen,  
12 welcome.

13 We are holding here to make sure we've got  
14 Greg Pick on the line. He is one of the inspectors.

15 MEMBER STETKAR: Just ask him if he's  
16 there.

17 CHAIRMAN BLEY: Greg, are you on the line?  
18 Can you speak?

19 MR. PICK: I am, sir.

20 CHAIRMAN BLEY: Good.

21 MEMBER SKILLMAN: There we go. Greg,  
22 welcome and thank you.

23 Okay, Lois, back to you. Please take the  
24 lead.

25 MS. JAMES: Okay. Good morning, Chairman

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Bley, Mr. Skillman --

2 MEMBER SKILLMAN: You need a green light.  
3 There you go.

4 MS. JAMES: Usually my mouth voice is  
5 enough.

6 Good morning, Chairman Bley, Mr. Skillman,  
7 and members of the ACRS. My name is Lois James and I  
8 am the License Renewal Project Manager for the South  
9 Texas License Renewal Safety Review. We are here  
10 today to discuss the South Texas Project License  
11 Renewal Safety Evaluation Report, which was issued  
12 just a month ago.

13 Joining me here at the table are Dr. Allen  
14 Hiser, the License Renewal Senior Level Advisor; Mr.  
15 William Holston, Senior Mechanical Engineer; and Ms.  
16 Phyllis Clark, Project Manager, who will run the  
17 slides.

18 Joining us by phone is Mr. Gregory Pick  
19 from Region IV, who can answer any inspection-related  
20 questions.

21 Seated in the audience and joining by  
22 phone are other members of the technical staff who  
23 participated in the review and the audits. Next  
24 slide, please.

25 I'll begin the presentation with a general

1 overview of the staff's review. Mr. Holston will  
2 discuss the closure of the open item regarding the  
3 Selective Leaching of Aluminum Bronze Aging Management  
4 Program and then I'll present the staff's conclusion.  
5 Next slide.

6 South Texas Project Nuclear Operating  
7 Company submitted its application for South Texas  
8 Projects Unit 1 and 2 in October of 2010. The staff  
9 issued two Safety Evaluation Reports with Open Items,  
10 one in February 2013 and one in October of 2016.

11 We presented the 20167 SER with Open Items  
12 to the ACRS subcommittee in November.

13 The staff closed the final open item and  
14 issued the final SER on June 8th. Next slide.

15 The applicant identified four Aging  
16 Management Programs in its application and  
17 subsequently added an additional existing program in  
18 response to RAIs issued by the staff, based on interim  
19 staff guidance. The left side of this slide  
20 identifies the applicant's disposition of its AMPs.  
21 The right side identifies the staff's disposition in  
22 the final SER issued in June.

23 All plans were evaluated by the staff for  
24 consistency with the GALL Report or the Standard  
25 Review Plan, as appropriate. The applicant may

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 enhance existing programs to be consistent with the  
2 programs, as described in the GALL, or they may take  
3 exceptions to these programs.

4 Throughout the staff's review, AMPs were  
5 updated and revised based on RAI responses on the  
6 application, as amended; changes to the plant, as  
7 documented in the annual updates; and RAI responses,  
8 based on generic issues identified by the staff during  
9 reviews of other license applications.

10 Since the subcommittee meeting in November  
11 of 2016, several AMPs have changed disposition  
12 categories. I will now turn the presentation over to  
13 Mr. Holston to discuss closure of the open items.

14 MR. HOLSTON: Good morning. The staff has  
15 closed the open item associated with the Selective  
16 Leaching of Aluminum Bronze Aging Management Program.

17 CHAIRMAN BLEY: Mr. Holston?

18 MR. HOLSTON: Yes, sir?

19 CHAIRMAN BLEY: As you go through, I would  
20 appreciate it -- I wasn't at the subcommittee meeting  
21 -- if you could give us a little background on how  
22 this actually arose.

23 MR. HOLSTON: Yes, sir, I will. That's on  
24 the next two slides.

25 So during the ACRS subcommittee meeting,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the staff discussed the closure of many aspects of the  
2 open item. And those examples of those were the  
3 extent of the destructive examinations that were going  
4 to be conducted, acceptance criteria, et cetera.  
5 However, the remaining open portion of that open item  
6 was that the AMP did not adequately address corrective  
7 actions associated with inspection results,  
8 demonstrating that structural integrity requirements  
9 would not be met.

10 As you requested, I will provide an over  
11 of the scope of the program for those members that are  
12 not on subcommittee and then discuss the proposed  
13 additional inspections, acceptance criteria, and  
14 corrective actions associated with closure of the open  
15 item. Next slide, please.

16 MEMBER SKILLMAN: Bill, before you  
17 proceed, let me go back to Lois' slide 3, please.  
18 Just checking my notes against my notes. I see that  
19 we met at 0830 on November 17th, not November 18th.  
20 It's a nit detail but, for the record, that is the  
21 date that we met, November 17, 2016.

22 MS. JAMES: Yes.

23 MEMBER SKILLMAN: Okay?

24 MS. JAMES: Okay.

25 MEMBER SKILLMAN: Excuse me, Bill.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HOLSTON: No problem.

2 MEMBER SKILLMAN: Please proceed.

3 So the applicant developed a plant-  
4 specific Aging Management Program to address selective  
5 leaching of aluminum bronze and its essential cooling  
6 water system. That report has an existing Aging  
7 Management Program, AMP 33 for Selective Leaching;  
8 however, the purpose of that program is to determine  
9 whether you are experiencing selective leaching at the  
10 plant and it addresses more than just aluminum bronze;  
11 it addresses copper, alloys greater than 15 percent  
12 zinc; it addresses cast iron or gray cast iron.

13 The applicant, recognizing that it had  
14 specific operating experience related to selective  
15 leaching of aluminum bronze, developed this plant-  
16 specific Aging Management Program.

17 Loss of material due to selective leaching  
18 of aluminum bronze principally occurs if the aluminum  
19 content is at greater than eight percent and if there  
20 is a slow cool down rate of the casting or the weld.  
21 And what occurs, if the cool down rate is slow enough,  
22 your form susceptible beta and gamma-2 phases in the  
23 lattice structure and the alpha phase is not  
24 susceptible. So that's what occurs. These welds  
25 and/or castings had beta and gamma-2 phases that were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 susceptible.

2 So at South Texas, they have approximately  
3 350 remaining castings that are susceptible. They  
4 have susceptible welds due to the filler metal  
5 aluminum content and that is approximately 3400. And  
6 the piping material, as the applicant already  
7 described, is not susceptible; that aluminum content  
8 is low enough.

9 MEMBER POWERS: Is that a rock piping  
10 material?

11 MR. HOLSTON: Say again?

12 MEMBER POWERS: Is that a rock piping  
13 material?

14 MR. HOLSTON: Yes, sir. Next slide.

15 So, since 1987 and through 2015, 55  
16 through-wall casting defects have occurred as a result  
17 of loss of material due to selective leaching. The  
18 applicant has developed an existing program that they  
19 have been implementing for the current period of  
20 operation that does routine visual examinations, that  
21 they detect indications of leakage. They have an  
22 extrapolation where they say you know if we see a  
23 little line about this long along a casting, then they  
24 extrapolate the volume of the internal selective  
25 leaching. That extrapolation was based upon six

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 samples that they conducted, where they destructively  
2 examined it and actually measured the extent of the  
3 dealloying.

4 They then put that volume into a  
5 structural integrity evaluation, determined if it  
6 meets structural integrity requirements. If it does,  
7 they submit for code relief because they have a leak,  
8 so it doesn't meet Section 11 Class 3 components. And  
9 the NRC has typically accepted those code release and  
10 granite relief and then they replace the component at  
11 the next refueling outage. So, that's what they have  
12 been doing with castings.

13 And they have had no leaks since --

14 MEMBER SKILLMAN: Excuse me, Bill.

15 MR. HOLSTON: Yes, sir.

16 MEMBER SKILLMAN: For those incidences  
17 where there is a crack or an indication, what is the  
18 approximate leak rate, drops per minute, drops per  
19 hour, gallons per minute?

20 MR. HOLSTON: At least for all the very  
21 recent ones. I'm not familiar with back in the '80s.  
22 You may not even measure any leakage at all. For  
23 instance, the one I saw, they only had one leaker when  
24 I was there on-site. I have been on-site a few times  
25 and that was just you saw a light green kind of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 florescent haze and there wasn't any water on the  
2 floor.

3 But there have been leakers. They have  
4 addressed that with leak-limiting devices, where  
5 necessary. And that's all addressed in their UFSAR as  
6 part of their current licensing basis.

7 MEMBER SKILLMAN: Thank you.

8 MEMBER BALLINGER: Selective leaching  
9 results in -- what you're saying, the strength of the  
10 material is not so affected but the impact strength is  
11 affected.

12 So what happens if you have a region that  
13 has got a lot of selective leaching? So you have got  
14 this sort of semi-porous, if you want to call it,  
15 material and then, for lack of a better word, somebody  
16 whacks on it, or hits it, or something like that.  
17 Have you thought about what happens when that occurs  
18 or if that were to occur?

19 MR. HOLSTON: Yes. When the calculations  
20 that they do -- they do a linear elastic-plastic  
21 fracture mechanics calculation -- they remove all  
22 credit for the dealloyed regions. So they are only  
23 crediting the un-dealloyed portion of the remaining  
24 fit.

25 So for example, the most severely affected

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 fitting that we had seen of the results they had had  
2 60 percent average dealloying around the entire  
3 fitting. And so that 60 percent material was, in  
4 effect, gone from the analysis. And when the plug it  
5 in, it is only the remaining 40 percent that they  
6 credit.

7 MEMBER BALLINGER: But if it's a leak, by  
8 definition, that means you have got a through-wall --

9 MR. HOLSTON: Yes.

10 MEMBER BALLINGER: -- thing. And so what  
11 about impact loading on that? Because now it's not a  
12 fracture mechanics problem. You have no new material,  
13 no unaffected material to deal with.

14 MR. HOLSTON: Well, I mean that's all  
15 factored into the calculations.

16 MEMBER BALLINGER: Okay.

17 MR. HOLSTON: So in other words when I  
18 said 60 percent average, I was just trying to describe  
19 the degree of degradation. They actually model it  
20 with where you know like here it is through-wall.  
21 Here it is about 30 percent you know take readings  
22 around about every 12 and a half degrees, if I recall  
23 right, and then do a profile of the actual  
24 degradation.

25 So you're right. There is some portion

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that goes completely through-wall. That is all  
2 factored into the calculation.

3 DR. HISER: Yes, this is Allen Hiser and  
4 I think the geometry that they use is consistent, as  
5 if it were cracked.

6 MEMBER BALLINGER: Okay.

7 DR. HISER: So if there is remaining  
8 material and it will sustain load. So, it is not as  
9 if the entire cross-section is dealloyed.

10 MEMBER BALLINGER: Yes, I'm sure that it  
11 will sustain the load but I have a 180-year-old house  
12 where I replaced the cast iron pipe. All you needed  
13 to do was to hit the elbow with a hammer and it  
14 shattered because of the selective leaching of the  
15 gray cast iron.

16 DR. HISER: And my guess is with this, if  
17 you had a sufficient extent of the alloy, you would  
18 have the same effect. But I think the fracture  
19 analyses that they have performed are intended to  
20 safeguard against any operational or accident loads.  
21 So, the analysis should take that into account.

22 MEMBER BALLINGER: Including impact load.

23 DR. HISER: Whatever the design-basis  
24 loads are. I can't speak specifically what impact  
25 loads are included in their design basis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER BALLINGER: Because I couldn't find  
2 that in the reading I did.

3 MEMBER SKILLMAN: Well for a minute there,  
4 I thought you were talking about subsequent life  
5 renewal at 180 years. That was intended to be a joke.  
6 I'm sorry.

7 Let's keep on going.

8 MEMBER RICCARDELLA: Excuse me, Bill, you  
9 used the term linear elastic-plastic analysis. That's  
10 the term, linear elastic-plastic. It is either linear  
11 elastic- or non-linear elastic-plastic, right?

12 MR. HOLSTON: You are correct, yes.  
13 Sorry.

14 MEMBER RICCARDELLA: Which was it?

15 MR. HOLSTON: Give me a minute here. I  
16 can't remember. It's been too long since I've looked  
17 at those calculations because they were all related to  
18 the casting.

19 MR. CIPOLLA: My name is Russ Cipolla and  
20 I am the one that has done these calculations.

21 The calculations are done in two parts.  
22 There is the linear elastic part to deal with any kind  
23 of low toughness material part of the alloy and then  
24 there is the limit load. So we do both and then we  
25 take the minimum of the two calculations to keep it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 simple to address both the behaviors.

2 CHAIRMAN BLEY: Would you also state your  
3 organization, for the record?

4 MR. CIPOLLA: I'm with Intertek. I am a  
5 contractor to South Texas Project.

6 MEMBER BALLINGER: But which one of those  
7 deals with impact analysis?

8 MR. CIPOLLA: Well, again, to deal with  
9 the impact, first of all, there is really no impact  
10 loads in the system. But we, as was being explained,  
11 we take no credit for the dealloyed material. So, if  
12 we have something that is leaking, whether it is a  
13 visible crack or whether it is just dealloyed, we take  
14 no credit for that. We assume a through-wall crack,  
15 analytical crack, and that's looking into virgin  
16 properties. So the virgin properties are very, very  
17 doubtful.

18 MEMBER BALLINGER: So you have no  
19 forklifts on the site?

20 MR. CIPOLLA: I can't answer that. I'll  
21 let South Texas answer that question.

22 MEMBER STETKAR: Or it seems like it would  
23 affect the seismic analysis, right?

24 MEMBER BALLINGER: I was going to say  
25 that, too, but I wasn't sure.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HOLSTON: So, have we satisfied your  
2 question or do you have some follow-up there?

3 MEMBER BALLINGER: I still have some  
4 questions about the impact part.

5 MR. HOLSTON: Okay. Should we proceed and  
6 then see if we go back to that if the rest of this  
7 doesn't -- yes, okay.

8 MEMBER STETKAR: Bill, let me because I  
9 didn't -- in your SER, you refer to a letter where  
10 they made this commitment. And I didn't try to find  
11 the letter or the commitment to replace the castings.

12 In the SER it says they are going to  
13 replace all -- the word "all" is here -- aluminum  
14 bronze casting susceptible to selective leaching.  
15 When are they going to do that, before the extended  
16 period of operation or when?

17 MR. HOLSTON: Yes, they are going to  
18 replace all those castings prior to a period of  
19 extended operation.

20 MEMBER STETKAR: Thank you.

21 MR. HOLSTON: Okay, do you have questions  
22 before I go on?

23 Okay, so we talked about castings. Just  
24 to bring us back to where we were in the first bullet.  
25 There has been 55 through-all casting defects

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 occurring from '87 to 2015.

2 And since 1989 and progressing through  
3 1994, there were seven leaks in welds with backing  
4 rings. These leaks originated from weld defects that,  
5 in most cases, progressed in part due to selective  
6 leaching.

7 And based on testing by the applicant, the  
8 root pass of the weld is less susceptible to loss of  
9 material due to selective leaching because it has a  
10 faster cool down rate and there is a lower aluminum  
11 content.

12 The faster cool down rate was based upon  
13 calculations that South Texas ran and then we, in  
14 Research, we had an individual who did independent  
15 calculations and confirmed that the cool down rates  
16 are faster in the root pass than in subsequent passes.

17 And lower aluminum content was determined  
18 from based upon destructive examinations that they  
19 took apart six welds and characterized those. And if  
20 you'd like to talk about that a little bit further, we  
21 have some backup slides for that.

22 So based upon that, if the root pass is  
23 less susceptible, as long as you can retain the root  
24 pass intact, then it is unlikely that you will have  
25 selective leaching of aluminum bronze through the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 entire weld.

2 So based upon that, the applicant  
3 significantly revised their AMP in 2016. As we were  
4 just discussing, all susceptible cast components will  
5 be replaced and the susceptible welds joining non-  
6 susceptible piping components will not be replaced.  
7 And as I said, there is approximately 3400 of those.

8 MEMBER STETKAR: Bill?

9 MR. HOLSTON: Yes, sir.

10 MEMBER STETKAR: I know nothing about  
11 materials. So, bear with me here.

12 Your first bullet here says apparently at  
13 least through 2015, they were still experiencing  
14 through-wall defects in cast components. But for some  
15 reason, they haven't seen any weld problems in the  
16 last 23 years. Is there a physical reason for that?

17 I mean why? Do you understand?

18 MR. HOLSTON: No, no, I do understand.  
19 The welds that did fail all had construction defects  
20 in the welds and that penetrated through the root  
21 pass. And so that allowed -- now, with the weld  
22 defect, that allowed the environment, the central  
23 cooling water, to progress. And then what they found  
24 in most of those welds is kind of a successive you had  
25 the defect basically crack and then it dealloyed some;

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the crack continued; it dealloyed some and the crack  
2 continued.

3 MEMBER STETKAR: What I was looking for is  
4 is there, because of that operating experience during  
5 the five years that you've listed there or up through  
6 1994, is that added confidence that they have  
7 essentially found the welds that had initial defects  
8 and that --

9 MR. HOLSTON: We believe that yes, the  
10 welds found them. Now, they did some extensive  
11 volumetric examinations. I mean they knew the right  
12 thing to do back in 1990; let's go look at a lot more  
13 welds.

14 The program going forward does some  
15 sampling of welds to account for that. So we're not  
16 just out measuring the dealloyed.

17 MEMBER STETKAR: That's right.

18 MR. HOLSTON: Yes.

19 MEMBER STETKAR: I'm just trying to look  
20 at confidence-building; that we're not in some sort of  
21 bath tub curbed region or something like that.

22 MR. HOLSTON: Correct. We're confident  
23 but we're going to make sure the AMP has the  
24 provisions to beef up that confidence.

25 MEMBER STETKAR: Okay, thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 DR. HISER: Confidence but not assurance  
2 from that operating history.

3 MEMBER STETKAR: Okay.

4 MR. HOLSTON: So are there any more  
5 questions on the background? Because my next slides  
6 go into actually the closure. Do you all feel you  
7 have a good feel for what's going on with the plant?

8 Okay, I want to take a brief moment to  
9 talk about a UT method that was developed by South  
10 Texas working with EPRI to detect an extended  
11 dealloying. And this method was essential to  
12 developing appropriate corrective actions that gave us  
13 assurance that the system would meet its intended  
14 functions.

15 I could give you an overview. If you have  
16 some detailed questions, I have the read heavy lifters  
17 in the room and that's Stephen Cumblidge and Carol  
18 Nove in the back, if you want to get into the very  
19 deep details of this technique but I can talk in  
20 general terms.

21 So, this time of flight diffraction UT  
22 method, it isn't the first time it's invented; it's  
23 been used in many, many applications all across the  
24 world. It will detect circumferential extent and the  
25 depth of the dealloyed material. So basically, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 take the weld; you do the time of flight; and it can  
2 tell you how much circumferentially around the weld  
3 and the depth of it so you get the total volume of the  
4 selective leaching within the lattice structure.

5 The South Texas Plant developed a plant-  
6 specific procedure. It was developed in accordance  
7 with ASME Section V for nondestructive examination and  
8 the staff reviewed the TOFD, time of flight to UT  
9 method. They looked that the validation tests. They  
10 looked at the implementing procedures. And they  
11 looked at the personnel requirements and found them  
12 acceptable to detect dealloying.

13 We did not validate this method for all  
14 across the industry. We looked at their specific  
15 plant procedures and their specific testing. We are  
16 confident that it will detect the volume of dealloying  
17 but we did want to tell ACRS that if we were to accept  
18 this method across all sorts of applications, we would  
19 do deeper research.

20 Any questions on time of flight method?

21 MEMBER RICCARDELLA: Was this done along  
22 the lines of the EPRI PDI program or was there applied  
23 samples?

24 MR. HOLSTON: It was not the EPRI program.  
25 They used the low rigor method in Section V. And so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 basically, they developed a technical basis document.  
2 They did some -- they did six samples but they weren't  
3 necessarily blind samples and so that met ASME Section  
4 V for low rigor. We accepted low rigor because these  
5 are not ASME Section XI inspections. They are to  
6 determine extent of condition of the dealloying if  
7 they come up with adverse results that don't meet  
8 acceptance criteria.

9 MEMBER STETKAR: But Bill, I think you  
10 just said it. In their program, this is not the  
11 primary method that they use for examination of the  
12 welds. This is something that they will employ only  
13 if they had indications of degradation. Is that  
14 correct?

15 MR. HOLSTON: That's correct.

16 MEMBER STETKAR: Okay.

17 MR. HOLSTON: Yes, and that will actually  
18 be in the next slide. We have a flow chart there.

19 MEMBER STETKAR: Oh, sorry.

20 MR. HOLSTON: But no, no, that's exactly  
21 correct. Yes, sir.

22 CHAIRMAN BLEY: You've got a lot of  
23 straight men.

24 MEMBER STETKAR: I'm glad we choreographed  
25 this so well.

1 MR. HOLSTON: So any other questions on  
2 time of flight method?

3 Okay, next slide.

4 All right so there is two ways that the  
5 licensee would go into deeper analyses and possibly  
6 come to the point where they had to do time of flight  
7 and further reviews. They are going to conduct 50  
8 destructive examinations. They are going to  
9 destructively examine 25 welds that have backing  
10 rings. They are going to destructively examine 25  
11 welds that don't have backing rings. And they will  
12 judge that against a three-part acceptance criteria.  
13 What we are trying to verify with the Aging Management  
14 Program is that that root pass is less susceptible  
15 than the follow-on passes. And so the acceptance  
16 criteria is that there is no defect in the weld that  
17 will progress through 80 percent. You know so it's  
18 less than 80 percent of the depth of the weld.  
19 Dealloying is limited to 80 percent of the depth of  
20 the weld -- of the root pass. I'm sorry, the root  
21 pass. Thank you -- and if the phases that they  
22 discover within the root pass supports the basis and  
23 the basis is that there is no continuous beta or  
24 gamma-2 presence, in other words the beta or gamma-2  
25 phases are surrounded by alpha phases, so if you can't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 get dealloying all the through the root pass.

2 If any one of those three criteria are not  
3 met, then they will proceed to do additional time of  
4 flight UT examinations to determine the extent of  
5 conditions.

6 And the time of flight UTs will be for  
7 each weld that fails destructive examinations. And  
8 then there will be periodic time of flight UT  
9 examinations of ten percent of the welds every five  
10 years. Now, when we are talking about the time of  
11 flights, as we discussed during the applicant's  
12 portion of the presentation -- this is of the above-  
13 ground welds -- so, ten percent. About 1600 of the  
14 welds are above ground, about 1800 of them are below  
15 ground. So they would be doing about 160 time of  
16 flight examinations every five years and, of course,  
17 accompanied by the immediate five more for every one  
18 that failed the destructive examination.

19 From those time of flight results, they  
20 can conduct a structural integrity analysis because  
21 the time of flight results will tell them the entire  
22 volume of the dealloying inside the volume. There is  
23 the same structural integrity analyses for the linear  
24 elastic analysis and the limit load analysis that we  
25 were talking about before.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I am going to pause for a moment on the  
2 time of flights and discuss another way that they  
3 could get into structural integrity analyses, as if  
4 they detect leakage in a weld.

5 The program will still require, just as  
6 they do today, for them to do a complete walkdown of  
7 all susceptible welds in the plant every six months  
8 and then, as you have read in the Safety Evaluation  
9 Report, they go out to the areas of the plant where  
10 there is buried piping and they look for water on the  
11 surface. As you read in the SER, that method has been  
12 accepted. We did extensive review of their  
13 calculations. And of course, actually, ASME Section  
14 XI allows you to conduct that type of examination for  
15 buried piping.

16 They will then do a destructive  
17 examination of that weld, if there is a weld that  
18 leaks, and then that plugs into the structural  
19 integrity analyses.

20 If the structural integrity analyses meet  
21 acceptance criteria, then that's as far as they go.  
22 We recognize that there is a leaker here. We  
23 recognize that over here may be a couple of  
24 destructive examinations didn't meet acceptance  
25 criteria. However, the structural integrity analyses

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are acceptable to the intended function will be met,  
2 which is our objective in License Renewal, reasonable  
3 assurance that the intended function will be met.

4 If the structural integrity analysis does  
5 not meet code, then we have a second decision to make  
6 and that is, is the weld operable. So we all  
7 recognize that the code is a boundary. We want to  
8 meet the code requirements because it gives you a  
9 whole lot of margin for meeting intended functions to  
10 systems.

11 However, just as we cover in Inspection  
12 Manual 326, you evaluate operability when you have a  
13 degraded condition. And if you can carry the  
14 structural loads with operability limits, then you're  
15 operable.

16 So if they pass weld operability, and  
17 we're at that final block at the bottom, then they are  
18 going to do a 95/95 sample time of flight UT  
19 examinations. And the 95/95 is around a couple  
20 hundred examinations.

21 And if the weld is not operable, then they  
22 are going to time of flight 100 percent of the welds  
23 -- of the above-ground welds. Now, how does that  
24 translate to buried welds? And that was asked during  
25 the applicant's presentation. It was essentially the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 same thing. They said there's a two-time margin on  
2 the allowable extent of dealloying with buried welds.  
3 So they will take the results of the volume from the  
4 time of flight and correlate that to here is all of  
5 our 1800 buried welds. Would that volume of loss of  
6 material affect a buried weld? And if it would affect  
7 a buried weld such that it would be not operable, then  
8 they will have to excavate and examine that weld with  
9 time of flight or cut it out and replace it.

10 We are reasonably confident that with the  
11 low seismic loads at the plant -- of course every day,  
12 there are dead weights being proven acceptable. And  
13 the further tolerance of the extended volume that  
14 could be loss of material in the below-ground welds,  
15 we will never come to that point -- in all likelihood,  
16 we will never come to that point.

17 The 95/95 sample, they will select welds  
18 based upon the construction details, potential  
19 consequences of failure. So they are going to  
20 basically risk inform to pick those that are of most  
21 risk to the plant. And that will be in the population  
22 of the 95/95 sample. Obviously, the 100 percent  
23 sample, they are just going to be looking at all the  
24 welds.

25 Timing of the inspections will be they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 would get 20 percent of those time of flight  
2 examinations done within 30 days and the remainder  
3 within 180 days. And again, we are talking several  
4 hundred welds. The exact numbers are 246 examinations  
5 with backing rings and 262 without backing rings.  
6 That's what the 95/95 sample drives to.

7 MEMBER BALLINGER: I have two things.  
8 First, it is theoretically possible to operate the  
9 plant with a leaking weld for one entire cycle,  
10 basically. Is that correct?

11 In other words, if it meets operability --

12 MR. HOLSTON: Yes, if it meets  
13 operability, yes.

14 MEMBER BALLINGER: -- but it is a leaking  
15 weld --

16 MR. HOLSTON: Yes.

17 MEMBER BALLINGER: So that can happen?

18 MR. HOLSTON: Yes, sir.

19 MEMBER BALLINGER: The other concern is  
20 that prior to all of this happening, there has been an  
21 inspection done for your starting point, which  
22 presumes that you have made a selection of the welds  
23 that are the most susceptible to do the inspection.

24 MR. HOLSTON: Yes, sir.

25 MEMBER BALLINGER: If you end up with this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 situation, that means you have made a mistake because  
2 you now have a leaking weld which you didn't think was  
3 going to exist, based on your baseline inspection. So  
4 how do you do the 95/95 selection, when you know that  
5 there has been an error somewhere in the sense that  
6 you've missed a weld, which was previously inspected  
7 and found to be okay?

8 Maybe I'm not using the right terminology,  
9 but you get my point.

10 MR. HOLSTON: Right.

11 MEMBER BALLINGER: You've got a baseline  
12 which presumably is a sound baseline. If you get into  
13 this scenario, that probably means that your baseline  
14 was somewhere not sufficient.

15 MR. HOLSTON: Well, in any sampling-based  
16 program, we don't have absolute assurance that a  
17 defect -- all defects are going to be detected. And  
18 that, in essence, was the basis for the open item  
19 coming out of the subcommittee meeting. At the time  
20 of the subcommittee meeting, we didn't feel the  
21 corrective actions -- in other words, if you find a  
22 defective weld that doesn't meet acceptance criteria,  
23 we're robust enough. And that's where we drove to  
24 well, if you find one -- so now in your 50-sample, you  
25 have 50 destructive examinations, and you find --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 well, even if you find one, okay, that one didn't meet  
2 the acceptance criteria. In other words, the root  
3 pass did not pass, did not pass acceptance criteria.  
4 That's why we have first, the structural integrity  
5 evaluation. And even if the structural integrity  
6 evaluation passes acceptance criteria and operability  
7 limits, we still are going to do the additional 95/95  
8 sample, which, again, is a very significant sample.  
9 It's over 500 welds that are going to be time of  
10 flight examined. And the time of flight doesn't make  
11 any assumptions of what is going on. It interrogates  
12 the entire weld and seeks out where selective leaching  
13 is occurring.

14 So, if we find a leaking weld, is that a  
15 failure? Well, it's not a failure because sampling-  
16 based programs don't eliminate everything. You just  
17 have to have the adequate extent of condition reviews  
18 when you -- or extended condition inspections when you  
19 find that. That's why we use the 95/95. We're okay  
20 with that because if you are operable, operable means  
21 you can meet the intended function. And you can meet  
22 the intended function with a leaking weld, as long as  
23 it passes the structural integrity.

24 And we talked about that before, the  
25 linear elastic -- sorry about the linear elastic-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plastic -- the linear elastic analyses, the limit  
2 load. So if you don't pass those operability limits,  
3 that's when we check 100 percent of the above-ground  
4 welds and then they will compare those results to all  
5 the below-ground welds. You know, again, they have  
6 more margin in the below-ground welds but they are  
7 still going to look at those with the worst-case  
8 extended dealloying that they saw.

9 MEMBER BALLINGER: So the backstop is the  
10 operability.

11 MR. HOLSTON: Yes, sir.

12 MEMBER RICCARDELLA: Bill, just a couple  
13 of questions just to help my understanding. The first  
14 box up there talks about these 25 percent destructive  
15 exams. If those don't find anything, there will be no  
16 nondestructive examination at all prior to the period  
17 of extended operation?

18 MR. HOLSTON: Well, there is, in addition  
19 to the destructive exams, it is 25 -- it's not 25  
20 percent. It is 25 with backing rings and 25 without.  
21 That gives you about 90 percent confidence. That's  
22 what the numbers translate to.

23 There will also be -- I didn't talk about  
24 that here because we addressed it in the subcommittee,  
25 there will be 25 with backing rings and 25 without

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 backing rings volumetric exams to check and confirm  
2 that they actually caught all the welds with flaws.  
3 Again, no absolute certainty. It is a standard-based  
4 program but it gives you reasonable assurance.

5 MEMBER RICCARDELLA: I understand. I just  
6 wanted to clarify my understanding. I was under the  
7 assumption it would be both destructive and non-  
8 destructive.

9 MR. HOLSTON: Yes, sir. Yes.

10 MEMBER RICCARDELLA: Okay. And then on  
11 the right-hand side of this chart, if you detect a  
12 leaking weld, you talked about what you would do, the  
13 sample expansion and all that. But I assume they will  
14 also repair that leaking weld at the next outage,  
15 right? I mean they're not going to let it operate  
16 indefinitely with a leak, right?

17 MR. HOLSTON: They will, yes, absolutely.  
18 And that's in the program, yes, that they will repair  
19 that weld. Now, if it's not operable, they are not  
20 going to be able to justify that. They'll still have  
21 to seek some code relief. Just because they have an  
22 Aging Management Program --

23 MEMBER RICCARDELLA: Yes, I understand but  
24 that's what they're doing now, right?

25 MR. HOLSTON: Right. Yes. Yes, that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what they're doing now. So they would be replaced at  
2 the next outage.

3 MEMBER RICCARDELLA: Got it. Thank you.

4 MR. HOLSTON: Any other questions on the  
5 flow chart?

6 Okay, in closing, the staff reviewed the  
7 applicant's basis for the weld metal susceptibility  
8 and concluded that with the inspections that we  
9 discussed, the destructive examinations, the time of  
10 flights to determine the true extent of any issues of  
11 acceptance criteria aren't met and the corrective  
12 actions, there will be reasonable assurance that a  
13 loss of intended function will not occur as a result  
14 of loss of material due to selective leaching.

15 And with that, if you don't have any  
16 further questions, I will turn it over to Lois.

17 MS. JAMES: Okay, thank you, Bill.

18 Well, in conclusion, the staff has  
19 determined that the requirements of 10 CFR 54.29(a)  
20 have been met for the license renewal of South Texas  
21 Project Unit 1 and 2.

22 We will entertain any other questions you  
23 have.

24 MEMBER SKILLMAN: Colleagues, any  
25 questions?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Hearing none, Lois, Bill, Allen, Phyllis,  
2                   thank you. Greg, thank you.

3                   Dennis, back to you.

4                   CHAIRMAN BLEY: Public comments?

5                   MEMBER SKILLMAN: Are there any  
6                   individuals in the room that would care to make a  
7                   comment, please?

8                   (No audible response.)

9                   MEMBER SKILLMAN: Anybody on the bridge  
10                  line care to make a comment, please?

11                  (No audible response.)

12                  MEMBER SKILLMAN: Back to you, sir. Thank  
13                  you.

14                  CHAIRMAN BLEY: Thank you. At this time,  
15                  we'll be off the record until 10:45 but members, don't  
16                  leave. I understand we have a letter for our  
17                  consideration. We will start on that momentarily.

18                  (Whereupon, the above-entitled matter went  
19                  off the record at 9:31 a.m. and resumed at 10:45 a.m.)

20                  CHAIRMAN BLEY: We are back in session for  
21                  the 645th meeting of the ACRS. At this time, I am  
22                  turning the meeting over to Professor Mike Corradini  
23                  for our discussion of the NuScale Topical Report on  
24                  the Safety Classification of Passive Nuclear Power  
25                  Plant Electrical Systems.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR CORRADINI: Okay. Thank you  
2 very much, Mr. Chairman.

3 So, the members may recall that we had a  
4 subcommittee meeting way back in March about this, a  
5 half-day meeting. And we discussed it over a range of  
6 topics, both in the open session, which we are now in,  
7 and closed session.

8 Before I turn it over to Omid, I would  
9 just remind everybody that we are going to go through  
10 this and staff will lead us, turning primarily to  
11 staff's discussion. We have NuScale available for  
12 questions, both physically and then, if need be, on  
13 the phone, but we are going to lead with the staff.

14 When Omid is finished with the open  
15 session, I will turn to look for any sort of public  
16 comments. And then will close it up, make sure  
17 everybody is bona fide to be in the room and open up  
18 a separate line to subject matter experts extra.

19 Omid.

20 MR. TABATABAI: Okay, great. Thank you so  
21 much, Dr. Corradini. Good morning, everyone.

22 As you mentioned, this is the full  
23 committee presentation on the subject of NuScale's  
24 electrical safety classification of passive nuclear  
25 power plant electrical systems or for short Electrical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Topical Report.

2 Back in March 2017, we briefed the  
3 subcommittee members and we had a half a day session.  
4 We got into a lot of good discussions and questions  
5 and answers. For the purpose of this meeting, I will  
6 go over -- provide an overview of the staff's review  
7 process and the conclusion. And the technical  
8 discussion will occur during the closed session, which  
9 will be probably five-ten minutes from now.

10 With me today I have -- Bob, if you don't  
11 mind introducing yourself.

12 MR. FITZPATRICK: Bob Fitzpatrick from the  
13 Electrical Branch, NRR.

14 MR. SCHMIDT: Jeff Schmidt from Reactor  
15 Systems.

16 MR. TABATABAI: Okay. In a nutshell,  
17 there hasn't been much change since we briefed  
18 subcommittee members. We pretty much are providing  
19 the same information but we have clarified a couple of  
20 conditions in the SER after briefing the ACRS' members  
21 as a result of your feedback and discussion with the  
22 NuScale staff.

23 Slide number 2, just a brief overview of  
24 the time line. We received the Topical Report back in  
25 October of 2015, the Revision 0 was submitted. And in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 February 2017, we issued our SER for the Rev. 0 of the  
2 Topical Report.

3 NuScale submitted a Revision 1 to the  
4 Topical Report in February and we briefed the members  
5 in March. And in June of 2017, we issued our updated  
6 SER, based on Rev. 1 of the Topical Report. And our  
7 goal is to basically complete the SER by the end of  
8 August 2017.

9 Just a quick recognition for all of our  
10 staff who have been involved in the review of this  
11 Topical Review. As you can see, there have been 17  
12 technical staff members reviewing this Topical Report  
13 and contributing to the SER in eight different  
14 technical areas.

15 The review process that the staff followed  
16 was basically, per request from NuScale, we reviewed  
17 the Topical Report for a generic passive design. We  
18 did not review it only for SMR design specifically.  
19 So, we wrote the SER. The staff wrote the SER for a  
20 generic plant, not for NuScale design.

21 We looked at the conditions of  
22 applicability in the Topical Report and we evaluated  
23 them against the applicable regulations and  
24 requirements of the NRC.

25 And also, the staff focused on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reliability of the on-site DC power system and  
2 instrumentation for post-accident monitoring, reactor  
3 coolant system. And these are all based on the  
4 assumption that there are no Class 1E power available.  
5 So we just wanted to make sure that this function we  
6 had reasonable assurance that it would be achieved in  
7 the absence of a Class 1E power.

8           During the process, we identified six  
9 areas where we needed more information in order to  
10 complete our review. Four of those questions were  
11 related to the reliability of VRLA, the valve-  
12 regulated lead acid batteries and with respect to  
13 maintenance, design, and quality assurance provisions  
14 that are related to Reg Guide 1.155, which deals with  
15 station blackout.

16           Two questions were related to reactor  
17 safety, with respect to event non/escalation, and safe  
18 shutdown state.

19           NuScale provided responses to our RAIs and  
20 the staff found them acceptable.

21           And in Revision 1 to the Topical Report,  
22 NuScale updated the Topical Report and incorporated  
23 information that we had requested.

24           So in summary, the staff found that the  
25 Topical Report is acceptable to be referenced by an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 applicant, if they meet, basically, the conditions of  
2 applicability in those two tables that are in the  
3 Topical Report, 3-1 and 3-2. Plus, the staff has  
4 identified six additional conditions on the Topical  
5 Report and if an applicant can meet both of those  
6 conditions, these two items, conditions in the Topical  
7 Report and SER conditions, then they can reference  
8 this Topical Report in their license applications as  
9 part of their justification for not having Class 1E  
10 power system.

11 That concludes my presentation for the  
12 open part. If there are questions from the members or  
13 members of the public, this is a good time to ask.

14 VICE CHAIR CORRADINI: All right, I'll  
15 turn to the members. Walt.

16 MEMBER KIRCHNER: Let me see if I can  
17 frame this question so that we don't get into  
18 proprietary details.

19 In effect, aren't you, if you just look at  
20 your presentation, at the very high level, aren't we  
21 making a policy decision that you don't need Class 1E  
22 DC power for passive nuclear power plants, quote,  
23 unquote?

24 MR. TABATABAI: We discussed this question  
25 before and we and the staff decided, and they reached

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this conclusion that this is not a policy issue. It  
2 is a technical issue and can be addressed at staff  
3 level.

4 MEMBER KIRCHNER: I'm just looking at the  
5 precedent that you're setting. Assuming that other  
6 passive plants, let's leave NuScale out, are watching  
7 this proceeding and then saying well, if I have the  
8 attributes of a passive plant, then --

9 VICE CHAIR CORRADINI: As delineated in  
10 the table.

11 MEMBER KIRCHNER: --as delineated, blah,  
12 blah, blah, then I don't need a Class 1 -- IEEE Class  
13 1 DC power.

14 Now, in light -- I'm thinking of it from  
15 the perspective of say the public. Post-Fukushima  
16 suggests that it's a good idea to have reliable power  
17 so you know you're not completely in the dark.

18 Maybe my next statement was going to be  
19 the particular applicant goes to great lengths to show  
20 that they are proposing a comparable system in terms  
21 of reliability. But if I back away from the  
22 specifics, it's almost as if we're making a policy  
23 decision that quote, unquote, advanced passive nuclear  
24 power plants don't need that quality of DC power for  
25 all the reasons post-Fukushima that we are concerned

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about these kinds of issues.

2 So it's more an observation than a  
3 question.

4 MR. TABATABAI: I can offer two statements  
5 in response to that, without getting into the details  
6 of NuScale design. With respect to Fukushima event,  
7 of course, once an application is submitted for any  
8 licensing action, as part of that license review, we  
9 won't look at the Fukushima requirements and the  
10 regulations that we currently have with respect to  
11 that. So that is separate from this topic.

12 And with respect to future passive designs  
13 and applicants, when we get into closed session, there  
14 is one condition that the staff has already put on  
15 this SER that deals with that issue. We are not just  
16 basically giving a blank check here that hey, if you  
17 need this, then you are okay. But we go into the  
18 details of basically what --

19 MEMBER KIRCHNER: In closed session.

20 MR. TABATABAI: Right.

21 MEMBER KIRCHNER: But for the public, are  
22 they going to be aware of what that condition is?

23 MR. TABATABAI: Yes.

24 MEMBER KIRCHNER: And is that condition  
25 generic?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TABATABAI: Yes. It is actually in  
2 the public version of the SER.

3 MEMBER KIRCHNER: Okay. All right, thank  
4 you.

5 VICE CHAIR CORRADINI: Other questions?  
6 Hearing none, let's turn to see if there is any public  
7 comment from the room. No public out there.

8 And people who are on the line, the line  
9 should be open. Is there any comments from members of  
10 the public on the bridge line?

11 MR. BROWN: It's open.

12 VICE CHAIR CORRADINI: Thank you.

13 Okay, hearing none, why don't we close the  
14 bridge line? And we're going to go into closed  
15 session. So that requires some high technology  
16 changes. So, everybody sit tight while our DFO has  
17 some fun.

18 (Whereupon, the above-entitled matter went  
19 off the record at 10:56 a.m. and resumed at 1:15  
20 p.m.)

21 CHAIRMAN BLEY: The meeting is back in  
22 session, this 645th meeting of the Advisory Committee  
23 on Reactor Safeguards. At this time, I'm going to ask  
24 Dr. Ballinger to take us through the Advanced Power  
25 Reactor 1400 review work to date. Ron, please take

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the meeting.

2 MEMBER BALLINGER: Good afternoon, Mr.  
3 Chairman.

4 CHAIRMAN BLEY: Oh, and we're open  
5 session. I don't know if we got that marked. Go  
6 ahead.

7 MEMBER BALLINGER: Today we're going to  
8 hear from KHNP on Chapter 3, Design of Structures,  
9 Systems, and Components, etcetera, Chapter 4, the  
10 Reactor, Chapter 9, Auxiliary Systems, Chapter 15,  
11 Transient and Accident Analysis.

12 I think we probably have a meeting with  
13 two more chapters, and then we're finished with phase  
14 two. And I would like to ask if Bill or Mike would  
15 like to say something prior to our starting?

16 MR. WARD: I just want to say thank you  
17 for another meeting, and as you mentioned, we were  
18 hoping this would be the last, but there will be one  
19 more for phase three sessions. But we look forward to  
20 presenting the information, and to hopefully getting  
21 a good letter. Thank you.

22 MEMBER BALLINGER: So I'll turn it over to  
23 the folks.

24 MR. SISK: Well, this is Rob Sisk,  
25 Westinghouse, and again, I think you for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 opportunity to meet and present the four chapters.  
2 Without any undue delay, I would like to introduce Dr.  
3 Hangan Kim as our presenter for the chapters to lead  
4 us through, so please?

5 DR. KIM: Good afternoon, my name is  
6 Hangan Kim from KHNP. I'm the project manager of the  
7 APR1400 design certification project. Today I would  
8 like to present a brief summary of DCD Chapter 3,  
9 Design of Structures, Systems, Components, and  
10 Equipment, Chapter 4, Reactor, Chapter 9, Aux Systems,  
11 and Chapter 15, Transient and Accident Analysis.

12 If there are questions or comments, I will  
13 try to answer the question. If I can't, our expert  
14 staff in this room will answer the question.

15 The first section of Chapter 3 provides a  
16 high-level description of how the plant structures,  
17 systems, and components important to safety meet the  
18 general design criteria in each individual subsection.  
19 In the next section, the classification of SSCs is  
20 described. The SSC classifications consist of a  
21 seismic category, quality groups, nuclear safety  
22 class, and codes and standards. All items are  
23 confirmed.

24 In this slide, I'd like to talk about the  
25 wind and tornado loading which is considered in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 design of seismic category one and two structures.  
2 The design wind loadings on the surfaces of seismic  
3 category one and two SSCs subject to wind are  
4 determined in accordance with ASCE/SEI 7-05.

5 The APR1400 is designed to protect the  
6 SSCs against tornados and hurricanes. Maximum speed  
7 of design basis tornado and hurricanes are calculated  
8 according to the Reg Guide 1.76 and 1.221  
9 respectively. For design basis tornado, the maximum  
10 tornado wind speed is 430 by power. For design basis  
11 hurricane, the maximum wind speed is 406 by power.

12 This section discusses the flood  
13 protection from external and internal flooding. The  
14 design basis flood level is designed in accordance  
15 with Reg Guide 1.59 and ANSI/ANS 2.8. The flood  
16 protection measures from external sources are designed  
17 in accordance with Reg Guide 1.102.

18 Internal flooding evaluation is performed  
19 for the reactor containment building and aux building  
20 by considering the water volume and flood over area.  
21 Structure enclosure, a barrier wall, drainage systems,  
22 emergency overflow line, and the watertight doors are  
23 designed to protect safety-related SSCs.

24 This section discusses the protection from  
25 internally or externally generated missiles. Safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 related SSCs are protected from internally generated  
2 missile, turbine missile, missile generated by  
3 tornados and extreme winds, site proximity missile,  
4 and aircraft hazards.

5 MEMBER KIRCHNER: May I interrupt you for  
6 a minute for clarification? A few moments ago, you  
7 mentioned the tornado wind speed and the hurricane  
8 wind speed. Were those kilometers per hour, not miles  
9 per hour? I thought I heard 400. What were the  
10 numbers again?

11 DR. KIM: 230 and 260.

12 MEMBER KIRCHNER: Oh, 200. Thank you.

13 DR. KIM: Structures used to protect  
14 safety-related SSCs meet the requirements of related  
15 Reg Guides. Missile barriers are designed with  
16 sufficient strength and thickness to prevent local  
17 damage, including perforation, spalling and scabbing,  
18 and overall damage.

19 This section discusses the protection  
20 against the piping rupture to meet the GDCs two and  
21 four. High and moderate energy fluid systems are  
22 summarized in table 3.6-1. Separation, physical  
23 barrier, or pipe whip restraints are key to protect  
24 essential SSCs from the effect of postulated pipe  
25 break.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Postulated break locations such as  
2 terminal ends and intermediate break are determined in  
3 accordance with the BTP3-4, Part B. Non-conservatism  
4 of jet impingement model in ANSI 58.2 is addressed as  
5 an open item. The current technical report and the  
6 related REI will be revised to address these issues.

7 Break exclusion criteria is applied to  
8 ASME Class 2 piping in the main steam valve house  
9 between the containment wall and aux building anchor  
10 wall beyond the isolating valve. Dynamic and  
11 environmental effects due to the High and Medium  
12 Energy Line breaks are summarized in the pipe rupture  
13 analysis report.

14 This slide presents the APR1400 seismic  
15 design. The certified seismic design response spectra  
16 are defined as 0.3g, and the design time histories  
17 generates using requirements of option one, approach  
18 one in SRP 3.7.1. The generic site condition consists  
19 of eight soil profiles and one fixed-base condition.

20 For the seismic analysis model and method,  
21 3-D finite elements models are developed and complex  
22 frequency response analysis method with ACS SASSI  
23 version 2.3 software is used for soil structure  
24 interaction analysis and the fixed-base analysis.  
25 Both the uncracked and cracked concrete stiffness

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cases are considered in the seismic analysis.

2 Structure-soil-structure interaction  
3 analysis is performed to evaluate the interaction  
4 effects between non-seismic category one structure  
5 such as containment building or compound building and  
6 the seismic category one structures. Incoherent SSI  
7 analysis is performed with hard rock high frequency  
8 seismic input motion which are set to 0.46g.

9 There are four Category 1 building  
10 structures in APR1400, Reactor Containment Building,  
11 Aux Building, EDG Building, and Diesel Fuel Oil Tank  
12 Building. The containment is a pre-stressed concrete  
13 structure composed of a right circular cylinder with  
14 a hemispherical dome and it's founded on a common  
15 basement.

16 A quarter-inch thickness liner plate is  
17 attached to the inside of the containment as a leak-  
18 tight membrane. The internal structures are  
19 physically independent of the containment except the  
20 supporting foundation basement.

21 There is one subcommittee question about  
22 the tendon temperature effects in the containment  
23 structure. The question is as follows, "Long tendons  
24 may be affected by ambient temperature change or  
25 temperature change during normal conditions and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accident conditions inside containment. How is it  
2 considered in the structural analysis?"

3 Our response is as follows, "During  
4 structural analysis of the containment building,  
5 temperature change is not considered for the post  
6 tensioning system consisting of horizontal and  
7 vertical tendons since the effect of temperature  
8 change is negligible."

9 "The expected elongation of the longest  
10 tendon due to maximum temperature variation of the  
11 containment during accident conditions is 1.2 inches.  
12 It is quite small compared to the tendon elongation of  
13 51.6 inches induced during stressing of the tendon."

14 "Furthermore, thermal expansion  
15 coefficient of tendon material is similar to that of  
16 concrete. The strains of concrete and the tendon due  
17 to temperature variation are also similar. It means  
18 that the tendon is extended due to the temperature  
19 variation is almost the same as concrete expansion.  
20 Therefore, temperature change is not considered since  
21 the effect of temperature change is negligible."

22 This section provides the method of  
23 design, dynamic testing, and analysis for Class 1, 2,  
24 and 3 components and supports including the classes ,  
25 modifications and structures. The following

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information are provided.

2 Design transients used in the design and  
3 fatigue analysis, design loading combinations for  
4 components and component supports, dynamic testing and  
5 analysis due to pipe vibration, thermal expansion, and  
6 dynamic effects, especially a Comprehensive Vibration  
7 Assessment Program is conducted for the internals.

8 This slide provides the discussion on the  
9 equipment qualification of mechanical and electrical  
10 equipment. Equipment qualification is divided into a  
11 seismic qualification and the environmental  
12 qualification.

13 Seismic qualification confirms to GDC 3  
14 and Reg Guide 1.100 and IEEE Standard 344.  
15 Environmental qualification is consistent with the  
16 rated requirements.

17 APR1400 equipment qualification program  
18 specifies the scope and requirements of the equipment  
19 qualification, qualification methods, documentation  
20 requirements, and the environmental condition of each  
21 room.

22 For the piping system design, a graded  
23 approach is applied. The scope of the design for ASME  
24 Code Class 1 piping includes RCS main loops,  
25 pressurized surge line, DVI line, and shut down

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cooling line.

2 And the scope of the design for ASME Code  
3 Class 2 and 3 piping includes main steam and main fuel  
4 piping from the nozzle of the steam generator to the  
5 main steam valve house penetration anchor.

6 Piping systems and supports are designed  
7 in accordance with the 2007 Edition with 2008 addenda  
8 of ASME Section III, Subsection NB, NC, and ND based  
9 on the 10 CFR 50.55a.

10 MEMBER SKILLMAN: Please back up one  
11 slide. For the RCS main loop, surge line, direct  
12 injection line, and your shutdown cooling, how are the  
13 incore pressure boundary lines addressed, incore  
14 lines?

15 DR. KIM: Do you mean the incore  
16 structure?

17 MEMBER SKILLMAN: No, I mean the lines  
18 that run from the bottom of the reactor vessel to your  
19 seal table.

20 DR. KIM: Do you mean the I&C cable?

21 MEMBER SKILLMAN: Yes.

22 DR. KIM: It's an instruments cable.

23 MEMBER SKILLMAN: Well, it's pressure.

24 DR. KIM: It's included in our graded  
25 approaching.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER SKILLMAN: Okay, it is part of the  
2 reactor coolant system pressure boundary?

3 DR. KIM: You're right, but in the design  
4 certification boundary, we selected this piping.

5 MEMBER SKILLMAN: The main components.

6 DR. KIM: Yeah, main components.

7 MEMBER SKILLMAN: Okay, thank you.

8 DR. KIM: The materials of threaded  
9 fasteners are selected to satisfy the requirements of  
10 ASME Section 3 NCA, NB, NC, and ND. These fasteners  
11 are designed and fabricated in accordance with ASME  
12 Section II and III, or Code cases allowed by Reg Guide  
13 1.84.

14 Lubricants are selected to satisfy the  
15 requirements of NUREG-1339. Preservice Inspection and  
16 Inservice Inspection will be performed in accordance  
17 with the relevant requirements of ASME Section XI.

18 This is the end of Chapter 3. From this  
19 slide, I'd like to present DCD Chapter 4, Reactor.  
20 This slide shows the brief characteristics of APR1400  
21 reactor core. Rated core power is 3,983 megawatts  
22 thermal. APR1400 has 241 fuel assemblies and each  
23 assembly has a 16 by 16 fuel rod lattice. The number  
24 of control element assemblies is 93, active fuel  
25 length is 12.5 feet. The maximum peaking factor is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 2.43, and the maximum rod burnup is 60 GWD/MTU.

2 This slide explains the fuel assembly and  
3 fuel rod design. All design requirements and NRC  
4 guidelines are satisfied. As a point of the  
5 experience fuel, Pool Side Examinations and hot cell  
6 examination results showed that the PLUS7 fuels were  
7 well irradiated. 4,997 PLUS7 fuel assemblies have  
8 been supplied commercially as of 2016 since 2006.

9 MEMBER BALLINGER: I have a question. How  
10 many failures have you had? How many leakers?

11 MR. JEONG: This is Jae Hoon from KEPCO  
12 Nuclear Fuel. Among the 5000 fuel assemblies, we had  
13 ten assembly failure.

14 MEMBER BALLINGER: Ten leakers?

15 MR. JEONG: Yes.

16 MEMBER BALLINGER: Thank you.

17 DR. KIM: For the end of the life seismic  
18 analysis, the fuel assembly, grid, and the flow water  
19 damping tests were completed at EOL condition. EOL  
20 seismic analysis results show that the grid is not  
21 crushed. The EOL Seismic evaluation result will be  
22 submitted by the end of this month as a revision of  
23 the technical report.

24 This slide explains the nuclear design and  
25 the thermal-hydraulic design. The APR1400 is designed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to satisfy the following requirements, power  
2 distributions are maintained within the design limits  
3 throughout normal operations.

4 Reactivity coefficients are maintained  
5 negative during power operation. Control systems are  
6 capable of providing enough shutdown margin and of  
7 controlling power distribution oscillations.

8 The DNBR limit was determined now to occur  
9 on a pure rod having the minimum DNBR at least of 95  
10 percent probability with a 95 percent confidence level  
11 during steady-state operation conditions and AOOs.

12 1.29 of the DNBR limit was generated using  
13 the KCE-1 critical heat flux correlations that was  
14 approved by NRC coupled with the TORC subchannel code  
15 analysis, analysis code.

16 COLSS and RPS provide reasonable assurance  
17 that the design bases are not violated for any steady-  
18 state operating conditions and AOOs.

19 Okay, from this slide I'd like to explain  
20 DCD Chapter 9, the auxiliary systems. First, the fuel  
21 storage and handling section consists of the Critical  
22 Safety of New and Spent Fuel Storage, Spent Fuel for  
23 Cooling and Cleanup System, Light Load Handling  
24 System, and Overhead Heavy Load Handling System.

25 New fuel is stored in stainless steel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 racks installed in a dry pit. Spent fuel is stored in  
2 a stainless steel rack with neutron absorbing material  
3 installed in a spent fuel pool filled with borated  
4 water.

5 The spent fuel pool cooling system is  
6 designed to maintain the spent fuel pool temperature  
7 below 60 degrees Celsius in a single active period.  
8 All piping penetrating the pool is located at  
9 approximately three meters above the top of the spent  
10 fuel assemblies, and all piping extending down into  
11 the pool has a siphon breaker hose above this level.

12 Light Load Handling System means the fuel  
13 handling system. Overhead Heavy Load Handling Systems  
14 consists of a containment puller crane and the pure  
15 handling area over the crane.

16 This slide is for the subsection of water  
17 systems. The major water systems consist of the  
18 Essential Service Water System, Component Cooling  
19 Water System, Ultimate Heat Sink, and the Chilled  
20 Water System. The Essential Service Water System  
21 transfers heat from the Component Cooling Water System  
22 to Ultimate Heat Sink. The CCWS moves heat from the  
23 safety-related components required for plant emergency  
24 shutdown and mitigation of design-basis accidents.

25 The Ultimate Heat Sink is a site specific

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 system using the cooling tower since the cooling tower  
2 system is provided as a conceptual design for APR1400  
3 design certificated staging.

4 The COL applicant is to provide Ultimate  
5 Heat Sink-related design information based on specific  
6 site characteristics including the conditions. The  
7 Ultimate Heat Sink provides cooling capacity for at  
8 least 30 days without breaker water.

9 The Chilled Water Systems consists of the  
10 essential Chilled Water System and the Plant Chilled  
11 Water System.

12 This slide is for the subsection of  
13 process auxiliaries. The Normal Parameter Sampling  
14 System takes RCS samples, shutdown cooling system  
15 samples, CVCS samples, and the primary off-gas  
16 samples. The Post-Accident Sampling System takes  
17 reactor coolant and containment atmosphere samples  
18 during post-accident conditions.

19 The CVCS is designed to perform the  
20 following functions, the reactor coolant chemistry and  
21 purity control, RCS inventory control, Boron recovery,  
22 RCS Boron concentration control to compensate the  
23 reactor changes, pressure control via pressurized  
24 spray, RCP seal injection, and the continuous removal  
25 of noble gases and other dissolved gases from the RCS.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This slide is for the subsection of  
2 heating, ventilation, and air conditioning systems.  
3 The major HVAC systems are the Control Room HVAC  
4 System, Engineered Safety Feature Ventilation System,  
5 and the Reactor Containment Building HVAC and Purge  
6 System.

7           The Control Room HVAC System provides  
8 adequate protection against airborne radioactivity and  
9 smoke from the outside, and this system limits the  
10 radiation exposure to the personnel in the control  
11 room under accident conditions to meet the GDC19.

12           The Engineered Safety Feature Ventilation  
13 System prevents possible accumulation of the oil fumes  
14 within the EDG area. This system maintains the  
15 hydrogen gas concentration to less than one volume  
16 percent in the battery rooms, and maintains the  
17 auxiliary building area under a slightly negative  
18 pressure with respect to the surrounding area.

19           The Reactor Containment Building HVAC  
20 System is designed to maintain the temperature of  
21 containment, ICI Chase, and the reactor cavity during  
22 normal operation and the loss of offsite power.

23           The Reactor Containment Building Purge  
24 System provides the property atmosphere and adequate  
25 ventilation for personnel before and during periods of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 personnel access, and this system controls the  
2 containment pressure.

3 MR. CINTRON: Mr. Kim, on the purge  
4 system, you have a high volume purge system that's  
5 normally operated during shutdown modes. You also  
6 have a low volume purge system, and the DCD said that  
7 it's operating during normal plant power operation  
8 when required.

9 And I think we asked during the  
10 subcommittee meeting based on your operating  
11 experience in Korea, what fraction of time is that low  
12 volume purge system in operation during power  
13 operation?

14 MR. SEO: This is Sung-Je Seo, KEPCO E&C.  
15 Let me explain the answer. The relevant reactor  
16 containment building low volume purge system is  
17 operated intermittently, not continuous.

18 MR. CINTRON: Yes, and because it's not  
19 continuous, I know the answer is not 100 percent of  
20 the time, and because it's intermittently, I know it's  
21 not zero, so it's somewhere between zero and 100  
22 percent. I was asking based on your experience, where  
23 between zero and 100 percent that number might be. Is  
24 it ten percent of the time, or 70 percent of the time,  
25 or what percent of the time?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. SEO:    The low volume purge system  
2 depends on the containment pressure and the  
3 radioactivity level.

4                   MR. CINTRON:  Yes.

5                   MR. SEO:  So without the personnel access  
6 inside containment, there is almost not operated low  
7 volume purge system.  However, if an operator had to  
8 assess the inside containment, in that case, low  
9 volume will be operated before and during the  
10 personnel access.  There is no exact time for low  
11 volume purge system.

12                  MR. CINTRON:  Well, I was just asking do  
13 you have low volume purge systems on other similar  
14 plants in Korea and what is the operating experience  
15 for some of those plants?  I'm familiar with these  
16 types of systems, and it depends on the operating  
17 philosophy of the plant.

18                  It depends on frequency of containment  
19 access for inspections and things like that, and some  
20 plants operate them continuously because they want to  
21 keep it cool and clean in there.  Other plants operate  
22 them sporadically, and I was curious what your  
23 experience is.

24                  DR. KIM:    Okay, we will check our  
25 experience and then we will answer later.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. CINTRON: Thank you.

2 DR. KIM: Okay, this slide -

3 MR. CINTRON: By the way, the question, I  
4 understand how the system works. It's not a question  
5 about the system design. It's more related to some of  
6 my questions on the risk assessment and how the system  
7 is treated in the context of releases for the risk  
8 assessment. I don't really have any questions about  
9 the system design per se.

10 DR. KIM: This slide is for other aux  
11 systems. The major aux systems consist of the Fire  
12 Protection System, the Emergency Diesel Generator  
13 System, and the Gas Turbine Generator Facility. The  
14 Fire Protection System is designed in accordance with  
15 Reg Guide 1.189 and NFPA codes.

16 Separate redundant trains of safety-  
17 related equipment by three-hour fire-rated barriers  
18 for safe shutdown capabilities. Also this system  
19 maintains a 100 percent design capacity fire pump with  
20 one electric and one diesel-driven fire pump assuming  
21 failure of one fire pump or a loss of offsite power.

22 The Emergency Diesel Generator System is  
23 designed to provide for the required storage capacity  
24 and continuous supply of fuel oil to each of four  
25 redundant Class 1E EDGs following a loss of offsite

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 power.

2 The Gas Turbine Generator Facility is  
3 designed to provide the standby power source for  
4 coping with station blackout in accordance with the  
5 requirements of 10 CFR 50.63 and Reg Guide 1.155.

6 Okay, from now I'd like to present Chapter  
7 15, transient and accident analysis. Before we start  
8 the main body of Chapter 15, I will briefly summarize  
9 the Thermal Conductivity Degradation items.

10 APR1400 uses FATES3B code for the fuel  
11 performance analysis. However, FATES3B code cannot  
12 explicitly model TCD effects. Therefore, we decided  
13 to add fuel centerline temperature penalty into the  
14 FATES3B fuel temperature output based on a comparison  
15 with the Halden test results.

16 The technical report with the old  
17 information was withdrawn. The details about the TCD  
18 application are described in the revised PLUS7 topical  
19 report which will be submitted the end of this month.

20 MEMBER KIRCHNER: May I ask, since we  
21 haven't seen that, how did you take that penalty to  
22 compensate for the TCD? Did you just put it linear or  
23 did you try and match the Halden data?

24 MR. JEONG: Okay, this is Jae Hoon Jeong  
25 from KEPCO Nuclear Fuel. We had a lot of discussions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with the steps and we compared our current results  
2 with the Halden test data and the other best estimate  
3 close measures, and we were able to get a certain  
4 amount of pure centerline temperature.

5 MEMBER KIRCHNER: Now, the Halden test  
6 results, don't they have - there's a thermal  
7 conductivity if I remember correctly. It kind of sags  
8 in the middle. It changes with burnout and  
9 temperature. How does that factor into your neutronic  
10 analysis? Is this on the margin or would that result  
11 in significant change to things like the thermal  
12 feedback with the reactor kinetics for the accidents  
13 that you analyzed?

14 MR. JEONG: This is Jae Hoon Jeong again.  
15 Actually TCD effects on nuclear design such as  
16 reactivity, there is no significant impact on that.  
17 For safety analysis, we have to consider TCD effects  
18 because peak cladding temperature includes LOCA.

19 We have to consider, you know, that  
20 similar effect on large break LOCA. So we have  
21 applied the penalty barrier on our code, and we have  
22 performed analysis using the EPRI for large break LOCA  
23 analysis and that penalty barrier, and all other  
24 safety results which are implicated by TCD, we redid  
25 analysis, and we're going to submit our results to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 NRC.

2 MEMBER KIRCHNER: Okay, thank you.

3 DR. KIM: The DCD sections impacted by TCD,  
4 which is simple text modification are 4.3 nuclear  
5 design, 9.1.1 critical safety of new and spent fuel  
6 storage, and 15.0 general information of safety  
7 analysis. And the full revisions are 6.2 containment  
8 system, 15.4.8 CEA ejection accidents, and 15.6.5  
9 large break LOCA.

10 The analysis results for the full revision  
11 of DCD confirmed that all events and accidents  
12 concerned TCD satisfied the acceptance criteria. All  
13 DCD markups will be submitted by the end of this  
14 month, and the PLUS7 and the large break LOCA topical  
15 reports are also revised and markups will be submitted  
16 at the end of this month.

17 Let's start with the transient analysis.  
18 For the transient analysis, the main accident analysis  
19 is performed by CESEC-III codes and the calculation is  
20 performed by CETOP code. For the increasing heat  
21 removal by secondary system, the inadvertent opening  
22 of a steam generator relief of safety valve and the  
23 steam line break are quantitatively analyzed. The  
24 analysis results show that the minimum MDNBR remains  
25 above the fuel design limit, and the post-trip return-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to-power doesn't occur for system line break.

2 For the decrease in heat removal by  
3 secondary system, the loss of condenser vacuum and the  
4 feedwater system pipe break are quantitatively  
5 analyzed, and the analysis results show that the RCS  
6 and the main steam system pressure increase, but below  
7 acceptance criteria.

8 For the event of reactor coolant pump  
9 rotor seizure and shaft break, COAST, HERMITE, CETOP,  
10 TORC, and CESEC-III codes were applied. Quantitative  
11 analysis for each event were performed, and it was  
12 confirmed that all the safety parameters meet the  
13 acceptance criteria.

14 The spectrum of CEA ejection accidents  
15 analysis applying TCD penalty was also performed, and  
16 the maximum system pressure, peak radial average fuel  
17 enthalpy, and the doses at the site boundary meet the  
18 acceptance criteria.

19 For the transient case of increasing  
20 reactor coolant inventory, the CVCS malfunction such  
21 as pressurized reactor coolant system malfunction are  
22 quantitatively analyzed. The analysis results show  
23 that the system pressure remains below the acceptance  
24 criteria.

25 For the transient cases of decreasing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reactor coolant inventory, the failure of small lines  
2 carrying primary coolant to outside containment and  
3 the steam generator tube rupture are quantitatively  
4 analyzed. Analysis results show that the minimum  
5 MDNBR remains above the fuel design limit, and the  
6 radiological acceptance criteria are satisfied.

7 Large break LOCA analysis, in APR1400,  
8 we've developed best estimate with certain  
9 quantification methodology, CAREM. The details of  
10 CAREM are described in large break LOCA topical  
11 report. In this model, RELAP5 and COMTEMPT4 codes are  
12 applied for system calculation and the minimum  
13 containment pressure is practical.

14 TCD penalties for the fuel centerline  
15 temperatures are considered. The final results with  
16 TCD are briefly shown below. PCT is 1,303 K, and peak  
17 localized oxidation is 6.3 percent, and the CWO  
18 satisfied the LOCA acceptance criteria. It is  
19 concluded that the results of LBLOCA with TCD  
20 satisfies the acceptance criteria.

21 For CENPD-137P conservative evaluation  
22 model with CEFLASH-4AS, COMPERC-II, STRIKIN-II, and  
23 PARCH is applied to the small break LOCA analysis.  
24 The licensing PCT is occurred in the DVI line break.  
25 The final PCT is 1,639 degrees Fahrenheit, and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 results satisfy the acceptance criteria.

2 Post LOCA long-term cooling basically  
3 applies the CENPD-254-P conservative evaluation model.  
4 APR1400 is adopting the interim method which is  
5 applied to Waterford Unit 3. It is confirmed that the  
6 result of LTC satisfies the acceptance criteria.

7 This slide shows the design targets and  
8 design features for the dose analysis of design basis  
9 accidents. The dose targets of the EAB and LPZ are  
10 taken from the 10 CFR 52.47, and according to the SPR,  
11 the limitation can be used for each DBA cases. The  
12 MCR habitability is ensured by applying the criteria in  
13 GDC 19.

14 The design features to minimize accident  
15 releases are as follows, safety injection system to  
16 prevent fuel damage, aux feedwater system for steam  
17 generator cooling, and so on.

18 The radiological analyses were performed  
19 based on the alternative system and the dose criteria  
20 of total effective dose equivalent. For the dose  
21 evaluation, RADTRAD code was used based on the  
22 conservative atmospheric dispersion factors. Analysis  
23 approaches are consistent with Reg Guide 1.183.

24 Doses to the public at EAB and LPZ for all  
25 DBAs are well within the dose limits. MCR

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 habitability is ensured for all DBAs by complying the  
2 GDC 19. Okay, this is the end of my presentation.  
3 Thank you for listening to my presentation.

4 MEMBER BALLINGER: Thank you. We're a  
5 half-hour ahead of time. I hesitate to even say that  
6 because we'll probably fix that shortly, but are there  
7 any other questions from the members? Are the staff  
8 ready to go? So take a few minutes and switch out,  
9 and then we'll just pick up.

10 (Pause)

11 MEMBER BALLINGER: I'm told that there's  
12 a staff person on the phone line, and what we're going  
13 to do is to keep the phone on mute until a question  
14 comes up, if one does come up, and then we'll unmute  
15 it. Otherwise, we'll be listening to snap, crackle,  
16 and pop for the whole presentation.

17 MS. TERRY: Good afternoon. My name is  
18 Tomeka Terry, and I am the Chapter Project Manager for  
19 the APR1400 design certification application review  
20 for Chapter 3, Design Structure and Systems and  
21 Components and Equipment. Today, I will discuss an  
22 overview of the ACR Subcommittee on June the 5th,  
23 2017.

24 In Section 3.71 and Sections 3.73 review,  
25 the evaluation Certified Seismic Design Response

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Spectra. The development of the target PSD function  
2 should be priority generated from the Design Response  
3 Spectra other than Reg Guide 1.0 spectral shapes. The  
4 functions of the verification verified directions and  
5 development base on one-time scale of a horizontal  
6 target PSD function.

7 Acceleration time. Design time historic  
8 was found to be high-frequency consistent. Updated  
9 PSD function should be exceeded the minimal target of  
10 the PSD function.

11 In Section 3.72 review, the soil-structure  
12 interaction, SSI, sensitive study, the applicant  
13 evaluate the effects of separation of the soil from  
14 the sidewall since the two Poisson's Ratio and basemat  
15 uplift. The structure-soil-structure interaction  
16 analysis, SSI, the applicant performed an SSI analysis  
17 based on the embedding foundation configuration. The  
18 latter was pressure components for the SS, as well as  
19 the SS analysis, was higher than the dynamic soil  
20 pressure that was originally used in the design  
21 external below-grade wall in auxiliary building and in  
22 diesel or tank room.

23 The applicant re-evaluated the structure  
24 design in the external below-grade wall to consider  
25 the calculation, the maximum layer from the SSI

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis. The structure design Category I structure,  
2 the staff confirms the applicant methods for  
3 determining design adequate of the structure as  
4 consistent as NRC regulatory requirements.

5 Oxygen generator pressure load. The  
6 applicant determined that the structure integrity of  
7 the containment structure or the hydrogen pressure  
8 load meets the NRC regulatory requirements.

9 Ultimate Pressure Capacity. The applicant  
10 committed to using Reg Guide 1.216, Design and  
11 Acceptable Criteria to Determine the UPC of the  
12 Construction Containment.

13 Leak Chase Channel. The applicant  
14 committed to using the Leak Chase Channel system to  
15 monitor potential leak of the water from the RRWST.

16 Dynamic Lateral Earth Pressure. The  
17 applicant revised the structure analysis of auxiliary  
18 building and the DFOT to use a dynamic earth pressure  
19 obtained from the SSI analysis for governing the  
20 dynamic earth pressure.

21 In Section 3.85 and Section 3.74, the  
22 Tendon Gallery was included in the analysis design as  
23 part of NI component basemat. Waterproofing membrane  
24 would be used external below-grade horizontal and  
25 vertical surface of the structure of the APR1400

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 design.

2 The construction sequence in differential  
3 settlements. The applicant did not include a  
4 superstructure of the reactor containment building and  
5 auxiliary in the construction sequence evaluation and  
6 clearly do not determine the seismic type. The staff  
7 is currently addressing this issue.

8 Seismic instruction instrumentation.  
9 Seismic instruction instrumentation. In Section 3.92  
10 and Section 3.95 review, the dynamic test analysis  
11 Comprehension Vibration Assessment Program reported  
12 that APR1400 steam-generated for induced vibration  
13 reactor designs compared to System 80 reactors design.

14 The reactor pressure vessel internals.  
15 Comparisons were made between the APR1400 design and  
16 the CE System 80+ reactor design. The reactors, as  
17 designed, are similar.

18 In Section 3.10 and Section 3.12 review,  
19 the seismic dynamic qualification equipment verified  
20 procedures evaluate to affect the hard rock high-  
21 frequency response spectra. The applicant will update  
22 this procurement specification to address the staff  
23 audit findings.

24 Pipe analysis and support to identify the  
25 environmental assessment fatigue for reactor coolant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 loop piping have not been performed. It has since  
2 been completed and currently under review.

3 The staff requests that the applicant  
4 information regarding the structure fatigue piping and  
5 pipe support could be impacted by vibrations or water  
6 hammering, which could potentially originate from  
7 operating the safe injection tank and fluidic device.  
8 The staff has issued an RAI to the applicant.

9 In Section 3.62 and Section 3.3 review,  
10 the determination of a rupture location and dynamic  
11 effects associated with the postulated rupture of the  
12 pipe, piping. The evaluation of blast wave and  
13 potential feedback amplification and resonance effects  
14 remains open. The staff is having a public meeting  
15 tomorrow with the applicant to discuss this issue.

16 Leak before break. The staff questioned  
17 the PICEP input file for the surge line fluid  
18 temperature against what is provided in the DCD. This  
19 issue remained open.

20 MEMBER STETKAR: Tomeka, Remind me. I  
21 think they're proposing to apply leak before break to  
22 the entire reactor coolant system, plus any  
23 connections to it; is that correct? It's not just the  
24 pressurizer surge line.

25 MS. TERRY: Let me get my staff. Eric

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will answer that question for you.

2 MEMBER STETKAR: If you're going to say  
3 something, you have to come up to the microphone and  
4 identify yourself.

5 MR. SUNG: This is Ki Kwang Sung from  
6 KEPCO E&C. We apply it to everything in the surge  
7 line.

8 MEMBER STETKAR: Only the surge line or is  
9 it --

10 MR. SUNG: Surge line and shutdown cooling  
11 line, the lines more than the diameter, if the  
12 diameter is right and the 12 inches, we apply, except  
13 the main steam line.

14 MEMBER STETKAR: What I was trying to  
15 refresh my memory, and I think I found it, it's the  
16 leak before break is applied to reactor coolant loop  
17 piping, hot leg and cold leg surge line, direct vessel  
18 injection line, and shutdown cooling line. Is that  
19 accurate?

20 MR. REICHELT: This is Eric Reichelt from  
21 the staff. That is correct.

22 MEMBER STETKAR: That is correct. Okay,  
23 thank you.

24 MS. TERRY: And Section 3.91 and Section  
25 3.93 review, special topics for mechanical components.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DPVIB computer program. The staff found the output of  
2 the DPVIB is in agreement with the test data. DPVIB  
3 computer program is added into the DCD Tier Two.

4 AC is in ASME Code Class One, Two, and  
5 Three components supports. Core support structure.  
6 Loading combination of the ASME Code Class One, Two,  
7 and Three. Components and component support conforms  
8 to ASME BPV Code, Section III.

9 In Section 3.96 review, the function  
10 design qualification and IST program. The staff  
11 conducted an audit to design specification APR1400  
12 components in accordance with 10 CFR 52.47. The DCD  
13 description of the IST program based on ASME OM Code  
14 as incorporated in 10 CFR 50.55(a) and referred to the  
15 CO application. The staff would confirm by reviewing  
16 the DCD Revision 1.

17 In Section 3.11 review, the environmental  
18 qualification mechanical and electrical equipment.  
19 The staff reviewed the environmental qualification of  
20 the mechanical and electrical equipment to verify the  
21 equipment is capable of performing its design function  
22 under all normal environment conditions, the accident  
23 and post-accident environmental conditions.

24 Equipment qualification radiological. The  
25 accident doses are based on most limit design basis

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accidents for each area of the plant. Remaining  
2 outstanding issues including the doses within the AB  
3 during accidents do not appear to be adequate  
4 considering radiations throughout containment  
5 penetration. The staff requested the applicant  
6 provide additional information regarding how some of  
7 the post accidents gamma doses react rate information  
8 was determined.

9 This completes my presentation.

10 MEMBER BALLINGER: With regard to the last  
11 slide, well, slide number 11, I guess, that's request  
12 for additional information. Has that information been  
13 supplied? Is this closed?

14 MS. TERRY: No, it's not closed.

15 MEMBER BALLINGER: Not closed.

16 MS. TERRY: The staff has -- actually, the  
17 applicant has provided some additional information  
18 recent, last week, and the staff is reviewing that  
19 information.

20 MEMBER BALLINGER: So it's still an open  
21 item?

22 MS. TERRY: Yes, that is correct.

23 MEMBER BALLINGER: Thank you.

24 MR. WUNDER: Good afternoon, Mr. Vice  
25 Chairman and gentlemen of the Committee. I'm George

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Wunder, and I'm the project manager assigned to  
2 Chapter 4 --

3 MEMBER BALLINGER: George, you need a  
4 green light.

5 MR. WUNDER: Thank you. I'll start again.  
6 Good afternoon, Mr. Vice Chairman and gentlemen of the  
7 Committee. I'm George Wunder, and I am the project  
8 manager assigned to Chapter 4, Reactor, for the  
9 APR1400 design certification review.

10 Staff's review of Chapter 4 addressed fuel  
11 system design, nuclear design, thermal and hydraulic  
12 design, materials, and reactivity control. We  
13 presented this chapter to the APR1400 subcommittee in  
14 February and, at that time, there were five open  
15 items. Two of these were associated with topical or  
16 technical reports in the area of fuel design. One was  
17 associated with our review of the instrumentation and  
18 control system and two related to materials. We had  
19 no staff actions for this chapter as a result of the  
20 subcommittee meeting.

21 Next slide, please. Our subcommittee  
22 presentation on fuel system design focused on the  
23 challenges we faced in the areas of burnup-dependent  
24 thermal conductivity degradation and fuel assembly  
25 structural design. In the applicant's original

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       submittal, thermal conductivity degradation was not  
2       modeled, and this led the staff to be concerned about  
3       GDC 10 compliance. Burnup-dependent TCD is being  
4       addressed through a topical report. We expect the  
5       final revision of the topical report to be available  
6       to the staff for review by the end of the month.

7               We have an aggressive review schedule.  
8       Our due date for phase four input for this chapter is  
9       mid-September, but, if the revised topical is of good  
10      quality, we may be able to finish the review by the  
11      end of August.

12             MEMBER POWERS: Excuse me. Back to slide  
13      12 of the five open items. Are they still open?

14             MR. WUNDER: Two of them are closed, those  
15      associated with materials. And I believe the rest are  
16      still open.

17             MEMBER POWERS: Okay. Thank you.

18             MR. WUNDER: Okay. In the area of  
19      structural response, the staff noted that the  
20      applicant did not rigorously adhere to the referenced  
21      methodology, and this called into question the load  
22      limit determination for the PLUS7 fuel. The applicant  
23      has developed a test program for the fuel for both the  
24      beginning of life and end of life conditions. The  
25      staff has conducted audits of the testing. Final

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 technical and topical reports are expected by the end  
2 of the month. With an aggressive review, we may be  
3 able to complete the phase four evaluation by the end  
4 of next month.

5 Next slide, please.

6 MEMBER POWERS: Does aggressive mean  
7 sloppy?

8 MR. WUNDER: Never, never. Thorough  
9 always.

10 MEMBER POWERS: How do you do something  
11 more aggressively? Everybody works 16 hours a day or  
12 . . .

13 MR. WUNDER: They take very few breaks.  
14 Regarding nuclear design, the staff identified  
15 challenges in the area of control rod work depletion,  
16 the benchmarking of the nuclear design methodology,  
17 and the data associated with the nuclear design  
18 methodology. The staff conducted a series of audits  
19 of various calculations. The staff also conducted its  
20 own confirmatory criticality analysis.

21 As a result of its efforts, the staff was  
22 able to determine that all applicable design criteria  
23 had been met. The staff further concluded that the  
24 data and methodology employed are acceptable and are  
25 benchmarked appropriately. The staff's conclusions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are supported by its own confirmatory analysis.

2 And the next slide, please. In our  
3 February presentation of the review of the thermal and  
4 hydraulic design, we talked about the many technical  
5 reports that we were reviewing in support of our  
6 Chapter 4 review. We noted challenges in the area of  
7 the core protection calculator system and the  
8 statistical combination of uncertainties.

9 Regarding CPCS, the APR1400 design is  
10 based on the approved System 80+ design, but the staff  
11 found the documentation in the System 80+ DCD did not  
12 provide enough information to resolve all of their  
13 questions. As a result, the staff conducted an audit  
14 and located the needed combustion engineering  
15 references. The staff determined that system  
16 functionality is based on changes that have been made  
17 and approved and implemented for the Palo Verde  
18 Nuclear Generating Station.

19 Regarding the statistical analyses, the  
20 staff determined that the methodology employed by the  
21 applicant does not conform to Regulatory Guide 1.105  
22 Rev 3. This is an open item and is being resolved  
23 through the staff's review of Chapter 7,  
24 Instrumentation and Control Systems.

25 MEMBER SKILLMAN: George, should we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 interpret the comment that you made relative to the  
2 Palo Verde site that the data for Palo Verde is  
3 identical to and will be used for the APR1400?

4 MR. WUNDER: I'd like to defer to, I  
5 think, Jim Gilmer for that one.

6 MR. GILMER: Good afternoon. Jim Gilmer,  
7 Reactor Systems Branch. Your question on the data for  
8 Palo Verde, the specific data will be developed during  
9 startup, as it was recently for the APR1400 design.  
10 I'm not sure if you, I grasped your question or . . .

11 MEMBER SKILLMAN: No, your response does  
12 not answer my question. George Wunder made the  
13 comment that, after locating the Palo Verde  
14 information, that this issue seems to have been  
15 resolved. And so my question is is the Palo Verde  
16 information identical to and will be used for the  
17 APR1400 design?

18 MR. GILMER: Okay. There were actual  
19 topical reports created for Palo Verde that are  
20 relevant to the APR1400, and some of these were also  
21 part of the CPC improvement that was also found in  
22 other plants. So these topical reports we are now  
23 making incorporated by reference in the APR1400 DCD.  
24 The actual data that will be used will be during  
25 startup testing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SKILLMAN:   Fair enough.   Okay,  
2                   thank you.   Thank you, George.

3                   MR. WUNDER:   Yes, sir.   Let me have the  
4                   next slide, please.   Our February discussion of  
5                   materials focused on material fabrication, controls on  
6                   welding, non-destructive examination, the use of  
7                   austenitic stainless steel, and degradation  
8                   mechanisms. We identified open items in the areas and  
9                   materials specification for the Versa Vent and in  
10                  operating experience as justification for CRDM venting  
11                  during refueling to keep oxygen levels low.

12                  The applicant responded to the RAIs  
13                  associated with these open items back in January. And  
14                  since the subcommittee meeting, we have been able to  
15                  determine that the responses satisfy the staff's  
16                  concern. We now find that all applicable regulatory  
17                  criteria have been met, and Section 4.5 may now be  
18                  closed.

19                  Next slide, please.   With regard to  
20                  reactivity control, the staff looked at control rod  
21                  drive system functionality, environmental  
22                  qualifications, CRDS cooling, single faults testing,  
23                  and system performance. The staff did not identify  
24                  any open items. The staff determined that all  
25                  applicable general design criteria have been met and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 further determined that the CRDS testing requirements  
2 and technical specifications are appropriate.

3 This concludes our presentation on Chapter  
4 4. If there are no questions, I will now turn it over  
5 to, oh, to myself for Chapter 9. And the next slide,  
6 please.

7 Good afternoon. I am still George Wunder,  
8 and I am the project manager assigned to Chapter 9,  
9 Auxiliary Systems.

10 The auxiliary systems can be divided into  
11 fuel storage and handling systems, water systems,  
12 process auxiliaries, heating, ventilating, air  
13 conditioning systems, and other auxiliary systems. I  
14 think the first draft of our safety evaluation  
15 contained about 25 or 30 open items. The safety  
16 evaluation we presented to support the May  
17 subcommittee meeting contained several open items.  
18 However, by the time we actually met with the  
19 subcommittee, I think that we had whittled it down to,  
20 I believe, five open items. There were no staff  
21 actions related to the, no staff actions on Chapter 9  
22 as a result of the subcommittee meeting.

23 Next slide. Fuel storage and handled  
24 looked at criticality safety, spent fuel pool cooling  
25 and clean-up, and the handling of light and heavy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 loads. With respect to criticality safety, the staff  
2 found that the applicant used appropriate and accurate  
3 methodologies and models. The applicant analysis  
4 demonstrate compliance with the appropriate design  
5 criteria and regulations and that the staff's  
6 independent calculations confirm the applicant's  
7 analyses. An open item associated with TCD remains to  
8 be resolved, and, of course, we have to see the  
9 outcome of the fuel rack seismic analysis and make  
10 sure that no open items arise as a result of the staff  
11 review of Section 9.1.2.

12 With regard to spent fuel pool cooling and  
13 clean-up and load handling, the staff found that the  
14 system designs appear to be capable of meeting the  
15 stated design objectives. The staff is reviewing a  
16 bounding thermal analysis, and this should close the  
17 remaining open item.

18 Next slide, please.

19 MEMBER KIRCHNER: George, I missed in the  
20 SER the TCD thing that you mentioned. My intuition  
21 would tell me that TCD wouldn't be a big factor for  
22 the fuel pool. What was the issue there?

23 MR. WUNDER: Oh, I think that that goes to  
24 the fuel criticality analysis, doesn't it? I don't  
25 know if -- think this might be an Alex question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KIRCHNER: There is a margin in the  
2 heat transfer space. That shouldn't be an issue. I  
3 just missed why TCD would be a factor.

4 MR. WUNDER: We're going to have to unmute  
5 the phone.

6 MR. LU: Shanlai Lu from staff. Actually,  
7 what we're looking to is really the spectrum change,  
8 so, based on the information, based on whether that's  
9 a minor change --

10 MS. BURJA: Is it possible to unmute the  
11 line?

12 MEMBER BALLINGER: You're off mute now,  
13 Alex.

14 MS. BURJA: Okay, great. Sorry. I also  
15 wanted to --

16 MEMBER STETKAR: Before you start,  
17 identify yourself by name and organization.

18 MS. BURJA: This is Alex Burja from  
19 Reactor Systems.

20 MEMBER STETKAR: Thank you. Go on.

21 MS. BURJA: Okay. So to add to what  
22 Shanlai was saying, KHNP credits burnup in region two  
23 of the spent fuel racks, and one of the assumptions  
24 that goes into that is the maximum fuel temperature  
25 during operation because that will ultimately affect

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the reactivity of the fuel assemblies. So what we  
2 need to do for this review in terms of the TCD is to  
3 make sure that the effect of TCD didn't invalidate the  
4 maximum fuel temperature assumption for the  
5 criticality analysis. Does that answer your question?

6 MEMBER KIRCHNER: Yes. I would expect it  
7 to be small, but thank you.

8 MS. BURJA: Yes.

9 MR. WUNDER: Thank you, Alex.

10 MS. BURJA: You're welcome.

11 MR. WUNDER: And the next slide, please.  
12 Staff's review of water systems included the essential  
13 service water system, component cooling water system,  
14 domestic water and sanitary system, ultimate heat  
15 sink, condensate, storage facilities, and chill water  
16 system. The staff reviewed for compliance with the  
17 applicable design criterion regulations and concluded  
18 that the applicable GDCs are satisfied and regulations  
19 met. The staff concluded that there are no open items  
20 in this area.

21 Staff review of process auxiliaries  
22 included the compressed air and gas system, post-  
23 accident sampling system, equipment and floor drains,  
24 and chemical and volume control system. Staff  
25 reviewed for compliance with the relevant design

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 criteria and regulations, as well as the appropriate  
2 regulatory guides. The review concluded that the  
3 design criteria satisfied and the regulations met, and  
4 the staff concluded that there are no open items in  
5 this section.

6 The staff's review of heating,  
7 ventilating, and air conditioning systems included the  
8 HVAC systems for the control room, spent fuel pool  
9 area, turbine area, engineered safeguard features  
10 areas, containment, and compound building. The staff  
11 reviewed for compliance with the applicable GDCs and  
12 regulations and found that the GDCs are satisfied and  
13 the regulations are met. The staff determined that  
14 there are no open items in this area.

15 Finally, the staff --

16 MEMBER BALLINGER: Back to the previous  
17 slide, 23. It says staff identified two open items.

18 MR. WUNDER: We're a slide ahead. That's  
19 the one I'm on now.

20 MEMBER BALLINGER: Oh, okay.

21 MR. WUNDER: The staff's review of Section  
22 9.5 included the fire protection, communications,  
23 lighting, and EDG support systems, as well as the gas  
24 turbine generator system. The staff identified two  
25 open items associated with the communications system.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We have issued RAIs to address the open items. For  
2 the remaining sections, the staff has determined that  
3 the applicable design criteria and regulations have  
4 been met and there are no other open items.

5 This concludes our presentation on Chapter  
6 9. I would now like to turn it over to Jim Steckel  
7 for his presentation on Chapter 15. Jim.

8 MR. STECKEL: This is Jim Steckel. Good  
9 afternoon, everyone. I'm here to discuss where we are  
10 with Chapter 15. Could I have the next slide, please?

11 Just as a small recap, these were our  
12 approaches to the review. We focused on the changes  
13 implemented into the APR1400 design from the CE System  
14 80+ certified design and did an in-depth review of  
15 those safety issues identified after 1995 and provided  
16 overall coverage with the assistance of staff  
17 confirmatory analyses on selected areas. We  
18 identified potential issues early on and kept close  
19 communication with KHNP on our issue resolutions, and  
20 we continue to do that. And we used audits and on-  
21 site inspections to clarify certain issues.

22 Next slide. For Section 15.0, staff and  
23 KHNP have worked together on these two open items.  
24 One is boron dilution during LOCA. Long-term cooling  
25 responses have been submitted, and staff is in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 process of updating the SER. And the second issue is  
2 the TCD. This has an impact on several FSAR sections.  
3 KHNP has just submitted the initial round of new  
4 calculations. Staff will meet with KHNP to review the  
5 details of the new calculations, and it is expected  
6 that the issue can be resolved according to the  
7 current SER schedule.

8 For 15.02, transient and accident analysis  
9 methods, the staff reviewed dozen of transient and  
10 accident computer codes. All were found acceptable  
11 except the pending large break LOCA topical report,  
12 and that review is scheduled to be completed this year  
13 and brought in front of the ACRS in December.

14 And for 15.03, radiological consequences,  
15 the calculated off-site dose results are acceptable,  
16 except for an open item regarding the control room and  
17 TCD dose results, and those are under review.

18 Next slide, please. For 15.1 and 15.2,  
19 these areas cover the increase or decrease in heat  
20 removal by the secondary system. The staff finds that  
21 the system response and analyses results are  
22 acceptable. 15.3, decrease in reactor coolant system  
23 flow rate. The system responses are considered  
24 acceptable and staff confirmatory analysis using  
25 TRACE/PARCS codes compare favorably in terms of major

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 trends in overall system behavior. And Section  
2 15.4.1-4, 15.4.1 through 15.4.4, reactivity and power  
3 distribution anomalies and startup of an active  
4 reactor coolant pump. The system responses are  
5 considered acceptable.

6 Next slide, please. 15.4.6, inadvertent  
7 decrease in boron concentration. The system response  
8 is acceptable, except for two open items. There's one  
9 open item questioning the conservative dilution times  
10 based on the complete mixing model for modes four and  
11 five with only one shutdown cooling pump in service.  
12 And the second open, in the second open we're  
13 questioning the CEA withdrawal event analysis  
14 assumptions.

15 15.4.7, inadvertent loading and operation  
16 of a fuel assembly in an improper position. The  
17 system response was considered acceptable. And  
18 15.4.8, spectrum of Control Element Assembly Ejection  
19 Accidents. The system response is acceptable, except  
20 for the open item related to TCD.

21 Next slide, 15.5. In Sections 15.5,  
22 15.6.1, and 15.6.2 and 15.6.3, these cover the  
23 transient of the increase of reactor coolant  
24 inventory, along with inadvertent opening of a  
25 pressurizer pressure relief valve, failure of a small

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 line carrying primary coolant outside the containment,  
2 and steam generator tube rupture results. The staff  
3 finds the system responses analyses results  
4 acceptable.

5 And loss of coolant accident, 15.6.5, this  
6 section covers the loss of coolant accident and long-  
7 term cooling. The staff has a pending item for the  
8 large-break LOCA topical report review. For small  
9 break LOCA, all analyses are found acceptable except  
10 one open item regarding the justification of upper-  
11 bound break size selections. The staff has performed  
12 extensive review on the long-term core cooling  
13 analyses and testing. In particular, staff performed  
14 an on-site audit and inspection on KHNP's in-vessel  
15 downstream effects testing and their analyses. The  
16 final results submitted by KHNP are found acceptable,  
17 except for the open item on the loss of coolant  
18 accident deposition model, the DM model.

19 And, finally, the latest material  
20 submitted by KHNP on the LOCA DM model is being  
21 reviewed. The open items of loop seal clearing and  
22 boron dilution are being resolved.

23 And the final slide, please. For 15.7,  
24 radioactive material release from sub-system or  
25 component, the dose analyses are acceptable with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 respect to off-site consequences, but the response to  
2 the applicant's control room and TSC dose results  
3 remain under review at this time. And for 15.8,  
4 Anticipated Transient Without Scram, the evaluation is  
5 considered acceptable and our SER is being updated.

6 And this concludes our slide presentation.  
7 Are there questions?

8 MEMBER KIRCHNER: Jim, one of your  
9 colleagues, well, Clifford is working on a revised reg  
10 guide for reactivity-initiated accidents, and there  
11 are a number of plots in that guide that's out for  
12 public comment. I think maybe that is coming to an  
13 end. It's DG-1327. Where I'm going with this is that  
14 the plots that are there show burnup effects either  
15 measured in hydrogen uptake or other parameters that  
16 significantly lower the thresholds that are defined  
17 for failure below the 230 calories per gram that was  
18 cited in the applicant's analyses and just, one, are  
19 you aware of that; and, two, are you looking at the  
20 burnup effects that might impact that acceptance in  
21 terms of peak fuel . . .

22 MR. STECKEL: Someone much more familiar  
23 with it will answer. Shanlai Lu, please.

24 MR. LU: Shanlai Lu from Reactor System  
25 staff. We are aware that the reg guide will work.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 That's the way you know that there is a burnup effect  
2 on that and that that's the reason, as part of a TCD  
3 actually, which is, you know, burnup dependent and  
4 then have a temperature history there, too. So,  
5 therefore, that's one of the items related to this  
6 section which related to radioactivity accident  
7 analysis, and that's an item in KHNP priority working  
8 on that and then we are supposed to get the results  
9 from that.

10 MEMBER KIRCHNER: That's what we'll see in  
11 July?

12 MR. LU: Yes.

13 MEMBER KIRCHNER: Thank you.

14 MEMBER BALLINGER: I have one final  
15 question, at least for me, and that is in these  
16 chapters, of all the open items, is there any  
17 anticipation that there will be an issue with respect  
18 to closing the open items for any of these chapters?

19 MR. STECKEL: Given enough time. No,  
20 we're determined to stick with this schedule without  
21 being sloppy, and we have paths forward on all the  
22 items, at least for 15.

23 MEMBER BALLINGER: But what about the  
24 other chapters? I'm asking that to everybody.

25 MR. WUNDER: We have paths forward and, if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the responses that we receive are responsive to our  
2 questions and of reasonable quality, then, yes, we  
3 don't see any problems. I would like to raise one --  
4 well, I don't want to call it an exception, but we  
5 have not yet presented to you a phase two for Section  
6 9.1.2. So there has, we have a path forward on that,  
7 but we're going to present only a phase four product  
8 to you.

9 MEMBER BALLINGER: Okay.

10 MS. TERRY: For Chapter 3, we don't see an  
11 anticipation of anything going to hold us up from our  
12 schedule. We have a couple of RAI responses that  
13 we're getting back from the applicant as we speak now,  
14 so the staff is reviewing some things. I don't see  
15 any major road blockage at this point right now. I  
16 know we had that one issue with the jet impingement,  
17 which we have a public meeting tomorrow to discuss  
18 that information and, hopefully, it will give us what  
19 we need to move forward with our review.

20 MEMBER BALLINGER: Thank you. Questions  
21 from the Committee, others? While we're getting the  
22 bridgeline open, are there any questions from the  
23 audience? Hearing none -- oh.

24 MR. SISK: Yes, I just wanted to get back,  
25 we took an action to get back to a question during our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 session about the pressure purge that I just want to  
2 get on the record that we did take a look at the  
3 operating experience and, although plants varied  
4 across the board typically relative to the operation  
5 of low-pressure purge, looking at Member Stetkar's  
6 spectrum of never operating to 100 percent typically,  
7 typically, our values are in the neighborhood of about  
8 one to two hours a month to give you an idea of an  
9 operating cycle. During an operating cycle, averaging  
10 about one to two hours a month for the low-pressure  
11 purge.

12 MEMBER STETKAR: Thank you.

13 MEMBER BALLINGER: The bridgeline is open.  
14 Is there any comments from members of the public?  
15 Hearing none, thank you very much for your  
16 presentations, and we'll turn the meeting back over to  
17 Mr. Vice Chairman.

18 VICE CHAIR CORRADINI: We don't have a  
19 closed session you want to go into on the schedule?

20 MEMBER BALLINGER: No.

21 VICE CHAIR CORRADINI: Okay. So why don't  
22 we thank the staff and KHNP, and we'll take a break  
23 until ten of, and we'll come back and read a letter,  
24 somebody's letter. And we'll go off the record.

25 (Whereupon, the foregoing matter went off

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the record at 2:39 p.m. and went back on  
2 the record at 3:59 p.m.)

3 CHAIRMAN BLEY: We are back in session.  
4 At this time, I'm going to turn the meeting over to  
5 Jose March-Leuba for the discussion of the PAD5 work.

6 MEMBER MARCH-LEUBA: Right. Before we  
7 start, this is a closed session, so we want to make  
8 sure, number one, that the door is closed and that  
9 somebody make sure that there is nobody here that is  
10 not supposed to be. We're supposed to have one  
11 member from PNNL on the phone.

12 MR. GEELHOOD: Yes, I'm on the phone.

13 MEMBER MARCH-LEUBA: And you're on the  
14 closed line. Okay, perfect. So are we set?

15 (Whereupon, the foregoing matter went off  
16 the record and into closed session at 4:00  
17 p.m.)

18

19

20

21

22

23

24

25

# SOUTH TEXAS PROJECT



Advisory Committee on Reactor Safeguards License Renewal  
Full-Committee Meeting July 12, 2017

Dave Rencurrel  
Senior Vice President Operations

# Agenda

- Introductions
- Station Ownership and Operation
- Site and Station Description
- License Renewal Application and Aging Management Programs
- Closure of Safety Evaluation Report Open Item
- Closing Remarks

# Introduction

## PERSONNEL IN ATTENDANCE

Dave Rencurrel	Senior Vice President Operations
Michael Murray	Manager Regulatory Affairs
Ron Gibbs	Manager Operations
Arden Aldridge	License Renewal Project Lead
Plant Staff	AMP Subject Matter Experts, Design Engineering Manager, Licensing, & Specialty Consultants

# Station Ownership and Operation

Operated by STP Nuclear Operating Company (STPNOC)

STP Units 1 and 2 are owned by:

- NRG South Texas LP
- The City Public Service Board of San Antonio (CPS Energy)
- The City of Austin, Texas (COA)




# Plant History & Major Investments

<b>South Texas</b>	<b>Unit 1</b>	<b>Unit 2</b>
Initial License	August 21, 1987	Dec 16, 1988
Steam Generator Replacement	2000	2002
Low Pressure Turbine upgrade	2006	2004
Replaced RX heads	2009	2010
Main Generator Stator rewind	2014	2012
Mechanical Stress Improvement Process(MSIP) (H/C leg nozzles)	2017	2019
Expiration of current License	August 20, 2027	Dec 15, 2028

# Site and Station Description

Ron Gibbs  
Manager Operations

# SITE DESCRIPTION



# STATION DESCRIPTION



# License Renewal Application

Arden Aldridge  
License Renewal Project Lead

# License Renewal Application

License Renewal Application (LRA) submitted to NUREG 1801 rev 1	10/2010
NUREG 1800 and 1801 Revision 2 issued	12/2010
Annual Updates 2014, 2015, 2016, 2017	2014-2016
Issued safety evaluation report (SER) with open item	10/2016
ACRS Subcommittee meeting	11/2016
Issued final safety evaluation report (SER)	6/2017
ACRS Full Committee meeting	7/2017



# GALL Consistency

**Consistency Table**

AMPS	AMPS Consistent	AMPS Consistent with Enhancements	AMPS Consistent with Exception & Enhancements	AMPS with Exceptions	Plant Specific
New (8)	3			4	1
Existing (33)	4	13	12	1	3
Total AMPS (41)					

# License Renewal Commitments and Implementation

License Renewal commitments – 47 total

License Renewal commitments are included in UFSAR Supplement (Appendix A to the LRA) and managed through the STP Licensing Commitment Management and Administration processes.



# Safety Evaluation Report

## Since the ACRS Sub committee meeting:

- Clarified Selective Leaching of Aluminum Bronze Aging Management Program to close the SER open item:
  - Use Non-Destructive Examination to manage the age related degradation of aluminum bronze material and welds.
  
- Revised Steam Generator Aging Management Program to:
  - Incorporate LR-ISG-2016-01, “Changes to Aging Management Guidance for Various Steam Generator Components”
  
- Updated Bolting Integrity and External Surfaces Monitoring Aging Management Programs to:
  - Use inspection methods that detect leakage associated with closure bolting located in air-filled and gas-filled systems.

# Closing Remarks

Dave Rencurrel  
Senior Vice President Operations



# **Advisory Committee on Reactor Safeguards Full Committee Meeting**

July 12, 2017

**South Texas Project, Units 1 and 2  
Final Safety Evaluation Report (SER)**

Lois M. James, Senior Project Manager  
Office of Nuclear Reactor Regulation

# Presentation Outline

- **Overview of South Texas Project (STP) license renewal review**
- **Closure of Open Item (OI)**
  - OI 3.0.3.3.3-2: Insufficient details provided regarding applicant's Selective Leaching of Aluminum Bronze Aging Management Program
- **Conclusion**

# Review Milestones

- **License Renewal Application received  
October 28, 2010**
- **Safety Evaluation Reports (SERs) with Open Items  
issued February 15, 2013 and October 14, 2016**
- **ACRS License Renewal Subcommittee meeting  
held November 18, 2016**
- **Final SER issued June 8, 2017**

# SER Section 3

## 3.0.3 - Aging Management Programs (AMPs)

### Applicant's Disposition of AMPs

- 8 new programs
  - 3 consistent
  - 4 consistent with exceptions
  - 1 plant specific
- 32 existing programs
  - 6 consistent
  - 13 consistent with enhancements
  - 3 consistent with exception
  - 8 consistent with enhancements and exceptions
  - 2 plant specific with enhancements
- 1 existing program added
  - 1 plant specific

### Final Disposition of AMPs in Final SER

- 8 new programs
  - 3 consistent
  - 3 consistent with exceptions
  - 1 consistent with enhancements and exceptions
  - 1 plant specific
- 33 existing programs
  - 4 consistent
  - 13 consistent with enhancements
  - 1 consistent with exceptions
  - 12 consistent with enhancements and exceptions
  - 3 plant specific

# SER Section 3

## Open Items Closed

**OI 3.0.3.3.3-2:** Insufficient details provided regarding applicant's Selective Leaching of Aluminum Bronze AMP.

- **Concern:**
  - The AMP did not adequately address corrective actions associated with inspection results demonstrating that structural integrity requirements would not be met.
- **Resolution:**
  - The program has been revised to address the open item.

# Overview

Applicant developed a plant-specific aging management program to address selective leaching of aluminum bronze in its essential cooling water system.

Loss of material due to selective leaching of aluminum bronze can occur when:

- Aluminum content is greater than 8%
- The slow cool down rate of the casting or weld promotes formation of the susceptible  $\beta$  and  $\gamma$ -2 (lattice structure) phases
- The  $\alpha$  phase is not susceptible

At STP:

- Susceptible castings ~ 350
- Susceptible welds (filler metal Al content) ~ 3400
- Piping material is not susceptible



# Overview, cont.

- Since 1987 through 2015: 55 through-wall casting defects have occurred as a result of loss of material due to selective leaching.
- Since 1989 and progressing through 1994: 7 leaks in welds with backing rings. These leaks originated from weld defects that in most cases, progressed in part due to selective leaching.
- Based on testing by the applicant, the root pass of the weld is less susceptible to loss of material due to selective leaching because:
  - Faster cool down rate
  - Lower aluminum content

Applicant significantly revised the AMP in 2016:


- Susceptible cast components will be replaced.
- Susceptible welds joining nonsusceptible piping components will not be replaced.

# TOFD UT Inspections

Time of flight diffraction ultrasonic method

- Detects circumferential extent and depth of dealloyed material (selective loss of aluminum from the lattice structure) within the inspection volume.
- The STP plant-specific procedure was developed in accordance with ASME Section V
- Staff review of the STP TOFD UT method
  - Validation tests
  - Implementation procedures
  - Personnel requirements

# Corrective Actions



# Summary

The increased inspections provide the applicant with prompt insight into the extent of loss of material due to selective leaching:

- Number of other affected welds
- Extent of degradation within the welds.

This information will be used to assess Technical Specification operability of the system.

# Conclusion

On the basis of its review, the staff determines that the requirements of 10 CFR 54.29(a) have been met for the license renewal of STP, Units 1 and 2.