

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title:           Advisory Committee on Reactor Safeguards  
                  Thermal Hydraulic Phenomena Subcommittee  
                  Open Session

Docket Number:   (n/a)

Location:           Rockville, Maryland

Date:               Monday, August 21, 2017

Work Order No.:   NRC-3236

Pages 1-95

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

THERMAL-HYDRAULIC PHENOMENA SUBCOMMITTEE

+ + + + +

MONDAY

AUGUST 21, 2017

+ + + + +

OPEN SESSION

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear  
Regulatory Commission, Two White Flint North, Room  
T2B1, 11545 Rockville Pike, at 8:30 a.m., Jose  
March-Leuba, Chairman, presiding.

COMMITTEE MEMBERS:

JOSE MARCH-LEUBA, Chairman

RONALD G. BALLINGER, Member

MICHAEL L. CORRADINI, Member\*

WALTER L. KIRCHNER, Member

JOY L. REMPE, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

## ACRS CONSULTANT:

KORD SMITH

## DESIGNATED FEDERAL OFFICIAL:

ZENA ABDULLAHI

## ALSO PRESENT:

HEUMING CHOW, AREVA\*

KEN GEELHOOD, PNNL\*

RALPH GRUMMER, AREVA

KEVIN HELLER, NRR

JOSH KAIZER, NRR

ALAN MCGINNIS, AREVA

TOM MICHENER, PNNL

DOUG PRUITT, AREVA

KEVIN QUICK, AREVA

JONATHAN ROWLY, NRR

ANDREA D. VEIL, Executive Director, ACRS

REED ANZALONE, NRR

\*Present via telephone

CONTENTS

Opening Remarks .....4  
Introduction to ANP-10300P, AURORA-B..... 6  
Overview of NRC Staff's Review .....32  
Opportunity for public comment.....60  
Adjourn.....61

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

## P R O C E E D I N G S

(8:30 a.m.)

1  
2  
3 CHAIRMAN MARCH-LEUBA: Okay, so we're  
4 going to start, okay? Even though we don't have a court  
5 reporter, everything is being recorded, so make sure  
6 you talk to the microphone because there is nobody to  
7 tell us that they're not listening.

8 We're in session now. This meeting will  
9 come to order. This is a meeting on the  
10 thermal-hydraulic subcommittee advisory committee on  
11 reactor safeguards. I am Jose March-Leuba,  
12 subcommittee chair of the AURORA-B topical report  
13 review.

14 ACRS members in attendance today are Walt  
15 Kirchner, Joy Rempe, and Ron Ballinger. Member  
16 Corradini is joining us through teleconference. We  
17 also are supposed to have here with us Dr. Kord Smith  
18 as a consultant, which hopefully will come a little  
19 later, and Zena Abdullahi is the designated federal  
20 official for this meeting.

21 The topic of this information meeting is  
22 AREVA's topical report ANP-10300P entitled, "AURORA-B:  
23 An Evaluation Model for Boiling Water Reactors;  
24 Application to Transient and Accident Scenarios." The  
25 according staff review is limited to application of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 the AURORA-B evaluation framework to transients and  
2 (inaudible) which is intended to be applicable to  
3 (inaudible) plants up to the extended operating power  
4 flow main which includes CPU.

5 Today the staff, AREVA, and their  
6 consultants will brief us on the AURORA-B evaluation  
7 framework, the supporting modifications, and the basis  
8 for the safety findings. Part of this committee  
9 meeting is closed to the public in order to protect  
10 information that is proprietary to AREVA.

11 We have one bridge line arranged for  
12 interested members of the public to listen in. In order  
13 to minimize noise, this line will be kept in mute.  
14 At the end of the open portion of the meeting, we will  
15 request if anyone listening would like to make any  
16 comments.

17 We have received no written comments or  
18 requests for time to make oral statements from members  
19 of the public regarding today's meeting. A separate  
20 closed bridge number is available for Member Corradini  
21 of NRC and AREVA staff and consultants.

22 Everybody, please place your phones in mute  
23 to minimize interference during the meeting. As the  
24 being is being transcribed, I request that the  
25 participants use the microphones located in this room

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 while addressing the subcommittee. Participants  
2 should first identify themselves and speak with  
3 sufficient clarity and volume so that they can be really  
4 heard.

5 Typically, when the court reporter is  
6 sitting in that corner, you don't have to identify  
7 yourselves because you have a name, but because we want  
8 to record it, please identify yourselves at least the  
9 first couple of times. Afterwards, they will know  
10 depending on which microphone comes - each microphone  
11 has a different tape recorder.

12 Let me remind you to please ensure that  
13 all devices have been placed in silent mode to minimize  
14 disturbance of the meeting. We will now proceed with  
15 the meeting. I call upon Mr. Ralph Grummer? No,  
16 sorry, there's been a change, Jonathan Rowly from NRR  
17 will make some introductory remarks.

18 MR. ROWLY: Yes, good morning, Jonathan  
19 Rowly. I'm the project manager, AREVA project manager  
20 for the NRC. Before I actually hand it over to Shana  
21 Helton for opening remarks, I just want to let everybody  
22 know a few administrative things.

23 For our guests and visitors, you're on the  
24 second floor of Two White Flint North and you need to  
25 be escorted at all times. So if you need to leave the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 room for any reason, to use the restroom, answer a call,  
2 or get some water, or whatever it may be, please let  
3 a member of the staff know and we'll escort you out  
4 so that you can conduct whatever business that needs  
5 to be handled.

6 In case there is an alarm, we're going to  
7 go out in the hallway to your first right, and another  
8 right, there is a stairwell, and we're going to take  
9 the stairwell down. We're going to bypass the  
10 elevators and we're going to meet in front of One White  
11 Flint at the flagpole and account for everyone there,  
12 and then move away and do whatever we have to do  
13 according to what's going on.

14 Also, safety issues, there's a lot of  
15 people in the room, so be aware as you're walking around  
16 not to trip over anything or anyone's feet, so please  
17 be cautious as you move around the room, so thank you.

18  
19 As Chairman March-Leuba mentioned, please  
20 silence your cell phones. Put them on vibrate or  
21 whatever just so that if you do receive a call, we're  
22 not bothered during the meeting, so thank you.

23 MS. HELTON: Thank you, Jonathan. My name  
24 is Shana Helton. I'm the Deputy Division Director in  
25 the Division of Safety Systems in NRR, and I'll be making

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some opening remarks for us on this eclipse day. I  
2 see it's a full agenda for a full day's subcommittee,  
3 so I'd first like to thank everybody for being here.

4 I recognize it's probably a cloudy day, but I also  
5 recognize a lot of people are trying to avoid doing  
6 any sort of work related activities so they could get  
7 out and see the eclipse this afternoon, so I appreciate  
8 everybody being here.

9 Leading our AURORA-B AOO review, you'll  
10 be hearing from Dr. Kevin Heller today. He's sitting  
11 right behind me along with John Lehning, and I believe  
12 we'll also be hearing from Tom Michener from PNNL who  
13 is the technical group leader and provided some contract  
14 support for the evaluation of the topical report from  
15 AREVA.

16 Just to give you a broad overview of the  
17 AURORA-B topical report before we get into it, AURORA-B  
18 is what AREVA named their next generation multi-physics  
19 code system for the analysis of a wide array of transient  
20 and accident scenarios.

21 This is a suite of topical reports. Today  
22 we're just mainly focusing on the AOO topical, but this  
23 is - AURORA-B does refer to a suite of topical reports  
24 that the staff has for review right now.

25 It's an interdisciplinary review

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 encompassing a large number of scenario, and many of  
2 the models and methods that we're going to be discussing  
3 today are also used in the AURORA-B control rod drop  
4 accident and LOCA analyses. So you'll get kind of a  
5 snapshot of the entire suite today of the AURORA-B  
6 codes, and we'll focus in and do a deep dive on the  
7 AOO for the analysis of transients and some accident  
8 scenarios.

9 That's all I'll say. I'll make my opening  
10 remarks brief since it is a good agenda, and thank you  
11 again for your time.

12 PARTICIPANT: Could I ask a process  
13 question? I looked through the slides and I can't find  
14 a better place to do this, but how will updates be  
15 handled? I mean, you've mentioned there are a lot of  
16 components that are approved, but approved codes  
17 sometimes have errors and they do corrections, or they  
18 decide to update for whatever reason, and how do you  
19 assure that there's not some unknown interaction when  
20 you do an update for this higher level framework?

21 MS. HELTON: I think you're referring to  
22 in general a change process for topical reports. Is  
23 that what you're asking?

24 PARTICIPANT: Yeah, well, I mean, you've  
25 got a bunch of approved -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. HELTON: Right.

2 PARTICIPANT: - or soon to be approved  
3 components with a big high-level framework that will  
4 be approved with this action that we're doing now, or  
5 reviewing now, but what if the RELAP component, for  
6 example, they find errors in that sometimes I know from  
7 the years gone by and so they correct it, and then  
8 sometimes would that change make the interactions with  
9 the other codes, because there's this data being passed  
10 back and forth, and trigger some other problem, and  
11 how do you check that you've not messed up your higher  
12 level approved framework because one of the little  
13 components managed to trigger another component to go  
14 into an area that you didn't expect and you get an error?

15 MS. HELTON: I understand. I'll give it  
16 a shot and then I'll turn it over to staff to give a  
17 more detailed - in general, we don't have a - so I'll  
18 talk to the change process first, and then I think what  
19 your question is really getting at is for a suite of  
20 codes that are related, if you change one thing, does  
21 that change something else in something you've already  
22 approved?

23 PARTICIPANT: So you run through a bunch  
24 of test cases -

25 MS. HELTON: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: - for example, to say the  
2 higher level framework's still valid even though I found  
3 that error in Component A.

4 MS. HELTON: Got it, so for in general,  
5 we don't have a generic change process for topical  
6 reports yet, but we're starting to do them on a case  
7 by case basis by writing a change process into our safety  
8 evaluations for topicals.

9 This is an area that we've had some public  
10 dialogue on, I believe, in the context of the  
11 (inaudible) 500 or office instruction for reviewing  
12 topical reports. We had a discussion at the regulatory  
13 information conference last year and we want to move  
14 forward.

15 I think industry is interested in some sort  
16 of a generic change process, and that's certainly one  
17 of the types of issues that we need to look at as part  
18 of the change process. For this specific AOO topical  
19 which is part of this broader suite of AURORA-B codes  
20 and how we look at the interrelation, I think you've  
21 got something you want to say on that.

22 MR. LEHNING: Yeah, so this is John Lehning  
23 from the NRC staff. So we will talk a little bit, and  
24 not in a lot of detail, but toward the end of the day,  
25 we will touch on the change process a little bit and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 talk about what types of code changes are permissible  
2 under the topical report and safety evaluation.

3 In general, I'd say just until we get to  
4 that point, there's a quality assurance program that  
5 vendors use when they develop their codes that they  
6 use for regulatory actions.

7 So if it's an error or some such thing as  
8 that sort, then the quality assurance program would  
9 govern corrections. If the error or change was at such  
10 a level that it impacted the information in the topical  
11 report, like it may be a small issue -

12 CHAIRMAN MARCH-LEUBA: Please talk closer  
13 to the microphone.

14 MR. LEHNING: Sorry about that. If it  
15 doesn't really affect the outcomes of the validation  
16 and things like that, then that's different and probably  
17 wouldn't require something like a topical report  
18 update, but if it were something that caused the topical  
19 report validation or assessment cases to change, then  
20 that's something - and the demonstration analyses and  
21 the plan analyses to change, that's something that might  
22 be a supplement or something like that.

23 PARTICIPANT: So just to make sure I  
24 understand, so let's again pick on RELAP. They find  
25 an error. They correct it in RELAP, so they fix that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and it still goes through its validation cases and  
2 that's fine, but now since we have AURORA that relies  
3 on RELAP, S-RELAP, then you're going to have to run  
4 the AURORA validation cases too because both framework  
5 as well as the component will be impacted?

6 MR. LEHNING: That's correct. I mean -

7 PARTICIPANT: Good, okay.

8 MR. LEHNING: And it would be obviously  
9 - for different evaluation models under AURORA-B, you  
10 might use different model assumptions in some of these,  
11 for example, control rod drop, LOCA, and AOO. So it  
12 might be that one or more of them are affected, and  
13 so there would be an extended condition that would need  
14 to be done for any of the effected evaluation models  
15 to determine whether or not some change needs to be  
16 made.

17 PARTICIPANT: Great, thank you.

18 MS. HELTON: I'd just like to emphasize  
19 the point about Appendix B, so that's something that  
20 we're starting to look at more as a staff is the 10  
21 CFR Part 50 Appendix B. There's a number of criterion  
22 there, Criterion 3, Criterion 8.

23 Those would pull in topical reports, we  
24 think, so we're starting to look at more for a change  
25 process especially. With the change process, you want

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to make sure you have appropriate oversight, and that's  
2 kind of the link to oversight that we're looking at.

3 PARTICIPANT: Thank you.

4 CHAIRMAN MARCH-LEUBA: So following up on  
5 that topic, and sorry AREVA, we'll - let us while we  
6 have them on the microphone. Yeah, I'm also interested  
7 on this topic a lot because typically we think about  
8 (inaudible) causing errors, or you find that the  
9 correlation you put into (inaudible) when you meant  
10 (inaudible) six because you read it wrong from the  
11 paper.

12 But there's also other changes like  
13 improvements on correlations that you got new data from  
14 an experimental facility and you want to reuse the  
15 uncertainty because now you have better data. There  
16 has to be clarity from the staff at which point you  
17 allow them to run loose and use Appendix B for qualifying  
18 it, and we, the staff, review it to make sure it's okay.

19  
20 Because obviously if a correlation had a  
21 coefficient at this (inaudible) go ahead and change  
22 and run your validation and you're fine, but if you  
23 want to use new data, there has to be clarity from the  
24 staff what they can do and they cannot do because often  
25 they are making the decision themselves, and more often

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 than not, they tend to be too conservative because they  
2 don't want to be caught.

3 So if you guys, and you don't need to give  
4 me an answer now, but keep in mind there has to be clarity  
5 on what they're allowed to do and what they're not.

6 MS. HELTON: We agree.

7 CHAIRMAN MARCH-LEUBA: Okay, so with this  
8 in mind, now AREVA. I believe Ralph is going to make  
9 a presentation or Alan?

10 MR. MCGINNIS: I'm Alan McGinnis. I'm  
11 Licensing Manager for AREVA and I'm just going to make  
12 a couple of opening remarks. We want to thank the ACRS  
13 for having us here today and allowing us the opportunity  
14 to provide you with information to utilize in evaluating  
15 the staff's safety evaluation for AURORA-B, and I thank  
16 Shana. She did an excellent job of summing up what  
17 the AURORA-B suite of codes is all about, so I don't  
18 need to go back over that.

19 I would like to say that we're very anxious  
20 to begin utilizing this new methodology. It resolves  
21 a number of legacy issues like thermal conductivity  
22 degradation, and allows us to move forward with an  
23 integrated solution for those legacy issues.

24 And in fact, we anticipate having a license  
25 amendment request submitted to the NRC within a year

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of approval of this method, so we're going to begin  
2 implementing it immediately, so we're very anxious to  
3 get these new codes and methods approved and in use.

4 So I guess I'm going to keep my remarks  
5 that short. I'm going to go ahead and introduce my  
6 presenters here today. I've got Doug Pruitt who has  
7 over 40 years of experience in the industry in thermal  
8 hydraulics and codes and methods development, and is  
9 also an expert in stability, and I've got Ralph Grummer  
10 here with me today who also has over 40 years of  
11 experience in the industry in neutronics, core  
12 monitoring, and codes and methods development. I'm  
13 just going to turn it over to Doug now.

14 CHAIRMAN MARCH-LEUBA: Let me, since you  
15 gave me an opening and I'm the boss of the microphone  
16 today, I'll be responsible for running over past 5:00  
17 p.m. today. Given some requests for the staff, we will  
18 be having a full committee meeting on this topic in  
19 a couple of weeks if everything runs correctly in this  
20 subcommittee and we don't have any serious problems.

21 One concern I have is that this methodology  
22 was submitted originally in 2009 and we are now  
23 approving the SER (phonetic). So, and I realize there  
24 have been some changes of the staff. Things have been  
25 resubmitted a couple of times, but if during the full

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 committee we could address what lessons we have learned  
2 for taking seven, eight years to make a review of this  
3 methodology that is not groundbreaking.

4 I mean, this is just an incremental  
5 methodology. For God's sake, the plants have only a  
6 four-year lifetime. If we take nine years to review  
7 things, we'll never make or have any progress, so if  
8 during the full committee you guys can address what  
9 lessons have been learned so that AREVA can do a better  
10 job and the staff can do a better job to get it done  
11 in 18 months preferably. Okay, Doug, your turn.

12 MR. PRUITT: Okay, Doug Pruitt, consultant  
13 to AREVA, and it's my pleasure to give an introduction  
14 here. I'm going to talk a little bit about the  
15 evaluation model development, the application domain,  
16 and the summary of the application to a plant.

17 So as has already been stated, AURORA-B  
18 consists of a best estimate multi-physics code system  
19 for simulating a coupled fuel, neutronic, and thermal  
20 hydraulic BWR system response.

21 Within that structure, we consider four  
22 calculational devices, the MICROBURN-B2 steady-state  
23 core simulator that provides the bulk of the information  
24 that comes into the system, the MB2-K which is the  
25 kinetics equivalent to MICROBURN-B2, RODEX4 which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 provides the historic impact of depletion on the fuel  
2 rods as well as the closure relationships and dynamic  
3 modeling in S-RELAP5, and then S-RELAP5 is the host  
4 code that's the two-fluid thermal hydraulic system  
5 model that's been approved previously for PWR non-LOCA  
6 and Realistic large break LOCA evaluations.

7 So fundamentally, there's one code, S-RELAP5,  
8 which embedded in that is the MB2-K kinetics that can  
9 operate as an alternative to the point kinetics model  
10 that is in S-RELAP5, as well as the relevant portions  
11 of RODEX4 for the transient simulation.

12 CHAIRMAN MARCH-LEUBA: When you're  
13 reading this, I have a question that Dr. Corradini sent  
14 in my email because I think his phone is on mute. He  
15 is not - I haven't heard him yet. I know he's on the  
16 line. He wanted to know what are the high-level, 20  
17 second, differences between S-RELAP5 and RELAP 3.0?

18 MR. PRUITT: I can't answer that. We  
19 start with 2.5. That's where the starting point for  
20 our jumping off in S-RELAP5.

21 CHAIRMAN MARCH-LEUBA: So what are the  
22 differences?

23 MEMBER CORRADINI: Can you hear me?

24 CHAIRMAN MARCH-LEUBA: Yes, now we hear  
25 you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Okay good, so let me  
2 expand. There's a 2000 ACRS report that analyzed  
3 S-RELAP, which I assume S stands for Siemens.

4 MR. PRUITT: Right.

5 CHAIRMAN MARCH-LEUBA: Mike, Mike? We  
6 don't have a court reporter. Can you identify  
7 yourself?

8 CHAIRMAN MARCH-LEUBA: Excuse me, I'm  
9 sorry, Corradini, member of - ACRS member. I just  
10 wanted to make sure what the take off point was where  
11 S-RELAP was being developed versus what we know to be  
12 RELAP5 Mod 3 because there's a 2000 ACRS memo that  
13 analyzes it, and I assume that's the take off point,  
14 but maybe the AREVA folks can help us.

15 MR. PRUITT: I probably want to defer that  
16 until the closed session when we have our S-RELAP5 main  
17 programmer here but -

18 MEMBER CORRADINI: That's fine. That's  
19 fine.

20 MR. PRUITT: - we did take off because I  
21 think our LB (phonetic) LOCA was submitted in 2000,  
22 so it was prior to 3.0.

23 MEMBER CORRADINI: Okay, fine, all right.  
24 We can come back to it if necessary. That helps me  
25 though. And then I sent Jose a web address which is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with one of the ACRS consultant's analysis at that time  
2 in 2000 of S-RELAP. Thank you.

3 MR. PRUITT: Okay.

4 CHAIRMAN MARCH-LEUBA: I will give you  
5 that. We don't need to put it on the record.

6 MR. PRUITT: Okay, so the development  
7 summary, primarily the neutron kinetics, it starts with  
8 MICROBURN-B2 steady-state equations and adds the  
9 temporal, creates the temporal kinetics equations.  
10 It's integrated within S-RELAP5.

11 All the nodal depletion, spectral history,  
12 and other information is passed from MB2 or from CASMO-4  
13 directly into MB2-K for the transient simulation, and  
14 it uses the same cross section lookup strategy and form  
15 of the cross sections as MICROBURN-B2 uses for  
16 consistency.

17 In the fuel rod performance area, there's  
18 a subset of RODEX -

19 PARTICIPANT: Pardon me.

20 MR. PRUITT: Yes?

21 PARTICIPANT: So what version? I should  
22 have looked this up in advance, but I'll just ask you  
23 in real time. What version of ENDF (phonetic) files  
24 do you use for the cross sections?

25 MR. GRUMMER: This is Ralph Grummer. It's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 primarily ENDF 4 with some modification on the fuel  
2 of the isotopes.

3 PARTICIPANT: Okay.

4 CHAIRMAN MARCH-LEUBA: Sorry, now you've  
5 got that one and maybe we can wait until the closed  
6 session. Do you have a correction for gadolinium  
7 isotopes? In there before it doesn't have isotope  
8 gadolinium. It has elemental gadolinium, right?

9 PARTICIPANT: Elemental, right.

10 CHAIRMAN MARCH-LEUBA: Yeah, but -

11 PARTICIPANT: Or isotopic, yeah.

12 CHAIRMAN MARCH-LEUBA: Yeah, does it have  
13 isotopic? In there before I didn't think it had it.

14 PARTICIPANT: I don't remember  
15 specifically where those details were in the report.

16 CHAIRMAN MARCH-LEUBA: But you do  
17 isotopic, right? Okay.

18 MR. PRUITT: Doug Pruitt. The subset of  
19 RODEX4 routines are integrated within S-RELAP5, so that  
20 includes all of the information from the irradiation  
21 history by RODEX4 to the point of the initiation of  
22 the event, and that is then read by S-RELAP5 for each  
23 of the fuel rods that's modeled and then within S-RELAP5  
24 which is used to evaluate the temporary transient  
25 thermal-mechanical fuel rod, including the fuel/clad

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 gap and its evolution during the transient as well as  
2 all the properties, the temperatures and things are  
3 coming in from the RELAP5 fuel conduction solution,  
4 and then it provides new heat capacities and thermal  
5 conductivities and gap conductance.

6 S-RELAP5 models have been improved  
7 primarily associated with pressure drop in the BWR  
8 assembly, so interfacial drag for rod bundles and large  
9 diameters have been refined a little bit. Reynolds  
10 dependent losses, which is what we run in MICROBURN-B2,  
11 are included, and single and twophase friction models  
12 consistent with MICROBURN-B2 for the fuel.

13 PARTICIPANT: May I ask another question  
14 here? And maybe it's more appropriate for the closed  
15 session. With regard to spacer grids and just going  
16 from the different rod bundle configurations, do you  
17 see a big effect in your physical models as a result?

18 Do you have to change the models to go from 9x9, 10x10,  
19 whatever bundle geometry you're using?

20 MR. PRUITT: I mean, the form of the  
21 correlations are the same.

22 PARTICIPANT: The same, so you're not  
23 changing the correlation.

24 MR. PRUITT: Yeah, if you change the size  
25 of the veins, or the geometry, or the thickness, you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 going to get different loss coefficients, but the  
2 correlations are all the same form.

3 PARTICIPANT: Okay, thank you.

4 CHAIRMAN MARCH-LEUBA: I was waiting to  
5 ask more questions during the closed session, but I  
6 think it's already open. Is there only one version  
7 of S-RELAP5 for AREVA for both PWR and BWR now or have  
8 you guys stopped?

9 MR. PRUITT: Yeah, it's actually branched  
10 out now and the PWR version is primarily owned by the  
11 group down in Lynchburg, so they have the same root.  
12 There's a big overlap between the two.

13 CHAIRMAN MARCH-LEUBA: So, but does it  
14 have a different name so we know, or you're using -

15 MR. PRUITT: The PWR version will be an  
16 AURORA-B code set.

17 CHAIRMAN MARCH-LEUBA: Okay, so we have  
18 branched out, so this and AURORA-B, S-RELAP5 version,  
19 correct?

20 MR. PRUITT: We'll talk about it a little  
21 bit more in the closed session -

22 CHAIRMAN MARCH-LEUBA: Okay.

23 MR. PRUITT: - with respect to code control  
24 and things like that.

25 CHAIRMAN MARCH-LEUBA: While I have the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 microphone, Dr. Kord Smith has joined us, consultant  
2 for ACRS.

3 MR. PRUITT: Okay, Doug Pruitt just  
4 continuing. The component models that have been added  
5 or improved, of course there's the jet-pump model, the  
6 mechanistic separator model, and an addition of  
7 critical power correlations, all that are required to  
8 address BWR phenomena.

9 So AURORA-B in itself is, we have the  
10 comprehensive code system for BWR applications, and  
11 from that code system, you can pull various components  
12 that may be appropriate for a particular evaluation  
13 model. So today we'll be discussing the 10300 which  
14 presents the fundamental foundational development and  
15 qualification of AURORA-B for BWR applications, and  
16 the AURORA-B AOO evaluation model for analyzing  
17 predominantly core wide transients and accidents.

18 As noted before, it does not address a  
19 control rod drop or control rod withdrawal errors, loss  
20 of coolant accidents, late stages of anticipated  
21 transients with scram after the Boron injection, and  
22 instability events. There are -

23 MEMBER CORRADINI: So this is Corradini,  
24 member. I want to make sure I understand. So is more  
25 coming for AURORA-B for these other four, or what is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 now used in what I'll call in the AREVA toolkit for  
2 those analyses?

3 CHAIRMAN MARCH-LEUBA: Doug, can you tell  
4 him when you change the slides that we're on page nine?

5 MR. PRUITT: Oh, sorry, we're on page nine.

6 MEMBER CORRADINI: Yeah, I knew that.  
7 Thank you.

8 MR. PRUITT: So in anticipation of that,  
9 we have both the LOCA evaluation model 10332 and 10333  
10 for the control rod drop analysis that are under NRC  
11 review currently. So instability events we analyze  
12 with the RAMONA5-FA code and that will not change, and  
13 then control rod withdrawal errors we typically analyze  
14 in a steady-state methodology with MICROBURN-B2.

15 CHAIRMAN MARCH-LEUBA: How about the  
16 long-term ATWS?

17 MR. PRUITT: Long-term ATWS we do not do  
18 currently.

19 CHAIRMAN MARCH-LEUBA: Oh, that's why you  
20 just take advantage of the existing plans?

21 MR. PRUITT: The same plants and the fuel,  
22 minimal changes due to the fuel design differences.  
23 Okay, the application domain of course is all BWRs 2  
24 through 6, and the entire power/flow operating map from  
25 low power conditions at which core monitoring commences

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 up to and including operation at extended power flow  
2 operating domain which is the extended power flow  
3 upright with expanded flow domain.

4 CHAIRMAN MARCH-LEUBA: Mike, do you want  
5 to ask the question about ABWR? Okay, or let me ask  
6 it for you.

7 MEMBER CORRADINI: Yeah.

8 CHAIRMAN MARCH-LEUBA: Yeah, go ahead.

9 MEMBER CORRADINI: Well, that's okay. Go  
10 ahead, Jose. You know what I was going to ask. You  
11 go ahead.

12 CHAIRMAN MARCH-LEUBA: Right, yeah, why  
13 not ABWR?

14 MR. PRUITT: Well, we submitted for ABWR,  
15 but basically that was going to be routed through the  
16 new reactor branch, and since it doesn't exist in the  
17 U.S. at this point, it was deemed to be too long of  
18 a review in order to really - uncertain benefits to  
19 the U.S. market.

20 CHAIRMAN MARCH-LEUBA: That's something  
21 I would like to hear from the staff.

22 PARTICIPANT: Yeah, I guess I would too.  
23 I want to understand the technical difficulties versus  
24 it takes too long to review.

25 CHAIRMAN MARCH-LEUBA: It appears to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a process difficulty that a different person has to  
2 sign for it if it applies to ABWR. Is that correct?

3 That's the understanding.

4 MR. PRUITT: That's my understanding,  
5 yeah.

6 CHAIRMAN MARCH-LEUBA: Whenever the staff  
7 comes along and you guys can find out why is it a  
8 different person has to sign for that methodology, and  
9 if that's the case, let's find out about it.

10 MR. PRUITT: In interest, I won't go  
11 through all of these events, but it is applicable to  
12 the Chapter 15 events for cool down events, the heat  
13 up events which are primarily pressurization events,  
14 loss of coolant flow events whether that's a pump trip  
15 or a pump seizure, reactivity events, increase in  
16 inventory, decrease in inventory events, as well as  
17 anticipated transients without scram, and one of the  
18 primary transients there is the peak reactor pressure  
19 and demonstration that would meet all of the criteria  
20 for that as well as demonstration fuel integrity.

21 Figures of merit that are associated with  
22 methodology are the delta MCPR which demonstrate the  
23 event minimum critical power remains above the  
24 appropriate limit for the scenario, so typically for  
25 99 percent of our application, that's going to be the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 safety limit MCPR, the peak system pressure to  
2 demonstrate that the peak pressure is maintained below  
3 prescribed limits for AOOs and the ATWS scenario, the  
4 time dependent nodal power which is used in conjunction  
5 with our thermal-mechanical methods to evaluate  
6 cladding strain and fuel centerline temperatures during  
7 the event, and then the peak clad temperature and  
8 maximum local oxidation to assure fuel integrity is  
9 maintained for selected events.

10 So the event evaluation basically is  
11 initiated from a steady-state condition defined by  
12 MICROBURN-B2, MICROBURN-B2 depletion to the cycle  
13 exposure and the power/flow condition of interest.  
14 The AURORA-B input preparation is basically augmented  
15 by certified automation codes.

16 Obviously with a code system this large  
17 with the amount of data, almost everything is automated,  
18 so the vessel, steam lines, recirc lines, control  
19 systems, and protection systems are all constructed  
20 from plant specific database.

21 Core geometry is constructed from  
22 MICROBURN-B2 which has the core loading and the power  
23 distribution. The core nodalization and  
24 initialization is based on the MICROBURN-B2 state-point  
25 solution.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So since S-RELAP5 does not model every  
2 unique bundle within the system, it does some group  
3 based on the powers and fuel types, so that's all  
4 dependent on the particular state point, and then the  
5 core fuel pins are initialized based on RODEX4 - I call  
6 it depletions because that's the word I always use -  
7 with MICROBURN-B2 power histories and state-point  
8 nodalization, so not only the cycle of interest, but  
9 the previous cycle of operation in order to characterize  
10 the power history for the second cycle fuel or even  
11 maybe third cycle fuel if any of that's in there.

12           So the plant application, the 10300 system  
13 was submitted to establish the foundation methods to  
14 address shorter regulatory changes associated with  
15 reactivity insertion events and revised LOCA criteria.

16           The key components of the methodology are  
17 the well founded and qualified models and methods for  
18 BWR transient applications, conservative benchmarks  
19 to reactor turbine trip measurements. The highly  
20 ranked plant parameters or parameters that exhibit a  
21 range of operating conditions are treated  
22 conservatively.

23           Conservative biasing of transient  
24 simulations to bound modeling uncertainties for figures  
25 of merit outcomes are based on Monte-Carlo techniques

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and approved uncertainties, and the resultant change  
2 in MCPR is added to the statistical MCPR safety limit  
3 to establish MCPR operating limit, and limiting event  
4 boundary conditions are utilized within the RODEX4  
5 statistical methodology to demonstrate fuel centerline  
6 melt and clad strain criteria.

7 PARTICIPANT: May I just ask you to explain  
8 your terminology?

9 MR. PRUITT: Okay.

10 PARTICIPANT: The first bullet, what is  
11 a short term regulatory change?

12 MR. PRUITT: Well, we were looking out,  
13 you know, three or four years thinking that in order  
14 to address the CRDA requirements, we really need to  
15 have a full three-dimensional model, and so we needed  
16 to get that in and get it moving so that we'd be able  
17 to address that when it was approved, and same with  
18 the dealing with the high cladding embrittlement for  
19 LOCA.

20 PARTICIPANT: Thank you.

21 MR. PRUITT: So submitted documents, the  
22 primary documentation of course is the LTR, the  
23 acceptance review questions which clarified the  
24 submitted methodology as well as provided validation  
25 for the application of MICROBURN-B2 to extended power

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 uprates with extended flow windows, and then the request  
2 for additional information associated with the review  
3 itself which really quantify the model uncertainties.

4 That was the primary things that were changed as far  
5 as the review, quantifying the model uncertainties and  
6 the associated impact on the computed events figures  
7 of merit.

8 The supporting documents, following the  
9 EMDAP process, we had a host of documents, BWR design  
10 and event descriptions, control system and reactor  
11 protection system requirements, the code capabilities  
12 and PIRT development, as well as the underlying  
13 documents associated with each of the components, the  
14 MICROBURN-B2, MB2-K, RODEX4, and S-RELAP5.

15 So the basic methodology of AURORA-B and  
16 the AURORA-B AOO methodology was developed and  
17 documented consistent with the EMDAP process delineated  
18 in NRC Reg Guide 1.203, and that closes my introduction.

19 Any questions further?

20 CHAIRMAN MARCH-LEUBA: No, let's move onto  
21 the staff presentation. And we are still in open  
22 session, so be mindful of proprietary information.

23 PARTICIPANT: I'm not sure where to start.

24 CHAIRMAN MARCH-LEUBA: The same rules  
25 apply. Make sure to push the push button. The green

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 light should be on, and say your name a couple of times  
2 so the court recorder can identify them.

3 MR. HELLER: Testing, all right. Good  
4 morning, my name is Kevin Heller. I'm with the Nuclear  
5 Performance and Code Review Branch in DSS, and I'll  
6 introduce -

7 MR. LEHNING: John Lehning, also from the  
8 Nuclear Performance and Code Review Branch.

9 MR. HELLER: So what I'm going to be  
10 presenting is really a high-level overview of the  
11 staff's review of the AURORA-B AOO evaluation model,  
12 so I figure we'll just jump right into it.

13 PARTICIPANT: Before you get going, just  
14 a general question because we are going to be looking  
15 at research activities in the next couple of months,  
16 to what extent is research involved in your review of  
17 these kinds of submittals of major code developments  
18 like this or is that done entirely in NRR?

19 MR. LEHNING: This is John Lehning. I'll  
20 take the first shot at that. So generally, these types  
21 of reviews are done by NRR. However, if there are  
22 certain aspects that we may need help in the general  
23 sense - I don't think we got research involved on this  
24 particular review, but there could be a need.

25 For example, if NRR wanted research to perform

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 confirmatory analysis of a certain type, I've always  
2 done that for some instability type reviews or if we  
3 needed input decks prepared for a LOCA application,  
4 we would get them involved at that point if we needed  
5 to, but that has not occurred on this review to my  
6 knowledge.

7 PARTICIPANT: Thank you.

8 PARTICIPANT: So along those lines,  
9 something that came to my mind when I was looking at  
10 this, why didn't you ask to have a trace comparison  
11 analysis done? I mean, you went through and looked  
12 at particular aspects with good diligence and, you know,  
13 (inaudible) different and things like that.

14 But at the top level, would it have been  
15 smart to have had a trace comparison now rather than  
16 to wait when a plant comes in and do it, and then say,  
17 "Well, jeepers, it's predicting a lot differently,"  
18 than to have it benchmarked like against some of the  
19 data like at this point? What was the motivation for  
20 not doing it?

21 MR. LEHNING: That's a good question, and  
22 let me speak in general again, and I'll let Kevin talk  
23 to the particulars about this review. But as far as  
24 a modeling of these type of events in particular, it's  
25 very intricate, and it depends in great detail on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 details of the fuel and the specific correlations that  
2 are input into the codes.

3 And my understanding of what, for example,  
4 TRACE has, it doesn't have AREVA's particular CPR  
5 correlations installed. It doesn't have the - we would  
6 need to request quite a lot of information, not only  
7 in this case because we're talking multi-physics, so  
8 not only for the thermal hydraulic pieces, but also  
9 for the MICROBURN type applications, the kinetics, and  
10 so there's an awful lot of information.

11 I mean, and the timing of the review and  
12 how long it ended up taking, I think things like that  
13 could have been done, but, you know, the need for it  
14 depends on the newness of it, the uniqueness, and things  
15 like that.

16 So our feeling was that we could handle  
17 the review by the normal types of review that NRR does  
18 just by looking at their reviews of the models and the  
19 methods of AREVA's that comparative analysis with TRACE  
20 wasn't necessary in this case.

21 MEMBER CORRADINI: So this is Corradini,  
22 Member. So let me go back to Walt's original question.

23 Is the normal process for NRR to stay within your team  
24 of individuals and do audits that involve looking at  
25 documentation and calculations and maybe asking the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 applicant to do additional calculations, or is the  
2 process that you always look to, perhaps if appropriate,  
3 you do audit calculations yourselves? I'm trying to  
4 get the overall process.

5 MR. LEHNING: Yeah, I think you nailed it  
6 and that's what we do. I guess there are alternatives  
7 that we or the NRC could internally do additional  
8 sensitivities of our own with our own codes, and  
9 obviously there are some benefits for that in the right  
10 applications although it is a pretty high resource  
11 amount to do that in every single review, but we often  
12 do, and requesting as RAIs and the applicant or the  
13 vendor do these additional cases.

14 And in fact, we asked AREVA to do quite  
15 a lot of additional work in the RAIs that we issued  
16 to them, and furthermore, we did do with PNNL and with  
17 our - we did do some individual confirmatory type  
18 calculations ourselves, although it wasn't generally  
19 doing full-blown code calculations and so forth. And  
20 I think Shana wanted to add a point here too.

21 MS. HELTON: Yeah, I'll just pipe in and  
22 I'll ask the staff to speak to more detail, but we did,  
23 as the member question alluded to, take advantage of  
24 the audit process throughout this review.

25 In general with these topical reports,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they're so complex and so detailed, we've been finding  
2 that communicating on paper back and forth isn't  
3 necessarily the most efficient or effective way to  
4 conduct the review, and that getting together under  
5 the audit process so that we can really have the  
6 technical people on AREVA's side talk to the technical  
7 people on NRC's side, and we get a better understanding  
8 of what they're asking for and what the scope of the  
9 problem is, and we can work that out. So that was quite  
10 effective from a general process standpoint, and maybe  
11 you want to speak to the audit a little bit more.

12 MEMBER CORRADINI: But at least for me,  
13 that answers the process question. I think that's kind  
14 of where Walt was going.

15 CHAIRMAN MARCH-LEUBA: Yeah, roughly how  
16 many audits did you have?

17 MR. HELLER: This is Kevin Heller. We had  
18 at least two audits. It's been a long review. I'm  
19 trying to remember. We may have had three. We  
20 definitely had two. I do remember that.

21 And I just wanted to add on to what Shana  
22 was saying, and that's those audits allowed us, and  
23 by us, I mean both the NRC technical staff, the PNNL  
24 technical staff, and the AREVA technical staff to get  
25 into a single room and pour over a wealth of calculation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 notebooks.

2 CHAIRMAN MARCH-LEUBA: Before I say what  
3 I want to say, let me give you the standard disclosure  
4 that this is a subcommittee meeting, and what we're  
5 saying are impressions of individual members and not  
6 ACRS positions.

7 That said, I strongly support audits, and  
8 the more, the better, and you should have one at the  
9 beginning, one in the middle, and one at the end even  
10 on the small reviews. There's always a lot of push  
11 from management about the travel money. It's  
12 irrelevant compared to the amount of time you save,  
13 so please back to have more audits instead of less.

14 MS. HELTON: Oh, we are.

15 CHAIRMAN MARCH-LEUBA: The industry will  
16 support you too.

17 MS. HELTON: I agree completely and we've  
18 been looking for areas where we can because we recognize  
19 that you might spend a little bit in the travel dollars,  
20 but the efficiency that you gain overall is well worth  
21 it. I see Dr. Lukes up at the mic.

22 MR. LUKES: This is Bob Lukes. I'm the  
23 Chief of the Nuclear Performance and Codes Review  
24 Branch, and I'd say in the past, other - I've been a  
25 branch chief and I've worked in other branches within

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the NRC, and there always has been push back against  
2 audits. That is not the case with our management at  
3 NRR.

4 We've also been, you know, looking at some  
5 of the data and how much audits actually make our process  
6 much more efficient in the RAI process. I mean, I think  
7 that we're seeing possibly a 50 percent reduction in  
8 RAIs.

9 When we take those RAIs, we go meet with  
10 them and discuss them because most of the technical  
11 information is like a miscommunication, right. When  
12 you see the written word, it's not really - the  
13 understanding of that written word is not as easy to  
14 do if you can just say, "Well, what did you mean by  
15 this? What did you mean by that?" and then we still  
16 document those questions as part of our audit plans,  
17 but I'd just like to again reinforce that our NRR  
18 management is fully supportive of these audits and  
19 encouraging them, which is unusual at the NRC like you  
20 said.

21 CHAIRMAN MARCH-LEUBA: Yeah, and this is  
22 Jose, and not only do you have the RAIs, the 50 percent  
23 RAIs that you send, the licensee understands what you're  
24 asking.

25 MEMBER CORRADINI: This is Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Corradini. Jose, I think you've raised a very  
2 important point that ought to be somewhere in our final  
3 letter because I totally agree with how you've  
4 characterized it.

5 CHAIRMAN MARCH-LEUBA: This is Jose.  
6 It's already written on my notes, on my to-do notes.

7 MR. HELLER: This is Kevin Heller. Just  
8 to, I guess, put a final point on that and characterize  
9 it a little bit more, the first audit that we had with  
10 AREVA is what we call an audit for understanding where  
11 basically when we perform our review, we go down through  
12 and we read through the documentation, and we come up  
13 with a list of not what I would call RAIs, but questions.

14 Some of these are clarification. Some of them might  
15 be technical nature.

16 But we had the opportunity to get together  
17 with AREVA then and discuss what it was that we were  
18 asking, receive some clarification on things, and  
19 ultimately distilled down what was going to become an  
20 RAI. And through that, we saw in this particular review  
21 a reduction of about 50 questions through that first  
22 audit for understanding.

23 CHAIRMAN MARCH-LEUBA: And often my  
24 experience, since we all relate, is that the RAI that  
25 you issued was only for the (inaudible) for the record

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because you already knew the answer -

2 PARTICIPANT: In a lot of cases.

3 CHAIRMAN MARCH-LEUBA: - when you left the  
4 RAI -

5 MR. HELLER: Exactly.

6 CHAIRMAN MARCH-LEUBA: - the audit.

7 MR. HELLER: Any other questions? Okay,  
8 this is Kevin Heller continuing onto slide two. So  
9 again what I'm going to be discussing is a high-level  
10 overview of the staff's review of the AURORA-B AOO  
11 evaluation model, and then when we move into the closed  
12 session, we'll get more down into the nitty gritty of  
13 the nuances of what it is that we ended up reviewing.

14 On slide three? So this has been discussed  
15 or mentioned by both Shana and by AREVA. I'm just going  
16 to mention a couple of high points here though to kind  
17 of illustrate some of the needs that we had on this  
18 review.

19 So AURORA-B, again, is a multi-physics,  
20 multi-code system, and it's comprised of what are known  
21 as component calculational devices. There are other  
22 codes, some of which have received prior NRC review  
23 and approval. But because it had four of these  
24 component calculational devices, and because it is  
25 being applied to such a large range of transients, what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we really end up with is a large interdisciplinary  
2 review scope.

3 I'm now on slide four. So the staff  
4 recognized up front that this was going to require  
5 multiple reviewers over the course of several years  
6 in order to complete this complex review, and so as  
7 a result, we decided that it would be prudent to contract  
8 Pacific Northwest National Laboratory to act as a  
9 consultant. And they put together a team of subject  
10 matter experts that I quickly just want to read down  
11 the names on this group.

12 Their help was invaluable towards  
13 completing this review, Judy Cuta for the  
14 thermal-hydraulics, Ken Geelhood, fuel  
15 thermal-mechanical, and Ken will actually be joining  
16 us later this afternoon via the call in number, Carl  
17 Beyer, he was initially for the fuel  
18 thermal-mechanical, but he ended up retiring shortly  
19 after the review began and Ken came on and took his  
20 place, Dr. Gregory Piepel for the statistics, assisted  
21 by Dave Engel, Andrew Prichard for the neutronics, and  
22 Bruce Schmitt for the thermal-hydraulic and system  
23 modeling.

24 PARTICIPANT: Let me repeat my observation  
25 or question from earlier. I have no problem with you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 using PNNL as a consultant on this, but it just, when  
2 I looked at the material in advance, it just occurred  
3 to me that why am I not seeing anyone from RES?

4 MR. HELLER: This is Kevin Heller. Do you  
5 mean in as far as requesting confirmatory calculations?

6 PARTICIPANT: Or just to assist you in the  
7 review as subject matter experts.

8 PARTICIPANT: That's just not the normal  
9 process that we use. We felt that we had the review  
10 team, both from the qualified reviewers in NRR, as well  
11 as the contractors done at PNNL, so with those people  
12 on the team, we felt like we had the adequate review  
13 capacity.

14 PARTICIPANT: I'm not questioning their  
15 competence or the adequacy. I'm just raising perhaps  
16 an issue that I'll bring up. It's off topic here.  
17 But to the extent that we're reviewing RES programs  
18 and involvement in regulatory actions, I'm just  
19 surprised that RES isn't engaged.

20 MEMBER BALLINGER: Can I clarify that a  
21 little bit? This is Ron Ballinger, ACRS member. Is  
22 there not some default process by which you go through  
23 to assign or identify people to help out with the review,  
24 and shouldn't that default process have an initial step  
25 of going around the NRC staff and seeing if there's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 expertise there that could be used before going outside?

2 Is that what you're trying to get at?

3 MS. HELTON: I'll take a crack at this and  
4 then I think - this is Shana Helton - and then I think  
5 Josh Kaizer has something he'd like to add. But, you  
6 know, for topical reports - and Jonathan Rowly, our  
7 project manager is here, and he can talk to the process  
8 probably better than I can - we look at the program  
9 office to lead that technical review.

10 It's up to the program office to then decide  
11 how we get the resources that we need to conduct that  
12 review, be it through a user need to research or through  
13 the use of contract expertise as we did in this case  
14 in PNNL.

15 One thing, I would have to do some homework  
16 to see if it played into this particular review or not,  
17 but across the agency, we're resource constrained, and  
18 we have to find a balance between using in-house  
19 resources versus contract assistance. I see Dr. Kaizer  
20 is nodding his head vociferously over there.

21 So I would suspect that, you know, with  
22 all of the in-house activities that we've got going  
23 on, we have to have a healthy balance of using the labs  
24 and other technical contractors to help support our  
25 technical reviews.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   PARTICIPANT:     But again, would that  
2 healthy balance not include efforts to keep people  
3 involved on the staff to maintain expertise within the  
4 staff? I know resource constraints. Everybody -  
5 that's absolutely true, but it's also true that you  
6 need to have people that are on the ball on the staff,  
7 so that's the balance that I'm wondering about.

8                   MS. HELTON:    Yeah, absolutely, and we do  
9 try to maintain our technical edge with a number of  
10 knowledge management activities. Using topical report  
11 reviews as a way to keep those knowledge management  
12 activities up to speed is actually an idea that we've  
13 been discussing at the management level.

14                   We've been looking at, and we'll be  
15 starting it in the fall, with moving people between  
16 the offices, between NRO, NRR, and research on temporary  
17 assignments so that we can see how everybody does their  
18 work and bring knowledge to others in the organization.

19                   PARTICIPANT:     But that's an ongoing  
20 process.

21                   MS. HELTON:    Yes.

22                   PARTICIPANT:     It always has been.

23                   MS. HELTON:    Yes.

24                   PARTICIPANT:     What I'm a little bit  
25 concerned about is maintaining the expertise.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. HELTON: I hear you.

2 MR. KAIZER: This is Josh Kaizer, NRC  
3 staff. This was an interesting review actually from  
4 the Office of Research side because they're the ones  
5 that put us in this position in the first place. Dr.  
6 Yarsky was the lead reviewer. He got promoted to the  
7 Office of Research, and we do maintain a very close  
8 contact with research, and I mean, generally it's a  
9 staff level.

10 I mean, if I have a question on thermal  
11 hydraulics, I can go to Dr. Bajorek, if I have a question  
12 on neutronics, Andy Beland (phonetic). We have one  
13 of the original VIPER authors whose name slips me right  
14 now, but we maintain those levels of contact, and we  
15 do go to the Office of Research when we feel like we  
16 need to.

17 One of the things with PNNL, and it's a  
18 very strange lab, I would argue they've been the sub  
19 office of the NRC for many years, like Judy Cuta actually  
20 was on the first review of a critical heat flux  
21 correlation ever in the 1970s. It's the CE1  
22 correlation, and so we have used PNNL to do this type  
23 of work for a very long time.

24 They were the main reviewers for CHF, and  
25 Gregory Piepel, Judy and Gregory did a really nice

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 document about how you should actually review these  
2 correlations, and so it kind of depends on when you  
3 have a review in front of you, do you feel like you  
4 have the expertise?

5 And Shana had a really good comment. A  
6 lot of time during this review, there was a big push  
7 to say, "Hey, what can we do that's contracting?" and  
8 so this kind of came into PNNL had the right people  
9 with Carl Beyer and Ken Geelhood for the fuel side,  
10 and they did a lot of that.

11 We do try to go to the Office of Research,  
12 but also like Shana said, a lot of times they have their  
13 own schedules and things and stuff they're busy with,  
14 and you do try to work with them, but sometimes they  
15 just can't fit you in.

16 PARTICIPANT: And just to add to that too,  
17 we also have a more broad knowledge management in  
18 maintaining the people at the labs and stuff, and the  
19 infrastructure that's there that have been working with  
20 us for a long time too is an important thing to continue  
21 to keep those contacts active and keep those people  
22 engaged on the work we do so they're there when we need  
23 them.

24 PARTICIPANT: I think we've made our  
25 point.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 PARTICIPANT: Okay.

2 MR. HELLER: Okay, this is Kevin Heller.

3 On slide five, just throwing up a couple of bullets  
4 here for the primary documents that the staff used for  
5 their review, of course NUREG-0800, the standard review  
6 plan, specifically Chapter 15.0.2, review of transient  
7 and accident analysis methods, and of course Regulatory  
8 Guide 1.203 was also used for guidance, specifically  
9 because it does detail the EMDAP evaluation model  
10 development and assessment process that the AURORA-B  
11 AOO evaluation model was following in how it was  
12 presented within the topical.

13 Slide six, so what I'm going to do in the  
14 next couple of slides, or the next several slides  
15 rather, is just go down the specific areas of review  
16 within the SRP Chapter 15 and discuss what the staff  
17 found as far as what was supplied in the documentation  
18 and in the topical report and the staff's assessment  
19 of it. And as a final bullet on slide six here, the  
20 safety evaluation that the staff developed is based  
21 on - this review structure is presented within the SRP.

22 So the first of the review areas in the  
23 standard review plan documentation, acceptance  
24 criteria. Submittals should identify specific  
25 accident scenarios and plant configurations, and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       submittal of course should contain a complete  
2       description of code assessment, theory manuals  
3       describing field equations, user manuals discussing  
4       code limitations, and what the staff found during the  
5       review is the accident scenarios are identified and  
6       the code assessments are described within the topical.

7               As I mentioned earlier, the AURORA-B AOO  
8       evaluation model is comprised of a number of different  
9       calculational devices, the primary one of which is  
10      S-RELAP5. So really the S-RELAP5 theory manual is more  
11      or less the backbone to the whole methodology, but it  
12      does speak to the transfer of information between the  
13      other component devices, and of course those theory  
14      manuals needed to be examined and they were provided.

15             Code limitations were found within the  
16      theory manuals as well as the user manuals, and of course  
17      prior staff safety evaluations. So ultimately, we  
18      found that the documentation supplied was adequate for  
19      the review.

20             And the second area of review on slide  
21      eight, evaluation models. There were four general  
22      areas of review, four phenomenological areas really,  
23      thermal-hydraulics, neutronics, primary system  
24      modeling, and fuel thermal-mechanical performance, so  
25      we of course took a look at those areas, but during

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the staff's review, we identified that there were some  
2 areas of focus that were required, as an example,  
3 S-RELAP5. As AREVA mentioned earlier, it started out  
4 as a PWR code, and so new and existing models and methods  
5 were introduced or updated to make it applicable to  
6 BWRs, so those had to be examined.

7 MB2K is a new neutron kinetics method  
8 that's based on MICROBURN-B2. It was not thoroughly,  
9 or to my knowledge, prior review and approval by the  
10 NRC staff, so that had to be examined. MICROBURN-B2  
11 information was supplied for its qualification to  
12 extended power uprates and extended flow window  
13 conditions.

14 And I'm just going to pause to make a note  
15 here that AREVA was using the term EPFOD, extended power  
16 and flow operating domain. As far as the review and  
17 the documentation, that's a relatively more recent  
18 term. I've been using EFW, so I just want to point  
19 out those are equivalent, and I thought about changing  
20 the terminology over, but I realized I would just start  
21 saying EFW all the time, and I didn't want to confuse  
22 anyone.

23 And of course RODEX4, the full RODEX4 code  
24 is part of the AURORA-B AOO evaluation methodology,  
25 but there's a subset of the methods that were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 incorporated within S-RELAP5 for the calculation of  
2 fuel thermal-mechanical properties during the  
3 transients, and that's known as the RODEX4 kernel, so  
4 the staff identified that that would have to be examined  
5 and assessed.

6 So with that said, slide nine, evaluation  
7 model. The review acceptance criteria is the model  
8 should be present for all phenomena and components  
9 determined important or necessary to simulate scenarios  
10 under consideration, and those models and associated  
11 numerical solutions should predict the important  
12 physical phenomena reasonably well.

13 MEMBER KIRCHNER: Can I back you up again?

14 MR. HELLER: Certainly.

15 MEMBER KIRCHNER: This is Kirchner. I'm  
16 just curious why for MICROBURN-B2 qualification for  
17 EPU and EFW, I would think that qualification for EPU  
18 and EFW would be toward the entire code system, so what  
19 about MICROBURN-B2 in particular was a concern that  
20 you were qualifying it or looking at its qualifications  
21 for EPU and EFW versus RELAP, MB2-K, or RODEX4?

22 MR. HELLER: So this is Kevin Heller.  
23 That's a good question. The AURORA-B AOO evaluation  
24 methodology when it was submitted, it was requested  
25 that it be reviewed and approved for application EPU

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and EFW conditions, but the staff identified that  
2 MICROBURN-B2 during its original staff review and  
3 approval, it was not assessed on a generic level for  
4 EPU and EFW.

5 There have been plant specific license  
6 amendment requests that have come through in recent  
7 years that have assessed its qualification on a plant  
8 specific basis, but not from a generic perspective.

9 MEMBER KIRCHNER: Okay, I don't know  
10 MICROBURN-B2. I'm trying to think from a physics  
11 standpoint why would it, why EPU and EFW would be a  
12 stretch for that code?

13 MR. HELLER: That, we do discuss that in  
14 later slides in the closed session, and I -

15 MEMBER KIRCHNER: Okay, I'll wait for  
16 that. Thank you.

17 MR. HELLER: I don't want to mention  
18 anything that might be proprietary, so. Okay, slide  
19 nine, so for the evaluation model acceptance criteria,  
20 the staff found that what was supplied in the  
21 documentation, support for performance of physical  
22 models and the numerical solutions were provided by  
23 comparisons to experimental data.

24 There were numerical benchmarks that were  
25 supplied, and there was the use of comparisons to higher

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 order methods. The staff also examined the equations  
2 and relationships governing the models within the  
3 theory manuals and the prior staff safety evaluations  
4 for those codes that had received prior review and  
5 approval, and ultimately what the staff found is there  
6 was reasonable to excellent code-data comparisons and  
7 so the staff concluded that the evaluation models were  
8 reasonably predicting the phenomena of importance.

9 Slide 10, the next area of review was the  
10 accident scenario identification process. The  
11 acceptance criteria her, the process should identify  
12 and rank reactor component and physical phenomena  
13 modeling requirements, and the process should include  
14 evaluation of physical phenomena to identify those  
15 important in determining the figures of merit.

16 Primarily the staff's assessment, the  
17 manner in which the staff went about this is they  
18 recognized from SRP Chapter 15.0.2, Section III, it  
19 notes that a PIRT, or a phenomenon identification  
20 ranking table, is an example of an acceptable structured  
21 process for identifying and ranking phenomena.

22 And within the submittal, AREVA developed  
23 a PIRT through multiple iterations between development  
24 teams and BWR application engineers. And really the  
25 AURORA-B AOO evaluation model PIRT within the topical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       itself is a summary level PIRT comprised of  
2       highly-ranked phenomena from a series of event level  
3       PIRTs which are documented in a separate document that  
4       was also supplied for the review.

5               And the staff observed that there were a  
6       number of figures of merit that were supplied, and  
7       concluded that those figures of merit were adequate  
8       or acceptable for determining, or rather acceptable  
9       for the events for which the AURORA-B AOO was going  
10       to be applied.

11              Slide 11, the next area of review was the  
12       code assessment, acceptance criteria being that models  
13       should be assessed over the entire range of conditions  
14       encountered, and the staff found that comparisons of  
15       predicted results against separate effects tests and  
16       integral effects tests from experimental facilities  
17       were supplied.

18              There were code predictions compared to  
19       analytical solutions for the accuracy of numerical  
20       methods. Again, higher order methods and numerical  
21       benchmarks were used.

22              The system interaction and global  
23       capability was also demonstrated through FIST test  
24       facility, or comparison to FIST test facility data,  
25       and also through the Peach Bottom Turbine Trip Tests,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and in all cases, the staff found there was reasonable  
2 to excellent code-data comparisons.

3 Slide 12, the uncertainty analysis  
4 methodology, the acceptance criteria is it should  
5 address all important sources of code uncertainty,  
6 including mathematical models in the code and user  
7 modeling.

8 The staff's assessment, AREVA classified  
9 or identified there were three areas of biases and  
10 uncertainties when it came to the AURORA-B AOO  
11 evaluation model, the first of those being due to model  
12 structure such as nodalization and time steps, the  
13 second being selection of plant parameters and initial  
14 conditions, and then lastly, biases and uncertainties  
15 in predicting highly ranked and pertinent medium ranked  
16 PIRT phenomena.

17 So the structure and initial conditions  
18 the staff found was addressed via sensitivity analyses,  
19 and so the bulk of the staff's review efforts for the  
20 uncertainty analysis methodology were to examine the  
21 manner in which the uncertainties in high and medium  
22 ranked PIRT phenomena were addressed, and AREVA is using  
23 a non-parametric ordered statistic approach.

24 A number of the - I have a few bullets  
25 underneath that just to kind of provide some additional

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 detail. A number of the PIRT phenomena and the  
2 parameters of interest were addressed via conservative  
3 biasing. We'll discuss a couple of those during the  
4 closed session.

5 The staff examined the parameters that were  
6 to be utilized within the non-parametric ordered  
7 statistic to make sure that the distributions and the  
8 sampling ranges were acceptable, and really the  
9 approach that AREVA is using is a univariate approach.

10 So ultimately -

11 MEMBER CORRADINI: If I might, Corradini,  
12 member. I'm not an expert in uncertainty. I noted  
13 a preponderance of the limitation and conditions were  
14 based on the uncertainty categories. Is there  
15 something unique about this, or is the uncertainty  
16 review similar to what has been done in the other areas,  
17 or is this the first multi-physics review that's been  
18 done in a while?

19 CHAIRMAN MARCH-LEUBA: Mike, I'm  
20 concerned that this might be proprietary of the method.

21 MEMBER CORRADINI: Okay, I'm sorry.

22 CHAIRMAN MARCH-LEUBA: Can we wait half  
23 an hour?

24 MEMBER CORRADINI: Sure, no problem,  
25 sorry.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN MARCH-LEUBA: Because I do have  
2 concerns and I want to bring them up, but I think it  
3 will get proprietary.

4 MR. HELLER: Okay, this is Kevin Heller.

5 So just to conclude on this slide, the staff found  
6 that the uncertainty analysis methodology was  
7 acceptable.

8 And then the final area of review according  
9 to the SRP, the quality assurance plan, acceptance  
10 criteria, the code should be maintained under a quality  
11 assurance program that meets the requirements of  
12 Appendix B to 10 CFR Part 50.

13 And the staff found that AREVA has an  
14 established NRC-approved software quality assurance  
15 program, and that AURORA-B was developed and is  
16 maintained under this program, so the staff concluded  
17 that this was acceptable.

18 So slide 14, in conclusion, the staff found  
19 that the AURORA-B AOO evaluation model is acceptable  
20 for simulation of AOOs and certain postulated  
21 accidents, and just a couple of bullet points here to  
22 kind of add some depth to that.

23 It's applicable for BWRs with forced  
24 recirculation systems. Again, it's BWRs 2 through 6.

25 The ABWR we can discuss during the closed session.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 The standard operating domain, the extended power  
2 uprate, and EFW domains, it's applicable to those.

3 Most of the data was supplied for support came  
4 from ATRIUM-10 and ATRIUM-10XM fuels, so really the  
5 staff - the AURORA-B AOO evaluation methodology  
6 approved for those fuels, but the staff did address  
7 whether or not other fuels were applicable, and there  
8 are methods in place to incorporate additional fuels.

9 And then the conditions and limitations,  
10 this is a large complex review, so naturally the staff  
11 had a couple of conditions and limitations, and they  
12 fall into three primary different areas.

13 MR. GRUMMER: The various component  
14 calculational device is being applied within limits,  
15 the limits from the individual codes and uncertainty  
16 distributions and sampling ranges is reviewed and  
17 conservative modeling justifications needing to be  
18 adhered to. So with that, are there any additional  
19 questions?

20 MEMBER BLEY: Yes, I would like to ask.  
21 I note in the Areva presentation that they submitted  
22 their LOCA evaluation model in February 2014, and their  
23 control rod drop model in March 2014. What is the  
24 status of the review of those additions to this AOO

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 evaluation model?

2 MR. LEHNING: This is John Lehning. So  
3 the--as far as to my knowledge, the control rod drop  
4 accident safety evaluation has been drafted and is  
5 basically complete, and so that one ought to be in the  
6 very near term, I think that there was maybe even efforts  
7 to maybe schedule ACRS meetings for that already. And  
8 then the LOCA review, that--although it was submitted  
9 in 2014, the staff began review in 2016, August 2016,  
10 due to resources and the Fukushima event and staffing.  
11 Actually, I'm the lead reviewer on that, and we've  
12 just sent out our request for additional information  
13 or we've sent out a draft, and the formal RAI hasn't  
14 been sent out yet. So it's still in the stage of review,  
15 and the date for the safety evaluation for the draft  
16 is June 2018 is our target.

17 MR. HELLER: This is Kevin Heller, I just  
18 want to add a couple of additional detailed points for  
19 the control rod drop accident review. The SE for that  
20 has been written, there have been some efforts made  
21 to start scheduling for an ACRS subcommittee meeting.  
22 The SE, the full submittal I guess of the SE has  
23 been--I'm trying to figure out how to put this--I've  
24 been working collaboratively with the reviewer on that,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because we recognize that some of the limitations and  
2 conditions present within the AURORA-B AOO evaluation  
3 model may impact the conclusions within the CRDA SE.

4 So I have supplied the list of conditions and  
5 limitations that we have; we've just been waiting to  
6 make sure that nothing changes as a result of the ACRS  
7 meetings.

8 CHAIRMAN MARCH-LEUBA: So bringing  
9 that--I know that Areva's modus operandi is to issue  
10 supplements to everything, and often the supplements  
11 (inaudible) to something. But is the plan to merge  
12 the CRs for the two, the CRD and the AOO so they're  
13 consistent (inaudible)? Not issue a single CR, but  
14 make sure that the limitations and conditions  
15 (inaudible).

16 MR. HELLER: This is Kevin Heller. Yes,  
17 the intent is to make sure that there's consistency  
18 across the SEs.

19 CHAIRMAN MARCH-LEUBA: Anymore questions  
20 from the members? At this point, we are going to  
21 conclude the open session, so we are going to allow  
22 members of the public in the room to make any comments  
23 if they wish to do so. Anybody on the conference line,  
24 in the open conference line, if somebody's there, can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you please say hello and identify yourself?

2 MALE SPEAKER: It's open.

3 CHAIRMAN MARCH-LEUBA: It's open.

4 Anybody want to make any comments on the open part of  
5 the session? Hearing none, we are going to close the  
6 open session, and at this moment we will move to closed  
7 session.

8 (Whereupon, the above-entitled matter went  
9 off the record.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1

2

3

# Introduction to AURORA-B

## ACRS Meeting

NRC Two White Flint North  
11555 Rockville Pike  
Rockville, MD

August 21, 2017



# Introduction to AURORA-B

Ralph G. Grummer  
Supervisor  
BWR Codes & Methods

Douglas W. Pruitt  
Consultant to AREVA

# Agenda

	TOPIC	PRESENTER(S)	TIME
	Opening Remarks	ACRS	8:30 AM - 8:35 AM
II	Introduction to ANP-10300P, "AURORA-B" (Open)	AREVA	8:35 AM - 9:00 AM
III	Overview of NRC Staff's review (Open)	NRC	9:00 AM - 9:15 AM
IV	Opportunity for public comment	Public	9:15 AM - 9:30 AM
	<b>CLOSED SESSION BEGINS</b>		
V	AURORA-B Evaluation Model Structure	AREVA	9:30 AM - 10:15 AM
	Break		10:15 AM - 10:30 AM
VI	AURORA-B Qualification of Models and Methods (Closed)	AREVA	10:30 AM - 11:30 AM
VII	AURORA-B Modeling Uncertainties	AREVA	11:30 AM - 12:30 PM
	<b>LUNCH BREAK</b>		12:30 PM - 1:30 PM
VIII	Technical Evaluation of AURORA-B	PNNL	1:30 PM - 2:50 PM
IX	Assessment of AURORA-B Uncertainty Analysis Methodology	NRC	2:50 PM - 3:50 pm
	<b>BREAK</b>		3:50 PM - 4:05 PM
X	MICROBURN-B2 Qualification for Extended Power Uprates and Expanded Flow Windows	NRC	4:05 PM - 4:35 PM
XI	Conditions and Limitations and Conclusions	NRC	4:35 PM - 4:45 PM
XII	Response to Open Items	AREVA/NRC/PNNL	4:45 PM - 5:15 PM
XIII	ACRS Members Closing Remarks	ACRS	5:15 PM - 5:30 PM
XIV	Adjourn	ACRS	5:30 PM

# Presentation Outline

## ▶ Introduction to AURORA-B (Open)

- ◆ Evaluation model development
- ◆ AURORA-B AOO Application Domain
- ◆ Summary of the AURORA-B AOO Plant Application

## ▶ AURORA-B AOO Evaluation Model Development (Closed)

## ▶ AURORA-B AOO BWR Components & Qualification (Closed)

## ▶ AURORA-B AOO Modeling Uncertainties (Closed)

- ▶ **AURORA-B consists of a best-estimate multi-physics code system for simulating the coupled fuel, neutronic, and thermal hydraulic BWR system response**
  - ◆ **MICROBURN-B2**      **Approved, steady-state core simulator**
  - ◆ **MB2-K**              **3D kinetics equivalent of the approved MICROBURN-B2 neutronics solution**
  - ◆ **RODEX4**            **Approved, best estimate steady-state & transient fuel performance predictions**
  - ◆ **S-RELAP5**         **Two-fluid T/H system code approved for PWR non-LOCA and Realistic LOCA evaluations**
- ▶ **Event simulations are performed by S-RELAP5 in which MB2-K and relevant kernels of RODEX4 have been incorporated**

# AURORA-B Development Summary

## *Neutron Kinetics*

- ▶ **Starting with the MICROBURN-B2 steady-state equations, temporal kinetics equations were developed to create the MB2-K kinetics code**
  - ◆ **MB2-K is integrated within S-RELAP5**
  - ◆ **Nodal depletion, spectral history, and other information passed from MB2 to MB2-K for transient initiation**
  - ◆ **MB2-K uses the same cross section lookup strategy and other features found in MB2 for consistency**

# AURORA-B Development Summary

## *Fuel Rod Performance*

- ▶ **A subset of the RODEX4 routines are integrated within S-RELAP5**
  - ◆ Significant amount of data transferred from the “full” version of RODEX4 includes material properties that reflect the “permanent effects” on the fuel at the desired level of burnup (e.g. molar fission gas content, cladding corrosion, fuel pellet degradation)
  - ◆ The subset within S-RELAP5 is used to evaluate the “temporary” transient thermal-mechanical fuel rod (including fuel/clad gap) properties as a function of temperature, rod internal pressure, etc.

# AURORA-B Development Summary

## *S-RELAP5*

- ▶ **S-RELAP5 physical models have been improved**
  - ◆ Interfacial drag for rod bundles and large diameters
  - ◆ Reynolds dependent form losses for spacer grids
  - ◆ Single and two phase friction models consistent with MICROBURN-B2 for the fuel
  
- ▶ **S-RELAP5 component models have been added or improved**
  - ◆ Jet-pump model
  - ◆ Mechanistic separator model
  - ◆ Critical power correlations

# AURORA-B Evaluation Models

- ▶ **AURORA-B is a comprehensive code system for BWR analysis**
  - ◆ **ANP-10300P presents the foundational development and qualification of AURORA-B for BWR applications and the AURORA-B AOO Evaluation Model (EM) for analyzing “core wide” transients and accidents**
  - ◆ **ANP-10300P does not address**
    - Control Rod Drop and Control Rod Withdrawal Error Accidents
    - Loss Of Coolant Accidents
    - Late Stages of the Anticipated Transients Without Scram (after initiation of Boron Injection)
    - Instability Events
  - ◆ **ANP-10332P, Revision 0 submitted in February 2014, presents the AURORA-B LOCA EM**
  - ◆ **ANP-10333P, Revision 0, submitted in March 2014, presents the AURORA-B CRDA EM**



# AURORA-B AOO

## Application Domain

---

- ▶ **AURORA-B AOO was submitted to address all forced circulation BWR plant types over the full domain of operating conditions:**
  - ◆ **BWR product lines 2-6 (BWR/2-6)**
  - ◆ **Entire Power/Flow operating map from low power conditions at which core monitoring commences up to and including operation at Extended Power Flow Operating Domain (EPFOD)**

## ▶ SRP 15.1 Cool Down Events:

- ◆ SRP 15.1.1 Feedwater system malfunctions that result in a decrease in feedwater temperature (LFWH)
- ◆ SRP 15.1.2 Feedwater system malfunctions that result in an increase in feedwater flow (FWCF)
- ◆ SRP 15.1.3 Steam pressure regulator malfunctions or failures that result in increased steam flow (PRFO)

## ▶ SRP 15.2 Heat Up Events:

- ◆ SRP 15.2.1 Loss of external load (generator load rejection)
- ◆ SRP 15.2.2 Turbine trip
- ◆ SRP 15.2.3 Loss of condenser vacuum
- ◆ SRP 15.2.4 Closure of main steam isolation valve
- ◆ SRP 15.2.5 Steam pressure regulator failure (closed)
- ◆ SRP 15.2.6 Loss of non-emergency ac power to the station auxiliaries
- ◆ SRP 15.2.7 Loss of normal feedwater flow

## ▶ SRP 15.3 Loss of Coolant Flow Events:

- ◆ SRP 15.3.1 Recirculation pump trip
- ◆ SRP 15.3.2 Recirculation flow controller malfunction (decreasing flow)
- ◆ SRP 15.3.3 Reactor coolant pump rotor seizure
- ◆ SRP 15.3.4 Reactor coolant pump shaft break

## ▶ SRP 15.4 Reactivity Events:

- ◆ SRP 15.4.4 Startup of an idle recirculation loop
- ◆ SRP 15.4.5 Recirculation flow controller malfunction which results in increased core flow rate

## ▶ SRP 15.5 Increasing Inventory Events:

- ◆ SRP 15.5.1 Inadvertent operation of an Emergency Core Cooling System (ECCS) that increases reactor coolant inventory, including high pressure core spray, high pressure coolant injection, or reactor core isolation cooling system

# AURORA-B AOO Application Domain Target Scenarios

## ▶ SRP 15.6 Decreasing Inventory Events:

- ◆ SRP 15.6.1 Inadvertent opening of a pressure relief valve

## ▶ SRP 15.8 Anticipated Transients without Scram:

- ◆ Protection of the reactor pressure vessel and associated piping from failure due to over pressurization
- ◆ Demonstration that fuel integrity is maintained

# Target Scenario Figures of Merit

- ▶  **$\Delta$ M CPR, demonstrate that the event minimum critical power ratio (MCPR) remains above the appropriate limit for the scenario**
- ▶ **Peak System Pressure, to demonstrate that the peak pressure is maintained below prescribed limits for AOOs and the ATWS scenario**
- ▶ **Time dependent nodal power, used in conjunction with thermal-mechanical methods to evaluate cladding strain and fuel centerline temperatures during the event**
- ▶ **Peak Clad Temperature and maximum local oxidation, assure fuel integrity is maintained for selected events**

# AURORA-B AOO Event Evaluation

- ▶ **The AURORA-B event analyses is initiated from the steady-state condition defined by MICROBURN-B2**
  - ◆ MICROBURN-B2 depletion to the cycle exposure and power/flow condition of interest
- ▶ **AURORA-B input preparation is augmented by certified automation tools**
  - ◆ Vessel, Steam lines, recirculation lines, control systems and protection systems constructed from plant specific database
  - ◆ S-RELAP5 core geometry constructed from MICROBURN-B2
  - ◆ Core nodalization and initialization based on MICROBURN-B2 state-point solution
  - ◆ Core fuel pins initialized based on RODEX4 depletions with MICROBURN-B2 power histories and state-point nodalization

# AURORA-B AOO Plant Application

- ▶ **ANP-10300P was submitted to establish the foundation methods to address short term regulatory changes associated with reactivity insertion events and revised LOCA criteria.**
- ▶ **Key components of the methodology are:**
  - ◆ **Well founded and qualified models and methods for BWR transient applications**
  - ◆ **Conservative benchmarks to reactor turbine trip measurements**
  - ◆ **Highly ranked plant parameters or parameters that exhibit a range of operating conditions treated conservatively**
  - ◆ **Conservative biasing of transient simulations to bound modeling uncertainties for Figure of Merit (FoM) outcomes based on Monte-Carlo techniques and approved uncertainties**
  - ◆ **Resultant change in MCPR added to the statistical MCPR Safety Limit (SLMCPR) to establish the MCPR Operating Limits (OLMCPR)**
  - ◆ **Limiting event boundary conditions are utilized within the RODEX4 statistical methodology to demonstrate fuel centerline melt and clad strain criteria**

# AURORA-B AOO Document Roadmap

## ▶ Submitted Documents

- ◆ ANP-10300, AURORA-B: An Evaluation Model for Boiling Water Reactors; Application to Transient and Accident Scenarios
- ◆ ANP-10300Q1P Acceptance Review Questions clarified the submitted methodology and validated the application of MICROBURN-B2 to Extended Power Uprates with Extended Flow Windows
- ◆ ANP-10300Q2P Requests for Additional Information served to quantify model uncertainties and the associated impact on computed event figures of merit.

## ▶ Supporting documents

- ◆ General BWR Design and Event Descriptions, ANP-2829(P)
- ◆ Control System and Reactor Protection System Requirements for Modeling BWR Events, ANP-2830(P)
- ◆ Identification of Code Capabilities and PIRT Development for BWR Transient Analyses, ANP-2831(P)
- ◆ Underlying documents supporting AURORA-B (MICROBURN-B2, MB2-K, RODEX4, S-RELAP5)

## ▶ AURORA-B and the AURORA-B AOO methodology was developed and documented consistent with the EMDAP process delineated in the NRC Regulation Guide 1.203





## **NRC Staff's Review of ANP-10300P**

### **AURORA-B: An Evaluation Model for Boiling Water Reactors; Application to Transient and Accident Scenarios**

#### **ACRS Subcommittee Meeting Overview**

**A. Kevin Heller, PhD**

**John Lehning**

**Nuclear Performance and Code Review**

**Division of Safety Systems**

**Office of Nuclear Reactor Regulation**

**Tom Michener**

**Pacific Northwest National  
Laboratory**

# Presentation Outline

- Overview (Open Session)
  - Describe NRC staff's review of ANP-10300P
- NRC Staff's assessment of ANP-10300P (Closed Session)
  - Technical evaluation: model and code qualification
  - MICROBURN-B2 Qualification for EPU and EFW
  - Uncertainty analysis
  - Conditions and Limitations and Conclusions

## AURORA-B

- Multi-physics, multi-code system
  - S-RELAP5 thermal-hydraulic system code
  - MB2-K neutron kinetics code
  - CASMO-4/MICROBURN-B2 lattice physics/core neutronics code system
  - RODEX4 fuel thermal-mechanical code
  
- ANP-10300P applicability
  - BWRs/2-6
  - Standard operating domain, EPU and EFW (i.e., MELLLA+)
  - Anticipated Operational Occurrences and Postulated accidents
    - Exceptions: (addressed in other applications)
      - LOCA
      - Control rod withdraw error and CRDA
      - Instability and later stages of ATWS

- Best estimate with conservatism + uncertainty
- Large, interdisciplinary review scope
  - Multiple reviewers over several years
- Pacific Northwest National Laboratory acted as a consultant
  - Judith Cuta – thermal-hydraulics
  - Ken Geelhood – fuel thermal-mechanical
  - Carl Beyer – fuel thermal-mechanical
  - Gregory Piepel – statistics
  - Dave Engel – statistics
  - Andrew Prichard – neutronics
  - Bruce Schmitt – thermal-hydraulics and system modeling

# Review Guidance

- NUREG-0800, “Standard Review Plan for the Review of Safety Analysis Reports for Nuclear Power Plants: LWR Edition.”
  - Chapter 15.0.2, “Review of Transient and Accident Analysis Methods.”
- Regulatory Guide 1.203, “Transient and Accident Analysis Methods”
  - Evaluation Model Development and Assessment Process (EMDAP)

## **SRP Chapter 15.0.2**

- Documentation
- Evaluation Models
- Accident Scenario Identification Process
- Code Assessment
- Uncertainty Analysis
- Quality Assurance Plan

## **Safety Evaluation**

- Based on, and follows, the SRP structure

## **Acceptance Criteria**

- Submittal should identify specific accident scenarios and plant configurations
- Submittal should contain:
  - Complete description of code assessment
  - Theory manuals describing field equations and closure relationships
  - User manuals discussing code limitations

## **Staff's Assessment**

- Accident scenarios identified and code assessment described in LTR
- Unitary S-RELAP5 theory manual and supporting code theory manuals
- Code limitations within theory manuals, user manuals, staff SEs

## **General areas of review:**

- Thermal-Hydraulics (S-RELAP5)
- Neutronics (MICROBURN-B2 and MB2-K)
- Primary System Modeling (S-RELAP5)
- Fuel thermal-mechanical performance (RODEX4)

## **Focused areas of review**

- S-RELAP5 – new and existing models and methods BWR applicability
- MB2-K – new neutron kinetics methods
- MICROBURN-B2 - qualification for EPU and EFW conditions
- RODEX4 “kernel” – subset of RODEX4 models in S-RELAP5



## **Acceptance Criteria**

- Models should be present for all phenomena and components determined important or necessary to simulate scenario under consideration
- Chosen models and associated numerical solutions should predict important physical phenomena reasonably well

## **Staff's Assessment**

- Support for performance of physical models and numerical solutions provided by comparison to experimental data (e.g., KATHY test facility void fraction measurement), numerical benchmarks (e.g., Industry Standard Problems) and higher order methods (e.g., MCNP)
- Examination of equations and relationships governing models via theory manuals and staff SEs for acceptability and range of validity
- Reasonable to excellent code-data comparisons

## Acceptance Criteria

- Process should identify and rank reactor component and physical phenomena modeling requirements
- Process should include evaluation of physical phenomena to identify those important in determining figures of merit

## Staff's Assessment

- SRP Chapter 15.0.2, Section III notes that a PIRT is an example of an acceptable structured process for identifying and ranking phenomena
- AREVA developed PIRT through multiple iterations between development teams and BWR application engineers
- Summary-level PIRT comprised of highly-ranked phenomena from series of event-PIRTs
- 5 figures of merit:  $\Delta$ MCPR, peak system pressure, time-dependent nodal power, peak cladding temperature, max local oxidation.

## **Acceptance Criteria**

- Models should be assessed over entire range of conditions encountered in transient or accident scenarios

## **Staff's Assessment**

- Comparison of predicted results against separate effects tests and integral effects tests from experimental facilities (e.g., KATHY, FRIGG)
- Code predictions compared to analytical solutions for accuracy of numerical methods (e.g., numerical benchmarks, higher order methods)
- System interaction and global capability via prediction of FIST test facility operational transients and Peach Bottom Turbine Trip Tests
- Reasonable to excellent code-data comparisons

## Acceptance Criteria

- Should address all important sources of code uncertainty, including mathematical models in the code and user modeling (e.g., nodalization)

## Staff's Assessment

- AREVA classified three areas of biases and uncertainties:
  - Model structure (e.g., nodalization and time steps size sensitivities)
  - Selection of plant parameters and initial conditions
  - Biases and uncertainties in predicting highly ranked, and pertinent medium ranked, PIRT phenomena
- Structure and initial conditions determined via sensitivity analyses
- Uncertainties in high (and medium) ranked PIRT via non-parametric ordered statistics
  - Conservative biasing of subset of parameters
  - Acceptable parameter distributions and sampling ranges
  - Predominantly univariate approach

## **Acceptance Criteria**

- Code should be maintained under a quality assurance program that meets the requirements of Appendix B to 10 CFR Part 50

## **Staff's Assessment**

- AREVA has an established NRC-approved software quality assurance program
- AURORA-B developed and maintained under this program

- The staff found AURORA-B acceptable for simulation of AOOs and certain postulated accidents
  - BWRs with forced recirculation systems
  - Standard operating domain, EPU and EFW (e.g., MELLLA+)
  - ATRIUM-10 and ATRIUM-10XM fuels (with justification for others)
  - Conditions and Limitations
    - Applied within limits of individual code approvals
    - Uncertainty distributions and sampling ranges as-reviewed
    - Conservative modeling justifications

<b><u>Acronym</u></b>	<b><u>Definition</u></b>
AOO	Anticipated Operational Occurrences
ATWS	Anticipated transient without scram
BWR	Boiling water reactor
CFR	Code of Federal Regulations
CRDA	Control rod drop accident
EFW	Expanded flow window
EMDAP	Evaluation Model Development and Assessment Process
EPU	Extended power uprate
LOCA	Loss of coolant accident
LWR	Light water reactor
MELLLA+	Maximum extended load line limit analysis plus
MCNP	Monte Carlo N-Particle
PIRT	Phenomena identification and ranking table
SRP	Standard review plan
SE	Safety evaluation
$\Delta$ MCPR	Transient change in Minimum critical power ratio