

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title:                   Advisory Committee on Reactor Safeguards  
                              NuScale Subcommittee: Open Session

Docket Number:     (n/a)

Location:             Rockville, Maryland

Date:                  Wednesday, September 20, 2017

Work Order No.:     NRC-3289

Pages 1-130

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

NUSCALE SUBCOMMITTEE

+ + + + +

OPEN SESSION

+ + + + +

WEDNESDAY

SEPTEMBER 20, 2017

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B1, 11545 Rockville Pike, at 8:30 a.m., Michael Corradini, Chairman, presiding.

COMMITTEE MEMBERS:

MICHAEL CORRADINI, Chairman

RONALD G. BALLINGER, Member

DENNIS C. BLEY, Member

CHARLES H. BROWN, JR., Member

WALTER L. KIRCHNER, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

JOSE MARCH-LEUBA, Member

DANA A. POWERS, Member

JOY REMPE, Member

GORDON R. SKILLMAN, Member

JOHN W. STETKAR, Member

MATTHEW W. SUNSERI, Member

ACRS CONSULTANT:

STEPHEN P. SCHULTZ

DESIGNATED FEDERAL OFFICIAL:

MIKE SNODDERLY

ALSO PRESENT:

BRUCE BAVOL, NRO

RICHARD HARNE, AREVA\*

JIM HOERNER, AREVA

REBECCA KARAS, NRO

LARRY LOSH, NuScale

JEFFREY SCHMIDT, NRO

GLEN THOMAS, AREVA

TIM THOMAS, AREVA

CHRISTOPHER VAN WERT, NRO

ANDREA D. VEIL, Executive Director, ACRS

\*Present via telephone

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

C-O-N-T-E-N-T-S

Opening Remarks.....4

Applicability of AREVA Fuel

    Methodology for the NuScale Design.....7

Staff Evaluation of Applicability of

    AREVA Fuel Methodology for the

    NuScale Design.....66

Public Comment.....86

Adjourn.....87

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

## P R O C E E D I N G S

8:30 a.m.

MEMBER CORRADINI: This meeting will come to order. This is a meeting of the Advisory Committee on Reactor Safeguards, the NuScale Subcommittee. My name is Mike Corradini, Chairman of the Subcommittee.

Member in attendance are today: Ron Ballinger, Matt Sunseri, Dick Skillman, Dana Powers, Dennis Bley, John Stetkar, Jose March-Leuba, Walt Kirchner, Charles Brown, Joy Rempe, and our consultant is Dr. Steve Schultz. Mike Snodderly is the Designated Federal Official for this meeting.

And the purpose of today's meeting is to discuss the staff's evaluation of the NuScale's topical report entitled "Applicability of AREVA Fuel Methodology for the NuScale Design." Today, we have members of the NRC staff and NuScale Power to brief the Subcommittee.

The ACRS was established by statute and is governed by the Federal Advisory Committee Act (FACA). That means that the Committee can only speak through its published letter reports. We hold meetings to gather information to support our deliberations. Interested parties who wish to provide comments can contact our office requesting time after the meeting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 announcement is published in the Federal Register.  
2 That said, we set aside ten minutes for extemporaneous  
3 comments from members of the public attending or  
4 listening to our meetings. Written comments are also  
5 welcome.

6 The ACRS section of the U.S. NRC public  
7 website provides charter bylaws, letter reports, full  
8 transcripts of all the full and subcommittee meetings,  
9 including slides presented here. The rules for  
10 participation in today's meeting were announced in the  
11 Federal Register on September 18th, 2017. The meeting  
12 was announced as an open/closed meeting. We will close  
13 the meeting after an open portion to discuss any  
14 proprietary matters and presenters can defer questions  
15 to that time. And so I'm going to actually go a bit  
16 off script and ask NuScale and the staff to alert us  
17 if we're straying into something that's got to go into  
18 closed session.

19 No written statement or request for making  
20 an oral statement to the Subcommittee has been received  
21 from the public concerning this meeting. The  
22 transcript of the meeting is being kept and will be  
23 made available, as stated in the Federal Register  
24 notice. Therefore, we request that participants in  
25 this meeting use the microphones located throughout

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the meeting room when addressing the Subcommittee.  
2 Participants should first identify themselves and speak  
3 with sufficient clarity and volume so that they can  
4 be readily heard.

5 We have a bridgeline established for the  
6 public to listen to the meeting. To minimize  
7 disturbance, the public line will be kept in a listen-in  
8 only mode. And to avoid disturbances, I also request  
9 that attendees here in the room put their electronic  
10 devices, like cell phones, etcetera, in the noise-free  
11 mode.

12 We'll now proceed with the meeting, and  
13 I'll call on Becky Karas from the staff to begin today's  
14 meeting.

15 MS. KARAS: This is Becky Karas. I'm  
16 Chief of the Reactor Systems Branch in NRO. I just  
17 wanted to thank the Committee for its time in looking  
18 at this. We think this topical report is fairly  
19 straightforward, the review is fairly straightforward  
20 for us in comparison to, you know, probably some of  
21 the other topical reports that are still under review  
22 with the staff. So we hope for a productive meeting  
23 and to be able to answer your questions.

24 MEMBER CORRADINI: Okay. And I think  
25 we'll turn it over to NuScale. Larry, will you lead

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 us off?

2 MR. LOSH: Okay. My name is Larry Losh.

3 MEMBER CORRADINI: Is your green light on?

4 Push the little button at the very bottom. There you  
5 go. You're on.

6 MR. LOSH: Again, my name is Larry Losh.

7 I'm responsible for fuel at NuScale Power, and,  
8 together with Glen Thomas, we'll be presenting the  
9 information relative to the applicability of the AREVA  
10 fuel methodology for NuScale design.

11 To accomplish that, I want to walk us  
12 through first the relationship that NuScale has with  
13 AREVA and how that relates to our overall approach to  
14 fuel. Much of the applicability of these topicals is  
15 related to the fuel design features and how they compare  
16 to existing PWR fuel and how the operating conditions  
17 in a NuScale reactor are similar to those of a typical  
18 PWR. So --

19 MEMBER CORRADINI: Larry?

20 MR. LOSH: -- the presentation will  
21 probably cover those items.

22 MEMBER CORRADINI: Just can you pull your  
23 mike a little bit closer? You speak very softly, so  
24 we want to make sure we hear every word.

25 MR. LOSH: I'll try to speak louder, too.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Okay. Thanks.

2 MR. LOSH: Okay. So what I will cover will  
3 be the fuel design features and then a comparison of  
4 the fuel design features that are shown on the NuScale  
5 design and compare those to a typical PWR fuel assembly,  
6 as well as a comparison of the operating conditions.

7 And that really defines our approach to the overall  
8 methods of applicability. Glen will cover the details  
9 of how that comparison results in a finding that all  
10 of those codes and methods are applicable to the NuScale  
11 design.

12 This graphic depicts the relationship that  
13 we have with AREVA and how that is considered in this  
14 topical. We have contracted with AREVA for fuel design  
15 and for fuel fabrication services. The two key  
16 elements that we get from that relationship: One, we  
17 have access to a proven product for the NuScale plant,  
18 something that's in operation today, at least all of  
19 the components are and I'll go through those in detail.

20 And, second, it ensures that we have a single design  
21 for both the design certification application and for  
22 the batch implementation. We're going to show you the  
23 design that we want to have approved and the design  
24 that we intend to use on a batch basis.

25 The AREVA support considers the fuel design

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 work following their standard process, which includes  
2 a full gamut of prototypic testing, and the analyses  
3 are all backed by their approved codes and methods.  
4 Now, we've gone to some lengths to ensure that those  
5 codes and methods are applicable to the NuScale design,  
6 and that's what we're trying to establish and document  
7 in the topical report before you today, 2825, Rev. 1.

8  
9 The graphic here shows the NuScale fuel  
10 assembly design, and each of the elements in the design  
11 you will see relates back to a proven product from the  
12 AREVA catalog. The design incorporates intermediate  
13 grids, the HTP grid, and an end grid, the HMP grid,  
14 that are identical to that used in current PWR operation  
15 in the U.S. We are also using Zircaloy-4 MONOBLOC guide  
16 tubes that are identical to that used in the U.S., with  
17 the exception of the length.

18 The quick-disconnect top nozzle is also  
19 used in the U.S. The bottom nozzle employs a mesh  
20 filter plate that's in use in the U.S. And we are using  
21 Alloy M5 fuel rod cladding that is in widespread use  
22 worldwide and certainly in the U.S., as well.

23 MEMBER SKILLMAN: Larry, when would be a  
24 good time to ask questions about the design of the fuel  
25 assembly itself?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LOSH: Please, go ahead.

2 MEMBER SKILLMAN: Okay. Your top  
3 diameter or your top dimension is 8.406 and your bottom  
4 grid is 8.425, so they are different from one another.  
5 Why?

6 MR. LOSH: Glen, I'll let you . . .

7 MR. G. THOMAS: The question was the  
8 difference between the top grid and the bottom grid?  
9 Was that the question?

10 MEMBER SKILLMAN: Yes, the width.

11 MEMBER CORRADINI: And just, if we're  
12 getting into things that should be in closed session,  
13 you've got to tell us.

14 MR. G. THOMAS: That dimension is okay.  
15 That follows our standard PWR configuration, so, as  
16 Larry mentioned, we're using standard HTP grids at the  
17 top locations and an alloy HMP grid at the bottom, and  
18 that difference is what use throughout our PWR fleet.  
19 Same dimension.

20 MEMBER SKILLMAN: The reason I ask the  
21 question is because this fuel assembly is significantly  
22 shorter than a 12-foot.

23 MR. G. THOMAS: Yes, correct.

24 MEMBER SKILLMAN: And it could be that the  
25 hold-down force is different in the lower grid and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 connecting force from the upper grid, from the plenum,  
2 is also different. And so my question is really driven  
3 by the curiosity does that dimension difference make  
4 a difference because of the length and the weight of  
5 your fuel assembly? That's a difference, and so I'm  
6 curious about whether that difference makes, has any  
7 significance at all.

8 MR. G. THOMAS: Could you repeat the  
9 question in terms of --

10 MEMBER SKILLMAN: Sure.

11 MR. G. THOMAS: -- the connection between  
12 these dimensions and the distribution of --

13 MEMBER SKILLMAN: You make a good point.  
14 You're going to use an AREVA fuel assembly. It's  
15 proven technology.

16 MR. G. THOMAS: Yes.

17 MEMBER SKILLMAN: Yes, it is, except the  
18 fuel assembly that you're going to use is what?  
19 Three-fifths?

20 MR. G. THOMAS: Considerably shorter, yes.

21 MEMBER SKILLMAN: Okay.

22 MR. G. THOMAS: Agreed.

23 MEMBER SKILLMAN: So these end fittings  
24 have features of fit into what is the core lower grid  
25 and what will be the core plenum.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. G. THOMAS: Yes, correct.

2 MEMBER SKILLMAN: And those intersection  
3 forces can be significant, either in terms of the  
4 fueling or in terms of fuel assembly lift for flow rate.

5 And so while you're using a proven technology, you  
6 actually have a dimension difference that, at least  
7 in my judgment, could be significant based on how this  
8 smaller assembly is applied in the NuScale reactor  
9 design.

10 MR. G. THOMAS: Okay. A short answer to  
11 that question might be the fact that we would expect  
12 the forces on the fuel assembly and the plenum to both  
13 be less than they are for a PWR because the flow forces  
14 from the natural circulation are imposing less lift  
15 load, and so we're able to design a hold-down spring  
16 system that imposes less compressive load on the bundle.

17 So the forces reacting through the fuel assembly into  
18 the lower core plate should be less than they are on  
19 a typical PWR. In addition to that, we have less fuel  
20 assembly mass because of the shorter fuel stack.

21 So I think the loads on the assembly, as  
22 well as the loads reacting out through the lower core  
23 plate, should be less, and in the upper core plate,  
24 as well, because of the lower flow forces.

25 MEMBER SKILLMAN: Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LOSH: This slide depicts a comparison  
2 of the NuScale fuel design and the AREVA 17 x 17 PWR  
3 design. As we just discussed, these dimensions are  
4 identical, for the most part, except for those having  
5 to do with length. You'll notice that the NuScale  
6 active fuel stack height is two meters, 78.74 inches,  
7 compared to a typical PWR at 12 feet.

8 The other dimensions that then change are  
9 those having to do with the overall fuel assembly height  
10 from 160 inches to 94, and the spacer grid span length  
11 actually changes slightly. We have a different number  
12 of grids on the NuScale fuel assembly design. The  
13 resulting fuel assembly span length is 20.1 inches  
14 instead of 20.6 typically found in the AREVA PWR design.

15  
16 Otherwise, the dimensions are the same.  
17 The dash pot dimensions, the other guide tube dimensions  
18 are identical, and all of the fuel rod internal  
19 dimensions having to do with the pellet OD, cladding  
20 ID, cladding OD, etcetera, are all identical to the  
21 PWR dimensions from AREVA.

22 MEMBER BALLINGER: I have a question  
23 that's probably getting down into the minutia, but the  
24 dash pot region, the flow rate up in these bundles in  
25 a 17 x 17 standard is about ten times what it is in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this bundle because of the natural circulation. So  
2 there's cooling flow that goes up into the guide tubes  
3 that's based on the flow in a standard 17 x 17 assembly,  
4 which should be larger. So in a scram position, does  
5 that affect the rod drop timing? Because you've got  
6 flow going up that's faster in a PWR assembly than it  
7 is in this. Does that affect the rod drop time?

8 MR. LOSH: It may affect it somewhat.  
9 It's in the direction of being less hydraulic resistance  
10 and a faster scram time.

11 MEMBER BALLINGER: Okay.

12 MR. LOSH: In addition, the NuScale  
13 control rod drive line is heavier, which also  
14 contributes to a faster drop time.

15 MEMBER BALLINGER: Okay.

16 MEMBER REMPE: So I have a process  
17 question, and it's similar to, I think, what was brought  
18 up last time you guys did this. This is a topical report  
19 for using basically a shorter fuel rod, using the AREVA  
20 methods for a shorter fuel rod. And you gave us some  
21 of the parameters for the reactor but not all, and we  
22 have to go to NuScale-specific book or documents to  
23 get those other ones. For example, axial peaking  
24 factor. And in that particular case, the staff had  
25 to assume something.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           Now, your reactor, it's fine for using its  
2 axial peaking factor with this topical report. But  
3 what about, I think John always refers to it Joe's  
4 reactor, and he comes in with something that has a very  
5 high axial peaking factor, and that's just one example.

6           So there's other conditions that aren't well defined,  
7 and how does one deal with Joe's reactor who might want  
8 to use the same topical report later?

9           MEMBER CORRADINI: Can I just, just to  
10 clarify, I assume this was specific to NuScale. Is  
11 this considered a generic applicability document?

12           MR. LOSH: No.

13           MEMBER REMPE: Are you sure? Because the  
14 staff in their slide said we don't use anything from  
15 NuScale in reviewing this topical report. And when  
16 I read the intro to your report, I thought it said that  
17 we are just basically wanting to use AREVA methods for  
18 a shorter fuel rod, and it didn't really get into the  
19 details of the NuScale.

20           So this is a process question. If you,  
21 indeed, are having a topical report for the NuScale  
22 reactor, then you're good. But I thought what I read  
23 wasn't that way. So Joe's reactor can't come in and  
24 use this topical report?

25           MR. LOSH: This is specific to the NuScale

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 module design.

2 MEMBER REMPE: Okay. And so if that  
3 design changes, I mean, is it tied to a particular  
4 version then of the NuScale dimensions and things like  
5 that or the axial peaking factor in this particular  
6 case?

7 MEMBER CORRADINI: Can I try something?  
8 And maybe staff is going to come in here at this point.  
9 But my impression is this is an applicability document  
10 for codes and methods already approved, but we have  
11 yet to and are not supposed to review how those codes  
12 and methods work out for your design. That we're going  
13 to see in Chapter 4 of the DCD.

14 MR. VAN WERT: That's right.

15 MEMBER CORRADINI: Okay. So that was one  
16 thing I want to make sure I'm not misinterpreting, and  
17 I'm looking at staff. And the second thing about staff  
18 is this is specific just to NuScale, this is not a  
19 generic topical? I'm looking at the staff now.

20 MR. VAN WERT: This is Chris Van Wert from  
21 SRSV. Yes, this is specific for NuScale and you will  
22 be seeing the actual application of these methodologies  
23 in a future meeting in the springtime, probably  
24 springtime.

25 MEMBER CORRADINI: Okay. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Just to clarify. So did that help you, Joy?

2 MEMBER REMPE: No, because I peeked ahead  
3 and on slide five you have on your staff's slides, it  
4 says the staff review doesn't cover any technical  
5 analysis of this plant design based on the AREVA  
6 methods. And I know you had to assume an axial peaking  
7 factor, which I'm going to be asking later why isn't  
8 that a limitation or condition? You basically said  
9 we didn't use, we used something typical for a PWR in  
10 your topical report or your SER, and so I'm just  
11 wondering if there's other things out there that, again,  
12 if you are going to assume something for the NuScale  
13 design, why didn't you assume their axial peaking  
14 factor? Why do you have the statement I used a typical  
15 PWR one?

16 Again, it's a higher-level question, and  
17 I'm kind of getting too much into the detail of my  
18 example. But I just am curious.

19 MR. VAN WERT: Right. We were using  
20 confirmatory runs using FRAPCON, and we just wanted  
21 to kind of come up with a general gut feel of whether  
22 or not we had to ask some additional questions. I think  
23 the section was, I think this was one we were reviewing,  
24 COPERNIC I believe is -- I'm not sure which one you're  
25 talking about.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER REMPE: But we can get to that later  
2 with the details. But, again --

3 MR. VAN WERT: Right. So we were trying  
4 to figure out if there was anything unusual that would  
5 kind of tell us we had to, it was something that we  
6 needed to investigate a little bit further. So we used  
7 kind of some standard values and numbers that were --

8 MEMBER REMPE: Okay. But really your SER  
9 is approval based on the axial peaking factor for the  
10 NuScale-specific design based in whatever rev of  
11 whatever. And even though you assumed this other  
12 value, you know it's bounded by this other NuScale --

13 MR. VAN WERT: Correct. But when we do  
14 the technical report review, which we cover in the DCD  
15 Section 4.2 presentation, that we will be doing  
16 confirmatory runs that are very specific to NuScale's  
17 type --

18 MEMBER REMPE: And if you find out that  
19 something doesn't work with this topical report, it  
20 will be updated? Because the topical report also  
21 doesn't cover all the methods you're going to be having  
22 to use, like the thermal hydraulics methods. And so  
23 the process will be, oh, well, your design doesn't  
24 quite, you can't use some of these methods exactly in  
25 this document and your SE would be updated saying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there's some more limitations or something would  
2 happen?

3 MR. VAN WERT: Correct. At that time, we  
4 will update, if necessary. At this point, we didn't  
5 see anything that would indicate that there would be  
6 an applicability issue, but we can cover that.

7 MEMBER REMPE: Okay. Thank you. Sorry.

8 MR. SCHULTZ: Larry, Steve Schultz on this  
9 slide. With regard to the spacer grid span length,  
10 you mentioned that as one of the differences, one of  
11 the few differences in the design here. Is there any  
12 technical design rationale that has set that at a  
13 slightly lower span length than for the AREVA design?

14 MR. G. THOMAS: There's an advantage, and  
15 I'll speak to it more in my presentation when we talk  
16 about fuel rod bow. Having the shorter spans is an  
17 advantage in terms of predicting fuel rod bow  
18 performance, so there's an advantage to being slightly  
19 smaller than our experience, so we could be bounded  
20 by the operational experience of the 17 x 17 --

21 MR. SCHULTZ: Is it technically  
22 significant, the half-inch that you got? Did you  
23 design the fuel so that you had that little bit more?

24 I know it's pointed out, and, qualitatively, you might  
25 see some advantage but --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. G. THOMAS: The key, qualitatively,  
2 is that it's less, not that the half-inch is of  
3 particular significance. It allows us to say that  
4 we're bounded by our operating experience at the 20.6  
5 value. The half-inch in itself is not particularly  
6 consequential.

7 MR. SCHULTZ: I didn't think it would be.

8 MEMBER CORRADINI: But to get to this  
9 point, but all the analysis eventually has to be based  
10 on the associated testing that you have to do with this  
11 exact fuel design for all the conditions. For example,  
12 accident conditions, right?

13 MR. G. THOMAS: Correct. Testing and  
14 analyses, yes.

15 MEMBER CORRADINI: Okay, fine.

16 MEMBER REMPE: So is it allowed to ask  
17 about will the NuScale design be allowed to load follow?

18 The documentation, or is this something for later,  
19 it says we don't plan to, but it doesn't preclude it.

20 Again, that seems important with respect to fuel  
21 performance, and I couldn't find a definitive statement  
22 saying no load following.

23 MR. LOSH: Chris, would you like to respond  
24 to that?

25 MEMBER CORRADINI: I was going to wait,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think the staff has, their one and only limitation  
2 is this.

3 MR. VAN WERT: Right. So this is one of  
4 those kind of interfaces between this topical report  
5 and then the DCD review, well, the technical report  
6 associated with it, as well. The reason you see this  
7 limitation here is because, apparently, we're doing  
8 the other review, and there was an RAI associated with  
9 that DCD review and we requested, you know, some more  
10 clarification on whether or not they intend daily load  
11 follow use, and in the RAI response they did indicate  
12 that they would like to have that.

13 And so the reason there's limitation on  
14 here is we want to make clear that they understood that  
15 we cannot find anything in the AREVA topical reports  
16 and the staff SE associated with that specifically  
17 stating that it was applicable for load follow use.  
18 It might be inherent in there. There might be some  
19 more stuff that's not, you know, on the docket at this  
20 point. I can't weigh in on that at this point, but  
21 the NuScale topical saying that the AREVA documents  
22 are applicable did not cover it. So we want to make  
23 sure that it was clear that any future analysis, namely  
24 the DCD review, would include that as part of their  
25 scope.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER REMPE: Okay. Thank you.

2 MR. LOSH: The next slide looks at a  
3 comparison of the operating conditions primarily, but  
4 you also will see differences in the overall core  
5 configuration. The rated thermal power for the NuScale  
6 plant is 160 megawatts thermal compared to a typical  
7 PWR of about 3500. We operate at a slightly lower  
8 pressure and temperature.

9 The largest difference you'll see here,  
10 of course, will be in regard to the natural circulation  
11 flow rates, which produce an average of coolant velocity  
12 of about three feet per second compared to a PWR running  
13 around 16 feet per second. So we'll end up with core  
14 average Reynolds number approximately 80,000, where  
15 a PWR will run around 500,000.

16 MEMBER POWERS: What are the consequences  
17 of that?

18 MR. LOSH: Pardon?

19 MEMBER POWERS: What are the consequences  
20 of that? I mean, it would seem to affect things like  
21 mass transport, ability to shear things off the surface  
22 of the fuel, things like that.

23 MR. LOSH: There are a number of things  
24 that we will evaluate with respect to the lower Reynolds  
25 number in application. But in terms of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 applicability of these codes and methods, the only place  
2 that it really becomes an element is whether we're in  
3 a forced flow convected heat transfer mode for the  
4 thermal analysis. And Glen will cover that.

5 MEMBER POWERS: That has no consequences  
6 on the accumulation of material there?

7 MR. LOSH: Not that we're aware.

8 MEMBER POWERS: Fine.

9 MEMBER CORRADINI: You're worried about  
10 crud build-up?

11 MEMBER POWERS: Sure.

12 MEMBER CORRADINI: Okay. That's where I  
13 thought you were going.

14 MEMBER POWERS: Similarly, on cycle  
15 length, a very substantial difference in cycle length  
16 here. And so you worry about things, you know, all  
17 the things associated with clad corrosion, clad  
18 contamination, because of the cycle length, and does  
19 it fall outside of our experiential range?

20 MEMBER CORRADINI: Do you guys have a  
21 comment, or do you want to move on? Okay.

22 MR. SCHULTZ: Larry, with regard to the  
23 fuel assembly discharge burnup, here it states that  
24 the maximum is less than 50. In various places, there  
25 are burnup numbers provided for the assembly. On

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 average, it's listed as 40 gigawatt days per ton. Here  
2 it's less than 50. It bothers me that we're not,  
3 precise is not the right word but consistent in the  
4 discussion of assembly burnup in terms of do we know  
5 what the typical application is going to demand for  
6 this cycle length and the fuel cycle designs that have  
7 been proposed?

8 MR. LOSH: What we know today is that the  
9 equilibrium cycle that's used as a basis for the DCA  
10 is a two-year nominal cycle with a 13 fuel assembly  
11 feed, and that produces a discharge burnup  
12 approximately 40,000. That does not mean that we may  
13 not need to design a cycle that has a slightly different  
14 burnup, so our expectation is that that 40,000 is  
15 typical and the key element is that it's well below  
16 what is currently used in PWRs and well below the license  
17 limit for the codes that we are using and are applicable  
18 to the NuScale design.

19 MR. SCHULTZ: Okay. It just surprised me  
20 that there's so much discussion about, oh, it's 40,  
21 and since that's much less than 50, then you've got  
22 a case to be made. Here it says less than 50. So I'm  
23 trying to understand, again, the consistency and, in  
24 some cases, the engineering argument associated with,  
25 well, how different is it going to be in application?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KIRCHNER: Can I add on here?

2 MEMBER CORRADINI: Before we start talking  
3 about this, are these numbers, I know less than 50 and  
4 greater than 50 is open. Is the rest of the discussion  
5 in a closed session? Do we want to wait until we're  
6 in closed to talk about this? That's a question for  
7 you guys to decide.

8 MR. LOSH: I think we're okay.

9 MEMBER KIRCHNER: So if I might add on to  
10 Steve's points, so these are, when you say maximum fuel  
11 assembly discharge burnup, is this averaged over the  
12 assembly? And what I'm getting at is peaking factors.  
13 To get that kind of push to higher burnups with a  
14 shorter core, typically, from a neutronics standpoint,  
15 you're going to have a steeper axial profile than you  
16 would have in a larger longer-length fuel element in  
17 a PWR. So what are you seeing as local peaking in terms  
18 of burnup versus average? You see where I'm going with  
19 that? These are like average, average numbers for the  
20 assembly and the core.

21 MEMBER CORRADINI: So, once again, I have  
22 a feeling we've got to talk about this in closed session.

23 MEMBER KIRCHNER: Okay. So let me just  
24 put a marker down that one aspect I would like to explore  
25 is with the shorter core height, what kind of axial

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 peaking factors you have, and what does that mean when  
2 you start making these kind of comparisons on burnup  
3 and some other matters related to the heat transfer  
4 and the performance at lower Reynolds number. Thank  
5 you.

6 MEMBER CORRADINI: Keep on going. I'm  
7 watching you guys and the time, if we want time for  
8 closed session.

9 MR. LOSH: Let's see. Oh, we discussed  
10 the fact that we had a significantly lower average  
11 Reynolds number, and the other element force that's  
12 key is that our overall power density, after you  
13 consider the shorter height with the smaller number  
14 of fuel assemblies and then the lower thermal power,  
15 is about 40 percent of that of a typical PWR where we  
16 have a linear heat rate of about 2.5 kilowatts per foot  
17 average linear heat rate.

18 And as we just discussed, the overall cycle  
19 length, while being longer, due to that lower power  
20 density, we see discharge burnups. Here the note was  
21 made that it was less than 50. And for our current  
22 equilibrium cycle design, it's approximately 40,000  
23 for a discharge burnup.

24 There are five AREVA topicals that were  
25 brought into this one topical discussing applicability

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of codes and methods. I'll let Glen go through those,  
2 but the point that I wanted to make here is that there  
3 is a sixth topical associated with AREVA codes and  
4 methods, and that's specific to seismic methodology.

5 And that additional methodology topical is the subject  
6 of a separate topical report. So this topical, that  
7 is 2825, covers the applicability of the five topical  
8 reports you see listed here, and we'll be back to you  
9 some day later with the seismic one.

10 With that, Glen, I think this is --

11 MR. G. THOMAS: Thank you, Larry. So from  
12 this part of the presentation, we'll focus more on the  
13 actual applicability evaluations that AREVA performed  
14 to show that each of these five AREVA topical reports  
15 are applicable to the NuScale fuel design and operating  
16 conditions. So these first two or three slides are  
17 introductory, and then I'll actually march through each  
18 of the five topical reports in sequence.

19 Here, I'll summarize the method of AREVA's  
20 evaluation. So we looked at really two key aspects  
21 of topical report applicability, the first being the  
22 technical applicability of the report which I'll speak  
23 to in a little bit further detail down at the bottom  
24 of the slide. And the second is the regulatory  
25 applicability of each report, which is basically

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 determined by reviewing the SER and TER for each of  
2 the topical reports and determining that they didn't  
3 have anything that would preclude use or application  
4 of that report to NuScale.

5 The third point there has already been  
6 brought up. The rest of the materials and the  
7 presentation and the NuScale applicability report do  
8 not really deal with the results of these evaluations,  
9 so that won't be contained in this evaluation. That's  
10 in the DC and in the associated topical report that's  
11 part of that DC. So this is really focusing on  
12 applicability of the AREVA methods and the AREVA  
13 evaluation to show that that, in fact, was the case.

14 In terms of our technical applicability  
15 evaluation, there are really two key factors, and we've  
16 already brought them out in Larry's presentation. In  
17 each case for each of the five topical reports allowed  
18 us to conclude that they were, in fact, applicable to  
19 NuScale, the first being the similarity to the fuel  
20 design and we'll bring that up one more time in general  
21 and then talk about each individual report and then,  
22 secondly, the bounding nature of the typical parameters  
23 in which AREVA fuel operates in a U.S. PWR.

24 So I apologize if this table was already  
25 presented, but I thought it was really important to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 emphasize this before I move on with my materials, and  
2 that is, again, just the similarity of the designs.  
3 And while Larry has walked through some of these  
4 parameters, I'll just point out that the three values  
5 in red are the only difference are the axial parameters  
6 affecting the fuel design. So we're talking about the  
7 overall fuel assembly height, the stack length of the  
8 fuel, and the grid span which is the space between the  
9 spacers. Those are the only three parameters in this  
10 list where there's a difference. They're so similar  
11 because, as Larry pointed out, we're actually using  
12 the same hardware, the same grid, the same parts, the  
13 same components for this NuScale design as we used for  
14 our own standard 17 x 17 fuel assembly design.

15 So that comparison, the level of  
16 equivalence between NuScale design and AREVA design  
17 allows us to conclude in many cases that our methods  
18 are, in fact, applicable. So that's point number one.

19 MEMBER SKILLMAN: Glen, let me ask a  
20 question. You mentioned earlier, and please tell me  
21 if this is proprietary, you mentioned earlier that the  
22 control rod, and I think when you said that you meant  
23 the spider plus the elements are heavier, and I think  
24 you meant that relatively speaking to a full-length  
25 12-foot core rod.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LOSH: I think I answered it, and my  
2 answer was in the context of the total drive line, the  
3 translating weight, not just the spider and the  
4 elements, but the drive rod above it, which is longer  
5 in the NuScale design and, therefore, heavier.

6 MEMBER SKILLMAN: Okay. So to your point  
7 about these fuel assemblies being virtually identical  
8 on all aspects, although shorter, you've got the 24  
9 guide tubes that basically carry the impact load from  
10 the spider drive line. Has that load-carrying  
11 capability been analyzed for the relatively greater  
12 impact from the spider in the spring on scram?

13 MR. LOSH: Good question. The answer to  
14 that is yes. We explicitly modeled the additional  
15 weight from the lead screw combined with the specific  
16 geometry of the shorter fuel assemblies, the shorter  
17 guide tubes, and the mass and geometry of the control  
18 rod assembly and explicitly modeled the drop to ensure  
19 that the load imparted on the fuel assembly was one  
20 that would be acceptable in terms of the guide tube  
21 structural strength.

22 MEMBER SKILLMAN: Okay. Thank you.

23 MR. G. THOMAS: So, again, the key takeaway  
24 from this slide is the degree of similarity, and we'll  
25 make reference to that through the future slides

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 discussing applicability of each individual report.

2           Secondly, again, I'm repeating a table,  
3 but I just think it's very germane to this applicability  
4 argument. So on the last slide, the point of emphasis  
5 was the degree of equivalence between the fuel designs.

6           The takeaway from this slide, the key is that, in  
7 general, these operating parameters for NuScale listed  
8 in the center column are bounded by the operating  
9 parameters of AREVA fuel in a typical PWR.

10           The one exception has already been brought  
11 out, and that is the coolant velocity where there are  
12 some analyses where a lower coolant velocity would  
13 actually be limiting. So when we get to a couple of  
14 the topicals where that would be an issue, we'll talk  
15 about that specifically.

16           MEMBER SKILLMAN: Then let me ask this  
17 question, perhaps to your favor. Are there any AREVA  
18 17 x 17s that are operating on a 24-month fuel cycle?

19           MR. G. THOMAS: At this point in time, no.

20           MEMBER SKILLMAN: No. Okay. Thank you.

21           MR. G. THOMAS: So the third table here,  
22 which is the last of what I consider the introductory  
23 slides before I walk through each individual report,  
24 simply is a graphic to show on the left the AREVA scope  
25 of analysis, in the center column we show the standard

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 review plan applicable criteria, and on the right you  
2 can see how our five topical reports are distributed  
3 for the work in the AREVA work scope that are used for  
4 the project. So it's just to give you a visual as to  
5 how these five reports are used and what analyses they  
6 cover.

7 So that is the more general introductory  
8 material. We'll start walking through each of the five  
9 topical reports and our applicability evaluations.

10 The first I want to cover is EMF-92-116.

11 It's titled "Generic Mechanical Design Criteria for  
12 PWR Fuel Designs." It's a very broadly-used topical  
13 within AREVA and defines our industry-approved  
14 mechanical design criteria for PWR fuel. It's been  
15 used for a number of fuel arrays in both  
16 Westinghouse-type plants and CE-type plants. The SER  
17 for EMF-92-116 approves its use for fuel up to 62  
18 gigawatt days for measured ton uranium. That's a rod  
19 average burnup value. And as we discussed a little  
20 bit already, this is bounding relative to the types  
21 of burnup values that we're seeing from the NuScale  
22 fuel cycles.

23 92-116 is used in a number of analyses  
24 within AREVA, but there are six that are being applied  
25 to the NuScale application. So I'll briefly summarize

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 each of those six on this slide and the next.

2 The first 92-116 section that we're  
3 applying to the NuScale design is on internal hydriding.

4 Here the controls are established for fuel rod internal  
5 component hydrogen content. Basically, we have a  
6 pellet specification that controls the hydrogen content  
7 of the pellets. That's how we ensure that we don't  
8 introduce an unacceptable amount of hydrogen to the  
9 rod interior during operation.

10 These same controls in terms of this  
11 manufacturing specification are going to be imposed  
12 in the NuScale fuel design as we used in our standard  
13 UO2 and gad fuel designs, so the controls would be the  
14 same and this criteria will be the same as applied to  
15 NuScale fuel as our standard 17 x 17 fuel.

16 The second section in 92-116 we're applying  
17 is on fuel assembly structure normal operation stress  
18 analysis. That section of 92-116 directs us to use  
19 the ASME code for the stress calculations and the stress  
20 limitations for how the stresses are combined. The  
21 code equation limits are generic. They're applicable  
22 to NuScale because of the things we pointed out at the  
23 outset. The operating conditions are similar and  
24 generally bounded, and the fuel assembly structural  
25 materials, the fuel assembly geometry, with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 exception of the length, are the same. And the fact  
2 that the length is shorter is actually a benefit in  
3 terms of the structural stiffness of the bundle. So  
4 these methods for evaluating fuel assembly stresses  
5 are applicable to NuScale because of the similarity  
6 of their use and the similarity of the design.

7 The third criteria is on spacer grid  
8 fretting wear. The criterion is that no rods are too  
9 fret to failure during operation. This is demonstrated  
10 through testing, so, for the NuScale program, as Larry  
11 mentioned at the outset, we've done full-scale  
12 prototypic life and wear testing to show that this fuel  
13 is not susceptible to life and wear fretting through  
14 the life and wear tests. So this is also an applicable  
15 criteria, and the method was also used to demonstrate  
16 acceptability.

17 The fourth area is fuel rod and fuel  
18 assembly axial growth. In this analysis, we utilized  
19 empirical models to show the rod and assembly  
20 end-of-life gaps. For the rod, the key is to show that  
21 there's a gap between the rod and the nozzles at the  
22 end of life. For the bundle, the key is to show that  
23 there's a gap between the top of the nozzle and the  
24 core plate at end of life, if there's acceptable gap  
25 for axial growth.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So these models and this method is  
2           applicable to NuScale because we're utilizing the same  
3           structural materials for the fuel assembly and the  
4           operating conditions. Typically, burnup is bounded  
5           by AREVA U.S. PWR experience.

6           The last two criteria covered by 92-116  
7           are the fuel lift analysis. There the fuel assembly  
8           mass and hold-down are to exceed the hydraulic lift  
9           forces, so that's both the method and the criteria for  
10          this calculation. The similarity to the fuel design,  
11          the geometric similarity, as well as the material  
12          similarity, makes the method and criteria applicable  
13          to the NuScale application.

14          MEMBER BALLINGER: Did I read in here that  
15          the spring constant is a little different with this  
16          fuel than the standard 17 x 17 fuel?

17          MR. G. THOMAS: It is a little less stiff.

18          A typical AREVA 17 x 17 fuel assembly has a three-leaf  
19          spring. This has a two-leaf spring, and the key in  
20          understanding that difference is, with natural  
21          circulation, we have very low lift forces, and so there  
22          is no need for a significant spring load, which can  
23          adversely affect fuel assembly --

24          MEMBER BALLINGER: So your analysis for  
25          the regular fuel bounds all this then?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. G. THOMAS: Correct, correct. So the  
2 last category from 92-116 is the shipping and handling  
3 stress analysis. Here the loads from shipping are  
4 compared with the ASME allowable limits. This is much  
5 like the fuel assembly normal operating stress analysis  
6 that I discussed before. ASME code equations and  
7 limits are applied. These are generic and applicable  
8 to NuScale, given the similarity of the stress  
9 conditions and the similarity of the structural  
10 materials, the similarity to the shipping conditions.

11                   So in all six of these cases, we concluded  
12 that, in the technical evaluation, that these approved  
13 92-116 mechanical design criteria and methods are  
14 applicable to the NuScale design. From a regulatory  
15 standpoint, there are no SER restrictions that would  
16 preclude use to NuScale.

17                   So that's our summary of 92-116. Any  
18 questions before I move on to the next topical report?

19                   Okay.

20                   The next topical report is 10231. It's  
21 the COPERNIC fuel rod computer fuel rod design computer  
22 code. This code predicts thermal and mechanical  
23 behavior of the fuel under irradiated conditions. It's  
24 used for five calculations in the NuScale project: the  
25 rod internal pressure analysis, the clad corrosion

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis, the transient clad strain analysis, the fuel  
2 and center line melt analysis, and it's used to generate  
3 input for the creep collapse analysis which I'll talk  
4 about in a separate slide.

5 MR. SCHULTZ: Glen, remind me and the  
6 Committee on the --

7 MEMBER CORRADINI: You need your green  
8 light on.

9 MR. SCHULTZ: Oh, thank you. If you'd  
10 just remind me, the COPERNIC code, the documentation  
11 here was issued in 2004. The documentation in the  
12 overall description in the design certification  
13 application mentions thermal conductivity degradation  
14 and that COPERNIC has addressed that. Is that in the  
15 2004 version? Has it been reviewed by the NRC  
16 subsequently? The issue has been around a while, but  
17 it's also been addressed fairly recently in some  
18 applications.

19 MR. G. THOMAS: Let me ask, if I could,  
20 Jim Horner to respond to that question, as he's more  
21 familiar with the origins and the review of COPERNIC.

22 MR. HOERNER: Hello. Is this on?

23 MEMBER CORRADINI: Yes.

24 MR. HOERNER: Okay. My name is Jim  
25 Horner. That's spelled H-O-E-R-N-E-R. I work at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 AREVA in the Thermal Mechanics Department, and I was  
2 involved in the original submittal that Steve refers  
3 to. And it is a code that's identical to the code which  
4 we are using for the NuScale application, and it does  
5 include relevant high burnup data that addresses the  
6 thermal conductivity degradation issue and it has been  
7 reviewed by the NRC. And in subsequent LAR submittals,  
8 there have been additional benchmarks to more recent  
9 versions of the FRAPCON code, which also includes  
10 appropriate thermal conductivity degradation.

11 MR. SCHULTZ: There hasn't been additional  
12 benchmarking or modifications to the code as a result  
13 of the high burnup data? You've demonstrated that it  
14 does predict the high burnup data well.

15 MR. HOERNER: I'd say the answer to that  
16 is clearly yes. We have done additional benchmarks,  
17 but they have not required modifications to the code.

18 So we are currently in the process of developing a  
19 next generation fuel performance code. And there are  
20 not significant differences with COPERNIC. It's just  
21 an increase in the applicability to more AREVA fuel  
22 products and more reactor types, PWRs for example.  
23 COPERNIC is limited to PWRs.

24 So we do perform benchmarks against our  
25 next generation code, which is under development. None

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 of the benchmarks that have been performed have resulted  
2 in anything that makes us think that the COPERNIC has  
3 any significant deficiencies that needs to be  
4 addressed, particularly in the area of thermal  
5 conductivity degradation.

6 The thermal database in COPERNIC is rather  
7 extensive. It goes to high burnup. There's even one  
8 data point that goes up to 100 gigawatt days per ton.

9 MR. SCHULTZ: Thank you.

10 MEMBER BALLINGER: To be absolutely clear,  
11 the COPERNIC code does not have an explicit dependence  
12 of burnup, of conductivity on burnup that applies a  
13 penalty; is that correct?

14 MR. HOERNER: That's incorrect. It has  
15 an explicit degradation in thermal conductivity with  
16 burnup.

17 MEMBER BALLINGER: That's good. Thanks.  
18 That's not what I heard before in previous  
19 presentations.

20 MEMBER CORRADINI: Keep on going.

21 MR. G. THOMAS: Okay. So COPERNIC  
22 applications, COPERNIC code is used for a number of  
23 our PWRs. It's used in cores that AREVA supplies fuel  
24 to for Westinghouse cores and BWA cores and a number  
25 of different configurations. The current COPERNIC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ranges of applicability, and I refer to items such as  
2 fuel type, cladding material, fuel rod burnup, all bound  
3 the NuScale design characteristics and operating  
4 conditions.

5 There's two points I wanted to bring out  
6 specific to COPERNIC and the evaluation we performed.

7 The first is that we actually evaluated lower RCS flow  
8 rates from natural circulation to determine that the  
9 COPERNIC clad-to-coolant heat transfer coefficient  
10 predictions were applicable to NuScale at the lower  
11 flow velocities; secondly, that the RCS system pressure  
12 was used as the rod internal pressure limit for NuScale  
13 application. In a typical AREVA PWR, we license above  
14 system pressure, but we allow the rod internal pressure  
15 to go above the RCS pressure. That was not necessary  
16 here, so, as a simplification and conservatism, we  
17 created the limit or established the limit to be the  
18 system pressure itself.

19 So our conclusion for COPERNIC is that,  
20 based upon AREVA's technical evaluation and regulatory  
21 evaluation, that the criteria and methods can be applied  
22 to the NuScale design. Again, from a regulatory  
23 standpoint, the COPERNIC SER had no restrictions that  
24 preclude application to NuScale.

25 MEMBER CORRADINI: So I have a question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       You mentioned heat transfer, so I have a question.  
2       I don't understand you -- now, again, you tell me if  
3       we can ask this in public in open session. LOCA  
4       initialization. You're choosing not to, at this point,  
5       use COPERNIC for LOCA initialization. Do I have that  
6       correct?

7                   MR. LOSH: That's correct.

8                   MEMBER CORRADINI: So can you tell me at  
9       this point why, or do we wait and tell me why later?

10                  MR. LOSH: I think the NuScale LOCA topical  
11       report will address what it uses for thermal conditions  
12       to feed into the LOCA analysis that NuScale performs.

13       And it's not --

14                  MEMBER CORRADINI: But can you give me a  
15       preview?

16                  MR. LOSH: -- part of this -- I'm not --

17                  MEMBER CORRADINI: Let me state the  
18       question a little differently. It seems unusual to  
19       me that you're going to use all of this stuff for  
20       steady-state analyses and then, when you have to do  
21       your safety analysis, this is not the jump-off point  
22       for the fuel rod initialization. So treat me as an  
23       academic, and it's an academic question. Why? It  
24       looks like we have a helper.

25                  MR. SCHMIDT: This is Jeff Schmidt from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Reactor Systems Branch. There is an RAI currently  
2 going through the process that addresses this question.

3 So they don't use COPERNIC directly, but they do do  
4 a hand calculation that compares to COPERNIC. So there  
5 is some crosstalk between the two of what they use and  
6 COPERNIC.

7 MEMBER CORRADINI: That's good factual  
8 information, but why?

9 MR. SCHMIDT: That I'm going to have to  
10 leave to them, but it is a question that is being asked  
11 by the staff.

12 MEMBER CORRADINI: If you want to wait  
13 until closed session. This one I -- just call me  
14 interested. I want to know why.

15 MEMBER KIRCHNER: I would amplify on  
16 Mike's question. Then the COPERNIC results would not  
17 be used for initializing any transient analysis, not  
18 just LOCA but any transient analysis?

19 MEMBER CORRADINI: That isn't how I read  
20 it.

21 MR. LOSH: No, it's specific to LOCA.

22 MEMBER KIRCHNER: Specific to LOCA.

23 MR. LOSH: We're not using the AREVA  
24 methodology for LOCA. Therefore, we're not using the  
25 AREVA methodology for initialization of the LOCA.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER KIRCHNER:    What about AOOs and  
2                   other transients that you have to analyze?

3                   MR. LOSH:    We have other codes that will  
4                   have their own thermal models in them, but we do use  
5                   COPERNIC output to benchmark those.

6                   MEMBER KIRCHNER:    Now I just second Mike's  
7                   question why.

8                   MEMBER CORRADINI:    So you decide, Larry,  
9                   if you want to deal with it now or later.    Maybe later  
10                  in closed session?

11                  MR. LOSH:    Yes.

12                  MEMBER CORRADINI:    Okay.

13                  MEMBER SKILLMAN:        Let me ask this  
14                  question, please.    To the second caret under the first  
15                  bullet, RCS pressure use is rod internal pressure, that  
16                  suggests to me that you have made a change in your  
17                  manufacturing process for this fuel and that the fuel  
18                  will be pre-pressurized to an initial pressure  
19                  different than your full-length fuel assembly.    Is that  
20                  accurate?

21                  MR. G. THOMAS:    The rod internal pressure  
22                  they're referring to here is there's a prediction of  
23                  COPERNIC as to how rod internal pressure increases with  
24                  burnup due to fission gas release.    And so what this  
25                  bullet is communicating is that the limit imposed upon

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the fuel rod at end of life is that it shall not exceed  
2 RCS system pressure, rather than being allowed to go  
3 above it as typical AREVA fuel rods would using our  
4 typical licensing methodologies. But it does not  
5 necessarily reflect a change to manufacturing process  
6 or backfill pressure. It's simply we're putting a  
7 lower cap on the rod internal pressure buildup over  
8 time, and our analyses show that that is acceptable.

9 MEMBER KIRCHNER: Does that then become  
10 a limiting condition or a tech spec on burnup? Because  
11 that affects all of your transient analysis, as well.

12 MEMBER CORRADINI: I have a funny feeling  
13 you want to talk about this in closed session.

14 MR. LOSH: Well, the selection of the  
15 criterion for end-of-life and pressure was done by  
16 NuScale and was done to be more conservative than what  
17 is currently allowed in those plants that have what  
18 we call licensed above system pressure where they  
19 demonstrate that there is no DNB propagation or other  
20 adverse effects from having the fuel rod internal  
21 pressure exceed system pressure. We've chosen to use  
22 system pressure as the limiting criteria, which is more  
23 bounding than allowing the internal rod pressure to  
24 go above system pressure.

25 MEMBER KIRCHNER: But does that imply, as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the original question, that you put a lower helium fill?

2

3 MR. LOSH: Oh, we do change the  
4 manufacturing process to put in a lower helium fill  
5 pressure, and it's primarily driven by the fact that  
6 we have a lower system pressure.

7 MEMBER SKILLMAN: Right. And then the  
8 answer to the question that I asked earlier is yes?

9 MR. LOSH: Yes. So I think we were  
10 interpreting the question to have to do with the  
11 criterion at the end-of-life pressure and not --

12 MEMBER SKILLMAN: No, I was thinking of  
13 the pre-fill to ensure that you don't exceed system  
14 pressure at your designated end-of-life MBT.

15 MEMBER BALLINGER: So, in effect, you have  
16 a no lift-off criteria, right?

17 MR. LOSH: Correct.

18 MR. G. THOMAS: It ensures you don't get  
19 into that region, so it's a simplification and a  
20 conservatism both.

21 MEMBER BALLINGER: From the standpoint of  
22 heat transfer, as soon as you lift off, the clad  
23 separates from the fuel --

24 MEMBER CORRADINI: Oh, you're talking  
25 about clad pellet --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER BALLINGER: Yes.

2 MR. SCHULTZ: Glen, just to clarify, you  
3 have a different initial pressurization, but the  
4 manufacturing process is the same.

5 MR. G. THOMAS: I would say the process  
6 is identical, yes. That's the other reason I answered  
7 that question in that way, but I would say the process  
8 is identical to our current fabrication process, but  
9 the setting when you fill the chamber is slightly  
10 different, yes.

11 MR. LOSH: The current manufacturing  
12 process already allows for that, and you have different  
13 internal pressure for different fuel rod designs --

14 MR. G. THOMAS: That's correct, that's  
15 correct. So any other questions on COPERNIC before  
16 I move on to the next topical report? Okay. Thank  
17 you.

18 So the third topical we reviewed was 10084,  
19 the "Program to Determine In-Reactor Performance of  
20 BWFC Fuel Clad and Pre-Collapse," a long title. It's  
21 our creep collapse analysis methodology. It ensures  
22 that AREVA fuel rods do not collapse during their design  
23 lifetimes. It was originally submitted and approved  
24 applicable to Zirc-4 cladding. The M5 topical report,  
25 BAW-10227, will be discussed a little bit later. That

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 actually extends the application of the creep collapse  
2 method and model to M5 cladding, which is what we use  
3 for NuScale.

4 The CROV code and its associated methods  
5 are currently used in several PWR licensing  
6 applications, like the other two topical reports have  
7 already discussed. It's used for fuel AREVA supplies  
8 to Westinghouse cores, Babcock and Wilcox cores, and  
9 CE cores, and a number of arrays.

10 There's really a short list of pertinent  
11 parameters for the creep collapse prediction, and  
12 they're captured there in the left-hand column of the  
13 table. The key parameters are clad temperature,  
14 pressure differential across the cladding, and what  
15 we're referring to there as a pressure differentials  
16 is different between the system pressure and the rod  
17 internal pressure, and then the fast neutron flux.  
18 In each of these three cases, the values for the NuScale  
19 application are within the range of existing CROV  
20 applications.

21 The summary for the CROV report, there's  
22 one method change that we wanted to call attention to.

23 It's the one method change that's called out in the  
24 NuScale applicability topical, and that is the AREVA  
25 PWR collapse analysis, what we'd use on a standard 17

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 x 17 or any PWR design, utilizes fuel performance inputs  
2 from an axial elevation of 90 inches. This elevation  
3 corresponds in a typical PWR to the worst combination  
4 of neutron flux, cladding temperature. Obviously for  
5 NuScale, the fuel stack is less than 80 inches in length,  
6 so this would make no sense to try to impose this  
7 particular aspect of method. So we've developed an  
8 alternative method specific to NuScale that creates  
9 a conservative set of inputs. If there are questions  
10 on that, that's something we could discuss in the closed  
11 session, but that is one design difference that the  
12 NuScale applicability report calls out as a difference  
13 in methodology and it's the only one in the  
14 presentations today.

15 MEMBER REMPE: So I have a question about  
16 the AREVA methodology for a typical PWR, if I could  
17 ask that in the open session.

18 MR. G. THOMAS: You can ask it.

19 MEMBER REMPE: It is a cumulative effect?  
20 Like other times when you do creep failure, you have  
21 a life fraction rule, and is that they always assume  
22 a particular elevation and so they look as the exposure  
23 increases and they have a cumulative prediction of creep  
24 failure?

25 MR. G. THOMAS: It is cumulative. The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inputs are generated at a specific axial elevation over  
2 time.

3 MEMBER REMPE: Over time. Okay. And so  
4 -- and you can answer this part later, but I want to  
5 ask the question now. Is the methodology for the  
6 NuScale analysis also a cumulative effect? Because  
7 when I was reading this, it sounded like it wasn't,  
8 and it would make me feel more comfortable knowing it's  
9 still cumulative.

10 MR. G. THOMAS: The short answer: with  
11 time, it is cumulative.

12 MEMBER REMPE: Okay. And so if you could  
13 explain that --

14 MR. G. THOMAS: And we can explain it  
15 further, yes.

16 MEMBER REMPE: -- in the closed session,  
17 I'd like to understand how that's true.

18 MR. G. THOMAS: We can do that, yes.

19 MEMBER REMPE: Okay.

20 MR. G. THOMAS: So our conclusion for the  
21 CROV topical 10084 is that, based upon our technical  
22 evaluation, it can be applied to the NuScale fuel  
23 design. From a regulatory standpoint, there are no  
24 SER restrictions in the CROV topical that preclude  
25 application in NuScale, and there is the one methodology

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 adjustment, I would call it, that is documented in the  
2 report itself.

3 The next topical report is BAW-10227.  
4 It's the "Evaluation of Advanced Cladding and  
5 Structural Material in PWR Reactor Fuel." It contains  
6 our analysis methodology for M5 fuel rod cladding, and  
7 it also calls out the limits we're to apply for fuel  
8 rods with M5 cladding. Like the other applications  
9 we've discussed to this point, it's approved to a fuel  
10 rod average burnup of 62 gigawatt days per metric ton  
11 uranium.

12 For NuScale specifically, there are just  
13 two analysis types that the M5 topical BAW-10227 is  
14 used for. That's the stress and buckling analysis and  
15 the fuel rod cladding fatigue analysis. Similar to  
16 the other codes we've talked about, it's used in a number  
17 of PWR applications both in Westinghouse plants and  
18 B & W plants.

19 And a table similar to what I showed in  
20 the CROV topical report, there's really a short list  
21 of critical key parameters for these M5 fuel rod  
22 cladding evaluations. They're shown in the left-hand  
23 column of this table. Cladding material and radial  
24 dimensions, which I've already discussed, are identical  
25 for standard PWR design. And cladding temperatures

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and the pressure differential across the cladding again  
2 where the NuScale value is within the range of existing  
3 applications for this code.

4 So the general conclusion here is that the  
5 NuScale parameters are within our operating experience  
6 for PWRs currently licensed for the M5 topical  
7 BAW-10227.

8 MEMBER CORRADINI: So I have a question  
9 here, but it's more educational. This is an average  
10 for the bundle, so it's like a per fuel assembly  
11 computation where you back-calculate a cumulative for  
12 the bundle. Do I have that right?

13 MR. G. THOMAS: For which analysis does  
14 your question refer to?

15 MEMBER CORRADINI: I'm kind of back on  
16 slide 21 where it says approved for PWR licensing  
17 applications up to 62 gigawatt days per metric ton  
18 uranium for average. Rod average meaning axial length?

19 MR. G. THOMAS: Averaged across the rod,  
20 yes.

21 MEMBER CORRADINI: So I don't remember if  
22 it was Joy or Walt or somebody over here asked the  
23 question about shape of the flux and its effect on that  
24 number. And, again, we can wait until closed session,  
25 but if I have X, which is less than 50, and now we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 seeing this is applicable, is the shape of how I get  
2 to less than 50 affecting this?

3 MR. LOSH: I think there was a point that  
4 we are probably going to cover in closed session. I  
5 think we can go ahead and talk about it now. Relative  
6 to axial peaking for the NuScale design compared to  
7 a PWR, I think Chapter 4 will cover how any difference  
8 of axial peaking will be reflected in setting any safety  
9 limits. But in terms of burnup distribution, the axial  
10 power distribution burns out. Your axial power  
11 distribution from a burnup standpoint is going to  
12 represent a ten percent peaking, and that's going to  
13 be the same whether it's in the NuScale plant or PWR.

14 MEMBER CORRADINI: Okay. Thank you.  
15 Keep on going. Thank you.

16 MR. G. THOMAS: Okay. So as I was  
17 mentioning in this table, the takeaway from this table  
18 is that the NuScale parameters are within our operating  
19 experience for PWRs. That leads me to the conclusion  
20 --

21 MR. SCHULTZ: Glen, when you say within,  
22 does that mean it's bounded by the upper limits or  
23 --

24 MR. G. THOMAS: Yes. So if I --

25 MR. SCHULTZ: Within the range seems to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be a very general statement to me.

2 MR. G. THOMAS: Sure. Let me clarify.  
3 So if you look at the table at the key parameters, the  
4 dimensional and material parameters are identical  
5 because we're using a rod that has identical radial  
6 geometry and we're using the same materials. So in  
7 that case, we're dealing with the words exactly the  
8 same, identical.

9 For cladding temperatures, the NuScale  
10 cladding temperatures are below those of our fuel rods.  
11 They're going to create a less limiting stress  
12 condition. The pressure differential across the  
13 cladding is lower, so we're going to deal again with  
14 lower resulting stresses because the load from the  
15 pressure are less. Is that clarifying?

16 MR. SCHULTZ: Yes, it does. Thank you.

17 MR. G. THOMAS: You're welcome. So just  
18 to conclude M5 topical and come back to our primary  
19 statement, we concluded in our technical evaluation  
20 that BAW-10227 can be applied to NuScale and the SER  
21 contains no restrictions that preclude applicability  
22 to NuScale.

23 So the last of the five AREVA topical  
24 reports that we evaluated was XN-75-32. That's our  
25 computational procedure for evaluating fuel rod bowing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and, in particular, Supplements 1 to 4 define the  
2 NRC-approved procedure for evaluating fuel rod bow.

3 Rod bow is influenced primarily by four  
4 factors: the slip load of intermediate grid, the force  
5 it takes to push a rod through the grid, the span length  
6 between the grid which we've talked about a little bit  
7 already, the coolant cross flow forces, and the core  
8 operating conditions. So the primary concerns with  
9 rod bow is that a reduction in the rod-to-rod gap can  
10 result in a decrease in DNBR margin, and an increase  
11 in the rod-to-rod gap can result in an increase in lower  
12 power peaking. So what the rod bow topical does is  
13 it provides a method to predict rod bow and then to  
14 develop an appropriate fuel performance penalty in the  
15 areas of DNB and linear heat rate.

16 So the application is used broadly within  
17 the AREVA fuel types to fuel in Westinghouse plants  
18 and CE plants for a number of arrays. Our technical  
19 evaluation showed that the design is within our current  
20 experience for core operating parameters and slip load  
21 and less limiting for spacer grid span length, which  
22 we talked about earlier.

23 So that leads us to the first conclusion  
24 that the NuScale fuel is expected to have a lower  
25 propensity for fuel rod bow than the AREVA PWR benchmark

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 designs. So that's the first conclusion we drew  
2 because the geometric and operating condition  
3 similarity. And then, secondly, the CHF penalty that's  
4 derived by this method and the linear heat rate penalty  
5 derived by this method are acceptable.

6 MEMBER STETKAR: Glen, I don't do this,  
7 so I need some education a little bit. And I don't  
8 know whether this is open or closed session. You make  
9 an assertion that the expected bow in your fuel assembly  
10 is going to be less than a typical PWR fuel assembly,  
11 so the gap is going to be larger. The method for  
12 assessing the critical heat flux penalty -- and, again,  
13 I don't do this, I only understand what I read here  
14 -- seems to be based on geometry. It's based on a  
15 fraction, the reduced fraction of the spacing between  
16 the rods. And the assertion is made that that is not,  
17 that that geometry-based penalty is not affected  
18 significantly by the coolant flow, which for your core  
19 is substantially less than the range of flows that were  
20 used to benchmark all of the codes. And I don't know  
21 whether we want to talk about this in closed session  
22 or whether --

23 MEMBER CORRADINI: Well, you don't talk  
24 numbers. Keep on --

25 MEMBER STETKAR: I haven't talked about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 numbers. It's just substantially less. So can you  
2 educate me on why I should have confidence that that  
3 empirical correlation that was derived for one set of  
4 flow conditions applies to your core with much lower  
5 flow? I would expect the propensity to DNBR to be much  
6 smaller or a greater propensity to DNBR if your core  
7 was that much lower flow.

8 MR. G. THOMAS: So let me answer that in  
9 two steps. One, which you talked about earlier, may  
10 not be a key component of your question, but I think  
11 it's a significant point. And one is, from geometry,  
12 we can conclude confidently that the bow in the NuScale  
13 fuel assembly should be limited by our bow experience.

14 So the degree of bowing we would expect to see from  
15 NuScale should be --

16 MEMBER STETKAR: I understand that. But  
17 given that degree of bowing.

18 MR. G. THOMAS: Yes. So given that degree  
19 of bowing, now the question is does the CHF penalty  
20 still apply for a lower flow rate, given that we're  
21 talking about natural circulation? That's the essence  
22 of that question?

23 MEMBER STETKAR: That's the essence of the  
24 question. Does that geometrically-based CHF penalty  
25 still apply?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. G. THOMAS: So from the correlation  
2 that we have, we were able to see that there is no adverse  
3 trend with a reduction in, an adverse trend for CHF  
4 performance with a reduction in flow rate. So for the  
5 range that was actually tested --

6 MEMBER STETKAR: For the range that was  
7 tested.

8 MR. G. THOMAS: For the range that was  
9 tested.

10 MEMBER STETKAR: And, again, tell me when  
11 I tread too far.

12 MR. G. THOMAS: We're still okay.

13 MEMBER STETKAR: Okay. If I look at, and  
14 I didn't go back to the actual AREVA topical report,  
15 but in your topical report, there is a plot that shows  
16 a trend.

17 MR. G. THOMAS: Correct.

18 MEMBER STETKAR: And that trend seems to  
19 me to be in the adverse direction for decreasing flow.

20 The plot just shows over the range of flows, but if  
21 you kind of draw a line it seems to be going in the  
22 wrong direction as you get down toward the flow regime  
23 that you have in your core. And I just don't know the,  
24 because I don't do this, I just don't know the trade-off  
25 in that correlation between some, you know, at some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 limit, the flow has to start being important.

2 MR. G. THOMAS: Understood. And --

3 MEMBER STETKAR: I'd like to know where  
4 that limit is. And pressure. But, I mean --

5 MEMBER KIRCHNER: These basically go back  
6 to the Columbia test, don't they?

7 MR. G. THOMAS: Correct, yes.

8 MEMBER KIRCHNER: So basically, to  
9 summarize those tests, as the pressure goes down and  
10 the flow goes down, the margins for DNB go down.

11 MEMBER STETKAR: Go down, yes.

12 MEMBER KIRCHNER: And the actual critical  
13 heat flux goes down. So you're right in the sense that  
14 your instinct is right, but your --

15 MEMBER STETKAR: I just don't know --  
16 they're asserting that their penalty based on just  
17 looking at geometry will hold down through the range  
18 of the flows that they --

19 MEMBER KIRCHNER: Through that range of  
20 the experimental data set.

21 MEMBER STETKAR: Well, but their flows are  
22 well beyond the range of the experimental data set.

23 MEMBER CORRADINI: But they have to do it,  
24 I mean, maybe we'll just take this up in closed session,  
25 but they have to develop their own data set range for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHF. That has to be done. I think it's the method  
2 once the data set is applied is the question here, and  
3 I think that's where John's asking because I'm sure  
4 you're going to have to, I know you have to do your  
5 own bundle testing at these heights and under these  
6 flow and pressure conditions to show approved CHF ratios  
7 because it does go up or down. The ratio goes, the  
8 ratio goes in such a manner that your CHF actually is  
9 going to go down with flow and pressure, as Walt said.

10 So it's more the applicability rather than the --

11 MEMBER MARCH-LEUBA: Right. But that  
12 correlation would be for no bow. We're talking here  
13 is the penalty.

14 MEMBER STETKAR: This is the penalty given  
15 a bow, and their assertion is that their amount of bow  
16 in this particular assembly ought to be less than the  
17 predicted bow for a full-length PWR assembly. But  
18 given the amount of bow that you have, whatever that  
19 is, it's not going to be zero, is the methodology still  
20 justified?

21 MR. G. THOMAS: And our assertion is that  
22 that slight negative trend is within the scatter and  
23 the data, so there's no reason to add an additional  
24 penalty.

25 MEMBER STETKAR: I'll give you, the data

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is pretty --

2 MEMBER CORRADINI: Let's wait, let's wait.

3 MEMBER STETKAR: Okay, all right.

4 MEMBER CORRADINI: I can see that's not  
5 going to satisfy him, so let's wait until closed  
6 session.

7 MR. G. THOMAS: Okay. So the conclusion  
8 for the rod bow topical and understanding we'll come  
9 back to this some in the closed session for the  
10 particular question on CHF, but our conclusion based  
11 on our evaluation is that Supplements 1 to 4 can be  
12 applied to the NuScale fuel design. The SER for the  
13 rod bow topical contains no restrictions that would  
14 prevent or preclude application to NuScale.

15 MEMBER KIRCHNER: For closed session,  
16 would you just take a note so I don't forget? You  
17 mentioned earlier that you changed the grid spacers.

18 Now, yes, you've shortened up. On one hand, that would  
19 let you, I think, make a good argument that it should  
20 be stiffer assembly. But aren't you changing the  
21 number of contact points versus your normal full-length  
22 17 x 17 fuel --

23 MR. G. THOMAS: Over the full length of  
24 the fuel rod, yes, there are fewer contact points  
25 because we've moved from eight grids to five. If that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what you're stating, I would agree with that.

2 MEMBER KIRCHNER: That and also the grid  
3 itself, the spacer, are you changing the number of --

4 MR. G. THOMAS: Oh, the spacer itself is  
5 identical in --

6 MEMBER KIRCHNER: It is identical.

7 MR. G. THOMAS: It is identical.

8 MEMBER KIRCHNER: Okay. Thank you, thank  
9 you.

10 MR. G. THOMAS: It's a line contact spacer  
11 design. I'll just go to my concluding slide then.  
12 So we've reviewed the five AREVA topical reports we  
13 intend to apply to NuScale and demonstrated they apply  
14 to NuScale as documented in the TR that's subject to  
15 this review.

16 There is one stated modification in that  
17 report, and that is concerning the axial elevation  
18 utilized in the pre-collapse analysis. There are no  
19 other exceptions or changes to method that we're  
20 applying for or noting in the document.

21 So that concludes the AREVA NuScale  
22 presentation. Larry, anything else?

23 MR. LOSH: No.

24 MEMBER CORRADINI: Okay. Questions by  
25 the Committee? Otherwise, we're going to --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER KIRCHNER:       Just one out of  
2                   curiosity. Since it was stated that you don't use the  
3                   COPERNIC for initial conditions for LOCA, do you use  
4                   that for initializing in your other fuel applications?  
5                   Or is that a proprietary question?

6                   MEMBER CORRADINI:    We can wait. Let's  
7                   just --

8                   MR. G. THOMAS:    I'd rather defer that.

9                   MEMBER CORRADINI:    I've got something down  
10                  that we're going to talk about anyway about COPERNIC  
11                  so we'll --

12                 MEMBER SKILLMAN:    Yes, a general question,  
13                 Mike, to Glen. My focus in review here is what's  
14                 different and why is what's different important. To  
15                 Dana's question about 24-month fuel cycle versus  
16                 18-month fuel cycle, the 730 days versus 520 days, what,  
17                 if any, unique chemistry requirements have you imposed  
18                 so as to ensure that fouling on the pins is, if you  
19                 will, within limits, given the very low Reynolds number  
20                 compared to force flow? It seems that there is a  
21                 fouling coefficient here that must be taken into  
22                 consideration because, at least in my view, after some  
23                 years of experience, I would not expect the fuel clad  
24                 to be pristine on day 690 on a 24-month fuel cycle.  
25                 So are there unique chemistry requirements that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 accompanies the shorter fuel assembly and the lower  
2 Reynolds number?

3 MR. G. THOMAS: So in short, at this point,  
4 no. AREVA has not imposed any to ensure that our  
5 analyses and analyses' conclusions and methods are  
6 valid. We have not.

7 MEMBER SKILLMAN: Thank you.

8 MEMBER BALLINGER: But you still have the  
9 same limit, and we won't use the number, on the amount  
10 of, let's call it non-zirconium alloy stuff on the  
11 cladding, right?

12 MR. G. THOMAS: The analyses assume a limit  
13 to that that are the same.

14 MEMBER BALLINGER: It's the same, yes.

15 MEMBER CORRADINI: Can you help me? I  
16 don't know what you mean, Ron. Can you --

17 MEMBER BALLINGER: I can't use the number,  
18 but in order to not have a deleterious effect on heat  
19 transfer during an accident.

20 MEMBER CORRADINI: There's a fouling --

21 MEMBER BALLINGER: There's a fouling limit  
22 which is X microns, where I can't say what X is.

23 MEMBER CORRADINI: That's fine.

24 MEMBER BALLINGER: And it's the same for  
25 this fuel, as opposed to the standard 17 x 17 fuel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. LOSH: In terms of chemistry, we have  
2 been working with AREVA to ensure that the chemistry  
3 we are using is consistent with the chemistry that is  
4 representative of the plants from which the data is  
5 into the COPERNIC models. So we will be imposing that.

6           No, they're not imposing it, but we are working with  
7 AREVA to ensure that our chemistry is consistent with  
8 that and we're using the proper chemistry.

9           As it relates to the potential for crud  
10 deposition at these conditions, we don't see anything  
11 in the methodology that is an issue. But from an  
12 application standpoint, to your point, we have planned  
13 for and committed to a fairly aggressive  
14 post-irradiation examination campaign to inspect the  
15 fuel and do specific lift-off measurements for crud  
16 as part of that to ensure that the crud deposition is  
17 not an issue at these flow conditions.

18           MEMBER POWERS: Will the PIE examine  
19 borate absorption on the clad surface?

20           MR. LOSH: Will it examine? I'm sorry.

21           MEMBER POWERS: Borate absorption rate.

22           MR. LOSH: We were not planning at this  
23 point -- I think the post-irradiation examination was  
24 going to be pool side. We didn't have, I think we would  
25 be driven by what we see there as to whether we need

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to take any rods to a hot --

2 MEMBER POWERS: You won't see it.

3 MR. LOSH: But the initial was to do  
4 strictly pool side, but we were going to do more than  
5 just visual. We were planning on doing quantitative  
6 measurements.

7 MEMBER POWERS: Because of the shorter  
8 rod, do you have more of a problem with a potential  
9 for axial offset?

10 MR. LOSH: Not a problem. We have a core  
11 design with axial offset limits and insertion limits  
12 that you would see typically in a PWR, and we work within  
13 those. We don't see peaking that's significantly  
14 greater than a PWR, but, again, in terms of specific  
15 numbers, we can talk in the closed session about that.

16 I believe that information, from the NuScale  
17 perspective, is all in the non-proprietary 4.2, 4.3  
18 sections of the SER.

19 MEMBER CORRADINI: Okay. Other  
20 questions? All right. Let's have a change over to  
21 the staff. Bruce, you're going to lead us off?

22 MR. BAVOL: Yes.

23 MEMBER CORRADINI: Okay, go ahead.

24 MR. BAVOL: Good morning. My name is  
25 Bruce Baval. I'm the project manager for Licensing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Branch 1 in the Office of New Reactors. I wanted to  
2 thank everybody this morning.

3 This morning, I wanted to just briefly go  
4 over my portion of the presentation, some logistics  
5 for the time line of the topical report, which was  
6 submitted on March 30th, 2016 as Rev. 0. After the  
7 staff had an acceptance review, they had some comments.

8 Our Revision 1 was subsequently sent July 1st. That  
9 had to do with, and I believe it was mentioned earlier  
10 from Larry, the removal of the fuel seismic portion  
11 from that topical report.

12 Staff issued a request for information,  
13 RAI 8727. One RAI was generated, and that was responded  
14 to by NuScale. And that information was also provided  
15 in the safety evaluation.

16 The safety evaluation, the advanced safety  
17 evaluation report was issued by staff July 20th.  
18 Following this Subcommittee meeting, we have a full  
19 Committee scheduled for October 5th, a quick  
20 turnaround. And our plans are to issue a final safety  
21 evaluation late October this year, and then the -A  
22 approved version would be the follow-up to that in  
23 December, mid-December.

24 The technical reviewers for this  
25 particular, Becky Karas had introduced us this morning,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was introduced this morning. Jeff Schmidt is also  
2 here, and then Christopher Van Wert, the principal  
3 technical reviewer for this topical report to my right.

4 With that, my portion is complete and I'll  
5 turn it over to Chris.

6 MR. VAN WERT: All right. Thank you very  
7 much.

8 MEMBER MARCH-LEUBA: Hey, Bruce, just a  
9 question. There was a mention before there was an open  
10 RAI still?

11 MR. BAVOL: No, there's no open RAI. RAI  
12 8727 was just the one, and it was closed.

13 MEMBER MARCH-LEUBA: It's been closed?

14 MR. BAVOL: Yes.

15 MEMBER MARCH-LEUBA: Okay.

16 MR. VAN WERT: Thank you very much and good  
17 morning. My name is Chris Van Wert, and you've heard  
18 about, actually AREVA and NuScale covered most of this  
19 stuff that I was going to talk about, but here's the  
20 slides presenting a listing of the codes and methods  
21 that were part of this review.

22 This was touched on a little bit before,  
23 but I just want to make sure it was clear again. The  
24 review was an applicability review. The topical was  
25 a applicability review, so our focus was applicability

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of the codes and methods. We did not review the  
2 approved AREVA topical reports, and, more specifically,  
3 I think of interest here today is that the actual  
4 technical analysis using the codes and methods is going  
5 to be deferred to the 4.2 review and its associated  
6 technical report. That is ongoing. We will be back  
7 before you, so any specific analyses using NuScale  
8 numbers and getting the results, that will be deferred  
9 to that presentation.

10 MEMBER BALLINGER: So as far as staff is  
11 concerned, this review of the topical report is really  
12 just setting you up to do the design cert review?  
13 Unless you see something there that really conflicts  
14 with what's here --

15 MR. VAN WERT: Correct, correct, yes.

16 MEMBER BALLINGER: -- you'll just go ahead  
17 with the methods that have been done here.

18 MR. VAN WERT: Our focus now, you know,  
19 we did begin kind of focused on this topical report  
20 to make sure that the tools were applicable to be used.

21 As summarized before and as we will present here, we  
22 didn't see anything that was unusual. Now the focus  
23 is in the actual application of it, and that's where  
24 we're going to be diving into more specific details  
25 really and --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. SCHULTZ: Chris, that gets into things  
2                   like the way in which the methodologies are going to  
3                   be applied, input assumptions, uncertainties,  
4                   manufacturing and code uncertainties and otherwise.  
5                   And we can presume that NuScale and AREVA will be working  
6                   together and will have to differentiate or determine  
7                   how that's been done in comparison to how AREVA has  
8                   applied the methods in the past.

9                   MR. VAN WERT: Correct, yes.

10                  MR. SCHULTZ: That's what you're doing,  
11                  and we'll get a chance to --

12                  MR. VAN WERT: Yes, that's what we're doing  
13                  now and for the next few months, but the difficulty  
14                  was we didn't want to hold up this review by getting  
15                  into very specifics on uncertainties and whatnot. But  
16                  we recognize there are certain parameters, flow rate  
17                  or mass flow rate being one of them that was discussed  
18                  already in the morning or earlier session. Those types  
19                  things we wanted to make sure did not derail the  
20                  applicability of the method, but I'm not going to say  
21                  today that, once we get into the very specifics of the  
22                  NuScale design and looking at those analyses, that we  
23                  don't have to come back and have a question. But  
24                  everything we've seen today tells us that these codes  
25                  and methods are applicable for the analysis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SCHULTZ: Thank you.

2 MEMBER REMPE: These key parameters, are  
3 they protected somehow or listed somehow? I mean, what  
4 if things go along -- there's been some changes already  
5 in the NuScale design, and how does that interface --

6 MR. VAN WERT: Right. It's not too  
7 unusual during the course of a review for an issue to  
8 come up where the staff has question and, maybe through  
9 that process, an analysis has to be re-performed with  
10 different inputs. If something were to change down  
11 the road where -- I'm trying to think of a good example  
12 right now, but, off the top of my head, I can't come  
13 up with one. But if a key input parameter were to change  
14 for NuScale due to a design change during our review  
15 of the applicability and the application of this in  
16 4.2, at that point, we would have to come back to this  
17 and work with NuScale. They'd have to revise the  
18 topical report or potentially, if it were severe enough,  
19 they might have to do something with AREVA codes and  
20 methods to justify the continued use of it.

21 MEMBER REMPE: So, again, is there a list  
22 somewhere that triggers it? I'm thinking of another  
23 design certification where a shielding value changed  
24 and it wasn't picked up. So do you guys have a list  
25 and say these are the key things that we're going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       rely on? And so, I mean, they may change other things  
2       and it's determined this isn't important. I mean, how  
3       do you track it? Does that make sense or is it a valid  
4       question to --

5               MR. VAN WERT: I did this review, and I'll  
6       be doing the next review, so I won't be --

7               MEMBER REMPE: You've got a list and you  
8       know --

9               MR. VAN WERT: It's not exactly a list,  
10       but there won't be a change coming from external unless,  
11       and maybe I'm interpreting the question incorrectly  
12       and I apologize if that's the case, but I can't think  
13       of a, if there's any sort of a fuel design change, which  
14       is what this is all related to, that will be under my  
15       review. And so I will know, hey, they changed cladding  
16       thickness, they changed -- I don't think that would  
17       be happening, but I would know that I need to go back  
18       and confirm that COPERNIC is okay for evaluation under  
19       this new design change.

20              MEMBER REMPE: Okay. So let's take it  
21       further. You decide you want to take a job that pays  
22       more someplace else and so the next guy, how will he  
23       know that, oh, these are key parameters that are  
24       important? I'm just kind of wondering how you --

25              MR. VAN WERT: They are identified within

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the topical report that was submitted. So if you look  
2 at the topical report that NuScale provided, for each  
3 one they might say for fuel rod bowing important  
4 parameters are span length, burnup --

5 MEMBER REMPE: And so let me go back to  
6 my axial peaking factor question. That wasn't  
7 identified in the topical report.

8 MR. VAN WERT: Correct, correct.

9 MEMBER REMPE: But you guys, again, had  
10 to assume something. Now, you've said, well, we kind  
11 of looked at the design, too, because it wasn't clear  
12 to me that this was only going to apply to what's coming  
13 later in Chapter 4 of the submittal. But you had to  
14 make some assumptions that aren't in the topical report.

15 There's other things, too. Plans for surveillance  
16 programs and things like that, and that was something  
17 that was raised in an RAI. And so I'm just kind of  
18 wondering how you keep track of things like that, and  
19 I guess it's not a clear answer.

20 MR. VAN WERT: The short answer is there's  
21 no table that is there. I don't --

22 MEMBER REMPE: Okay. We just cross our  
23 fingers basically.

24 MR. VAN WERT: I don't want to give you  
25 that impression because that's --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER CORRADINI: I don't think he's  
2 saying that. I think he's saying that, currently, he  
3 knows what he's going to look at again, and I'm assuming  
4 you're going to have to pass it on in some written  
5 documented form if you get hit by a bus, when you get  
6 hit by a bus.

7                   MR. VAN WERT: I hope no one is plotting  
8 anything here. I'm feeling a little uncomfortable with  
9 this discussion but, but yes --

10                  MEMBER CORRADINI: I think all Dr. Rempe  
11 is trying to get at is she wants to make sure there's  
12 a clear designation, if a dime changes, how does it  
13 affect --

14                  MR. VAN WERT: Right. And the ones that  
15 I feel are important to the design and the applicability  
16 of these methods are identified in the NuScale topical  
17 report. I'm not trying to say that the axial power  
18 shape isn't important, but what we were using that for  
19 is to develop our internal calculations on the cladding  
20 surface temperature and mid-wall temp. It wasn't to  
21 justify an axial shape. And I think we were actually  
22 pretty close. I mean, we'll find out in the 4.2 review,  
23 but, if I look at the coolant temp that was calculated  
24 through that confirmatory run, we were pretty much right  
25 on for both AREVA and for NuScale.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER REMPE: Okay. So, again, there's  
2 sometimes, like load following, you put a condition  
3 on. Other times axial peaking factor, a surveillance  
4 program. You queried them or you made assumptions and,  
5 in fact, you can find it in their Chapter 4 submittal  
6 what the peaking factor is if you look at the numbers  
7 and stuff. But I just am kind of wondering what is  
8 and isn't explicitly stated and the traceability of  
9 it if you get hit by a bus or something like that.  
10 But, again, I guess people will have to just go through  
11 and dig through the documentation and the trail if it's  
12 not clearly identified is the bottom line.

13                   MR. VAN WERT: We'll be identifying the  
14 important parameters in that 4.2 SER, as well.

15                   MEMBER REMPE: Okay.

16                   MR. VAN WERT: But if you're talking about  
17 in this topical report SER, you are correct, we don't  
18 have a table identifying it.

19                   MEMBER REMPE: Right.

20                   MR. VAN WERT: But there will be  
21 discussions on the important parameters within the 4.2  
22 review.

23                   MEMBER REMPE: Okay.

24                   MEMBER KIRCHNER: I think the answer, I  
25 guess it's not my place to give you an answer, but how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I would answer Joy's question is I would take the AREVA  
2 submittal or the NuScale submittal, correcting myself,  
3 and it explicitly states in each of the sections for  
4 each of the codes they're going to use the range of  
5 validity. And when they step outside that, I would  
6 submit that then you would go back and review this SER.

7 MEMBER REMPE: Well, that was my point,  
8 though. They don't have everything. They don't have  
9 an axial peaking factor. They don't explicitly state  
10 what the surveillance program, even if there is one,  
11 in the topical report. So there are things that aren't  
12 there.

13 MEMBER KIRCHNER: No. What I'm saying is  
14 they state, they state the range for which the codes  
15 have been validated. And we're reviewing the methods,  
16 we're not reviewing the core. So that would be my  
17 answer to your question is that I would hold them to,  
18 you know, the validation program for the codes that  
19 they have.

20 MEMBER REMPE: Well, again, it only  
21 applies if it's specific to the NuScale reactor and  
22 what's in the Chapter 4. I think it's kind of still  
23 fuzzy in my mind, but let's go on.

24 MR. VAN WERT: Okay, all right. So in this  
25 slide, I just did a brief overview without the numbers

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that were already presented to you, but I just wanted  
2 to, again, emphasize some of the similarities between  
3 the NuScale design and the AREVA designs, a typical  
4 17 x 17 AREVA design.

5 As mentioned before, really the only  
6 differences in the physical fuel assembly design are  
7 associated with the reduced height, so reduced physical  
8 overall assembly height, active fuel height, but then  
9 also the grid span is now a little bit reduced.  
10 Additionally, as discussed before, the rod internal  
11 pressure, well, the backfill pressure, I should say,  
12 is reduced.

13 And so, to some extent, this had just been  
14 mentioned, but the staff's review was focused on  
15 reviewing the conditions or limitations in the  
16 referenced AREVA topical reports and seeing if there's  
17 any conditions or limitations that would apply to  
18 NuScale. We also compared the NuScale fuel system and  
19 operational parameters with those used in the  
20 development of the AREVA methods, and then we reviewed  
21 any specific modifications that NuScale had to make  
22 to the AREVA codes and methods. Yes?

23 MR. SCHULTZ: Chris, I would just augment  
24 your second bullet there perhaps to say used to develop  
25 benchmark and apply the AREVA methods, rather than just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to develop them. I mean, these methods have been --

2 MR. VAN WERT: Yes, yes.

3 MR. SCHULTZ: -- developed, benchmarked,  
4 and applied, and it's all of those pieces that this  
5 particular review is saying are applicability to  
6 NuScale.

7 MR. VAN WERT: But they haven't been  
8 applied yet, if that's what --

9 MR. SCHULTZ: No, no. But I mean this is  
10 how, this is what AREVA has done with them.

11 MR. VAN WERT: Oh, what I was saying here  
12 -- I apologize. Maybe this bullet wasn't as clear.  
13 So what I was doing is I was comparing the NuScale fuel  
14 assembly and operational parameters and compared those  
15 with those ranges that were previously presented by  
16 AREVA in discussion of each code and method. So if  
17 it said that it was --

18 MR. SCHULTZ: That's fine. Maybe I'm just  
19 quibbling with developed versus a more broad  
20 description of what methodology is about. So that's  
21 fine. I understand what you're saying.

22 MR. VAN WERT: Okay. Thank you. So we  
23 did not present detailed slides on each of the codes  
24 and methods. Instead, we focused only on the couple  
25 that, through the review, ended up having additional

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 attention. And so you've already heard about these,  
2 but I wanted to at least touch on them since these had  
3 a little bit more back and forth during the review.

4 So for the cladding creep collapse  
5 methodology, it was already discussed that the initial  
6 AREVA method kind of had a hard code 90-inch number  
7 in there, and that was not applicable for NuScale fuel  
8 design due to the shorter length. And so with that,  
9 we submitted an RAI requesting additional information  
10 on the methodology that they used to calculate the new  
11 height. And through their RAI response, they provided  
12 more information and discussed how they were using the  
13 maximum flux, regardless of where it was. And the  
14 methodology was very similar to what AREVA used in the  
15 first place. I think there's going to be some further  
16 discussion on that in the closed session, so I'll defer  
17 some of that to then. But based on the RAI response  
18 information which confirmed the high-level description  
19 in the topical report, the staff was able to find that  
20 acceptable.

21 And then the other one that we've already  
22 seen some additional discussion on this morning was  
23 the fuel rod bow topical report, XN-75-32. The staff  
24 of course noted, as mentioned before, that the overall  
25 propensity for rod bowing at certain parameters, such

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 as grid span lengths, was more favorable towards  
2 NuScale. Additionally, burnup was less. These things  
3 would reduce the likelihood of bowing.

4 And then two other things that we were  
5 reviewing as part of this was the penalties that were  
6 applied, both the CHF penalty and the linear heat  
7 generation rate penalty. So I do understand I think  
8 we're going to be talking about this a little bit more  
9 in the closed session, but we reviewed the arguments  
10 provided to say that these penalties were justified  
11 and the staff agreed with the justification provided  
12 and concluded that this methodology was applicable for  
13 use for NuScale.

14 MEMBER SKILLMAN: Chris, let me ask you  
15 a question. This is, I agree, a snarky question, but  
16 let me ask it. So here NuScale says and AREVA says  
17 we've got this really neat shorter fuel assembly and  
18 we strapped it down really tightly. We've got these  
19 five grids that really prevent bowing that is a problem  
20 in the 12-foot assemblies. It sounds good. What  
21 skepticism did the staff apply to that feature where  
22 one might say, yes, that's great, it's nice and strong,  
23 it's a stiffer mechanical design, but here's the  
24 downside to that degree of stiffness. My question is  
25 what skepticism did you apply for that feature?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. VAN WERT: The skepticism is kind of  
2 split between the review of this topical report and  
3 what you'll see in the 4.2 review. Giving a little  
4 bit of a preview, we will be looking especially at the  
5 inspection program and making sure that they have the  
6 ability to confirm that the expected rod growths, any  
7 potential bowing, things like that, that can be examined  
8 readily in full-size examinations are captured.

9 It's one of those things where this one  
10 kind of straddles the two reviews. So we recognize  
11 the data that they provided looked good for the range  
12 that it was provided in, but then the one key parameter  
13 that was caught was the mass velocity. It's close but  
14 not quite down to that NuScale range. I don't remember  
15 if the numbers are props --

16 MEMBER SKILLMAN: We don't care about  
17 numbers right now.

18 MR. VAN WERT: You know, we don't see any  
19 trends indicating that we would expect an uptick, but  
20 we recognize that there always could be unexpected  
21 -- you know, whenever you extrapolate, we always get  
22 nervous. So whenever you go slightly outside the  
23 ranges, we like to make sure that that's captured in  
24 any sort of inspection program.

25 MEMBER SKILLMAN: Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. VAN WERT:   Okay.   So really those were  
2                   the two main ones I just wanted to highlight, the rod  
3                   bow and -- what was the -- oh, creep collapse because  
4                   that one had the change in methodology.   Those were  
5                   the two that received additional attention during the  
6                   review and, at the conclusion, the staff did find that  
7                   the topical report was acceptable and that AREVA's  
8                   system design codes and methods are applicable to  
9                   NuScale.   And as was already mentioned before, we did  
10                  add a -- I will admit this is a little bit of an odd  
11                  limitation to have on here since they didn't  
12                  specifically request anything related to it, but we  
13                  did put a limitation on here regarding load follow  
14                  because we knew from the 4.2 review that they were  
15                  wanting to go that route.   So, currently, this is the  
16                  only limitation in the staff's evaluation.

17                  MEMBER CORRADINI:   I guess this is more  
18                  just how you approach it.   I kind of sense hidden  
19                  limitations and conditions that aren't called out in  
20                  the SER, such as you still have to be good with the  
21                  methodology, you still have to make sure downstream  
22                  with the design.   Is that just simply because you're  
23                  going to re-look at all of this in terms of the actual  
24                  application of the codes and methods to the design?

25                  MR. VAN WERT:   Well, those codes and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 methods are referenced, so the limitations and  
2 conditions that are on those, the staff SER for COPERNIC  
3 and you look at those limitations on that, would still  
4 carry over. We didn't repeat all the conditions and  
5 limitations.

6 MEMBER CORRADINI: No, I didn't mean, I  
7 didn't mean that. I guess I was, I mean, so the one  
8 that I'm still not -- well, we'll take it up in closed  
9 session, but there was some relative to what will be  
10 done for initial conditions, initialization for the  
11 LOCA, what really is the limitation for the burnup.  
12 It's kind of like, well, it's not going to be here and  
13 it's kind of down here, so we're okay. So there's a  
14 wide variation there about what is and isn't okay, so  
15 I was looking for something there. I was looking for  
16 something about initialization for LOCA, so maybe  
17 that's just going to follow up in the analysis of the  
18 actual fuel design.

19 MR. VAN WERT: So initialization for LOCA  
20 I'll say is handled within the LOCA topical report.  
21 So that's kind of outside of the realm of this topical  
22 report and the 4.2 review. What was the other -- oh,  
23 burnup. The AREVA limits, 62 gigawatt days peak rod  
24 average, still apply here. When we're talking about  
25 lower values, those are just the NuScale designs.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Sure, sure.

2 MR. VAN WERT: So if NuScale, for whatever  
3 reason, decided they wanted to, in some future date,  
4 move up to a higher value, they wanted to go to 62  
5 gigawatt days, they would be able to go through the  
6 normal change process and come in for review and  
7 approval, depending on the state of approval. I'm  
8 making some suppositions here, but they would be able  
9 to come in and request the higher burnup and the codes  
10 and methods would still apply up to AREVA limits.

11 MEMBER CORRADINI: But for now they're  
12 limited to whatever they have in their current  
13 certification application?

14 MR. VAN WERT: Correct.

15 MEMBER CORRADINI: Okay. Thank you.

16 MR. SCHULTZ: Well, that's all pending the  
17 evaluations that will be done in support of operation.

18 MR. VAN WERT: Correct.

19 MR. SCHULTZ: With the cycle designs and  
20 so forth. With regard to this limitation restricted  
21 to base load operation, was there one method that drove  
22 that in terms of, say, COPERNIC's application to load  
23 follow or --

24 MR. VAN WERT: So what I was looking for

25 --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. SCHULTZ:    -- was it just a general  
2 sense of the matter?

3                   MR. VAN WERT:   I looked at a few of them,  
4 but COPERNIC was one that I looked at in particular  
5 just because I thought that might be where I'd find  
6 it.  So in the 4.2 part, when we first came up with  
7 this question for them and NuScale responded that they  
8 would like to request approval for daily load follow,  
9 I wanted to make sure that the codes and methods were  
10 applicable, in which case then their answer would be  
11 a little bit, the scope of their answer would be less.

12                   When I went and started looking, though,  
13 I couldn't find any clear indication within the topical  
14 and staff's SER to say that it definitely was  
15 applicable.  I'm not NRR, so I don't want to say that  
16 it is not.  I'm just saying that I couldn't find any  
17 clear indication.  So I was using this as a limitation  
18 at this point that NuScale, in referencing this, if  
19 they want to use daily load follow, they need to provide  
20 that additional justification that not only is their  
21 plant okay for daily load follow but their methods used  
22 to analyze it also are applicable for that purpose.

23                   MR. SCHULTZ:    So they'd have to evaluate  
24 these methodologies and make that, help you make that  
25 determination.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. VAN WERT: Correct. I did see, I will  
2 look similar towards AREVA's direction, and they can  
3 tell me if we need to go to closed session.

4 MEMBER CORRADINI: Why don't we just wait?

5 MR. SCHULTZ: That's fine. I appreciate  
6 your answer here. Thank you.

7 MEMBER CORRADINI: Okay. Any other  
8 questions by the members? All right. Let me ask if  
9 there's folks in the room, we'll go to public comment  
10 before we go to closed session, if there's folks in  
11 the room that want to make a comment. And the lines  
12 should be open. Is there anybody on the line that wants  
13 to make a public comment? Assuming the line is open.  
14 Okay.

15 So hearing nothing, let's close the outside  
16 line. Let us go into closed -- no. Do we want to?

17 MEMBER POWERS: No, we do that at the end  
18 of the day.

19 MEMBER CORRADINI: Well, nobody outside  
20 can hear our comments after we go into closed session.

21 So are there any comments by the members at this point  
22 before we go into closed session? It's a very quiet  
23 bunch today.

24 So a couple of things, just logistically  
25 for the recorder, we're now going to go into the closed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 portion of the meeting. Can I ask AREVA and NuScale,  
2 particularly NuScale, to make sure that anybody here  
3 is bonafide to be here and can you make sure that the  
4 public line is closed off? And with that, we'll take  
5 a break since some of the members are starting to care  
6 about that. We'll come back at 10:30.

7 (Whereupon, the above-entitled matter went  
8 off the record at 10:15 a.m.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25





NuScale Nonproprietary

**NuScale Topical Report**  
***Applicability of AREVA Fuel***  
***Methodology for the NuScale Design***  
**TR-0116-20825 Rev. 1**

**Presentation to the ACRS**  
**Subcommittee**

**Larry Losh**

*NuScale Power*

*Manager, Nuclear Fuel*

**Glen Thomas**

*AREVA Technical Lead for NuScale*

*Fuel Design Project*

*September 20, 2017*



# Agenda

---

- NuScale Fuel – AREVA relationship
- Fuel Design Features
- Fuel Design and Operating Conditions Comparison
- Approach to Methods Applicability
- NRC approved AREVA Methods Applied to the NuScale Design
- Summary

---

**NuScale Power**

**AREVA NP**  
**Fuel design and fabrication**


**Fuel Design**  
**Proven product - Single design for DCA and batch supply**

**Fuel Design and Analyses**  
**Supported by design specific testing**  
**Analyses with approved codes and methods**

**Applicability of AREVA codes and methods established and documented**  
**Topical Report: *Applicability of AREVA Fuel Methodology for the NuScale Design,***  
**TR-0116-20825 Rev. 1**

# NuScale Fuel Assembly Design

- NuScale design based on AREVA's proven US 17x17 PWR technology
- NuScale design features
  - Zircaloy-4 HTP™ upper and intermediate spacer grids
  - Inconel 718 HMP™ lower spacer grid
  - Mesh filter plate on bottom nozzle
  - Zircaloy-4 MONOBLOC™ guide tubes
  - Quick-disconnect top nozzle
  - Alloy M5® fuel rod cladding



>>Proven features with US Operating Experience

# Design Comparison – NuScale vs AREVA 17x17

Parameter	NuScale Fuel Design	AREVA17x17 PWR
Fuel rod array	17 x 17	17 x 17
Fuel rod pitch (inch)	0.496	0.496
Fuel assembly pitch (inch)	8.466	8.466
Fuel assembly height (inch)	94	160
Spacer grid span length (inch)	20.1	20.6
Number of guide tubes per bundle	24	24
Dashpot region ID (inch)	0.397	0.397
Dashpot region OD (inch)	0.482	0.482
ID above transition (inch)	0.450	0.450
OD above transition (inch)	0.482	0.482
Number of fuel rods per bundle	264	264
Cladding OD (inch)	0.374	0.374
Cladding ID (inch)	0.326	0.326
Length of total active fuel stack (inch)	78.74	144
Fuel pellet OD (inch)	0.3195	0.3195
Fuel pellet theoretical density (%)	96	96

# Operating Parameter Comparison NuScale vs AREVA 17x17

---

Parameter	NuScale Design Value	AREVA 17x17 PWR Value
Rated Thermal Power (MWt)	160	3455
System Pressure (psia)	1850	2280
Core Inlet Temperature (F)	503	547
Core Tave (F)	547	584
Average Coolant Velocity (ft/s)	3.1	16
Core Average Re Number	76,000	468,000
Linear Heat Rate (kW/ft)	2.5	5.5
Fuel Assemblies in Core	37	193
Fuel Assembly Loading (KgU)	249	455
Core Loading (KgU)	9,213	87,815
Nominal Cycle Length (EFPD)	694	520
Maximum Fuel Assembly Discharge Burnup (GWd/mtU)	<50	>50

# ***“Applicability of AREVA Fuel Methodology for the NuScale Design”***

## **TR-0116-20825 Rev. 1**

---

Addresses applicability of specific AREVA codes and methods:

1. EMF-92-116(P)(A), Revision 0, Generic Mechanical Design Criteria for PWR Fuel Designs
2. BAW-10231P-A, Revision 1, COPERNIC Fuel Rod Design Computer Code
3. BAW-10084P-A, Revision 3, Program to Determine In-Reactor Performance of BWFC Fuel Cladding Creep Collapse
4. BAW-10227P-A, Revision 1, Evaluation of Advanced Cladding and Structural Material (M5) in PWR Reactor Fuel
5. XN-75-32(P)(A), Supplements 1 through 4, Computational Procedure for Evaluating Fuel Rod Bowing

Applicability of AREVA seismic analysis methodology addressed in separate report

- *“NuScale Applicability of AREVA Method for the Evaluation of Fuel Assembly Structural Response to Externally Applied Forces,”* TR-0716-50351-P, September 2016



# AREVA Methods Applicability

---

- The applicability of AREVA codes and methods is based on an evaluation of each topical report:
  - Technical applicability to the NuScale fuel design
  - Regulatory limitations per the SER for each topical report
  - TR-0116-20825 Rev. 1 only addresses applicability of methods; results of design-specific analyses are presented in the DCA and the associated technical report
- For each topical report, the technical applicability is based on two factors:
  - Similarity of the NuScale fuel design to AREVA 17x17 PWR fuel designs
  - The bounding nature of the AREVA PWR operating parameters with respect to NuScale operating parameters

# Design Comparison – NuScale vs AREVA 17x17

Parameter	NuScale Fuel Design	AREVA17x17 PWR
Fuel rod array	17 x 17	17 x 17
Fuel rod pitch (inch)	0.496	0.496
Fuel assembly pitch (inch)	8.466	8.466
Fuel assembly height (inch)	94	160
Spacer grid span length (inch)	20.1	20.6
Number of guide tubes per bundle	24	24
Dashpot region ID (inch)	0.397	0.397
Dashpot region OD (inch)	0.482	0.482
ID above transition (inch)	0.450	0.450
OD above transition (inch)	0.482	0.482
Number of fuel rods per bundle	264	264
Cladding OD (inch)	0.374	0.374
Cladding ID (inch)	0.326	0.326
Length of total active fuel stack (inch)	78.74	144
Fuel pellet OD (inch)	0.3195	0.3195
Fuel pellet theoretical density (%)	96	96

*NuScale fuel design parameters are identical with exception of axial dimensions*

# Operating Parameter Comparison – NuScale vs AREVA 17x17

Parameter	NuScale Design Value	AREVA 17x17 PWR Value
Rated Thermal Power (MWt)	160	3455
System Pressure (psia)	1850	2280
Core Inlet Temperature (F)	503	547
Core Tave (F)	547	584
Average Coolant Velocity (ft/s)	3.1	16
Core Average Re Number	76,000	468,000
Linear Heat Rate (kW/ft)	2.5	5.5
Fuel Assemblies in Core	37	193
Fuel Assembly Loading (KgU)	249	455
Core Loading (KgU)	9,213	87,815
Nominal Cycle Length (EFPD)	694	520
Maximum Fuel Assembly Discharge Burnup (GWd/mtU)	<50	>50

***NuScale operating parameters are generally bounded by AREVA licensing and operating experience***

# AREVA Methods Addressing SRP Criteria

Analysis using AREVA Methodology	SRP 4.2 Acceptance Criteria	AREVA Topical Report
Shipping And Handling Stress Analysis	1.A.i	EMF-92-116(P)(A)
Fuel Assembly/Component Stress Analysis	1.A.i	
Fretting Wear Assessment	1.A.iii	
Axial Growth (Rod and Assembly)	1.A.v	
Fuel Lift Analysis	1.A.vii	
Internal Hydriding	1.B.i	
Clad Stress Analysis	1.A.i	BAW-10227P-A
Fuel Rod Buckling Analysis	1.A.i	
Clad Fatigue Analysis	1.A.ii	
Clad Corrosion Analysis	1.A.iv	BAW-10231P-A
Fuel Rod Internal Pressure	1.A.vi	
Fuel Centerline Melt Analysis	1.B.iv	
Transient Clad Strain Analysis	1.B.vi	
Clad Creep Collapse Analysis	1.B.ii	BAW-10084P-A BAW-10227P-A
Rod Bow Evaluation	1.A.v	XN-75-32(P)(A)

***AREVA applied 5 topical reports to the NuScale fuel design project***

# EMF-92-116PA Overview

---

- EMF-92-116PA “Generic Mechanical Design Criteria for PWR Fuel Designs” defines the NRC approved fuel mechanical design criteria (SAFDLs) for AREVA PWR fuel
- EMF-92-116PA has been used to license several PWR fuel designs types in the US:
  - W-type 17x17 and 15x15 fuel
  - CE-type 14x14, 16x16, and 15x15 fuel
- SER approves EMF-92-116PA for PWR licensing applications up to 62 GWd/mtU rod average burnup
  - This limit bounds burnup values from projected NuScale fuel cycle designs

# EMF-92-116PA Summary

---

- The applicable sections of EMF-92-116PA address:
  - Internal hydriding
    - Controls are established for rod internal component hydrogen content
    - Same hydrogen controls and limits will be applied to NuScale fuel
  - Fuel assembly structure normal operation stress analysis
    - Directs use of ASME Code for stress analysis methods and limits
    - ASME Code equations and limits are generic and applicable to NuScale given the similarity of stress conditions to PWR fuel
  - Fretting wear
    - Testing performed to demonstrate fuel fretting resistance
    - Criteria is that fuel rod failures due to fretting shall not occur
    - Fretting tests were performed for prototypic NuScale fuel
  - Fuel rod and fuel assembly axial growth
    - Empirical growth models used to show fuel rod and fuel assembly end-of-life gaps
    - Materials and operating conditions bounded by AREVA US PWR experience

# EMF-92-116PA Summary

---

- Fuel lift analysis
  - Fuel assembly mass and hold-down are to exceed hydraulic lift forces
  - Similarity of fuel design makes method and criteria applicable
- Shipping and handling stress analysis
  - Loads from shipping are compared with ASME allowable limits
  - ASME Code equations and limits are generic and applicable to NuScale given similarity of stress conditions to current PWR fuel
- Conclusion:
  - Based on AREVA's technical evaluation these approved EMF-92-116PA mechanical design criteria and methodologies can be applied to the NuScale fuel design
  - SER contains no restrictions that preclude application to NuScale

# BAW-10231PA Overview

---

- BAW-10231PA, “COPERNIC Fuel Rod Design Computer Code”
  - Predicts the thermal and mechanical behavior of fuel rods under irradiated conditions
    - Rod internal pressure
    - Clad corrosion
    - Transient clad strain
    - Fuel centerline temperature
    - Clad creep collapse initialization data



# BAW-10231PA Applications

---

- The COPERNIC code and its associated methods are currently used in US PWR licensing applications
  - Westinghouse cores fueled with AREVA 17x17 fuel design
  - Babcock and Wilcox cores fueled with AREVA 15x15 fuel design
- Current COPERNIC ranges of applicability (fuel type, cladding material, fuel rod burnup, etc.) bound NuScale design characteristics and operating conditions

# BAW-10231PA Summary

---

- Two points from COPERNIC applicability evaluation:
  - Evaluated lower RCS flow rates from natural circulation and determined that COPERNIC clad-to-coolant heat transfer coefficient predictions were applicable
  - RCS system pressure used as rod internal pressure limit for NuScale application
- Conclusion:
  - Based on AREVA's technical evaluation these approved BAW-10231 criteria and methodologies can be applied to the NuScale fuel design
  - SER contains no restrictions that preclude application to NuScale

# BAW-10084PA Overview

---

- BAW-10084PA, “Program to Determine In-Reactor Performance of BWFC Fuel Cladding Creep Collapse”
  - Documents the AREVA creep collapse methodology to ensure that AREVA fuel rods do not collapse during their design lifetimes
  - BAW-10227PA extends the application of the creep collapse methodology to M5<sup>®</sup> cladding
- The CROV code and its associated method are currently used in US PWR licensing applications
  - Westinghouse cores fueled with AREVA 17x17 fuel design
  - Babcock and Wilcox cores fueled with AREVA 15x15 fuel design
  - Combustion Engineering cores fueled with AREVA 16x16 fuel design

# BAW-10084PA Pertinent Parameters

---

- Creep ovalization rates and collapse criteria limits are most affected by:

Key Parameter	NuScale Application
Clad temperatures	Within the range of existing CROV applications
Pressure differential across the cladding	Within the range of existing CROV applications
Fast neutron flux	Within the range of existing CROV applications

- NuScale key parameters are within the operating experience of the PWRs currently licensed with BAW-10084PA

# BAW-10084PA Summary

---

- One Method Change
  - AREVA PWR creep collapse analyses utilize fuel performance inputs from an axial elevation of 90 inches - this elevation corresponds to the worst combination of fast neutron flux and cladding temperature in conventional PWRs
  - In contrast, NuScale analysis uses an alternate means to create limiting inputs
- Conclusion:
  - Based on AREVA's technical evaluation BAW-10084 can be applied to the NuScale fuel design
  - SER contains no restrictions that preclude application to NuScale
  - Minor adjustment to the method (limiting axial elevation) is documented in TR-0116-20825 Rev. 1

# BAW-10227PA Overview

---

- BAW-10227PA, “Evaluation of Advanced Cladding and Structural Material (M5) in PWR Reactor Fuel” contains:
  - The analysis methodology used for AREVA M5<sup>®</sup> fuel rod cladding
  - The M5<sup>®</sup> fuel rod design limits
- Approved for PWR licensing applications up to 62 GWD/mtU rod average burnup
- BAW-10227PA scope for NuScale is limited to:
  - Fuel rod cladding stress and buckling analyses
  - Fuel rod cladding fatigue analysis

# BAW-10227PA Overview

---

- BAW-10227PA has been used to license various US PWR fuel types
  - Westinghouse cores fueled with AREVA 17x17 fuel design
  - Babcock and Wilcox cores fueled with AREVA 15x15 fuel design

# BAW-10227PA Pertinent Parameters

---

- Fuel rod mechanical analyses (clad stress, fatigue, and buckling) are most influenced by one or more of the following parameters:

Key Parameters	NuScale Application
Cladding material	Identical to existing applications
Cladding radial dimensions	Identical to existing applications
Cladding temperatures	Within the range of existing applications
Pressure differential across cladding	Within the range of existing applications

- NuScale parameters are within the operating experience of the PWRs currently licensed with BAW-10227PA



# BAW-10227PA Summary

---

- Conclusion:
  - Based on AREVA's technical evaluation BAW-10227 can be applied to the NuScale fuel design
  - SER contains no restrictions that preclude application to NuScale

# XN-75-32(P)(A) Suppl. 1- 4 Overview

---

- XN-75-32(P)(A), “Computational Procedure for Evaluating Fuel Rod Bowing,” Supplements 1-4 define the NRC approved procedure for evaluating fuel rod bowing
    - Fuel rod bowing is primarily influenced by
      - Slip load of the intermediate and upper end spacer grids
      - Span length between spacer grids
      - Coolant cross flow forces
      - Core operating conditions
    - Primary Concerns:
      - Reduction in rod-to-rod water gap resulting in decrease in DNBR margin
      - Increase in rod-to-rod water gap resulting in increase in local power peak
    - The rod bow topical report provides a method to predict rod bow and to develop appropriate fuel performance penalties
-

# XN-75-32(P)(A) Suppl. 1- 4 Overview

---

- XN-75-32(P)(A) Supplements 1- 4 has been used to license most HTP™ PWR fuel designs in the US:
  - W-type 17x17 and 15x15 fuel
  - CE-type 14x14, 16x16, and 15x15 fuel
- The NuScale fuel design is within current experience for core operating parameters and slip load and less limiting for spacer grid span lengths
  - NuScale fuel expected to have lower propensity for fuel rod bowing than the AREVA PWR benchmarked designs
  - Critical Heat Flux penalty method acceptable
  - Linear Heat Rate penalty method acceptable

# XN-75-32(P)(A) Suppl. 1- 4 Summary

---

- Conclusion:

- Based on AREVA's technical evaluation XN-75-32(P)(A) Supplements 1- 4 can be applied to the NuScale fuel design
- SER contains no restrictions that preclude application to NuScale

# Summary and Conclusion

---

- Each of the five AREVA topical reports have been demonstrated to apply to NuScale as documented in TR-0116-20825 Rev. 1
  - One stated modification to BAW-10084PA methodology concerning axial elevation of input data

# Abbreviations

---

- ASME – American Society of Mechanical Engineers
- DCA – design certification application
- DNBR – departure from nucleate boiling ratio
- EFPD – effective full power days
- ID – inner diameter
- OD – outer diameter
- PWR – pressurized water reactor
- RCS – reactor coolant system
- SAFDL – specified acceptable fuel design limit
- SER – safety evaluation report
- SRP – standard review plan



6650 SW Redwood Lane, Suite 210  
Portland, OR 97224  
971.371.1592


1100 NE Circle Blvd., Suite 200  
Corvallis, OR 97330  
541.360.0500

11333 Woodglen Ave., Suite 205  
Rockville, MD 20852  
301.770.0472

2815 Coliseum Centre Dr., Suite 230  
Charlotte, NC 28217  
980.349.4804

1<sup>st</sup> Floor Portland House  
Bressenden Place  
London SW1E 5BH  
United Kingdom  
+44 (0) 2079 321700

<http://www.nuscalepower.com>



## Presentation to the ACRS Subcommittee

### Staff Review of NuScale Topical Report TR-0116-20825-P, Revision 1, “Applicability of AREVA Fuel Methodology for the NuScale Design”

#### Presenters:

Bruce Bavol - Project Manager, Office of New Reactors  
Christopher Van Wert - Senior Reactor Engineer, Office of New Reactors

September 20, 2017  
(Open Session)



---

# Staff Review Timeline

- NuScale submitted its topical report (TR) Revision 0, on March 30, 2016
- TR Revision 1 was subsequently sent on July 1, 2016, to incorporate NRC comments
- Staff issued request for additional information (RAI 8727) on February 10, 2017
- NuScale responded to RAI 8727 on March 9, 2017
- Staff issued its safety evaluation report (SER) in July 20, 2017
- Staff plans to brief advisory committee on reactor safeguards (ACRS) full committee in October 5, 2017
- Staff plans to issue its final SER in late October 2017
- Staff plans to publish the “-A” (approved) version of the TR on December 12, 2017

---

# NRC Technical Review Areas/Contributors

- Reactor Systems NRO/DSRA/SRSB:
  - Rebecca Karas (BC)
  - Jeffrey Schmidt
  - Christopher Van Wert

---

# Scope of the Staff Review

The staff's review was limited to the topics presented in topical report TR-0116-20825-P Revision 1 and included the applicability of the following:

- BAW-10084PA, "Program to Determine In-Reactor Performance of BWFC Fuel Cladding Creep Collapse"
- BAW-10227PA, "Evaluation of Advanced Cladding and Structural Material (M5) in PWR Reactor Fuel"
- BAW-10231PA, "COPERNIC Fuel Rod Design Computer Code"
- XN-75-32(P)(A), Supplements 1-4, "Computational Procedure for Evaluating Fuel Rod Bowing"
- EMF-92-116(P)(A), "Generic Mechanical Design Criteria for PWR Fuel Designs"

---

# Scope of the Staff Review (cont)

The staff's review does not cover:

- A technical review of the approved AREVA topical reports
- Any technical analysis of the NuScale plant design based on the AREVA methods
  - NuScale technical report TR-0816-51127-P Revision 1 contains the NuScale fuel system design analysis and is reviewed as part of the DCD Section 4.2 review.

---

# NuScale Fuel Assembly Design Overview

The NuScale fuel assembly design is based on the AREVA 17x17 fuel assembly design and contains many similarities:

- HTP upper and mid grids
- HMP bottom grid
- M5 fuel rod cladding
- Zirc-4 MONOBLOC guide tubes

The differences include:

- Reduced fuel assembly and active fuel stack height
- Reduced grid span height
- Reduced rod internal pressure

---

# Staff Review Approach

The staff reviewed the applicability of each AREVA topical report by:

- Reviewing of the conditions/limitations of the referenced AREVA topical reports
- Comparing of the NuScale system/operational parameters with those used to develop the AREVA methods
- Reviewing any NuScale specific modifications to the AREVA methodology

---

# Staff Technical Review

The staff reviewed the AREVA codes/methods cited in the topical report following the approach presented on the previous slide. Areas that involved additional attention based on the review are detailed below:

- BAW-10084PA (fuel cladding creep collapse)
  - AREVA analysis methodology is performed at a 90 inch elevation based on full-height AREVA fuel designs. NuScale fuel is shorter and required a methodology modification to address the shorter NuScale fuel design.

---

# Staff Technical Review (cont)

- XN-75-32(P)(A) (fuel rod bow)
  - NuScale fuel design has shorter grid span lengths, which reduces the likelihood of bowing
  - The CHF penalty used in the bowing analysis bounds the NuScale fuel assembly design parameters
  - The NuScale parameters important to linear heat generation rate (LHGR) penalties are bounded by the values used in the referenced AREVA topical report to generate the LHGR penalty



---

# Staff SER Conclusions

- The staff concludes that topical report TR-0116-20825 Revision 1 is acceptable and that the cited AREVA fuel system design codes and methods are applicable for use in NuScale fuel system analyses, with the following limitation:
  - Any applicant or licensee referencing this topical report who wishes to operate in modes other than baseload would need to address such operation in their application or license amendment request.

---

**Questions/comments from members  
of the public before the closed  
session starts?**