

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
513th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, June 3, 2004

Work Order No.: NRC-1508

Pages 1-153

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1 U.S. NUCLEAR REGULATORY COMMISSION

2 * * *

3 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

4 * * *

5 513TH MEETING

6 * * *

7 THURSDAY,

8 JUNE 3, 2004

9 * * *

10
11
12 The Committee met at 8:30 a.m., in Room
13 T2B3, White Flint North, Rockville, Maryland, Dr.
14 Mario Bonaca, Chairman, presiding.

15 MEMBERS PRESENT:

16 MARIO BONACA	ACRS Chairman
17 F. PETER FORD	Member
18 THOMAS KRESS	Member
19 DANA POWERS	Member
20 VICTOR RANSOM	Member
21 STEVEN ROSEN	Member
22 WILLIAM SHACK	Member
23 JOHN D. SIEBER	Member
24 GRAHAM WALLIS	Member
25 SAM DURAIWAMY	Designated Federal Official

NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STAFF PRESENT:

MEDHAT EL-ZEFTAWY ACRS Staff

C O N T E N T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

Introduction, Chairman Bonaca 4

NRC Staff's Response to ACRS Report on the

AP1000 Design:

Dr. Thomas Kress 5

Brian Burke 6

Bob Hammersley 7

John Segala 54

Andre Drost 77

Proposed Revisions to Standard Review Plan Sections:

Dr. F. Peter Ford 98

Rob Kuntz and Aida Rivera 98

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(8:30 a.m.)

CHAIRMAN BONACA: Good morning. I'll go through my reading while they're preparing the presentations.

So this meeting will now come to order. This is the second day of the 513th meeting of the Advisory Committee on Reactor Safeguards.

During today's meeting, the committee will consider the following:

NRC staff response to March 17, 2004 ACRS report on the AP1000 design;

Proposed revisions to standard review plan, Section 5.2.3, 5.3.1, 5.3.3, regarding reactor vessel materials and reactor vessel integrity and process and schedule for revising various SRP sections;

Future ACRS activities and report of the Planning and Procedures Subcommittee;

And preparation of ACRS reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Sam Duraiswamy is the Designated Federal Official for the initial portion of the meeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We have received no written comments or
2 requests for time to make oral statements from members
3 of the public regarding today's sessions.

4 A transcript of portions of the meeting is
5 being kept, and it is requested that the speakers use
6 one of the microphones, identify themselves, and speak
7 with sufficient clarity and volume so that they can be
8 readily heard.

9 During lunchtime today, we are scheduled
10 to interview three candidates for potential membership
11 on the ACRS. WE will be interviewing the remaining
12 two candidates for potential membership tomorrow at
13 lunchtime.

14 With that, we will move on the first item
15 on the agenda. That is staff response to the ACRS
16 report on the AP1000 design, and Dr. Kress will lead
17 us through this presentation.

18 DR. KRESS: Thank you, Mr. Chairman.

19 Just a reminder to the members. Our March
20 17th letter outlined a number of items that I guess we
21 could view as like ACRS, requests for additional
22 information, things we wanted to hear more about how
23 the staff and Westinghouse dispositioned them.

24 We have already heard on several of those
25 items, and we are going to hear some more on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 remaining ones.

2 I would also like to remind the members
3 that we are getting near the end of this process, and
4 on June 25th, I hope your calendar shows it. We are
5 having an Advanced Reactor Subcommittee meeting on the
6 final SER. To me that and the June meeting of the
7 full ACRS represent our final go-round on this, and
8 we'll end up writing our final letter.

9 So if you have lingering questions,
10 lingering things that you want to get off your chest,
11 why today is the time and June 25th is the time.

12 With that, I guess my understanding is
13 that we are going to start with Westinghouse this
14 morning.

15 MR. BURKE: Dr. Kress, Brian Burke,
16 manager of licensing for the AP1000 at Westinghouse.

17 Our purpose today in the Westinghouse
18 presentation is to give the committee additional
19 information and our perspective on Issues 5, 6, and 7
20 related to severe accident issues, and Bob Hammersley
21 from our FAI group is our spokesman.

22 DR. KRESS: Thank you very much.

23 We remind the members that Issues 5, 6,
24 and 7 were the question of the potential for pure
25 coolant interactions in case in-vessel retention

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't work.

2 And six was the question of whether you
3 could produce significant organic iodine in the
4 containment as the film flows down the wall and that
5 exceed 10 CFR 100 under the design basis.

6 And seven was the potential for
7 catastrophic type failure on a free standing
8 containment vessel.

9 MR. HAMMERSLEY: Good morning. My name
10 is Bob Hammersley, as Brian said, and I'm going to
11 present the responses for five, six, and seven, and
12 I'm going to wait a second.

13 (Laughter.)

14 MR. HAMMERSLEY: Okay. To start with, we
15 thought we'd put these issues in the perspective of
16 the safety goal risk measures because we have worked
17 very hard, of course, to establish a good risk profile
18 for the AP1000, and some of the issues, statements
19 express some interest in the relationship of those
20 issues to the safety goal measures.

21 So the NRC safety goal policy statement is
22 focused towards no significant risk through the life
23 and health of the public, and the metric for that, of
24 course, is that the fatality and cancer risks should
25 be less than a tenth of a percent for the sum of their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 causes.

2 And the numerics for that in terms of
3 quantitative health objectives is risk of prompt
4 fatalities of 5E to the minus 7 correct for year and
5 latent less than 2E to the minus six.

6 DR. KRESS: Do you know where the five
7 times ten to the minus seven comes from?

8 MR. HAMMERSLEY: I'm told it comes from a
9 reference document that's used to prepare the slide,
10 the first one.

11 DR. KRESS: Somehow it seems to be based
12 on the number of automobile deaths that you have per
13 year.

14 MR. HAMMERSLEY: Yeah.

15 DR. KRESS: Which is a strange connection.

16 MR. HAMMERSLEY: Yeah. This, of course,
17 pick up all of the kinds of fatalities that an average
18 person experiences like getting here today or getting
19 home.

20 DR. WALLIS: Everybody dies sometime.

21 MR. HAMMERSLEY: Right.

22 DR. KRESS: Oh, this is accidental deaths.

23 DR. POWERS: But you haven't as yet.

24 MR. HAMMERSLEY: These are all active
25 anyway. I thought you mean the specific number of --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Yeah, I know the reference.
2 There was a Sandia report.

3 MR. HAMMERSLEY: For the AP1000 PRA
4 results, we looked at five different risk categories,
5 such as early, intermediate, late containment failures
6 and bypass containment isolation failure, and it
7 quantified the frequency of each of those, and it
8 quantified the source term associated with each of
9 those.

10 Then we used the MAX code to determine the
11 latent and current fatality incidences associated with
12 those source terms.

13 DR. KRESS: Did you use some sort of
14 fictitious site?

15 MR. HAMMERSLEY: Yes, and different
16 population densities and different radii leaving it.
17 So that --

18 DR. KRESS: I don't even know what ten to
19 the minus 11 is.

20 MR. HAMMERSLEY: Small.

21 (Laughter.)

22 DR. KRESS: It's pretty small. That's
23 right.

24 MR. HAMMERSLEY: So, of course, we then
25 derived the risk profile for the AP1000 by multiplying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the consequences by the frequency of each of those
2 release categories and then summing them all up.

3 So the kind of numbers that we would
4 obtain for the AP1000 design are E8 to the minus 11
5 and E to the minus ten, which of course are
6 approximately three orders of magnitude less than the
7 quantitative health objective for the numerics.

8 DR. KRESS: Was a containment failure by
9 steam explosion screened out of that?

10 MR. HAMMERSLEY: No, I think it was --

11 DR. KRESS: It was included as part of it.

12 MR. HAMMERSLEY: Right, right.

13 So we conclude then if the AP1000
14 comparison safety goals show, of course, that
15 additional uncertainties associated with severe
16 accident analysis, such as those you've been
17 discussing today, can readily be tolerated without
18 challenging the safety goal measure. We'll come back
19 and revisit these slides at the end.

20 So the first issue, number five,
21 summarized on this slide, relates to the exothermic,
22 intermetallic reactions leading to vessel failure that
23 produce a fuel co-interaction ex vessel greater than
24 that currently evaluated, and ACRS would like to view
25 our models in the containment response as to why it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't fail.

2 DR. KRESS: That's a pretty good wrap-up
3 of our issue. I think we were wanting to see what
4 initial conditions you use for the melt when it
5 entered the water.

6 MR. HAMMERSLEY: Okay. The FCI analysis
7 submitted for the AP600 and included in its
8 certification was used as a basis of going forward
9 with the AP1000. So the details on AP600 on the slide
10 indicate that the Texas code was use to determine the
11 FCI loads that would be experienced in the reactor
12 cavity.

13 DR. KRESS: I hesitate to ask this
14 question because it's an ACRS type question that just
15 usually runs people up the wall, but do you know what
16 database Texas has been qualified to?

17 MR. HAMMERSLEY: I don't recall the exact
18 experiments. I know it was compared against some
19 experimental measurement, but I don't recall that.
20 It's been a while sine I ran that.

21 DR. KRESS: You know, so the thermal
22 hydraulic analysis to deal with design basis
23 accidents, we got a great lance to show that the codes
24 are qualified by proper integral experiments. We
25 hardly look at FCI codes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HAMMERSLEY: Right.

2 DR. KRESS: The relationship to the
3 experiments and whether they're qualified or what the
4 models in them are.

5 MR. HAMMERSLEY: Right.

6 DR. POWERS: But then we get statements
7 like FCI doesn't fail containment, period.

8 DR. KRESS: Yeah.

9 DR. POWERS: Guaranteed 100 percent, no
10 chance of anything else.

11 DR. KRESS: And so the question is how do
12 we react to that.

13 DR. POWERS: I know how I'd react.

14 DR. KRESS: Yeah, but this is sort of a
15 side discussion that the ACRS has had.

16 So continue.

17 MR. HAMMERSLEY: The failure mode that was
18 limiting for that analysis was we call a side pinged
19 failure of the RPV. That is to say the interface of
20 the lower hemispherical head and the cylindrical
21 portion of the RPV. The vessel was considered to
22 fail, either just a hinge failure so that we had an
23 immediately large pour like a cauldron just being
24 dumped out or also a failure mode where you just sort
25 of punched a hole in it and sort of burned your way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 down along the side of the vessel.

2 It affected the pour rates, looked at a
3 variety of the materials in terms of a metal layer or
4 EO_2 , et cetera. It looked at a range of super heats,
5 and I seem to recall several hundred degrees of super
6 heat to smaller amounts of super heat in terms of the
7 conditions of the material released into the reactor
8 cavity.

9 When these loads were applied then to the
10 containment structural response, the upper bound
11 containment vessel strain that was determined based on
12 them resulted in a strain of the steel shell of the
13 containment of about 3.8 percent, and tests on vessel
14 material show that strains to the capacity of the
15 metal is about 22 to 32 percent strain for an
16 alternate load.

17 So based on that kind of margin in the
18 strain capacity of the material and the estimated
19 amount of strain induced by the FCI, it was included
20 that the FCI vent failed the containment. It's an
21 integrity of folding fission products in. It would
22 get some local damage to the concrete which would not
23 be a metal membrane.

24 DR. POWERS: With a three percent strain
25 you don't run into anything in the shield wall that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just pokes a hole in the steel vessel?

2 MR. HAMMERSLEY: No. The base mat was due
3 to the cracking as a result of this, and so underneath
4 the floor area of the reactor cavity/reactor
5 containment was, quote, damaged by that event. It
6 cracked it.

7 So then we were relying on the strength of
8 the steel shell to maintain this entirely.

9 DR. POWERS: But, I mean, there's nothing
10 coming through the concrete sticking out that just
11 pokes a hole?

12 MR. HAMMERSLEY: No, in that region
13 there's obviously rebound in the concrete, but there's
14 not penetrations or access caps or hatches or --

15 DR. SIEBER: Or steel rods.

16 MR. HAMMERSLEY: Right. Like I said,
17 there was rebar of course.

18 DR. WALLIS: Well, remind me of this
19 containment. There's a steel thing with a concrete
20 outside of it?

21 DR. KRESS: Annulus in between.

22 MR. HAMMERSLEY: Right.

23 DR. WALLIS: And the concrete, I mean, 32
24 percent strain in concrete sounds bizarre.

25 MR. HAMMERSLEY: No, this is in the steel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 vessel.

2 DR. WALLIS: Okay. So the concrete just
3 falls off and then the steel blows up like a balloon?

4 MR. HAMMERSLEY: Well, it can't fall away
5 because it's --

6 DR. SIEBER: There's space.

7 MR. HAMMERSLEY: Right.

8 DR. KRESS: If the vessel didn't have
9 concrete around it, then it could stand that much
10 strain before it tails --

11 MR. HAMMERSLEY: Right.

12 DR. KRESS: -- but if the concrete is
13 there, it would just butt up against it.

14 DR. SHACK: Well, the vessel material
15 could stand that much strain. When you look at the
16 Sandia integral test, what's the sort of strain that
17 you get to failure before they go there, where you
18 have, you know, more complicated geometries and
19 localization?

20 You know, I'm pretty sure it isn't 22 to
21 32 percent.

22 DR. KRESS: Does anybody know?

23 DR. POWERS: Somehow the number eight
24 percent comes to mind, but I don't know.

25 DR. KRESS: Did you want to say something,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Rich?

2 MR. LEE: About Texas.

3 DR. KRESS: Yeah, okay.

4 MR. LEE: This is Richard Lee from
5 Research.

6 You asked about the Texas code validation.
7 We have validated the code against like farrels
8 (phonetic), quotas, and so forth. Also, we are still
9 currently involved with the CS&I Serino (phonetic)
10 program, which are continuing to evaluate the FCI
11 models and experiment with how large is that base, how
12 good it is a calculation. So Core D is still involved
13 with that one.

14 DR. KRESS: Yeah, my experience with those
15 is that you can backfit the code to it pretty well,
16 but a blind prediction doesn't do very well. Is that
17 a reasonable --

18 MR. LEE: Well, that is what the CSI wants
19 to find out, is how well can you predict instead of
20 keep fitting it backwards.

21 DR. KRESS: Yeah.

22 MR. LEE: So that was one of the tasks,
23 and is still going on for a year or two.

24 DR. KRESS: Is there a document we could
25 see on that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEE: I have to ask. It's unfortunate
2 that Suit Pursuit (phonetic) is not here because he is
3 actually at a Serino meeting in France.

4 DR. KRESS: We'd like to see that document
5 if we could get it.

6 MR. LEE: Sure.

7 DR. WALLIS: Now, this 3.8 percent, this
8 isn't just a spherical balloon or a cylinder. It's
9 attached to a base mat, right?

10 MR. HAMMERSLEY: Right.

11 DR. WALLIS: And as it begins to distort,
12 it bends presumably where it's attached to the base
13 mat. So the local strain is much bigger at the place
14 where it bends. Doesn't it snap off the base mat
15 before anything else, before it breaks as a balloon?

16 MR. ORR: Can I address that question?
17 I'm Richard Orr. I'm responsible for the AP1000
18 structural design.

19 The particular evaluation that was done
20 here, the steam explosion results in an impulse load
21 on the bottom of containment. The failure we're
22 looking at is effectively -- the containment vessel is
23 sandwiched between two layers of concrete, and the
24 pressure impulse causes a failure of the concrete base
25 mat. A roughly 40 foot diameters plug of concrete

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 moves down into the ground, and the 3.8 percent strain
2 in the vessel is the stretching of the vessel as the
3 plug is pushed down into the ground.

4 The calculations show --

5 DR. WALLIS: It's a vertical stretch.

6 MR. ORR: It's actually the center plug of
7 concrete on a soil site deflects downwards by about
8 six inches.

9 DR. WALLIS: And that's the 3.8 percent.
10 It's the concrete.

11 MR. ORR: The 3.8 percent is the strain.
12 The steel vessel is not anchored to the concrete. It
13 slides relative to the concrete, and there is sort of
14 a discontinuity in the concrete that the vessel has to
15 bridge across. That's what the 3.8 percent strain is
16 calculated from.

17 DR. FORD: So the 3.8 percent is the local
18 strain on that bridging area?

19 DR. WALLIS: Yes, and it bulges out into
20 the hole left by that concrete. Is that what it does?

21 MR. ORR: No, because, as I say, the
22 containment vessel is sandwiched between two layers of
23 concrete. Both layers of concrete and the vessel
24 move down, but there's a 45 degree crack in the
25 concrete that the steel vessel has to bridge across.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. FORD: I'm sure somebody has asked
2 this question as a what if type question. What if the
3 steel was corroded? In other words, it did not have
4 its as built structural integrity. Is that such an
5 outlandish scenario?

6 MR. ORR: I think all of the data
7 available on steel in concrete shows that concrete is
8 one of the best corrosion preventers that there is,
9 and there's six feet of concrete, a minimum of three
10 feet of concrete above the vessel, anywhere from six
11 to 20 feet of concrete below the vessel. So there's
12 no potential really for air flow or water flow.

13 The steel vessel is inch and five-eighths
14 thick. We do not expect significant corrosion.

15 DR. WALLIS: So we go back to this 3.8 is
16 the strain at the place where the strain is the
17 greatest.

18 MR. ORR: That's correct.

19 DR. WALLIS: Now, first of all, I think it
20 is growing like a balloon, this 3.8, but it's nothing
21 like that at all. It's a local maximum strain.

22 MR. ORR: Yes.

23 DR. WALLIS: Thank you.

24 MR. HAMMERSLEY: Right, localized load.

25 So the AP600 analysis was then applied for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the AP1000 containment. Based on the similarity of
2 the vessel lower heads geometry being the same, then
3 the lower plenum debris characteristics in terms of
4 the materials, three super heat conditions of material
5 coming out, and finally the same dose of failure
6 modes, that is, like a hinged side failure.

7 There is one of those differences that
8 since the vertical height of the AP1000 pressure
9 vessel is larger than the AP600, the bottom of the
10 lower head of the AP1000 is closer to the floor of the
11 reactor cavity by about half a meter, approximately
12 one and a half meters distance between the bottom of
13 the RPV and the floor of the reactor cavity for the
14 1000 versus two meters for the 600.

15 And then the AP600 analysis, since we
16 looked at side failure, that is, a hinge failure, the
17 floor height for the debris and entering the flooded
18 reactor cavity is about four meters for this one
19 radius, plus this two meter difference.

20 DR. KRESS: What's the implications of the
21 hinge failure versus some other kind of failure?

22 MR. HAMMERSLEY: I'm sorry. Of the
23 bottom? The implication would be the amount of
24 material that would be --

25 DR. KRESS: It limits the amount?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HAMMERSLEY: Yes.

2 DR. KRESS: Do you have a slide showing us
3 how much material was assumed in the Texas
4 calculation, how much metallic amount and how much --

5 MR. HAMMERSLEY: No, I didn't personally.

6 DR. KRESS: You don't have that, but
7 that's in --

8 MR. HAMMERSLEY: I can provide the
9 information, but I don't.

10 DR. KRESS: Yeah, we'd particularly like
11 to know in your sensitivity analysis how much super
12 heat you had, how much melt was assumed in the
13 calculation. Well, basically those two things.

14 MR. HAMMERSLEY: Okay. Okay. So I
15 believe that these findings in terms of the mean
16 failure mode and these simulators that are consistent
17 with the NRC staff's findings as well.

18 So we come to the issue of lower metal
19 layer exothermic reaction scenario. We view that as
20 challenging the vessel bottom, the heavier metals in
21 the bottom and attacking the vessel wall. We view the
22 vessel bottom failure as not the limiting case versus
23 the side failure location because, as I mentioned, the
24 bottom of the vessel is closer to the floor, limits
25 the premixing volume of interacting materials during

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the FCI event, and the debris participation in the FCI
2 for the bottom failure is viewed as being less because
3 we get similar pour rates through a catastrophic
4 failure of dumping the ladle as the bottom one that we
5 took (phonetic) and there's simply less time for the
6 material to be entering before it encounters a solid
7 surface, which is viewed as figuring the FCI event.

8 So we concluded that the lower metal layer
9 exothermic reaction failure scenario is bounded by a
10 side hinge failure scenario and, therefore, for the
11 AP1000 we believe that the AP600 results are also
12 applicable and we wouldn't induce containment failure.

13 DR. KRESS: Well, you know, these are all
14 assertions about what the calculations show and have
15 no reason to doubt them.

16 I would like to see the calculations. Is
17 there a document that we can go to? Where do we find
18 the actual calculations for this?

19 MR. HAMMERSLEY: Calculations for the
20 AP600, I'm sure, are in that Westinghouse document
21 control. I don't know --

22 MR. ORR: They are documented in the AP600
23 PRA.

24 DR. KRESS: PRA for AP600.

25 MR. ORR: Appendix B, as in Boy.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Okay.

2 MR. HAMMERSLEY: I believe that probably
3 answers your question, too, about super heat.

4 DR. KRESS: Yeah.

5 MR. HAMMERSLEY: Okay. The second issue
6 for discussion today, Issue No. 6, is organic iodine
7 production where we're considering the acidification
8 of the containment as a result of radiolysis. Again,
9 the material could rise to significant airborne
10 fission product form, in gaseous organic form, and we
11 need to review, you guys need to review what we did
12 about this potential.

13 We view the formation of organic iodine as
14 resulting from radiolysis organic materials. It
15 involves the availability of elemental iodine, and so
16 we just focus on the generation of the availability of
17 elemental iodine because of the behavior of these
18 films running down the --

19 DR. POWERS: So you discount totally the
20 idea that you could form gas phase organic iodine?

21 MR. HAMMERSLEY: No, we didn't ignore
22 that.

23 DR. POWERS: You'll describe your gas
24 phase modeling then someplace else?

25 MR. HAMMERSLEY: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: Okay.

2 MR. HAMMERSLEY: So we looked at elemental
3 iodine that could potentially be produced from the
4 conversion of I minus in the water pools of films
5 where the pH is not controlled greater than seven, and
6 we note that for the AP1000 containment design, it
7 does include pH control agent trisodium phosphate for
8 the water pool that collects in the lower compartment
9 and the reactor cavity following the accident.

10 But there was no specific pH control
11 treatment for the condensate films or any bound of
12 containment dome and shells provided. So we have
13 steaming going on, condensate collecting on the walls
14 and running down, possibility of that being acidified
15 or materials being deposited in it that acidifies it,
16 and there is no treatment of any materials hanging on
17 the walls or something to try to treat that film
18 explicitly.

19 Cesium iodine, of course, can be deposited
20 on those films and provide a source of I minus that
21 could potentially be converted in the films to
22 elemental iodine given the film was acidified.

23 DR. KRESS: The major removal mechanism in
24 the containment was diffusiophoresis and thermal
25 phoresis onto the walls?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HAMMERSLEY: That's correct.

2 DR. KRESS: Okay. So all of the cesium
3 iodine that gets released in a severe accident goes to
4 the walls?

5 MR. HAMMERSLEY: Right. If you look at
6 the relative contributions of those two deposition
7 mechanisms and this gravitational like sedimentation,
8 about 80 or 90 percent of the deposition is because of
9 diffusio and thermal phoresis.

10 DR. KRESS: That's what I thought I
11 caught.

12 MR. HAMMERSLEY: We looked at, therefore,
13 a range of the film residence time, which of course
14 depends on the steam condensation rate, which is
15 varying over this accident because it is really
16 following the PK heat curve in terms of an energy
17 source to make the skin. So the residence time limits
18 the amount of acidification and iodide deposition that
19 could be placed in those water films.

20 Our estimates are the resident time range
21 from 40 to 260 seconds and that was based on
22 condensation rates that are varying from like 29 to
23 2.3 kilograms per second.

24 So this is just a little graphic sort of
25 summary of what we're looking at. We're looking at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 steam being evolved because of PK heat available in
2 the RPV and condensing on the shelves and running
3 down.

4 Of course, it gets collected in RWST where
5 it gets either returned to the RPV or the reactor
6 cavity. If it carries any fission products that are
7 deposited in it or acid producing, of course, down in
8 the pool is TSP excreted.

9 The radiation field that's produced in the
10 containment because of the source term being released
11 can, of course, interact with these water films and
12 perhaps lead to some acidification due to the nitric
13 acid formation of any air that's dissolved in that.
14 So we considered that.

15 We considered the fission product
16 deposition, especially cesium iodide because that's
17 the source of the I minus, but other, of course,
18 chemical species would be deposited. We --

19 DR. POWERS: You considered only nitric
20 acid formation in the liquid film or did you consider
21 nitric acid formation in the gas phase dissolving in
22 the liquid film?

23 MR. HAMMERSLEY: This assessment only
24 looked at the liquid film.

25 DR. POWERS: But the nitric acid is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually being formed in the gas phase. In fact, I
2 don't know of radiolytic formation in the liquid
3 phase.

4 MR. HAMMERSLEY: You say you don't know of
5 it?

6 DR. POWERS: No. I mean, the typical
7 scenario for nitric acid formation is that you're
8 forming a nitrous oxide in the gas phase that's quite
9 soluble and will go into the liquid film. But I don't
10 think there's any radiolytic. I simply don't know of
11 a radiolytic reaction of nitrogen in water resulting
12 in the formation of acid. There may be. I don't --

13 DR. KRESS: That's my experience, too,
14 Dana. It comes out of the gas phase and forms there
15 first.

16 But continue. Did you come up with a pH
17 number from the film?

18 DR. WALLIS: So that it is clear, you say
19 that the nitrogen goes in and then turns to an oxide
20 in the liquid? Is that where your model is?

21 MR. HAMMERSLEY: We have used the
22 radiation G value for the generation of nitric acid.

23 DR. WALLIS: In the liquid?

24 MR. HAMMERSLEY: In the liquid.

25 DR. WALLIS: You haven't -- so you are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 directly in conflict with what probably happens.

2 MR. HAMMERSLEY: That's the way we
3 estimated the films.

4 DR. POWERS: Well, I understand that. I
5 cannot say that I have a comprehensive understanding
6 of radiolytic aqueous chemistry. I guess I'm
7 reasonably informed on it. I'm just unfamiliar with
8 an aqueous phase formation. I'm very familiar with
9 quite a lot of work on G values for the gas phase
10 formation of nitrous oxides that subsequently go into
11 solution forming nitric acid. Quite a large number of
12 studies on that, in fact.

13 I just don't know for the aqueous stage.

14 DR. WALLIS: Is the only source of acidity
15 nitrogen?

16 PARTICIPANTS: No.

17 DR. WALLIS: There are all sorts of
18 sources?

19 MR. HAMMERSLEY: Yes.

20 DR. WALLIS: And they're all small
21 compared with the nitrous oxide?

22 MR. HAMMERSLEY: No, not really. We also
23 looked at the radiolytic decomposition of the jacket
24 materials on the electric cables, pipelines of
25 material. So when it's exposed to a radiation field,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it can be decomposed, and one of the products would be
2 hydrochloric acid in terms of being in the gas form.

3 So what we would have is cable trades
4 filled with bundles of cables, and of course, they are
5 distributed to through the containment and would be
6 exposed to the radiation field generated in the
7 containment, and when they interact with this jacket
8 material to produce some HCl, which of course had to
9 escape the jacket material matrix and would encounter
10 then a water film on the jacket because of
11 condensation going on in the containment as well as
12 probably water dripping off of different horizontal
13 surfaces of the containment dome, et cetera.

14 Even if HCl could escape that, it could
15 enter into the fuel bundle, cable bundles and into
16 these interstitial spaces. Of course, some of it
17 might, of course, be produced in the upper layers of
18 it and have an easier path to escape the cable trays.

19 In this sketch I showed an open cable
20 tray. About 40 percent of the cable trays in the
21 AP1000 design are actually covered. So it would just
22 be another area for the HCl to get out.

23 We estimated the HCl escaping and such
24 that then it would mix, is soon to mix in forming in
25 the gas space in the containment and be carried to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 film, if you will, by the condensation process. So we
2 looked at two sources of acidification, nitric acid
3 and HCl, by this kind of process.

4 DR. WALLIS: The boric acid is all
5 neutralized in the sump; is that it?

6 MR. HAMMERSLEY: The boric acid is in the
7 sump. That's right.

8 DR. WALLIS: It's all neutralized so that
9 it doesn't get up in the vapor?

10 MR. HAMMERSLEY: Right, because the TSP

11 DR. WALLIS: Sure.

12 MR. HAMMERSLEY: Yes. The vapor that is
13 used coming out is steam, without chemicals being
14 carried out the top of the dome, et cetera.

15 So we looked at the draining film that
16 could be acidified by either a formation of nitric
17 acid or deposition of HCl, and of course, we recognize
18 that during the course of this accident, the radiation
19 field in containment varies as the fission products
20 are released over about a two-hour period according to
21 the source term definition. They decay
22 radiolytically, and then, of course, they're removed
23 by the various deposition mechanisms and then drained
24 into the pool.

25 So there's a varying radiation field

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 during this accident.

2 DR. POWERS: Do you have an idea what that
3 field is?

4 MR. HAMMERSLEY: You mean what type of
5 field it is?

6 DR. POWERS: Yeah, what kind of dose rate
7 you're getting.

8 MR. HAMMERSLEY: The dose rates range from
9 about seven megarads per hour to about an order of
10 magnitude less than that.

11 DR. POWERS: Yeah, at this change of
12 field.

13 MR. HAMMERSLEY: Right.

14 DR. POWERS: And so you have a dose
15 response for the hypalon?

16 MR. HAMMERSLEY: Yes.

17 DR. POWERS: And whose is that?

18 MR. HAMMERSLEY: It comes from actually,
19 I think, an ORNL report.

20 DR. POWERS: Oh, okay. So it's Ed Dean's
21 stuff.

22 MR. HAMMERSLEY: Yes.

23 DR. POWERS: Yeah.

24 MR. HAMMERSLEY: Okay. So we do those
25 assessments. We estimated a range of pH values due to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nitric acid generation of 5.6 to 6.5, and a lower
2 bound on the 4.8 to 6.7 due to HCL deposition. During
3 approximately the first ten hours of the accident,
4 during that time there was a, quote, significant I
5 minus concentration in the film by the deposition
6 process.

7 DR. POWERS: That is quite a
8 concentration.

9 MR. HAMMERSLEY: Right.

10 DR. POWERS: A million gram-moles per
11 liter?

12 MR. HAMMERSLEY: I'm sorry. Typo. Thank
13 you, Dana.

14 PARTICIPANT: So what is it supposed to
15 be?

16 MR. HAMMERSLEY: It should be ten to the
17 minus six.

18 (Laughter.)

19 MR. HAMMERSLEY: I think the films would
20 probably stick.

21 DR. POWERS: Probably exceed the
22 saturation limit there someplace.

23 MR. HAMMERSLEY: Be like paste or
24 something, but once it gets less than like ten to the
25 minus six or so, the conversion of I minus to I² falls

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 off because that process looks at the amount of I
2 minus that's available as well as the pH of the
3 solution.

4 So we know that a very small integral
5 amount of cesium hydroxide -- we estimate about 270
6 grams -- deposited on the aerosol film would be
7 sufficient to neutralize all of the nitric acid in the
8 HCl deposited or residing in the film over this ten-
9 hour interval, and we try to put that in a
10 perspective, which I'll come to in the next slide.
11 That would be a very small fraction, about a ten of a
12 percent, of the potentially available cesium hydroxide
13 in the core inventory.

14 DR. POWERS: Now, the difficulty with the
15 argument, of course -- I mean, the advantage of the
16 argument is nobody can say that you won't have a tenth
17 of a percent of the cesium hydroxide or of the cesium
18 converted by the cesium hydroxide that's below the
19 resolution of anybody's predictive capability.

20 MR. HAMMERSLEY: Right, right.

21 DR. POWERS: Though the disadvantage of
22 the argument is there's a whole heck of a lot of other
23 stuff coming in there which can affect the pH, as
24 well.

25 MR. HAMMERSLEY: Correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: I mean, I don't know how to
2 react to this.

3 MR. HAMMERSLEY: Right, and so this slide
4 talks about the fact that there is a whole range of
5 chemical species that are involved in the source term.
6 We simply note that in the past cesium hydroxide --

7 DR. POWERS: I've just got to tell you
8 that "specie" is not the singular of "species."

9 MR. HAMMERSLEY: Okay. If we looked at
10 the cesium being partially tied up, if you will, or
11 combined with the iodine, the total inventory of
12 iodine that would be shut down in the AP1000-4, there
13 would be cesium available to form as much as 373
14 kilograms of cesium hydroxide. I'm not saying that
15 much is formed. I'm just saying it has the potential.

16 But the point is that several orders of
17 magnitude different than what would be required to be
18 neutralized in the --

19 DR. POWERS: I mean, I think you're on
20 safe ground if you say, "Look. I've got 373 kilograms
21 coming in. You can tell me all about the wonderful
22 chemistry of cesium hydroxide. You'll never convince
23 me that .1 percent is not cesium hydroxide."

24 I think that's a very sound argument. The
25 problem is now you've got to say, "Nothing else coming

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in there affects the pH other than the things I take
2 into account." I think that's a more difficult
3 argument.

4 DR. KRESS: It's much more difficulty, and
5 I basically was expecting to see let's assume the pH
6 is five and calculate, use some sort of analysis to
7 say what that would result in terms of the amount of
8 organic iodine produced, which requires some other
9 assumptions. And I was hoping that would give you a
10 bound that you could live with so that you didn't have
11 to make this argument.

12 MR. HAMMERSLEY: We do make those
13 arguments, too. I'm just trying to put it in
14 perspective.

15 DR. KRESS: Okay.

16 MR. HAMMERSLEY: And to your comment,
17 Dana, I did look at a little bit of Phoebus FPT-1
18 tests, and it was interesting to note that when they
19 did wash all of the containment deposited aerosols off
20 the floor of the containment into the sump, they did
21 see a small up tick.

22 DR. POWERS: Yeah.

23 MR. HAMMERSLEY: It wasn't like, you know,
24 two pH units.

25 DR. KRESS: I don't think you can scale

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the --

2 MR. HAMMERSLEY: No, I'm not trying to.
3 I'm just saying that --

4 DR. POWERS: It's not a small increase.
5 It's an order of magnitude increase in the hydrogen
6 ion concentration. Unfortunately I don't think it has
7 anything to do with reactor accident phenomena

8 DR. KRESS: That's right.

9 DR. POWERS: All right.

10 MR. HAMMERSLEY: And also it's an
11 aggregate of all the chemical species that were laid
12 down there.

13 DR. POWERS: I mean, the analysis just
14 running through here, the numbers are putting
15 together, hanging together. If you agree that you're
16 producing only about a little over one and a half
17 moles per hour of HCl out of the hypalon.

18 MR. HAMMERSLEY: And delivering it to the
19 film, right?

20 DR. POWERS: Yeah, and delivering it to
21 the film, yeah. Then -- okay. I mean, I don't know
22 the answer to that one at roughly a megarad dose.

23 DR. KRESS: Yeah. Now, Ed Beam's work put
24 the hypalon in the liquid.

25 DR. POWERS: Yeah, he did, but his number

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't depend on that, and his number is actually --
2 I mean, you can look at the stuff they do on cable
3 embrittlement and you come up with dose numbers not
4 wildly different from Ed's number.

5 There's been some recent work in Sweden
6 that's kind of interesting that suggests, yeah, it's
7 all true for the first 25 percent of the hypalon, and
8 then after that it tails off, but they don't know why
9 it tails off or not, but I don't think that affects
10 this because I think he's working on the first 25
11 percent.

12 MR. HAMMERSLEY: So then based on this
13 assessment, we would just note that a very limited
14 amount of cesium hydroxide could neutralize the film,
15 and so that would lead to the expectation that the
16 film's pH was somehow greater and wouldn't get much
17 conversion to elemental iodine or organic iodine
18 generation in the film.

19 DR. POWERS: The elemental is a viable
20 thing. The step to go to organic is a little more
21 challenging.

22 MR. HAMMERSLEY: Right. What we did then
23 is say, well, let's look at a sensitivity study and
24 assume that the amount of cesium hydroxide that gets
25 to the film is zero.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Okay. That's what I was
2 looking for.

3 MR. HAMMERSLEY: Yeah, and try to go
4 through where that would take us in the mechanic
5 consequences all the way out to a dose kind of number.

6 DR. KRESS: Yeah. Now, that second bullet
7 kind of is your savior, I guess. You're really in
8 design basis space. In design basis space you don't
9 have to calculate on this, but you know, we were
10 interested in severe accidents.

11 MR. HAMMERSLEY: Right.

12 DR. KRESS: And your savior there, I
13 think, is the low probability of occurrence.

14 MR. HAMMERSLEY: Correct. It would be a
15 very, very rare or minor contribution.

16 DR. KRESS: So, you know, we have to
17 separate our thinking in terms of design basis space.
18 Where are you going to specify source term? That's
19 been accepted, and in severe accident space is what
20 we're now thinking about and now you probably may be
21 saved just by the low probabilities.

22 That's just the perspective I wanted to
23 give to the members.

24 MR. HAMMERSLEY: Okay. I'll move through
25 these next couple of slides rapidly then and move on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the next issue.

2 In that regulatory design basis source
3 term, a three percent conversion of the elemental
4 iodine is treated as being converted to organic
5 iodine, but we're going to continue to use that three
6 percent conversion to address if we put elemental
7 iodine out there, how much of it turns into organic?

8 DR. KRESS: In other words, you're using
9 the accepted source term for design basis accidents.

10 MR. HAMMERSLEY: Right, and this is
11 exactly the sourcing that was used for the design
12 basis dose assessments for the AP1000.

13 And then when I look at having no cesium
14 hydroxide and the potential for acidifying the film
15 would affect this source term definition and then the
16 dose consequence of that.

17 So we went through some steps to look at,
18 okay, if we looked at the this draining film and we
19 looked at the kind of pH levels that we were
20 estimating, and the iodide concentrations that we got
21 which ranged up to almost ten to the minus three down
22 to ten to the minus six or less, that even if we
23 considered an instantaneous conversion from I minus to
24 I2, okay, what would be the impact of that?

25 We just note here that some of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulatory research suggests that we could take a
2 period of a few hours to pull an equilibrium
3 condition, and these films' residence times are short
4 compared to that. They're like minutes.

5 So we're not convinced we have complete
6 conversion. Okay, but we simply assumed that we did
7 get instantaneous conversion, and when we looked at
8 the conversion fractions, again, from the Oak Ridge
9 report in terms of the concentration in pH, given the
10 fraction of I minus converted to I2, for the film
11 conditions that we calculated, we saw that as you
12 might see zero concentration of iodide got so small to
13 maybe half of it being converted into elemental
14 iodine.

15 But for this sensitivity study, it simply
16 said that the conversion fraction is 100 percent. So
17 in effect, we have disassociated ourselves from the
18 significance of the pH of the film. One hundred
19 percent of its pH is like around three or so. So that
20 we're just simply saying, okay, we're really just
21 depending now on how much of the iodide is positive on
22 the film.

23 We did take credit for partitioning of the
24 iodide or of the elemental iodine, rather.

25 DR. WALLIS: So you've thrown away all of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the analysis and you just assumed that the conversion
2 fraction is one?

3 MR. HAMMERSLEY: That's correct, at this
4 point.

5 DR. WALLIS: Could have done that from the
6 beginning.

7 MR. HAMMERSLEY: We could have.

8 DR. KRESS: Well, and how we sort of taken
9 a little bit of a turn here in the sense we've
10 discounted the potential for this to be organic
11 iodine, and now we're talking about I₂. It's just
12 elemental iodine. So organic iodine has a different
13 partitioning coefficient if you could convert it in
14 the liquid phase.

15 MR. HAMMERSLEY: Well, to get a partition
16 coefficient between the aqueous and gaseous molar
17 concentrations of the elemental iodine in the film
18 through this expression, which is only dependent on
19 the film temperature.

20 And we conservatively estimated the film
21 temperature as being the saturation temperature for
22 the partial pressure the steam is changing. So we
23 didn't even try to recognize there was actually a
24 temperature gradient through the film and some mean
25 film temperature expected. We simply used the TSAT

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for that.

2 And when we did that, then the fraction of
3 I2 gas in the film is assumed to be all released --
4 that is in the gaseous form -- is assumed to all be
5 released. That would add approximately 6.4 percent of
6 the iodine aerosol would be, quote, released per the
7 design basis source term.

8 So the design basis source term says that
9 95 percent of the iodine is in aerosol, and we're
10 saying that 6.4 percent of that could end up being
11 converted into elemental iodine being released from
12 these untreated films if there was no cesium hydroxide
13 in them.

14 But a three percent conversion of the
15 elementals to organic form would cause the source term
16 to increase from .15 percent of the iodine being in
17 the organic form to .33 percent, would almost double
18 it.

19 We simply note that part of the elemental
20 iodine that remains in the film is flowing on the
21 containment surfaces, namely, the dome and the shell
22 that are inorganic paint. And in fact, in their dry
23 state, they're like 85 percent zinc or something.

24 So we don't believe it's a source of
25 organic material right from those coatings that would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be during this draining time available to be
2 producing organic iodine in those films.

3 We note that in the sensitivity study
4 there are several conservatisms because we're sort of
5 like in -- well, we are sort of moved into the design
6 basis phase thinking from our original severe accident
7 space.

8 Of course, the core melt event itself has
9 a low probability, $2E$ to the minus seven or
10 thereabouts for the 1000. Considering the source
11 term, that included three percent conversion of
12 elemental to organic, and I think the three percent is
13 a conservative number. Plus we have enhanced it now
14 by this assessment.

15 And so a containment leak rate, this was
16 done assuming that a maximum containment leak rate
17 applies for the first 24 hours of the accident, does
18 not credit the fact that the containment pressure
19 would be decaying over time and, therefore, the drive-
20 in potential for the leakage would also increase in
21 proportion to that.

22 The most conservative weather conditions
23 were used to quantify the chi over Q. So we have a
24 very limiting chi over Q for translating this leak
25 source term to different source calculation points.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We said we didn't have any cesium
2 hydroxide at all in the film, and for the control room
3 part of the dose calculation, no operation of HVAC,
4 which of course would remove some of the fission
5 products that are escaped into the control room, nor
6 resupply of the compressed air until seven days.

7 So there is a three-hour supply of
8 compressed air available for the operators. So in
9 this assessment, the fourth through seventh day, that
10 wouldn't be available, and we didn't say that it was
11 reestablished, nor was the HVAC retrieved in that
12 period of time.

13 So the impact on the doses of this
14 additional organic iodine at the site boundary, those
15 changes from 24.7, 7.1; the LPZ, 22.8 to 23.16; and
16 the control room, 4.8 to 5.07 per the sensitivity
17 study.

18 DR. KRESS: Now, the quantity of iodine
19 that you're putting in the container, was it all put
20 in instantaneously at the start of this and then let
21 it decay by the leak rate? Because I'm picturing you
22 could have a dynamic throttle where amounts going on
23 versus -- so I can't imagine how you would get that
24 number.

25 MR. HAMMERSLEY: Right. The source term

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spreads out the --

2 DR. KRESS: Oh, you put it in according to
3 the specified source term.

4 MR. HAMMERSLEY: Right, correct.

5 DR. KRESS: Okay. That would be another
6 way.

7 MR. HAMMERSLEY: Right. So what you've
8 done here now is taken what is normally the design
9 basis source term and enhanced it by this to say,
10 well, the design basis source term was developed for
11 other kinds of PWRs and say should we change it for
12 the AP1000 and how much should we change it with
13 respect to iodine and does it make any difference?
14 That's pretty much your story here.

15 MR. HAMMERSLEY: That's right, and we
16 conclude that the impact on the doses when we do
17 enhance the organic iodide in this fashion can be
18 accommodated by the margins that exist in the AP1000
19 design and substance.

20 DR. KRESS: Well, thank you. I pretty
21 well understand what you've done then.

22 MR. HAMMERSLEY: Okay, okay. The third
23 issue, issue seven, was related to catastrophic
24 failure modes for the containment due to over
25 pressure, and such that a rapid depressurization

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 potentially resuspending freedom packs (phonetic) have
2 been deposited or settled out.

3 It's noted that the configuration right in
4 the issue statement, that the configuration of the
5 AP1000 with the test fully has a containment and a
6 baffle right around the containment, but nevertheless,
7 with fission product first term impact in terms of the
8 safety goal satisfying it was part of the issue first,
9 and that's why I put together the first couple of
10 slides in terms of the risk perspective profile of
11 this plant.

12 In order to get a catastrophic failure by
13 over pressure of an AP1000 containment, it had to have
14 a failure of the cooling water system involved in the
15 passive containment cooling system. So failure of the
16 cooling water containment vessel is estimated to be
17 about ten to the minus six per demand, and that even
18 with that loss of cooling, the likelihood of a
19 catastrophic over pressure failure is approximately
20 two percent. So you have to have really adverse
21 weather conditions that still retard the amount of
22 energy that can be removed. So we have two percent
23 failure, given that the PSC cooling has failed and no
24 operator actions are taken to compensate for that.

25 So this event now in the risk profile is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like a ten to the minus eight, and on top of that you
2 have to have core damage, which is like a ten to the
3 minus seven, so very low probability of occurrence of
4 a catastrophic failure of the AP1000 containment.

5 It would take hours to get an over
6 pressure condition, and during that interval, the
7 operators could take preventive actions, and several
8 preventive actions have been identified. The
9 viability of those would be sort of event dependent.
10 Some of them like climbing up and opening the valves
11 may or may not be viable given the radiation levels
12 that could exist at the time.

13 But these possibilities are recognized in
14 the severe accident guidance procedures, which helps
15 improve the reliability of these success paths of
16 these other operator reactions made to reestablish the
17 cooling or vent the containment before its
18 catastrophic failure.

19 In terms of mechanistically looking at the
20 impact of the depressurization, rapid
21 depressurization, we looked into some of the work that
22 had been done and became aware of some of the work in
23 the SIDCOR (phonetic) Program that looked specifically
24 at resuspension being caused by rapid depressurization
25 of containments following a catastrophic failure, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this program was based on both analytical and some
2 experimental work that looked at the ability to
3 resuspend the positive and settled particles, both,
4 quote, dry and wet, so to speak.

5 And we then looked at the range of the
6 containment volumes and the catastrophic break sizes
7 that were included in that study to see if it had
8 applicability to AP1000, and we find that it does.
9 This program looked at containment volumes up to like
10 73,000 cubic meters. The AP1000 has about 60,000
11 cubic meters.

12 We looked at the same range of plate sizes
13 from a meter to ten square meters in terms of the --

14 DR. KRESS: Did these resuspension studies
15 include potential for flashing of water and the steam
16 that flashes carrying with it some fraction of the
17 fission products in the water?

18 MR. HAMMERSLEY: Consider those as being
19 more like local effects that wouldn't sustain the
20 particles to be suspended such that they could be
21 carried out of the containment through the break. You
22 might locally, you know, stir up the pot and get a
23 dust storm, you know, from the mechanical process like
24 that, but it would not be sufficient to cause it to
25 actually be taken out of the containment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If you're playing off, the bigger the
2 failure, the more rapid the depressurization, the
3 higher the velocities, but the shorter the interval
4 that they would be applicable. So you have to sort of
5 look at a spectrum of the tradeoffs there.

6 DR. WALLIS: What's the basis of this ten
7 meters squared, ten square meters?

8 MR. HAMMERSLEY: In the, quote,
9 catastrophic failure assessments that have been done
10 for the AP1000, typically we pick a meter squared,
11 just as a big oh, and the reason is that for a rapid
12 depressurization, then if a rapid release of the
13 fission products or the source term, but we get an
14 early, large release.

15 The ten meter squared is simply a
16 sensitivity study kind of number that we said --

17 DR. WALLIS: If it's really catastrophic,
18 it could conceivably be 100.

19 DR. POWERS: In some uncertainty work that
20 Dr. Kress organized for looking at large containments,
21 one specifically for the AP600, he did a sensitivity
22 study and found that as they increase the size of the
23 hole, as they got to a region between one and ten
24 square meters, things didn't change very much.

25 DR. WALLIS: And so making it bigger

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wouldn't make any difference.

2 DR. POWERS: Won't make any difference.

3 DR. KRESS: It really depressurizes it in
4 a hurry.

5 MR. HAMMERSLEY: It was also observed that
6 wetted deposits are hard to disburse than dry
7 deposits.

8 DR. POWERS: That one continues to
9 interest me, intrigue me because I think it's true if
10 you're talking about just velocities over a film. It
11 think it's not true if a wetted film suddenly
12 depressurizes and flashes.

13 DR. KRESS: Yeah, that's the reason I
14 asked the question about the flashing. You know, you
15 can make a lot of liquid droplets airborne with
16 flashing, and those droplets are going to contain
17 their concentration of fission products.

18 DR. POWERS: One of the things that never
19 ceases to fascinate me is to know that the rupture of
20 a bubble film produces the highest natural
21 accelerations on the face of the earth, on the order
22 of 10,000 Gs, and so it breaks off things and sends
23 them flying.

24 DR. KRESS: Makes them small, sends them
25 flying.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: I mean, that's why you get
2 salt aerosols coming off the ocean.

3 DR. KRESS: That's why I asked the
4 question of whether the SIDCOR study included that
5 phenomenon.

6 DR. WALLIS: Surface tension acting on no
7 mats essentially.

8 MR. HAMMERSLEY: Of course, inside the
9 AP1000 we expect relatively wet conditions either in
10 the films -- this appears to me as being a longer term
11 issue like even for the films. I don't know that
12 there would be a lot of material left in them because
13 of the deposition process. So most all of it would be
14 in the pool, either floating around or dissolved or
15 settled out.

16 Based on the core study and the similarity
17 of the range of parameters that it used, we concluded
18 that AP1000 catastrophic containment failure would not
19 significantly enhance the fission product source term,
20 and significant would be put in terms of the risk
21 significance. Due to the very, very small frequency
22 of the catastrophic failure itself it could tolerate
23 a change in the source term that would not cause the
24 risk profile to be significantly altered.

25 DR. KRESS: Even if you released all of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the iodine at that low a frequency, you're probably
2 still within the safety per se.

3 MR. HAMMERSLEY: We didn't try to
4 specifically quantify the, quote, change in the source
5 term. We think it would be limited, but in the risk
6 profile the event has such a low frequency that we
7 don't think it would challenge the kinds of margins
8 that we have demonstrated here.

9 DR. WALLIS: To put some numbers on these
10 expressions like "significant" and "greatly reduces"
11 and so on, "would not significantly enhance," it would
12 be good if you could actually put a number on it, if
13 you know more clearly what you meant.

14 DR. KRESS: With a rule of thumb you could
15 just take the ratio of the amount of iodine released
16 and multiply the risk by it. So this number, the four
17 times ten to the minus 11 actually comes out from a
18 number that you get with a -- I don't know. Your
19 source term comes out a MAX for that, I guess.

20 MR. HAMMERSLEY: I think the source term
21 is quantified in MAAP, and MAX is used to do the
22 fatality.

23 DR. KRESS: Yeah, the MAAP gives you the
24 source term for that.

25 MR. HAMMERSLEY: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: And I suspect that's a pretty
2 low amount of iodine in there, but even if you made it
3 a factor of ten more, your risk is still pretty low.

4 MR. HAMMERSLEY: Right.

5 DR. KRESS: Even if you made it a factor
6 of 100, the risk is pretty low. You're really saved
7 here by the low probability, low frequency.

8 MR. HAMMERSLEY: So that's simply the
9 point we're making here again, is that because of the
10 margins of the safety goal, that the uncertainties
11 with these issues are quite powerful, challenging the
12 safety goal conclusion for the AP1000.

13 DR. KRESS: And for the severe accidents,
14 I guess that's the only criteria we can use.

15 MR. HAMMERSLEY: Right. Thank you.

16 DR. KRESS: So let me see if I can --

17 MR. HAMMERSLEY: That's the end of my
18 presentation.

19 DR. KRESS: Yeah. -- see if I can
20 capitalize this. For the FCI, you did enough
21 sensitivity studies with the AP600 and the Texas code
22 to show that your containment still doesn't fail, and
23 these sensitivity studies would cover a relatively
24 wide range of metallic melt poured at a certain rate
25 with a certain super heat.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HAMMERSLEY: Right.

2 DR. KRESS: And that sensitivity might
3 cover what you would expect in the uncertainties of
4 the AP600 and AP1000.

5 MR. HAMMERSLEY: Right.

6 DR. KRESS: But the iodine, you showed the
7 low potential for organic production, but you went
8 ahead and enhanced it by a certain amount anyway, and
9 you also enhanced the I2 source term and showed you
10 still stayed within 10 CFR 1000 in design basis space.

11 MR. HAMMERSLEY: That's right.

12 DR. KRESS: And for the sensitivity study
13 on severe accident source terms, the potential for
14 catastrophic containment failure you said probably
15 wouldn't enhance the source term much, and even if it
16 did, your low probability keeps you within the safety
17 goals.

18 MR. HAMMERSLEY: That's right.

19 DR. KRESS: Well, I appreciate it.

20 MR. HAMMERSLEY: Thank you.

21 DR. KRESS: I guess now it's time for the
22 staff to give us their viewpoint on some of these.
23 Now, I think staff was going to talk about all seven
24 issues.

25 MR. SEGALA: Yeah, just give a quick

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 overview of the seven issues.

2 DR. KRESS: I don't know if I'd call them
3 issues or just items for further discussion might be
4 a better characteristic.

5 MR. SEGALA: Okay. Good morning. I'm
6 John Segala. I'm the lead project manager for the
7 AP1000 design certification application.

8 I'm going to try to go through my slides
9 pretty quickly. I'm going to give a quick status of
10 where we are in our review, some major milestones
11 coming up, and provide an overview of the issues in
12 your letter.

13 What I'd like to focus on on this slide is
14 May 18th we provided a response to your interim
15 letter. We've also on May 25th sent you the advanced
16 copy of the final safety evaluation report, which has
17 received branch chief concurrence, and the document is
18 currently in our Office of General Counsel for review.

19 Really quick upcoming scheduled
20 milestones. On June 25th we have the future plant
21 design subcommittee meeting, and July 7th through 9th,
22 I don't know which day it is yet, the full committee
23 meeting, and on September 13th, we're going to issue
24 the final SER and the FDA.

25 All right. The first issue in your letter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was ADS squib valve function. In the summary, you
2 agreed with the staff that the ITAAC assures that the
3 valves meet their design basis specifications.

4 In our response to you, we summarized what
5 we discussed at the last full committee meeting. It's
6 a simple design, meets ASME, Section 3 of the ASME
7 code, has redundant diverse actuation, and we did a
8 PRA sensitivity study that showed even if you
9 increased the failure rate, it didn't make much
10 difference on the PRA results.

11 And there were ITAAC that had Bill to do
12 a type test for the ADS squib valves to insure that
13 they perform.

14 The next issue was sump screen blockage.
15 In your letter you pointed out the robust design of
16 the AP1000 design to prevent screen blockage, and you
17 recommended an ITAAC to insure compliance with the
18 generic issues.

19 In our response, we discussed the ITAAC
20 that are in the AP1000 DCD. There's ITAACs for the
21 location of the plates above the containment
22 recirculation sump. The screen surface area, the type
23 of insulation that's used, the location of the bottom
24 of the containment recirc. sump screens, and the dry
25 film density of the coatings.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's also COL action items that we
2 have. That's a containment cleanliness program COL
3 action item, and there's also a COL action item to
4 have the COL applicant perform an evaluation
5 consistent with Reg. Guide 1.82, Rev. 3. It will also
6 consider chemical debris and applicable research and
7 testing.

8 But we concluded that, you know, based on
9 the design and the cleanliness program, the minimal
10 fibrous material, that we consider the screens capable
11 of accommodating the debris.

12 Issue three, code deficiencies. This was
13 regarding the thermal hydraulic evaluation, the models
14 that we did in NOTRUMP and RELAP, and their issue was
15 when we identify deficiencies that we should do some
16 sort of research study to correct these.

17 AP1000, the work we did for that did
18 identify deficiencies in both NRC and Westinghouse's
19 codes, but Westinghouse was able to bound those. The
20 staff has, although we didn't use TRACE code for
21 AP1000, we're using the APEX AP1000 data as well as
22 ATLATS and UPTF data to assess the TRACE code, and if
23 desired, when we complete our work on that, we could
24 discuss a schedule where we could present that to you.

25 DR. KRESS: Maybe Dr. Wallis can correct

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 me, but I think the nature of our issue here was that
2 Westinghouse calculations worked around these
3 deficiencies and bounded them, and on that basis we
4 could approve the analyses, but the deficiencies were
5 still in the code that they use, and now the question
6 was is there some mechanism by which Westinghouse
7 should fix their code to correct those deficiencies.

8 Can you refresh my memory on that, Dr.
9 Wallis?

10 DR. WALLIS: We felt comfortable with
11 saying, well, when the code doesn't work, you devise
12 some other method. That means that you accept,
13 somehow always recognize when the code isn't working.

14 DR. KRESS: Yes.

15 DR. WALLIS: It would be much more
16 satisfactory to say we'll fix the code so that we
17 don't have to face this issue.

18 DR. KRESS: Yeah, and we were talking
19 about fixing Westinghouse,

20 DR. WALLIS: About fixing all of the
21 codes.

22 DR. KRESS: All the codes. Okay.

23 MR. SEGALA: Because I think, you know,
24 5046 doesn't require that they have one code that does
25 everything. So from a meet the regulations standpoint

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what Westinghouse did was satisfactory.

2 DR. KRESS: Yeah, I think we --

3 MR. SEGALA: I think from the staff's
4 point of view, we're going ahead and reassessing our
5 codes to make sure that --

6 DR. WALLIS: Well, we felt uncomfortable
7 with the fact every time you come up with a new design
8 or a new situation, you run the code. You have to be
9 alert for the situations where the code isn't doing a
10 good job, and then if you have to work around it, and
11 that's not a very satisfactory tool for evaluating
12 reactor safety if you have to sort of be alert all the
13 time for when it isn't doing a very good job and
14 perhaps work around it.

15 DR. SIEBER: Well, there was another
16 issue, which I think of as a continuity issue where
17 you run the code for a while and then you determine
18 that the code is not functioning properly in doing the
19 calculations. So you insert a bounding calculation in
20 that space and then assume that when the code begins
21 to function again that there's continuity from the
22 point where it stops to the point where it started
23 again.

24 And to me it wasn't clear that -- I guess
25 I became convinced that it was okay after we talked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about it enough, but it wasn't clear to me in the
2 beginning that there was this degree of continuity,
3 that one could assume that the code had, even though
4 it had not performed properly through a portion of the
5 calculation.

6 So I think there is that additional subtle
7 factor.

8 MR. SEGALA: I think what we tried to do
9 when we had Westinghouse revise the DCD, as well as
10 our FSER, to try and make it clear exactly what the
11 evaluation model is.

12 DR. SIEBER: Right.

13 DR. WALLIS: Anyway, we will be hearing
14 more about the TRACE code as part of our review RES'
15 work, and I'm sure that we'll ask them for these
16 assessments. I don't think our comments will hold up
17 AP1000, though I suppose if this works, every time
18 that we see codes drawn we might say now we've had
19 enough of this with working around codes. You're
20 going to have to fix them for good.

21 MR. SEGALA: Okay.

22 DR. SIEBER: Or make your reactor vessel
23 taller.

24 MR. SEGALA: Issue four from your letter
25 was this issue on verifying Pi group range of .5 to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 2 as appropriate. This range has been used as a de
2 facto standard in scaling analysis. This issue is
3 generic. We don't think this is an issue specific
4 only to the AP1000, and the staff plans to develop and
5 document procedures to define appropriate Pi group
6 ranges.

7 DR. KRESS: What is the status of those
8 plans?

9 MR. SEGALA: What is the status of those
10 plans, Steve?

11 This is Steve Pajoric from the Office of
12 Research.

13 MR. PAJORIC: This is Steve Pajoric from
14 Research.

15 What we are planning on doing is, and when
16 we're completing our documentation of the scaling
17 evaluation, we're going to include a section in that
18 document to discuss the range of the Pi groups.

19 There's two things that we're looking at
20 at trying to get some foundation on this. One, to
21 develop a procedure that when you define a Pi group
22 and you see something that is close to a limit --
23 let's say it's two in this case -- how you would
24 evaluate its impact on the scaling evaluation.

25 We had done that once with Barino

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DiMarzo's more of a simplification of the entire
2 system in order to range the parameter that affected
3 that Pi group and see its impact on the full scale
4 plant. What we'd like to try to do is to write down
5 this procedure and how you would do this from period
6 to period within a transient.

7 DR. KRESS: I think one of our worries was
8 that you might be on the edge of a regime change, and
9 in going from one of these Pi groups, from the
10 prototype to the actual test, that you might change
11 the regime and make a markedly different change in the
12 kind of behavior, thermal hydraulic behavior, he has.

13 So is that part of your thinking on --

14 MR. SEGALA: That's part of our thinking,
15 although, you know, we've got to admit that's going to
16 be something that's very difficult to try to address.

17 DR. KRESS: Because it's going to be
18 specific to the kind of -- I mean, the idea is, I
19 think, you're going to develop a procedure for
20 looking. You're not going to actually come up with a
21 Pi group range. I don't see how you could come up
22 with one.

23 MR. SEGALA: No, I don't think it is going
24 to be a -- no, the limit is .5 to 2.2 or anything.
25 It's --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: No, I think you're going to
2 come up with a way to determine whether or not for
3 this specific application that that's appropriate and
4 doesn't skew your results too far.

5 MR. SEGALA: Yes.

6 DR. KRESS: Well, that's what we were
7 looking for.

8 MR. SEGALA: And the other aspect of that
9 as well is with this bottom-up scaling approach.
10 There, where you're looking at the individual
11 processes, that's probably the place you're more
12 likely to identify one of these bifurcations.

13 In fact, I think in AP1000, that's really
14 how we came upon the liquid entrainment issue. We
15 were below some threshold. Then as we looked at
16 higher superficial gas velocities in the vessel and in
17 the loops, suddenly it looked like you were above some
18 threshold.

19 DR. KRESS: Made a quantum change.

20 MR. SEGALA: Yes.

21 DR. WALLIS: These Pi groups don't really
22 capture bottom-up regime changes, do they? They're
23 not like -- these Pi groups are dimensionless groups
24 that come from the equations.

25 DR. SIEBER: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Yes.

2 DR. WALLIS: And so some of that would be
3 captured in the code. The code running through a set
4 of Pi groups would show transitions to --

5 DR. KRESS: That may be part of the
6 procedure.

7 DR. WALLIS: But it wouldn't show changes
8 in fundamental regime due to some dimensionless group.

9 DR. KRESS: But anyway, we will look
10 forward to reviewing this, and it's an interesting
11 subject, and I think it has relevance for
12 certification of the reactor designs.

13 MR. PAJORIC: And I think as John pointed
14 out it is a generic issue and that we'll see the same
15 thing in ESBWR ACR700 as we have to deal with other
16 scaling issues.

17 DR. KRESS: That's why we'd like to see
18 something relatively soon on it.

19 MR. PAJORIC: Okay.

20 DR. KRESS: Okay. Thank you, Steve.

21 MR. SEGALA: And issue five, in vessel
22 retention, fuel coolant interactions, Westinghouse
23 gave a presentation on that. The staff provided you
24 a copy of ERI's report. I think you may have gotten
25 that yesterday.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Yeah. We haven't had time to
2 read it yet.

3 MR. SEGALA: Haven't had time to review
4 it.

5 In general, the report, our FCI analysis
6 considered a bottom failure scenario where metallic
7 melt at a higher super heat may be released, and we
8 concluded that ex vessel FCI for AP1000 would not
9 challenge containment integrity.

10 Our contractor has a backup slide
11 presentation if you're interested in seeing it.

12 DR. KRESS: Does it have the initial
13 conditions that he used? What code did they use, your
14 contractor?

15 MR. SEGALA: The contractor?

16 MR. SANKATIRI: Mo Sankatiri from ERI.

17 For the FCI calculations for AP1000, we
18 used PM alpha SPROS code, which was developed by
19 Professor Theophanis (phonetic). This is the same
20 tool which was used also for AP 600. At that time we
21 also used the Texas code as well.

22 DR. KRESS: Does your backup slide have
23 how much pour rate you assumed and --

24 MR. SANKATIRI: Yes, yes.

25 DR. KRESS: -- the super heat?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SANKATIRI: We have all of that
2 information in the backup slides. I think there's a
3 copy available. We'll be happy to give it to you and
4 also present the material if you're interested.

5 DR. KRESS: Well, I'd like to have a copy
6 of the slides.

7 MR. SANKATIRI: Certainly. We'll pass it
8 on to you. There's a copy around. I'll give it to
9 you.

10 DR. KRESS: Okay. Thank you.

11 MR. BAHADUR: There's two presentations
12 here.

13 MR. SEGALA: That's just one of them. We
14 have the other one over there as well. The other
15 presentation should be in the box as well.

16 DR. KRESS: Yeah, you can continue. We'll
17 look at these later.

18 MR. SEGALA: On the organic iodine issue
19 as well, Westinghouse discussed that. What
20 Westinghouse presented to you today on their
21 sensitivity analysis we had a public meeting with them
22 yesterday, and that was the sort of first time that we
23 had seen that.

24 So we're planning to perform an audit of
25 that sensitivity analysis within the next week, and it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 may or may not result in us performing independent
2 analyses.

3 If desired, we can present our findings of
4 our evaluation on June 25th.

5 DR. KRESS: Yeah, I think you ought to
6 plan on doing that.

7 MR. SEGALA: Okay.

8 DR. POWERS: I mean, I just ran through a
9 quick and dirty calculation, and I make no claims of
10 high accuracy, but when I assume something like a
11 megarad per hour dose rate to the atmosphere, I get
12 something like three/thousandths of a mole of nitric
13 acid per second forming, which means over two hours or
14 one and a half hours of the major source term you'd be
15 putting up about 15 moles of nitric acid into that
16 solution versus their 1.5 moles of cesium hydroxide.

17 Presumably if memory wasn't failing I
18 could do a back-of-the-envelope calculation on the
19 nitric acid, but I come up with different numbers on
20 this.

21 DR. KRESS: So you would conclude that
22 it's likely --

23 DR. POWERS: Well, I don't conclude
24 anything, Tom. I conclude that I ought to look at it
25 a little closer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: But the implications are it
2 could be acid.

3 DR. POWERS: Well, you have to understand
4 that the lower pool has trisodium phosphate.

5 DR. KRESS: Yeah, the lower pool is
6 buffered.

7 DR. POWERS: Buffered, and typically if
8 you don't have a lot of hypalon in the containment and
9 you just confine to ten hours, you very seldom
10 neutralize the trisodium phosphate over ten hours.
11 You usually nail it in about 24 hours or something
12 like that. So you're really looking at this film
13 argument, and that's a great place to look.

14 You also need to look at the recent stuff,
15 which as we're getting direct conversion on paint --

16 DR. KRESS: Even this zinc coating.

17 DR. POWERS: No, I don't know of anybody
18 that has tested the zinc coating. It takes
19 conventional.

20 DR. KRESS: You wouldn't expect it to
21 convert much.

22 DR. POWERS: Well, not having much organic
23 and having a little bit of --

24 DR. KRESS: Well, it has to have
25 impurities in it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: Having a little bit of
2 organic are about the same in some of these cases, but
3 I mean, I just can't say. I don't quite understand
4 the --

5 DR. KRESS: What you know is tested then.

6 DR. POWERS: Maybe. Well, I think the
7 thing to do is do something like they did do, which is
8 say, okay, suppose it is as bad as it is. You know,
9 then what does it do?

10 DR. KRESS: Yeah, that may be --

11 DR. POWERS: I mean, iodine is always a
12 problem because you calculate, and you say, okay, I've
13 got three percent iodine converted into organic
14 iodide, and now I release that.

15 Well, that's fine, but now you still have
16 three percent of your organic iodine in the
17 containment. I think it just keeps on turning.

18 DR. KRESS: It keeps coming, yeah.

19 DR. POWERS: It just keeps generating
20 itself. I mean, what you release doesn't --

21 DR. KRESS: It's a steady source.

22 DR. POWERS: Yeah, and so you have to be
23 very clear. I mean iodine is always a problem that
24 way, and so they have a different mechanism, nitric
25 acid, than I'm assuming here, and I'm just not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 familiar with their mechanism. I don't say it's
2 wrong. I am just not familiar with it.

3 DR. KRESS: We look forward to your
4 review.

5 DR. WALLIS: Does this mean we want to
6 hear evaluation on June 25th?

7 DR. KRESS: Yeah.

8 DR. WALLIS: You do?

9 DR. KRESS: Yeah, I think so. We want to
10 hear what the staff thinks about it.

11 MR. SEGALA: Okay. Issue seven,
12 Westinghouse also discussed our review. We looked at
13 the frequency of catastrophic containment failures are
14 small. We discussed this in the letter, and in
15 general, resuspension would not have a noticeable
16 impact on the Commission's safety goals.

17 DR. KRESS: In that bullet did you
18 consider the splashing effect as part of the
19 resuspension or did you rely on the edcorithane
20 (phonetic) also?

21 MR. SEGALA: Bob, do you?

22 MR. PALLO: Yeah, this is Bob Pallo, PRA
23 Branch.

24 We really kind of look a look at the
25 frequency of these events that we're dealing with. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 didn't try to -- we hadn't previously assessed this.
2 We can look at it in the SER, but we know the
3 frequencies are extremely small, and what we did is we
4 just took a look at like some of the 1150, NUREG 1150
5 source terms for some of the most severe source term
6 categories and looked at the consequences.

7 And if one goes and looks at the
8 probability to an average individual within one mile
9 and ten miles in those calculations for a severe
10 source term, and we looked at like an IS LOCA type of
11 a release that had like --

12 DR. KRESS: About 50 percent of the --

13 MR. PALLO: I t was actually like 70
14 percent cesium, well, 80 percent iodine, and the
15 individual probabilities of prompt fatalities are like
16 .03 in the individual probability of latent cancer
17 fatalities, .002 for even these severe releases.

18 So you take that and say even if this
19 resuspension or for that matter the inorganic iodine
20 issue. If you dialed it up to the huge release
21 fractions, you take it in conjunction with the low
22 frequency of events, and you still have at least an
23 order of magnitude safety goals. So that's our answer
24 to that.

25 DR. KRESS: Okay. Thank you, Bob.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SEGALA: Okay. In our letter, we also
2 provided responses to some comments that you made that
3 weren't necessarily issues. There was a comment on
4 materials where you made a comment saying ongoing
5 future studies may suggest material and environmental
6 changes that will be addressed at the CLL stage.

7 And all we did in the letter was describe
8 the change process that was in Part 52. I wanted to
9 make it clear that this wasn't something that was
10 really simple. Oh, we just changed the material
11 properties and we're done.

12 This is a standard design, and there's a
13 change process that you have to go through.

14 For aerosol removal, you made a comment
15 that you look forward to reviewing the staff's aerosol
16 removal analysis. We provided that in the response to
17 you, along with some curves. We have a backup
18 presentation if you'd like to hear it, but --

19 DR. KRESS: I think we have time if you
20 would present that to us.

21 DR. FORD: Could I just come back to the
22 materials? The tone of your reply saying it's
23 difficult to do, I don't read into that that the staff
24 would not aggressively push if there were changes in
25 the understanding of, for instance, the weldability of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the 52, 152, or the stress corrosion resistance of
2 690, which is going to be materials of choice
3 currently.

4 If there was not changes in our knowledge
5 as we go forward, the staff would not aggressively
6 push either the vendor or the reactor designer would
7 attack these problems, depending on what Part 52 says.

8 MR. SEGALA: If there was a significant
9 issue, we would pursue making those changes. All I
10 described is that there is a process that you have to
11 go through. It's not something --

12 DR. FORD: And regardless of how difficult
13 it is, it would be done.

14 MR. SEGALA: We would do it if there was
15 a safety issue there.

16 DR. FORD: Okay.

17 MR. SEGALA: Okay. Just in general, we're
18 still on schedule to meet the September 13th due date
19 to issue the FSER.

20 DR. WALLIS: So what is going to happen on
21 June 25th?

22 DR. KRESS: We're going to review the
23 draft of the FSER mostly, and then they're going to
24 maybe produce or give us their impression of a couple
25 of these issues, the organic iodine, for example, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think that's about it.

2 DR. WALLIS: Do we have this draft SER?

3 MR. SEGALA: Yes, we just received it.

4 DR. WALLIS: You have it somewhere?

5 MR. SEGALA: Yes, we just got it, and you
6 have it.

7 DR. WALLIS: It's the same as the one I
8 had some time ago?

9 MR. SEGALA: No, no, no. This has just
10 been received last week.

11 DR. WALLIS: Oh, it's in the mail or
12 something?

13 MR. SEGALA: Yes.

14 DR. WALLIS: Because I get these CDs with
15 no labels on them and the box is unlabeled and I don't
16 know what they are.

17 DR. SIEBER: This one had a label.

18 MR. SEGALA: This one has a label.

19 DR. WALLIS: Okay.

20 MR. SEGALA: We elected not to give you
21 hard copies because we didn't want to burn that many
22 trees.

23 DR. POWERS: And then we're going to look
24 at this SER on the 25th.

25 DR. KRESS: The 25th.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: And then in July you're going
2 to try and write a letter on this?

3 DR. KRESS: Yes, that's the plan, and that
4 may be our final letter.

5 DR. POWERS: And where you're just really
6 cutting down on the amount of time we have to examine
7 this.

8 DR. KRESS: Yeah.

9 DR. POWERS: Boy, I'm nervous about that.

10 DR. KRESS: Well, we can talk about it and
11 if we need more time. The staff wants to issue their
12 FSER in September I think it is, and we don't have an
13 August meeting, a full ACRS meeting. So that's the
14 reason for the tight schedule, part of the reason.

15 DR. POWERS: I mean, you run into a
16 problem. There's only so many pounds you can put into
17 a five pound bag, you know. It's not a great deal
18 more than five.

19 DR. WALLIS: You can put ten to the six
20 moles into it though.

21 (Laughter.)

22 DR. KRESS: We would like to see your
23 MELCOR calculations if you have it, if you're prepared
24 to show them.

25 MR. SEGALA: Okay. We need an overhead

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 projector.

2 DR. POWERS: Mr. Kress, I'm going to
3 recuse myself from this discussion. I'm just simply
4 too closely associated with the MELCOR code.

5 DR. KRESS: You may give us statements of
6 fact.

7 DR. POWERS: Since I know no facts on this
8 particular study, I won't even be able to do that.
9 I'm just too closely associated.

10 DR. WALLIS: Are you even more closely
11 related than Dr. Kress?

12 DR. KRESS: I'm not very. I have some
13 distant relationship.

14 DR. WALLIS: I thought he was the father,
15 and you couldn't be much more closely related than
16 that.

17 DR. KRESS: Oh, no, no, no. MELCOR was
18 developed at Sandia. Now, I was on the review
19 committees.

20 DR. WALLIS: Oh, I thought it was
21 something you were interested in a long time ago.

22 DR. KRESS: No, no.

23 DR. POWERS: These studies take place
24 right across the hall from me. I presume I could tell
25 you the warts on these things.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: MELCOR has some fission
2 product release stuff that I developed, but I don't
3 think that's relevant to the containment.

4 MR. DROST: Good morning. My name is
5 Andre Drost. I'm from PRA Branch, and I'm assisting
6 my colleagues with aerosol part of source term
7 analysis.

8 And just to begin with, since Westinghouse
9 chose the alternative source term, that is, aerosol
10 based form of fission product, a few remarks needs to
11 be said.

12 The alternative source then requires
13 thermal hydraulic input as well as aerosol model,
14 which is not specific by our Bible, which is NUREG
15 1465. So that gives us a little bit of leverage and
16 subjectivity of choosing models and calculations.

17 Westinghouse chose a single thermal
18 hydraulic scenario as an input, as a thermal hydraulic
19 input to aerosol model which is a mechanistic model
20 based on a NAUA code, which is a BIN code that divides
21 spectrum of sizes into BINs and then follow the
22 physics of aerosol.

23 DR. KRESS: They didn't use MAAP for that?

24 MR. DROST: They did use MAAP as a thermal
25 hydraulic input to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Oh, they got the thermal
2 hydraulics out of there.

3 MR. DROST: Yes.

4 DR. KRESS: Okay.

5 MR. DROST: The scenario they chose is
6 what they call a 3BE accident, one of many low
7 pressure accidents, which is a double ended break of
8 direct vessel injection line, which is actually an
9 eight inch line, but there is a four inch restrictor
10 nozzle in the vessel.

11 Obviously there is a question why this,
12 not the other one. There's no good answer to that
13 unless we would require to do the whole spectrum of
14 analysis, which at some point would have led to
15 monumental activity.

16 We accept this scenario based on the fact
17 that it is representative of certain class of
18 accidents. It is risk dominant, and it follows the
19 spirit of NUREG 1465, which implies LOCA as well as
20 low pressure accident as representative for that.

21 But for those who are less familiar, I
22 bring the picture right here. To change the direct
23 vessel injection line is here, one break and one is
24 unavailable. Scenario follows basically that you're
25 running out of water. Therefore the core gets heated,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncovered. Eventually the water seeps into
2 containment and floods the break and gets into the
3 water, and that stops the design basis accident.

4 Again, there's a certain degree of
5 subjectivity, of choosing the events.

6 Well, initially Westinghouse was
7 suggesting to use direct AP600, the removal rates,
8 which we kind of objected. We thought that although
9 the plans are basically the same if you scale
10 everything, but from the aerosol behavior point of
11 view there are significant differences. It's taller.
12 Therefore, the resonance time is higher. Plus the
13 amount of fission product, the inventory is not one to
14 one. Seventy percent is more. It's like almost
15 doubled because of longer cycle.

16 So we challenged that assumption.
17 Eventually Westinghouse submitted that mechanistic
18 model which is the best estimate use of MAAP, as well
19 as mechanistic code NAUA, and they included three
20 phenomena: gravitational settling, diffusiophoresis,
21 as well as thermal phoresis.

22 We accept those phenomena as a valid
23 mechanism to remove aerosol into container. We did
24 independent analysis of aerosol behavior using
25 alternative code, which is MELCOR, and as a source of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thermal hydraulic conditions for a Monte Carlo
2 centering. We actually took one round, which was made
3 by ERI, and we simplified MELCOR model taking just the
4 containment part, and we ran 200 samples to come up
5 with 95, 95 percentile and 95 confidence level.

6 This part of the analysis was done by
7 Sandia. We chose 13 parameters that affect aerosol
8 behavior, and I might say as everything in the
9 uncertainty analysis, that is very subjective choice.
10 Obviously there are formulas and correlations, but the
11 choice is subjective as well as ranges of values and
12 distributions are highly subjective.

13 It took a while to come up with those
14 ranges, and we chose basically engineering judgment
15 for those choices.

16 The issue was -- well, let me go back.
17 The final distributions of uncertainty are presented
18 here. After 200 runs, we have distribution of
19 uncertainties in time which shows where are possible
20 values of removal rate for aerosol.

21 Now, there was a question which percentile
22 to choose as a basis for calculations, and that's a
23 little bit a generic issue. When you have uncertainty
24 analysis, we have distribution. We have those
25 percentiles. We have mean values, medium values, 595

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percentile. So the issue is which one is appropriate
2 to choose for, and traditionally the regulatory
3 approach is to use conservative values, which would be
4 either five or 95 percentile depending on the issue.

5 However, we chose the median value as
6 appropriate for that, for this particular analysis for
7 a variety of reasons, and actually we think it is one
8 of the worst case scenarios. You have to assume a lot
9 of failure to get to this scenario. It is actually
10 very hard to map AP1000. You have to have many, many
11 failures.

12 Talking about subjective judgments, I
13 think that the mean value is the least sensitive to
14 those engineering judgments obviously. So that's more
15 stable in any analysis. Those initial choices of the
16 ranges and distributions is highly subjective, and we
17 chose those values and distributions with some kind of
18 a conservative box.

19 We also had a precedence that in the one
20 case of very streamlined deposition research, went
21 through similar analysis and they decided that
22 sometimes on a case-by-case basis use of median value
23 is appropriate because of other conservatism building
24 in another part of analysis.

25 Then if that is not enough, when you go to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your dose calculation, you have another averaging of
2 values in time so that as another layer of
3 subjectivity as well as conservatism.

4 So for all of those reasons, we think that
5 the choice of 50 percentile is appropriate.

6 I don't have a slide which would compare
7 all the distributions that we come up with, but we did
8 compare MELCOR thermal hydraulic. We compared the
9 uncertainty analysis based on MELCOR thermal hydraulic
10 with the uncertainty analysis based on MAP thermal
11 hydraulics, as well as we compare a single point, if
12 you will, the removal rates as calculated by MELCOR
13 itself. If that will be a single analysis by MELCOR,
14 the removal rates would be like that.

15 Now, there's a lot of paralysis that we
16 would have to explain why those peaks and valleys are
17 here, and that would take a little longer presentation
18 to explain.

19 Qualitatively, that picture is similar to
20 uncertainty analysis which was done using MAAP
21 calculations, and numbers are roughly the same,
22 anywhere between .4 and .8. Our analysis doesn't have
23 that spike at about eight hours because we are using
24 time averaging, while at Westinghouse, we were using
25 very fine time to pick up each possible thermophoresis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and diffusiophoretic removal.

2 So it's hard to judge which one is correct
3 because of all of those uncertainties involved.
4 Somewhere in about two hours into the accident the
5 shape of those are roughly the same; however, there
6 are differences between one and two hours. As you can
7 see MAAP thermal hydraulic indicates that at the very
8 beginning the accommodation factor is very small and
9 it goes up while MELCOR thermal hydraulic leads to
10 opposite conclusion.

11 And we are not sure what Y is, but
12 that's --

13 DR. WALLIS: Can I ask you something about
14 these curves? Now, you show 95 percentile here.
15 These aren't individual runs. At each particular time
16 you are calculating a percentile from the results of
17 a set of runs?

18 They're not particular runs. These curves
19 don't represent --

20 MR. DROST: This one or any of the --

21 DR. WALLIS: -- don't represent a run.

22 MR. DROST: This is uncertainty analysis
23 based on MELCOR thermal hydraulic. This one --

24 DR. WALLIS: They don't represent a run,
25 and with that red curve at the top, it's not a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 particular run. It is the 95th percentile of runs.

2 MR. DROST: Of 200 runs. That's correct.

3 DR. SHACK: At a given time.

4 MR. DROST: At a given time. That is
5 correct.

6 DR. SHACK: A slice.

7 MR. DROST: A slice in time, yes.

8 DR. WALLIS: Now, I understand how
9 statistically they get 95th percentile at one
10 particular time. If you're going to get 95th
11 percentile on a curve, is there a theory for that?
12 Continuous 95th percentile, is there a statistical
13 theory for that?

14 DR. POWERS: They did time slices and just
15 draw a curve.

16 DR. WALLIS: I know. I understand what
17 they do, but I think the more places you want to get
18 the 95th percentile, I think the more runs you need.

19 MR. DROST: Well, I have an answer, but
20 I'm afraid to expose my ignorance in statistics. We
21 follow advice of our contractor for Sandia. My
22 understanding was that he made 200 runs from zero to
23 whatever hours, and each run gave him some value.

24 DR. WALLIS: Yeah, I understand that.

25 MR. DROST: But that's all I know about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 statistics. He applied standard formulas.

2 DR. WALLIS: I may be stupid, but I think
3 if you want to get a statistical distribution at three
4 hours and a statistical distribution at six hours,
5 let's say, you need more runs than if you just wanted
6 it at three hours alone, and then if you're going to
7 say you're going to get it at all of these hours, I
8 think I'd like to see the derivation.

9 Maybe my colleague, Dr. Powers, can help
10 me with that and you don't need to worry about it.

11 DR. POWERS: Well, when you take about 200
12 samples of anything from a Monte Carlo distribution,
13 assuming that they're all independent and, okay, these
14 parameters are probably reasonably independent, you
15 should have about a 99 percent confidence that you've
16 sampled the --

17 DR. WALLIS: That's true any time. I'm
18 just concerned about applying it to a whole curve, but
19 we can talk about that separately.

20 DR. KRESS: These are the actual lambdas
21 you're plotting.

22 MR. DROST: These are actual lambdas,
23 right. At any given time there's a distribution of
24 lambdas. That's all I can say. The concept is based
25 on whatever MELCOR chooses, and those are subjective

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 averaging because should we use every time step as a
2 basis for these curves, there would be something like
3 this jumping up and down because that is one run. For
4 one run MELCOR went from zero to whatever hours, and
5 that is one time shot, well, one shot as a function of
6 time where --

7 DR. WALLIS: You could do statistics on
8 just the peak values or you could do statistics on,
9 you know, some of them where the peaks move around.
10 Then you smooth everything out when you do that.

11 MR. DROST: That is correct.

12 DR. WALLIS: At the peaks you'll get a
13 higher.

14 DR. KRESS: Yeah, that may be the
15 difference between the two curves you've showed on the
16 previous.

17 MR. DROST: That is the difference -- you
18 mean between that and MELCOR? Absolutely.

19 DR. KRESS: They ran one case, and they're
20 going to get something like this.

21 MR. DROST: Actually, the MAAP based
22 analysis is similar to one single MELCOR round. The
23 smooth curves --

24 DR. KRESS: What causes that peak at eight
25 hours?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DROST: I am not sure. I presume it
2 at some point is a hydrogen burn, and the
3 thermophoretic mechanism overtakes the removal rate.
4 We are still trying to digest all of those numbers.

5 In general, the method that we chose is
6 pretty generic, and it can be applied to any
7 parameters. In fact, in the future, we think that
8 maybe we can implement that as a permanent feature of
9 MELCOR, do some other certainty analysis.

10 DR. KRESS: You know, these two cases are
11 basically using the same -- no, they're not using the
12 same thermal hydraulics because MELCOR calculates --

13 MR. DROST: That would be MAAP MELCOR,
14 right.

15 DR. KRESS: So they may be having
16 different thermal hydraulic --

17 MR. DROST: They are.

18 DR. KRESS: -- but they have got probably
19 comparable aerosol models in them as far as I
20 remember.

21 MR. DROST: MAAP has different aerosol
22 model than MELCOR.

23 DR. KRESS: Oh, yeah.

24 MR. DROST: But Westinghouse used similar
25 methodology to MELCOR. It's a BIN code which follows

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basically the first principle --

2 DR. KRESS: Is the blue curve strictly a
3 MAAP calculation?

4 MR. DROST: No, this is MAAP for hydraulic
5 with --

6 DR. KRESS: With a NAUA?

7 MR. DROST: No, with MELCOR sampling runs.
8 This is --

9 DR. KRESS: I see.

10 MR. DROST: Yes. This curve is equivalent
11 to that one without time averaging. That is, to
12 study, to understand why our numbers are different
13 from Westinghouse we chose MAAP thermal hydraulic and
14 using the same sampling methodology. So that is a
15 MAAP base, and this is MELCOR based, but both studies
16 were made with MELCOR sampling methodology.

17 DR. SHACK: The trouble is that you get a
18 very distorted picture from the average run because
19 what you may be seeing is the time shift in the peak
20 rather than you know. Any given history looks like
21 the other one. That is, the thing actually goes up,
22 but the peak moves around, and so all you're looking
23 at is the average of where the peak ended up, and so
24 you're really looking at very different beasts when
25 you look at the average curve and any individual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 curve.

2 MR. DROST: Yes. That is correct.

3 DR. WALLIS: That's the problem of saying
4 that you've got these 95 percentiles of a whole curve
5 if you're going to move things around.

6 DR. SHACK: Well, what question are you
7 asking?

8 DR. WALLIS: That's right. That's right.
9 If you start asking, "What's the peak?" you know, then
10 you've got a completely different answer.

11 DR. SHACK: You get a different answer.

12 DR. KRESS: But, I mean, what you have to
13 remember in aerosol removal is it's a time averaging.

14 DR. WALLIS: Of course. That's why it's
15 appropriate for this problem, and if you're interested
16 in PCT, it would be stupid to average and say our
17 average PCT is way down --

18 DR. SHACK: What you might want is the
19 average under this whole curve, and we probably
20 shouldn't even be looking at this thing on a Pi basis.
21 We want some integrated --

22 DR. WALLIS: That's right, and you can do
23 that. That's the honest way to do it.

24 DR. POWERS: Compared to the divergences
25 of opinion on aerosol physics and the AP600, this is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 complete agreement.

2 DR. WALLIS: The bottom line is that the
3 one at Westinghouse is okay?

4 MR. DROST: The bottom line is that our
5 baseline removal rates are lower -- some were -- than
6 those chosen by Westinghouse, but the other part of
7 the analysis which our colleague may present or
8 describe gives those calculations.

9 Well, we need the same dose limits through
10 different way. That's the bottom line, but in
11 general, our numbers are smaller than Westinghouse.

12 DR. KRESS: But not much smaller.

13 MR. DROST: Not much. It's like the
14 difference between .4 and .5.

15 DR. KRESS: In aerospace, those are
16 equivalent.

17 CHAIRMAN BONACA: Exactly. It seems
18 incredible agreement.

19 DR. KRESS: So thank you very much, Andre.

20 MR. DROST: Thank you.

21 DR. KRESS: And I guess unless -- yes?

22 PARTICIPANT: Jim wants to say something.

23 DR. KRESS: Okay.

24 MR. LYONS: Thank you.

25 This is Jim Lyons. I'm the program

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 director for the new reactors work.

2 And to kind of follow up to what Dana had
3 said earlier about the size of the document you got
4 and the time frame, I'd really like to encourage the
5 committee to continue to work towards our schedules.

6 DR. POWERS: Jim, how do I do that if I
7 can't read the thing except when I have a computer?

8 MR. LYONS: Well, we can get you hard
9 copies if you need that.

10 DR. POWERS: Have you got somebody to
11 carry it for me?

12 MR. LYONS: Well, there's the problem.
13 It's only 2,600 pages. I don't understand the
14 problem.

15 DR. POWERS: This is a formidable chore
16 you're throwing at us.

17 MR. LYONS: I understand that, and I guess
18 the thing that I'd like to point out though is that
19 the draft SER that we have reviewed before, that you
20 all had reviewed had reviewed a year ago, from that we
21 had 174 open items, and we're going to discuss those
22 open items at the June 25th meeting. So we'll show
23 you how we resolved those things that weren't resolved
24 at the time of the draft.

25 And you know, other than the resolution of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those open items, the main changes in the document are
2 technical editing that has been going on over the past
3 months, and so, I mean, we were really working to try
4 and get you that document 30 days before the
5 subcommittee meeting so that you would have at least
6 that time to look at it, and we know that that is a
7 very large document, and we just appreciate whatever
8 of your work it takes to get through that.

9 We'll be happy to work with Med between
10 now and the subcommittee meeting to make sure that we
11 present to you the things that you need to see or want
12 to see at that meeting so that, you know, we can help
13 you through that review.

14 DR. KRESS: Is it possible we could get a
15 hard copy of that, Ed? I don't like sitting in front
16 of my computer reading that.

17 DR. EL-ZEFTAWY: I have one hard copy. I
18 guess if some of the members want hard copy, let us
19 know now so that we can get the numbers and get the
20 copies.

21 MR. LYONS: Right, and we'll take that to
22 printing and we'll get that.

23 DR. KRESS: I would certainly like one
24 because it would take me forever to print that out.

25 MR. LYONS: Oh, yeah. You almost have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 decide what you want to read and print out those
2 sections. We understand. It is a pretty large
3 document.

4 DR. POWERS: Right. It's just impossible.
5 I mean if you had it today --

6 DR. KRESS: Yeah, I guess maybe I don't
7 even want -- if it's that thick I don't want it
8 either.

9 DR. POWERS: You've got to read it, and
10 then you've got to get back to him and say, "Okay. On
11 the 25th I want to see these things."

12 You had better read faster than I do.

13 DR. KRESS: You're right, Dana. It's a
14 problem.

15 DR. WALLIS: But you'll go blind looking
16 at a computer screen, too.

17 DR. KRESS: Yeah. What if this slips to
18 the September date? Is that a real hard date?

19 MR. LYONS: The September date is a hard
20 date, yes. We have committed to the commission, and
21 there's a lot of interest in us meeting that date and
22 the September 13th date. So everything is set to do
23 that because even with the committee's letter in July,
24 there is still processing of the document, of the
25 actual printing and everything else that it's going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 take to finish the processing, to get us to be able to
2 issue that by September 13.

3 DR. WALLIS: Well, I guess we just have to
4 have a CD, and we have to scan it, and then we have to
5 print out the bits we're most interested in.

6 DR. KRESS: I think that's the approach
7 we'll have to take.

8 MR. LYONS: Trust us. It's a very good
9 document.

10 DR. POWERS: Okay. Now, let me
11 understand. I don't have the CD now.

12 MR. LYONS: I will get you one.

13 DR. POWERS: I will not get the CD until
14 the 17th of June, right?

15 DR. EL-ZEFTAWY: No, no, you'll have it
16 today.

17 DR. KRESS: We can give you one to take
18 home with you.

19 DR. EL-ZEFTAWY: We have the CDs today.

20 DR. SHACK: Do all of the members get it
21 or just the members --

22 MR. LYONS: No, all of the members are
23 going to get it.

24 DR. WALLIS: You're going to give it to us
25 today?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LYONS: Yes.

2 PARTICIPANT: And we can have hard copies
3 tomorrow.

4 DR. POWERS: And I can't read it until I
5 have a computer.

6 DR. WALLIS: Maybe they'll lend you a
7 computer.

8 (Laughter.)

9 PARTICIPANT: You can get one for about a
10 buck 99 now, I think.

11 (Laughter.)

12 DR. KRESS: I think this will have to be
13 an audit type. You'll have to look at the part you're
14 most familiar with and interested in.

15 MR. LYONS: Right, and I think if you
16 focus on the open items, too, if you were satisfied
17 with the draft SER that those were the key open items
18 and that those open items are resolved, I think
19 that --

20 DR. POWERS: Okay. So when I go in here
21 and I find the thing that I'm interested in and I say,
22 well, they did this completely lousy and I don't like
23 this at all --

24 DR. KRESS: Well, I'm going to review
25 Chapter 15.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: -- and somebody comes back
2 and says it doesn't matter because the core melt
3 frequency is ten to the minus 19, then I say, "No,
4 it's not," because I didn't read that part.

5 DR. WALLIS: That's right. You assume
6 that the bit you found is typical of the rest of the
7 document.

8 DR. KRESS: Well, you know, a lot of the
9 FSER talks about open items and also deals with the
10 Chapter 15 design basis accidents, and I think for
11 certification, I think that's probably what we ought
12 to focus on, how they met the design basis accident
13 criteria.

14 DR. POWERS: Do I understand correctly
15 that every technical issue that is deemed resolved by
16 this document can never be raised again?

17 DR. KRESS: That's true.

18 DR. POWERS: And so we're going to slop
19 through this thing, and that's protecting the public
20 all right.

21 DR. WALLIS: Well, is it self-sufficient?
22 You read this document, and then you say, "Ah, you're
23 referring to a Westinghouse document." Now we've got
24 to take that one out.

25 DR. KRESS: To a large extent I view this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like some of the license renew things. We have to
2 rely on the staff who has done a real good review, and
3 we more or less audit that by looking at specific
4 parts of it, but I think we will have to fall back on
5 relying on the staff having done a good review. I
6 think that's our only alternative.

7 And you know, we like to look for things
8 that the staff might not have looked for, like are
9 there --

10 DR. POWERS: Maybe we'll bring those up
11 and they'll say, "Well, that's in the 1400 pages they
12 didn't read."

13 DR. KRESS: Yeah. I understand your
14 problem, Dana. I don't know what to do about it.

15 Well, with this, I guess we'll turn it
16 back to you, Mario.

17 CHAIRMAN BONACA: Okay. And we'll take a
18 break until ten of 11.

19 (Whereupon, the foregoing matter went off
20 the record at 10:35 a.m. and went back on
21 the record at 10:53 a.m.)

22 CHAIRMAN BONACA: Okay. Let's get back
23 into session.

24 The next item on the agenda is the
25 propsoed revisions to SRP sections and process and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 schedule for revising the SRP.

2 Dr. Ford.

3 DR. FORD: Yes. The presentation you're
4 going to hear is two parts, as I understand it. The
5 first part is in relation to changes in SRP subsection
6 relating to materials, and the second section is
7 relating to the NRR plans for revisions to the other
8 SRP chapters and how and when these will be presented
9 to us.

10 With regard to the first part, I believe
11 that the staff expectation is that we will issue then
12 a waiver on ACRS review sine there are no technical
13 changes to the materials related subsections, and
14 there are no backfit considerations.

15 So let me pass it on to Rob and Peter.
16 Please.

17 MR. KUNTZ: Good morning. My name is Rob
18 Kuntz, NRR.

19 MS. RIVERA: And my name is Aida Rivera,
20 NRR.

21 MR. KUNTZ: Like we said, we are here to
22 discuss the standard review plan update process that
23 NRR has begun. The purpose of today's presentation,
24 first, like was stated earlier, to present a summary
25 of the changes to SRP Sections 523, 531, and 533, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 request a waiver of ACRS review, and then inform ACRS
2 of NRR's process and plan to begin updating the SRP,
3 some sections in Fiscal Year '05 and '06, and obtain
4 ACRS agreement on the potential work load and the
5 schedule established for SRP updates in the next two
6 fiscal years.

7 The agenda. First we'll go through the
8 summary of changes on the three SRP sections that I
9 mentioned earlier, give some background on the NRR's
10 plan, including the October 31st, 2003 SRM; go through
11 the SRP development process, our plan for moving
12 forward, and summarize.

13 First start with the summary of the
14 changes to the three SRP sections, 523, 531, and 533.
15 As noted, there's no technical changes to these SRP
16 sections. Sine technical changes were not required to
17 update these SRP sections, the ACR review is not
18 considered to be necessary. The technology for
19 lightwater reactor applications and the areas covered
20 by these sections has remained essentially unchanged.

21 DR. FORD: Now, I think there's going to
22 be a fair amount of discussion on this particular one
23 slide, which I think is the only slide you have on the
24 TO subsections.

25 MR. KUNTZ: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. FORD: It would help us, I think, to
2 understand, first of all, what is the scope of the
3 SRPs. Is it only to lightwater reactors?

4 MR. KUNTZ: Correct.

5 DR. FORD: It is not to non-lightwater
6 reactors.

7 MR. KUNTZ: Right.

8 DR. FORD: And is it to new reactors or
9 replacement or parts to old reactors? Both new
10 reactors, new lightwater reactors and to
11 replacement/repair of old reactors; is that correct?

12 MR. KUNTZ: Correct.

13 DR. FORD: Okay. The first question I had
14 is I've read through the three documents, and I would
15 maybe quibble as to whether some of the changes you
16 have in that one, for instance, on surface grinding
17 that you have on the first two aren't technical
18 changes, but there's more guidance.

19 But my question is more of a philosophical
20 one. The current SRP on these three areas was
21 obviously written some time ago because there's a
22 predominance of focus on BWR stainless steel pipe
23 cracking, and specifically that from NUREG 0313.

24 There is very little specific guidance to
25 a staff engineer as to how to deal with, for instance,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nickel based alloys in both Bs and Ps. As you know,
2 there have been problems for nickel based alloys for
3 both those reactor designs, and I'm puzzled as to why
4 a new staff engineer who is coming in to review a
5 replacement or repair option on an old reactor or for
6 design aspects for a new reactor would not be guided
7 as to how they should attack those particular problems
8 which have arisen, and they're not mentioned in the
9 latest revision.

10 MR. KUNTZ: I'll turn this over to Keith
11 Wickman who is staff.

12 MR. WICKMAN: Keith Wickman from NRR.

13 I actually did the updates. There is a
14 section, and there I'd have to dig it out, but there
15 is a section that expresses caution about the use of
16 nickel based alloys, particularly the 600 and its weld
17 materials 82 and 182. Okay? It doesn't specifically
18 prohibit it, but there is a cautionary paragraph in
19 there. Okay?

20 And you will have to realize that people
21 that review this are going to be talking to other
22 people as well and knowledgeable people in this area.
23 PWSCC is a big issue for PWRs and certainly IGSCC for
24 BWRs. So there is a cautionary note. There's no
25 prohibition against using such materials, but in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recent applications like the AP1000, okay, if you use
2 a 182 material in contact with the fluid, that was not
3 allowed, and they did not do that, for example.

4 So I think it's clear. I think that
5 cautionary note is sufficient.

6 CHAIRMAN BONACA: I have not reviewed the
7 SRP, but I imagine that the SRP guides you to
8 supporting documents. I mean, it provides references
9 to whatever documents you have to go for for
10 information, regulatory guides or whatever.

11 MR. WICKMAN: In the SRP, there are a list
12 of references, and there are references to other
13 document like generic letter 8201 for IGSCC and other
14 things. There is not in existence yet a comprehensive
15 document that addresses PWRCC.

16 CHAIRMAN BONACA: I understand, but when
17 I look at those references there, 17, 22 and seven,
18 those must be including a body of information even
19 recent information, I imagine. Try to understand the
20 actual, you know, burden for newer information to the
21 SRP versus the revised references.

22 I imagine most of the information would be
23 either in the references.

24 DR. FORD: Well, that's true, except I
25 don't understand what's the constraining item here,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but most of the references that are given are reg.
2 guides or NUREGs.

3 MR. WICKMAN: Well, again, the SRP just
4 documents current requirements. It does not create
5 new requirements. Okay? It documents current
6 requirements. The purpose of an SRP is to provide
7 guidance to the NRR staff for review of new
8 applications. All right?

9 Under that circumstance, you don't create
10 new requirements. New requirements are created by
11 modifications to the regulations, for example.

12 CHAIRMAN BONACA: No, I'm not referring to
13 that. I was thinking that some of the references now
14 would have information relating to PWSCC and so on and
15 so forth. I mean, this is not new requirements. It
16 seems to me that as you perform the same review that
17 the SRP guides you to do you will have in the
18 references additional information regarding operating
19 experience, acceptability of materials, and so on and
20 so forth.

21 MR. WICKMAN: Correct.

22 CHAIRMAN BONACA: And I'm trying to
23 understand that.

24 DR. FORD: The scenario I'm concerned
25 about, Keith, is that you have in this changing work

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 force that we have here, we have a new staff member
2 coming on, and he's given an SER to review, and he has
3 no guidance in this review phase how to deal with
4 primary water side first order cracking.

5 MR. WICKMAN: But that new staff member
6 does not do that in isolation. Okay? There are a lot
7 of people looking over his shoulder that do have that
8 experience. Okay?

9 And, again, the SRP does not create new
10 requirements. For example, in the SRP I cannot say,
11 "Do not use this material." All right? Okay. Again,
12 the SRP documents current requirements; doesn't create
13 new ones. So that's the structure that we're
14 operating under here.

15 DR. SHACK: Let me take a little different
16 tack on this, Keith. You do refer to reg. guides,
17 like NUREG 0313.

18 MR. WICKMAN: Oh, sure, sure.

19 DR. SHACK: I guess that isn't even a reg.
20 guide. The thing I was thinking of is, in fact, there
21 are certain areas where you have essentially stopped
22 updating reg. guides, for example, on water chemistry,
23 and the de facto and, in fact, probably du jour water
24 chemistry control are really the EPRI BWR guidelines.

25 MR. WICKMAN: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SHACK: But would you ever refer to
2 those in an SRP because those are, in fact, the
3 current requirements for water chemistry? The reg.
4 guides you have on water chemistry circa 1975, you
5 know, should be removed from the list because you
6 certainly wouldn't expect anybody to live by that.

7 MR. WICKMAN: Well, I eliminated a couple
8 1975 W caps, okay, that were referenced, for example.
9 Anything that old I agree should not be referenced,
10 but --

11 DR. SHACK: But I didn't see -- and maybe
12 it was just in the section I had -- you know, as I
13 say, would you reference BWR water chemistry
14 guidelines?

15 MR. WICKMAN: No question about it, no.

16 DR. FORD: You said, "No question about
17 it, no"?

18 MR. WICKMAN: No. Well, what I meant is,
19 no, yes.

20 (Laughter.)

21 MR. WICKMAN: No, that could be
22 referenced, but the problem here is you've got one guy
23 doing this. You need another.

24 DR. SHACK: Well, I was thinking more
25 generally. When you've written an SER on a BWR VIP

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 document, does that make it something that's
2 referenceable then in an SRP?

3 You know, you've accepted it by an SER.

4 MR. WICKMAN: My belief is yes, okay? But
5 again, I'd have to go back and talk to some other
6 people to make sure that that is the case because --

7 DR. SHACK: I mean, Peter and I were just
8 sort of discussing, you know, obviously you're not
9 referencing the open literature on stress corrosion
10 cracking. You know, you have to reference what are
11 accepted regulatory positions.

12 But I would think that once you've
13 accepted a topical report and written an SER on it --

14 MR. WICKMAN: Yes, an accepted regulatory
15 position could be referenced, I think. Okay?

16 DR. FORD: Well, I think that would make
17 your revised version far strong. For instance, the
18 BWR --

19 MR. WICKMAN: Well, you know, I would
20 appreciate comments like that because one guy looking
21 at this is bound to miss something. Okay?

22 DR. WALLIS: Well, I think it would help
23 in this slide to clarify in my mind, when the word
24 "technical" and "technology" is used here, what you
25 really mean is regulations. There will be no changes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in regulations. The regulations are unchanged, but
2 the state of technology and knowledge is changing all
3 the time.

4 MR. WICKMAN: Hey, Rob, would you put up
5 that slide, please?

6 DR. WALLIS: What you mean by technology
7 here is regulation.

8 MR. WICKMAN: The lightwater technology in
9 the areas that have been revised really hasn't
10 changed. Okay? All right. We're talking about the
11 material areas in the reactor vessel integrity.

12 DR. WALLIS: Well, you have technically
13 quoted something from regulations. What you mean by
14 "technology" is really the regulation.

15 MR. WICKMAN: Well, take a look at my
16 slide. Okay? That first sentence says what's the
17 purpose of an SRP. It's to document current
18 requirements. Okay?

19 DR. WALLIS: See, with technical
20 requirements stemming from regulations --

21 MR. WICKMAN: From the regulations. Now,
22 in the case of reactor vessel integrity, Appendices G
23 and H were revised. Okay? And so references to the
24 pertinent parts of the revised regulations had to be
25 made. Okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: All right.

2 MR. WICKMAN: Is that a technical change?
3 I don't know. But the point is the SRP documents
4 current requirements. It doesn't create new ones.

5 DR. FORD: Okay. So that means if it
6 documents requirements, it has got to be reg. guide.
7 It has got to be official --

8 MR. WICKMAN: They've got to be approved.
9 they've got to be approved documents. It could be a
10 generic letter. Okay? As well as a revised
11 regulation. It could be something that has gone
12 through a review process and has been approved for
13 use.

14 DR. FORD: Would you mind going back to
15 the overhead?

16 I don't think any of us have got any
17 problem with the vessel, the final one.

18 MR. WICKMAN: Okay.

19 DR. FORD: It's the other two, both of
20 which refer to, to a large extent, fabrication, but
21 also materials degradation issues. And there's a
22 large body of information from the industry which NRC
23 has approved. The VIP documents, for instance, and
24 they would make to a new, young staff engineer, albeit
25 working with experienced people, a far better overall

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 view.

2 MR. WICKMAN: Well, I would certainly
3 appreciate comments like that, specific, okay, that I
4 can improve the update. Okay?

5 DR. FORD: Because it might impact on your
6 technical changes.

7 MR. WICKMAN: Well, that's possible, but
8 again, I go back to my original premise here about
9 documentation of existing requirements, and I'd have
10 to look at the VIP stuff.

11 The VIP stuff is sort of a little funny,
12 okay, a little different the way it has been handled.

13 DR. SHACK: Well, I guess there's also a
14 difference between something you would accept and
15 something you would require, and I guess that's one of
16 the differences I could see with many of the VIP
17 documents. They don't really represent requirements.
18 They say, okay, if you guys want to use this, it's
19 okay.

20 MR. WICKMAN: Yeah, and that's exactly
21 what I mean. So I think they have to be careful about
22 how we incorporate certain things in here.

23 MR. MATTHEWS: Hi. I'm Dave Matthews,
24 Director of Regulatory Improvement Programs.

25 And I've been overseeing this update

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process for over a year now, and we have faced a lot
2 of these issues. Keith might have added to his
3 comment about documenting existing requirements and
4 accepted staff positions because the SRP expands on
5 existing requirements per se and adds to it accepted
6 staff positions that have historically provided
7 guidance to the reviewer on what these regulatory
8 words mean.

9 Okay? And so accepted staff positions
10 have to be that, and the word "accepted," therefore,
11 connotes staff positions that have been reviewed and
12 vetted through our processes like CRGR, okay, and in
13 some instances Commission review of a generic letter
14 or a bulletin.

15 So the SRP documents accepted staff
16 positions as explaining and giving a possible approach
17 to meeting a regulatory requirement, not that there
18 aren't others that could be considered.

19 MR. WICKMAN: Right. It's not always
20 clear what those accepted staff positions are
21 unfortunately.

22 MR. MATTHEWS: Sometimes they have to be
23 looked at very closely to see if they, indeed, are
24 accepted staff positions. Usually if they would not
25 trigger a need for a backfit review on the part of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CRGR or the need for an additional regulatory
2 requirement if OGC viewed it that way, then they're
3 viewed as accepted staff positions.

4 DR. FORD: Okay. Could I suggest that the
5 way to move forward on this, as an engineer/scientist
6 who knows material degradation issues, I had a lot of
7 problems reading this because I knew of all sorts of
8 things which were going on in the industry which
9 suggested a change might be necessary.

10 MR. WICKMAN: Well, again, so do I. If I
11 could --

12 DR. FORD: Navigating through the
13 legalistics of --

14 MR. WICKMAN: But can you reference those
15 changes?

16 DR. FORD: Exactly, exactly.

17 MR. WICKMAN: That's the problem.

18 DR. FORD: It's what's acceptable and
19 what's not.

20 MR. WICKMAN: Right.

21 DR. FORD: So if I could suggest maybe a
22 way around this is to have a half day meeting with,
23 say, the materials subcommittee to go over these
24 documents and say, "Hey, I don't agree with what
25 you've said here because there's this data or that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 data," chemistry guidelines or whatever, and then you
2 can say, "Here. We accept that," or, "no, it is not
3 an acceptable document for this application."

4 DR. SIEBER: But you can't break new
5 ground in regulatory space, and so it's not clear to
6 me what the review will do unless it's a legalistic
7 kind of a review saying this is what the requirement
8 is. Is it written down? And this is the accepted
9 staff position.

10 DR. FORD: Yeah. Well, you're getting
11 into a fine line as to --

12 DR. SIEBER: As opposed to an explanation
13 of what the technology is. You know, that doesn't
14 have a place in the SRP.

15 MR. MATTHEWS: I would argue that if
16 existence of information would prompt a change in our
17 regulations, then it's worthy of discussion.

18 DR. SIEBER: That's right.

19 MR. MATTHEWS: Okay? We are talking about
20 a very fine legal line here, but it's a very dramatic
21 one to the recipient. For example, why the VIP
22 program presents such a challenge is it's a voluntary
23 program that was offered by an owner's group, and so
24 there's an issue there as to whether it was prompted
25 by regulatory requirements.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And we didn't put regulatory requirements
2 in place in deference to that voluntary program. I
3 have a lot of trouble dealing with that as to in
4 regards to a document that is an extension, okay, of
5 the review process against regulatory requirements.
6 So I'm sympathetic with the availability of
7 information that might enhance the quality of the
8 review, but whether it's something that I can give to
9 a young engineer and establish as a requirement is
10 something completely different.

11 DR. SIEBER: Correct.

12 MR. MATTHEWS: So that's why I have a
13 little difficulty with the concept of evaluating this
14 new documentation. If a subcommittee wanted to take
15 upon themselves the evaluation of this new information
16 in the hopes that you might encourage us or there
17 might be a sound basis for revising the regulations to
18 require its consideration, that's something we'd
19 always be willing to hear. Okay?

20 And I would hope that our staff would look
21 at it from that standpoint, too.

22 I mean, I'll give you a good example. If
23 you look at the old issue associated with steam
24 generator tube integrity, a lot of information there.
25 We were never able to make the cost-benefit associated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with changing the rules. All right? But yet we have
2 put out a lot of different guidance documents, and we
3 now have a program where the industry is coming back
4 with a revised set of tech specs associated with this,
5 which they are going to volunteer, and we have said
6 under these conditions those tech specs will be
7 acceptable.

8 Okay. You won't see any of that in the
9 SRP.

10 DR. SIEBER: Right.

11 MR. MATTHEWS: And we're really dealing
12 with the distinction between clear regulations
13 established in the Code of Federal Regulations vetted
14 through the Administrative Procedures Act, and an
15 extension of that with regard to guidance to our
16 reviewers as to what are acceptable ways of meeting
17 those regulations.

18 When they are in the arena of good "to do"
19 and useful information, we run into a lot of trouble
20 in trying to implement expectations as opposed to
21 something that we can clearly tie to a regulatory
22 requirement, and I think that's Keith's challenge when
23 it comes to his knowledge associated with a lot of
24 these reactor vessel materials and a lot of these
25 materials used in fabrication of reactor coolant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system boundaries.

2 It's an issue of knowing that there's
3 problems out there, but not having a basis to advise
4 licensees to tackle them without having a clear
5 regulatory requirement.

6 DR. SIEBER: Well, it's even more than
7 advising licensees. It's requiring licensees to do
8 something.

9 MR. MATTHEWS: Right, and that's the
10 distinction. This is the requirement.

11 DR. SIEBER: And if it isn't a
12 requirement, it doesn't belong in the SRP, the way I
13 see it.

14 MR. MATTHEWS: Or it can't be connected
15 directly with it.

16 DR. FORD: So you're looking upon the SRP
17 more as a regulatory --

18 DR. SIEBER: Well, it is.

19 DR. FORD: -- legalistic document, not as
20 a technical guidance to --

21 MR. MATTHEWS: That's exactly right.

22 DR. SIEBER: That's correct.

23 MR. MATTHEWS: Well, said.

24 DR. FORD: And you're relying on the
25 information to the young staff engineer that he can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identify here, here, and --

2 DR. SIEBER: Well, project manager or
3 reviewer is who uses it.

4 MR. WICKMAN: Well, again, the young staff
5 engineer, a lot of people are going to be looking over
6 his shoulder. Okay? All right. So he's not going to
7 be doing this in isolation, and so --

8 DR. FORD: Okay. Well, that makes
9 different guidelines to me as to how I look at this
10 document. I should not be looking at it as a
11 technical reviewer. I should be looking at it as a
12 lawyer almost.

13 MR. MATTHEWS: I could argue that there's
14 a double edged sword here. We have one purpose in
15 revising and in keeping the SRP current, is to
16 restrain staff members from applying new ideas or
17 unique approaches because they aren't consistent with
18 the existing regulations. Okay?

19 You put limitations on reviewers. You
20 have to guard what they can expect licensees --

21 DR. FORD: I do find that a worrying
22 statement.

23 MR. MATTHEWS: I said it in such a way as
24 to prompt you to worry about it because that is really
25 the case that we have with regard to the regulations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We have an obligation to keep reviewers and even
2 managers, okay, consistent in their interpretations
3 from one review to the next, and you can't do that by
4 prompting people's speculation as to what would be a
5 better idea.

6 DR. SIEBER: And, in fact, licensees rely
7 on the SRP, first of all, to establish their case that
8 they meet the regulations, but to keep the staff
9 hones, and a lot of licensees will review the SRP
10 sections for that purpose so that they can go in and
11 argue their case.

12 MR. MATTHEWS: Let's put it this way.
13 We're held accountable to the SRP by the licensees as
14 much as we hold the licensees accountable for the
15 regulations.

16 DR. SIEBER: That's correct, as part of
17 the licensing business.

18 MR. MATTHEWS: It's not really a guidance
19 document in that regard.

20 DR. FORD: Okay.

21 DR. SIEBER: So we should turn it over to
22 OGC.

23 MR. MATTHEWS: Well, possibly. They look
24 at it really, really closely.

25 DR. SIEBER: I know.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. FORD: I'm looking to you as the Vice
2 Chairman.

3 DR. WALLIS: Do you want to stop the
4 session?

5 DR. FORD: No, no, no, no, no.

6 (Laughter.)

7 DR. FORD: I have a problem with what I've
8 just been hearing disassociating myself from what is
9 technically incomplete on the basis of what the
10 industry has, as well as the licensees. That's not to
11 ignore the facts of the case as to what is down on the
12 paper and which is in the law of the current
13 regulations and the rules.

14 I don't know how to proceed on this
15 particular request for a waiver on this instance when
16 I know technically it is incomplete.

17 MR. MATTHEWS: Well, I think things like
18 the VIP do create the problem where if you didn't have
19 VIP you probably would have regulatory requirements,
20 but the VIP thing isn't really a regulatory
21 requirement. So it is kind of a strange beast.

22 DR. FORD: But I also think that this
23 problem is going to arise in the other SRPs as we go
24 down the line.

25 DR. SIEBER: Absolutely.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. FORD: And, therefore, let's tackle it
2 up front, not just in terms of E3, but what point do
3 we disassociate ourselves from technical reality
4 versus regulatory reality?

5 DR. SIEBER: Well, you can't make new
6 rules using this mechanism here.

7 DR. FORD: Technology advances.

8 DR. WALLIS: But this happens all the
9 time. This happens with codes, too, as I told you,
10 and there are things written in the law which you have
11 to put in the code which really don't make any sense.

12 DR. FORD: What I guess is it's 20 past 11
13 now. Let's move on and just table this until
14 discussion at the end, whether it's appropriate to
15 write a letter of waivering. I take it there is not
16 a big urgency on this letter for waivering right now.
17 You don't have to have it today.

18 DR. WALLIS: No, but I think we could have
19 some discussions afterwards.

20 DR. FORD: Right.

21 DR. WALLIS: The other members will
22 educate you about how the NRC works.

23 (Laughter.)

24 DR. FORD: Well, it worries me from a
25 technical reality point of view, not regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reality point of view.

2 MR. MATTHEWS: If that a subject that's
3 appropriate for us to offer further views on, we'd be
4 glad to participate in any of those discussions to the
5 extent that it would help you.

6 DR. FORD: And we would love to do that.

7 DR. EL-ZEFTAWY: Peter, I think if maybe
8 we set up an informal meeting with the staff for you
9 to talk to them?

10 DR. FORD: Absolutely.

11 DR. EL-ZEFTAWY: Yeah, I think that is
12 better, you know, to handle this one.

13 DR. FORD: Well, and any subset of any
14 colleagues who want to come, too. I think it's going
15 to be a bigger issue than just these three items.

16 Please.

17 MR. KUNTZ: Moving on to the work that NRR
18 has done, on October 31st, 2003, an SRM was issued in
19 response to an October 2nd, 2003, ACRS meeting, and
20 that SRM asked the staff to provide the Commission the
21 status approach and plans for maintaining a current
22 and effective set of guidance documents, including the
23 SFE.

24 Prior to the issuance of that SRM, NRR
25 staff --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Well, I wonder what the
2 Commission meant by current and effective set. Did
3 they have in mind some of the ideas that Peter Ford
4 has in mind or did they have in mind merely completely
5 sort of adherence to --

6 DR. SHACK: No, we had reviewed a reg.
7 guide that hadn't been revised since the early '70s.

8 DR. WALLIS: Will the regulations have to
9 be changed?

10 DR. SHACK: And there were umpteen
11 thousand editions out of date, and then they ask the
12 question whether other regulatory guides were as far
13 out of date, and the answer was yes.

14 DR. WALLIS: And we said yes. But what
15 you're saying though, Bill, is an important factor in
16 what we've just been discussing. Just make sure your
17 reg. guides and approved documents are up to date.
18 Don't change technical changes.

19 We're going to come across this thing time
20 and time again if that's your sole criterion.

21 MR. KUNTZ: Okay. Prior to the issuance
22 of that SRM, NRR had begun a plan to update the SRP.
23 We included a scoping process, a prioritization
24 process and working on scheduling the updates.

25 The scoping process was to determine the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extent of update and estimate the resources required
2 to revise the SRP. We asked the staff to tell us what
3 version is currently being used for reviews. Is there
4 any guidance that has superseded that version? Would
5 the updated SRP section require ACRS, CRGR, or public
6 comment?

7 Does the updated SRP section require
8 updating of other guidance?

9 And to estimate the total hours using
10 those questions that it would require them to update
11 the SRP section. Through the scoping process, it's
12 estimated that to completely revise the SRP would be
13 35 FTE.

14 DR. POWERS: Do you view that as a large
15 number? I'm surprised it's so small.

16 MR. KUNTZ: Well, previous estimates were
17 about 50 FTE.

18 DR. POWERS: Okay. So it's consistent
19 roughly.

20 MR. KUNTZ: Yeah.

21 DR. ROSEN: How many FTE does the agency
22 expend per year?

23 MR. KUNTZ: On?

24 DR. ROSEN: The total.

25 MR. KUNTZ: I'm not sure of that answer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SIEBER: Twenty-six hundred.

2 MR. KUNTZ: Twenty-six hundred?

3 DR. SIEBER: Yeah, the number of employees
4 times one.

5 DR. ROSEN: Well, plus contractors. Well,
6 my point is it's tiny.

7 DR. WALLIS: It's tiny? It seems to me
8 enormous.

9 DR. POWERS: It seems to me it's very
10 small.

11 DR. WALLIS: Thirty-five people working
12 full time for a year?

13 DR. ROSEN: WE'll update all of that, or
14 if you want to take two years.

15 DR. POWERS: Yeah, but understand what
16 he's saying. He said they've got to go find out if
17 there has been anything that supersedes what's written
18 in the current document by any branch anywhere. I
19 mean, it's not just sitting down and correcting the
20 language in these SRPs. He's done quite a little
21 research he has to do here.

22 So I'm surprise it's that small.

23 DR. ROSEN: And if you look at the three
24 documents we were asked to look at this time, there
25 are quite a few changes in each of them, and they're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not just editorial. There's lots of that thing that
2 Dr. Powers has described where there's a whole new
3 paragraph stuck in because there were other things
4 done externally.

5 DR. FORD: The point is though, from our
6 point of view, Steve, that they're only asking us to
7 approve or comment and review the technical changes.
8 All of those changes you saw in those three are mini
9 editorial or administrative type changes or
10 explanations.

11 There's no technical changes like "hey,
12 don't use this steel."

13 DR. ROSEN: Well, wait a minute. Let me
14 push back just a bit. For example, there's a
15 paragraph change put into the thing, a great big red
16 paragraph that gives you a whole new set of
17 references. I'm just doing an abstract here. Just a
18 set of references.

19 Now, to know whether there was a technical
20 change you have to go read the references, understand
21 the technical content of the references, and think
22 about that in relation to what was there before. It's
23 not a trivial task.

24 DR. SIEBER: But those references are a
25 limited set of documents. They're reg. guides.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's SERs on topical reports depending on whether
2 it's a requirement or an accepted staff position. So
3 you aren't really looking at the whole world. You're
4 just looking at a certain set of documents.

5 DR. ROSEN: But I'm just respond, Jack, to
6 Peter's point that they're not technical. I think
7 that they could be. They aren't all, but they
8 certainly could be.

9 DR. SIEBER: If you follow the string, it
10 could be.

11 DR. WALLIS: I don't understand this at
12 all. It seems to me SRP is useless unless it's
13 continually updated and when you have any significant
14 change, and it should be done all the time. As soon
15 as some new thing comes along, it should automatically
16 be slipped into the SRP. Otherwise you get something
17 which is an archaic document.

18 DR. SIEBER: That's right.

19 DR. ROSEN: So what that says is there is
20 a need for a continuous updating process rather than
21 this wait 20 years and do it kind of thing.

22 DR. WALLIS: Yeah, rely on sort of handing
23 down knowledge from the older guys over that 20 years.

24 DR. ROSEN: Yeah, right, saying, "Oh,
25 yeah, there's a VIP document we've got to consider in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 addition to this," or something else.

2 DR. SIEBER: There probably are no
3 references to VIP documents.

4 DR. FORD: Okay.

5 MR. KUNTZ: Well, we're addressing that
6 issue, attempting to address that issue in the office
7 instruction that we'll mention later.

8 DR. ROSEN: But that's the insight we both
9 have. Dr. Wallis is correct. It ought to be
10 something you do as part of the business.

11 MR. KUNTZ: We'll go into too much later,
12 but the OI states that once you get a section revised
13 that there's a periodic review to insure that the
14 requirements --

15 DR. ROSEN: The model for this, where the
16 agency is doing I think very well, is the ISG process,
17 the interim staff guidance process and license
18 renewal. Every time those guys figure out there's
19 something new that they're going to require, they
20 stare at their navels for a while and say, "My God,
21 we're going to have to require this. We can't allow
22 it to continue." They put it on the next licensee
23 that comes in, and they put it into the generic aging
24 lessons learned report, the next revision.

25 But in the meantime, they have this thing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 called the ISG, the interim staff guidance, that
2 everybody knows is out there. You do GALL plus the
3 ISG. So you always have this continuous update
4 process.

5 DR. FORD: Carry on.

6 MR. KUNTZ: Once we've done the scoping
7 process, we move on to prioritize the sections, and we
8 did that to create a prioritized list of SRP sections
9 that can be used. The list can then be used to
10 determine which SRP sections are scheduled to update
11 each fiscal year as resources are available.

12 We asked the staff to rate each SRP
13 section and three criteria, safety significance,
14 recent industry activity, and stakeholder/Commission
15 interest. So as resources are allocated in the
16 budget, then the highest priority SRP sections will be
17 updated.

18 DR. FORD: Do I read from that you've got
19 the two, three material subsections? Those were the
20 highest safety significance?

21 MR. KUNTZ: Well, that was outside of this
22 plan. Keith Glickman and some other rehired
23 annuitants were tasked.

24 DR. FORD: These were the easy ones.

25 MR. KUNTZ: Were tasked to do SRP sections

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in there.

2 DR. SIEBER: They're sorry now.

3 (Laughter.)

4 MS. RIVERA: NRR plans to update the SRP
5 using the NRR office instruction, LIC-200, standard
6 plant process. This office instruction will provide
7 guidance on how to use the SRP and how to prepare a
8 new section, and how to prepare revision to the
9 sections.

10 The SRP will be revised as new
11 requirements are imposed or as existing requirements
12 are modified.

13 The development of this office instruction
14 is still in progress, and it will be issued as a final
15 at the end of this month.

16 And the proposed budget, the NRR put their
17 six FTEs for each fiscal year, and this FTE will be
18 used to update 35 section each year.

19 DR. ROSEN: See, I'm going to propose a
20 radical change to the way you do business. Instead of
21 budgeting to update the SRP in each fiscal year or
22 whatever, the test plan for each activity regardless
23 of what it is ought to include an increment which is
24 to update the guidance documents as a final step in
25 the closeout of the effort, and all of that budgeting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 separately for updating SRPs wouldn't be needed.

2 I mean, it's just another way to do
3 business. I think it's more effective than --

4 MR. MATTHEWS: We agree 100 percent. We
5 didn't do it for 20 years.

6 DR. ROSEN: I know. I mean, I agree. You
7 were in the right thing to work your way out of that
8 problem, but to avoid getting back into it I'd propose
9 is radical.

10 MR. MATTHEWS: You're absolutely correct,
11 and we're hoping to, as we say, institutionalize the
12 revision process and budget for it. You do have to
13 budget for it.

14 DR. ROSEN: That is the effective and
15 efficient way to do it because when you're done with
16 that, you know. It's very fresh in your mind what you
17 had to use besides what's written in the SR --

18 MR. MATTHEWS: Some of this comes from the
19 urgency of Commission direction or urgency of the
20 safety need to impose a new regulation. As you well
21 know, get a guidance document out on it, and by the
22 time we reach that point, a lot of times the SRP
23 doesn't even rise to an afterthought.

24 DR. ROSEN: I've been plagued throughout
25 my career by people telling me we need to have this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out right away and I don't care about the
2 documentation.

3 MR. MATTHEWS: Right. And I'm not saying
4 we fell victim completely to that, but certainly the
5 SRP has fallen victim to that.

6 DR. ROSEN: That's short sighted if you're
7 thinking about an industry or endeavor that's going to
8 go on for 60 years.

9 MR. MATTHEWS: If you look at some of the
10 industry accepted and international standards
11 associated with process improvement, you will see that
12 they always include a provision for institutionalizing
13 the change and insuring a revision in documentation
14 process.

15 DR. ROSEN: At the end of --

16 MR. MATTHEWS: At the end.

17 DR. ROSEN: Well, the people who are
18 familiar with it do the budget.

19 MR. MATTHEWS: Right, right, and this
20 retrenching that we're doing here, frankly, has been
21 delayed several years by virtue of the size of its
22 FTE. You may call it small in comparison to the
23 overall agency budget, but when you start to compare
24 it to an individual office's budget or an individual
25 branch's budget, it starts to take on an enormous

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 size.

2 And, secondly, it's not just resources in
3 the sense of FTE and hours. It's the talents and
4 availability of people to do the updates. So we don't
5 have 35 highly skilled people familiar with all of the
6 sections to sit down for a year to do it. We don't
7 have the availability of those people.

8 DR. ROSEN: This agency is like a lot of
9 other places. Don't do what I do. Do what I say. We
10 tell the licensees all the time that we want your
11 documentation to reflect the as built, as operated
12 plant, and if we find out it's not so, we're going to
13 come down hard on you.

14 MR. MATTHEWS: Well, if you wee to look in
15 our regulations with regard to the fact that a new
16 applicant has to do an assessment of the comparison of
17 his design to the existing SRP and we document that in
18 the regulations as part of Part 5033, it became clear
19 as we had new applicants thinking about coming in for
20 a new reactor design that they were going to be faced
21 with doing that, and yet our SRP was last updated in
22 1971.

23 So we detected that we had a big
24 discontinuity. That's what some of this project with
25 your encouragement was undertaken for the reasons of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 solving. Okay?

2 DR. ROSEN: Thank you.

3 DR. WALLIS: It was last updated in 1971?
4 Did I get that right?

5 MS. RIVERA: Eight-one.

6 MR. MATTHEWS: Eighty-one. Excuse me.
7 Lost a decade.

8 DR. WALLIS: It's still a long time.

9 MR. MATTHEWS: It's still a long time.

10 CHAIRMAN BONACA: But still, I can go to
11 the first slide we saw and see that SRP Section
12 reactor coolant pressure boundary, reactor vessel,
13 reactor vessel, there are no technical changes. So I
14 mean, I understand where you're going with that, but
15 I'm saying that it is a plan, and as a plan, you know,
16 it is supported by a lot of other information that is
17 available to the staff.

18 I mean, the way I see it here you're
19 changing mostly your references, supporting documents,
20 regulatory guide.

21 DR. FORD: Let me try to explain to you
22 why that is to make sure I have got the right message.

23 CHAIRMAN BONACA: Okay.

24 DR. FORD: Even though the industry as a
25 whole recognizes that there are changes in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technology since this last review is concerned, those
2 should not be referenced in the SRP unless there's an
3 associated, recognized legal document, i.e., a reg.
4 guide, which supports such a technical change.

5 DR. SIEBER: A rule.

6 DR. FORD: Rule. Well, the reg. guide is
7 a -- I know it's not a rule, but it's a recognized
8 document.

9 DR. SIEBER: It's a way to comply.

10 DR. FORD: Well, okay, but it's an NRC --

11 MR. MATTHEWS: It's an accepted staff and
12 Commission position for meeting that regulation.
13 Others can be composed, but they will be compared
14 against that particular provision.

15 DR. FORD: And that's the view right now.
16 That's why there's a whole lot of zeros in that, and
17 you're correct that within that context they're not
18 correct and they understand they're not correct in
19 terms of what the industry as a whole understands how
20 to manage these problems.

21 DR. SIEBER: But that's not the purpose of
22 the SRP.

23 DR. FORD: Exactly, and that's what was
24 explained to me, which I don't particularly agree
25 with, but hey.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. RIVERA: Well, our plan is to verify
2 sections in the next fiscal year. So to bring 35
3 separate sections to the ACRS for review will be a
4 burden not only for the staff, but to the ACRS, too.
5 So we created a group of sections that we call
6 bundles, to group these sections in order to make the
7 process easier on the staff and the ACRS.

8 These bundles were created based on the
9 similar topics of the sections, and some of the
10 example of these topics will be the reactor vessel,
11 materials journal, and containment, instrumentation
12 and control systems.

13 So as a result, we were able to create
14 from 35 sections 13 groups of sections, and that's for
15 fiscal year '05, and for fiscal year '06, we were able
16 to create 11 groups of sections.

17 DR. FORD: Now, just for example, the
18 first one, reactor vessel materials, that's the three
19 that we saw?

20 MS. RIVERA: Yeah.

21 DR. FORD: Now, in fact, there are many,
22 many more --

23 MS. RIVERA: Yes.

24 DR. FORD: -- related subsections.

25 MS. RIVERA: But those were the 35

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sections that were grouped for the fiscal year. So we
2 took those sections that went through the
3 prioritization process and made the first group of 35
4 sections that will be updated for your fiscal year,
5 and we divided those into topics and grouped them
6 together.

7 DR. FORD: But there are subsections
8 within the understanding of materials and internals.
9 For instance, inspection. There's an SRP on
10 monitoring inspections. I've forgotten the number,
11 but it's three, point, something. Does that come into
12 some later lower down bundle?

13 MS. RIVERA: Yeah.

14 DR. FORD: Even though it's related
15 technically to that top bundle?

16 MS. RIVERA: Yes, yes, yes. Because we
17 are also taking into consideration the amount of time
18 that the revision will take place. If it has like
19 more FTE to that section, we will leave it for later
20 in the year. For we grouped these ones because they
21 were easier and they --

22 DR. FORD: I understand you're doing that
23 from a management point of view in terms of
24 allocations of FTEs, but from a technical point of
25 view, our analysis of whether the technical change or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not is relatable to what's going on in the other
2 subsections.

3 For instance, monitoring and inspection,
4 that technical aspect is secondary to --

5 MS. DEAN-BURNIE: This is Marsha Dean-
6 Burnie.

7 In addition to the management point of
8 view, something Dave mentioned early was having
9 certain talent available. So we have certain
10 engineers who can look at certain sections, and we
11 only have so many of those engineers, and given all of
12 the other work they're doing we tried to -- exactly.

13 DR. WALLIS: Well, sine all you're doing
14 is updating regulations and legal matters, why is the
15 ACRS involved at all?

16 MR. MATTHEWS: I believe we examined that
17 issue and Marsha can help me here, but I believe we
18 looked at the charter and the MOU, and you have
19 expressed an interest in reviewing revised SRP
20 sections. So we thought we had an obligation, and we
21 felt there also would be a benefit from you advising
22 us in these areas.

23 MS. DEAN-BURNIE: And really today we just
24 wanted you to be aware of what our plan was coming up
25 and, you know, some of the discussion we had having

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these examples of discussion.

2 DR. WALLIS: Well, I think there's no way
3 we can advise you on how many bundles you do per
4 quarter and all of that sort of stuff, although you're
5 asking us to sort of approve your work load. I don't
6 think that's our business.

7 MR. MATTHEWS: No, I don't believe we were
8 asking that at all. I think we were wanting to --

9 DR. WALLIS: It says ACRS agreement on
10 work load.

11 MR. MATTHEWS: -- familiarize you with the
12 process we were going to go through so as to be able
13 to estimate your work load.

14 DR. POWERS: Your usual procedure on
15 standard review plans, you develop them. You have
16 them reviewed by various bodies. You send them out
17 for public comment. You revise them. It is often the
18 process here to have a member look at it and say,
19 "Gee, do we want to look at it prior to going out to
20 public comment or after public comment?"

21 It would be useful when you send things
22 over if you accompany it with your judgment on what
23 that decision should be.

24 MR. MATTHEWS: We can accommodate that
25 request. I think that would help you decide on your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 own --

2 DR. POWERS: It would help us.

3 MR. MATTHEWS: -- to agree to what you
4 need to be involved in a given update. I think that's
5 a great idea.

6 DR. ROSEN: I think we're going to have to
7 lean as we on this thing. If we find that we're not
8 adding value to this process, I think we will jointly
9 know what to do about that.

10 MR. MATTHEWS: Let's review a little bit
11 of history, and I think that's a good point. You may
12 recall in recent history -- and I'll give it back five
13 years -- that the instances in which we brought an SRP
14 to your attention were usually prompted by a dramatic
15 technical or technological change, and the best
16 example is the INC addition to the electrical SRP.
17 Okay?

18 I think we have a couple other ones that
19 were basically --

20 DR. POWERS: Control room habitability
21 ones.

22 MR. MATTHEWS: Control room habitability.
23 There were several that we were stepping into an arena
24 where an SRP hadn't gone before. That's the best way
25 I can say it, and therefore, I think there was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probably greater value for your participation. This
2 is the first --

3 DR. WALLIS: Well, power operates.
4 Isn't --

5 MR. MATTHEWS: Pardon?

6 DR. WALLIS: Well, no, those were review
7 standards, but they're very similar, right.

8 DR. ROSEN: It's the human factor stuff
9 that just --

10 MR. MATTHEWS: Right, right. Power up
11 rate review standard, early site permit review
12 standards were extensions of the SRP, they made
13 reference to existing SRP sections, but they did it in
14 such a way as to say, in effect, I don't want to use
15 this in a pejorative way, but we cherry-picked the SRP
16 and the power up rate area and the ESP arena in order
17 to bring together for a reviewer's benefit all of the
18 applicable SRP sections for that specific reviewer
19 program so that he didn't have to go searching and
20 decide applicability.

21 But indeed, it was and in some instances
22 we also made minor revisions to the SRP, but the whole
23 idea was to get your input on this as a review
24 document for reviewers and some guidance for the
25 industry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is the first time that we've come to
2 you with the idea that we're going to, in effect, do
3 a wholesale review of our existing documentation, and
4 I think it's probably appropriate for you to learn by
5 experience and to apply some judgment as to whether
6 there's a value added for some sections.

7 And to the extent that we can give you our
8 opinion on that, why don't we take it upon ourselves
9 that when a section comes over, we'll give you an
10 assessment of whether we think there's value to be
11 added by the ACRS' view or whether this is pure
12 proforma and a rote recitation of existing
13 requirements and guidance.

14 Because there are going to be some
15 sections that are just like that that haven't changed
16 since '81.

17 DR. ROSEN: If you say there's a value
18 added, you ought to tell us why.

19 MR. MATTHEWS: Yeah, I mean, we'll give
20 you our rationale.

21 DR. ROSEN: Because then we could focus on
22 that.

23 MR. MATTHEWS: Yeah, or what portions we
24 would suggest you focus on.

25 DR. FORD: It would be like giving

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 personal advice on this question going out for public
2 comment., that you lay out clearly the strengths on
3 the SRP because I know if it came out for public
4 comment to many of my colleagues out there, they'd
5 look at these sections here, especially the first two
6 sections.

7 DR. ROSEN: They'd jump all over it, so to
8 speak. I understand.

9 DR. FORD: But it's understandable when
10 you put the constraints that you have on what can go
11 into the references with the guidance.

12 MR. MATTHEWS: I think that's a good
13 point. We sometimes presume people know what an SRP
14 is without giving some thought to the fact that it
15 could be viewed as a new regulatory requirement or a
16 new approach to regulatory policy.

17 DR. WALLIS: It's a very large document
18 that you get and you put in your library and you
19 almost never look at.

20 DR. ROSEN: Until an application hit the
21 door.

22 DR. WALLIS: Until you really need to, and
23 then you sort scrapple around and try to find --

24 MR. MATTHEWS: Until you're forced to.

25 DR. POWERS: Having them on the disk where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you can just look them up and then the computer -- you
2 know, when things come to you from an applicant and
3 just being able to zip to -- that's wonderful.

4 MR. MATTHEWS: Well, that's clearly a part
5 of this process. That's one definite step forward
6 that we're making irrespective of the content:
7 retrievability and accessibility.

8 DR. FORD: Aida?

9 MS. RIVERA: So we created a model to
10 establish researchers to review the SRP throughout the
11 year, and for each healthy bundle for the fiscal year,
12 we established a quarter where they will be completed.
13 And the quarter was estimated based on the information
14 the staff provided during the scoping process and the
15 resourceability during the year.

16 So as a summary, the update of the SRP
17 will be accomplished using the NR office instruction,
18 LIC-200, the standard review process that will be
19 available at the end of this month, and during the
20 fiscal year, ACRS will be receiving 13 bundles of SRP
21 update, approximately three bundles per quarter.

22 DR. ROSEN: That's every month to us.

23 MS. RIVERA: So we are asking for
24 agreement on the potential work load. This will be
25 for the ACRS, and an agreement on the schedule that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we --

2 DR. POWERS: We'll just take the member we
3 don't like and assign them to him.

4 DR. WALLIS: I don't have any idea how I
5 can agree on my work load. I have no idea what it is
6 going to involve. I mean, is it going to be a real
7 chore or is it going to be trivial?

8 DR. POWERS: I mean, I think what they've
9 volunteered to do is offer you a judgment and you know
10 what we're going to do. P&P is going to assign a
11 league member to take a look at it and come back and
12 make a judgment for the committee as a whole.

13 MR. MATTHEWS: And we'll be happy to
14 consult with you during that process.

15 DR. POWERS: Sure.

16 DR. WALLIS: I'm sure we will only look at
17 one where we really have something to say. Most of
18 them we won't have to look at in detail.

19 MR. MATTHEWS: We uncovered a great many
20 sections that we don't see that there would be
21 anything more than editorial changes because in some
22 regards these plants haven't changed all that much.

23 DR. WALLIS: And if there are sections --

24 MR. MATTHEWS: In many regards they
25 haven't changed all that much.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: If there are a great many
2 sections that requite just a few minor editorial
3 changes, why does it take so many people to do the
4 work?

5 MR. MATTHEWS: It takes the evaluation to
6 determine that that's the case.

7 DR. POWERS: Yeah, I don't think you can
8 pull this off with 30 -- I mean some of these guys
9 think this is easy, and I simply don't think it is
10 because you have to virtually check every single
11 sentence in that thing.

12 MR. MATTHEWS: That's the staff's --

13 DR. WALLIS: Every semicolon and all of
14 that stuff?

15 DR. POWERS: No, it's not the semicolon.
16 It's the sense does that reflect what people are
17 expecting based on the technical positions the
18 branches have taken.

19 MR. MATTHEWS: Right, and examples of this
20 are if you were to look in a specific area in which we
21 generated maybe two bulletins and three generic
22 letters and staff positions have changed, (a) you
23 look for those elements of those generic letters that
24 haven't been reflected or even referenced in the SRP
25 such that they wouldn't even know of their existence.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Yet they represent the current staff acceptable
2 position in some arenas.

3 So when it ends up just being semicolons
4 and periods, that's usually a result of that analysis
5 having been done, and all that you're left with is
6 colons and semicolons.

7 DR. POWERS: And the problem is your
8 reference literature is written in a different genre
9 than the document you're trying -- I mean you just
10 can't copy. I'm going to be surprised if you guys can
11 pull this off for 35 FTEs.

12 MR. MATTHEWS: Well, I'll share with you
13 that even Mr. Wickman just said, "Gee, I'm not going
14 to be around to do this. Who's going to do this?"

15 (Laughter.)

16 DR. FORD: Could I get a feeling of the
17 committee as to we have a request in front of us for
18 a waiver on the ACRS comments on those three
19 subsections because there's no technical changes.
20 We've discussed it. I think we would all agree that
21 there are many changes out in the technical space in
22 the industry, but there are no changes in the
23 regulatory space on these items, which is I understand
24 what we have to make a judgment by.

25 Do we feel as though we have enough

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information in front of us to write a letter waiving
2 our review?

3 DR. POWERS: Well, I would not. Myself,
4 I would not waive the review. I would say that we
5 will wait until public comments have been received.

6 DR. FORD: Okay.

7 DR. POWERS: I find it useful to look at
8 the public comments to see if there is a problem that
9 people had identified and how it was resolved.

10 MR. MATTHEWS: I have to add for the
11 committee's benefit I don't know that we've said that
12 we will on an individual basis send these individual
13 sections out for public comment. We haven't decided
14 how we're going to proceed with regard to that step in
15 the process.

16 It may be as a major section or a chapter
17 or we may find it more efficient to do it as a large
18 document. So we're in a little bit of trouble on that
19 one, Dana.

20 DR. POWERS: Okay.

21 MR. MATTHEWS: I think we can't tell you
22 that we can give you that decision point. Okay?

23 DR. POWERS: Just make life tough.

24 MR. MATTHEWS: I realize that would be
25 attractive if it were a proposed rule, for example.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Obviously that's a decision point that you guys always
2 make a judgment on.

3 These SRP sections, since there is no real
4 obligation, it's only our public openness that would
5 obligate us to send these out. These used to be
6 something totally within staff control, and I could
7 argue that if I was being strictly legal and de jure
8 on this, this was a staff document.

9 DR. POWERS: Yeah, you're right.

10 MR. MATTHEWS: It's not a public document
11 for which we have a collaborative or negotiated
12 process, you know.

13 DR. POWERS: You are correct.

14 MR. MATTHEWS: It's not something that I'm
15 looking to NEI to debate with us on some of these
16 issues, except in certain instances. So I'm inclined
17 to think that I'm not going to make the commitment
18 that we're always going to send these out for public
19 comment and that that could be your decision point.

20 I would suggest that maybe when we say
21 deferral, maybe we're also suggesting to you that one
22 alternative is for you to write a letter, which is to
23 just indicate that to the extent that this document as
24 we've looked at it doesn't involve, and based on the
25 staff's representations, doesn't involve any change in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 policy, regulatory position, we don't have an interest
2 or a need to look further. And we would look at that
3 as a deferral.

4 DR. POWERS: I think what you're more
5 likely to get from us is what's called a Larkins-gram
6 that would just say, "Thank you. We're not going to
7 review this."

8 MR. MATTHEWS: Right.

9 DR. POWERS: And it won't give you any
10 justification or reason. It just says we don't
11 object.

12 MR. MATTHEWS: We would view that as
13 having been a base touched.

14 DR. FORD: I started off asking a question
15 of your view, and Dana has led through an argument.
16 Do you hear a good resolution on this one?

17 CHAIRMAN BONACA: I mean, that could be
18 the way we handle this, is to not review it. You
19 know, we don't explain why we have decided not to
20 review it at that point.

21 DR. ROSEN: Well, but we don't have that
22 input from Dave and his people for the 523, 31 and
23 533. We don't have the input really that says, unless
24 you've given it to us verbally.

25 MR. MATTHEWS: We thought we did in that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 viewgraph, to tell you the truth, but I think it could
2 be expanded upon.

3 DR. FORD: I guess we all received those
4 things, the full--

5 MR. MATTHEWS: But the --

6 DR. FORD: And then we crossed out this.
7 I read through them. So if you're going back to the
8 old idea give it to one member and make him decide, I
9 would agree with that. Within regulatory space, this
10 is not different.

11 DR. ROSEN: Well, I want to hear that from
12 them as well.

13 MR. MATTHEWS: Well, I'm suggesting that
14 the footnote that we put on that one viewgraph with
15 the chart --

16 MS. RIVERA: Slide 4.

17 MR. MATTHEWS: -- Slide 4, basically
18 expressed that view on our part. Maybe you didn't
19 infer it to be that.

20 DR. ROSEN: I might not have heard that in
21 all of this discussion.

22 MR. MATTHEWS: Right, yeah. "Since
23 technical changes were not required to update these
24 standard review plan sections, ACRS review is not
25 considered to be necessary . . . in the areas covered

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 by these sections."

2 DR. ROSEN: Okay.

3 MR. MATTHEWS: "Has remained essentially
4 unchanged," and I think what we'd rather say there in
5 the future is not -- this is in response to your point
6 -- not that the technology for lightwater reactor
7 applications in this regard has remained essentially
8 unchanged. It is that the technical requirements.

9 DR. WALLIS: Right. That's what you
10 should put.

11 MR. MATTHEWS: And that's really, I think,
12 what our intention was, and Keith admits to that.
13 That explanatory paragraph that Keith had put up, you
14 know, incidentally was a way of Keith to explain that
15 even further, but even that could have used the word
16 "requirements" as opposed to "technology." And I
17 think that may have started us down the wrong road on
18 this one.

19 Yeah, he did use your requirements, he
20 says.

21 So with that, if you trust our
22 representation that that's what that paragraph means,
23 we're recommending you don't need to review this in
24 any detail.

25 DR. ROSEN: Well, we don't trust it, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we accept it, and we have our own member check.

2 DR. FORD: Well, I've checked, and you've
3 heard my reservations about the whole thing between
4 regulatory space and reality space, technical reality
5 space.

6 MR. MATTHEWS: It worries me just a little
7 bit if you want to draw that strong a contrast that
8 regulations and regulatory requirements are
9 disconnected from reality.

10 (Laughter.)

11 MR. MATTHEWS: And the reason I say that
12 is because we view that the requirements that still
13 exist and might be followed by an existing plant
14 provide a minimum level of protection, but it is
15 sufficient and reasonable assurance, even though there
16 may be plants who have availed themselves of more
17 advanced technology and taken the benefit of that, and
18 as a result may be viewed as safer plants.

19 That doesn't mean the plant that is stuck
20 with the requirements imposed originally are unsafe or
21 that they'll provide minimum levels of protection. So
22 I'm trying to --

23 DR. FORD: My reservations are along the
24 lines (speaking from an unmixed location) -- very,
25 very appropriate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: Peter, use the microphone.

2 DR. FORD: Oh, I'm sorry. You're very
3 correct to put in the extra technical aspect about the
4 surface grinding, but there are other aspects that
5 have changed within the industry within the last 15
6 years, which do have an impact on the materials --
7 sorry. I'm getting a crick in my neck doing this --
8 on the material specifications because of the
9 interaction between the stress and the environment, I
10 expect.

11 The environment has changed tremendously
12 in the lightwater reactor.

13 MR. MATTHEWS: And I would call that
14 technical advances that we may not have availed
15 ourselves in regulatory space.

16 DR. FORD: And by not making yourselves
17 available to them, you're putting extra burden on the
18 licensee.

19 DR. ROSEN: Well, but the licensee
20 shouldered that burden. What they do is they come in
21 and say, "We want to do something different than what
22 you would require from a strict reading of the SRP,
23 and here is what it is." And then the staff disposes
24 of that.

25 DR. FORD: Okay. I think we've come to a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conclusion. Mario, I'll turn it back to you.

2 CHAIRMAN BONACA: Good.

3 DR. FORD: Thank you very much.

4 CHAIRMAN BONACA: Thank you. I thank you
5 for the presentation.

6 At this point we're going to recess for
7 lunch, and now there are interviews, as you know, and
8 you all belong to Group 1 or Group 2. I will not be
9 able to attend some of those because I've got to see
10 McGaffey at one.

11 We will start the meeting again at 1:30
12 sharp because we need to make progress. Tomorrow we
13 are going to lose a quorum by 3:30 I found out. So we
14 need to do all of the work by that time.

15 (Whereupon, at 11:55 a.m., the meeting was
16 recessed.)

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701