

# Official Transcript of Proceedings

## NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards  
516th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, October 7, 2004

Work Order No.: NRC-023

Pages 1-433

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

+ + + + +

516th MEETING

+ + + + +

THURSDAY

OCTOBER 7, 2004

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The meeting was convened in Room T-2B3 of Two White Flint North, 11545 Rockville Pike, Rockville, Maryland, at 8:30 a.m., Dr. Mario V. Bonaca, Chairman, presiding.

MEMBERS PRESENT:

- MARIO V. BONACA                      Chairman
- GRAHAM WALLIS                      Vice Chairman
- F. PETER FORD                      ACRS Member
- RICHARD S. DENNING              ACRS Member
- THOMAS S. KRESS                  ACRS Member
- GEORGE E. APOSTOLAKIS        ACRS Member
- GRAHAM M. LEITCH                ACRS Member
- DANA A. POWERS                    ACRS Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBERS PRESENT: (CONT.)

2 VICTOR H. RANSOM ACRS Member

3 STEPHEN L. ROSEN ACRS Member-at-Large

4 WILLIAM J. SHACK ACRS Member

5 JOHN D. SIEBER ACRS Member

6

7 NRC STAFF PRESENT:

8 JOHN T. LARKINS Executive Director,

9 ACRS/ACNW

10 SAM DURAISWAMY Technical Assistant,

11 ACRS/ACNW, Designated

12 Federal Official

13

14

15

16

17

18

19

20

21

22

23

24

25

1		3
	<u>AGENDA ITEMS</u>	<u>PAGE</u>
2	Welcome	4
3	Safety Evaluation of the Industry Guidelines	
4	Related to Pressurized Water Reactor Sump	
5	Performance	10
6	Pre-Application Safety Assessment Report for	
7	the Advanced CANDU 700 (ACR-700) Design	215
8	Proposed Recommendations for Resolving GSI-185	
9	"Control of Recriticality Following	
10	Small-Break LOCAs in PWRs"	308
11	Mitigation System Performance Index Program	384
12	Adjourn	433
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

## P R O C E E D I N G S

(8:31 a.m.)

CHAIRMAN BONACA: Good morning. This meeting now will come to order.

This is the first day of the 516th meeting of the Advisory Committee on Reactor Safeguards. During today's meeting, the Committee will consider the following:

Safety Evaluation of the Industry Guidelines Related to Pressurized Water Reactor Sump Performance, Pre-Application Safety Assessment Report for the Advanced CANDU 700 design, Proposed Recommendations for Resolving GSI-185 "Control of Recriticality Following Small-Break LOCAs in PWRs", Mitigation System Performance Index Program, and Preparation of ACRS Reports.

The first session is going to be transmitted in the broadband TV throughout the building.

This meeting is being conducted in accordance with the Federal Advisory Committee Act.

Dr. John Larkins is the designated federal official for the initial portion of the meeting.

We have received no written comments or requests for time to make oral statements from a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 member of the public regarding today's sessions.

2 A transcript of portions of the meeting is  
3 being kept. And it is requested that the speakers use  
4 one of the microphones, identify themselves, and speak  
5 with sufficient clarity and volume so that they can be  
6 readily heard.

7 I will begin now with some items of  
8 current interest.

9 First of all, Dr. Richard Denning has  
10 joined us an official member of the ACRS. I welcome  
11 you on board.

12 (Applause.)

13 CHAIRMAN BONACA: Secondly, you have in  
14 front of you a package of items of interest. I would  
15 like to point out on the second page, you will see  
16 there is the dates of the Nuclear Safety Research  
17 Conference. It's being held from October 25th to 27th  
18 at the Marriott at Metro Center. For those of you who  
19 are interested in attending, there is information in  
20 related to the conference here.

21 With that, I think we can move from the  
22 introduction to the first item on the agenda. That's  
23 the safety evaluation of the industry guidelines  
24 related to the pressurizer water reactor sump  
25 performance. And Dr. Wallis is going to lead us

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 through this presentation.

2 VICE CHAIRMAN WALLIS: I surely thank you,  
3 Mr. Chairman, I will.

4 Good morning.

5 We're going to hear about the latest in a  
6 series of steps currently undertaken by the staff to  
7 resolve GSI-191 concerning the potential for sump  
8 screen blockage during water recirculation following  
9 a LOCA.

10 I remind you that the staff issued Reg  
11 Guide 1.82, Ref 3, describing a set of requirements  
12 and necessary calculations. In our letter, we  
13 commented that it gave little guidance about how to  
14 perform these calculations.

15 The staff recently issued a Generic Letter  
16 asking for information on the evaluations by  
17 licensees. We reviewed various versions of this  
18 letter and commented that the calculations depended on  
19 guidance that was being prepared by NEI. NEI has now  
20 supplied this guidance and we are here today to hear  
21 the staff's response in the form of a safety  
22 evaluation report or SER.

23 I think it would be useful, both to us and  
24 to the staff, to bear in mind several matters which  
25 came up at the subcommittee meeting, which some of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 members didn't attend because it is only a  
2 subcommittee. I think this will help to put the  
3 guidance and SER in perspective.

4 I invite the staff to correct me if  
5 anything that I say is wrong.

6 Item 1, calculations using the NEI  
7 baseline method for a large break near a steam  
8 generator covered with insulation in a particular PWR  
9 leads to generation of 14,000 cubic feet of debris, of  
10 which 5,100 cubic feet gets to the sump screen.

11 This corresponds to 50 feet thickness of  
12 debris on a 100 square foot screen, which is larger  
13 than is installed in some plants.

14 The staff's modification of the guidance  
15 using this factor of 40 percent to change the damage  
16 pressure would increase the amount of debris.

17 Item 2, an effect which has been called  
18 the thin bed effect appears to really be the effect of  
19 any layer of pure cal-sil or of fibers more or less  
20 saturated with cal-sil or perhaps with some other  
21 particular matter. It can occur anywhere in the  
22 layers on the screen.

23 There was a single repeated Los Alamos  
24 test in which a thickness of about 18 mils, or less  
25 than half a millimeter of cal-sil mixed with a small

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 amount of fibers produced this effect.

2 Now 18 mils of cal-sil on a 100 square  
3 foot screen is a little over a gallon which is a  
4 volume of two inch thick insulation on a two inch pipe  
5 one foot long. It's about three times as much as we  
6 have here.

7 Item 3, many of the calculation procedures  
8 appear to be based on physics which may be  
9 unrealistic. There are about a dozen unresolved  
10 technical issues which were raised by the  
11 subcommittee.

12 Item 4, several parameters in the  
13 procedures and calculations appear to be based on a  
14 sparse database, sometimes a single experiment or even  
15 a single data point. For some materials like coating  
16 debris, there may be no database at all.

17 Item 5, the available database for some  
18 parameters does not encompass LOCA conditions. There  
19 are many uncertainties about how to apply a limited  
20 range of lab tests to realistic LOCA conditions.

21 If the staff restricts use to the range  
22 that has been validated, which appears to be its  
23 intent, the methods may be unusable without further  
24 extensive testing.

25 Item 6, there is no guidance for some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 effects such as chemical or downstream effects. Plant  
2 specific methods appear to be required.

3 Now I said all this because I think we  
4 need to put it in perspective and the staff needs to  
5 respond to these issues which came up at the  
6 subcommittee meeting sometime today if they can do so.

7 Thank you very much.

8 MR. JOHNSON: Thank you. My name is  
9 Michael Johnson. I'm from the Office of the Nuclear  
10 Reactor Regulation. And I'm joined by staff from NRR  
11 and also staff from Research and also support from  
12 LANL.

13 We certainly appreciated the opportunity  
14 to meet with the subcommittee last month. And we  
15 appreciate the opportunity to meet with the full  
16 committee today.

17 And, Dr. Wallis, we are certainly aware of  
18 the issues that you have raised. And we look to be  
19 able to talk to those issues as we go through the  
20 presentation.

21 I want to open with some high level  
22 overall comments. And then we'll move out throughout  
23 the presentation.

24 As was pointed out, and the committee is  
25 well aware, GSI-191 is an important safety issue. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was pointed out, we issued a bulletin following our  
2 briefing. In August we issued a Generic Letter. A  
3 central part of that Generic Letter is to have  
4 licensees doing evaluation. And, of course, that the  
5 --

6 VICE CHAIRMAN WALLIS: I'm sorry to  
7 interrupt. We don't have any handouts from you?

8 MR. JOHNSON: You don't have handouts from  
9 me. That's correct.

10 VICE CHAIRMAN WALLIS: Are there going to  
11 be no handouts? So we don't know what you're going to  
12 say?

13 MR. JOHNSON: That's right.

14 VICE CHAIRMAN WALLIS: Oh, that's very  
15 interesting. Thank you.

16 MR. JOHNSON: Of course a central part of  
17 this Generic Letter -- we talk to the Generic Letter  
18 as the industry's evaluation guideline. And we are  
19 here today, of course, to talk about the staff's  
20 evaluation, our safety evaluation of the industry  
21 guidelines related to GSI-191.

22 I wanted to just make a point before we  
23 get started and that is that I think the staff has  
24 done a tremendous amount of work in terms of dealing  
25 with this issue. And we're very proud of what the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 staff has done.

2 And that tremendous amount of work, I  
3 think, includes interacting with the industry and  
4 external stakeholders at almost every stage of  
5 development of the industry's guidance report. It  
6 includes carefully reviewing the various final  
7 industry submittals that we had that formed the basis  
8 of the guidance report.

9 And so, again, the staff has done a  
10 tremendous amount of work on this activity. In  
11 addition, we worked very hard to consider the  
12 subcommittee's comments that were provided last month.

13 And we're going to try again in today's  
14 presentation to be able to focus in on what we heard  
15 as the major comments and what we've done in terms of  
16 revising the SE, where possible, to incorporate  
17 improvements.

18 In our presentation, what we plan to do is  
19 provide first of all a brief overall description of  
20 the approach at a very high level. Following that,  
21 Tom Hafera, who is going to come and is going to talk  
22 very briefly -- I think one of the things the  
23 subcommittee was interested in when we met with you  
24 was trying to get a practical feel for what actually  
25 happens when you apply the application methodology.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In fact, some of the numbers that you  
2 talked about, the 14,000 and 5,000, we've taken a look  
3 at that and Tom is going to be able to talk about the  
4 LOCA accident and, in fact, where we think the  
5 evaluation methodology takes you from our perspective.

6           In addition to that, we're going to touch  
7 on each of the major aspects of the safety evaluation.  
8 And for that, we're going to talk about what the  
9 guidance report provides, we're going to talk about  
10 what areas in which we found that there were  
11 additional constraints that were necessary or  
12 additions that were necessary in the guidance.

13           We're going to touch on issues raised by  
14 the subcommittee again. And we're going to highlight  
15 the changes that we made as a result in the staff  
16 safety evaluation.

17           Before I begin -- and so we're going to  
18 move into that -- but before we begin, I actually  
19 wanted to make three points.

20           The first was we look at the evaluation  
21 methodology, which is really the guidance report and  
22 the additional constraints that are captured and  
23 discussed in the safety evaluation as a package.

24           It's possible -- we talked about this last  
25 month, we'll talk about it again today -- to identify

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 specific issues in individuals areas where limitations  
2 in testing or analysis or experience as a result of  
3 those limitations, there are uncertainties.

4 But we believe that when you consider the  
5 issues, those issues in the context of this overall  
6 approach, this overall package, that this package  
7 provides reasonable assurance of adequate protection  
8 and, in fact, will result in real safety improvements  
9 to the plants once that evaluation is done --

10 VICE CHAIRMAN WALLIS: Oh, I'm going to  
11 ask you about --

12 MR. JOHNSON: -- and plants put it --

13 VICE CHAIRMAN WALLIS: -- that. This  
14 package provides reasonable assurance for protection.  
15 There's no assessment in any of this about the  
16 consequences of using the guidance. Are you going to  
17 do all that today? We haven't seen any of that.

18 MR. JOHNSON: We're going to, again, talk  
19 about where this evaluation package takes you. We  
20 have, in terms of the approach that we've used, looked  
21 -- again, our primary focusing in reviewing what was  
22 proposed by the industry was to step back and ask  
23 ourselves in these various areas, in pulling together  
24 this package, does the package provide the ability for  
25 the staff to have reasonable assurance. And yes, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are comfortable that it does.

2 MEMBER KRESS: How do you separate the  
3 package from individual issues? I mean the package is  
4 made up of these individual issues of which there are  
5 problems with. How do you reconcile that?

6 MR. JOHNSON: In fact, that's a very good  
7 question. And certainly what we did in terms of going  
8 through the package was to look at the individual  
9 pieces.

10 And, in fact, one of the criticisms that  
11 we've had from the industry, in fact, was that, you  
12 know, these areas, some of these areas are, you know,  
13 there was already, I guess, a perspective about how  
14 conservative the package was and that we looked in  
15 individual areas. And, perhaps, the way we ended up  
16 was a package that is stepping back, overall  
17 conservative.

18 Well, we were very mindful when we went  
19 through the individual issues to look at those  
20 individual issues. And we couldn't arbitrarily -- we  
21 could not blindly -- couldn't blindly rely on  
22 conservatism in certain areas of the package to  
23 account for areas in other areas of the assessment  
24 where we don't have enough information. The coatings,  
25 Dr. Wallis pointed out, the coatings issue is one.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So what we did was in those areas, we  
2           looked where we couldn't provide -- couldn't find  
3           justification, adequately justification of what was  
4           provided to us, we looked at stepping back, taking an  
5           approach that was conservative for that particular  
6           area.

7           And then as you step back, that's what  
8           gives us confidence that across the spectrum, this  
9           package does, in fact, this package, in fact, is  
10          sufficient for us to have adequate assurance that  
11          these plants will operate in a manner that is more  
12          safe once they've done the evaluation and once they've  
13          made the fixes.

14          VICE CHAIRMAN WALLIS: I don't see how an  
15          evaluation makes any difference to the safety. It's  
16          still the same plant. You've just evaluated it. Now  
17          you have to figure out what to do.

18          MR. JOHNSON: Absolutely -- well --

19          VICE CHAIRMAN WALLIS: Until you've done  
20          something, you haven't changed anything.

21          MR. JOHNSON: I agree with that. The end  
22          of my sentence was the evaluation, they do the  
23          evaluation and make fixes that are necessary.

24          VICE CHAIRMAN WALLIS: Well, let's  
25          separate the quality of the evaluation from the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 actions that might be taken to assure this safety. It  
2 seems to me those are two different issues unless you  
3 can somehow -- maybe you can craft a couple of them in  
4 a convincing way. I'd love to see it but --

5 MR. JOHNSON: Let me come back to that  
6 point, if I can, because that actually touches on a  
7 point that I want to make.

8 The -- you know, the staff's primary  
9 focus, and I wanted to make this very clear, our  
10 primary focus was to look at the evaluation. We want  
11 to have clear criteria about what is needed in terms  
12 of the approach for the evaluation but what is  
13 acceptable to the staff in terms of that evaluation  
14 because no matter what fix gets implemented by the  
15 industry, we have to go back and be able to assure  
16 ourselves that, again, we have reasonable assurance of  
17 adequate protection, these plants are safer.

18 So we've been very focused on the  
19 evaluation. We've not been focused, it's not been the  
20 staff's responsibility to design, to identify the  
21 fixes, to design those fixes. And, in fact, we've not  
22 talked about that.

23 The industry will talk about that perhaps  
24 in the presentation that they make. Again, our focus  
25 has been on the evaluation methodology.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           However, having said that, the industry  
2 guidance report and the staff's SE package provide for  
3 licensee consideration of a range of solutions from  
4 housekeeping and FME programs, for insulation change  
5 out or modification, for improving coatings and the  
6 coatings program, or modifying the sump design.

7           The approach also has in it the ability  
8 for licensees to implement creative fixes, including  
9 backwash designs and active strainers.

10           There's a risk-informed piece of the  
11 alternative method that we'll talk about in the  
12 approach that provides the ability for licensees to  
13 rely on more realistic assumptions in the analysis of  
14 breaks -- for the analysis of breaks that are greater  
15 than the debris generation break size.

16           And for modifications --

17           MEMBER APOSTOLAKIS: Excuse me, Mike. I'm  
18 a little -- as I was reading the document, I was  
19 trying to understand what the risk-informed approach  
20 means. And I came to the conclusion that what the  
21 document meant was looking at systems, right, trying  
22 to cool the core essentially without maybe alternate  
23 ways of doing it.

24           And, again, reading the report and various  
25 comments from the subcommittee, especially the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 subcommittee chairman, I saw the word uncertainty all  
2 over the place. Yet there was no effort to quantify  
3 this uncertainty. And then it occurred to me that  
4 this Agency really has pioneered the quantification of  
5 uncertainty in such difficult circumstances when it  
6 issued NUREG 1150.

7 So I'm wondering why this -- an approach  
8 that would try to quantify the uncertainties in the  
9 models and the assumptions about 40 percent, 15  
10 percent, and so on, why this project did not attempt  
11 to do something like what NUREG 1150 did in  
12 quantifying uncertainties in severe accidents that  
13 were not smaller than this.

14 And yet they did it. They assembled  
15 experts. Is that because it's too expensive? Or  
16 different people are doing it? And why isn't that the  
17 kind of approach part of what we call risk-informed?  
18 Risk-informed is not just bringing other systems into  
19 the picture. It's quantifying the uncertainties that  
20 you have. And these uncertainties may be mechanistic  
21 models and mechanistic assumptions as it is here.

22 But when I read the section on risk-  
23 informed, they didn't say anything about that. It  
24 talked about cooling the core.

25 So am I off base here? Or should you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 start doing something like 1150?

2 MR. JOHNSON: You've never been off base  
3 Dr. Apostolakis.

4 MEMBER APOSTOLAKIS: Oh, thank you very  
5 much, Mike. You can go on.

6 (Laughter.)

7 VICE CHAIRMAN WALLIS: Well, I'd like --

8 MEMBER APOSTOLAKIS: I'm sorry?

9 VICE CHAIRMAN WALLIS: The risk-informed  
10 part only refers to the accident sequence and the  
11 effect on safe temperatures in the containment.  
12 There's no effect whatever on any of the material in  
13 this document about transported debris and sump  
14 blockage.

15 MEMBER APOSTOLAKIS: Yes, but that was  
16 part of my question.

17 VICE CHAIRMAN WALLIS: That's absolutely  
18 right. I think, Mike, isn't that true? That risk-  
19 informed is not being applied to any of those parts of  
20 the problem.

21 MR. JOHNSON: Yes, when we thought risk-  
22 informed, and I do want to come back to the point I  
23 was trying to make and go through that point, but --  
24 and we are going to talk about the alternative that  
25 you talked about --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: Yes, we've got to  
2 move on. I'm sure you have a lot to say.

3 MR. JOHNSON: Let me -- if I can just go  
4 through and we'll touch on that --

5 VICE CHAIRMAN WALLIS: Okay, I'm afraid --

6 MR. JOHNSON: -- maybe and get to your  
7 question.

8 VICE CHAIRMAN WALLIS: -- that you're  
9 going to get questions, I'm sure, at some time.

10 MR. JOHNSON: Absolutely, absolutely.

11 The point I wanted to make was we're not  
12 focused on the evaluation -- we focused on the  
13 evaluation. We've not been focused on the fixes.  
14 There's flexibility throughout this guideline for  
15 creative fixes. There's flexibility in terms of the  
16 risk-informed alternative.

17 We want licensees to avail themselves of  
18 those but certainly the responsibility for the fix,  
19 the responsibility for the fix rests with the  
20 industry.

21 And the last point I wanted to make is,  
22 you know, the staff has said and the Commission agrees  
23 -- has agreed that it's time to move forward with  
24 resolving GSI-191, which means placing the  
25 responsibility, again, on the industry for beginning

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the evaluation and making changes to the sumps if  
2 those changes are needed.

3 This issue --

4 VICE CHAIRMAN WALLIS: I'm sorry. You  
5 resolve an issue by placing the responsibility on  
6 somebody else? Is that how you resolve an issue? How  
7 do you say -- isn't an issue resolved when sort of an  
8 risk implications have been reduced or changed back to  
9 an acceptable level or something?

10 Isn't it -- it's not resolved until some  
11 action is taken. You don't just resolve it by  
12 studying it, do you?

13 MR. JOHNSON: Absolutely.

14 VICE CHAIRMAN WALLIS: So if you're smart  
15 you can't say it's resolved by your studying some  
16 evaluation method until something has been done.

17 MR. JOHNSON: No, my point is that we've  
18 evaluated the issue to a point where we're ready to  
19 transfer this issue over to the industry. We're ready  
20 for licensees to begin the evaluation and to ultimately  
21 make the fixes -- make fixes to their plants if those  
22 fixes are indicated by the results of the evaluation.

23 VICE CHAIRMAN WALLIS: Could we say this  
24 is a step on the way to resolving the issue?

25 MR. JOHNSON: Yes, absolutely.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: Okay. Thank you.

2 MEMBER KRESS: Let me paraphrase what I  
3 think I've heard. You're convinced that if you go  
4 through this methodology and follow it properly, that  
5 you will end up with a conservative assessment of the  
6 effect of blockage on the net positive suction head so  
7 that --

8 MR. JOHNSON: Correct, that's correct.

9 MEMBER KRESS: Okay. So that's what we  
10 need to look for is whether or not -- how you make  
11 this judgment of the conservative.

12 MR. JOHNSON: Right, that's right.

13 MEMBER KRESS: Okay.

14 MR. JOHNSON: This issue has been on our  
15 plate for 25 years. We were counting last night and  
16 we came up with 25 years as the number.

17 VICE CHAIRMAN WALLIS: Well, that doesn't  
18 resolve anything yet does it?

19 MR. JOHNSON: There are already vendors  
20 we've spoken with who are out performing the  
21 evaluation using the baseline, using the baseline and  
22 the draft SE for plants, working on the evaluation and  
23 engineering fixes to resolve the issue.

24 We heard at the subcommittee meeting that  
25 there's at least one licensee who is anxious to move

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 forward with an active solution. And anxious for not  
2 having further delays in our efforts.

3 So, again, Dr. Kress I think you're right.  
4 My summary would be the evaluation that we have is a  
5 good evaluation and it will provide for reasonable  
6 assurance of adequate protection once the evaluation  
7 is done and fixes are made. The guidance is adequate  
8 to support that. And I hope that we get a letter from  
9 the ACRS following this presentation and the rest that  
10 you hear on this issue --

11 MEMBER KRESS: Were you able to do  
12 anything to accommodate the licensee who wanted to  
13 pursue an active thing? Or does he have to wait for  
14 all this stuff to get resolved?

15 MR. JOHNSON: We have, in fact, one of the  
16 pleas of that individual who spoke at the subcommittee  
17 meeting was to enable the active solution.

18 We believe that the alternative we already  
19 have in the SE, as proposed by the industry in the  
20 guidance report, the ability for licensees to employ  
21 active solutions.

22 MEMBER KRESS: So he could go ahead and  
23 proceed with that with assurance?

24 MR. JOHNSON: Absolutely.

25 MEMBER KRESS: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER APOSTOLAKIS: So did you answer my  
2 question, Mike, and I missed it or --

3 MR. JOHNSON: We will answer --

4 MEMBER APOSTOLAKIS: Oh, you will? Okay.

5 MR. JOHNSON: -- your question later.

6 If there are no other questions, I would  
7 -- is Dave Solorio -- Dave? Dave is going to talk  
8 about the overall approach.

9 MR. SOLORIO: Thanks, Mike. Good morning.  
10 My name is Dave Solorio and I work in the Office of  
11 Nuclear Reactor Regulation. I've been before a number  
12 of you to talk about license renewal in the past.

13 To provide an overall perspective for the  
14 sump evaluation approach and lend perspective to the  
15 presentations that will follow, my intention is to  
16 provide a quick summary of the major elements of the  
17 staff's safety evaluation report to illustrate the  
18 process a pressurized water reactor licensee would use  
19 to go through should it choose to use the NEI guidance  
20 report and the staff's SER to perform a mechanistic  
21 evaluation of sump performance to respond to Generic  
22 Letter 2004-02, Potential Impact of Debris Blockage on  
23 Emergency Recirculation During Design Basis Event  
24 Pressurized Water Reactors.

25 My remarks will focus on the staff's SER.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And this slide that we've shown up here provides a  
2 process flow chart I'll use to illustrate the  
3 evaluation steps a licensee would go through.

4 Following my presentation, Mr. Tom Hafera  
5 will go over an example to illustrate how the SER  
6 could be used in evaluating sump performance.

7 The top half of the slide is a basic  
8 illustration of how we envision the industry's  
9 guidance report plus the staff's SER to be one vehicle  
10 by which a licensee could perform an evaluation of  
11 sump performance. I want to stress it is one way.  
12 Licensees are free to propose alternatives that the  
13 staff would be willing to review.

14 The end result of applying the guidance in  
15 these two documents would be a determination of  
16 whether the as-built sump design was sufficient or  
17 plant configuration changes were needed. Plant  
18 configuration changes could be resizing the sump or  
19 activities directed at limiting critical debris  
20 sources.

21 The bottom half of this slide illustrates  
22 the major evaluation areas in the staff's SER. I have  
23 designated by a small yellow circle, numbered one  
24 through seven, these steps. And obviously we would  
25 expect that the guidance report would be used in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 parallel.

2 I did not show Chapter 5, Physical  
3 Refinements, which discusses ways to reduce debris  
4 sources mainly because there was not as many questions  
5 on that section at the subcommittee meeting.

6 Staff presentations will follow mine and  
7 they will be brief on several of these sections and  
8 they are geared towards highlighting what we did to  
9 respond to the questions received at the 922  
10 subcommittee review of this topic.

11 A major concept to recognize in the  
12 guidance report is that there is a baseline method, or  
13 first step method, which is intended to be a quick and  
14 easy way to reach a conclusion. But there are costs  
15 in terms of fidelity. If the results show the margins  
16 are not acceptable, refinements have been offered in  
17 some areas, but not all, to obtain a more realistic  
18 estimate.

19 Item 1, Section 3.3, first off, a licensee  
20 needs to determine the break size and location that  
21 generates the maximum debris insulation source term.

22 Item 2, Section 3.4 --

23 MEMBER APOSTOLAKIS: So what's the  
24 frequency of that?

25 MR. SOLORIO: The frequency?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Yes.

2 MEMBER APOSTOLAKIS: I'm trying to  
3 understand. I mean all this is conditional on a  
4 break, right?

5 MR. SOLORIO: Yes. But what --

6 MEMBER APOSTOLAKIS: Because somewhere  
7 there in the report, you guys say this is a low  
8 probability event.

9 MR. SOLORIO: Yes.

10 MEMBER APOSTOLAKIS: Therefore we can use  
11 risk-informed approaches, which struck me as a very  
12 strange statement.

13 MR. SOLORIO: Well, in --

14 MEMBER APOSTOLAKIS: You can't use risk-  
15 informed approaches if the probabilities are higher  
16 than ten to the minus four or five? Anyway, that's an  
17 editorial comment. But --

18 MR. SOLORIO: Okay. Well, the guidance in  
19 the NUREG 1(a)(2), Rev 3, and also what's transmitted  
20 in the -- or its application in the guidance report by  
21 the industry put together, is really to go off and  
22 look in terms of what break sizes could you generate  
23 the maximum debris --

24 MEMBER APOSTOLAKIS: I under --

25 MR. SOLORIO: -- not to factor in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 frequency of that break size.

2 MEMBER APOSTOLAKIS: I understand that.

3 But what is the frequency?

4 MR. SOLORIO: The frequency --

5 MEMBER APOSTOLAKIS: Is the frequency of  
6 a large LOCA?

7 MR. SOLORIO: Let me ask Donnie Harrison  
8 that.

9 MR. JOHNSON: I think again you're asking  
10 about an aspect -- we're going to get to the question  
11 that you have about the alternative method and it's in  
12 that method, the alternative method, where we look at,  
13 for example, we establish the debris generation break  
14 size based on work coming out of 50.46. That's what  
15 we were sort of referring to as the risk-informed  
16 approach.

17 MEMBER APOSTOLAKIS: But it should be down  
18 --

19 VICE CHAIRMAN WALLIS: George, can we move  
20 on? I think --

21 MR. SOLORIO: If we can hold it until  
22 then.

23 VICE CHAIRMAN WALLIS: -- we have to move  
24 on until we get to the risk-informed part.

25 MR. SOLORIO: Yes, I think that's --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: It's not the risk-  
2 informed part.

3 VICE CHAIRMAN WALLIS: But we haven't got  
4 to that discussion yet.

5 MEMBER APOSTOLAKIS: I understand but what  
6 I'm asking is not risk informed.

7 VICE CHAIRMAN WALLIS: But we've got about  
8 ten technical items to discuss first.

9 MEMBER APOSTOLAKIS: Well, Michael used  
10 the expression adequate protection several times  
11 earlier.

12 VICE CHAIRMAN WALLIS: I think you have a  
13 very good point. But I'm just saying that --

14 MEMBER APOSTOLAKIS: Okay.

15 VICE CHAIRMAN WALLIS: -- I think he's  
16 going to get to it.

17 MEMBER APOSTOLAKIS: Okay.

18 VICE CHAIRMAN WALLIS: If he doesn't get  
19 to it, you can ask it all again.

20 MEMBER APOSTOLAKIS: In a subtle way, you  
21 are telling me to shut up.

22 (Laughter.)

23 MEMBER APOSTOLAKIS: Message received,  
24 Graham.

25 MR. SOLORIO: Item 2, section 34, next the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 break needs to be translated in terms of debris  
2 generation. We get to debris generation through the  
3 construction volumes or zone of influence as we refer  
4 to it.

5 Special considerations are called out for  
6 coatings due to their ability to represent an  
7 additional volume of material that could, under  
8 optimal conditions, transport to the sump screen.

9 Lastly, refinements are available in this  
10 area if necessary.

11 Item 3 deals with section 35, highlights  
12 that not only must we be concerned with generated  
13 debris, but there are also debris sources already  
14 lying around containment or easily washed off by a  
15 break that can possibly be transported to the sump.

16 Item 4, section 36, highlights the  
17 transport mechanisms that can be assumed in terms of  
18 how much of the generated debris can be expected to  
19 make it to the sump. Should the licensee determine  
20 that using the rough approximation methods of the  
21 baseline yields large transport percentages, there are  
22 refined methods that can be used to gain a more  
23 realistic estimate.

24 Item 5 --

25 VICE CHAIRMAN WALLIS: Now wait a minute.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 There's a feedback loop. It says no thin fiber layer.

2 MR. SOLORIO: Oh.

3 VICE CHAIRMAN WALLIS: Do you understand  
4 what that means?

5 MR. SOLORIO: Well, in response to your  
6 comments from last subcommittee meeting, we've added  
7 an attachment.

8 VICE CHAIRMAN WALLIS: Yes, but it says  
9 thin particulate layer. There's nothing about a thin  
10 fiber layer. You can have a fiber layer ten foot  
11 thick and have a particulate layer of one mil. And I  
12 understand that is the effect that we're talking  
13 about.

14 MR. SOLORIO: Well, this --

15 VICE CHAIRMAN WALLIS: Do you understand  
16 that?

17 MR. SOLORIO: -- this triangle that you're  
18 asking me about, I believe --

19 VICE CHAIRMAN WALLIS: Well, the guidance  
20 is very, very unequivocal about this thin bed effect.

21 MR. SOLORIO: Well --

22 VICE CHAIRMAN WALLIS: And I'm just asking  
23 you if you understand what is meant by this -- how do  
24 they evaluate --

25 MR. SOLORIO: Yes, we do Dr. Wallace. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 we are going to actually present a brief description  
2 --

3 VICE CHAIRMAN WALLIS: Oh, you are going  
4 to present that, okay.

5 MR. SOLORIO: -- of that in one of the  
6 slides that --

7 VICE CHAIRMAN WALLIS: Thank you.

8 MR. SOLORIO: Let's see where was I.  
9 Let's see, Item 4 --

10 MEMBER ROSEN: No, I don't understand  
11 right there. If you answer the question yes, I  
12 understand if you have a thin fiber layer, you go  
13 right back to the beginning to step 2.

14 MR. SOLORIO: Well, what I meant to say,  
15 and maybe it's confusing, if the licensee would say I  
16 don't have a thin fiber layer --

17 MEMBER ROSEN: Yes.

18 MR. SOLORIO: -- then there still -- there  
19 needs to be -- you need to go back and look at  
20 whatever debris source might equivalently create some  
21 kind of a mat against your screen and lead to a head  
22 loss.

23 VICE CHAIRMAN WALLIS: You keep going  
24 around forever until you find a fiber layer?

25 MR. SOLORIO: No.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: That's what it  
2 looks like.

3 MR. SOLORIO: It's just meant as a  
4 feedback loop that is the licensee would ask that --  
5 would conclude that they don't have it, then they  
6 would have to go back and assess it for other debris  
7 sources.

8 MEMBER ROSEN: Well, diagrammatically it's  
9 not very clear.

10 VICE CHAIRMAN WALLIS: So this is one of  
11 the technical questions I guess. Shall we move on to  
12 the --

13 MR. SOLORIO: Sure.

14 MR. JOHNSON: Actually we added this.  
15 This is not -- you won't see this diagram in the SE.  
16 We simply put it up to talk about the various blocks.

17 VICE CHAIRMAN WALLIS: But it's supposed  
18 to explain things to us. So --

19 MR. JOHNSON: Yes.

20 VICE CHAIRMAN WALLIS: -- we can ask  
21 questions about it?

22 MR. JOHNSON: Yes, absolutely.

23 MR. SOLORIO: Sure, sure.

24 Item 4, section 36, highlights the  
25 transport mechanisms.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Let's see, item 5, section 37, is the kind  
2 of what we've been waiting for step, the determination  
3 of the head loss across the sump screen which  
4 ultimately tells you if you're done, for the most part  
5 or if you have more work to do, which item 7 is meant  
6 to illustrate.

7           Item 6, section 7, is the kind of hold the  
8 horses step. Before you can make your final decision  
9 if you're done or redesign as necessary, you have to  
10 consider for the effects of debris making it through  
11 the sump screen and their effects on emergency core  
12 cooling system components and the operation of them.

13           VICE CHAIRMAN WALLIS: Why is additional  
14 consideration of chemical effects in a feedback loop?

15           MR. SOLORIO: Yes, sir. If -- well, you  
16 are aware that we're running tests, the Office of  
17 Research are running tests to determine the impact of  
18 the chemical effects. Licensees are -- we're going to  
19 share that information with licensees.

20           The idea here is that if, in fact, this  
21 testing shows there is an issue that needs to be  
22 addressed, then you would have to go back and  
23 determine or consider those chemical effects in your  
24 debris, the regeneration step.

25           VICE CHAIRMAN WALLIS: That same is true

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of downstream effects. If further research shows that  
2 metal pieces go through the screen and have some  
3 downstream effect, then you have to do something about  
4 that, too. I don't know if it's a feedback loop. But  
5 it should be a box that is somewhere in the diagram.

6 MR. JOHNSON: That's right. And we  
7 actually -- in box 7, in fact, upstream and downstream  
8 is here in box 6.

9 MR. SOLORIO: And we already know that  
10 there are concerns because we've seen testing in  
11 certain plants where we've seen the effects of  
12 downstream effects so we know it's a real issue.

13 VICE CHAIRMAN WALLIS: Are you going to  
14 talk about that later? Are you going to talk about  
15 each of these boxes later? Is this the outline of  
16 your presentation?

17 MR. SOLORIO: We're going to talk about  
18 the majority of them and --

19 VICE CHAIRMAN WALLIS: Okay.

20 MR. SOLORIO: -- our decision and which  
21 ones we talked about really stem from the questions  
22 that the subcommittee asked.

23 VICE CHAIRMAN WALLIS: So I guess if you  
24 don't visit one box --

25 MR. SOLORIO: And we were going to talk --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: -- we can ask you  
2 to visit it?

3 MR. SOLORIO: -- about this one.

4 MR. JOHNSON: We are going to talk about  
5 downstream effects.

6 MR. SOLORIO: We are going to talk --

7 VICE CHAIRMAN WALLIS: This is sort of an  
8 --

9 MR. SOLORIO: -- downstream effects.

10 VICE CHAIRMAN WALLIS: -- outline of your  
11 presentation.

12 MR. SOLORIO: Yes, sir.

13 MEMBER APOSTOLAKIS: Now every year, Mike,  
14 said that, you know, maybe individual pieces of this  
15 are not too satisfactory but the overall approach is  
16 acceptable between the NEI guidance report and the  
17 staff's consideration.

18 So I assume then that Box No. 6, where you  
19 are formulating possible additional design changes,  
20 will be done at that level? That you will look at the  
21 whole thing and say well, gee, you know, maybe they  
22 ought to consider this design change. Is that  
23 correct?

24 MR. SOLORIO: Yes.

25 MEMBER APOSTOLAKIS: You will not look at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 individual boxes. How would you do that? Is it an  
2 integrated decision-making process in a deterministic  
3 world? Is that what it is?

4 MR. JOHNSON: Well, let me be -- I'm not  
5 quite sure that I understand your question. We -- the  
6 Generic Letter requires that licensees provide the  
7 results of their evaluation to us --

8 MEMBER APOSTOLAKIS: Yes.

9 MR. JOHNSON: -- and their plans to make  
10 any corrective action that they would make. So the  
11 licensee would have gone through this exercise, figure  
12 out whether or not --

13 MEMBER APOSTOLAKIS: Yes.

14 MR. JOHNSON: -- they could redesign their  
15 sump. They'll propose corrective action -- they'll  
16 plan corrective actions. And our plan then going  
17 forward is to audit some of those plants in terms of  
18 the evaluation, in terms of what they actually put in  
19 place to make sure that from our perspective, those  
20 are acceptable.

21 But the licensee does the evaluation. The  
22 licensee does the redesign using that evaluation to  
23 assure that at the end, they have sufficient net  
24 positive suction head so --

25 MEMBER APOSTOLAKIS: But you --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. JOHNSON: -- they can provide long-  
2 term cooling.

3 MEMBER APOSTOLAKIS: -- will review that?

4 MR. JOHNSON: We plan to audit those  
5 results --

6 MEMBER APOSTOLAKIS: Audit, okay.

7 MR. JOHNSON: -- and with the oversight  
8 process going forward, we would look to see that be a  
9 key feature or an ongoing feature, I should say, in  
10 terms of --

11 MEMBER APOSTOLAKIS: But my question is  
12 could there be a situation where you're maybe unhappy  
13 with Box No. 3 but then a licensee argues that we are  
14 so conservative in Box No. 4 that we really don't have  
15 to worry about Box No. 3?

16 And you said earlier that it's really the  
17 big picture that counts. So could that be the case?  
18 And how will the decisions be made here? What's  
19 acceptable? And what's not?

20 MR. JOHNSON: Well, you know, conceivably  
21 a licensee -- remember again, this is one acceptable  
22 means. And so -- and, in fact, a licensee can come in  
23 -- I would anticipate the licensees would --

24 VICE CHAIRMAN WALLIS: Well, Michael,  
25 you're missing the question. The question is you've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 got all the boxes. And you're uncertain about them.  
2 And some of them you're very uncertain about.

3 For instance, you know nothing, almost  
4 next to nothing about chemical effects. How can you  
5 give assurance that the entire picture is all right?

6 Now I'm going to give you an analogy. It  
7 occurs to me -- I take my car to the garage. And the  
8 guy says well, your brakes are not very good and your  
9 transmission is about to go and your engine is only  
10 firing on three cylinders. But the whole car is okay.

11 Is that an analogy that makes sense here?  
12 What are you trying to say?

13 MR. JOHNSON: Well, actually -- let me try  
14 to answer your question but I thought actually your  
15 question was a little bit different.

16 With respect to chemical precipitation  
17 effects, we recognize -- licensees -- and we told the  
18 industry, the industry recognizes that at the end,  
19 their fix is going to have to accommodate what comes  
20 out of the testing that's going to -- that's ongoing.  
21 And we'll get those insights around the end of the  
22 year.

23 As they are doing the evaluation and  
24 planning their fixes, they will need to accommodate  
25 what comes out of that. If the answer is nothing,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 then they're good. If --

2 VICE CHAIRMAN WALLIS: You've said that  
3 before. But, I mean, there is this basic question  
4 that George is asking. And I don't think you're  
5 addressing it.

6 MR. JOHNSON: Actually, I thought George's  
7 question was -- I thought your question was how is the  
8 staff going to decide these -- with respect to these  
9 various aspects of the evaluation if it's okay. And  
10 we do that all the time.

11 We look at staff evaluations and use our  
12 engineering judgment to decide whether the  
13 justification provided by the staff, whether the  
14 alternate means is acceptable. And we make a decision  
15 based on that. That's what --

16 MEMBER APOSTOLAKIS: I understand that and  
17 --

18 MR. JOHNSON: -- what we do.

19 MEMBER APOSTOLAKIS: -- I'm --

20 VICE CHAIRMAN WALLIS: Well, maybe we  
21 should on. Are you finished? Are you going to talk  
22 about all the boxes here?

23 MR. SOLORIO: I'm going to be done in  
24 about a minute or less.

25 Let's see. I was just going to mention

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that item 4A, section 6, is adjunct approach. It  
2 begins with brake selection for performance, sump  
3 performance evaluations. It allows for more realistic  
4 assumptions and use of risk insights. And, Dr.  
5 Apostolakis, we have a presentation on that later.

6 Item 7, while there may be areas where  
7 additional study can help reduce conservatism, the  
8 approach in totality provides a comprehensive process  
9 for evaluating sump performance.

10 And now I'll turn it over to Mr. Hafera if  
11 there are no more questions.

12 MEMBER FORD: Could I ask -- are you going  
13 to discuss item 7 at all?

14 MR. SOLORIO: Well, actually through the  
15 example that Mr. Hafera will give, he'll give some  
16 practical consequences or ways or strategies a  
17 licensee might use to address the issue.

18 MEMBER FORD: Okay, since I suspect we  
19 won't have much time to do that, I just draw your  
20 attention to there could be undesired consequences.  
21 If you remove circuit-based insulation, then you will  
22 increase the danger of cracking of stainless steel  
23 components underneath that insulation as fully  
24 discussed in Reg Guide 1.36.

25 MR. SOLORIO: Got it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER FORD: Thank you.

2 VICE CHAIRMAN WALLIS: Are you going to  
3 have some time here -- I don't know how long you're  
4 taking on these various things but it doesn't look  
5 like many slides so you're going to have to tell us if  
6 you've got a lot to come and we've got to hold our  
7 questions. I just don't know how to pace this  
8 presentation. I'm sorry.

9 MR. JOHNSON: We'll try to help with that,  
10 Dr. Wallis. We do want to move rather quickly.

11 MR. SOLORIO: Dr. Wallis, Tom has three  
12 slides and the remaining presentation is 13 slides.  
13 So --

14 VICE CHAIRMAN WALLIS: Okay. We know all  
15 this, don't we? Do we need to look at these slides?  
16 Well, maybe we do? I don't know. The guidance  
17 doesn't address --

18 MR. SOLORIO: Operator problem.

19 MR. HAFERA: My name is Tom Hafera. I  
20 work in Plant Systems Branch. And we seem to be  
21 getting a lot of questions that are kind of expanded  
22 on the sort of -- that are maybe not as well founded  
23 in what actually happens during a LOCA.

24 So I want to go over that real quickly  
25 with everybody. What I have here is a slide that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 shows basically a plan view of a pressurized water  
2 reactor. It shows a LOCA in progress. There's the  
3 zone of influence there. There shows debris and how  
4 it's going to be transported.

5 This is the sump --

6 MEMBER APOSTOLAKIS: Where is the break?

7 MR. HAFERA: The break? The break would  
8 be approximately right here.

9 MEMBER APOSTOLAKIS: Okay.

10 MR. HAFERA: Okay? There is the sump, the  
11 little red box, okay?

12 VICE CHAIRMAN WALLIS: It's a tiny thing.

13 MR. HAFERA: It is a little tiny thing.

14 Here is your containment basement. There's a plan of  
15 the containment basement. Containment basements are  
16 typically about 130 feet in diameter. So it's about  
17 the size of One White Flint North, okay?

18 Here's the sump. There's --

19 VICE CHAIRMAN WALLIS: How big is the  
20 sump?

21 MR. HAFERA: -- the sump right there. The  
22 sump itself is typically around about 10 to 12 feet  
23 square so it's about a 10 feet by 10 feet --

24 VICE CHAIRMAN WALLIS: So that strainer --

25 MR. HAFERA: -- sump.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: -- is a tiny thing.

2 MR. HAFERA: So it's a tiny thing, that's  
3 correct.

4 VICE CHAIRMAN WALLIS: And it's going to  
5 have --

6 MR. HAFERA: So it is --

7 VICE CHAIRMAN WALLIS: -- 53 pickup --

8 MR. HAFERA: -- well, see this is --

9 VICE CHAIRMAN WALLIS: -- loads of  
10 fiberglass in it?

11 MR. HAFERA: -- in deference to Mr.  
12 Andreycheck, I think he used --

13 VICE CHAIRMAN WALLIS: I don't think --

14 MR. HAFERA: -- his words were a little  
15 bit exaggerated to achieve the shock effect that he  
16 wanted. So -- and that's what we're going to try to  
17 address, okay?

18 VICE CHAIRMAN WALLIS: So you're -- but  
19 he's from industry and he's from Westinghouse. He  
20 ought to know what he's talking about.

21 MR. HAFERA: That's correct. And I'm an  
22 ex-operator and I should know what I'm talking about,  
23 okay?

24 So there is the sump. And it's about 10  
25 or 12 feet in diameter -- or 10 or 12 feet square. It

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 shows a water level. That's a standard sunken sump.  
2 There are also sump designs that are not sunk --

3 VICE CHAIRMAN WALLIS: It's 10 foot  
4 square?

5 MR. HAFERA: Basically.

6 VICE CHAIRMAN WALLIS: It's 100 square  
7 foot on a floor level so 5,000 cubic feet of debris  
8 would be 50 feet high in that box?

9 MR. HAFERA: Well, obviously you can't get  
10 50 foot high in the box. The --

11 VICE CHAIRMAN WALLIS: That's what --

12 MR. HAFERA: -- box is only 10 feet deep.

13 VICE CHAIRMAN WALLIS: -- but, you see,  
14 that's the sort --

15 MR. HAFERA: Okay?

16 VICE CHAIRMAN WALLIS: -- of thing we're  
17 up against it seems to me.

18 MR. HAFERA: Okay, so --

19 VICE CHAIRMAN WALLIS: Okay, so you're  
20 going to explain?

21 MR. HAFERA: I just want to explain so  
22 everybody understand, you know, this is the basic  
23 layout.

24 And this is the fundamental things that  
25 we're looking for, things that we are going to look

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for is how debris is moved around the containment and  
2 transported, how it gets generated, how it ends up  
3 getting in the little sump.

4 Notice how the arrows show the tortuous  
5 path and there's many hold up places -- opportunities  
6 to hold up debris, particularly large debris. And  
7 notice that the sumps typically have multiple layers.

8 The one that we're really worried about is  
9 this strainer here. So that's why you'll hear a lot  
10 of us we talk about mainly we talk about small finds  
11 and not so much large debris because large debris  
12 typically gets caught up in these obstructions or it  
13 gets caught up in trash racks.

14 MEMBER KRESS: But what is that arrow that  
15 bypasses the strainer?

16 MR. HAFERA: The arrow that what?

17 MEMBER KRESS: Bypasses the strainer. No,  
18 over to the right?

19 MR. HAFERA: This one?

20 MEMBER KRESS: Yes, no that one, yes.

21 MR. HAFERA: Well, this is just showing an  
22 alternative design. A lot of other plants --

23 MEMBER KRESS: Oh, I see.

24 MR. HAFERA: -- have them come out the  
25 side.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: I see, okay.

2 VICE CHAIRMAN WALLIS: So you're giving us  
3 the impression that not much of the fibrous debris  
4 gets to the sump?

5 MR. HAFERA: Hang on. Let me go forward.

6 VICE CHAIRMAN WALLIS: Okay, let's --

7 MR. HAFERA: My second slide, let's talk  
8 about large break LOCAs and just how a large break  
9 LOCA progresses and what the fundamental numbers are.

10 I want you -- first of all, I have to say,  
11 this is from a MELCOR code. MELCOR is a realistic  
12 code. It's not a design-based code. So therefore  
13 each plant is going to have different numbers than  
14 these from a design basis standpoints. And this will  
15 not match.

16 The other thing is these are bulk average  
17 conditions. This is not plant specific. This doesn't  
18 model any specific plant.

19 Okay, we have three phases. In a  
20 pressurized water reactor, there are three phases to  
21 a LOCA. There's a blowdown phase, an injection phase,  
22 and a recirculation phase. Boiling water reactors  
23 don't have an injection phase. They go straight from  
24 a blowdown phase to a recirc phase.

25 You have to understand that our initial

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 conditions, the reactor coolant system pressure is  
2 2,250, 530 degrees. Containment is basically zero  
3 pounds. And approximately about 110 degrees. That's  
4 our starting point.

5 Our LOCA is a very short term but a very  
6 violent event. It occurs in about 45 seconds, okay?  
7 Typically, your containment -- but the other thing to  
8 recognize is it's also a cool down event. Your  
9 reactor coolant system cools down rapidly. Your  
10 pressure goes down rapidly.

11 Within 45 seconds, you are well below  
12 high-pressure injection. You are below low-pressure  
13 injection system capacity. You're also within --  
14 shortly after that 45 seconds, you're going to get to  
15 cold shutdown conditions where you have the  
16 opportunity from an operational perspective to maybe  
17 start throttling back on flows or doing some  
18 operational things that could help mitigate this  
19 problem.

20 You also recognize approximately 45  
21 seconds in, your break flow slows significantly. You  
22 no longer have large expanded jets. You have very  
23 short, very slow, low flows. And the quality is  
24 basically single phase 45 seconds into the event.  
25 Very short.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Containment pressure peak at about -- for  
2 this example, 36 pounds in 20 second. Shortly after  
3 that, it starts to come back down fairly rapidly. And  
4 a lot of that has to do with whatever the plant's  
5 containment spray system set point is, what their  
6 ideal generator start time is because those are all  
7 sequenced as part of their safety injection operation.

8           Containment temperature, you don't get to  
9 500 degrees in containment --

10           VICE CHAIRMAN WALLIS: Are you going to  
11 give --

12           MR. HAFERA: -- it's gets to --

13           VICE CHAIRMAN WALLIS: -- us a lecture --

14           MR. HAFERA: -- about 300 degrees --

15           VICE CHAIRMAN WALLIS: -- I'm sorry, I'm  
16 sorry, are you going to give us a lecture on LOCA or  
17 are you going to talk about the issues of --

18           MR. HAFERA: I'm going to tie this in on  
19 my next slide.

20           VICE CHAIRMAN WALLIS: I'm sorry. Okay.

21           MR. HAFERA: My next slide, okay?

22           So you only get to about 300 -- 300 peak  
23 -- 300 degrees peak. And then it begins to slow.

24           So the other thing a lot of that  
25 temperature transient is so fast, a lot of that heat

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doesn't get to translate and conduct to a lot of the  
2 structural materials in the large components in  
3 containment. They end up equalizing at a fairly low  
4 temperature, fairly rapidly.

5           Okay, after the violent event, the  
6 injection phase begins. Now this, again, this, for a  
7 pressurized water reactor, they are pumping cold,  
8 clean water from a refueling water storage tank that  
9 is typically very large and its design basis typically  
10 to make sure you get enough water on the containment  
11 basement to make sure you have adequate NPSH.

12           So -- and notice this injection phase  
13 lasts a fairly significant amount of time. Twenty-  
14 seven minutes -- that gives a lot of opportunity as  
15 this containment basement -- go back to my previous  
16 slide -- basically -- so this little sump fills almost  
17 instantly, it's so rapidly filled.

18           And once that fills, after -- even while  
19 the LOCA is going on, there's no velocity towards the  
20 sump. The velocity is random, randomly distributed  
21 throughout the 130 foot containment basement so --

22           VICE CHAIRMAN WALLIS: Where does --

23           MR. HAFERA: -- debris gets --

24           VICE CHAIRMAN WALLIS: -- where does the  
25 water go? It all goes --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HAFERA: It goes to the basement.

2 VICE CHAIRMAN WALLIS: It makes a pool in  
3 the basement.

4 MR. HAFERA: It goes to the pool in the  
5 basement. It ends up -- it goes up and then it comes  
6 down and it goes to the basement.

7 And then it's just randomly going around  
8 the basement. There's --

9 VICE CHAIRMAN WALLIS: So you --

10 MR. HAFERA: -- random --

11 VICE CHAIRMAN WALLIS: -- said the --

12 MR. HAFERA: -- turbulence.

13 VICE CHAIRMAN WALLIS: -- sump fills  
14 almost at once.

15 MR. HAFERA: Right.

16 VICE CHAIRMAN WALLIS: And the question  
17 might be with what?

18 MR. HAFERA: With water. With water.  
19 Okay, back to my -- so where was I -- so that just  
20 goes to show, this is what you're pumping in. Safety  
21 injection, spray flow -- again, it's all clean,  
22 chemically-treated water, cold water. So that's your  
23 initial source, your initial source.

24 And as I mentioned, containment pressure,  
25 by the time now, as we go through the injection phase

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and we start to get close to the recirculation phase,  
2 these are the important parameters that come up down  
3 here.

4 VICE CHAIRMAN WALLIS: The pool is the  
5 pool on the floor of the building, not the pool in the  
6 sump. The sump is full. And that's the pool on the  
7 floor.

8 MR. HAFERA: Exactly, exactly. So there  
9 are some key parameters there. When you go to  
10 initiate recirculation, this example shows seven  
11 pounds, seven pounds in containment. Saturation  
12 temperature for seven pounds is about 230 degrees.  
13 So, again, the pool temperature at 187 is  
14 significantly sub-cooled at that point. That's a key  
15 point to remember.

16 The other key point to remember is, again,  
17 pool depth. Now what we have heard is some plants may  
18 not necessarily be meeting their pool depth. And that  
19 is going to be a big concern.

20 VICE CHAIRMAN WALLIS: Could you tell me  
21 at 187 degrees what the NPSH has to be?

22 MR. HAFERA: Yes, I will.

23 VICE CHAIRMAN WALLIS: How many feet of  
24 water?

25 MR. HAFERA: My next slide --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: Thank you.

2 MR. HAFERA: -- my next slide, okay?

3 MR. JOHNSON: Why don't you --

4 MR. HAFERA: Well, let me just finish this  
5 last point, okay? Now I forgot what my last point  
6 was.

7 (Laughter.)

8 MR. HAFERA: Oh, three and a half feet.  
9 Pool depth is very important because pool depth  
10 translates directly to turbulence or laminar flow.  
11 The deeper the pool, the more laminar and quiescent  
12 the flow is --

13 VICE CHAIRMAN WALLIS: Can we avoid --

14 MR. HAFERA: -- particularly near the --

15 VICE CHAIRMAN WALLIS: -- that? I'm --

16 MR. HAFERA: -- floor.

17 VICE CHAIRMAN WALLIS: -- sorry, could we  
18 avoid qualitative statements please because the  
19 guidance gives quantitative methods.

20 MR. HAFERA: Well --

21 VICE CHAIRMAN WALLIS: And just talking  
22 about things doesn't really help address these --

23 MR. HAFERA: Okay.

24 VICE CHAIRMAN WALLIS: -- these methods.

25 So, you know, I like what you -- you're helping us get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a perspective but --

2 MR. HAFERA: That's correct.

3 VICE CHAIRMAN WALLIS: -- vague statements  
4 about there's a lot of turbulence doesn't mean  
5 anything unless it's quantified.

6 MR. HAFERA: And now we're going to tie it  
7 to how it effects the sump. My next slide please.

8 Now, again, this is an example exercising  
9 our methodology in the safety evaluation --

10 VICE CHAIRMAN WALLIS: How did you assume  
11 10,000 square feet -- cubic feet where Mr. Andreycheck  
12 gets 14,000 from one steam generator?

13 MR. HAFERA: I can't speak for Mr.  
14 Andreycheck. All I can speak of -- for is our data  
15 came from our parametric study for a typical  
16 Westinghouse four-loop plant.

17 VICE CHAIRMAN WALLIS: Okay. And he --

18 MR. HAFERA: Those were the -- that's --

19 VICE CHAIRMAN WALLIS: -- from  
20 Westinghouse?

21 VICE CHAIRMAN WALLIS: -- well, that's the  
22 data that we got from Westinghouse, okay? From four-  
23 loop dry -- as I mentioned we've got our data.  
24 There's Westinghouse four loops, three loops, two  
25 loops, there's ice condensers, there's sub-atmospheric

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 containments, there's BMW, there's CE plants.

2 We came up -- the Westinghouse four-loop  
3 plant is what we feel is the limiting plant on a  
4 large, dry containment, 10,000 cubic feet of -- and  
5 we're assuming all the insulation on the steam  
6 generator is fiber.

7 MEMBER SIEBER: Yes, and that's just one  
8 loop because the loops are compartmentalized.

9 MR. HAFERA: Yes. Well, we're figuring  
10 10,000 total.

11 MEMBER SIEBER: Yes, but you're only --  
12 the zone of influence only effects on loop.

13 MR. HAFERA: Exactly. Well, what I  
14 assumed here, okay, is I assumed -- and if you look at  
15 my first slide, everybody has that picture --

16 MEMBER SIEBER: Don't go back.

17 MR. HAFERA: All right. Everybody has the  
18 picture. I assumed at the first slide, it shows the  
19 zone of influence encompassed 90 percent of the steam  
20 generator --

21 MEMBER SIEBER: Right.

22 MR. HAFERA: -- and one-quarter of the  
23 remainder of containment because the containment is  
24 compartmentalized.

25 MEMBER SIEBER: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. HAFERA: So that's how I came up with  
2 .9 and .25.

3 VICE CHAIRMAN WALLIS: The .9 times --

4 MEMBER SIEBER: So this isn't that much  
5 different than the Westinghouse --

6 VICE CHAIRMAN WALLIS: Oh, it's very  
7 different --

8 MEMBER SIEBER: -- statement of --

9 VICE CHAIRMAN WALLIS: -- the .9 times --

10 MR. HAFERA: Okay --

11 VICE CHAIRMAN WALLIS: -- 1,300 is 1,170.

12 MR. HAFERA: -- .9 times 1,300 is 1,170,  
13 .25 --

14 VICE CHAIRMAN WALLIS: That's about less  
15 than a tenth --

16 MR. HAFERA: -- so --

17 VICE CHAIRMAN WALLIS: -- of what he said.

18 MR. HAFERA: -- again, so what I'm coming  
19 up with is about 1,720 cubic feet.

20 VICE CHAIRMAN WALLIS: But he said he got  
21 14,000 from one steam generator --

22 MR. HAFERA: I can't --

23 VICE CHAIRMAN WALLIS: -- with using the  
24 zone of influence in the guidance. So you're off by  
25 a factor of 10 from him. That's all I can say. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 don't know who is right.

2 MR. HAFERA: Exactly.

3 VICE CHAIRMAN WALLIS: It seems --

4 MR. HAFERA: Exactly.

5 VICE CHAIRMAN WALLIS: -- very strange to  
6 me that the guy who runs the plants or knows about the  
7 plants comes up with a number that's a factor of 10  
8 different from you. That says something about  
9 uncertainty.

10 MR. HAFERA: Well, if you also recall  
11 during that subcommittee meeting, Bruce Latellier  
12 attempted to challenge in Mr. Andreychek and --

13 VICE CHAIRMAN WALLIS: Yes, and Mr.  
14 Andreycheck --

15 MR. HAFERA: -- we ran out of time.

16 VICE CHAIRMAN WALLIS: -- asked -- because  
17 I brought him right in front of me here.

18 MR. JOHNSON: But not to put too high a  
19 hat on these differences, we're not showing this  
20 because we want --

21 VICE CHAIRMAN WALLIS: You're showing me  
22 this because you want to --

23 MR. JOHNSON: -- discredit --

24 VICE CHAIRMAN WALLIS: -- convince of  
25 something. And don't make excuses for it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. JOHNSON: We want to give you a  
2 practical perspective about how we think the  
3 evaluation comes out.

4 VICE CHAIRMAN WALLIS: I understand.

5 MR. JOHNSON: That's all that is.

6 VICE CHAIRMAN WALLIS: I understand, Mike.  
7 But just you've got to be straightforward. And if  
8 your numbers are very different from somebody else,  
9 that creates a quandary for us, doesn't it?

10 MR. JOHNSON: Yes, it does. We can back  
11 our numbers up.

12 CHAIRMAN BONACA: Graham?

13 VICE CHAIRMAN WALLIS: Yes.

14 MR. LATELLIER: If I may, this is Bruce  
15 Latellier from Los Alamos National Lab. The value of  
16 1,700 cubic feet was represented about the 95th  
17 percentile of many thousands of random break locations  
18 placed around the volunteer plant piping system.

19 And that number of 2,000 to 2,500 cubic  
20 feet is corroborated by a number of studies for large  
21 break LOCA done earlier for the BWR study and done  
22 primarily in a manual fashion using engineering  
23 judgment.

24 VICE CHAIRMAN WALLIS: Thank you. So you  
25 have some support there?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LATELLIER: Yes.

2 VICE CHAIRMAN WALLIS: Thank you.

3 MR. HAFERA: If our use our methodology,  
4 I'm going to go through this fairly quickly because we  
5 do have a lot more to go through, this basically shows  
6 fractional values of what the 1,720 -- what happens to  
7 it, how much of it becomes small finds, how much of it  
8 becomes large pieces, how they're transported up into  
9 containment, washed back down, transported to active  
10 pools, inactive pools, and eventually end up on the  
11 sump screen.

12 VICE CHAIRMAN WALLIS: Excuse me. You're  
13 only talking about the fiberglass insulation on the  
14 steam generator? You're not talking about coatings?

15 MR. HAFERA: That's correct. Because this  
16 is just a simplified approach to show how our method  
17 works.

18 Using this, I come out with -- and  
19 assuming a 100 square foot screen, which is a  
20 representative number --

21 VICE CHAIRMAN WALLIS: How uncertain are  
22 things like these 90 percent goes to the upper level  
23 and 10 percent goes to the lower level? Are these  
24 just somebody's estimate?

25 MR. HAFERA: Those are approximate number

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that are in -- there are actual more accurate numbers  
2 in the SE, but I used the approximate value --

3 MEMBER SIEBER: Are these numbers --

4 VICE CHAIRMAN WALLIS: Okay.

5 MR. LATELLIER: Bruce Latellier, once  
6 again, those branching fractions, those transport  
7 fractions are based on containment blowdown  
8 calculations. And we've made the engineering  
9 approximation that the debris follows the proportion  
10 of the fluid flow primarily.

11 We've done these calcs to confirm that the  
12 velocities are high enough to actually effectively  
13 transport debris of this size. And it is, where  
14 necessary, where possible I should say, it is  
15 supported by experimental evidence generated during  
16 the BWR resolution for the entrapment on gradings,  
17 washdown through gradings due to containment spray.

18 So we tried at every opportunity to use  
19 defensible data for the branching fractions for  
20 transport analysis. Where that is not available, we  
21 use conservative estimates.

22 VICE CHAIRMAN WALLIS: So about a third of  
23 it gets to the screen? Something like that? These  
24 estimates. And if there is uncertainty, it could be  
25 a half or something like that? So it's a significant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 amount is the message I got --

2 MR. HAFERA: So it's a significant --

3 VICE CHAIRMAN WALLIS: -- from all this.

4 MR. HAFERA: -- amount. The bottom line  
5 is it is a significant amount. We show 60 depth --

6 VICE CHAIRMAN WALLIS: Right.

7 MR. HAFERA: -- which, again, would not  
8 quite fill the sump but pretty close to filling that  
9 sump back on my first slide.

10 VICE CHAIRMAN WALLIS: Right.

11 MR. HAFERA: If we use our correlation  
12 and, again, there's a lot of assumptions and I'm using  
13 ballpark numbers, I get a head loss of about 10 to 17  
14 --

15 VICE CHAIRMAN WALLIS: I'm going to  
16 challenge that. I think it's a very important issue.  
17 In the guidance, you accept that homogeneously mixing  
18 the product caused them the fibrous is conservative.

19 And yet I read Los Alamos' report, and I  
20 listen to Bruce, and I'm told that a thin layer of the  
21 particles depositing on top of the fiberglass can  
22 create a far bigger pressure drop.

23 So, you know, if you get a thin layer of  
24 fiberglass which then filters out the particles like  
25 a filter in a chemical plant, and you get a filter

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cake of the particles, you have an entirely different  
2 problem than if you're going to distribute these  
3 particles uniformly through this great mass of fiber.

4 MR. HAFERA: That's correct.

5 VICE CHAIRMAN WALLIS: Isn't that true?

6 MR. HAFERA: And we did say that we're  
7 going to talk about --

8 VICE CHAIRMAN WALLIS: And if I take that  
9 300 pounds, it's a lot more than what I was waving  
10 around earlier --

11 MR. HAFERA: But again --

12 VICE CHAIRMAN WALLIS: -- this cal-sil.

13 MR. HAFERA: -- what that boils down to as  
14 we get down here to our bottom line --

15 VICE CHAIRMAN WALLIS: But you don't  
16 convince me at all with this 10 to 17 feet. You've  
17 put assumptions in there which seem to be incompatible  
18 with what I'm learning about thin bed effects. And I  
19 learn more every day as I read more about it. It  
20 doesn't -- you know, it's not convincing to me.

21 MR. HAFERA: Okay. Well, again, we're  
22 going to discuss thin bed effects later. And that's  
23 just something --

24 MEMBER ROSEN: Well, could I --

25 MR. HAFERA: -- that has to be considered.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: -- ask a specific question  
2 about the row that says with 100 square foot screen,  
3 small finds only --

4 MR. HAFERA: Yes.

5 MEMBER ROSEN: -- yields an approximate  
6 depth of six feet. Why do you think only small finds  
7 will get in there when a fairly significant fraction  
8 of the large pieces are transported? Are they not?

9 MR. HAFERA: Well, this shows -- and  
10 basically, again, I rounded off the value that was in  
11 the SE, but about 35 percent of the large find -- of  
12 large pieces will get there.

13 MEMBER ROSEN: So why don't you think --

14 MR. HAFERA: I didn't include them just  
15 for the sake of this example. I didn't include  
16 coatings, I didn't include concrete dust, I didn't  
17 include a lot of things. This is just a  
18 representative --

19 MEMBER ROSEN: Well, this --

20 MR. HAFERA: -- example.

21 MEMBER ROSEN: -- is a very unchallenging  
22 example is what you've chosen.

23 MR. HAFERA: Okay.

24 MEMBER ROSEN: It's an example where --

25 MR. HAFERA: But this is basically what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Mr. Andreycheck presented at the subcommittee.

2 MR. SOLORIO: And I think, Tom, what you  
3 started by saying when you started your presentation,  
4 we're just trying to show that it can be exercised, I  
5 guess.

6 MR. HAFERA: Right.

7 VICE CHAIRMAN WALLIS: Well, it think it's  
8 very revealing. You've got six feet of debris. Now  
9 as I understand it, the tests that have been made have  
10 involved an eighth of an inch of debris, and an inch,  
11 and so focus on very thin layers of debris. And we're  
12 going to take that knowledge base and extrapolate to  
13 the six feet thick of debris.

14 We'd better be damn sure that we  
15 understand what's going on if we're going to  
16 extrapolate it like that.

17 MEMBER KRESS: Well, I think your result  
18 tells you that that's not an acceptable result.

19 MR. SOLORIO: Right.

20 MR. HAFERA: That's right.

21 MEMBER KRESS: So you're not really going  
22 to use that --

23 MR. HAFERA: The bottom line is --

24 MEMBER KRESS: -- number. It's something  
25 that has to be done.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HAFERA: We didn't get there.

2 MEMBER KRESS: Right.

3 MR. HAFERA: The bottom line is most  
4 plants, you know, a head loss of 10 to 17 feet, most  
5 plants only have a margin of two to five --

6 VICE CHAIRMAN WALLIS: Yes, even with --

7 MR. HAFERA: -- so they can't live with  
8 this. So what's that telling them? That tells them  
9 that they have to go do some type of design change.  
10 And they're going to have to do some type of  
11 remediation of that --

12 VICE CHAIRMAN WALLIS: Now isn't this true  
13 --

14 MR. HAFERA: -- concern.

15 VICE CHAIRMAN WALLIS: -- that almost all  
16 plants are going to reach this conclusion?

17 MR. HAFERA: What we've determined is most  
18 likely most of them will.

19 VICE CHAIRMAN WALLIS: Yes, and so --

20 MR. HAFERA: Most of them will.

21 VICE CHAIRMAN WALLIS: -- what's important  
22 is to work on the fix --

23 MR. HAFERA: Exactly.

24 VICE CHAIRMAN WALLIS: -- obviously. Not  
25 all this analytical material.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HAFERA: Right. But as a condition,  
2 we can't go fix people's sump.

3 MEMBER SIEBER: You need to know the --

4 VICE CHAIRMAN WALLIS: You need to know  
5 things ---

6 MEMBER SIEBER: -- overall results --

7 VICE CHAIRMAN WALLIS: -- but you --

8 MEMBER SIEBER: -- to know whether --

9 VICE CHAIRMAN WALLIS: -- already know an  
10 awful lot. You already know an awful lot about the  
11 problem.

12 MR. HAFERA: Okay. That --

13 VICE CHAIRMAN WALLIS: It would seem clear  
14 to me that people have got to be working hard on the  
15 fix.

16 MR. JOHNSON: That was my opening -- that  
17 was one of my opening points. That was number two of  
18 my opening points.

19 MR. HAFERA: Exactly.

20 MEMBER SIEBER: Was that the analysis?  
21 You don't know whether the fix is any good or not?

22 MR. JOHNSON: That was Number One of my  
23 opening.

24 CHAIRMAN BONACA: Now you're going to take  
25 us through some of the refinements, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: Yes, you're going  
2 to take us through some --

3 MR. HAFERA: Okay, so --

4 CHAIRMAN BONACA: So we're going to see  
5 how you're going to work on the baseline to take down  
6 to the refinements? Okay.

7 MR. HAFERA: Right. Again, and I don't  
8 think I'll even go over this too much. There are  
9 plants out there that are all RMI plants so,  
10 therefore, they don't have Nukon. And they wouldn't  
11 get this large volume.

12 But basically what it shows is latent  
13 debris, of and by itself, can produce a thin layer.  
14 And the thin bed effect.

15 VICE CHAIRMAN WALLIS: Even with the RMI?

16 MEMBER SIEBER: Without any --

17 MR. HAFERA: Without any --

18 MEMBER SIEBER: -- without any insulation  
19 --

20 MR. HAFERA: -- without any insulation  
21 whatsoever.

22 MEMBER SIEBER: -- contribution.

23 VICE CHAIRMAN WALLIS: That's a very  
24 plant-specific thing. The plants have to --

25 MR. HAFERA: That's a very -- right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           VICE CHAIRMAN WALLIS: Right. Now this  
2 RMI, that's the point that we had in the subcommittee  
3 was RMI is very good for this point of view. But if  
4 some of it gets through the screen, what does it do to  
5 the pump we were asking? Maybe the pump just eats it  
6 up. But we didn't seem to know in the subcommittee  
7 meeting.

8           MR. HAFERA: Well, the --

9           VICE CHAIRMAN WALLIS: What is the  
10 downstream effect going to be?

11          MR. HAFERA: -- downstream effects, and  
12 again we have a presentation on that later --

13          VICE CHAIRMAN WALLIS: You're going to get  
14 to that, okay.

15          MR. HAFERA: -- but, again, that's an  
16 engineer -- that can be engineered out.

17          MEMBER ROSEN: Did you just leave off by  
18 mistake the head loss for the RMI latent fiber only  
19 case? I don't see it.

20          MR. HAFERA: Yes, I didn't go so far as to  
21 go to head loss with these two cases just to show  
22 basically what the debris bed --

23          MEMBER ROSEN: Well, you --

24          MR. HAFERA: -- thickness is.

25          MEMBER ROSEN: -- told us it's 10 to 17

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 feet for the top case.

2 MR. HAFERA: Right.

3 MEMBER ROSEN: For the RMI latent fiber,  
4 is it 10 to 17 feet also? Is it approximately the  
5 same? Or -- I mean give me some feel for it  
6 quantitatively what you would expect.

7 MR. HAFERA: Well --

8 MR. SOLORIO: Wouldn't it be less, Tom,  
9 because we're --

10 MR. HAFERA: Yes.

11 MR. SOLORIO: -- dealing with less fiber?

12 MR. HAFERA: It would be significantly  
13 less.

14 MEMBER KRESS: Unless you assume a thin  
15 bed correlation.

16 MR. HAFERA: Yes, sir, Dr. Kress.

17 CHAIRMAN BONACA: What are the operator  
18 actions you are referring to down there?

19 MR. HAFERA: Okay, yes, thank you. I'll  
20 get to that real quick.

21 VICE CHAIRMAN WALLIS: Can we have a thin  
22 bed with this latent fiber?

23 MEMBER KRESS: Well, that's undetermined  
24 because we haven't characterized latent fiber.

25 VICE CHAIRMAN WALLIS: But you say you've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 got 1.7 inches and we were getting thin beds with an  
2 eighth of an inch all through the document that you  
3 reviewed.

4 MEMBER KRESS: It certainly seems possible  
5 you could get it.

6 MR. HAFERA: It's possible.

7 VICE CHAIRMAN WALLIS: It's possible but  
8 you don't know. So the plants have to do it all --  
9 they have to brush up all their stuff in the plant, do  
10 all their testing to find out if they can get a thin  
11 bed. Is that what you expect them to do?

12 MR. HAFERA: Yes. They have to evaluate  
13 --

14 VICE CHAIRMAN WALLIS: You want them to --

15 MR. HAFERA: -- their containment.

16 VICE CHAIRMAN WALLIS: -- you're putting  
17 an awful lot on these plants.

18 MR. LATELLIER: If I may add, Dr. Wallis,  
19 Bruce Latellier, we are assuming that latent fiber is  
20 capable of forming a thin bed. And that's the reason  
21 for Tom's example to show that based on a rough  
22 estimate of total latent debris inventory and the  
23 fibrous fraction that was characterized in the recent  
24 LANL study, that there is potentially a substantial  
25 amount of fiber present.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And they must assess their plant  
2 cleanliness for that --

3           VICE CHAIRMAN WALLIS: Thank you, Bruce.

4           MR. LATELLIER: -- contribution.

5           VICE CHAIRMAN WALLIS: That's a very good  
6 point. So it means the staff is going to get it, if  
7 they go through with all this, a whole lot of  
8 submittals from plants explaining how they use the  
9 vacuum cleaner and how they picked up all this stuff.  
10 And all the tests they did. And they'll all be  
11 different.

12           And you're going to somehow assess whether  
13 or not there is a thin bed when we don't quite know  
14 what a thin bed is and what causes it?

15           MR. HAFERA: Well, we know what a thin bed  
16 is and what causes it. And we're going --

17           VICE CHAIRMAN WALLIS: You don't.

18           MR. HAFERA: -- to present that later.

19           VICE CHAIRMAN WALLIS: Well, okay, maybe  
20 you can convince me.

21           MR. HAFERA: Okay.

22           MEMBER ROSEN: Now I'm going away from  
23 this chart with the idea that an RMI latent fiber only  
24 bed is significantly less than 10 to 17 feet. And to  
25 me significantly less it's a third of that or five

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 feet or something like that, which is still very  
2 important.

3 MR. HAFERA: That's correct.

4 MEMBER ROSEN: Okay.

5 MR. HAFERA: That's correct. Very good  
6 point.

7 So, again, just practical solutions here.  
8 Practical solutions that plants could do. Double  
9 jacketing their insulation. There's a low cost, low  
10 tech solution that would really produce a large  
11 effect. It really reduces the ZOI and it will reduce  
12 that number quite significantly.

13 MEMBER ROSEN: Do you have a test that  
14 shows that?

15 MR. HAFERA: Yes, we have tests that show  
16 double jacketed insulation --

17 MEMBER ROSEN: Ralph, could you speak to  
18 that?

19 MR. HAFERA: -- that are not nearly as  
20 susceptible to damage.

21 MR. ARCHITZEL: We showed the subcommittee  
22 the OPG tests were done and that upped the cal-sil  
23 from around 24 pounds to like around -- somewhere  
24 around 250 or 300 pounds in offset seams on the double  
25 coverage. So it was a tremendously significant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 increase in destruction pressure.

2 MR. SOLORIO: That was Ralph Architzel.

3 MR. HAFERA: So that's a quick low tech  
4 method that can have a big impact.

5 Modifying sump screens. We heard somebody  
6 might want to use an active sump screen. We also know  
7 that there are sump screen designs that aren't  
8 susceptible to thin bed effects, stacked disks and  
9 what have you.

10 And there are a number of other things  
11 that can be done. Refining the zone of influence  
12 model --

13 VICE CHAIRMAN WALLIS: That might lead you  
14 to getting bigger --

15 MR. HAFERA: We're seeing that --

16 VICE CHAIRMAN WALLIS: -- if you refine  
17 it, it might get bigger.

18 MR. HAFERA: Well, the zone of influence  
19 model is not necessarily real -- it doesn't correlate  
20 real well at low pressures. So that could produce a  
21 --

22 VICE CHAIRMAN WALLIS: But it might --

23 MR. HAFERA: -- significant impact.

24 VICE CHAIRMAN WALLIS: -- it might grow.  
25 There's only inference if you learn more about it, it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 might get bigger.

2 MR. HAFERA: It's possible. You could add  
3 trash racks in barriers along the floors of  
4 containment.

5 Operator actions, operators can take high  
6 pressure injection systems out earlier, cool down the  
7 plant faster, go to shut down cooling-type  
8 recirculation faster, a lot of operator actions or --

9 VICE CHAIRMAN WALLIS: Now these are all  
10 the things --

11 MR. HAFERA: -- potentially --

12 VICE CHAIRMAN WALLIS: -- you think might  
13 be done? These are things you think might be done?  
14 Right? They're conjecture? These things that look  
15 like reasonable candidates for thinking about?

16 MR. SOLORIO: Well, we know, Dr. Wallis,  
17 from a conversation we've had with industry that  
18 they're looking at increasing their sump screen sizes,  
19 at least some contractors --

20 VICE CHAIRMAN WALLIS: They're looking at  
21 -- but I don't see any kind of design that says we've  
22 made all the calculations and it looks as if this  
23 thing will work. You're way a long way away from  
24 that, right?

25 MR. JOHNSON: That's right. Again --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: A long way from --

2 MR. JOHNSON: -- we've --

3 VICE CHAIRMAN WALLIS: -- anything --

4 MR. JOHNSON: -- not --

5 VICE CHAIRMAN WALLIS: -- that will work.

6 MR. JOHNSON: -- seen designs, right.

7 That's right.

8 MEMBER ROSEN: You're aware of the  
9 difficulty of crediting operator actions during a LOCA  
10 like this which is very different than things that  
11 have -- operators that have been typically trained to  
12 do.

13 CHAIRMAN BONACA: So they are not --

14 MEMBER ROSEN: This is not a simple --

15 MR. JOHNSON: Well, I think, again --

16 MEMBER ROSEN: -- approach.

17 MR. JOHNSON: -- if you go back to the  
18 LOCA does and how it progresses and when you're on  
19 recirc and when your sump screen actually starts to  
20 show degradation, you're talking long-term into the  
21 event where you have time to plan it ahead of time.

22 And you have a -- your plant is already  
23 cooled down. Your containment is already  
24 depressurized. So you have a significant response  
25 time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: Well, I grant that. I  
2 grant that.

3 VICE CHAIRMAN WALLIS: I agree with that.

4 MEMBER ROSEN: But I also ask you to grant  
5 the fact that the plant has just had a LOCA. This is  
6 not normal.

7 MR. JOHNSON: Oh, absolutely.

8 MEMBER ROSEN: This is not your normal day  
9 at the plant.

10 MR. SOLORIO: No, you're right.

11 MR. JOHNSON: No, it's a bad day in the  
12 control room.

13 VICE CHAIRMAN WALLIS: Can you give me --

14 MR. JOHNSON: And I've had a few.

15 VICE CHAIRMAN WALLIS: -- estimate, now  
16 we've been through some of these in the past,  
17 historical events where the Agency has decided that  
18 action should be taken on some major issue. And then  
19 there are various designs and they have to be approved  
20 and all.

21 How long does it take to implement? To go  
22 from now to doing all these calculations in the  
23 plants, to designing things, and to actually implement  
24 something, getting approval from the Agency, how long  
25 does it typically take to do something like that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. JOHNSON: Well, the schedule that we  
2 have -- this is Mike Johnson, the schedule that we  
3 have published and requested in the Generic Letter has  
4 licensees completing their evaluation --

5 VICE CHAIRMAN WALLIS: No, no, I'm not  
6 really asking about that. I'm asking about say post-  
7 TMI, there were some changes because lessons were  
8 learned. Didn't it take quite a few years before  
9 anything substantial happened in the plant? So I'm  
10 just trying to put it in perspective.

11 MEMBER APOSTOLAKIS: He's not talking  
12 about just the study.

13 MR. JOHNSON: You mean how long does it  
14 take them to implement their changes?

15 VICE CHAIRMAN WALLIS: I'm looking for the  
16 solution.

17 MEMBER APOSTOLAKIS: The solution itself.

18 VICE CHAIRMAN WALLIS: If you look down  
19 the road about what steps if I were an engineer I  
20 would have to take to get to a solution, how long it  
21 would take. And I'm guessing it's something like ten  
22 years. Am I wrong?

23 MR. SOLORIO: Well, I don't know if I can  
24 answer TMI but, Rob Elliot, I mean how long did we  
25 take to -- or did the industry take to implement the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fix for the BWRs?

2 MR. ARCHITZEL: We issued the Bulletin in  
3 May of '96 and all the licensees completed their  
4 modifications by the spring of '99.

5 VICE CHAIRMAN WALLIS: So it's three  
6 years. So there's hope.

7 MR. ARCHITZEL: We gave them a year to --

8 MEMBER SIEBER: Think about it.

9 VICE CHAIRMAN WALLIS: Okay.

10 MR. ARCHITZEL: -- do the evaluation and  
11 then told them that plants starting in the spring of  
12 the following year had to start completely hardware  
13 modifications --

14 VICE CHAIRMAN WALLIS: That's good.  
15 That's --

16 MR. ARCHITZEL: -- in their first outage.

17 VICE CHAIRMAN WALLIS: -- a historical  
18 precedent and we can maybe extrapolate it to this  
19 case.

20 MR. ARCHITZEL: And I suspect the vendors  
21 that helped with the BWRs are probably going to try  
22 and jump in on the PWRs, too. So there's probably a  
23 lot of experience there.

24 VICE CHAIRMAN WALLIS: Thank you.

25 MR. JOHNSON: 2007 is our expectation in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this case.

2 VICE CHAIRMAN WALLIS: Well, I don't know  
3 about what your expectation is. I'm just looking for  
4 evidence that it has happened before.

5 MR. HAFERA: Okay. Well, that concludes  
6 my high-level presentation. There's people who follow  
7 me to provide more details in the specific areas and  
8 hopefully get to some of the other more detailed  
9 questions.

10 MEMBER APOSTOLAKIS: Why did it take 25  
11 years, Mike? You say this has been around for 25  
12 years?

13 MR. JOHNSON: There's a real good history  
14 in front of the SE --

15 MEMBER APOSTOLAKIS: Yes, I saw that.

16 MR. JOHNSON: -- that talks about it.

17 MEMBER APOSTOLAKIS: That's too long.

18 MR. JOHNSON: Right. Well, we learned  
19 things at various stages. We took on a problem with  
20 the boilers. We, at that time, recognized that 50  
21 blockage wasn't going to be good for the peaks. What  
22 we did -- and at that time, thought that we need to  
23 have this mechanistic evaluation.

24 We had some events that caused us to  
25 recognize that --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER APOSTOLAKIS: So it was the  
2 evidence?

3 MR. JOHNSON: -- that it was more of a  
4 problem. So we've learned things over that time. But  
5 we've ultimately dealt with the issues.

6 CHAIRMAN BONACA: Well, I mean, that's  
7 right. I mean it's 25 years of inadequate  
8 improvements. So we hope that this will be an  
9 adequate improvement. And that's the thrust of our  
10 comments, I believe.

11 MEMBER APOSTOLAKIS: How raised the issue,  
12 do you remember?

13 MR. JOHNSON: I'm sorry?

14 MEMBER APOSTOLAKIS: Who raised the issue?  
15 Who raised it?

16 MR. JOHNSON: Who raised the issue?

17 MEMBER APOSTOLAKIS: Yes.

18 MR. JOHNSON: Who raised the sump blockage  
19 issue?

20 MEMBER APOSTOLAKIS: Twenty-five years  
21 ago.

22 MR. JOHNSON: I honestly don't know the  
23 answer to that.

24 MEMBER APOSTOLAKIS: Okay.

25 MR. ARCHITZEL: The sump blockage -- Ralph

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Architzel -- the sump blockage issue was raised around  
2 1979, right around TMI time initially.

3 VICE CHAIRMAN WALLIS: So this was a post-  
4 TMI issue?

5 MR. ARCHITZEL: No, it wasn't. It was  
6 actually before TMI. It was studied for about four or  
7 five years until the `84 time frame because we have to  
8 go back to USIA 43 but it was about five years before  
9 it was resolved in `85. It might have been --

10 VICE CHAIRMAN WALLIS: So that's more  
11 historical information about how long it took to do  
12 something. Okay.

13 MR. KOWALL: Good morning. My name is  
14 Mark Kowall. I'm a reactor systems engineer in the  
15 Plant Systems Branch.

16 This morning I'm going to discuss section  
17 3.3 and 4.21 of the SER. These sections deal with the  
18 break selection. And the overall process for  
19 identifying the limiting break location.

20 MEMBER APOSTOLAKIS: Why are you doing  
21 that? The subcommittee requested it?

22 MR. KOWALL: This is one of the major  
23 areas. This was one of the blocks that Dave Solorio  
24 had on his slide. I'll go through it very quickly.

25 Basically this section provides the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 guidance and consideration for identifying the  
2 limiting break location. The criteria used to  
3 identify this location is the estimated head loss  
4 across the sump screen.

5 There are really two key attributes that  
6 I emphasize and those are the maximum amount of debris  
7 transported to the sump and the worst combinations of  
8 debris mixes transported to the sump. So -- and to  
9 identify this limiting break location, you are really  
10 looking at what gets to the sump.

11 MEMBER KRESS: And do we know how to  
12 determine what the worst combination is? Does that  
13 relate to the thin bed effect?

14 MR. KOWALL: That relates to the thin bed,  
15 that's right.

16 VICE CHAIRMAN WALLIS: And it relates to  
17 when it is transported, or how the stuff builds up, or  
18 whether you get a thin bed on top of fiberglass, or  
19 inside it, or on the bottom of it, or how well mixed  
20 they are, and all that sort of stuff?

21 I don't see anything in the guidance that  
22 tells you how to calculate those things.

23 MR. LATELLIER: Bruce Latellier. You're  
24 correct in noting that there's very little time-  
25 dependent advice on time-dependent debris bed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 formation given in the guidance. The limits of our  
2 ability to model transport do not -- just simply don't  
3 -- do not warrant a detailed effort in that regard.

4           However, there are important phases of the  
5 accident sequence that can be considered, that being  
6 the high velocities during pool fill up, the spray  
7 washdown, and finally the low velocity recirculation  
8 phase.

9           And if you think about those effects, the  
10 first opportunity for accumulating very large  
11 quantities of large debris only occurs in the initial  
12 phase. And depending on your sump screen  
13 configuration, for example, a horizontal arrangement  
14 below grade, that's a very credible event where you'd  
15 have a large, bulky homogenized bed.

16           VICE CHAIRMAN WALLIS: So you've got the  
17 large debris first.

18           MR. LATELLIER: That is one possibility.  
19 Alternatively, if that large bed does not form, the  
20 small suspended finds can continue to accumulate  
21 indefinitely to form the thin bed behavior that we're  
22 most concerned about.

23           And so there's some important separations  
24 in the accident sequence that allow us to think about  
25 what are reasonable bed configurations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIRMAN WALLIS: That was very  
2 helpful, Bruce. And as I'm sitting here, I'm thinking  
3 about how a beaver builds a dam, he puts the twigs in  
4 first, he puts the large debris in first. And gets a  
5 structure, which is your fiberglass.

6                   And then he puts the mud on which is your  
7 cal-sil or whatever. He builds himself a thin layer.  
8 And he stops the water going through.

9                   MEMBER ROSEN: Do we have a contract with  
10 him?

11                   (Laughter.)

12                   VICE CHAIRMAN WALLIS: I believe they have  
13 beavers at MIT.

14                   But, you see, this is the kind of thing  
15 that occurs to me. And I don't see anything in the  
16 guidance that tells you how to calculate those things.

17                   These are all sort of the beginnings of  
18 understanding of these things. And you're doing a  
19 great job. You guys are working very hard. It's just  
20 a question of whether or not you're ready. Okay.

21                   MR. KOWALL: The section also provides  
22 considerations on the piping systems that need to be  
23 considered, and break size. Basically all RCS piping  
24 and attached piping.

25                   And also secondary side breaks if they're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 part of the licensing basis and rely on recirculation  
2 must be considered.

3 All phases of the accident scenario are  
4 considered. This is an overall process. It's a  
5 number of iterations for identifying the limiting  
6 break location.

7 Then section 4.2.1 provided or proposed  
8 the application of Branch Technical Position MEB 3-1  
9 for break locations to consider.

10 Next slide.

11 VICE CHAIRMAN WALLIS: Can I ask you about  
12 this? This I have a real problem with. And I asked  
13 at the subcommittee.

14 It says no guidance for plants that can  
15 substantiate no thin fiber layer. So if they don't  
16 have a thin bed effect, there's no guidance for them.

17 MR. KOWALL: Well --

18 VICE CHAIRMAN WALLIS: So they're finished  
19 and they can't use the guidance.

20 If there is a thin bed effect, they're  
21 likely to be finished because they can't get the water  
22 through. So how do they escape from this Catch 22?

23 MR. KOWALL: One of the -- I guess we  
24 talked about this at the subcommittee meeting. One of  
25 the examples of this was in the coatings area with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assumptions on the particulate size for the coatings,  
2 working toward -- or with thin bed, if a plant can  
3 substantiate they do not have a thin bed, the staff  
4 has enhanced the --

5 VICE CHAIRMAN WALLIS: Well, how can they  
6 substantiate they don't have a thin bed? Thin beds  
7 sort of occur by luck. When you do an experiment --  
8 you do a lot of experiments and then gee whiz, we've  
9 got a thin bed here. And it explains some anomalous  
10 results. It's not something which is part of the  
11 technical knowledge.

12 So how on Earth are these folks going --

13 MR. KOWALL: They may not --

14 VICE CHAIRMAN WALLIS: -- to establish --

15 MR. KOWALL: -- that's true --

16 VICE CHAIRMAN WALLIS: -- that they don't  
17 have a thin bed?

18 MR. JOHNSON: We talked about it at the  
19 subcommittee -- Mike Johnson.

20 VICE CHAIRMAN WALLIS: Yes, but we're  
21 still talking about it because you haven't resolved  
22 it.

23 MR. JOHNSON: Well, what we said was we  
24 really don't believe that there are going to be  
25 licensees who substantiate no thin bed. What we were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doing was looking at the guidance

2 VICE CHAIRMAN WALLIS: You don't --

3 MR. JOHNSON: -- to make --

4 VICE CHAIRMAN WALLIS: -- believe --

5 MR. JOHNSON: -- sure that in --

6 VICE CHAIRMAN WALLIS: -- that they will?

7 MR. JOHNSON: What we were doing is making  
8 sure the guidance would handle that eventuality should  
9 a plant come in an try to substantiate no thin bed,  
10 how then would they implement the guidance? And so  
11 that's what we're taking care of in this case.

12 MEMBER SIEBER: How would they  
13 substantiate no thin bed?

14 MR. ARCHITZEL: Let me just point out  
15 something here. It's not necessarily on the existing  
16 designs but an all RMI plant, the idea was an all RMI  
17 plant, perhaps with a modified design, with no fiber  
18 in the plant except for the latent, with a modified  
19 screen size, using the criteria we had in the guidance  
20 report of the one-eighth inch could distribute that  
21 over the one-eighths inch and demonstrate that --

22 VICE CHAIRMAN WALLIS: But we know one-  
23 eighth doesn't mean anything any more. We know from  
24 Bruce Latellier's very clear explanation a thin bed  
25 can occur anywhere on any layer. It doesn't have to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 be an eighth of an inch.

2 MR. ARCHITZEL: No, no. I'm saying the  
3 total fiber that is existing. So it doesn't matter.

4 VICE CHAIRMAN WALLIS: Well, if they don't  
5 have as much as an eighth of an inch?

6 MR. ARCHITZEL: Over the modified square  
7 --

8 VICE CHAIRMAN WALLIS: Well, there is  
9 another statement in your guidance that says cal-sil  
10 can form a layer with no fibers at all.

11 MR. ARCHITZEL: Well, the plant may not  
12 have cal-sil but the point is there are plants that  
13 could do that calculation and demonstrate they don't  
14 have a thin bed.

15 The other point is the plants could put in  
16 modified strainer designs that are not susceptible to  
17 the thin bed effect. There are two ways you get that.

18 MEMBER SIEBER: That's the only choice as  
19 I see it because you can get a thin bed out of latent  
20 fiber with no --

21 MR. ARCHITZEL: But not necessarily --

22 MEMBER SIEBER: -- RMI unless the screen  
23 is huge in size.

24 MR. ARCHITZEL: Well, that's the point.  
25 If the screen is 500 square feet, depending on your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 latent, you might get -- or 800 or 1,000 --

2 MEMBER SIEBER: That's pretty tough --

3 MR. ARCHITZEL: -- developing -- depending  
4 on the geometry --

5 MEMBER SIEBER: That's pretty tough --

6 MR. ARCHITZEL: -- of the screen design  
7 also.

8 MEMBER SIEBER: -- to do that in some of  
9 these containers.

10 MR. ARCHITZEL: It depends on the latent  
11 debris term if you're an all RMI plant. There is a  
12 possibility that the condition exists is the only  
13 point we're making so we have a provision for that.

14 The reason for that comment is if you have  
15 that condition, where you have the modified -- the  
16 real reason, the additional one, if you had a design  
17 fix that is not susceptible to thin bed --

18 VICE CHAIRMAN WALLIS: Guidance only  
19 applies to plants that do have a thin bed effect. So  
20 now you're saying that almost all plants are going to  
21 have this thin bed effect.

22 MEMBER SIEBER: I think so.

23 VICE CHAIRMAN WALLIS: You say almost none  
24 are going to substantiate they don't have it.

25 MR. ARCHITZEL: There would be a lot that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would substantiate they don't have thin bed because --

2 VICE CHAIRMAN WALLIS: There would be?

3 MR. ARCHITZEL: -- because of the fix.

4 VICE CHAIRMAN WALLIS: After the fix?

5 MR. JOHNSON: After the fix.

6 VICE CHAIRMAN WALLIS: But now, you're  
7 asking to assess now what's the state of it now?

8 MR. ARCHITZEL: Probably most of them  
9 couldn't justify now --

10 VICE CHAIRMAN WALLIS: We will find that  
11 they all have thin beds now. Is that what we're going  
12 to find?

13 MEMBER KRESS: Is there a substantial  
14 database to back up your statement that some screens  
15 are not so susceptible to thin bed effects? And I  
16 presume these are the corrugated screens?

17 MEMBER SIEBER: Or vertical screens.

18 MEMBER KRESS: Vertical corrugated?

19 MR. ARCHITZEL: Disk strainers, et cetera,  
20 and the testing was done. I mean that's the testing  
21 that was used for the BWRs in those propriety screens.

22 MEMBER KRESS: That testing exists?

23 MR. ARCHITZEL: Yes.

24 MEMBER KRESS: Okay.

25 MR. KOWALL: And as a result of this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 discussion from the subcommittee meeting, the staff  
2 did add Appendix 8 to the Safety Evaluation Report  
3 that discusses the thin bed.

4 VICE CHAIRMAN WALLIS: Yes, I have read  
5 Appendix 8. And it describes some effects.

6 MR. KOWALL: Yes, it gives examples --

7 VICE CHAIRMAN WALLIS: It describes some  
8 effects.

9 MR. KOWALL: -- of thin bed. It gives  
10 examples of where this has occurred, events --

11 VICE CHAIRMAN WALLIS: It doesn't give me  
12 a clear recipe for predicting things. It describes  
13 all of the effects. It's very useful for saying this  
14 is the state of knowledge.

15 But if I were to try to use it to develop  
16 design criteria and to evaluate my plant, I think I'd  
17 have a lot of trouble.

18 MR. KOWALL: The second exception the  
19 staff took to section 3.3 was with respect to the  
20 secondary break locations. The guidance report  
21 proposed that secondary side break locations be  
22 analyzed consistent with the current licensing basis.

23 The staff's position on this is that the  
24 secondary side breaks should be analyzed consistent  
25 with RCS piping, LOCA piping. And the basis for this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is that the current licensing basis does not consider  
2 all the issues and concerns associated with this GSI-  
3 191.

4 Even though the secondary side analyses  
5 are not performed in accordance with 50.46, to  
6 demonstrate acceptance criteria of 50.46, if the sump  
7 is relied on to mitigate the consequences of secondary  
8 side breaks, then licensees should identify limiting  
9 locations and ensure that their sump will perform its  
10 intended function.

11 And this is consistent with the staff's  
12 position in Reg Guide 1.82. It doesn't specifically  
13 distinguish between -- okay.

14 Additionally, the staff concluded that  
15 it's not appropriate to evaluate only locations  
16 consistent with Branch Technical Position MEB 3-1.

17 We concluded this for a number of reasons.  
18 It's not consistent with the requirements of 50.46.  
19 The staff previously rejected this for the BWRs. Not  
20 consistent with Reg Guide 1.82 considerations. And  
21 this would also apply to secondary side breaks.

22 VICE CHAIRMAN WALLIS: Okay. Move on.

23 MR. ARCHITZEL: My name is Ralph  
24 Architzel. And I'll discuss the debris generation  
25 section. I'll try to do it shortly. I'd like to make

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one additional discussion on the other areas.

2 The guidance report uses the zone of  
3 influence approach. This is what the industry has  
4 proposed founded in ANSI 58.2, Free Jet Expansion  
5 Model.

6 VICE CHAIRMAN WALLIS: And you are  
7 perfectly happy with the model that's in ANSI?

8 MR. ARCHITZEL: We have written Appendix  
9 I. We've modified Appendix I. It was proposed by the  
10 industry. And we feel there are deficiencies  
11 associated with that. There are theory deficiencies.  
12 Overall when you take that model, we consider it  
13 conservative from a regulatory perspective.

14 VICE CHAIRMAN WALLIS: Did you look -- did  
15 anyone look at the original document on which it is  
16 based, the ANSI model? Did they find that the conical  
17 pressure distribution is simply assumed?

18 MR. ARCHITZEL: I'm not sure. We went --

19 VICE CHAIRMAN WALLIS: Things like that?  
20 I mean --

21 MR. ARCHITZEL: -- back to --

22 VICE CHAIRMAN WALLIS: -- did anyone  
23 critical examine the basis of this model? Did anyone  
24 critical examine knowledge about what happens in  
25 supersonic flows? Or you just accept it? You accept

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it as -- I mean I could see accepting a standard. I  
2 mean it sounds authoritative.

3 MR. ARCHITZEL: We did do a critical look  
4 at that standard. And that is Appendix 1. And we'll  
5 move on to that.

6 VICE CHAIRMAN WALLIS: I have to read that  
7 again because I think it's changed some more since --

8 MR. ARCHITZEL: We did -- we last night  
9 sent you another revision --

10 VICE CHAIRMAN WALLIS: -- that's another  
11 revision --

12 MR. ARCHITZEL: -- of three --

13 VICE CHAIRMAN WALLIS: -- last night,  
14 fine.

15 MR. ARCHITZEL: -- pages additional --

16 VICE CHAIRMAN WALLIS: That makes it  
17 difficult for me to assess it.

18 MR. ARCHITZEL: I'm sorry?

19 VICE CHAIRMAN WALLIS: It makes me  
20 difficult to assess something you sent me last night.

21 MR. ARCHITZEL: That wasn't the thought  
22 behind -- I mean we tried to address the comments --

23 (Laughter.)

24 MR. ARCHITZEL: -- you made earlier trying  
25 to clarify what we feel are deficiencies relative to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the physics for that model. But if we step back from  
2 it and ignore -- yes --

3 VICE CHAIRMAN WALLIS: So you've now gone  
4 to what we suggested you do some time ago. You've  
5 actually gone to examine whether the model is good and  
6 what its deficiencies might be. You're beginning to  
7 do that? Is that so?

8 MR. ARCHITZEL: Well, we're accepting the  
9 use of the model still.

10 VICE CHAIRMAN WALLIS: But now you're  
11 examining its deficiencies, having accepted it?

12 MR. ARCHITZEL: For the application with  
13 the precision we're talking about.

14 VICE CHAIRMAN WALLIS: So you bought the  
15 car and now you're looking at what's wrong with it?

16 MR. LATELLIER: If I may add, the use of  
17 the ANSI model was proposed by the industry.

18 VICE CHAIRMAN WALLIS: Yes.

19 MR. LATELLIER: Based somewhat on the  
20 recommendation of Reg Guide 1.82, that the staff found  
21 it to be an acceptable method. So, therefore, it is  
22 incumbent on the staff to be totally comfortable and  
23 convinced that it is appropriate for the use.

24 VICE CHAIRMAN WALLIS: Let's say -- this  
25 clearly -- in all of this, a lot of education going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 on. You guys are learning. Every time I hear anything  
2 from you, there's new knowledge, new appreciation.  
3 That is the way it's going. I appreciate that.  
4 That's very good.

5 But, you know, the question is whether,  
6 since you're in this great learning process about  
7 these phenomena, you can make decisions based on  
8 things which you may learn tomorrow are not  
9 appropriate quite the way you thought they were.

10 That's what I'm concerned about. You're  
11 in that learning process now and yet you are trying to  
12 make decisions based on things which you have trouble  
13 coming to grips with.

14 MR. ARCHITZEL: Well, I guess I'd phrase  
15 the zone of influence situation as so conservative in  
16 terms of what has been proposed --

17 VICE CHAIRMAN WALLIS: How do you know  
18 it's conservative?

19 MR. ARCHITZEL: Conservative relative to  
20 the CFD examples that were proposed by the BWRs and  
21 it's modeled on the destruction pressures as they are  
22 measured. And then the assumption of anything with an  
23 equivalent sphere being totally destroyed is where the  
24 conservatism

25 VICE CHAIRMAN WALLIS: I agree. You

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 certainly have put some conservatisms in it, yes.

2 MR. ARCHITZEL: So that aspect seems to  
3 cover anything --

4 VICE CHAIRMAN WALLIS: And you have added  
5 --

6 MR. ARCHITZEL: -- from shock wave versus  
7 being due to pressure and it's not really pressure,  
8 it's really shock, the way we treat it and the way  
9 it's transformed into an equivalent volume sphere  
10 throws a tremendous conservatism into --

11 VICE CHAIRMAN WALLIS: So the --

12 MR. ARCHITZEL: -- this analysis.

13 VICE CHAIRMAN WALLIS: -- initial shock  
14 wave that no one had analyzed, is that --

15 MR. ARCHITZEL: Well, we saw on the shock  
16 wave, we saw how it is a near term effect. And it can  
17 go far. But basically we've never really resolved  
18 whether the damage is caused by shock or caused by the  
19 pressure or the mass flow into the damaged targets.  
20 But we accept it.

21 VICE CHAIRMAN WALLIS: You have never  
22 really resolved those issues? But you've made some  
23 judgment about what's an acceptable damage pressure?

24 MR. ARCHITZEL: Yes.

25 MR. LATELLIER: It was never the intent of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the staff's experimental programs to develop a first  
2 principles model of the damage mechanism. It's based  
3 on empirical evidence of damage at given spacial  
4 locations within the jet as correlated by various  
5 metrics that can be modeled.

6 For example, the stagnation pressure or in  
7 the case of the ANSI model, an impingement pressure  
8 that's arrived at by averaging the mass flux on a  
9 large target.

10 VICE CHAIRMAN WALLIS: Well, again, we  
11 don't have time to go into all that.

12 MEMBER RANSOM: Has there ever been any  
13 agreement in what they even mean by impingement  
14 pressure?

15 MR. ARCHITZEL: Well, we heard you. And  
16 we put some additional words in destruction pressure.  
17 We're talking the same thing. It's that measured  
18 pressure at that face of that --

19 VICE CHAIRMAN WALLIS: But with the state  
20 of the art where you send me letters the night before  
21 explaining things better, it seems to me this could  
22 happen tomorrow, too, because it's a learning process.  
23 And I appreciate that. You're doing a good job there.

24 I just wonder if you don't have more  
25 things to learn.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARCHITZEL: Well, I'd like to get  
2 through this section as quickly --

3 VICE CHAIRMAN WALLIS: Okay. I'm sorry,  
4 I'm sorry, Ralph. You have to do it.

5 MR. ARCHITZEL: Yes, as I mentioned  
6 before, we did use the -- transformed those freely  
7 expanded jets into sphere. And that's a significant  
8 conservatism of the approach, equivalent volume  
9 spheres.

10 VICE CHAIRMAN WALLIS: Isn't that -- oh,  
11 I'm sorry. Every time you say conservative, I'm going  
12 to say what. But I'm sorry. We don't have time.

13 MR. ARCHITZEL: Yes, there could be long  
14 distances --

15 VICE CHAIRMAN WALLIS: There could be long  
16 distance --

17 MR. ARCHITZEL: Okay.

18 VICE CHAIRMAN WALLIS: -- you know, it  
19 does --

20 MR. ARCHITZEL: Under refinements proposed  
21 by industry, I'd like to say that they did offer the  
22 direct impingement refinement where the models don't  
23 resize the jets. And we're accepting that. So they  
24 can use those jets.

25 They used the debris-specific destruction

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 zones, which is probably what most plants will do  
2 anyway, as opposed to the lowest damage pressure.

3 They allowed -- they proposed  
4 simplification to an entire compartment. And we're  
5 accepting that.

6 The other section we have on debris  
7 generation is the characteristics, which have been  
8 provided for construction, pressure, density, size,  
9 and size distribution.

10 Next slide please. Regarding the safety  
11 evaluation, we considered the guidance report approach  
12 acceptable. And we have noted some modifications.

13 VICE CHAIRMAN WALLIS: Now the  
14 presentation that your colleague made where you had a  
15 number that was a tenth of what the Westinghouse men  
16 had, was that based on this 40 percent? Or based on  
17 the NEI guidance before you had modified it?

18 MR. ARCHITZEL: I think the example we  
19 intended to use was using the destruction pressure  
20 that would be six pounds. I don't know how  
21 complicated --

22 VICE CHAIRMAN WALLIS: Was it with your  
23 modification? Or was it the NEI guidance?

24 MR. ARCHITZEL: It should have been the  
25 six pounds.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: Was the ten pounds  
2 used or the six pounds?

3 MR. ARCHITZEL: It was just a gross  
4 estimate because we got --

5 VICE CHAIRMAN WALLIS: A gross estimate  
6 really isn't very good on this problem is it?

7 MR. ARCHITZEL: It was the compartment  
8 use. What we did was essentially use the compartment  
9 model.

10 VICE CHAIRMAN WALLIS: Did you use your  
11 modified destruction pressure or the NEI guidance  
12 destruction pressure in arriving at 1,720 pounds of  
13 cubic feet of debris?

14 MR. LATELLIER: It corresponds roughly to  
15 the modified damage pressure.

16 VICE CHAIRMAN WALLIS: Because Mr.  
17 Andreychek or whatever, it's garbled in the  
18 transcript. And a much bigger zone of influence, you  
19 emphasized that if you used your modified 40 percent.  
20 That's why I'm bringing it up here.

21 MR. ARCHITZEL: Well, I think if you had  
22 an open containment --

23 VICE CHAIRMAN WALLIS: You're making the  
24 zone of influence bigger with this 40 percent.

25 MR. ARCHITZEL: The 40 percent increases

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the zone of influence. As the industry pointed out,  
2 it can triple it, okay, because --

3 VICE CHAIRMAN WALLIS: It can triple it?

4 MR. ARCHITZEL: Triple the zone of  
5 influence.

6 VICE CHAIRMAN WALLIS: Triple the zone of  
7 influence.

8 MR. ARCHITZEL: Depending on the way  
9 you're going through the model. And the reason is --

10 VICE CHAIRMAN WALLIS: Is that three times  
11 the amount of debris? Or not?

12 MR. ARCHITZEL: It should because those  
13 are the assumptions if there's that much when you go  
14 out to that additional volume, you're limited by the  
15 compartment. That's what I was saying earlier.

16 VICE CHAIRMAN WALLIS: So this factor of  
17 three, which could be said to be sort of an  
18 uncertainty that's you're compensating for is bigger  
19 than these uncertainties about how much stuff gets --  
20 or about the same as the fraction that gets to the  
21 screen of all the debris you created? So --

22 MR. ARCHITZEL: Certainly big than the jet  
23 -- well, and some of that can be done away by  
24 industry can test for that effect. And they can also  
25 get more robust material. Now one --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIRMAN WALLIS: Well, these factors  
2 of three and all that are all right if you're dealing  
3 with a problem where you can show that you get 0.1  
4 feet of water on the screen. But you've got five feet  
5 of water head loss on the screen and it's just about  
6 to begin to challenge your NPSH, factors of three  
7 begin to make a big difference. I mean it could be 15  
8 or it could be two. It makes all the difference in  
9 the world to whether or not your pump --

10                   MR. ARCHITZEL: The input to an analysis  
11 the licensees don't --

12                   VICE CHAIRMAN WALLIS: George was right  
13 about uncertainties. Of course, George is right on  
14 many things. But he was certainly right to focus on  
15 uncertainties in this issue.

16                   MEMBER APOSTOLAKIS: I see you are in a  
17 good mood today.

18                   (Laughter.)

19                   MR. ARCHITZEL: Well, one thing we did  
20 along those lines will be, as Dr. Apostolakis  
21 mentioned, in the Appendix R we offer alternatives  
22 like with this non-physical aspect of the NC model it  
23 grows unbounded ways as you go to low pressures. We  
24 do have a discussion where you can use empirical data  
25 to drop that down. So it's available if industry

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 wants it. But we haven't approved that. It's very  
2 conservative.

3 You can increase the destruction pressure  
4 the conservativisms harness. There are ways to address  
5 that factor of three you can test. So there are  
6 things you can do about it. But it's usable now. And  
7 well it's approvable, I guess, is the way to put it.

8 I think perhaps I'm done.

9 VICE CHAIRMAN WALLIS: Coatings, coatings,  
10 coatings, please.

11 Now you have 10,000 square feet typically  
12 of coatings in a plant, several mils thick.

13 MR. ARCHITZEL: I think it's 300,000  
14 square feet.

15 VICE CHAIRMAN WALLIS: Three hundred  
16 thousand?

17 MR. ARCHITZEL: Somewhere in there.

18 VICE CHAIRMAN WALLIS: Three hundred  
19 thousand square feet? Thank you. I thought it was  
20 10,000. Where did I get 10,000.

21 MR. ARCHITZEL: I think that was --

22 PARTICIPANT: That's the debris.

23 VICE CHAIRMAN WALLIS: That's the ZOI.

24 MR. MURPHY: Excuse me. This is Mark  
25 Murphy. Ten thousand square feet was the amount of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 unqualified coatings that was volunteered by industry.

2 VICE CHAIRMAN WALLIS: So there are  
3 300,000 in the plant.

4 MR. MURPHY: That's an approximate number.

5 VICE CHAIRMAN WALLIS: And you're going to  
6 have a zone of -- so you're asking them to increase  
7 the zone of influence because of uncertainties to 10D,  
8 ten times down to the pipe. That's about as big as  
9 the zone of influence for these other destructions,  
10 right?

11 MR. ARCHITZEL: Say it's one-fourth the  
12 containment of --

13 VICE CHAIRMAN WALLIS: Now we're talking  
14 about tens of thousands of square foot of coatings  
15 which is several mils thick.

16 MS. LAURETTA: This is Angie Laretta from  
17 Plant Systems Branch, NRR. We're not asking them to  
18 use the 10D. That is a default value. There is a  
19 lack of data in this area.

20 VICE CHAIRMAN WALLIS: That's right. So  
21 you're --

22 MS. LAURETTA: We have no basis for --

23 VICE CHAIRMAN WALLIS: -- with no basis,  
24 they have to use 10D.

25 MS. LAURETTA: No, that is not --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: What do --

2 MS. LAURETTA: -- what the SER says.

3 VICE CHAIRMAN WALLIS: -- they use?

4 MS. LAURETTA: They need to come in with  
5 the justification for whatever value they use.

6 VICE CHAIRMAN WALLIS: Oh, I thought you  
7 had 10D. Where did 10D go?

8 MS. LAURETTA: That is an option.

9 VICE CHAIRMAN WALLIS: It is a default  
10 value. Well, okay. If it's a default value, it's  
11 essentially what you would accept. And they have to  
12 justify anything else.

13 MS. LAURETTA: That is the only value we  
14 have --

15 VICE CHAIRMAN WALLIS: Okay, it's the only  
16 value I have to go on, too, because I haven't done any  
17 calculations, okay? So 10D is a big thing.

18 MS. LAURETTA: That is a --

19 VICE CHAIRMAN WALLIS: It's like the --

20 MS. LAURETTA: -- conservative --

21 VICE CHAIRMAN WALLIS: -- zone of  
22 influence we saw for the other debris. You've got  
23 300,000 square feet of debris, several mils thick. It  
24 doesn't take much mass to show that you can build up  
25 a thin bed on almost anything, any size screen out

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there.

2 Coatings I understand you're asking them  
3 to assume are broken up to the grain size of the  
4 individual stuff that went into the paint.

5 MR. ARCHITZEL: Actually I'd like to  
6 correct that.

7 VICE CHAIRMAN WALLIS: They're very small.

8 MR. ARCHITZEL: We're not asking that at  
9 all or proposed that.

10 VICE CHAIRMAN WALLIS: Where did that come  
11 from?

12 MR. ARCHITZEL: And we're accepting that.

13 VICE CHAIRMAN WALLIS: Oh, you're  
14 accepting that? Okay, we'll accepting or asking for,  
15 it's the same thing to me.

16 MR. ARCHITZEL: Well, we might ask for  
17 something different. And we could have a distribution  
18 that was used.

19 VICE CHAIRMAN WALLIS: Well, don't  
20 prevaricate on me. I'm sorry.

21 MR. ARCHITZEL: Okay.

22 VICE CHAIRMAN WALLIS: But look, you've  
23 got 300,000, you've got 10,000, you've got very simple  
24 math to show that if there is a thin bed of this  
25 stuff, which is fine particulate, you're going to have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 trouble.

2 And your decision to say you've now got to  
3 use 10D or something like that rather than the 1,000  
4 psi which they recommended has a profound effect on  
5 this problem, this part of the problem. And there  
6 seems to be no basis of understanding about what  
7 coatings do to put filtration in on the bed.

8 So you're taking, well, I know Petrangelo  
9 said that it's a big step into the dark in another  
10 context but this seems to be like another one of  
11 those, isn't it? I'm trying to help you to clarify  
12 where you are. I'm not trying to criticize you guys.

13 I just want to bring out where I think you  
14 are in this problem.

15 MR. ARCHITZEL: I believe the staff does  
16 recognize that there is data here we simply don't --  
17 we don't have a defensible basis for either 1,000 psi  
18 damage pressure or a 10 psi damage pressure.

19 I think it's rather misleading for the  
20 industry to say that the staff has increased the size  
21 by three orders of magnitude when, in fact, it should  
22 be 100 percent based on the knowledge we have today.

23 VICE CHAIRMAN WALLIS: We should assume  
24 all the coatings go to the screen?

25 MR. LATELLIER: There is no evidence to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 support otherwise. That's why the staff is not --

2 VICE CHAIRMAN WALLIS: Well, why does the

3 --

4 MR. LATELLIER: -- endorsing --

5 VICE CHAIRMAN WALLIS: -- staff not --

6 MR. LATELLIER: -- the --

7 VICE CHAIRMAN WALLIS: -- say that?

8 MR. LATELLIER: -- 1,000 psi damage  
9 contour.

10 VICE CHAIRMAN WALLIS: Well, why does the  
11 staff not then say that we're going to be conservative  
12 since we know nothing and it all goes to the screen.

13 MR. ARCHITZEL: I'd like to correct that.  
14 I mean we have a tremendously conservative alternate  
15 position so we're not --

16 VICE CHAIRMAN WALLIS: What can be more  
17 conservative --

18 MR. ARCHITZEL: -- going to --

19 VICE CHAIRMAN WALLIS: -- than saying they  
20 --

21 MR. ARCHITZEL: -- it's not like steam  
22 blowing breaks have not never happened in plants.  
23 They've had steam blowing, they've had water breaks,  
24 we know that all the coatings don't come off.

25 VICE CHAIRMAN WALLIS: But he just said --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARCHITZEL: So we're not going to --

2 VICE CHAIRMAN WALLIS: -- said you should  
3 assume that it all comes off because we don't know  
4 enough.

5 MR. ARCHITZEL: I'm not agreeing with  
6 that. We have some --

7 VICE CHAIRMAN WALLIS: You see but okay --  
8 so we've now established that there is internal debate  
9 among the staff and its consultants about what they  
10 know about these problems. Have we not? You disagree  
11 with him.

12 MR. ARCHITZEL: Angie was the reviewer in  
13 this area. Let me back out of it, okay. Angie  
14 Lauletta.

15 MS. LAURETTA: This is Angie Lauletta. We  
16 are very much aware that there is a lack of data in  
17 this area. That is why in the SER we have asked that  
18 licensees come in with justified values based on  
19 experimental data or have provided a default value.  
20 That is the only value we are able to justify  
21 proposing. There --

22 VICE CHAIRMAN WALLIS: So let me put that  
23 in perspective. You guys do this on so many things.  
24 You put it on the licensees. Now is each individual  
25 licensee going to develop a technical base which is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bigger than you folks have with your consultants?  
2 Each one of them? Or is it going to be some industry  
3 consortium that's going to establish all these  
4 knowledge bases which you don't have?

5 MS. LAURETTA: It's our responsibility to  
6 review the guidance that was proposed by the industry.  
7 It is our expectation that when they come in with a  
8 proposal that they are able to justify what they  
9 proposed.

10 VICE CHAIRMAN WALLIS: But if you -- I'm  
11 sorry --

12 MS. LAURETTA: We were not able to do that  
13 in this --

14 VICE CHAIRMAN WALLIS: -- but if you know  
15 --

16 MS. LAURETTA: -- case.

17 VICE CHAIRMAN WALLIS: -- nothing about  
18 it, how can you evaluate what they propose?

19 MS. LAURETTA: They don't know anything  
20 about it either.

21 VICE CHAIRMAN WALLIS: Well, that is a  
22 very profound statement. Thank you.

23 (Laughter.)

24 MR. ARCHITZEL: I think with the time  
25 we've argued about this, the next topic --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 PARTICIPANT: Let's move on.

2 MR. ARCHITZEL: I'd like to -- at this  
3 point, generally we accepted the characteristics of  
4 debris that's in the guidance report. There were some  
5 modifications of particulates. And then as far as the  
6 ACRS questions, I think I've already talked about the  
7 -- we've revised -- we visited the destruction  
8 pressure definition. We've changed this. Dr. Wallis  
9 noticed Appendix I with its additional explanations.

10 VICE CHAIRMAN WALLIS: Is it going to  
11 change tomorrow night?

12 MR. ARCHITZEL: We're done changing  
13 Appendix I. We got them all unless we get additional  
14 comments.

15 We may do a clean up on the definition of  
16 destruction pressures through the document because  
17 that was the point you made. But it's not going to be  
18 anything other than editorial clean up on that --  
19 additional cleanup.

20 On the paint chip size, that was a  
21 question that was raised by the ACRS for the no thin  
22 bed analysis. We decided that -- we placed a  
23 requirement that the paint chip size should be the  
24 size of the screen openings. And that's what is in  
25 the SE right now for that situation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: That's bad. And  
2 you're assuming that paint chips come which could  
3 actually cover the screen?

4 MR. ARCHITZEL: We haven't done a --

5 VICE CHAIRMAN WALLIS: That's like leaves  
6 on the drain in a street?

7 MR. ARCHITZEL: No, actually what we have  
8 -- we had that discussion --

9 VICE CHAIRMAN WALLIS: Is that an analogy  
10 of paint chips on this screen are like leaves --

11 MR. ARCHITZEL: -- if you did it that way  
12 and you --

13 VICE CHAIRMAN WALLIS: -- like leaves on  
14 a drain in the street, you've seen what they do to a  
15 drain on the street?

16 MR. ARCHITZEL: Right, the point is --

17 VICE CHAIRMAN WALLIS: The drain has bars  
18 like a screen and a few leaves have to be dug off by  
19 somebody coming by.

20 MR. ARCHITZEL: There's two ways to look  
21 at it. Either you could look at it as a surface  
22 coverage-type effect like the latent debris and the  
23 placards. Or you could look at it like a correlation  
24 problem.

25 We have been actively revising the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 treatment in the SE to say with paint chips under this  
2 condition, you could look at transport. They're  
3 heavy. They don't necessarily transport. It's not in  
4 the version you saw last time.

5 So we're trying to be practical because if  
6 we did take your approach, you're right with 100,000  
7 square feet -- licensees aren't going to build 100,000  
8 foot screens but then you can say how does it  
9 transport? How is the head loss? You have to do an  
10 intelligent look at the head loss associated with  
11 paint chips which isn't a coverage thing. It's more  
12 how does it build up, it's own particulate. There is  
13 a need to examine that.

14 And I guess that's end of my part of the  
15 presentation.

16 VICE CHAIRMAN WALLIS: All right. Thank  
17 you very much, Ralph.

18 MS. LAURETTA: I'd like to add something.  
19 I'd like to add that the reason we have decided to go  
20 forward with this is because the 10D we have proposed  
21 is something we have confidence in as a conservative  
22 default. That's what --

23 VICE CHAIRMAN WALLIS: Why do you have  
24 confidence --

25 MS. LAURETTA: -- enables us --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: -- why do you have  
2 confidence in it as a conservative default. Why isn't  
3 it 20D? Or 50? Or 100? Or 9.6?

4 MS. LAURETTA: Precedent.

5 VICE CHAIRMAN WALLIS: Possible?

6 MS. LAURETTA: Precedent.

7 VICE CHAIRMAN WALLIS: Precedent? You  
8 mean you've made this --

9 MS. LAURETTA: Well, it was done --

10 VICE CHAIRMAN WALLIS: -- guess before?

11 MS. LAURETTA: The staff has established  
12 the position with the BWRs and we are standing behind  
13 what was done --

14 VICE CHAIRMAN WALLIS: And do you know --

15 MS. LAURETTA: -- and accepted --

16 VICE CHAIRMAN WALLIS: -- what the basis  
17 of that decision was? Why do you have this supreme  
18 confidence that it is conservative?

19 MR. LATELLIER: If I can address some of  
20 the history, I believe that the industry was very  
21 proactive in offering the pressure wash data that they  
22 have provided in Appendix A of the GR. This was a  
23 high-pressure impingement environment unfortunately  
24 that did not address relevant temperature ranges.

25 And there is a continuing debate about the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 effect of both temperature and rapid temperature  
2 transients on the effects of coating and possible  
3 delamination. For that reason, the staff is not  
4 comfortable in endorsing the 1,000 psi damage contour  
5 proposed by the industry.

6 However, we have considered that  
7 information as approaching the relevant conditions  
8 that we're interested in. And we don't want to be --  
9 to impose an undue penalty by assuming 100 percent  
10 failure.

11 However, we are also recognizing that  
12 there is very little data to provide a defensible  
13 basis for either side of this issue. And essentially  
14 we are asking for that information to be provided  
15 either by individual licensees or by an industry  
16 consortium, which has been the typical mode of  
17 practice in the past.

18 VICE CHAIRMAN WALLIS: Now, Bruce, you're  
19 almost writing my review for me. You've said there's  
20 very little data to provide a defensible basis. I'm  
21 tending to reach that feeling myself.

22 MR. LATELLIER: You would simply be  
23 emphasizing our concerns.

24 VICE CHAIRMAN WALLIS: But when you say  
25 that and someone else says we're sure something is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conservative, I don't understand the logic.

2 MR. LATELLIER: As I've said, we've tried  
3 to give due consideration to the information that has  
4 been provided. That the pressure regimes are  
5 relevant, the temperatures are not.

6 VICE CHAIRMAN WALLIS: I understand you're  
7 doing the best you can with what you have. And that's  
8 very appropriate. There's got to be a logical thread  
9 in the argument if you just follow this by a layperson  
10 and someone who isn't as knowledgeable about it as you  
11 are.

12 MR. MURPHY: This is Martin Murphy. I  
13 also want to point out that qualified coatings are  
14 tested at pressures and temperatures. And, therefore,  
15 it does give us confidence that coatings outside the  
16 zone of influence will be able to stay adhered in the  
17 event of an accident.

18 VICE CHAIRMAN WALLIS: These are the  
19 qualified coatings which have been inspected and all  
20 that sort of thing?

21 MR. MURPHY: That's correct.

22 VICE CHAIRMAN WALLIS: Okay. Let's move  
23 on.

24 MR. WAGAGE: Good morning. My name is  
25 Hanry Wagage. I'm going to present to you the staff

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 evaluation of debris transport section of the  
2 guidance.

3 I recognize that we are pressed for time.  
4 I'll quickly go through the presentation unless you  
5 have questions.

6 VICE CHAIRMAN WALLIS: Well, this  
7 conservative -- here we've got the word conservative  
8 again. And I see 60 percent here, 15 percent there,  
9 70 percent there. Is --

10 MR. WAGAGE: I will --

11 VICE CHAIRMAN WALLIS: -- this someone's  
12 feeling that they are conservative values? Or are  
13 they -- again, Bruce said there's some sort of basis.  
14 So I guess I'll leave it alone. Let's go on.

15 MR. WAGAGE: If I answer that question,  
16 what we did was to use the baseline guidance and  
17 detailed analysis to calculate for the volunteer  
18 plant. Then we compared the results and then we  
19 decided by going through detailed analyses this --

20 VICE CHAIRMAN WALLIS: It seems to me that  
21 the staff and its management should get together and  
22 rigorously say what steps we're going to go through in  
23 order to make the statement that something is or is  
24 not conservative because this word is used so loosely  
25 that I don't know what you mean. Maybe you do but --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WAGAGE: What I mean by conservative  
2 is that it gives a worse condition than the realistic  
3 conditions.

4 VICE CHAIRMAN WALLIS: The worst? Worse  
5 than what's realistic? Well, let's go --

6 MR. WAGAGE: Realistic.

7 VICE CHAIRMAN WALLIS: -- on. I just made  
8 my statement. Let's move on.

9 CHAIRMAN BONACA: This is for the baseline  
10 calculation.

11 MR. WAGAGE: Yes. For the -- these are  
12 the key points of the baseline guidance --

13 CHAIRMAN BONACA: Yes, I understand.

14 VICE CHAIRMAN WALLIS: -- on debris  
15 transport. This methodology is based on NUREG/CR-6762  
16 log tree. The objective of this methodology is to  
17 calculate the conservative higher mass of debris going  
18 onto the sump screen.

19 We discuss different transport mechanisms  
20 given the presentations before. It's important to  
21 remember that baseline guidance assume only small fine  
22 debris would transport onto the sump screen. Large  
23 debris would stop by grading, radiological sensors,  
24 and trash facts.

25 In sort of going through our detailed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 analysis to get the final number, the baseline  
2 guidance uses conservative fractions to quantify the  
3 logic tree. These guidance are the two analytical  
4 refinements brought through on pool debris transport.  
5 They were --

6 VICE CHAIRMAN WALLIS: Could we just move  
7 on to the end of this. I mean you've said they're  
8 conservative. You did actually modify their guidance  
9 by having this 15 percent value? You only allowed  
10 them to hang out 15 percent in the pools, the remote  
11 pools or something? Why did you do that?

12 MR. WAGAGE: Yes, that comes in the next  
13 slide under limitations, you've got the --

14 VICE CHAIRMAN WALLIS: Well, maybe that's  
15 what we need to discuss --

16 MR. WAGAGE: -- yes --

17 VICE CHAIRMAN WALLIS: -- otherwise we  
18 don't need to spend much time on this?

19 MR. WAGAGE: Yes, actually we're talking  
20 about the relocation into --

21 VICE CHAIRMAN WALLIS: Your limitations.

22 MR. WAGAGE: -- inactive pools. The  
23 baseline guidance assumed that the fraction of debris  
24 moving into inactive pools is the fact on fraction of  
25 inactive pools and the total sump pool. Inactive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pool, for example, is reactor cavity when water is  
2 stagnant, which would not participate --

3 VICE CHAIRMAN WALLIS: Debris gets in --

4 MR. WAGAGE: -- and it would not come onto  
5 the sump screen.

6 VICE CHAIRMAN WALLIS: That's what you  
7 need is lots of inactive pools.

8 MR. WAGAGE: Yes, it's good but beside  
9 it's very hard to base our analysis --

10 VICE CHAIRMAN WALLIS: If you could divert  
11 the debris to the inactive pools, you'd be in great  
12 shape wouldn't you?

13 MR. WAGAGE: That's true, yes.

14 VICE CHAIRMAN WALLIS: And yet you're only  
15 giving them 15 percent credit so there seems to be a  
16 chance here to do something?

17 MR. WAGAGE: The reason of giving 15  
18 percent limit is that this assumption of one fraction  
19 is equal to the amount of debris moving to the  
20 inactive pools has other assumptions in all, that the  
21 debris is uniformly mixed with water. But that  
22 doesn't ever happen.

23 So we wanted to limit that to 15 percent.  
24 However, we let licensees come up with analysis --

25 VICE CHAIRMAN WALLIS: What's the basis of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your 15 percent? Why wasn't it 25 or seven or zero?

2 MR. WAGAGE: We did the debris transport  
3 for the volunteer plant.

4 VICE CHAIRMAN WALLIS: You ran the  
5 computer program or something? And you said that in  
6 the end with some sort of uncertainties statistically  
7 you got 15 percent? Or you ran some sort of logical  
8 --

9 MR. WAGAGE: Let me just finish --

10 VICE CHAIRMAN WALLIS: -- validation of  
11 this 15 percent or did it come from somewhere?

12 MR. WAGAGE: Let me first tell you what we  
13 did. What we did was --

14 VICE CHAIRMAN WALLIS: Did it come from  
15 somewhere? Just tell me in about six sentences the  
16 basis of the 15 percent that's believable.

17 MR. WAGAGE: The basis of the 15 percent  
18 is the analysis we did for the volunteer plant using  
19 the detailed analysis and the baseline guidance. The  
20 baseline guidance gave 14 percent for the volunteer  
21 plant and we came up for the volunteer plant, it's  
22 close to 15 percent. We gave a round number of 15  
23 percent.

24 We had to come up with some number.  
25 That's why --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: You had to come up  
2 with some number?

3 MR. WAGAGE: Some number we can base on --

4 VICE CHAIRMAN WALLIS: That's why you --

5 MR. WAGAGE: -- our basis is the volunteer  
6 plant analysis.

7 MR. SCHAFFER: Dr. Wallis, this is Clint  
8 Schaffer of Terry Corporation. I did a lot of the  
9 transport analysis for the volunteer plant.

10 And our biggest concern with that model  
11 that's in the NEI guidance was that it's not based  
12 upon real physics. And we also don't have a survey on  
13 how big the inactive pools could be for the fleet of  
14 plants out there.

15 So our only way of judging this was to  
16 evaluate the volunteer plant in detail, apply the  
17 baseline guidance to that plant, and compare then side  
18 by side. In doing so, it was found that if we had a  
19 15 percent inactive pool, that was okay for this one  
20 plant.

21 We were concerned about where to put the  
22 limit so we just based it on that gauge. Fifteen  
23 percent was okay for the one plant analyzed in detail.

24 And I think we have wording that says if  
25 they can justify more, then let them do so. But we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 had to cap it.

2 CHAIRMAN BONACA: Wouldn't that number --  
3 let me finish -- the number depend on the relative  
4 position of the breaks to the screen to the sump?

5 MR. SCHAFFER: It depends on a lot of  
6 factors. First of all, it depends on the  
7 compartmentalization around the break itself.  
8 Obviously if it's highly compartmentalized, you might  
9 keep a lot of debris right there in the break zone.

10 Also a lot of the debris gets blown into  
11 the upper reaches, which comes down at a later time.

12 The big concern is that the inactive pool  
13 might already be filled by the time a lot of the  
14 debris comes to the sump pool. There are so many  
15 factors involved.

16 MEMBER ROSEN: Well, how did you deal with  
17 the fact that the volunteer plant may, in fact, have  
18 better hold up of inactive pools than all the other  
19 plants or many other plants? It seems to me that it  
20 could be next to no hold up in some plants.

21 MR. SCHAFFER: Well, in the volunteer  
22 plant, the analysis illustrated something like three  
23 percent of the fibrous debris made it into the  
24 inactive pool. And when it applied to baseline, there  
25 was 14 percent.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So the baseline highly over-estimated the  
2           inactive pool fraction here but see there's other  
3           places in the models where the NEI guidance is over-  
4           conservative. So we're actually trying to balance  
5           over and under conservatisms of which you can't really  
6           quantify.

7           But here is one case where we could  
8           quantify it as a package.

9           MEMBER ROSEN: Well, that's just mumbo-  
10          jumbo to me. The idea that the volunteer plant could  
11          demonstrate about 15 percent if good. And that's one  
12          stake in the ground. But it's only a stake in the  
13          ground for that plant. And going back to saying well,  
14          you know, there's a lot of conservatism in this  
15          analysis, so some plant that really only can hold up  
16          three percent if going to have to deal with the  
17          requisite amount of debris anyway really doesn't give  
18          me a lot of comfort.

19          MR. LATELLIER: Dr. Rosen, this is Bruce  
20          Latellier. There is one important attribute of the  
21          volunteer plant that needs to be understood.

22          This particular plant has an elevated  
23          steam compartment cavity so that the sump pool is not  
24          actually able to fill a significant fraction of the  
25          sump. It has an annular pool only.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Whereas most plants, the sump pool is on  
2 the same level, the same elevation as the steam  
3 generator compartments. Therefore, the level of  
4 turbulence in this annular pool is much higher than  
5 you might expect for other cases.

6           And that gave us some confidence that our  
7 residual hold up fraction was bounding.

8           MEMBER ROSEN: Well, that's helpful.

9           MR. LATELLIER: It was appropriately low.

10          MR. WAGAGE: During our presentation to  
11 the ACRS subcommittee on thermal hydraulics two weeks  
12 ago, we had a question on debris moving into the upper  
13 containment. The subcommittee asked justification for  
14 the fraction of debris moving into the upper  
15 containment.

16          The justification was that when they did  
17 detailed analysis for the volunteer plant, it had less  
18 -- it had significantly higher amount of debris moving  
19 into the upper containment. The reason is that once  
20 the debris moving into the upper containment, part of  
21 that would not end up on the sump screen.

22          So based on our volunteer plant analysis,  
23 we accept that fraction of debris moving into the  
24 upper containment in the baseline.

25          Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIRMAN WALLIS:    Now, I'm just  
2                   trying to see how we're pacing the presentation here.  
3                   We have some details on head loss and we have some  
4                   details on downstream effects, alternate evaluation.  
5                   And then there's going to be some wrap up from the  
6                   staff. Is that your total presentation? Or is there  
7                   another --

8                   MEMBER SIEBER:    You have to do that all in  
9                   three minutes.

10                  PARTICIPANT:    That's it.

11                  VICE CHAIRMAN WALLIS:    Okay, thank you.

12                  MR. LU:        This is Shanlai Lu from Plant  
13                  Systems. I'm going to cover the SUS actions, head  
14                  loss section. It is an important section because this  
15                  issue comes from the head loss and we're hope we're  
16                  ending at the head loss section because what's  
17                  automated design available, what's the exact head loss  
18                  if the plant makes the modification?

19                  The question here is how you are going to  
20                  calculate the head loss across the screen with a given  
21                  debris bed. And ACRS questioned the NEI document and  
22                  the SER in terms of the user of NUREG/CR-6224. And  
23                  especially last time, the industry asked a very simple  
24                  question.

25                  And NUREG/CR-6224 correlation is am

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 empirical correlation. It has been validated against  
2 test data. The temperature range for the test data is  
3 between 60 to 125. Can the industry use it beyond  
4 125? So that's one of the issues -- major issues  
5 right now we're trying to address.

6 And the staff did a lot of analysis during  
7 the past two weeks. We're trying to address this  
8 issue. And the research and Bill Krotiuk did a lot of  
9 work to just come up with the basis.

10 At this point, the staff is comfortable to  
11 expand the application range of the temperature in  
12 terms of temperature --

13 VICE CHAIRMAN WALLIS: You have done more  
14 experiments in the last week?

15 MR. LU: No, analysis.

16 VICE CHAIRMAN WALLIS: Why did you extend  
17 the range to 220 when --

18 MR. LU: Okay, that's one thing we are  
19 trying to explain that to you. And I don't know  
20 whether we can do it within three minutes.

21 VICE CHAIRMAN WALLIS: You did not do any  
22 more experiments?

23 MR. LU: No.

24 VICE CHAIRMAN WALLIS: And yet you  
25 extended a data range?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LU: Correct.

2 VICE CHAIRMAN WALLIS: How did you do  
3 that?

4 MR. LU: Correct. The data in question,  
5 everybody believes that for the empirical correlation,  
6 you always have to stay within the test data range.  
7 That was our position before. And then, of course, if  
8 you stay within 125 degree, you cannot make it.  
9 Nobody can really use it.

10 Based on Tom Hafera's presentation, you  
11 can see at least the 187 core temperature. So how can  
12 you apply this correlation? If it cannot be applied  
13 any methodology? And the answer is no at this point,  
14 okay?

15 So what we did, we just did -- Research  
16 did a sensitivity study trying to identify -- learning  
17 what's the physical phenomenon which would stop us  
18 from using this correlation beyond 125 degree. And  
19 when we found the limiting physical phenomenon  
20 actually is the air bubble formation seen --

21 VICE CHAIRMAN WALLIS: Now wait a minute,  
22 this is a new phenomenon that's never been studied  
23 before. As I understand it, you get an anomalous  
24 behavior of calcium silicate in one test at Los Alamos  
25 at this temperature of 125. You don't know why it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 happens. It may be due to some kind of rearrangement  
2 of the particles or some kind of way in which they  
3 interact. Who knows?

4 And you're going to extend that to 220  
5 with out understanding what's going on? Are you going  
6 to say it's due to air bubble formation which is a new  
7 hypothesis?

8 MR. LU: Yes, that's right, that's the  
9 physical -- yes.

10 VICE CHAIRMAN WALLIS: Am I --

11 MR. KROTIUK: Dr. Wallis -- may I -- just  
12 a moment please.

13 My name is Bill Krotiuk. I'm with the  
14 Office of Research. What I did is that I looked at --  
15 made an assumption that the water upstream of the  
16 screen was completely saturated with dissolved air.  
17 And then using -- and the amount of that dissolved air  
18 was -- basically came out of test data that was run  
19 around 1975.

20 And as a result with the pressure drop  
21 through the screen, there were two considerations.  
22 One is that the pressure downstream of the screen had  
23 to remain above the saturation temperature of the  
24 water in the pool to prevent flashing --

25 VICE CHAIRMAN WALLIS: To prevent loss of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 NPSH for one thing.

2 MR. KROTIUK: Right, yes. And then the  
3 second thing was to -- the assumption was made that  
4 when you drop that pressure, that the amount of air  
5 that was dissolved would come out of solution and form  
6 a void. So that was the second criteria.

7 And the criteria was that the void  
8 fraction on the downstream side of the screen had to  
9 remain lower than three percent --

10 VICE CHAIRMAN WALLIS: But Bill, Bill, I  
11 think you've done a great job. But does it have to do  
12 with the correlation, which for flow through of a bed.

13 MR. KROTIUK: Right.

14 VICE CHAIRMAN WALLIS: I mean bubbles come  
15 out. That's a different phenomenon. Bubbles came out  
16 in the Los Alamos tests. There were a whole lot of  
17 bubbles dancing --

18 MR. KROTIUK: That'S correct.

19 VICE CHAIRMAN WALLIS: -- underneath the  
20 bed in their tests. You already have bubbles. That  
21 was never analyzed by them as causing any effect  
22 whatsoever.

23 MR. KROTIUK: Right.

24 VICE CHAIRMAN WALLIS: And the NUREG  
25 correlation doesn't say anything about bubbles. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 don't want to cut you off but I don't see the  
2 relevance in the production of bubbles.

3 MR. KROTIUK: Could I make one other  
4 comment -- is that additionally I looked at the effect  
5 of the properties of the water, meaning the viscosity  
6 plus the density. And what happens as you increase  
7 temperature, the viscosity reduces.

8 And it actually, the correlation then, you  
9 know, it's directly proportional to viscosities, so  
10 the pressure drop would actually decrease. So that's  
11 the other consideration.

12 MEMBER SHACK: Did you do any calculations  
13 to match against an observable temperature dependence  
14 over the range for which you do have data?

15 MR. KROTIUK: Yes.

16 MEMBER SHACK: And your calculations  
17 predict that dependence?

18 MR. KROTIUK: Yes -- basically yes.

19 MR. LU: Yes, I'm going to show you plot  
20 here.

21 VICE CHAIRMAN WALLIS: And I thought there  
22 was an uncertainty. The cal-sil specific area had to  
23 be adjusted for each data point.

24 MR. LU: That's really what we need. If  
25 it's within three percent, we can tolerate that. But

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 if it's beyond that --

2 VICE CHAIRMAN WALLIS: I don't understand  
3 what you're doing here. You're trying to claim that  
4 you've extended the database. You have not. You have  
5 extrapolated it to 220.

6 MR. LU: We can extend the application  
7 range of the --

8 VICE CHAIRMAN WALLIS: You've extrapolated  
9 --

10 MR. LU: Extrapolated.

11 VICE CHAIRMAN WALLIS: -- using  
12 assumptions.

13 MR. LU: That's right, based on analysis.

14 VICE CHAIRMAN WALLIS: You extrapolated an  
15 extraordinarily database.

16 MR. LU: In terms of coming out of the  
17 water, there's actually a lot of data there.

18 MEMBER ROSEN: What is the need for doing  
19 all this? It seems to me we're just talking about a  
20 high temperature test.

21 MR. LU: Yes.

22 MEMBER ROSEN: Well, that's not beyond the  
23 state of the art.

24 MR. LU: Yes, you are correct because the  
25 major issue right now is first, of course, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 viscosity. But the viscosity drops if you have higher  
2 temperature. And so that if you do drop -- and so the  
3 test was what's the upper limit.

4 MEMBER ROSEN: Why don't you just do this  
5 in a loop with a higher temperature? And stop all  
6 this calculation.

7 MR. LU: And if we knew that it would  
8 drop, if it remains in a single phase, we don't need  
9 it to. Why? Why do we need to run a test if we know  
10 what the outcome would be?

11 MEMBER ROSEN: Because a lot of people  
12 don't believe that the way --

13 MR. LU: They don't believe they need to  
14 understand as why viscosity drops the temperature goes  
15 higher.

16 MEMBER ROSEN: I think we understand that.

17 MR. LATELLIER: If I could add one  
18 clarification. There are two important issues here  
19 when we talk about the possible effects of  
20 temperature. One, which the staff has focused on  
21 recently, is simply the behavior of water properties  
22 and its association with head loss. Those phenomenon  
23 is an explicit part of the development of the  
24 correlation.

25 The other aspects, which I believe Dr.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Wallis is focusing on, have to do with changes in the  
2 bed morphology, how is it packed, how does it respond  
3 to long-term immersion. There are a number of issues  
4 that may be important.

5 We have tried to test to look for those  
6 effects in Nukon fiberglass beds. And we have not  
7 observed them over the limited test range --  
8 admittedly limited test range that we have.

9 Those effects largely fall into the  
10 category of similar to those insulation types that  
11 have not been tested. There are simply some  
12 configurations that we don't -- have not fully  
13 investigated. And that will always be true. But I'd  
14 like to keep those distinctions in mind.

15 VICE CHAIRMAN WALLIS: Well, I think -- I  
16 like what you say, Bruce, it's always very helpful.  
17 But what I'm hearing from this presentation seems to  
18 be extraordinary.

19 You have -- if you look at the tests, some  
20 of these numbers like this 880,000 three to the minus  
21 one is based on one data point of one test at one flow  
22 rate with one composition of the bed and one thickness  
23 at one temperature. You're going to extrapolate that  
24 to something?

25 MR. LU: That's right. Right now we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 trying to extrapolate just the temperature.

2 VICE CHAIRMAN WALLIS: I don't think you  
3 want to dig the hole any deeper. I mean do you want  
4 to go on with this presentation?

5 MR. LU: Okay, well, I think we have the  
6 basis to why we can extrapolate the application range  
7 of the correlation beyond 125. But at this point, the  
8 calculation we can provide it to you.

9 The next item, and I understand it's also  
10 one of the major items the subcommittee raised is  
11 about a thin bed effect and also during the  
12 subcommittee presentation and Dr. Wallis you asked for  
13 at least one page of description, a physical  
14 description.

15 VICE CHAIRMAN WALLIS: I was very happy to  
16 see a description in Appendix E, I think it is.

17 MR. LU: Yes, that's --

18 VICE CHAIRMAN WALLIS: A boxed in  
19 description of --

20 MR. LU: Exactly, that's what Clint  
21 Schaffer did during the past two weeks with the staff  
22 together. And they did Appendix --

23 VICE CHAIRMAN WALLIS: I would say that  
24 the cause is not yet known. It's hypothetical. But  
25 it has been observed that a thin layer of a few mils

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or less than a millimeter of particles, not a fibrous  
2 bed, it's really the particulates the key thing,  
3 causes a high head loss. You don't quite know why.

4 MR. LU: Okay.

5 VICE CHAIRMAN WALLIS: That is the --

6 MR. LU: There is one thing I want to just  
7 explain --

8 VICE CHAIRMAN WALLIS: And this thin layer  
9 can be any anywhere in the bed.

10 MR. LU: Yes.

11 VICE CHAIRMAN WALLIS: And there's nothing  
12 magical about an eighth of an inch of fiberglass.

13 MR. LU: Right.

14 VICE CHAIRMAN WALLIS: There's nothing  
15 magical about, you know, it being particularly thin  
16 bed. It's just that a small amount of particulates,  
17 if it gets together --

18 MR. LU: Right.

19 VICE CHAIRMAN WALLIS: -- like the mud on  
20 the beaver dam, can stop water going through.

21 MR. LU: Okay.

22 VICE CHAIRMAN WALLIS: Like the clay on  
23 the --

24 MEMBER SIEBER: You need some fibers.

25 MR. LU: You need the fiber to sustain.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: That's really the

2 --

3 MR. LU: To support.

4 MEMBER SIEBER: You need the fibers to  
5 start it.

6 VICE CHAIRMAN WALLIS: But there is fiber  
7 in cal-sil and cal-sil beds have been --

8 MR. LATELLIER: Yes, cal-sil has its own  
9 fiber. That's the reason.

10 VICE CHAIRMAN WALLIS: And there's fibers  
11 in the debris on the floor of the plant and --

12 MR. LU: That's right. So to form a thin  
13 bed, you have to at least have two parameters there.  
14 You have to have a particulate and you have the fiber.

15 VICE CHAIRMAN WALLIS: You have them there  
16 all the time in any plant.

17 MEMBER SIEBER: Yes.

18 MR. LU: That's right. But you may not  
19 have --

20 VICE CHAIRMAN WALLIS: If you vacuum the  
21 floor and take out this and take out that --

22 MR. LU: Right.

23 VICE CHAIRMAN WALLIS: You might not have  
24 them any more.

25 MR. LU: That's right. That's the reason

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we are saying that a thin bed effect is a very  
2 important effect. It needs to be considered in head  
3 loss calculation.

4 VICE CHAIRMAN WALLIS: I find this thin  
5 bed thing something like religion.

6 MR. LU: It's --

7 VICE CHAIRMAN WALLIS: You invoke it. You  
8 invoke it. But -- and there is a description. At  
9 least I've got a description of it.

10 MR. LU: Yes.

11 VICE CHAIRMAN WALLIS: But not seeing any  
12 hard-nosed explanation of it, what it is, why it is,  
13 how you predict it, what its consequences are, what  
14 its limitations are, what kinds of things create it,  
15 and what things don't, you know did -- okay.

16 MR. LU: But in three minutes --

17 VICE CHAIRMAN WALLIS: That's the first  
18 step. You've described what you think it is.

19 MR. LU: But I'm trying to -- actually,  
20 I'm trying to do that but I don't think in three  
21 minutes I can really explain every single detail where  
22 it goes. But there are 20 pages --

23 VICE CHAIRMAN WALLIS: But the bottom line  
24 is --

25 MR. LU: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: -- it's got to be  
2 evaluated by the plants.

3 MR. LU: That's right.

4 VICE CHAIRMAN WALLIS: That's the bottom  
5 line.

6 MR. LU: It needs to be evaluated because  
7 it may introduce high head loss.

8 VICE CHAIRMAN WALLIS: It's the effect of  
9 getting all the particles together so they make an  
10 impervious layer almost an impervious layer.

11 MR. LU: That's right.

12 VICE CHAIRMAN WALLIS: It has to be  
13 evaluated by the plants.

14 MR. CULLISON: Can I interrupt just a  
15 second? Graham, because I hear a couple of different  
16 things here I want to clarify.

17 First of all, I think that when you  
18 discussed thin bed, you're thinking about it only in  
19 terms of cases where you don't have a thick bed, that  
20 is I think that Dr. Wallis is considering the  
21 possibility of inhomogeneous beds.

22 And I don't -- are you considering that  
23 possibility that you might require -- assuming that  
24 there is a lot of insulation that's on the bed, and  
25 it's a thick bed, are you considering the possibility

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of requiring consideration of inhomogeneous beds?

2 MR. LU: Okay, first off, if you look at  
3 debris generation as it is right now and from the  
4 break location through the transport, you have to  
5 remember the picture, the first picture we showed of  
6 the plant. And it goes through that. The first 20 or  
7 30 seconds, you generate all the debris and the debris  
8 starts to flow around and mix together.

9 It's very hard, it's very, very, hard,  
10 practically to justify, you are going to have a pure  
11 inhomogeneous bed. It's very hard. And most likely  
12 what comes to the sump screen is actually well mixed  
13 is number one.

14 The second, and experimentally it's  
15 impossible to generate an inhomogeneous bed. If you  
16 run a test facility, you dump the fiber first. You  
17 dump the particulate later. You are going to have  
18 that one.

19 But in reality, it's just -- I just cannot  
20 -- from engineering judgment side, I just cannot see  
21 how come --

22 VICE CHAIRMAN WALLIS: Let me give you a  
23 different constrained judgment. The particles are  
24 very mobile. They go through the screen initially.

25 MR. LU: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: And are swept out  
2 of the -- they go through the screen. It goes through  
3 the rapture.

4 MR. LU: Right.

5 VICE CHAIRMAN WALLIS: They go all around  
6 the thing. By the time they get back to the screen,  
7 the fiberglass is there.

8 MR. LU: Right.

9 VICE CHAIRMAN WALLIS: So you filter them  
10 out on the fiberglass. Is that engineering judgment?

11 MR. LU: Okay, hold on. Let me just give  
12 you -- to extrapolate a little bit on that phenomenon.

13 When it comes in, it's not just  
14 particulate itself. It's also with some other fibers.  
15 If you do not have a raw mixture of just pure  
16 particulate, your phenomenon is credible.

17 But if you still do have a mixture with  
18 other fibers, you mentioned that the fiber may come  
19 later, right? And then after going through the --

20 VICE CHAIRMAN WALLIS: I said the  
21 particles might come later.

22 MR. LU: Yes, particle may go on later or  
23 your fiber will mix with that, so you may have --

24 VICE CHAIRMAN WALLIS: So they may come  
25 later because this -- when you start the pumps, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know, the fibers go down, then you start the pumps.  
2 The fiberglass pulls up to the screen.

3 MR. LU: Right.

4 VICE CHAIRMAN WALLIS: Now the pumps spray  
5 water into the containment, which washes down the  
6 dust.

7 MR. LU: Right.

8 VICE CHAIRMAN WALLIS: Which is fine.

9 MR. LU: Right.

10 VICE CHAIRMAN WALLIS: And it filters out  
11 on the fiberglass.

12 MR. LU: In that case --

13 VICE CHAIRMAN WALLIS: I'm just suggesting  
14 there are plenty of scenarios where you don't get a  
15 homogeneous bed.

16 MR. HAFERA: That disagrees with the way  
17 the scenario works. The way the scenario works,  
18 again, spray starts early. The series of sprays will  
19 automatically start. And the only time they'll start  
20 as soon as your reactor -- your containment pressure  
21 gets --

22 VICE CHAIRMAN WALLIS: Where do they come  
23 from? Where does the water come from?

24 MR. HAFERA: It comes from the refueling  
25 water storage tank. It's clean water. It's clean

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 water. It's clean water.

2 VICE CHAIRMAN WALLIS: Okay.

3 MR. HAFERA: That's right.

4 VICE CHAIRMAN WALLIS: Okay, so you  
5 haven't started --

6 MR. HAFERA: For the first 27 minutes,  
7 it's clean water.

8 VICE CHAIRMAN WALLIS: Okay. But it comes  
9 later.

10 MR. HAFERA: Right. So then later -- and  
11 as Shanlai mentioned, so later --

12 VICE CHAIRMAN WALLIS: Washing down is  
13 later --

14 MR. HAFERA: -- you wash down your  
15 containers.

16 VICE CHAIRMAN WALLIS: So what comes later  
17 by wash down is not the same as what came earlier from  
18 the LOCA.

19 MR. HAFERA: That's correct.

20 VICE CHAIRMAN WALLIS: So there's a chance  
21 to have a nonuniform bed.

22 MR. LU: But just think about it as  
23 deeper. And the particulate may just go through the  
24 reactor system.

25 VICE CHAIRMAN WALLIS: But we're arguing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 qualitatively about whether your fantasy is more  
2 realistic than mine because we don't have anything  
3 sure to base it on.

4 MR. HAFERA: But it --

5 VICE CHAIRMAN WALLIS: I'm not going to  
6 argue about it. Well, that's not engineering.

7 MR. LU: Okay, then I guess we'll get to  
8 the next point and we still can't handle that. Even  
9 though it was an inhomogeneous bed and you have a  
10 layer of particulate deposited on the fiber, the  
11 current correlation can predict the same bad effect as  
12 it has right now.

13 VICE CHAIRMAN WALLIS: Have you checked  
14 that the correlation predicts the thin -- I thought  
15 the correlation was fixed up whenever you got a thin  
16 bed effect so that it went through the data points.

17 MR. LU: Yes, yes.

18 VICE CHAIRMAN WALLIS: It's not predicting  
19 anything.

20 MR. LU: Exactly. We did not -- actually  
21 once you get a thin bed effect, it's beyond, you know,  
22 the application range. You don't need to worry about  
23 it.

24 VICE CHAIRMAN WALLIS: Okay. Go ahead.

25 MR. LU: Okay, so in terms of NCR

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 requirement, that's the reason we want to require the  
2 licensee to perform the calculation for post thickness  
3 and consider the thin bed after licensee will remove  
4 all the debris.

5 So they still have to consider the latent  
6 debris deposited on the screen and the cause of thin  
7 bed which will give significant head loss. That's the  
8 requirement in SER.

9 And so in terms of head loss suction, and  
10 we tried to address -- actually responded to all the  
11 subcommittee comments and these are two major issues  
12 we tried to address. And based on our analysis, we  
13 believe we can extrapolate the correlation beyond the  
14 125 degree.

15 And also the thin bed has been defined in  
16 Appendix 8. And we're very detailed description --

17 VICE CHAIRMAN WALLIS: Just one more  
18 question. I see you're finishing up here.

19 MR. LU: Sure.

20 VICE CHAIRMAN WALLIS: So you're  
21 completely satisfied for all the basis for the  
22 correlation, all the mechanical, mechanistic-type  
23 theory that went into it, all the equations are based  
24 on something sensible, and that the data range is  
25 sufficient for you to have faith in this correlation?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LU: Yes.

2 VICE CHAIRMAN WALLIS: Is that a true  
3 statement?

4 MR. LU: Yes, at this point, I think --  
5 and it's reasonably bound the test data we have. And  
6 following the correct application procedure and there  
7 is always place we can improve. We can run more test.  
8 We can do more study.

9 But it's empirically later and then right  
10 now if we're talking about 36 pickup truck versus one  
11 pickup truck load of debris, and this part of  
12 uncertainty is actually -- we are using a surgeon's  
13 knife to cut the notch.

14 VICE CHAIRMAN WALLIS: Be careful about  
15 the words you use. I'm just giving you advice here.

16 When you say the correlation  
17 conservatively bounds, it's not -- it doesn't  
18 conservatively bound. If you fix up the correlation  
19 to change the coefficients so that it goes through the  
20 highest point, you know, of some very limited data,  
21 that's not really saying that the correlation  
22 conservatively bounds.

23 It's saying that you can fix it up to go  
24 through the highest point. But you didn't make any  
25 prediction about what was the biggest possibility.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 This conservatively bounding is based on either some  
2 enormous database or some mechanistic icon to how big  
3 it can be.

4 MR. LU: Right.

5 VICE CHAIRMAN WALLIS: Just sort of making  
6 it go through the highest point of small set of  
7 experiments doesn't really conservatively bound  
8 anything.

9 MEMBER KRESS: Let me ask you about your  
10 extrapolation.

11 MR. LU: Okay.

12 MEMBER KRESS: You, of course, know the  
13 viscosity of water as opposed to temperature.

14 MR. LU: Right, sure.

15 MEMBER KRESS: Do you correct the  
16 correlation for that viscosity change? Or do you just  
17 assume it's --

18 MR. LU: The viscosity, of course, is the  
19 water property once you have a higher temperature, we  
20 are going to -- yes, we are using that realistic  
21 viscosity. It depends on temperature.

22 MEMBER KRESS: Then you multiply the  
23 correlation by the ratio --

24 MR. LU: Yes --

25 MEMBER KRESS: -- of the viscosity?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LU: Yes. So in that regard, actually  
2 the total temperature drop -- so that's the reason  
3 that we have a strong belief and the technical basis  
4 to extrapolate.

5 VICE CHAIRMAN WALLIS: Okay. Thank you  
6 very much.

7 MR. UNIKEWICZ: Good morning.

8 VICE CHAIRMAN WALLIS: Good morning.

9 MR. UNIKEWICZ: My name is Steven  
10 Unikewicz, engineer at the Division of Engineering,  
11 Mechanical Branch.

12 I'm going to speak very briefly about  
13 downstream effects. Tom sort of lead us off going  
14 through the whole accident scenario. We've gone  
15 through a lot of presentations that bring us through  
16 bringing water to the face of the sump screen.

17 What I'm going to talk about very briefly  
18 is what happens downstream to the sump screen. Up to  
19 this point in time, a lot of the discussion has been  
20 focused on what is the fluid passing through the  
21 screen. Downstream effects is the evaluation of the  
22 CCS system and the containment spray systems  
23 downstream of the sump screens.

24 As the fluid passes through, it's going to  
25 have a number of different properties. It's going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have an abrasiveness to it. It may have fiber in it.  
2 It may have different constituents from latent debris.  
3 It will have a certain abrasiveness to it.

4 As it passes through downstream  
5 components, downstream components such as pumps,  
6 valves, heat exchangers, instrument tubing, things of  
7 that nature, the effect of that --

8 VICE CHAIRMAN WALLIS: Maybe we can skip  
9 the whole thing because you simply say licensees have  
10 to determine all this stuff.

11 MR. UNIKIEWICZ: That's correct.

12 VICE CHAIRMAN WALLIS: Well, in that case,  
13 maybe we can move onto the next presentation.

14 MR. UNIKIEWICZ: If you so desire.

15 VICE CHAIRMAN WALLIS: Thank you.

16 MR. KOWALL: My name is Mark Kowall. This  
17 is the last presentation on the Section 6, Alternate  
18 Evaluation Methodology.

19 This section describes an alternate  
20 approach which includes elements which are realistic  
21 and risk-informed. This was a methodology developed  
22 jointly between industry and the staff through a  
23 series of public meetings that were held in May and  
24 June of this year.

25 Part of the motivation for this approach

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is the ongoing 10 CRF 50.46 rulemaking effort, which  
2 defines a transition break size comparable for the  
3 LOCA.

4 A comparable approach in GSI 191 is to  
5 define a debris generation break size to distinguish  
6 between customary and more realistic design basis  
7 analysis.

8 And this debris generation break size is  
9 defined as all auxiliary piping attached to the RCS  
10 and in the RCS main loop piping a break size  
11 equivalent to a double-ended rupture of a 14-inch  
12 diameter pipe.

13 VICE CHAIRMAN WALLIS: So there's no  
14 debris if the pipe is bigger than that?

15 MR. KOWALL: There is. For pipes bigger  
16 than that, we still must demonstrate mitigative  
17 capability.

18 VICE CHAIRMAN WALLIS: So there is still  
19 debris generation for the bigger pipes?

20 MR. KOWALL: That's right.

21 VICE CHAIRMAN WALLIS: I was just  
22 surprised by your definition. I thought the bottom  
23 line was that below 14 inches, you have to use all the  
24 conservative assumptions which are in --

25 MR. KOWALL: That's correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 VICE CHAIRMAN WALLIS: -- Appendix A.  
2 That is you have a bigger pipe, you can back off on  
3 some of the conservatisms?

4 MR. KOWALL: The next --

5 MEMBER SIEBER: But that's unrealistic.

6 VICE CHAIRMAN WALLIS: But it's not the  
7 debris generation which is effected by the break size.  
8 It's the LOCA calculations.

9 MEMBER SIEBER: Right, right.

10 VICE CHAIRMAN WALLIS: Right. So I was  
11 surprised to debris generation --

12 MR. KOWALL: That's just the term we're --

13 VICE CHAIRMAN WALLIS: -- as the qualifier  
14 of the LOCA break size.

15 MR. KOWALL: -- using.

16 VICE CHAIRMAN WALLIS: We know what --

17 MR. KOWALL: It's just --

18 VICE CHAIRMAN WALLIS: -- you mean --

19 MR. KOWALL: -- terminology.

20 VICE CHAIRMAN WALLIS: -- but it just  
21 seems odd.

22 MEMBER KRESS: And the next two bullets  
23 cover exactly what you're --

24 VICE CHAIRMAN WALLIS: Well, the bottom  
25 line here is that you haven't changed any of this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 debris transport creation, clogging, and stuff, none  
2 of that is changed by any of this risk-informing.

3 MR. KOWALL: That's correct.

4 VICE CHAIRMAN WALLIS: You still have to  
5 assume mitigation. The only thing that might change  
6 is perhaps the sump temperature isn't quite the same?  
7 We don't know if that's good or bad because if sump  
8 temperature is low, there's more viscosity, there's  
9 more pressure drop.

10 So we're not quite sure whether that's  
11 good or bad. But the only thing you're buying is some  
12 of these environmental characteristics you might call  
13 it of the LOCA and what is the temperature/pressure  
14 history.

15 MR. KOWALL: Right.

16 VICE CHAIRMAN WALLIS: You're not changing  
17 anything about how you evaluate the situation.

18 MR. KOWALL: That's right. The --

19 CHAIRMAN BONACA: Is there a change in the  
20 zone of influence maybe?

21 MR. KOWALL: The zone of influence, it all  
22 relies on the baseline methodology as described so the  
23 only thing impacted here would be elements of the --

24 VICE CHAIRMAN WALLIS: So the effect if  
25 probably --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KOWALL: -- NPSH --

2 VICE CHAIRMAN WALLIS: -- very small.

3 MR. KOWALL: -- calculation.

4 VICE CHAIRMAN WALLIS: The effect on the  
5 conclusion is probably very small. Unless you  
6 actually risk-inform in the way George may have  
7 indicated, you might be able to later on if you can  
8 make uncertainty analysis of all these phenomena. You  
9 haven't really changed the problem by risk-informing  
10 it.

11 MR. KOWALL: That's right.

12 VICE CHAIRMAN WALLIS: We had some hopes,  
13 I think, when we wrote our letter a month or two ago,  
14 whenever it was, that if you risk-informed all these  
15 aspects of the problem, you might learn something  
16 which would be useful and might actually have some  
17 application.

18 But this effort to risk-inform is having  
19 very, very little effect on anything.

20 MR. JOHNSON: But I don't know that that's  
21 true actually. We're also, through this risk-informed  
22 effort changing -- I tried to emphasize this --  
23 changing the ability of licensees -- what they can do  
24 in terms of mitigation for those breaks beyond that  
25 debris generation break size.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And I think that's actually where the  
2 potential benefit is. It's in the fixes where I think  
3 this provides the opportunity, single failure, safety  
4 related, realistic or more reasonable assumptions and  
5 realistic calculations.

6           VICE CHAIRMAN WALLIS:     So the NPSH  
7 requirements might be reduced in some way, for  
8 example? Excuse me. So something would perhaps have  
9 some effect on this. But all the stuff we've been  
10 talking about today that's in the guidance isn't  
11 really influenced.

12           MR. JOHNSON: In terms of the analysis?

13           MEMBER APOSTOLAKIS: Wasn't the objective  
14 of NUREG 1150 to represent the community's views on  
15 severe accidents? Okay, at least the U.S. community,  
16 the experts on severe accidents. So they had, you  
17 know, workshops, and this and that, trying to present  
18 what the community knew at the time about the various  
19 phenomena that could take place after core damage?

20           Are your results what the community of  
21 experts in this field knows right now? Or is it just  
22 Los Alamos's and yours?

23           MR. LATELLIER: If you're referring to the  
24 break size, is that what you're referring to?

25           MEMBER APOSTOLAKIS: The whole thing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Well, I mean there are uncertainties all over the  
2 place, aren't there?

3 MR. JOHNSON: Well, again, understanding  
4 what we mean by this alternative evaluation and its  
5 ability to be risk informed, which is that we are  
6 identifying a break size smaller than the double-ended  
7 guillotine break of the largest pipe, we're basing  
8 that on the expert elicitation and all of that work  
9 that went into the technical basis for --

10 MEMBER APOSTOLAKIS: For 50.46 --

11 MR. JOHNSON: -- 50.46.

12 MEMBER APOSTOLAKIS: -- I understand that,  
13 yes. But the rest of the study, you did not have plan  
14 to do that?

15 MR. JOHNSON: Right.

16 MEMBER APOSTOLAKIS: And the question is  
17 really why not. I mean it's been 25 years.

18 MR. JOHNSON: Well, the answer to why not  
19 is --

20 MEMBER APOSTOLAKIS: Is it that expensive?  
21 I mean --

22 MR. JOHNSON: -- the practical answer to  
23 why not is you know all of the work, for example, with  
24 respect to 50.46, we owe the Commission a proposed  
25 rule in December and then we're in the rulemaking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 process.

2 All of that work which we're not trying to  
3 get out in front of is going to take us years. And,  
4 again, the Commission has been very clear. We don't  
5 have years to deal with this issue.

6 MEMBER APOSTOLAKIS: No, no, no, they are  
7 two different objectives, Mike. I mean they are there  
8 trying to risk inform the cornerstone of the  
9 activities of this Agency for 40 years. You are not  
10 trying to do that.

11 All I'm saying is you know we saw a lot of  
12 fractions, of things happening this way and that way,  
13 uncertainties and phenomenon, and so on, how difficult  
14 would it be to try to put some uncertainty  
15 distributions in this?

16 Would it be too hard? That's why you're  
17 not attempting it? Or is it something -- I mean look,  
18 it's also fine to say we haven't thought of it, we  
19 haven't had time to do it.

20 MR. JOHNSON: Well, again, I'm just going  
21 to tell you what I told you before. As a practical  
22 matter, we didn't have time to do it.

23 MEMBER APOSTOLAKIS: You didn't. Okay,  
24 fine. But do you think that would be a good idea?

25 VICE CHAIRMAN WALLIS: There's always a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 follow-on question, right.

2 MR. JOHNSON: On a schedule that would not  
3 impact issuance of the SE, it's a fine thing to do.  
4 I think actually this gets done in conjunction with  
5 the 50.46 rulemaking.

6 MEMBER APOSTOLAKIS: Again, I wouldn't  
7 want to tie this to 50.46. That's a much longer term  
8 project.

9 MR. JOHNSON: I understand. But we're  
10 trying --

11 MEMBER APOSTOLAKIS: I mean the stuff that  
12 you have done already you can use, of course. I'm not  
13 saying don't do that.

14 MR. JOHNSON: Right.

15 VICE CHAIRMAN WALLIS: Okay. Can we move  
16 on, George? Or do you want to pursue this risk-  
17 informed part any more?

18 MEMBER SHACK: I just want to ask a  
19 question. As I read this, there is a difference in  
20 the zone of influence in the risk-informed model, that  
21 you're using the hemisphere based on the break size?

22 MR. KOWALL: For the Region 1 space,  
23 that's right. The guidance proposes the use for  
24 breaks that are partial breaks inside of the main loop  
25 piping that's right. But I think that's the only

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 limitation.

2 MEMBER APOSTOLAKIS: But I wish, in  
3 general though now, I wish when the staff says risk-  
4 informing something, or uses the term, it doesn't mean  
5 just looking for operator actions or alternate means  
6 of doing something.

7 It seems to be risk informed means  
8 addressing the uncertainties. And the uncertainties  
9 in some problems, like this one, happen to be in the  
10 models you are using, the parameters you are using,  
11 and so on. Now that would be risk-informing this  
12 issue in my mind.

13 MR. HARRISON: This is Don Harrison from  
14 the PRA Branch. And I would truly agree with you. I  
15 think the use of the phrase risk informed in this  
16 application is probably a misnomer. It's really more  
17 of a traditional deterministic resolution of the  
18 issue. It's where you've got uncertainties, we put on  
19 conservatisms as best as we feel that they're  
20 conservative.

21 The only piece of this that really even  
22 deals with the risk is in the solution, the fixes,  
23 that whatever is proposed as a solution will have to  
24 have a certain reliability, demonstrated reliability.

25 That's the only piece of this that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 really risk informed. The rest of it is more of a  
2 traditional approach. Even within the traditional  
3 approach, if there was time and money and resources,  
4 you could do a best estimate approach and put in the  
5 uncertainties in the calculations.

6 Then we'd be arguing over is it, you know,  
7 92 percent with what kind of distribution it is but  
8 since we only have limited data -- so it would be very  
9 -- I think from a personal standpoint, it would be  
10 very --

11 CHAIRMAN BONACA: Yes, okay. We need to  
12 move on. We have another presentation. We're already  
13 15 minutes late. So we have to move --

14 MEMBER FORD: But isn't risk informed,  
15 Mario, important? I would like --

16 CHAIRMAN BONACA: I understand that. I'm  
17 only saying that this presentation right now is out of  
18 control. I'm saying we need to put some more to what  
19 we have.

20 VICE CHAIRMAN WALLIS: The thing is we  
21 didn't know how long industry was going to take. And  
22 we've now just been told -- or I've just heard that  
23 industry actually wants to make a fairly long  
24 presentation.

25 MEMBER SIEBER: Let's take a break.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: I think it's an  
2 important enough topic that we should probably hear  
3 them. I think that they have a great stake in the  
4 outcome. So we ought to hear what they have to say.

5 If the members will be patient and listen,  
6 we'll just keep going.

7 PARTICIPANT: I'll be very patient.

8 VICE CHAIRMAN WALLIS: Did the staff want  
9 a moment to just wrap up or do you want to wrap up  
10 after industry?

11 MR. JOHNSON: If I can, I'd like to wrap  
12 up after industry.

13 VICE CHAIRMAN WALLIS: Thank you.

14 CHAIRMAN BONACA: Let's do one thing then.  
15 Let's take a break right now.

16 PARTICIPANT: Yes, that's a good idea.

17 CHAIRMAN BONACA: Take a break until 11:15  
18 and then we'll come back again for the remaining part  
19 of the presentations.

20 (Whereupon, the foregoing  
21 matter went off the record at  
22 11:59 a.m. and went back on the  
23 record at 11:14 a.m.)

24 CHAIRMAN BONACA: Okay, let's get back  
25 into session again.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Just a brief announcement regarding the  
2 agenda. This will go to noontime so we will proceed  
3 with this issue until noontime, adjourn -- I mean  
4 recess for lunch between twelve and one and at one  
5 o'clock, we will look at ACR-700, okay?

6           So that's the plan.       So ACR-700  
7 presentation is moved now to 1:00 p.m.

8           MEMBER KRESS: And reduced to an hour.

9           CHAIRMAN BONACA: Yes, reduced to an hour,  
10 yes, if we can, yes. And then at two o'clock, we'll  
11 take on GSI-185.

12           Okay, with that, Graham?

13           VICE CHAIRMAN WALLIS: Thank you, Mr.  
14 Chairman.

15           Well, this, as I think you're all aware,  
16 is an important issue. I think it's important that we  
17 hear industry's side to it. And I'm really looking  
18 forward to hearing from John Butler. So please go  
19 ahead.

20           MR. BUTLER: Thank you. My name is John  
21 Butler. I'm a Project Manager at NEI.

22           If it's possible, I'd like to take a  
23 couple minutes either now or toward the end to give  
24 Tim Andreychek a chance to clarify the basis for his  
25 values used in the subcommittee meetings. Do you wish

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to do that now?

2 VICE CHAIRMAN WALLIS: Want to do it now  
3 or at the end?

4 MR. BUTLER: Now might be instructive.

5 VICE CHAIRMAN WALLIS: Now -- since  
6 everyone is waiting for it, now we might as well have  
7 it. I just wanted -- it's sort of an anticlimax  
8 effect here.

9 MR. BUTLER: It's less than an order of  
10 magnitude. We don't even worry about it.

11 VICE CHAIRMAN WALLIS: Now this isn't the  
12 PRA.

13 (Laughter.)

14 MR. ANDREYCHEK: My name is Tim  
15 Andreychek. I work for Westinghouse Electric.

16 And the basis for the numbers that I came  
17 up with, the percentage for the thermal hydraulic  
18 subcommittee were walk-down data that was performed on  
19 a once-through steam generator design.

20 The numbers that were presented today to  
21 the full committee were based on a volunteer plant  
22 that used a U-tube steam generator.

23 What I would suggest this means is that  
24 each plant with different dimensions of a steam  
25 generator are likely to have different debris

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 loadings. And I think that's the point you need to  
2 make.

3 It's not that one number is any more  
4 correct than the other. One number is correct for  
5 that particular plant design.

6 That's all I have. Thank you.

7 VICE CHAIRMAN WALLIS: That's helpful.  
8 And, of course, if you're going to get a perspective  
9 on the problem, you need to know the range of these  
10 numbers, not just one number. At least we have two  
11 data points now. Thank you.

12 MR. BUTLER: Well, actually Tim's point  
13 kind of serves as a good lead in to one of my first  
14 points that I want to make in my slides is that this  
15 issue effects all 69 PWR plants. And each plant is  
16 unique in some aspect.

17 There is no easy way to group plants  
18 together. They can generally be grouped together but  
19 each is going to have its own specifics, either  
20 through the insulation materials that they use, and  
21 you can have twin plants at a site that have  
22 differences in the insulation materials that they  
23 used.

24 Just through years of operation, those  
25 differences will come about. Differences in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 latent debris that is found through sampling  
2 techniques, differences in the containment coatings  
3 that are used, both the types of coatings that are  
4 used and the surface areas that they use -- or  
5 surfaces that are coated and percentage that is  
6 qualified versus unqualified.

7           And certainly in the containment designs  
8 and, you know, very much the sump designs that are  
9 used. And it is carried through to the rest of the  
10 systems, the pumps that are used are very different.

11           So in effect, I can't stress this enough,  
12 there are 69 different solutions to this problem. So  
13 the trouble we have or the difficulty we have with  
14 coming together with evaluation methodology is you  
15 have to somehow provide some acknowledgment that there  
16 are 69 different solutions.

17           And it does not allow you the luxury of  
18 being real explicit in certain areas. In some cases  
19 you have to recognize that from a practical  
20 standpoint, that simplifications are necessary that  
21 will effect some plants more than others.

22           VICE CHAIRMAN WALLIS: Well, John, there  
23 may be some rule for NEI to evaluate promising  
24 solutions which might apply to a significant number of  
25 plants.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And it seems to me that it is very  
2 difficult to put the onus on every plant to work out  
3 a solution. That it may well be that certain kinds of  
4 engineering solutions, which can be shown to be  
5 effective, could be worked out collectively.

6           And NEI might have a role in doing that  
7 rather than having everyone be on their own.

8           MR. BUTLER: Everyone in the end is going  
9 to be on their own. The task force that NEI has used  
10 to develop the guidance in coordination with the  
11 Westinghouse owners' group has had the participation  
12 of the major vendor groups who will be providing  
13 services to the plants in resolving this problem.

14           They have their own ideas. We've  
15 discussed those ideas in our meetings. There are a  
16 pretty good variety of screen designs that are being  
17 offered. There are a number of other design changes  
18 in terms of insulation change out. And some of these  
19 were mentioned in the staff presentation.

20           But there are also some fairly inventive  
21 changes that can be incorporated. You know, I stress  
22 this again, the reality is whether or not a particular  
23 fix is appropriate for a plant is very specific to the  
24 plant situation in terms of what their requirements  
25 are, what their time schedule is, just a number of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 factors.

2 So it's up to each plant to decide based  
3 upon the information that they have, that's provided  
4 in the guidance, and provided by the vendors, what is  
5 appropriate for them.

6 MEMBER ROSEN: Well, I think what is being  
7 suggested here is you help the industry with some sort  
8 of users group or interchange of information. If one  
9 plant comes up with an inventive fix on one aspect of  
10 this problem, everybody should know about it.

11 MR. BUTLER: Yes. And we'll continue to  
12 evaluate what's most appropriate.

13 Our first opportunity to do that will come  
14 up at our December workshop. And we have a session  
15 planned in which the various vendors will, in effect,  
16 be making their case for their inventiveness and their  
17 solutions.

18 VICE CHAIRMAN WALLIS: John, how about  
19 defining the problem? I mean invention is one thing  
20 but it seems that there is no knowledge base about  
21 effective, you know, the coatings which are reduced to  
22 the particulate level, there's no basis for evaluating  
23 the effect of that on a screen or whether it makes a  
24 thin bed and all that.

25 So you are suggesting that each plant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       conduct an experimental program to develop this?  
2       Wouldn't it be much better if industry got together  
3       and said we need this information collectively because  
4       we all have coatings?

5               NEI might have a role in pulling people  
6       together to do that. Or EPRI or somebody other than  
7       just all these plants left out there on their own.

8               MR. BUTLER: The importance of the 6224  
9       correlation has certainly been highlighted with the  
10      staff's draft SER. We were intending to apply that  
11      for the range of conditions that we needed to apply it  
12      for without restricting ourselves to explicitly the  
13      testing conditions that were used to support the  
14      correlation.

15              We felt that that was appropriate. That  
16      there were sufficient understanding of the physics of  
17      that. If we need to do additional testing in order to  
18      apply the 6224 correlation, we will have to do that.

19              VICE CHAIRMAN WALLIS: But I don't think  
20      it's just applying it. I think the guidance and the  
21      SER indicates that for some things like paint chips or  
22      paint debris or whatever it is, for latent debris,  
23      there really isn't some way you can just plug  
24      something in to the correlation.

25              Experiments haven't been done to find out

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 any information about it. You can't plug information  
2 into something when we've got no database for that  
3 stuff.

4 MR. BUTLER: Well, the correlation is --

5 VICE CHAIRMAN WALLIS: So --

6 MR. BUTLER: -- applicable for -- if you  
7 have a good understanding of --

8 VICE CHAIRMAN WALLIS: -- but you have a  
9 faith that it's applicable to materials for which it  
10 has never been tested?

11 MR. BUTLER: We have faith in if you have  
12 a good understanding of the characteristics of  
13 whatever your debris is, the particulate size, the  
14 surface area, that the correlation is applicable.

15 VICE CHAIRMAN WALLIS: Well, look at what  
16 happened in Los Alamos. They thought they had an  
17 understanding, did an experiment, and all of a sudden,  
18 here's a test which gives you seven times the pressure  
19 drop which they thought they had -- they would have  
20 had, you know?

21 Obviously this requires then some more  
22 data to figure out what is going on. And the same  
23 thing could happen with any of these kinds of debris.  
24 You can't just extrapolate somebody's hypothesis or  
25 correlation to all these areas where there isn't any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 data.

2 That seems to me inappropriate even if  
3 public safety isn't the question here. Even more so  
4 when you've got people looking over your shoulder who  
5 are concerned with the credibility of all of this.

6 MR. BUTLER: Well, you're asking very good  
7 questions perhaps to the wrong person. I'm certainly  
8 not an expert on 6224 --

9 VICE CHAIRMAN WALLIS: Well, would it --

10 MR. BUTLER: -- correlation.

11 VICE CHAIRMAN WALLIS: -- surprise you if  
12 a year from now you and the Agency, just like just  
13 guessing the future, found that they had to put a lot  
14 of money -- and I'm talking about billions, into some  
15 research to really get a substantial knowledge so that  
16 you know what you're doing about this issue?

17 Would it surprise you if that were to  
18 happen? Because it wouldn't surprise me at the  
19 moment. Now maybe I don't know enough about this but  
20 I'm getting the impression it's a very big problem.  
21 There are an awful lot of unknowns. And that you need  
22 to know what you're doing.

23 Therefore, you ought to be prepared to  
24 spend some money and do some work.

25 MR. BUTLER: Well, to answer your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question, I've gotten past being surprised by this  
2 issue.

3 VICE CHAIRMAN WALLIS: Okay. So you  
4 wouldn't be surprised by anything?

5 MR. BUTLER: No.

6 VICE CHAIRMAN WALLIS: Well, I think we  
7 need to do that. We need to -- I think the job of the  
8 ACRS, among its other jobs, is to try to sort of  
9 figure out how to tell it like it is. And so what I'm  
10 trying to do in all of this is to get you folks to  
11 help us to understand it like it is.

12 And that may well -- the conclusion of  
13 that may well be that you've got to do some more  
14 thorough work to understand what's going on. I don't  
15 know. But that may be one of the conclusions. Okay.

16 MR. BUTLER: Without trying to go back and  
17 describe in detail the industry guidance, we did  
18 present to the subcommittee some details on the  
19 evaluation guidance.

20 I want to stress the point that our  
21 intention was to provide a set of methods -- and I've  
22 use the words deliberately from the Commission SRM,  
23 meeting SRM because it did follow along what our  
24 intention was with the guidance, to have a practical  
25 and realistically conservative set of methods that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plants could apply.

2 The baseline methodology, we still feel  
3 strongly that it is a conservative set of methods to  
4 give you a conservative result. We may not recognize  
5 what best estimate and realistic is when we see it but  
6 we can certainly recognize it when it is conservative  
7 to the point of almost being ridiculous in some of the  
8 values that it gives you.

9 Our intent with the conservative baseline  
10 was to help plants decide how best to resolve the  
11 problem. Whether that is to spend their time in the  
12 effort refining the analysis to be more -- to remove  
13 some of the conservatism in that approach through a  
14 CFD analysis or through some other method, or whether  
15 there is a most cost-effective approach just to remove  
16 some problematic insulation material so that they can  
17 meet the requirements with a conservative baseline  
18 analysis, or some combination.

19 So our intent was to use that to guide the  
20 problem and allow plants to make the best decision  
21 that they could.

22 VICE CHAIRMAN WALLIS: What do you think  
23 about this approach of analysis? Some engineering is  
24 done by -- well, we know a lot about things. We use  
25 computers. We predict things. We can predict now how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 airplanes fly and wing design very well because we  
2 understand what is going on.

3 There are other areas of engineering where  
4 we make things and they work. When people first made  
5 the internal combustion engine, it worked. They knew  
6 almost nothing about combustion and heat transfer and  
7 all that. But they made something that worked.

8 Is this an area where really we know so  
9 little about what's going on, we've got to start  
10 testing things and seeing if they work rather than  
11 trying to analyze the problem? What's your feeling  
12 about that?

13 MR. BUTLER: My feeling for that is I  
14 would love to have a better understanding of a  
15 realistic scenario and how that effects recirculation.  
16 But what we're not dealing in a realistic scenario.  
17 We're dealing in design basis space.

18 And you're starting off with a postulated  
19 break, an instantaneous double-ended guillotine break,  
20 which you could argue is either extremely low  
21 probability or impossible to occur. And from that, it  
22 just continues to pile on some very unrealistic  
23 assumptions throughout the scenario.

24 It would not be instructive to try to  
25 model that to have a better understanding of what that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 gives you. I think it would tell you it gives you  
2 some large amount of debris. And I think we've  
3 already covered that.

4 We need to understand that we are in  
5 design basis space. We haven't risk informed any  
6 aspect of the current regulations in how we apply  
7 that.

8 So we need to assure ourselves that we  
9 meet the regulatory requirements and our hope is that  
10 we can do that without being overly conservative to  
11 the point where --

12 MEMBER APOSTOLAKIS: Graham, let me -- I'm  
13 trying to understand your fundamental problem here.  
14 Are you saying that we don't know enough to be able to  
15 say that what we're doing is conservative? Is that  
16 your basis thesis here?

17 VICE CHAIRMAN WALLIS: Well, I'm looking  
18 forward to the day when the problem is solved. And it  
19 seems to me that -- well, if you were out there and  
20 not in nuclear regulatory space at all, that you are  
21 say designing a new plant to do something, you'd do  
22 your analysis. And you'd have all sorts of  
23 uncertainties.

24 And because you have uncertainties in the  
25 analysis, you do a lot of build and test and try it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I mean you never go and build a chemical plant to make  
2 something -- or very rarely would you accept maybe  
3 really crisis mode like the Manhattan Project and have  
4 built something without having build pilot plants,  
5 without having tested things, without having found out  
6 the properties of the things you're going to use.

7 You'd have done a whole lot of things in  
8 order to make sure that when you actually built this  
9 plant, it worked. And here we seem to be in this sort  
10 of analytical world where everything is analyzed with  
11 tremendous uncertainty.

12 And that's not a comfortable situation for  
13 an engineer to be in.

14 MEMBER APOSTOLAKIS: So you are not  
15 convinced that what they are doing is conservative?

16 VICE CHAIRMAN WALLIS: No, I'm not saying  
17 that at all. I'm saying that to solve the -- I can't  
18 think you can analyze the problem away. It seems to  
19 me there has to be projected solutions.

20 There has to be very careful planning of  
21 engineering to make sure these solutions can be  
22 assumed to be effective in some way which may well  
23 involve big tests because that's the way engineering  
24 works when you don't know enough about things to  
25 analyze the problem and make secure predictions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           It has to do with uncertainty but at a  
2 very fundamental level. You have to build things and  
3 design things. And you have to evaluate things. And  
4 I don't think that -- you know, that's what the  
5 industry is eventually going to have to do.

6           And that's where they need help is in  
7 figuring out with this very uncertain problem with all  
8 these aspects to it, how you can come up with any sort  
9 of believable fix and make it credible and show that  
10 it's the right thing to do.

11           CHAIRMAN BONACA: But let me ask you a  
12 question. Does the -- I mean one of the concerns you  
13 have, if I understand it, is the knowledge base  
14 supporting this effort is sufficient? And will the  
15 effort of developing or completing the knowledge base  
16 stop at this stage as -- I mean the plan seems to be  
17 that industry will go out now and apply this process  
18 for a baseline calculation.

19           And I dare say that most of them will find  
20 that they cannot meet the requirements with the  
21 baseline calculations. So they'll go through a  
22 refinement process.

23           Now all this will take an extended period  
24 of time. It will take months. In fact, I believe you  
25 have an objective of -- I mean a year or two before

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you get some results out -- will the industry and the  
2 NRC continue to develop the knowledge base to fill  
3 those gaps in this period of time? Or we'll just  
4 simply say knowledge base is what it is today and  
5 that's it? I mean we're not going to go any further.

6 MR. BUTLER: Well, the answer to your  
7 question is a qualified yes. Certainly with the  
8 screen designs, there are modifications to the designs  
9 that need to be applied. Specific designs that  
10 various vendors are proposing, some have been tested,  
11 testing the specific designs for various debris  
12 loadings. Some additional testing may need to be  
13 performed so that the individual resolution option  
14 designs have testing requirements.

15 Some have been done. Some will need to be  
16 done. There may be a need for additional testing of  
17 specific debris types that are problematic and are  
18 difficult for the plant to remove. So some of that  
19 will occur.

20 CHAIRMAN BONACA: I'm asking because  
21 clearly --

22 MR. BUTLER: The reason I'm saying it's  
23 qualified is we're on a very tight schedule. So a  
24 plant is going to have to make a decision. Can he  
25 accomplish what testing he needs to accomplish on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 time that's --

2 VICE CHAIRMAN WALLIS: Maybe I should in  
3 answer to George's question try another analogy. I  
4 mean if you look at airplanes, I used airplanes  
5 before, Boeing, as I understand it, now has a very  
6 good base using computers for predicting how an  
7 airplane will fly if they design it.

8 The Wright brothers did not have that.  
9 And they had to do all kinds of things by guesswork  
10 and trial and error and so on. They developed a  
11 knowledge base. And eventually they didn't fly very  
12 far but they did get something off the ground.

13 I don't know how far you are with this  
14 problem. Are you at the Wright brothers' level? Or  
15 are you at the Boeing of today level?

16 And my feeling is you are certainly not at  
17 the Boeing of today level. And I'm not quite sure how  
18 far you are ahead of the Wright brothers in terms of  
19 really coming to grips with this problem and what you  
20 need to do with it.

21 And so I suspect that you cannot analyze  
22 it the way you are trying to solve it by just  
23 analysis. Something else has to be done. And part of  
24 it is knowledge base but part of it is going to be  
25 sort of gutsy, down-to-earth engineering of figuring

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 out what to do and showing how and demonstrate it  
2 works. Isn't that the case?

3 I mean after they've gone through all this  
4 exercise, these 69 plants, you're going to have some  
5 meetings with management and say what do we do?

6 MEMBER KRESS: Well, I think the likely  
7 thing they'll find out, using the methodology, they'll  
8 find out they're not -- currently have screens big  
9 enough and they'll make them bigger. And they'll do  
10 this -- they'll fix it like the BWRs, make them  
11 corrugated and enough surface area that the  
12 methodology will predict that that surface area is in  
13 the positive suction head.

14 And then we're going to be stuck with this  
15 question, oh, what about thin bed effects? Because it  
16 will still be there. And they're going to -- I think  
17 I hear that there are designs for which the thin bed  
18 effect can be shown not to be there. I think it's  
19 corrugated screens.

20 Now the question I'm going to have when  
21 that time comes is are we sure that the generation  
22 rate, using the zone of influence, is overly  
23 conservative still, and can you show me the database  
24 that backs up the statement that you have no thin bed  
25 effect?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think that's the way things are going to  
2 play out.

3 VICE CHAIRMAN WALLIS: So it's still going  
4 to be at the analytical level. They analyze all this  
5 stuff and then --

6 MEMBER KRESS: Oh, yes, it's strictly  
7 going to be analytical.

8 VICE CHAIRMAN WALLIS: -- what they have  
9 to do is --

10 MEMBER KRESS: The question is --

11 VICE CHAIRMAN WALLIS: -- what they have  
12 to do is --

13 MEMBER KRESS: -- is this analysis  
14 conservative?

15 VICE CHAIRMAN WALLIS: What they have to  
16 do is satisfy the staff then?

17 CHAIRMAN BONACA: I was trying to  
18 understand -- my question is what is the risk of  
19 proceeding now with a guidance that is limited, okay?  
20 And it seems the biggest risk is the one of realizing  
21 a year from now, a year and a half, that we don't know  
22 enough or even worse to go through certain  
23 modification and find that we have to modify them  
24 further. That's really the biggest risk I see.

25 And I wouldn't mind having that risk if I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 knew that the knowledge base is going to be expanded  
2 over the next year or two to the point where then  
3 we'll have also closure on some of these questions.

4 I'm not sure that, however, if we start on  
5 this path, we will ever have closure on some of these  
6 issues because probably the work will not be done.

7 MEMBER APOSTOLAKIS: Are we discussing now  
8 the overall issue? Or are we still in the  
9 presentation?

10 (Laughter.)

11 CHAIRMAN BONACA: Well, we are already  
12 through half of the remaining time for this  
13 presentation.

14 VICE CHAIRMAN WALLIS: Then we should move  
15 back to the presentation, George. You're very  
16 appropriate. And it is a very appropriate comment.

17 MEMBER APOSTOLAKIS: I would suggest that  
18 maybe the speaker should show the slides that send a  
19 message or have a point rather than describing the  
20 guidance. I mean we know what it is. I mean why you  
21 develop the model, okay, yes, sure. I mean the  
22 guidance.

23 But is there a place where you have --  
24 you're making a point.

25 PARTICIPANT: It's the SER that we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 discussing today so --

2 MR. BUTLER: The point of these slides is  
3 to set up the points I'm going to make in the later  
4 slides.

5 CHAIRMAN BONACA: I think most members are  
6 -- well, anyway, I mean it's your presentation but --

7 MR. BUTLER: Let me just make one point  
8 off of this slide. We've made a number of comments  
9 about conservative and we can argue how conservative.  
10 But we also have a number of simplifications in the  
11 guidance that we don't want to lose that or at least  
12 make a point before we lose it that those  
13 simplifications are there from a practical standpoint  
14 of plants applying the guidance.

15 And I'll make a point in a later slide  
16 about one of these simplifications that we are  
17 apparently losing.

18 I did want to make the point that this  
19 guidance, the baseline guidance, the industry  
20 guidance, has been applied by a number of -- or the  
21 vendor groups that have been participating within NEI  
22 on our task force. And I am aware of calculations  
23 that are either -- are fairly close to being completed  
24 or have been completed for at least six plants.

25 I can only characterize these results as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 preliminary because they have been conducted  
2 throughout the development of the guidance. And they  
3 don't necessarily follow all the guidance explicitly.  
4 And they don't address any of the changes resulting  
5 from the draft SER.

6 But one thing that is common in the  
7 results is that it is showing a fairly significant and  
8 consistent increase in the screen area if that's all  
9 you do is increase the screen area.

10 VICE CHAIRMAN WALLIS: Can you tell us  
11 what you mean by fairly significant?

12 MR. BUTLER: In the range of 1,000 to  
13 2,000 square feet.

14 VICE CHAIRMAN WALLIS: And some are now 12  
15 square feet?

16 MR. BUTLER: Pardon me?

17 VICE CHAIRMAN WALLIS: Someone, I think,  
18 said the smallest one in existence is 12 square feet?

19 MEMBER SIEBER: No, none that small.

20 MR. BUTLER: I think --

21 MR. ANDREYCHEK: That was current --  
22 metric that you have one 12 square feet at the low  
23 end.

24 VICE CHAIRMAN WALLIS: And you are saying  
25 that they have to be now several thousand square feet?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 For these plants anyway?

2 MR. BUTLER: The results so far have been  
3 performed with no other modifications but to increase  
4 the screen area. And the results are showing --

5 VICE CHAIRMAN WALLIS: I think that's very  
6 helpful information. It gives us some idea of the --

7 MEMBER APOSTOLAKIS: So this --

8 VICE CHAIRMAN WALLIS: -- consequences.

9 MEMBER APOSTOLAKIS: -- is impractical?  
10 Is that what you're saying? It's impractical to do  
11 this?

12 MR. BUTLER: No, no.

13 MEMBER APOSTOLAKIS: No?

14 MR. BUTLER: Again, there are 69 different  
15 plants. Some plants can accommodate -- have designs  
16 that can accommodate fairly large increases in screen  
17 areas. Others are more limited in the screen area  
18 they can accommodate.

19 MEMBER APOSTOLAKIS: So they will do what?  
20 They will go back to --

21 MR. BUTLER: They will have to make  
22 modifications to their --

23 MEMBER APOSTOLAKIS: Somewhere else.

24 MR. BUTLER: -- debris generation.

25 VICE CHAIRMAN WALLIS: And some of them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 might have to build a different sump or something? Or  
2 build something on to the containment to handle the  
3 debris?

4 MEMBER SIEBER: No, I think --

5 VICE CHAIRMAN WALLIS: There are all --

6 MEMBER SIEBER: -- that would be --

7 VICE CHAIRMAN WALLIS: -- sorts of things  
8 you might think of.

9 MR. BUTLER: Again, my first point in the  
10 presentation is there are 69 different resolutions to  
11 this problem. Each plant --

12 VICE CHAIRMAN WALLIS: But if they can't  
13 --

14 MR. BUTLER: -- has its own --

15 VICE CHAIRMAN WALLIS: -- fit it -- if  
16 they can't fit it into the existing sump, they're  
17 going to have to do some busting of concrete or  
18 something.

19 MEMBER SHACK: No change out of insulation  
20 would probably be the next step.

21 VICE CHAIRMAN WALLIS: All right,  
22 insulation, that's the other thing.

23 CHAIRMAN BONACA: Or even, you know,  
24 manage debris throughout the containment with  
25 different barriers and things of that kind. Localize

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the debris so that --

2 MEMBER APOSTOLAKIS: So what do you mean  
3 by manage, Mario?

4 CHAIRMAN BONACA: By manage I mean is that  
5 so you don't have transport of all the debris down --

6 MEMBER APOSTOLAKIS: No, I understand the  
7 consequences. But what does management of the debris  
8 mean? I mean what can they do now to manage that?

9 CHAIRMAN BONACA: I'm talking about  
10 placing within containment probably barriers of some  
11 kind or --

12 MEMBER SIEBER: Insulation.

13 CHAIRMAN BONACA: -- screens.

14 MEMBER APOSTOLAKIS: So they're physical  
15 --

16 CHAIRMAN BONACA: Physical means --

17 MEMBER APOSTOLAKIS: -- modifications.

18 CHAIRMAN BONACA: -- so that you reduce  
19 the amount of debris that will come to the sump by  
20 block it in different locations in the containment.

21 MEMBER KRESS: Go from 50 percent to 30  
22 percent? You can't get much help that way.

23 VICE CHAIRMAN WALLIS: So only about 40  
24 percent of the plants have cal-sil? I understand  
25 about 40 percent PWRs have cal-sil insulation in them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       somewhere?

2                   MR. BUTLER: I have not heard that figure.

3                   VICE CHAIRMAN WALLIS: That's the number  
4 that we found out at one of our meetings, I think. Do  
5 these six plants have cal-sil insulation in them?

6                   MR. BUTLER: At least one of the did.

7                   VICE CHAIRMAN WALLIS: Did they have to  
8 face this thin bed business in their analysis?

9                   MR. BUTLER: Yes, they all --

10                  VICE CHAIRMAN WALLIS: They all have thin  
11 bed problems?

12                  MR. BUTLER: -- they all calculate thin  
13 bed and --

14                  VICE CHAIRMAN WALLIS: But -- and then --  
15 so they know how to do that?

16                  MR. BUTLER: Certainly, yes. I mean --

17                  VICE CHAIRMAN WALLIS: You do?

18                  MEMBER KRESS: Again, you have a thousand,  
19 several thousand square feet did not talk about thin  
20 bed, I'll bet.

21                  MEMBER SIEBER: Yes.

22                  MR. CULLISON: It solves, again, the  
23 industry's perception of thin bed is not a multi-  
24 layered thick. It's just the thin bed. And when they  
25 go to large areas, they solve not only the thick bed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but they also solve -- I mean the thin bed exists but  
2 with a larger area, with their calculations --

3 MEMBER SIEBER: So the drop is less?

4 MR. CULLISON: -- they drop -- the  
5 pressure drop --

6 VICE CHAIRMAN WALLIS: So they get less  
7 than a millimeter of cal-sil or something? Or what do  
8 they get?

9 MR. BUTLER: I'm not an expert so I would  
10 preface my remarks with saying that. But one of the  
11 consequences of significantly increasing the area is  
12 you number one decrease the approach velocity which  
13 directly impacts the head loss. And obviously with  
14 increasing the area, you're minimizing the impact of  
15 the large debris loads because you're spreading it out  
16 over a larger area.

17 But the approach velocity is the dominant  
18 effect on the thin bed effect, head loss --

19 VICE CHAIRMAN WALLIS: Well, we don't know  
20 yet. But if you look at the Los Alamos database, if  
21 you're talking about the same thing I think you're  
22 talking about, is some sort of anomalous increase in  
23 pressure drop. And it looks as if the particles are  
24 somehow getting closer together.

25 This increases as you increase the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 velocity in all those tests. So if you get down to a  
2 velocity of less than .1 feet a second, based on that  
3 database, there might be some hope that you wouldn't  
4 have this effect at all. I just don't know.

5 MEMBER SIEBER: Well, even if you don't,  
6 you know the lower the velocity, the lower the head  
7 loss. And so the larger the screen you make, whether  
8 you have a thin bed or not, the lower the pressure  
9 drop and the higher the NPSH will be.

10 And so even if you get a thin bed that's  
11 uniformly deposited that does exhibit a pressure drop  
12 at those very low flows, those large screens, the NPSH  
13 loss is de minimus.

14 And so that's really what the advantage  
15 is. It's not trying to avoid making the thin bed  
16 because of the low velocities. It's the low  
17 velocities that cause the pressure drop to be very  
18 low. And so there's, to me, that's where the  
19 advantage of a large screen is.

20 MR. BUTLER: And I don't want to minimize  
21 the engineering aspect of this problem. I mean there  
22 are actual losses that are introduced by having an  
23 extremely large screen that wraps around your  
24 containment. And they have to be taken into account.

25 VICE CHAIRMAN WALLIS: If you really

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understood the debris transport, you might be able to  
2 show that with these very low velocities, everything  
3 falls out before it gets to the screen.

4 MEMBER SIEBER: Right.

5 VICE CHAIRMAN WALLIS: Or it falls out  
6 enough so that it only covers the bottom of the screen  
7 and you don't get a uniform layer which --

8 MEMBER SIEBER: That's right.

9 VICE CHAIRMAN WALLIS: -- is  
10 extraordinarily conservative to assume a uniform  
11 layer. It's probably going to fall to the bottom of  
12 the screen. The top of the screen may be clear.

13 There are all kinds of ways in which  
14 things might be good.

15 MEMBER SIEBER: Well --

16 VICE CHAIRMAN WALLIS: But the thing I'm  
17 concerned about is how do you prove it?

18 MEMBER SIEBER: Well, the key parameter is  
19 the velocity. And that's most impacted by the screen  
20 size.

21 VICE CHAIRMAN WALLIS: Yes. It's the most  
22 obvious simple thing that you can do is reduce the  
23 velocity.

24 MEMBER SIEBER: Yes, well -- that's right.  
25 It's a continuity question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: I would suggest we  
2 let John complete his presentation. And we're just --

3 VICE CHAIRMAN WALLIS: Yes, well I think  
4 George --

5 MEMBER APOSTOLAKIS: -- taking away his  
6 time.

7 VICE CHAIRMAN WALLIS: -- had a good  
8 point.

9 MEMBER APOSTOLAKIS: I'd like to have him  
10 the chance to present what he wants to present.

11 MR. BUTLER: All right. I will continue.  
12 First off, we have not had a lot of time to look at  
13 the draft safety evaluation.

14 Unfortunately, the staff's review schedule  
15 did not offer them or us the luxury of having a lot of  
16 interaction during the review process kind of counter  
17 to the normal review process where you meet, have  
18 RAIs, and discuss things. So we are surprised by some  
19 of the actions taken in the safety evaluation.

20 VICE CHAIRMAN WALLIS: That's another --  
21 I think a very important input for the committee. You  
22 haven't had this interaction and yet we're asked to  
23 sort of approve something when it appears that you may  
24 have some significant questions about it.

25 You are the guys who have -- or you at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 industry --

2 MR. BUTLER: We just sent in a -- you  
3 know, we did take a few days and placed down some of  
4 our major comments. And we did provide those to the  
5 staff.

6 We are going to continue to review the SER  
7 and one of our major focuses of that review will be to  
8 make sure that we have a way to explain to the  
9 industry how to apply the combination of the industry  
10 guidance document and the staff's SER on how that  
11 modifies the evaluation guidance because plants -- the  
12 clock starts ticking as soon as the SER is issued.  
13 And plants will need to start using this guidance.

14 So we're hoping between now and the  
15 workshop that we have planned in December that we can  
16 have a good enough understanding of the SER that we  
17 can provide that guidance to utilities on how to apply  
18 it.

19 VICE CHAIRMAN WALLIS: So this factor of  
20 1,000, if the SER goes through on the schedule, and  
21 you come up with some very good arguments that it  
22 should be a factor of two, is the staff going to  
23 change its position after the SER has been issued?

24 Are you really going to really listen to  
25 the industry? And if there is a really good argument

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that you've made a mistake in assuming a factor of  
2 1,000, you'll go back and change it?

3 MR. LATELLIER: If I can speak for the  
4 staff, I think the flexibility is offered in the SE to  
5 review any information that is beneficial to the  
6 defensible reduction of conservatism. And, yes, the  
7 staff will accept that information whether it's  
8 formally implemented as a change to the document  
9 remains to be seen.

10 MR. JOHNSON: Michael Johnson speaking.  
11 That's true, of course. I was actually responding to  
12 talking about an earlier point that John made with my  
13 staff so I didn't really hear the question. But we,  
14 as Bruce indicates, we will -- we always would  
15 consider additional information submitted by  
16 licensees.

17 VICE CHAIRMAN WALLIS: But it wouldn't be  
18 good to have too many of these things that you have to  
19 adjust.

20 MR. JOHNSON: Well, I mean I guess, I  
21 think is the answer to your question -- but remember,  
22 keep in mind, we deal with, as John has made a great  
23 point, each of these plants is unique. We expect  
24 that. And we routinely deal with, even where we have  
25 generic guidances used, we routinely deal with a large

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 number of unique differences where licensees have  
2 applied, to some extent, or not applied, to some  
3 extent, the guidance.

4 And so we deal with that as a routine.

5 VICE CHAIRMAN WALLIS: Yes, John.

6 MR. BUTLER: All right. Well, I'm trying  
7 to speed my way up through this. I made the point  
8 about simplifications in the evaluation guidance  
9 earlier. The staff's safety evaluation also has a  
10 tendency to remove some of those simplifications by  
11 requiring plants to provide plant-specific  
12 information.

13 The example I provide here is in  
14 recognition that for unqualified coatings, which we  
15 conservatively assume all fail and all fail in a  
16 highly transportable particle size and something that  
17 biases it toward aggravating the thin bed effect, we,  
18 for simplification's sake, assume a three mil  
19 thickness for those coatings, recognizing that there  
20 are hundreds of items inside containment that have  
21 unqualified coatings, motor, motor centers, junction  
22 boxes, all these surfaces have to be accounted for.  
23 And a simplification that is assuming a three mil  
24 thickness, we felt was an appropriate simplification.

25 VICE CHAIRMAN WALLIS: All these coatings

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       come off?

2                   MR. BUTLER:  Yes.

3                   VICE CHAIRMAN WALLIS:  Some of those  
4       coatings contain materials that you probably wouldn't  
5       want in a chemical soup.  They're not all the same  
6       coatings.  Some of the electrical coatings contain  
7       materials like chloride -- chlorine or lead or  
8       something or other, whatever it is, which, I  
9       understand, you don't particularly don't want to see  
10      in the chemical soup that get in the sump, you're  
11      going to put all those coatings in the sump?

12                   MR. BUTLER:  Yes.  Unqualified coatings,  
13      they are assumed to fail.

14                   MEMBER SIEBER:  I think if you are using  
15      the sump, that you need not worry about the chemical  
16      effects of chlorides on stainless steel because you  
17      aren't going to use the plant after that I don't  
18      think.

19                   MEMBER FORD:  I think Graham is talking  
20      about the formation of gels.

21                   MEMBER SIEBER:  Well, that's a different  
22      matter.

23                   MEMBER FORD:  Sure.

24                   MR. BUTLER:  Continuing, the --

25                   VICE CHAIRMAN WALLIS:  I guess I just want

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to be sure that when we do these chemical tests, we  
2 evaluate chemistry, we put in if it's relevant, make  
3 it compatible with this model for the coatings.

4 I didn't know they were going to consider  
5 electrical coatings and all kinds of other coatings.  
6 I think that --

7 MEMBER SIEBER: Yes, insulation.

8 VICE CHAIRMAN WALLIS: -- complicates the  
9 chemical problem.

10 MEMBER SIEBER: Insulation is a factor.

11 VICE CHAIRMAN WALLIS: Okay.

12 MR. BUTLER: Okay.

13 MR. MURPHY: Mark Murphy from Material and  
14 Chemical Engineering Branch.

15 In the chemical effects test, there is a  
16 generic addition of hydrochloric acid to account for  
17 some of the electrical coatings. And then the epoxies  
18 have been shown to not degrade. They are tested and  
19 they don't break down, you know, in solution.

20 VICE CHAIRMAN WALLIS: Thank you.

21 MR. BUTLER: The last point on this slide  
22 I would like to make is section 6, which we titled the  
23 Alternate Evaluation in recognition that it's not a  
24 risk-informed evaluation. So we're very cognizant of  
25 that. And we just call it an alternate evaluation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           It's still within the design basis realm  
2           and it just provides a more relaxed but still  
3           conservative treatment of a less likely spectrum of  
4           breaks within the design basis.

5           One aspects that the section 6 allowed  
6           would be a more realistic treatment of NPSH, a more  
7           realistic calculation using nominal input parameters.

8           The SER kind of restricts that use in that  
9           you'd still need to go through a 9118 evaluation any  
10          time you exceed a nominal parameter, which will tend  
11          to make plants go with their bounding tech spec values  
12          to avoid having to constantly go into an operability  
13          evaluation. So it really reduced the usability of  
14          that section 6 analysis.

15          I've made the point that we're still  
16          reviewing the SER and that, you know, we're going to  
17          start focusing on the application of the guidance so  
18          that we can continue on.

19          The combined impact of the changes on the  
20          result, it really isn't known. That's an uncertainty  
21          we're just going to have to deal with at this point if  
22          it is finalized in its current form.

23          The calculations that have been performed  
24          to date, I imagine as we continue on, some assessment  
25          can be performed using those calculations to get an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 idea of how significant these changes are. But that  
2 hasn't been performed to date.

3 And lastly I'd like to point out the  
4 uncertainties that have to be somehow accounted for  
5 with the test programs that are ongoing. The chemical  
6 effect testing that is -- well, should get underway  
7 very shortly. The initial results should be available  
8 before the end of the year. And the final results are  
9 going to be available sometime, hopefully the first  
10 quarter of 2005.

11 And the second item is the downstream  
12 effect testing. I'm uncertain about the schedule  
13 there.

14 Both of these test programs have the  
15 impact of effecting the overall resolution process.  
16 The issuance of the SER for the guidance will start a  
17 clock. Plants will be required to respond within 90  
18 days of that issuance. And basically start their  
19 evaluation.

20 They have until September of next year to  
21 complete that evaluation. So anything, any  
22 uncertainties they have to deal with during that  
23 process complicates the final evaluation of the  
24 resolution options. So we're concerned about that.

25 And then the schedule for implementing any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 modifications as necessary is also shown in this  
2 timeline. But the main point is the short time period  
3 between the issuance of the SER between now and  
4 September 1st of next year, there are a lot of  
5 uncertainties that need to be addressed.

6 MEMBER FORD: John, could I just repeat  
7 what I said at the beginning? That if one of the  
8 modifications is to remove the cal-sil, if that is one  
9 of the options being taken, you are aware that by  
10 removing silica, you will increase the possibility of  
11 chloride stress corrosion cracking of the stainless  
12 steel? That might be an unexpected consequence of  
13 doing this that should be evaluated either in terms of  
14 a test program or within the Reg Guide 1.36  
15 guidelines.

16 MR. BUTLER: I've made note of your  
17 comment. I admit I don't appreciate it. I will take  
18 it back to those who can appreciate it.

19 VICE CHAIRMAN WALLIS: Okay, John, does  
20 that conclude your presentation?

21 MR. BUTLER: That's is.

22 VICE CHAIRMAN WALLIS: We're almost  
23 approaching the time when the Chairman said we had to  
24 stop. So --

25 CHAIRMAN BONACA: Well, the staff maybe

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 has a closing statement?

2 VICE CHAIRMAN WALLIS: Well, yes -- well,  
3 that's it, I was just hoping we could end up with the  
4 staff. If you can do it before twelve, Michael?

5 (Laughter.)

6 MR. JOHNSON: That's okay. Yes, actually  
7 --

8 CHAIRMAN BONACA: We come back at one but  
9 if you guys want to go further now, that's fine.

10 VICE CHAIRMAN WALLIS: For those who are  
11 impatient to learn more, we can stay here.

12 MR. JOHNSON: My comments are simply  
13 conclusionary actually.

14 And has been said a number of times today,  
15 and we would stipulate to the fact that there is  
16 always more that can be learned, and we are going to  
17 learn as we go forward, and we'll deal with what we  
18 know.

19 And, for example, we're not opposed to --  
20 in fact, we'll consider issuing even a supplement to  
21 the SE if that becomes appropriate based on something  
22 that we learn. That's certainly within the realm of  
23 possibility.

24 We recognize that there are areas where  
25 there is not a lot of data. And that's, again,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 something that we're going to continue to learn as we  
2 go forward.

3 But having said, and we've said a number  
4 of times today, we believe that we know enough about  
5 this issue such that the staff's conclusion is that  
6 based on the GR and the SE that there is reasonable  
7 assurance of adequate protection for someone  
8 exercising the methodology and then making fixes.

9 The plants that do that will be in a safer  
10 place. The plants will have an understanding of  
11 whether they have a problem. That was one of John's  
12 points. That was really the industry's thrust in  
13 terms of developing the methodology.

14 We agree that with the fixes pointed out  
15 in the SE, that the staff -- the plants will have an  
16 understanding of whether they have a problem. And  
17 will certainly have a sense of comfort that fixes that  
18 are made as a result of this SE, again, will result in  
19 plants that are safer.

20 We've had lots of interaction. I want to  
21 go back -- I don't want you to leave with the  
22 impression that, again, staff has not had a lot of  
23 interaction.

24 We've had from the first draft report that  
25 was submitted on this, we've had a full round of REIs.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We've gotten written response on those REIs. We've  
2 gone back and had additional discussion.

3 There are many, many areas of this  
4 evaluation where we've had extended dialogue with the  
5 industry on the evaluation. We're going to continue  
6 to dialogue.

7 One of the points that was indicated in a  
8 letter from Tony Petrangelo to us last week was, for  
9 example, that we have dialogue with vendors to  
10 understand what vendors are proposing in terms of the  
11 fixes. We think that is a good thing.

12 We're going to work -- we're going to set  
13 up that dialogue. We've talked to Tony and they're  
14 going to orchestrate that dialogue with the staff so  
15 we understand what folks who are going to be fixing  
16 these problems are coming up with and the challenges  
17 and so on and so forth. That's a good thing.

18 But I guess my bottom line is we've had  
19 lot of interaction.

20 I do want to make the point that -- again,  
21 I tried to make this point in my opening in terms of  
22 what we see as our regulatory responsibility. You  
23 know, we -- again, we're faced with resolving problems  
24 and, you know, sort of looking at justifications is  
25 always the responsibility of the licensee to provide

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 an adequate justification.

2 It's the responsibility of the NRC to  
3 decide whether that justification is adequate. And  
4 whatever fixes they put in place that would correct  
5 that problem are adequate. And so that's the approach  
6 that we will have.

7 I'm very encouraged by the industry  
8 talking about additional tests. And we want the  
9 industry to do additional testing if they feel it's  
10 appropriate. That would benefit the process. We  
11 would certainly look at whatever comes from that.

12 It's not the responsibility -- we don't  
13 feel at this stage that it is the responsibility of  
14 the NRC to develop some new unthought of test program  
15 to address these issues.

16 We very much want the industry to continue  
17 to do what is necessary and particularly could be  
18 beneficial to address some of these refinements in  
19 some of these areas where there is policy of data.

20 And so again, I just wanted to say we  
21 believe it's time to go forward. We are going to  
22 learn a lot going forward. But we believe it's time  
23 to go forward with respect to the evaluation.

24 VICE CHAIRMAN WALLIS: I want to raise two  
25 points.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           You make statements about plant safety.  
2           You are sure the plants are safe. We haven't  
3           discussed any of that. We have no evidence. I don't  
4           quite know how you make a statement until you see the  
5           consequences.

6           You can't make a statement on plant safety  
7           based on these documents because they haven't been  
8           implemented yet. So I don't -- that's just a comment.  
9           I think that's irrelevant to what we're here for  
10          today. The ACRS isn't going to take any position on  
11          plant safety because we haven't seen any evidence.

12          But we have taken an issue with some  
13          technical issues. And it seems to me that you say you  
14          are comfortable. Are you comfortable with proceeding  
15          without resolving what seem to be quite a few  
16          technical issues that we have raised? Are you really  
17          comfortable proceeding without resolving technical  
18          issues that we have raised?

19          MR. JOHNSON: Well, of course a few of the  
20          technical issues you've raised are issues where we  
21          have ongoing work. For example, chemicals. And  
22          that's built into the resolution process.

23          We talked about downstream effects and  
24          John -- and we have also indicated that there is some  
25          ongoing work on downstream effects. And that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually a part of the evaluation going forward.

2 In general, we have made changes in  
3 response to the comments we've gotten. And yes, I  
4 think the answer is that the staff is comfortable  
5 going forward. Not to say that this document is so  
6 perfect. We're still incorporating minor changes to  
7 the document.

8 VICE CHAIRMAN WALLIS: I'm so surprised,  
9 Michael, because I come from a different environment  
10 maybe where if I review of a technical paper for a  
11 journal or if I review a student thesis, and if has  
12 these sort of fundamental technical questions about  
13 it, it doesn't get accepted.

14 Maybe this is a different environment? Or  
15 maybe you know something more?

16 I don't want to continue the conversation.  
17 Just personally I'm a little puzzled by your comfort.  
18 But it maybe because of the background I come from.

19 CHAIRMAN BONACA: Yes, I guess my  
20 discomfort a little bit is due to the fact that I  
21 really was left with the impression that we do not  
22 have a full appreciation of the dimension of the  
23 problem.

24 I mean we came up with dimensions of  
25 debris of different quantities, et cetera. So -- and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 then that leaves me with uncertainty about the  
2 adequacy of proposed fixes.

3 So the sense I'm getting is that you do  
4 have an appreciation of the problem from what you're  
5 saying even if it is the burden of the licensees to  
6 address the problem. If you do not have a full  
7 appreciation of what the problem is, I mean how can  
8 you make a judgment on the adequacy of the fixes, you  
9 know?

10 MR. JOHNSON: Well -- and I appreciate  
11 Tim's comments sort of explaining the differences.  
12 You know we were all struck by the numbers that Tim  
13 used at the end of the subcommittee meeting. And so  
14 we wanted to go back and look at where we thought a  
15 fiber plant, for example, would come out using the  
16 same evaluation.

17 And it is plant specific. And I think  
18 that helps. I don't think you heard from anyone that  
19 we need to add additional conservatism on the various  
20 aspects of this evaluation. What you heard, in fact,  
21 from the industry is that in some cases, they believe  
22 that we're overly conservative.

23 And, of course, the staff's response to  
24 that is we may be overly conservative. But if that is  
25 the case, it's because there are these unknowns that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       somehow have to be accounted for.

2                   CHAIRMAN BONACA: I don't worry about the  
3 baseline calculation. At some point, everybody will  
4 have to come in to the refinements. And that's really  
5 what I'm wondering how they're going to apply them  
6 based on what I've heard today. I realize I'm not a  
7 member of the subcommittee but it was left to some  
8 puzzlement in my mind.

9                   MEMBER KRESS: Well, let me ask a question  
10 about the head loss correlation. This is to you,  
11 Mike.

12                   You've treated one of the parameters, the  
13 specific surface area, to beta points on various  
14 debris mixtures. And you come up with the different  
15 values for that depending on which test it was and the  
16 mixture.

17                   Will you require the use of the value for  
18 that that gives the most conservative result? The  
19 biggest head loss?

20                   MR. LU: Could you repeat your question  
21 again? We are trying to discuss what exactly you mean  
22 in terms of the specific area there.

23                   MEMBER KRESS: The head loss correlation  
24 has parameters in it that were adjusted to fit the  
25 data. And depending on which test you adjust it to,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 you had different values. For example, for the  
2 specific surface area.

3 Now my question is there is a range of  
4 these or a choice to be made about which specific  
5 surface area for which debris type you will use. And  
6 my question was will you require that they use the  
7 value that gives the most conservative result, that is  
8 the biggest head loss?

9 MR. HARRISON: Looking at the calcium  
10 silicate test in particular, the specific surface  
11 areas we came up with were identified with the worst  
12 conditions that we found. And the recommendations had  
13 an addition ten percent factored in.

14 Ten percent in the specific surface area  
15 could be as much as 21 percent in the head loss  
16 because it's the number squared in the correlation.

17 MEMBER KRESS: So actually you're making  
18 them use the most conservative guidance for that.

19 MR. HARRISON: And I believe we're also  
20 recommending some enhancement on the actual number  
21 determined from the tests, add a safety factor to  
22 that.

23 MEMBER KRESS: Okay, thank you.

24 VICE CHAIRMAN WALLIS: Mr. Chairman, it's  
25 yours. It's up to you to decide what to do next.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   CHAIRMAN BONACA:     Okay.     Any other  
2     questions or points the members want to make? Please.

3                   MR. CULLISON:    I would like to make a  
4     point and that is that I think that there is a safety  
5     problem here today. And I think that the Advisory  
6     Committee has to be careful that we not allow the  
7     progress to move forward rapidly.

8                   It's taking too long.     I think we  
9     recognize there is a real safety problem today that  
10    effects us within the design basis envelope.

11                  On the other side, I think it's also clear  
12    that there are various aspects of this where the staff  
13    believes there is conservatism with very little  
14    justification for that belief that there is  
15    conservatism.

16                  And there is a need for clearly more work  
17    beyond what exists as the basis that the staff would  
18    use today for its evaluation.

19                  So, again, let me point out that there are  
20    two sides to this. But I think we have to be very  
21    careful that we allow the industry to move forward or  
22    we force the industry to move forward aggressively to  
23    solve a problem that does exist today.

24                  We often deal with hypothetical problems  
25    that -- this is a real problem.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: Yes.

2 CHAIRMAN BONACA: That's why I was asking  
3 those questions regarding is there going to be  
4 additional work to be done to close some of these  
5 issues.

6 MEMBER KRESS: Like confirmatory research.

7 CHAIRMAN BONACA: Yes. Because if that is  
8 the case, the downstream risk is the one that the  
9 licensees may have to do additional modifications to  
10 their sumps. But still the trend is going to be in  
11 the positive direction.

12 MEMBER APOSTOLAKIS: But again I'm not an  
13 expert in this area but I'm puzzled by a couple of  
14 issues. First of all, we've heard the time pressures.  
15 And I agree with Rich. After 25 years, all of a  
16 sudden there is time pressure?

17 Second, some of the proposed actions to  
18 take care of the problem, which is something that  
19 Graham keeps coming back to, I mean what are you going  
20 to do at the end? Not just analyze the thing. Are  
21 they very expensive to do? Are they -- all of them  
22 are?

23 MEMBER SIEBER: Yes.

24 MEMBER APOSTOLAKIS: All of them are? I  
25 understand the issue of increasing the surface area

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but all of them are expensive? I mean the barriers  
2 that Mario mentioned to limit the --

3 MEMBER KRESS: Well, I mean that's --

4 MEMBER SIEBER: It's all relative.

5 MEMBER APOSTOLAKIS: What?

6 MEMBER SIEBER: It's all relative.

7 MEMBER APOSTOLAKIS: Relative to how much  
8 pain you're going to get by not --

9 MEMBER SIEBER: You run the plant and make  
10 the mods or don't run --

11 MEMBER APOSTOLAKIS: Wait, wait, wait,  
12 there are various kinds of pain.

13 MEMBER SIEBER: Money is --

14 MEMBER APOSTOLAKIS: One is getting a  
15 negative ACRS letter on this safety evaluation and --

16 VICE CHAIRMAN WALLIS: George, you are  
17 very right. I think we need an -- if this were a  
18 student design project, I'd say you need an economic  
19 analysis. I want to know what is the risk. I want to  
20 know if we make a bad decision based on this SER, the  
21 industry may have to spend 200 million dollars. How  
22 much is it worth getting better information --

23 MEMBER APOSTOLAKIS: That's exactly my  
24 point.

25 VICE CHAIRMAN WALLIS: -- and working on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your research, which may cost me ten million dollars  
2 --

3 MEMBER APOSTOLAKIS: Yes, exactly.

4 VICE CHAIRMAN WALLIS: -- in order to save  
5 the risk of making a 200 million dollar mistake.  
6 That's the kind of thing I'd like --

7 MEMBER APOSTOLAKIS: And that's the way --

8 VICE CHAIRMAN WALLIS: -- because that's  
9 the way I'd think if I were a business man.

10 MEMBER APOSTOLAKIS: -- and that's exactly  
11 where I was going to. I mean --

12 MR. HAFERA: Excuse me. I think on my  
13 third slide, my last line, I projected some practical  
14 solutions and some of those are fairly -- are not  
15 necessarily -- it doesn't take a lot of engineering to  
16 go get a bunch of insulators and double jacket your  
17 insulation.

18 MEMBER APOSTOLAKIS: That's exactly --

19 MR. HAFERA: And remove all your fiber  
20 from the source term. There's a nice, inexpensive fix  
21 that every plant could do.

22 MEMBER APOSTOLAKIS: So why aren't they  
23 doing it then?

24 MR. HAFERA: Well, it's up to them to do  
25 it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Well, I understand  
2 that.

3 MR. HAFERA: We can suggest it.

4 MEMBER APOSTOLAKIS: But that's my problem  
5 that --

6 MR. HAFERA: And, again --

7 MEMBER APOSTOLAKIS: -- I see here again  
8 a question that is open. There are strong  
9 disagreements. Do more tests. Do more research. And  
10 I'm wondering, you know, are there any solutions that,  
11 you know, coming back to the internal combustion  
12 engine. They didn't quite understand what was going  
13 on but they built it. Maybe there are some solutions  
14 here --

15 CHAIRMAN BONACA: The only problem in that  
16 example is that we will never know if the sump works  
17 until you have a LOCA and hopefully we'll never have  
18 it.

19 MEMBER SHACK: You know you've made it  
20 better. Have you made it good enough?

21 MEMBER SIEBER: Yes because you have to  
22 have the analytical methods and the data to know that.

23 CHAIRMAN BONACA: That's right. I mean we  
24 are never going to take --

25 MEMBER APOSTOLAKIS: So there aren't any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actual things they can do that would be convincing  
2 that result in adequate protection?

3 CHAIRMAN BONACA: Adequate protection?

4 MEMBER SIEBER: Until --

5 MEMBER APOSTOLAKIS: Without studying and  
6 expanding the methodology.

7 MEMBER SIEBER: -- until we have the  
8 database, which does not require extrapolation, and  
9 the analytical methods that make physical sense, you  
10 can't show whether you are good enough or not. Even  
11 though you can physically make improvements to the  
12 plant.

13 And so I think that you need to work on  
14 both ends of it. I think there are more pieces of  
15 data that need to be developed. I think there are  
16 improvements to the models that need to occur.

17 On the other hand, I think that licensees  
18 could be thinking in terms of not running tests to  
19 avoid the requirement to extrapolate but to come up  
20 with designs that will pull the operating parameters  
21 into the realm of test data they already have,  
22 reducing flow velocities, increasing screen area,  
23 eliminating debris to the extent that you can.

24 VICE CHAIRMAN WALLIS: Absolutely.

25 MEMBER SIEBER: And so those are the kinds

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of approaches that I expect. But moving forward the  
2 way the SER now says and the guidance now says I think  
3 will lead to a quagmire.

4 CHAIRMAN BONACA: Well, I think we need to  
5 take a break now.

6 MEMBER APOSTOLAKIS: For what? Ten  
7 minutes or lunch? Lunch?

8 CHAIRMAN BONACA: Yes.

9 MEMBER APOSTOLAKIS: What's going to  
10 happen to the schedule now? Can we --

11 CHAIRMAN BONACA: Like I said before,  
12 we're going to take a recess now until one.

13 At one sharp, we're going to get together  
14 and review ACR-700. And hopefully we can do it in an  
15 hour. You know, that's the time we're allotted now.

16 And then we'll just resume the schedule as  
17 we had it.

18 But I will start the meeting at 1:00 p.m.  
19 sharp. So with that we can recess.

20 (Whereupon, the foregoing matter went off  
21 the record at 12:16 p.m. to be reconvened in the  
22 afternoon.)

23 CHAIRMAN BONACA: Okay. We are  
24 continuing the meeting and we have a quarrel. So we  
25 will start the meeting with the next meeting on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Agenda, that's Pre-Application assessment report for  
2 the advanced of 100 design. Dr. Kress?

3 MEMBER KRESS: Thank you. We, the staff,  
4 since about 2002 or so has been working on the pre-  
5 application review for ACR-700. And they've been  
6 looking at what's been called focused issues.

7 And they have written -- this is a severe  
8 -- I mean an SAR instead of -- it's a safety  
9 assessment report. They've issued this. And you've  
10 gotten the copy of it.

11 And hopefully most of you have read it.  
12 And that's what we're going to hear about today, the  
13 results that is. And I guess -- are you going to lead  
14 off Laura?

15 MS. DUO: Yes, I'm just going to take a  
16 minute. Good afternoon, I'm Laura Duo. I'm the  
17 section chief for the new reactors group. Before we  
18 start, quickly, I just wanted to introduce Bill  
19 Beckner is the new program Director for our program.

20 Many of you remember Jim Lions going  
21 through this. This is Bill's first opportunity to  
22 come before you.

23 MR. BECKNER: I think you probably  
24 remember me from other jobs.

25 MS. DUO: Okay, I know that we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 compressed on time. So, I'm going to go just through  
2 this quickly and then turn this over to Belkys again.

3 Pre-application is in accordance with the  
4 Commission's policy statement on advanced reactors. It  
5 encourages the Staff to engage early on complex  
6 technical issues and start a good dialogue with  
7 applicants well before a design certification  
8 application comes in.

9 The goals of the activity we consider that  
10 we're presenting today is sort of our completion of  
11 phase two. Again, completion in the concept of pre-  
12 application is the identification of a path forward in  
13 design certification.

14 I don't think you're going to be hearing  
15 any firm regulatory conclusions today, nor does the  
16 report have any firm regulatory conclusions. So, with  
17 that, I'm going to turn that back over the Belkys.

18 MEMBER KRESS: But, before you do, I would  
19 like to -- in the spirit of identifying the way to  
20 move forward, I would like the committee to look upon  
21 this meeting as a way to identify the things we need  
22 to review and the issues we might be most interested  
23 in when we get to our part of the review, the  
24 certification of ACR Weather 700.

25 Thank you, with that now you can turn it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 over.

2 MS. SOSA: Thank you, good afternoon. I  
3 am Belkys Sosa. I'm the Department Manager for the  
4 ACR-700 pre-application review. And, as Laura said,  
5 the purpose of today's meeting is to brief the  
6 Committee on the status of the pre-application review,  
7 to provide information to the Committee on the major  
8 issues identified in the pre-application safety  
9 assessment report, the PASAR, as we called it for the  
10 ACR-700 design, and to also request that the ACRS  
11 provide a letter on the Staff's assessment on the  
12 design and the feasibility of completing the design  
13 certification review.

14 Our Agenda is being modified somewhat due  
15 to the time limits. I'm going to try to go very  
16 quickly. What I have prepared today is an overview,  
17 very general type of presentation on the different  
18 focus topics.

19 We are planning a presentation by Don  
20 Carlson. And we also would like you to hear from the  
21 Applicant at AECL on the same topic. They have  
22 prepared a letter of presentation on what they intend  
23 to engage us on in the transition phase.

24 The approach for the pre-application  
25 review, again, was to identify some terms. We are not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 trying to resolve the issues, we were trying to  
2 facilitate the design certification review.

3 Phase one was the familiarization phase.  
4 That lasted approximately a year. We also tried to  
5 develop an understanding of the differences between  
6 the ACR-700 and other CANDU plants, to identify  
7 existing regulations that may not be met by this  
8 design and to identify new regulations that will be  
9 required in order to provide and ensure adequate --

10 VICE-CHAIRMAN WALLIS: This bullet of  
11 differences, it seems to me you need to be clear about  
12 what appear to be differences, but may be superficial  
13 because it looks differences, and what are real  
14 differences about approaches to safety or defense in  
15 depth, or the principles.

16 And so, somehow separate those out for us  
17 so we don't get lost in the details and we can see  
18 these are the main key differences that affect  
19 something at a higher level. Maybe that would help us  
20 too.

21 MS. SOSA: That's a good point. The ACR-  
22 700 is light water cooled. It's not heavy water or --  
23 so there are some differences that we need to point  
24 out.

25 And we also have been engaged with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Canadian Nuclear Safety Commission as another resource  
2 in the pre-application review, including several  
3 technical interactions with them.

4 They are -- designing -- now, the pre-  
5 application review scope was selected by the  
6 Applicant. And there's 13 different areas. What you  
7 see underlined are, for instance, the boundary design,  
8 the computer codes and validation adequacy, the power  
9 fueling confirmation of negative void reactivity and  
10 the fuel design, are issues that AECL determined to be  
11 key focuses.

12 Again, that was done in response to some  
13 concerns from NRC resource limitations. They said,  
14 please focus on this first. The item that you see in  
15 red is design basis access and acceptance criteria.

16 It was determined by the Staff to be the  
17 NRC priority. And the items that you see in blue,  
18 focus topics five, ten, and twelve, essentially do not  
19 have distinct sections in the report.

20 What we did is we wrote that information  
21 with the other focus topics. So, you won't find a  
22 separate chapter on that. The report for every focus  
23 topic contains a review scope section where discussion  
24 on what was reviewed and the guidance that it was  
25 reviewed again to the extent that it exists.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           There's a section on regulatory issues  
2 that were identified for each focus topic. Again,  
3 rules, rulemaking are exemptions that will need to be  
4 resolved, are listed on there.

5           Potential policy issues, again, there's a  
6 section that discusses items that could potentially  
7 require upper management or Commission dinosaur  
8 resolution.

9           At this point we feel it is pre-mature to  
10 call any kind of policy issue because we haven't seen  
11 the application yet. Technical issues, again, it  
12 discusses significant technical items identified that  
13 will require additional data tests or analysis in  
14 order for a resolution to be issued.

15           And the conclusions section is nothing  
16 more than identifying what the feasibility of  
17 successfully completing the design. The Staff feels  
18 at this point that nothing that we've reviewed would  
19 preclude certification of -- not certification -- but  
20 moving forward with design certification.

21           Here are the major milestones in the pre-  
22 application. Phase one complete in July of 2003.  
23 Phase two is currently ongoing and scheduled to  
24 complete at the end of this month with issuance of the  
25 report.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The draft report was provided to the  
2           Committee for review September 16<sup>th</sup>. Essentially, the  
3           PASAR will be issued at the end of this month. In  
4           November we will start with what we call the  
5           transition phase.

6           And that will go through until we actually  
7           receive the application.

8           MEMBER KRESS: Do we have a target date  
9           for completing the whole certification process yet? Or  
10          is that too soon?

11          MS. SOSA: I think that is a little soon.  
12          Once we receive the application we will develop our  
13          estimate on the schedule. Now, again, this is a very  
14          general overview for each of the focus topics.

15          For class-one pressure boundary design we  
16          have a couple of regulatory issues involving 50-55A,  
17          the use of ASME. Essentially, for areas where ASME  
18          code requirements are not applicable or need to be  
19          supplemented, the Staff will evaluate the  
20          acceptability of Canadian codes and standards.

21          Again, for the ACR-700 they don't have a  
22          reactor vessel, they use pressure tubes. So, there's  
23          a regulatory issue there. But, the Staff feels that,  
24          in accordance with 52-40A, the technical requirements  
25          specified in 50-61, the pressurized thermal shock, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fracture toughness and the materials surveillance  
2 requirements are not technically relevant.

3 MEMBER APOSTOLAKIS: Excuse me, come back  
4 to the first bullet. Does Canada follow the ASME  
5 standards?

6 MS. SOSA: In some areas of the design  
7 because of the unique aspects, for instance, the  
8 material, the use in the pressure tubes, that's not in  
9 -- by ASME. So, a lot of it is --

10 MEMBER APOSTOLAKIS: But let's say that  
11 the issue is -- is it possible that Canada will apply  
12 its own standard? Or is that covered by what you say  
13 there?

14 You say for those areas where the ASME  
15 code requirements are not applicable.

16 MS. SOSA: Correct.

17 MEMBER APOSTOLAKIS: You look at the  
18 Canadian standards. What about the areas where the  
19 ASME code applies but they have their own standard?

20 MS. SOSA: For those areas we will use our  
21 standards. So, only for areas where we don't -- where  
22 it's not covered in ASME, then we use --

23 MEMBER APOSTOLAKIS: I'm sure you'll teach  
24 them to have their own standards. And they have  
25 agreed to this --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   MEMBER KRESS: Evaluate the acceptability  
2 of the Canadian standards. When you do this  
3 evaluation of the Canadian standards, normally what  
4 you do is compare those to ASME standards.

5                   Are you going to basically be developing  
6 what you think our standard ought to be and see if  
7 this meets it? How are you -- what is your acceptance  
8 criteria.

9                   MEMBER APOSTOLAKIS: Yes.

10                  MEMBER KRESS: That's yet to be  
11 determined, I guess.

12                  MS. SOSA: I'd like to refer to Ted  
13 Sullivan to give you an explanation on that.  
14 Actually, why don't I have Victor?

15                  MR. SNELL: Victor Snell with AECL. Just  
16 to answer the question briefly, and sorry for --  
17 Belkys time -- for areas in Canada where ASME would  
18 apply, we use it. So, it's just as simple as that.

19                  MEMBER APOSTOLAKIS: Okay.

20                  MEMBER KRESS: But it doesn't help the  
21 issue of how do you go about evaluating the  
22 acceptability of a standard.

23                  MS. SOSA: Of the Canadian Standard?

24                  MEMBER POWERS: Yes. For instance, if  
25 you're working with the zirconium alloy, so you look

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at a Canadian standard for that alloy. Have you  
2 given thought at all to what it requires to review and  
3 assess that standard?

4 MS. SOSA: I think the approach is going  
5 to be to try to evaluate the standards to an  
6 applicable requirement, to the same level of  
7 requirements that we have.

8 But we will be using Canadian standards  
9 for that.

10 MEMBER POWERS: Do you have a standard --  
11 is there a requirement in particular on deuterium  
12 take-up by the alloy?

13 MR. FAIR: Yes, this is John Fair. I'm  
14 not going to answer your specific one on the  
15 materials. But, those design aspects that are not  
16 covered by the code, specifically we tried to review  
17 and see that they meet the intent of the code, which  
18 is the margins of safety, etcetera.

19 For the materials aspect, they're going to  
20 have to look at details of materials, testing and  
21 stuff like that, and the type of detailed review you  
22 would do when accepting the materials that are  
23 accepting the ASME code.

24 But we do not have specific criteria for  
25 doing this evaluation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER POWERS: I guess this sounds like  
2           it can be either an easy job or an impossible job. I  
3           mean, if I go in and look and say, okay, here's the  
4           standard, and here's a bunch of data, and sure enough  
5           they bound it up with the standard, it's not too  
6           difficult to do.

7           If, on the other hand, they go in and say,  
8           well here's the data to use, but here's the database  
9           that really exists and here's all the testing methods  
10          that hey did, and how good and reliable those testing  
11          methods are, and the bias that's inherent in the  
12          various testing methods, and the bias that was applied  
13          because the samples were not really pressure tubes but  
14          little plantchets that people tested and things like  
15          that. This could well be a lifetime occupation.

16          MR. FAIR: Well, we think that some of the  
17          areas are going to be difficult, but not impossible.  
18          I think there's a lot of test data out there on some  
19          of the areas that we don't have covered by the ASME  
20          code that ADCL has referenced.

21          And I believe that we're also going to be  
22          looking at doing some confirmatory stuff with our  
23          research. So, it's not an easy job and we agree with  
24          you, it's going to take a lot of effort to review some  
25          of these areas.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER POWERS:       The problem I see  
2 inherently in it is there are data that are not cited  
3 either in the standards or by AECL that also exist on  
4 these materials. And finding them is a chore.

5                   MR. FAIR:   Well, you may be correct on  
6 that. I mean, I can't speak to things I don't know  
7 exist. Other than the fact that, when we get into the  
8 review, we'll probably do document searches and try to  
9 get as much of the information as we could find out  
10 there.

11                   MEMBER KRESS:    Is the process that  
12 Canadians went through to develop their standards  
13 similar to the process we go through to develop ASME  
14 standards?

15                   MR. FAIR:    I'll leave that to AECL to  
16 answer, but I believe so.

17                   MR. SNELL:   Victor Snell again. I can try  
18 and give a general answer, because I'm not a standards  
19 expert. But I think the general answer is yes.

20                               By in large, where ASME applies, we use  
21 it. So, the Canadian standards have been developed  
22 over a large number of years with operating on  
23 research experience, and basically come from initially  
24 steps at the labs, and confirmed by operating  
25 experience, and get formalized into standards by a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 group consisting of the Canadian ministry -- playing  
2 a sort of puddles over a park controlling role.

3 So, by the time the Standard comes out,  
4 what it represents is an industry consensus that has  
5 the input, if not the formal agreement of the  
6 regulator, incorporates operating experience and  
7 research experience, and stands as subject to revision  
8 as things change.

9 That's basically the process that's been  
10 followed.

11 MEMBER KRESS: Sounds very similar to the  
12 process we did.

13 MEMBER POWERS: A skeptical person might,  
14 not that I am one, might say the old boys club gets  
15 together and sets the standard in Canada, just like  
16 the old boys club sets the standards in the United  
17 States.

18 They cannot be considered consensus of the  
19 entire --

20 MEMBER ROSEN: In the United States there  
21 are safeguards that are implied by ANSE to attempt to  
22 keep the old boy network under control.

23 MEMBER POWERS: Another old boy network  
24 oversees the first old boy network.

25 MEMBER ROSEN: Well, there are certain

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 criteria for who can be on the standards committee and  
2 the representation and that sort of thing.

3 MEMBER APOSTOLAKIS: I thought Professor  
4 Wallis this morning raised concerns about one of the  
5 ANSE standards.

6 MEMBER ROSEN: Well, that's always  
7 possible.

8 MEMBER APOSTOLAKIS: Didn't you say that  
9 you looked at the models and --

10 MEMBER KRESS: I think we're going to need  
11 to move on on this issue. We've discussed the  
12 standards enough.

13 MS. SOSA: Thank you. The PASAR also  
14 discusses various issues on degradation mechanisms  
15 that will require additional information and further  
16 review for resolution.

17 Design basis access and acceptance  
18 criteria, focus topic number two -- again, this was  
19 the NRC priority during the pre-application period.  
20 AECL proposed -- risk informed reactor accident and  
21 clarification scheme, essentially introducing the  
22 limit the core accidents as a new category.

23 The Staff recommends to adapt a  
24 probabilistic event selection for ACR-700, this is a  
25 line within the new risk inform initiatives. Severe

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 channel flow blockage and the stagnation --

2 MEMBER APOSTOLAKIS: Wait, the second  
3 bullet there says the Staff recommends a probabilistic  
4 -- you're going to select design basis accidents using  
5 --

6 MS. SOSA: No, we are going to look at the  
7 limited core accidents in between category that AECL  
8 is proposing, and make a determination based on the  
9 probability and frequency, whether they belong in DBA  
10 or severe --

11 MEMBER APOSTOLAKIS: Yes, so you're using  
12 probabilities to define the DBAs aren't you?

13 MEMBER POWERS: No, categorizing the  
14 hypothesized accident into one of two categories, DBA  
15 or severe accident. The accidents already exist.

16 MEMBER APOSTOLAKIS: The analysis, you  
17 mean.

18 MEMBER POWERS: The scenario already  
19 exists.

20 MEMBER APOSTOLAKIS: Yes.

21 MEMBER POWERS: The question is, is the  
22 design basis accident that's subject to conservative  
23 deterministic evaluation.

24 MEMBER APOSTOLAKIS: But it's an  
25 interesting thing, though. I mean, you're saying that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as if it's the easiest thing in the world. I mean,  
2 tomorrow we have a whole presentation on licensing  
3 future reactors that will be risk --

4 MEMBER POWERS: We know that the academic  
5 community can complicate any subject.

6 MEMBER APOSTOLAKIS: I think there are  
7 some skeptical members of this committee that do that  
8 very well. There seems to be a disconnect. On the  
9 one hand we have a major research project trying to do  
10 that for future reactors.

11 And here we're saying, no, we're going to  
12 adopt a probabilistic approach and do it. I'd like to  
13 see that. I think we were supposed to have seen it  
14 already.

15 MEMBER KRESS: They will also have a PRA.

16 MEMBER APOSTOLAKIS: Of course.

17 MEMBER KRESS: The PRA will look at the  
18 whole range of accidents, like PRAs do.

19 MEMBER APOSTOLAKIS: I understand that.  
20 But, I thought that's an issue that our staff is  
21 facing is that DBA isn't PRA. What do we do about it?

22 MEMBER KRESS: What DBAs are supposed to  
23 do is render the design into an acceptable safety.  
24 What the PRA does is validate that, tell you whether  
25 or not you have a risk.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER APOSTOLAKIS: I know.

2 MEMBER KRESS: So, I think the process  
3 they're talking about may be workable. They may have  
4 to -- they have to decide on what probabilistic value  
5 they'll use for the break.

6 MEMBER APOSTOLAKIS: Yes.

7 MEMBER KRESS: And then that may be an  
8 issue, I don't know. They may choose one of them, the  
9 PRA and tell them, maybe we should have used a  
10 different one.

11 They may have to adjust that. I don't  
12 know what they plan on doing. I'm just throwing out  
13 words.

14 MEMBER APOSTOLAKIS: Well, as I say,  
15 tomorrow we will cover a whole presentation on the  
16 issue.

17 MEMBER KRESS: Yes.

18 MEMBER APOSTOLAKIS: Maybe we can tell  
19 them it's trivial, go, find out from these guys and do  
20 it.

21 MEMBER KRESS: Say again?

22 MR. BECKNER: I don't know that Belkys  
23 said it was going to be easy. I think she said that  
24 was we intend to try. But I think we would concur  
25 that it's not an easy task.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER DENNING: Could you give us some  
2           idea as to what the threshold might be between what's  
3           a design basis accident and what's a non-design basis  
4           accident?

5           MS. SOSA: I'd like to defer to Jerry  
6           Wilson. He was the chair of a working group that we  
7           established specifically to look at this.

8           MR. WILSON: Jerry Wilson, first of all,  
9           I'd like to remind the Committee that the Staff has  
10          been before the Committee several times on these non-  
11          NRWR policy issues, one of the issues of which was  
12          selection of accidents for finite reactors.

13          And this Committee approved that proposal.  
14          And the Commission approved that proposal. And so,  
15          the Staff is proposing to do is adopt that approach  
16          for this particular design.

17          And the specific answer to your question,  
18          I think the range that we're looking at for design  
19          basis accidents would take us down into a frequency of  
20          ten to the minus five.

21          MEMBER KRESS: I recall that this was a  
22          process that Exxon proposed.

23          MR. WILSON: Something like that, similar.  
24          But, we haven't worked out the details, but this a  
25          proposal for going forward at this point.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER KRESS: And the selection of ten to  
2 the minus five is based on what?

3                   MR. WILSON: Well, a range that was  
4 discussed in those policy papers that have been sent  
5 to the Committee on the frequency it feels appropriate  
6 for design basis accident.

7                   MS. SOSA: Okay. As an alternative to  
8 meeting the requirements of 50-34, the Staff may  
9 propose a mechanistic fission product source term for  
10 commission consideration.

11                   Computer codes and validation adequacy  
12 were focused up in number three. This involved the  
13 neutronics tools, as well as the thermal hydraulics  
14 codes.

15                   The current physics codes that AECL  
16 brought in, the WIMS codes, DRAGON, RFSP, staff  
17 determined will meet modifications and revalidation  
18 for ACR-700 conditions.

19                   Experimental database on header and fitter  
20 inventory on fuel distribution, horizontal fuel bundle  
21 thermal hydraulics and RD-14M integral test is  
22 required for a successful completion of design  
23 certification.

24                   Now, modifications to test facilities,  
25 such as the RD-14M and CWIT, and the LASH facility,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 may be required to correctly scale the ACR-700 design.

2 MEMBER KRESS: Now, I'm sitting here with  
3 perhaps a mis-apprehension about these facts. Do  
4 these requirements, the current physics codes, and  
5 these modifications, for example, are those things  
6 that you expect the Applicant to do?

7 MS. SOSA: Yes, they are currently working  
8 on that.

9 MEMBER KRESS: Now, on the scaling  
10 question, are you going to require that the AECL do a  
11 scaling analysis?

12 MS. SOSA: The staff is currently doing a  
13 scaling analysis.

14 VICE-CHAIRMAN WALLIS: Did you say  
15 something about thermal hydraulic codes that I missed,  
16 or are you just talking about physics codes?

17 MS. SOSA: The thermal hydraulic codes  
18 were also reviewed, the ATHENA code was. Several runs  
19 were performed. And, the outcome is what you see  
20 here. Essentially it was determined that the database  
21 would still need to be worked on to make sure that it  
22 represents ACR-700 conditions, and that the test  
23 facilities will have to be verified to make sure that  
24 they are scaled correctly.

25 VICE-CHAIRMAN WALLIS: You have the ATHENA

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 code?

2 MS. SOSA: Yes.

3 VICE-CHAIRMAN WALLIS: We can use your --

4 MS. SOSA: Yes, we have. And the Staff is  
5 working on their own independent tool.

6 VICE-CHAIRMAN WALLIS: How do you verify  
7 or decide to accept a code?

8 MS. SOSA: How do we verify?

9 VICE-CHAIRMAN WALLIS: How do you decide  
10 that a code is acceptable?

11 MS. SOSA: Well, I'd like to defer to the  
12 lead on the thermal hydraulics review, Walt Johnson.

13 MR. JOHNSON: Yes, we're going to apply  
14 the -- Walt Johnson, reactor assistance branch. We're  
15 going to apply the draft reg guide, 1120, which --

16 VICE-CHAIRMAN WALLIS: Is this the one  
17 that has never come out yet?

18 MR. JOHNSON: The reactor --

19 VICE-CHAIRMAN WALLIS: We have been  
20 working to get it out for eight years or something, is  
21 that the one?

22 MR. JOHNSON: This is the one.

23 VICE-CHAIRMAN WALLIS: Maybe if you used  
24 it, then that would be sort of -- day factor whatever  
25 they say issuance.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. JOHNSON: I suppose it would. It  
2 seems like a good way to go as -- be done and requires  
3 that the code be validated against the important areas  
4 in the PIRT.

5 And we're going to follow the approach  
6 because it seems like the appropriate way to go.

7 VICE-CHAIRMAN WALLIS: That would be very  
8 good. I think we'd be happy to see this document  
9 used.

10 MS. SOSA: Thank you. Severe accidents  
11 definition, adequacy of supporting research and  
12 developing, focus topic number four. The NRC PIRT  
13 process identified a number of key technical issues  
14 that must be addressed for successful completion of  
15 design certification.

16 The PIRT process also identified potential  
17 deficiencies in the experimental database used to  
18 validate the analysis codes. And the Staff will use  
19 MELCOR, will model on MELCOR to model the unique  
20 characteristics of the ACR-700 configuration for  
21 independent validation.

22 And, the Staff is not planning to conduct  
23 additional experimental work. We anticipate that the  
24 AECL experiments are going to be sufficient to  
25 validate the analysis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER KRESS: Now, the Canadians use a  
2 version of the map code for this?

3                   MS. SOSA: Yes.

4                   MEMBER KRESS: Have you reviewed that?

5                   MS. SOSA: Yes. I'd like to defer that  
6 question to Sid Basu. And he can elaborate a little  
7 bit on what the plan is.

8                   MR. BASU: Okay. This is Sid Basu from  
9 research. I guess I missed Tom's question.

10                  MEMBER KRESS: I wondered to what extent  
11 you plan on reviewing the map code that the Canadians  
12 use for their severe accidents?

13                  MR. BASU: We are going to be looking the  
14 mapped ACR version that they are either developing  
15 currently or probably just about completed the  
16 development.

17                  And we're going to look into the code to  
18 see whether all the phenomena are adequately modeled  
19 there. That's currently the extent of our review  
20 process.

21                  MEMBER KRESS: With respect to no  
22 experiments needing, are there any experiments being  
23 done to look at LCI steam explosions in heavy water?

24                  MR. BASU: Yes, they have planned -- which  
25 is mostly -- interaction experiments. They have about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 half a dozen experiments planned. They were going to  
2 run the commissioning test with a smaller amount of  
3 melt mass just to see, you know, how the system  
4 facility works.

5 And I believe the test was planned some  
6 time in August. I don't believe it has been run yet.

7 MEMBER KRESS: Do these tests include  
8 substantial amounts of the caladium two and pressure  
9 two metal components?

10 MR. BASU: Yes.

11 MEMBER KRESS: I think --

12 MS. SOSA: Canadian design codes and  
13 standards, focus topic six. The Staff believes that  
14 SECY-47 has direct applicability to the use of  
15 Canadian codes and standards for the ACR-700.

16 In response to that, the Commission  
17 directed the Staff to review the international codes  
18 and standards only as part of applications or pre-  
19 application reviews.

20 So we believe that the ACR is covered by  
21 that. Now, we expect, as you mentioned earlier, that  
22 the review of Canadian codes and standards will have  
23 a significant impact on the time and technical  
24 resources of the Staff -- certification review.

25 So we are preparing for that. The next

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 focus topic is distributed control systems and safety  
2 critical software. The Staff raise a question in  
3 their review on how the design complies with NRC's  
4 position on defense in depth.

5 Since it appears at the trips head points  
6 for both the shut-down systems are the same, the Staff  
7 question whether shut-down system one and two are  
8 developed to meet the same systems functional and  
9 software requirements.

10 AECL's presentation the last time we came  
11 to the ACRS in January of 2004, indicated that  
12 reliability of safety critical software is  
13 demonstrated through particular quantitative  
14 reliability goals.

15 This may raise an issue, since current NRC  
16 position does not provide the use of digital  
17 reliability goals.

18 MEMBER KRESS: But, is it precluding them?  
19 Is the NRC position precluding the use of goals?

20 MS. SOSA: I'd like to defer that question  
21 to Mike Chramel, he can elaborate.

22 MR. CHAMEL: I'm not sure. We say that  
23 we don't allow quantitative reliability to be the only  
24 means of verifying the quality of the reliability of  
25 the system.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           It could be used as an added incentive.  
2           But it should be both qualitative and quantitative.

3           MEMBER APOSTOLAKIS: Well, in order to do  
4           a quantitative analysis, you have to do the  
5           qualitative first. So, it shouldn't be that hard to  
6           satisfy that requirement.

7           I remember there were some funny words in  
8           the regulations about the reliability goals related to  
9           software. It didn't quite come to the point where  
10          they said don't use them.

11          But, it clearly sent the message that you  
12          guys were very cool toward the idea. Well, that was  
13          a long time ago.

14          MR. ARNDT: That was seven years ago.

15          MEMBER APOSTOLAKIS: Seven years ago.  
16          Steve, do you want to say something?

17          MR. ARNDT: Steve Arndt. The other issue,  
18          of course, was the particular methodology they use is  
19          not something we've specifically looked at, although  
20          we're in the process of looking at similar things.

21          MEMBER SHACK: But, do the two systems  
22          meet the diversity goal? Are they using the digital  
23          reliability to substitute for diversity? Is that --

24          MR. CHRAMEL: Yes, they are using two  
25          different codes and different mechanical systems.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 But, the thing we are looking for is the requirements  
2 are the same or not.

3 MS. SOSA: On power fueling is focus topic  
4 number eight. The Staff's approach was to compare the  
5 design of the ACR-700 on power fueling systems to the  
6 design related regulations in part 50 and part 52.

7 The Staff determined that existing  
8 regulations are adequate to support design  
9 certification on power fueling for the ACR-700. Now,  
10 the on power fueling process could be a relatively  
11 high probability initiator for limited core damage  
12 accidents. That's something that's --

13 MEMBER ROSEN: Now, in reading the PSAR,  
14 what I learned was that, for on power fueling, the  
15 components that 10CFR would require in terms of  
16 isolation were the -- not be available in the current  
17 design of the ACR-700.

18 Am I correct in that some additional  
19 design work may be necessary to bring it into full  
20 compliance, mainly in the area of double isolation and  
21 those kinds of --

22 MS. SOSA: I'd like to refer that question  
23 to Steve Jones or John Fair as well.

24 MR. FAIR: Hi, John Fair. We've reviewed  
25 it, the pressure boundary in accordance with 50-55A

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 designation in the regulations. And some of the lines  
2 that were coming off of the refueling machine didn't  
3 have double isolation valves.

4 And I believe AECL was considering whether  
5 they were going to change some of those designations  
6 to conform with U.S. regulations are not.

7 MEMBER ROSEN: Well, isn't it time to stop  
8 considering and kind of fix on a design weakened  
9 review?

10 MR. FAIR: I'll leave that to AECL.

11 MS. DUO: This is Laura Duo again.  
12 Again, pre-application was looking at some of the  
13 larger issues in having -- forward. Once we had the  
14 design certification application, that's where we  
15 start to get into those issues more deeply.

16 But, until we have that application  
17 submitted, we have to review what we have before us.

18 MEMBER ROSEN: Well, I think you can say  
19 that isolation isn't important. But, if it's clearly  
20 not in conformance with some of the requirements of  
21 part 50, I mean, that's a show stopper, isn't it?

22 MR. ARCHINOFF: Can I just interject for  
23 second. It's Glen Archinoff, AECL. As far as I know,  
24 that one has been taken care. That change has been  
25 made in the design, that particular one.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER ROSEN: Well, there are few others.  
2                   In reading -- I don't have a mental picture of it  
3                   right now. But, I'm reading -- when I read that I was  
4                   concerned there were a number of things.

5                   None of them looked like terrifically big  
6                   hitters. But, if they weren't fixed, they simply  
7                   wouldn't comply. So, I think we'll have to focus on  
8                   that in the future.

9                   MEMBER KRESS: Well, they'll either have  
10                  to comply or get an exemption.

11                  MEMBER ROSEN: Right. They can always get  
12                  an exemption.

13                  MEMBER KRESS: I know it's unheard of.

14                  MEMBER ROSEN: Well, I mean, exemptions  
15                  have to have due cause and all that shown.

16                  MEMBER SIEBER: On the last bullet you  
17                  have on this slide, what's the scenario of the core  
18                  damage actions to --

19                  MS. SOSA: Okay, I'd like to defer to  
20                  Steve Jones for that one.

21                  MR. JONES: Steve Jones, NRR. The -- both  
22                  operational experience and AECL's preliminary  
23                  probabilistic safety analysis indicated a couple type  
24                  of events may result in failure of the end fitting,  
25                  either due to failure of the refueling machine to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 properly re-seal the fuel channel, or due to impact of  
2 the fueling machine with the end fitting.

3 In that case, events such as fuel ejection  
4 from the fuel channel are possible.

5 MEMBER SIEBER: Okay.

6 MS. SOSA: Okay. Thank you. Confirmation  
7 of negative void reactivity, focus topic number nine.  
8 And, again, Don is here to provide you more detail.

9 We heard you and got some feedback last  
10 time we were here in January, where you referred to  
11 this issue as probably the number one issue to look at  
12 during the pre-application review.

13 So, based on that feedback, we prepared a  
14 more detailed presentation for you. Now, the Staff  
15 feels that, again, the design that they reviewed  
16 during pre-application is a preliminary design.

17 So that's important to recognize. If the  
18 AECL comes in with a design that's still -- has not  
19 eliminated the potential for substantially positive  
20 reactivity during the initial checkable reading, they  
21 feel that they would raise a similar issue as that in  
22 SECY-92.

23 MEMBER KRESS: Could you elucidate us on  
24 what checkable --

25 MS. SOSA: Yes, I think that Don has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 prepared a detailed presentation on that. So, I will  
2 defer him. So, again, the challenge here will be what  
3 level of confidence are needed for establishing  
4 compliance with GCD11.

5 Here is focus topic number 11. The  
6 issues, again, after review is the treatment of  
7 limited core damage accidents. And risk objectives  
8 should be expanded to address both the limited core  
9 damage accidents and the severe core damage accidents.

10 And the definition is there. Limited  
11 core damage accidents are accidents that involve just  
12 a single channel, by design, do not propagate to the  
13 entire core.

14 And, severe core damage involve the entire  
15 core.

16 MEMBER SIEBER: What are the consequences,  
17 however, of limited core damage accident? Is it  
18 limited to inside containment and contamination? Or  
19 is there a potential for external consequence?

20 MS. SOSA: That's a good question. I  
21 think I'm going to defer to Marty Stusky. Is he in  
22 the room.

23 MR. STUSKY: This is Marty Stusky from  
24 NRR. The Applicant stated that the consequences of  
25 limited core damage accidents are confined inside the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 containment building itself, which would be small  
2 because it's only one 296<sup>th</sup> of the core inventory or  
3 so, single channel. It's something we'll look at.

4 MEMBER SIEBER: Okay. Thank you.

5 MEMBER POWERS: What are consequences  
6 outside the containment then are all relative or  
7 dependent on what the leak rate from the containment  
8 would be.

9 MR. STUSKY: That is correct.

10 MS. SOSA: Okay. The last focus topic is  
11 the fuel design. The design certification process for  
12 the ACR-700 fuel will deviate from past practices.

13 The reason is that AECL does not have a  
14 referenced CNSC approved ACR-700 fuel design or fuel  
15 performance methodology. The fuel design criteria  
16 deviates from SRP 4.2.

17 And the ACR-700 design and operating  
18 conditions deviate from operational -- as well.

19 MEMBER POWERS: That's the whole set of  
20 things, right?

21 MS. SOSA: Yes, it's very different.  
22 Their fuel design is very different.

23 MEMBER KRESS: I understand the CANFLEX  
24 shown has a much thinner clad around it.

25 MS. SOSA: I'd like to defer the question

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 to Paul Clifford.

2 MEMBER KRESS: The question is what are  
3 the implications of that with respect to, say,  
4 appendix K type acceptance criteria.

5 MR. CLIFFORD: Yes, Paul Clifford, NRR.  
6 Yes, the cladding for the CANFLEX is about 30 percent  
7 thinner than typical LWR cladding. The cladding is  
8 thinner, it is designed to collapse instantly during  
9 initially due to system pressure right onto the fuel  
10 channel.

11 MEMBER KRESS: Minus the heat transfer?

12 MR. CLIFFORD: Correct. They have a very  
13 high heat rate. And that's required to transfer the  
14 heat.

15 MEMBER KRESS: What are the implications  
16 of that with respect to the 17 percent clad oxidation  
17 criteria?

18 MR. CLIFFORD: The clad is our force, so  
19 we're familiar with the behavior. As far as clad  
20 rupture or burst during a LOCA, we don't expect it to  
21 do any worse than what we've seen in a current white  
22 water reactors.

23 We expect the 2,200 and the 17 percent to  
24 be applicable.

25 MEMBER KRESS: Oh, that's my question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'll have to think about that one.

2 MS. SOSA: Now, AECL's limiting reactor  
3 experience database for higher burnout slightly  
4 enriched uranium fuel bundle designs may -- a reliance  
5 of ongoing irradiation programs, which are not going  
6 to be completed until 2009 timeframe.

7 MEMBER KRESS: You talked about higher  
8 burn-up SEU fuel there. My impression was that the  
9 burnouts were on the order of 25 megawatt days per  
10 ton. Now, I wouldn't call that high burnout.

11 MR. CLIFFORD: Well, I think it referred  
12 to higher -- the current --

13 MEMBER KRESS: Oh, higher than the  
14 current.

15 MR. CLIFFORD: Right, the current is about  
16 2,000. And the AECL would be looking somewhere  
17 between 25 and 30,000.

18 MEMBER KRESS: I see, much higher than the  
19 current -- database on that fuel.

20 MR. CLIFFORD: Right, well within our  
21 experience database for the reactors.

22 MEMBER KRESS: Okay, I understand that.

23 MEMBER SIEBER: And that's due to the  
24 slight enrichment?

25 MS. SOSA: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CLIFFORD: Right.

2 MS. SOSA: So, in conclusion, the Staff  
3 has prepared carefully for reviewing the ACR-700  
4 design certification application. Based on the  
5 information provided by AECL during the pre-  
6 application review, the Staff identified a number of  
7 issues that will require more detail for resolution.

8 But, we did not identify any issues that  
9 would preclude certification of the ACR-700 design.

10 MEMBER APOSTOLAKIS: What are the top are  
11 the top two issues, the most important ones? You have  
12 identified a number of issues.

13 MS. SOSA: I think what the presentation  
14 has kind of touched on today is probably gives you a  
15 good idea of where we are.

16 MEMBER APOSTOLAKIS: But there are  
17 several.

18 MS. SOSA: Is one issue.

19 MEMBER APOSTOLAKIS: The what?

20 MS. SOSA: The coolant reactivity is one  
21 issue that will have to receive a lot of attention  
22 during the certification. Everything else we have  
23 discussed today.

24 The fuel design is another significant  
25 area.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: And she failed to mention  
2 the most important one, which is the aqueous chemistry  
3 of iodine in the containment building.

4 MS. SOSA: I'm saving that one.

5 MEMBER POWERS: She has an entire  
6 presentation on that one.

7 MEMBER KRESS: If there's one thing the  
8 Canadians know about it's that.

9 MEMBER POWERS: They probably got it  
10 wrong, so we need to review it carefully.

11 MS. SOSA: The Staff is currently  
12 preparing a SECY paper to inform the Commission on the  
13 issues identified during the pre-application review in  
14 preparation for design certification.

15 MEMBER KRESS: Thank you very much.

16 MEMBER POWERS: If I could, I'd like to  
17 ask a question.

18 MEMBER KRESS: Yes, sir.

19 MEMBER POWERS: It's a question of you.

20 MEMBER KRESS: Oh, well in that case, no.

21 MEMBER POWERS: As you are acutely aware,  
22 I am aging, and so my memory suffers.

23 MEMBER KRESS: I hadn't noticed.

24 MEMBER POWERS: Do we have within the  
25 regulations for advanced reactors considerations of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issues of non-proliferation and other national  
2 policies regarding nuclear materials?

3 MEMBER KRESS: I don't think so. I don't  
4 think those are in the regulation. Now, somebody may  
5 correct me.

6 MEMBER APOSTOLAKIS: They are not.

7 MEMBER KRESS: I don't recall ever seeing  
8 any questions about proliferation in the regulations.

9 MEMBER POWERS: Does the Committee have  
10 obligations in regard to the issues of nuclear  
11 materials for proliferation?

12 MEMBER KRESS: I would think our Committee  
13 ought to think about everything having to do with  
14 issues of public health and safety.

15 MEMBER POWERS: That's a safeguards issue.

16 MEMBER APOSTOLAKIS: I don't think so. I  
17 think that's an issue of national policy. .

18 MEMBER KRESS: That's a policy issue.

19 MEMBER APOSTOLAKIS: It's not us.

20 MEMBER KRESS: I don't think it's  
21 something we have to -- if I'm going to review  
22 something like the CANDU, I'd normally ask that  
23 question in terms of my certification review.

24 We might ask why not put them underground,  
25 because they are less susceptible to terrorist

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 attacks.

2 MEMBER APOSTOLAKIS: Is that stuff part of  
3 10CFR?

4 MEMBER KRESS: No.

5 MEMBER APOSTOLAKIS: No, it's not. So  
6 it's none of our business.

7 MEMBER KRESS: I think we stick to 10CFR.

8 MEMBER APOSTOLAKIS: And it's not the  
9 Agency's business either.

10 MEMBER KRESS: That's probably right.

11 MEMBER SIEBER: No, I think proliferation  
12 is explicitly part of the Atomic Energy Act, George.  
13 So, it very much is part of our business.

14 MEMBER APOSTOLAKIS: It's Commission, but  
15 it's not --

16 MEMBER SIEBER: If you look legislation,  
17 you are definitely covered by the Atomic Energy Act.

18 MEMBER POWERS: That's where the limits on  
19 fuel enrichment come from.

20 MEMBER APOSTOLAKIS: I didn't hear that.

21 MEMBER POWERS: That's where the limits on  
22 fuel enrichment come from.

23 CHAIRPERSON GEOFFREY: Just a second. I  
24 hate to break in, but we were supposed to gain back  
25 half an hour. And, it took 45 minutes to deliver a 20

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 minute presentation.

2 Now, there is going to be how many other  
3 presentations.

4 MEMBER KRESS: We're going to hear from  
5 the Canadians.

6 CHAIRPERSON GEOFFREY: We have 30 minutes  
7 left. I'm sorry. Somebody has to manage the time.  
8 And we'll certainly go over the hour at this point.  
9 But, I need to watch the time.

10 MEMBER KRESS: I think this is certainly  
11 legitimate questions.

12 CHAIRPERSON GEOFFREY: I understand. I'm  
13 not arguing. I'm only saying that --

14 MEMBER KRESS: I think it might be better  
15 to ask the Staff if they're going to consider those  
16 things in their certification review. And I think the  
17 answers going to be, leave those to the safeguards  
18 people.

19 CHAIRPERSON GEOFFREY: Yes.

20 MEMBER KRESS: But, anyway, we'll give you  
21 the floor now.

22 MR. CARLSON: I'm Don Carlson. I'm in the  
23 Office of Research. And I'm going to be talking about  
24 pre-application focus topic nine, confirmation of  
25 negative void reactivity.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           That's chapter eight in the PASAR. Okay,  
2           let's jump right into the highlights from my pre-  
3           application review. As you've heard before, we've  
4           conducted PIRT processes for ACR-700.

5           There's actually three coordinated PIRT  
6           sub-panels, one on nuclear analysis, which is what  
7           I'll be talking about. And we mentioned already  
8           thermal hydraulics in severe accidents.

9           A major insight that emerged from the  
10          nuclear analysis PIRT was the importance of  
11          checkerboard voiding of alternate channels in ACR-700  
12          large LOCAS.

13          And so, there was already a question asked  
14          about that. As you recall, the CANDU reactors and  
15          ACR-700 in particular are horizontal pressure tube  
16          reactors.

17          ACR has one inlet header at one end, and  
18          another inlet header at the other end, and, likewise,  
19          outlet headers. And so, the flow of coolant and the  
20          flow of fuel during on-line fueling is in opposite  
21          directions in alternating channels.

22          When you have a large break LOCA, let's  
23          say it's an inlet header, then the channels that are  
24          connected to that inlet header, void very quickly, say  
25          in a about a second, more or less, depending on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 size of the break.

2 And, that's every other channel in the  
3 core. And the other channels remain cooled for  
4 several seconds. The insight from the PIRT panel was  
5 you go from half voiding to full voiding.

6 But, what really counts in LOCA analysis  
7 is the half voiding, because, by the time you get to  
8 full core voiding, hopefully you will have -- the  
9 reactor, after which time of course inherent  
10 reactivity effects like void reactivity are of no  
11 consequence whatsoever.

12 So, as soon as we identified this, we  
13 actually had a PIRT meeting right after the last time  
14 we briefed the Committee on ACR-700 in January, in  
15 which this came up.

16 And, out of that meeting, we did a number  
17 of calculations of checkerboard void reactivity. Now,  
18 the AECL design analysis that was presented to us for  
19 the pre-application review reported a full core void  
20 reactivity, that is all the coolant in all of the  
21 channel is voided, not checkerboard, of minus seven  
22 milli-K.

23 And this is based, it seems, on a  
24 tradition in Canada of analyzing traditional CANDUS  
25 that way. And it's probably appropriate to do that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 But, as I'll explain in a moment, the physics of  
2 checkerboard reactivity substantially different in  
3 this design.

4 And, it turns out the checkerboard void  
5 reactivity gives you positive effects. So, the  
6 results of our calculations were reasonably consistent  
7 with AECL's.

8 Analyzing similar cases, similar models of  
9 full core reactivity, roughly in agreement with them  
10 on the slightly negative full core void reactivity, in  
11 our calculations discovered that the checkerboard  
12 reactivity was positive.

13 And we did these calculations doing  
14 different models, different methods, different  
15 analysts, and got consistent results. So we're  
16 confident that we're correct in this assessment that  
17 -- positive that there is a positive checkerboard void  
18 reactivity.

19 Now, I should interject too that there is  
20 no such thing as pure checkerboard voiding. You get  
21 void fractions of maybe 90, 95-99 percent in the  
22 voided channels.

23 And the cool channels will have void  
24 fractions of a few percent. But, again, the insight  
25 from the PIRT was, rather than focus on full core void

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reactivity, let's find -- let's focus on another  
2 figure of merit that's relatively simple to define in  
3 calculating. That's the checkerboard void reactivity.

4 VICE-CHAIRMAN WALLIS: What's the pattern  
5 of this checkerboard? Is it just a like a  
6 checkerboard?

7 MR. CARLSON: It's exactly like a  
8 checkerboard.

9 VICE-CHAIRMAN WALLIS: Alternate channels  
10 run across the whole matrix?

11 MR. CARLSON: The whole face of the  
12 reactor core you have alternate channels with coolant  
13 coming at you and going back in the opposite  
14 direction.

15 VICE-CHAIRMAN WALLIS: It seems to me that  
16 can happen, there must be a lot of other modes besides  
17 perfect checkerboard.

18 MR. CARLSON: Just about all -- it happens  
19 over a large range of large break sizes and locations.  
20 The term checkerboard voiding is a reasonably good  
21 description of those patterns.

22 CHAIRPERSON GEOFFREY: The patterns come  
23 about because of the way the headers are set up?

24 MR. CARLSON: Yes.

25 MEMBER KRESS: It's a little bit of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 surprise to me that that gives you positive, whereas  
2 the whole core gives -- voiding gives negative.

3 MR. CARLSON: Yes, it came as a discovery.  
4 Nobody really foresaw this.

5 MEMBER KRESS: Do you want to explain that  
6 to us?

7 MR. CARLSON: Yes.

8 MEMBER SHACK: Why wouldn't you be  
9 concerned about that in a conventional CANDU? It's  
10 got the same thing, right?

11 MR. CARLSON: Well, I could let AECL  
12 explain it. But I think it's fairly simple. In a  
13 conventional CANDU void reactivity effects are more  
14 linear.

15 So, if it is say 20 milli-K or 18 milli-K  
16 positive in a conventional for full core voiding than  
17 half core voiding, regardless of whether it is  
18 checkerboard or other pattern it's roughly half.

19 MEMBER KRESS: That's what I was going to  
20 guess. But there are reasons why it's not in this  
21 one.

22 MR. CARLSON: In this case it's not  
23 linear.

24 MEMBER KRESS: Obviously.

25 MR. CARLSON: That was the major insight.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Before I try to explain a little bit about the physics  
2 and other technical insights, I want to make a few key  
3 points.

4 First of all, as Belkys mentioned, this is  
5 a preliminary design. It evolved somewhat during the  
6 pre-application review and may evolve further. We'll  
7 see what AECL submits for design certification.

8 Another point worth mentioning -- and this  
9 is one area that distinguishes ACR from conventional  
10 CANDUs -- conventional CANDUs have a fuel temperature  
11 coefficient that is very small, essentially zero.

12 This design has a more negative Doppler  
13 fuel temperature coefficient. It's maybe a half to  
14 two thirds as strong as what we're used to in PWRs and  
15 BWRs.

16 But it's clearly negative. And so, the  
17 effects of fuel temperature, fuel heat-up, may tend to  
18 limit the power surge just by positive checkerboard  
19 voiding.

20 MEMBER KRESS: And the material design  
21 criteria, this is 11, is it?

22 MR. CARLSON: Yes.

23 MEMBER KRESS: It doesn't necessarily  
24 preclude a positive void coefficient?

25 MR. CARLSON: No, it does not. I mean,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 coolant density effects figure into the assessment in  
2 relation to GDC11. But, one could approve a design  
3 with positive power coefficients based on GDC11 -- not  
4 positive power coefficient, power void reactivity.

5 GDC implies some power coefficient, and is  
6 considered to be met in light water reactors with the  
7 existence of negative Doppler and negative power  
8 coefficient.

9 And you might have that in a CANDU even  
10 though there is positive void reactivity.

11 MEMBER SIEBER: On the other hand, the  
12 Doppler is weaker than a standard light water reactor.

13 MR. CARLSON: Somewhat weaker.

14 MEMBER SIEBER: And so, an accident  
15 limited by Doppler in standard light water reactor  
16 Doppler may go a few milliseconds to a pulse power of  
17 1,000 percent.

18 Maybe you would get more than that in this  
19 case.

20 MR. CARLSON: We are evolving a capability  
21 to do the transient analysis. Everything that I'm  
22 going to be presenting now, and everything we've done  
23 to date really is static calculations of K effective  
24 voided versus K effective cooled.

25 PARTICIPANT: That's what I was going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ask you. This checkerboard -- you impose a  
2 checkerboard, and then you see what happens? Or do  
3 you let it evolve in a transient?

4 MR. CARLSON: So far the question confirm  
5 negative void reactivity. That was the pre-  
6 application --

7 PARTICIPANT: The next thing is, how does  
8 this checkerboard evolve, what does it do? The  
9 question is, how does it evolve, and what does it do?

10 MR. CARLSON: The question is, how does it  
11 evolve, and how does the overall transient play out  
12 when you consider the effects of void reactivity and  
13 Doppler reactivity.

14 And so we're evolving the capability to do  
15 that, so is AECL. I wouldn't describe ours or theirs  
16 for what I've sent to date as yet to the level of best  
17 estimate.

18 PARTICIPANT: Do you let the checkerboard  
19 evolve naturally as a sort of instability from a  
20 steadier situation, a more uniform situation? Or do  
21 you impose a checkerboard on someone?

22 MR. CARLSON: Well, it's -- the thermal  
23 hydraulicists hypothesize a break in size and  
24 location, and calculate the break flows. And it's a  
25 thermal hydraulic calculation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: How does it checkerboard?

2 MR. CARLSON: The header breaks.

3 PARTICIPANT: And then it must be a  
4 checkerboard, no matter what, because the way the flow  
5 has to go.

6 MR. CARLSON: Or something above the  
7 header.

8 MEMBER RANSON: Is the coolant borated in  
9 this reactor?

10 MR. CARLSON: No, it is light water  
11 coolant. If you like, I have some back-up slides if  
12 you want to spend a minute reviewing what this design  
13 is in relation to conventional CANDUS.

14 MEMBER KRESS: I think we're okay.

15 MEMBER RANSON: Is there boric acid in it?

16 MR. CARLSON: Not in the coolant under  
17 some operating conditions they have very small amounts  
18 of boron or gallium in the moderator, not the coolant.

19 MEMBER KRESS: Okay, moving on.

20 MR. CARLSON: And that does have a  
21 positive effect on void reactivity. So, some of the  
22 technical insights. First of all, I think I mentioned  
23 this when we were talking to you in January, the void  
24 reactivity is a combination of large positive and  
25 large negative contributors.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           MEMBER KRESS:  Yes, when I see that it  
2 always scares me.  Do you plan on doing an appropriate  
3 uncertainty analysis when you --

4           MR. CARLSON:  Exactly.

5           MEMBER KRESS:  Okay.

6           MR. CARLSON:  I can talk about that as we  
7 go on.  It is, because of that actually, non-linear  
8 with partial voiding.  It can be positive during  
9 checkerboard voiding, even though it is negative for  
10 full voiding.

11           And it is sensitive to void distribution  
12 not only between channels, like checkerboard void  
13 reactivity, but within channels.  You get different  
14 void reactivity, substantially different between  
15 stratified versus uniform density reduction within a  
16 channel.

17           And, again, it is sensitive to core  
18 design, operating parameters.  For example, whether  
19 there is boron in the moderator.  Burn-up effects, it  
20 is sensitive to some uncertainties, perhaps, in the  
21 fuel burn-up isotopics.

22           So, another important point to make is the  
23 confirmatory measurements of coolant void reactivity  
24 have never been done in operating CANDUs because it's  
25 inherently difficult and may not be done for ACR-700,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       although we are considering novel ways of doing it,  
2       say in an initial core.

3               But, AECL has not identified any plans to  
4       measure it in an ACR-700 operating core.

5               MEMBER KRESS:     But you will do some  
6       critical experiments?

7               MR. CARLSON:   Well, hence the importance  
8       of code validation based on benchmarks against  
9       critical experiments in zero power critical  
10      facilities.

11              MEMBER KRESS:   And you can rely on your  
12      calculation tools.

13              MR. CARLSON:   But those experiments have  
14      to be representative.    And there -- AECL has  
15      identified some existing data from Italy, from Japan,  
16      from the UK.

17              And they are in the middle, or early  
18      stages of a rather extensive program using their ZED2  
19      critical experiment facility at Chalk River,  
20      specifically aimed at validating void reactivity and  
21      other effects for ACR-700.

22              MEMBER POWERS:   When you say that the  
23      measurement is inherently difficult, are you implying  
24      that, if I did the test, I would get data that were  
25      sufficiently scattered that I might not be able to use

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it for confirmation?

2 Or are you saying it's just  
3 extraordinarily difficult to get --

4 MR. CARLSON: It's a feasibility issue.  
5 Here we're talking about voiding of an entire channel.  
6 Actually, half the channel is in the court.

7 And there's a small number to measure  
8 there, right? The small void reactivity. Well,  
9 imagine voiding a channel -- voiding channels in  
10 existing power reactors.

11 It has never been done. Now, we have  
12 thoughts about how it could be done. But, you know,  
13 it's not cheap, it's not easy, and it's not --

14 MEMBER SIEBER: It would be easier in a  
15 CANDU than it would be in any other.

16 MEMBER POWERS: I guess what I'm asking  
17 is, suppose that I found a way to do it, would the  
18 data be sufficiently precise that I could arrive at a  
19 confirmation of my model?

20 Or would they be sufficiently scattered or  
21 replica tests that I might come up with, well, maybe  
22 it's okay?

23 MR. CARLSON: I think you're saying it's  
24 hard to get a clean experiment. And I think that's a  
25 valid observation. So, not have a clean experiment,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you know, not having a clean measurement, because not  
2 an experimental facility, you could get scatter.

3 So, the bottom line is, we're looking at  
4 relying on critical experiments in CIE to validate  
5 this.

6 MEMBER POWERS: If it's just difficult,  
7 then that's one thing. But, if it's difficult and I'm  
8 not guaranteed to get my answer, then it's not worth  
9 pursuing.

10 MR. CARLSON: We could discuss this at  
11 length.

12 MEMBER KRESS: I'm certainly leaning  
13 towards the end of that spectrum that says you're not  
14 going to get good data.

15 MR. CARLSON: Yes, that's why -- a huge  
16 heroic effort. You come back a little bit like you  
17 kissed your sister, you know, it didn't leave you with  
18 a great deal of thrill.

19 MEMBER KRESS: I wouldn't know, I've never  
20 tried that.

21 MEMBER POWERS: I wouldn't know, I don't  
22 have a sister.

23 MR. CARLSON: It's an important  
24 observation. It's a significant observation. It's  
25 never been done for any operating CANDU to date. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they have reactivity issues in operating CANDUs.

2 It's positive -- strongly positive in  
3 operating CANDUs. So, the checkerboard void analysis  
4 requires, in our case, some changes to our methods and  
5 models.

6 And we're starting to implement those.  
7 And specific testing is part of the ZED2 test program.  
8 The specific experiments have to be done to address  
9 checkerboard void reactivity.

10 And the way they do validation  
11 traditionally needs to be modified because of the  
12 checkerboard void reactivity issues.

13 MEMBER POWERS: Have you looked at the  
14 consequences yet of the reactivity excursion during  
15 your checkerboard?

16 MR. CARLSON: I mentioned earlier that  
17 we're evolving a capability to do that based on parts  
18 coupled with trace. We're getting there. And we  
19 should be -- have some good progress on that in the  
20 next year or so.

21 MEMBER POWERS: I mean, can one do just  
22 like a back on the envelope -- give me some feel for  
23 -- like the amount of energy I put in?

24 MR. CARLSON: We've seen preliminary  
25 calculations from AECL on that. But I wouldn't regard

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       them at a level that I would draw really good insight  
2       from that.

3               So, we're evolving so we have models that  
4       are of adequate quality that we can develop real  
5       insight.

6               MEMBER POWERS: I mean, if I put in two  
7       calories per gram, I'm not going to get too excited.  
8       If I put in 200 calories per gram then maybe my pulse  
9       rate -- it's a little better than kissing your sister  
10      in that case. That's a hot time in the old town  
11      tonight.

12              MR. CARLSON: Well, the problem is it is  
13      very sensitive to the magnitude of the coolant void  
14      reactivity.

15              MEMBER KRESS: But you could use that as  
16      a parameter. And I think you could handle the Doppler  
17      coefficient at a relatively simple way. You could  
18      probably do your calculation.

19              MR. CARLSON: It's very hard to a priori  
20      develop a point kinetics model that mean anything. You  
21      have to do a spatial kinetics.

22              MEMBER POWERS: I'm afraid it's like all  
23      these things. I can get you a number, but it's the  
24      tails of the distribution that count here. And they  
25      go up to the point that something unkind happens.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Right.

2 MR. CARLSON: They're very slim reads.  
3 Okay, let's talk a little bit more about physical  
4 impact --

5 MEMBER KRESS: This is why you get the  
6 checkerboard positive void coefficients?

7 MR. CARLSON: Not exactly. These are  
8 calculations done for full core void reactivity, very  
9 simple ones. But we're trying to understand where  
10 AECL, our CANDU are going, from where they've been.

11 And where they've been in conventional  
12 natural uranium, NU, natural uranium CANDUs to ACR-  
13 700. And so we did some simple calculations of the  
14 neutron spectral shift that happens upon voiding the  
15 coolant, 100 percent, not checkerboard.

16 And, in a conventional CANDU, this  
17 spectral shift fairly subtle. And I won't discuss it  
18 at length, although it does make for a interesting  
19 discussion.

20 The main point here is, for ACR-700, that  
21 coolant is very much a moderator also. So voiding it  
22 increases, really changes the spectrum very  
23 dramatically, and you get a great increase in the fast  
24 end epithermal region and a decrease in the thermal --  
25 it's a slight softening.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And that's hard to talk about. It's  
2 easier to talk about if you do your calculations and  
3 then edit out what the four factor formula spectral  
4 contributors are to all this.

5           And we did it again for conventional CANDU  
6 and for the reference pre-application design, actually  
7 for a very simple case of a lattice of fresh fuel.

8           So this doesn't correspond exactly to  
9 irradiated fuel. But the trends, overall observations  
10 are valid here. In a conventional CANDU -- you see in  
11 the first two columns, we got something from the 1995  
12 paper presented by Whitlock & Company from the AECL  
13 showing that -- what the spectrum components were of  
14 void reactivity in a conventional CANDU.

15           We did calculations with HELIOS 1.8 at  
16 Purdue University and got very similar results. The  
17 observation is that the positive void reactivity in a  
18 conventional CANDU is the summation of moderate  
19 positive contributors, the largest one being increase  
20 in residence escape probability with voiding.

21           Now, with ACR-700, for full voiding we see  
22 in the third column there that -- of large positives  
23 and large negatives. And, interestingly, what was  
24 formerly the strongest positive contributor in  
25 conventional CANDUs is now the strongest negative

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 contributor, 72.4 milli-K negative.

2 Fast fission factors, high thermal  
3 utilization factors, high reproduction factors, small.  
4 And it all adds up to give you a few milli-K negative.

5 We then analyzed the case of 50 percent  
6 uniform voiding. We just did uniform density  
7 reduction in the coolant channels. And you see that  
8 the contributors are somewhat linear, but not  
9 perfectly.

10 And so, they all go down by half or a  
11 little more. And it sums up to actually a void  
12 reactivity that is more negative than full core  
13 voiding.

14 And then, for checkerboard voiding, the  
15 minor -- again, it deviates from linearity, but each  
16 of the contributors, but in a different way. And now  
17 it is positive, 3.5 plus.

18 And the biggest change has been in the  
19 residence escape probability. There are six point one  
20 milli-K right there, which counts for the difference  
21 by itself.

22 But there are other factors that balance  
23 it out. This has, of course, uncertainty  
24 implications. Uncertainty and contributors add up to  
25 big uncertainties in the small sum.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER KRESS: That's what worries you  
2 about that sort thing.

3                   MR. CARLSON: And it gives you sensitivity  
4 -- just now that it's very sensitive -- to operating  
5 conditions to voiding patterns, etcetera.

6                   MEMBER KRESS: But this, even if you do an  
7 uncertainty analysis to ensure that the range of the  
8 coefficient -- reactivity coefficient -- is not too  
9 big, for example, but still submitted a positive on  
10 one end, that doesn't preclude the acceptance of that,  
11 does it?

12                   MR. CARLSON: Yes, I mean, we will analyze  
13 what it all means.

14                   MEMBER KRESS: I guess the question is,  
15 how positive does it have to be before you really --  
16 I guess it depends on the other power coefficients.

17                   MR. CARLSON: Yes. I mean, to put  
18 whatever the source of the reactivity is in  
19 perspective, whether it is voiding or Doppler, one  
20 dollar, you know, the effective delayed neutron  
21 fraction, is about five milli-K in an equilibrium  
22 core.

23                   So, these numbers are large in relation to  
24 a dollar. The reactor period is a strong function of  
25 how far over you are -- key effective -- in the prompt

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 neutron lifetime.

2 So, in this reactor, the prompt neutron  
3 lifetime is ten times longer than what we're used to  
4 in conventional -- in light water reactors. But it is  
5 three times shorter than what you have in conventional  
6 CANDUs.

7 Again, you'd be able to balance it out  
8 when you have the parts coupled with trace and do some  
9 parametrics. So, that table was just for the  
10 simplified case of a lattice of fresh fuel bundles in  
11 both cases.

12 Then we proceeded to do some calculations  
13 taking into account burn-up for both uniform and mixed  
14 burn-up lattices. Because you have refueling from  
15 both ends, in the middle of the core you will have  
16 roughly similar burn-ups in neighboring channels.

17 At either end you will have very different  
18 burn-ups in neighboring channels. So we did cases  
19 with kind of a mid-core burn-up of 12.3 gigawatts per  
20 ton and then a checkerboard or a mixed burn-up of 1.6  
21 and 24.4, which would be very much near the ends of  
22 the reactor.

23 These are simple two dimensional infinite  
24 array cases, but they provide good physical insight.  
25 It carries over quite nicely into three dimensions in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some cases.

2 So, for the uniform burn-up, we get -- it  
3 doesn't -- we did the two voiding patterns,  
4 checkerboard one voiding pattern is we voided the  
5 lighter shaded channels.

6 And the checkerboard two voiding pattern  
7 in the second column there is where we voided the  
8 darker shades ones. So, of course, it doesn't matter  
9 in the case of uniform burn-up.

10 It's plus 4.7 milli-K for uniform burn-up.  
11 And full voiding is minus 3.4. For mixed burn-up it  
12 makes a great deal of difference whether you are at  
13 one end of the reactor versus the other.

14 Where you're voiding the higher burned  
15 fuel, then it is plus 65. milli-K. What this means  
16 then is, if you have positive void reactivity and a  
17 LOCA, the power-surge that happens will also have a  
18 significant axial tilt.

19 This 6.5 end of the reactor will be more  
20 reactive than the other. But the whole reactor  
21 probably will go up and might tend to be turned around  
22 by Doppler.

23 So, the main conclusions on this focus  
24 topic was that the reviewed preliminary nuclear design  
25 of ACR-700 does not have negative void reactivity in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 large LOCAS.

2 As we mentioned, the design changes could  
3 be made to reduce LOCA void reactivity. Those design  
4 changes would involve increasing dysprosium and  
5 enrichment in the fuel design.

6 MEMBER KRESS: Some things that probably  
7 don't want to do?

8 MR. CARLSON: Well, Alaska AECL. And,  
9 again, very important, CDR bias and uncertainties are  
10 potentially large in relation to nominal values. And,  
11 AECL's ongoing experimental work, particularly at ZED-  
12 2, but also their fuel irradiations, and isotopic  
13 assays that will come out that will be important  
14 benchmarks for quantifying -- and uncertainty.

15 MEMBER ROSEN: What can you say about the  
16 effect the large LOCAS and negative void reactivity as  
17 a function of power? In other words, compare two  
18 cases, a full power case and a zero power case.

19 MR. CARLSON: Well, are we talking  
20 strictly about void reactivity? Void reactivity seems  
21 to be a fairly weak function of fuel temperature.

22 And, low power to a neutronics person  
23 means lower fuel temperature.

24 MEMBER DENNING: But, in -- the tangent  
25 makes a lot of difference where the power levy --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CARLSON: Oh, I see what you're  
2 saying, yes. And, yes, that's one of those things  
3 we'll have to analyze with a transient analysis  
4 capability, like we're developing with Park's.

5 You can't really do it with static  
6 calculations and draw meaningful conclusions.

7 MEMBER ROSEN: Well, my experience with  
8 positive coefficients, in the case I know of, moderate  
9 temperature coefficients, reactors -- PWRs these days  
10 are often designed with positive moderator temperature  
11 coefficients.

12 But they only are so for part of the  
13 cycle, usually up to mid-cycle, and usually only at  
14 very low power. So, I was wondering if there's any  
15 sensitivity like that here, certainly not -- there's  
16 no boron in these reactors, so it's not the same.

17 MR. CARLSON: Well, only the moderator  
18 under some conditions.

19 MEMBER ROSEN: Yes, under some conditions.  
20 But there's no sensitivity in power --

21 MR. CARLSON: Well, it's not no  
22 sensitivity, but it's not a strong sensitivity.

23 MEMBER ROSEN: Okay.

24 MEMBER DENNING: A comment on the  
25 uncertainties, and that is that, you know, I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 even today you could have done a fairly simplistic  
2 uncertainty analysis.

3 Obviously it depends upon state of  
4 knowledge to what you do. And I think it would be  
5 interesting to see that. And, obviously, as time goes  
6 on people would be able to do that better.

7 But I think, as good practice, we ought to  
8 really try to look at the uncertainties on these  
9 numbers, because we could be -- I mean, all of those  
10 cases might be positive.

11 Or all of those cases may be negative, as  
12 my guess based upon the realistic assessment of  
13 uncertainties.

14 MR. CARLSON: I think you're leading into  
15 my next slide. We actually do have -- the path  
16 forward is we're going to continue trying to develop  
17 our analysis capability and, of course, in parallel  
18 review analyses of these transients by AECL.

19 But, our capability involves modifying the  
20 Park's code and coupling it with a suitable trace  
21 model of ACR-700 and MELCOR where needed for  
22 simulating operations and accidents, including the  
23 combined effects of void and Doppler reactivity, and  
24 including parametric sensitivities on uncertainties or  
25 biases in void reactivity and other effects.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But the second bullet here is interactions  
2 with AECL to assess the applicability and adequacy of  
3 the existing and planned sets of experiments for  
4 validating code predictions of void reactivity and  
5 other effects, and to provide timely identification in  
6 gaps in what they're trying to do with those two  
7 experiments in their fuel irradiations.

8           And we'll be doing that using state-of-  
9 the-art methods that the research has developed over  
10 the past eight years or so in the code modules called  
11 Scale Tsunami.

12           They are sensitivity uncertainty analysis  
13 methods based on generalized perturbation theory to  
14 join solutions to the transport equation. And that  
15 type of approach, I think, is a sophisticated and very  
16 useful way of doing what you're talking about.

17           MEMBER KRESS: I think we need to move on.  
18 Thank you very much. Now I think we're going to hear  
19 from the AECL.

20           MR. ARCHINOFF: Good afternoon. My name  
21 is Glenn Archinoff. I'm the ACR Licensing Manager  
22 with AECL Technologies. I'd like to thank the  
23 Committee for giving us the opportunity to say a few  
24 words here today.

25           Before I begin, just let me introduce the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 other folks that are here as well. John Paulson is  
2 the President of AECL Technologies right there.  
3 Victor Snell is the Director of Safety and Licensing.

4 Peter Boczar is the Director of Reactor  
5 Core Technology. And Ben Rouben is the ACR Physics  
6 Manager. Robert Yan, ACR Licensing, and Kyle Reed  
7 from Bechtel is here with us as well.

8 I'm going to start with a very brief  
9 presentation discussing the pre-application phase,  
10 just a very brief overview. Belkys has pretty much  
11 covered what I was going to say.

12 So I'm going to be very brief. And then  
13 we'll get to Peter, who's going to talk about the work  
14 that we're doing to improve our reactor physics  
15 methods.

16 And then we'll continue the discussion on  
17 coolant void reactivity. The objective that AECL  
18 Technologies had for the pre-application phase was  
19 essentially to determine if the design of the ACR-700  
20 could be certified within the U.S. Regulatory  
21 framework in a reasonably timely manner.

22 There were two particular areas of  
23 emphasis. We know that some parts of the regulatory  
24 framework aren't really a good fit with the underlying  
25 CANDU design.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So we need to see how that was going to  
2 work out. Another aspect was that NRC Staff -- or not  
3 all NRC Staff are familiar with the underlying  
4 technology.

5           And we knew it was going to take time for  
6 Staff to come up to speed. And Belkys covered the  
7 activities in the two phases of the pre-application  
8 phase.

9           She mentioned the focus topics. So I  
10 won't go over those. But, just to get to where we are  
11 now, as we come to the end of phase two of the pre-  
12 application.

13           We believe that the main objective of pre-  
14 application, in fact, has been met. Our view is that  
15 the certification of the ACR-700 design within the  
16 regulatory framework is feasible.

17           Belkys talked already about CANDU specific  
18 aspects, where the regulations just don't fit or don't  
19 exist. And we would apply Canadian requirements.

20           And we believe we will be able to show  
21 that they meet the intent of U.S. regulations. There  
22 was a tremendous amount of interaction with NRC Staff  
23 during pre-application phase.

24           Something like 34 formal deliverables over  
25 300 additional documents were submitted. 23 in-depth

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 technical meetings were held, a lot of interaction.

2 And we believe Staff are now quite  
3 familiar with the technology. And so, that would  
4 facilitate a timely design certification process.  
5 Now, of course, there are still issues to address.

6 And Belkys has discussed some, and Don  
7 discussed some as well. And so, that will be the  
8 focus of our next phase, which we call the transition  
9 phase, which will be from now until the time we  
10 actually submit the application.

11 Our objective for that phase is to make  
12 sure that we have high confidence that the  
13 certification application we submit will be acceptable  
14 to NRC.

15 And, for this phase, we've identified a  
16 smaller set of focus topics. Right at the top of the  
17 list there, reactor physics codes and coolant void  
18 reactivity, but a number of other ones as well.

19 And, once we have received the pre-  
20 application safety assessment report, there may be  
21 other focus topics, depending on what's in it, and  
22 depending on our further discussions with NRC Staff.

23 So, that's a really quick summary of what  
24 we feel was achieved in the pre-application phase to  
25 date, and where we intend to go from here. If there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are any questions on that, I'd be happy to take them.

2 But, otherwise, we could move on to the  
3 other presentations.

4 MEMBER RANSOM: What is the status of the  
5 certification in Canada?

6 MR. ARCHINOFF: There isn't an analogous  
7 formal certification process in Canada. What's  
8 happening in Canada is what we call a license ability  
9 review, where the CNSC is reviewing pretty much the  
10 same material that we've given to NRC for the purpose  
11 of making the determination of whether they think the  
12 design will be licensable.

13 That will culminate essentially in a  
14 letter, identifying if there are any major concerns or  
15 impediments to licensing. So, it's analogous to pre-  
16 application, but it's not as formal.

17 MEMBER RANSOM: What do you mean by  
18 licensable? Licensable in Canada?

19 MR. ARCHINOFF: Canada, yes.

20 MEMBER KRESS: This question may be out of  
21 line, but do you intend to build one of these in the  
22 U.S. at a U.S. site? Or are there other reasons for  
23 -- there are other reasons for certification I know.

24 MR. ARCHINOFF: Yes, our hope is that one  
25 of these will be built -- maybe more than one, maybe

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a whole bunch will be built in the U.S.

2 MEMBER POWERS: I'm pretty sure they're  
3 counting on 25 in Tennessee.

4 MEMBER KRESS: UVA will buy anything.

5 MR. ARCHINOFF: I'm going to turn it over  
6 to Peter Boczar now.

7 MR. BOCZAR: Thank you. Good afternoon  
8 ladies and gentlemen. It's a pleasure to be here. I  
9 have responsibility for physics and fuel in AECL.  
10 Given that these are two of the focus topics, I have  
11 an interesting life.

12 I'm going to talk about physics in this  
13 one. Just a very, very short overview presentation to  
14 give you an idea of where we are and where we are  
15 going with respect to the physics tools that we're  
16 using.

17 After me, Ben Rouben will describe some  
18 details of the actual LOCA analysis in response to  
19 some of the earlier questions that you had. In terms  
20 of our current tool set, it's based on three stages to  
21 the calculation, a lattice calculation using WIMS 2D  
22 transfer code, a multi-group transport calculation,  
23 condense the two energy groups averaged over the cell.

24 There are some devices in the core that  
25 are vertical in the reactor, they are perpendicular to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the fuel channel, so they're not normally represented  
2 in the lattice calculation, in the 2D calculation.

3 So we use a 3D transport calculation to  
4 represent those effects. And then those shell average  
5 cross sections are used in the reactor calculations  
6 RFSP two group diffusion theory.

7 This code does a number of different kinds  
8 of calculations, time average calculation, refueling  
9 simulations, the day-to-day fuel management  
10 calculations, xenon transients, kinetics calculations.

11 And our kinetics calculations include  
12 thermal hydraulic feedback in accident analysis such  
13 as LOCA. An important part of the tool set is MCNP.  
14 There are obvious limitations to the reference tool  
15 set.

16 We will use MCNP to benchmark the  
17 reference calculations, determine the uncertainties,  
18 the applicability of the analysis approach.

19 MEMBER KRESS: Would that be equivalent to  
20 the park's code?

21 MR. BOCZAR: No, MCNP is a -- sorry, MCNP  
22 is a fundamental, theoretically rigorous code. There  
23 are no approximations in MCNP. It's a Monte Carlo  
24 simulation.

25 So it's only limited by the detail in your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 modeling and the nuclear data. So it's used as a  
2 numeric benchmark.

3 VICE-CHAIRMAN WALLIS: Well, there's an  
4 approximation in treating nuclearized -- of their  
5 spheres or something. I mean, at some level there's  
6 approximation.

7 It's not exact model of anything. The  
8 level of approximation is normally acceptable.

9 MR. BOCZAR: Yes. It is as accurate a  
10 calculation as one can achieve.

11 MEMBER DENNING: But, of course, there's  
12 this statistical uncertainty associated with the Monte  
13 Carlo element of it.

14 MR. BOCZAR: Yes, of course, there's a  
15 statistical uncertainty which one can address by --

16 MEMBER DENNING: If you wanted to know.

17 MR. BOCZAR: It's used by Los Alamos for  
18 the things they do there.

19 MEMBER RANSOM: Has there been any  
20 comparison between like RFSP and the Park's code that  
21 you've heard about?

22 MR. BOCZAR: TO date we haven't undertaken  
23 comparisons of our toolset with Park's. We've done  
24 comparisons with -- namely with MCNP, because any  
25 other codes that has approximations compared to MCNP.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now, as we go forward, as you'll see, we  
2 will be engaging independent assessments of the  
3 adequacy of the analysis. So, of course, we're keenly  
4 interested in the accuracy of the code, the  
5 suitability of our modeling.

6           And assessment of the tools has been an  
7 important part right from the onset. The key ACR  
8 physics phenomena that we have here compared to the  
9 current CANDU, there's a tighter neutronic coupling  
10 between adjacent lattice cells, because the lattice  
11 pitch or the separation between adjacent channels has  
12 been reduced from 28 centimeters to 21 centimeters.

13           There can be greater heterogeneity between  
14 adjacent cells. And that's not necessarily the case  
15 for normal operating conditions. But there are  
16 scenarios such as checkerboard voiding where there is  
17 greater heterogeneity between adjacent channels.

18           And that has to be accounted for. Leakage  
19 tends to be greater as well. Our assessment to date  
20 is that the toolset is adequate for most applications.

21           So, for normal refueling, for the normal  
22 design calculations, the toolset is adequate. There  
23 are enhancements that are desired for certain  
24 heterogeneous configurations.

25           And this is alluded to in Don's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 presentation as well. So, speaking to those  
2 enhancements then, I mentioned the three parts of the  
3 calculation.

4 The first part, the fundamental part, is  
5 the lattice calculation. Normally we model a single  
6 lattice cell in isolation. So, this might be what one  
7 normally models in isolation of -- the assumption is  
8 an infinite lattice of that cell and the effects of  
9 the adjacent cells is normally accounted for by some  
10 sort of leakage correction.

11 MEMBER POWERS: Just use a mere boundary  
12 condition or something like that?

13 MR. BOCZAR: Something like that, yes. So  
14 we've just released a beta version of WIMS, which has  
15 considerable enhancements, considerable theoretical  
16 improvements over the version of the code that we've  
17 been using till now.

18 It has an improved residence treatment, a  
19 more detailed geometrical representation. So, for  
20 example, we can represent explicitly a bundle that,  
21 for some obscure reason, sits at the bottom of the  
22 fuel channel, rather than concentrically suspended in  
23 the middle of the fuel channel.

24 We are putting in place what we call this  
25 multi-cell capability where, instead of just modeling

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one cell in isolation, we can model -- in this case I  
2 have shown a two-by-two checkerboard where the  
3 properties of one cell might be different from the  
4 others.

5 So, this cell is cooled, for example, and  
6 the adjacent neighboring cells, if we reflect this,  
7 are voided. So, in doing this, one can explicitly  
8 model the effect of the environment on the properties  
9 of the cell of interest.

10 VICE-CHAIRMAN WALLIS: That's easier than  
11 the problem where it's partially voided and you don't  
12 know where the water is.

13 MR. BOCZAR: We can also model -- the  
14 assumption here is that we do know where the water is.  
15 So, when we do a couple RFSP ATHENA transient  
16 calculation, we get feedback from ATHENA as to the  
17 voiding.

18 VICE-CHAIRMAN WALLIS: And mostly a sort  
19 of annular flow where liquid films on the walls. Is  
20 that what you have most of the time?

21 MR. BOCZAR: It's -- the blow down happens  
22 very quickly, within about a second for the voided  
23 channel. And the void distribution, we believe, is  
24 fairly uniform because of the high turbulence.

25 Okay, so we believe this capability by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       itself will be sufficient to address most of the  
2       issues that we have encountered. In terms of the  
3       whole reactor code, the RFSP calculation, we've  
4       developed an improved treatment of burn-up, which we  
5       call micro-depletion.

6               So this modeling takes into account the  
7       local history of the fuel at that point in time. And,  
8       the local conditions on the history, so the coolant  
9       density, the fuel temperature.

10              And we're also adding specific  
11       enhancements to address heterogeneity between adjacent  
12       cells, so, to be able to use this information from the  
13       last calculation and the full core calculation.

14              And it's this enhanced toolset that will  
15       be used for the DCD, for the analysis that supports  
16       the DCD. And we'll be validating this toolset, of  
17       course.

18              MEMBER ROSEN: Hold on for a minute. It  
19       occurs to me that, if you're thinking about fuel  
20       depletion and using the exact state of a CANFLEX  
21       module in a calculation, this is different than a  
22       light water reactor in this country because these  
23       CANFLEX modules move along the channel during the  
24       course of their --

25              MR. BOCZAR: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: -- in reactor times. So,  
2 it's not like a fuel assembly in a PWR, for example,  
3 where you put it and it stays put.

4 MR. BOCZAR: Yes.

5 MEMBER ROSEN: This one changes not only  
6 because of the burn-up and flow changes, perhaps --

7 MR. BOCZAR: Yes.

8 MEMBER ROSEN: -- but because it moves.

9 MR. BOCZAR: Right.

10 MEMBER ROSEN: And so, you have to keep  
11 track of all of that.

12 MR. BOCZAR: Exactly. So that's what RFSP  
13 does.

14 MEMBER ROSEN: I see.

15 MR. BOCZAR: It simulates the actual  
16 movement of fuel in the channel as a result of -- the  
17 main thing is refueling. And, of course, it models  
18 the effect of depletion and isotopic changes.

19 And it reflects the actual local  
20 environment and the history.

21 MEMBER ROSEN: So, when you start a  
22 transient in a given instant, where all these channels  
23 -- what was it, a dozen assemblies per channel?

24 MR. BOCZAR: Yes. There are twelve  
25 bundles per channel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER ROSEN: Which all have moved and,  
2 you know, so you've got this huge array of 156  
3 channels, or whatever it is, with 12 assemblies per  
4 channel, all of which have moved and have a history.

5           MR. BOCZAR: Yes. And, typically, if you  
6 look at eight channels, suppose this is a channel and  
7 you start refueling at this end, and the ACR-700 is a  
8 two bundle shift.

9           So you add two bundles at one of the  
10 channel. So, at one end of the channel the fuel is  
11 relatively fresh, it's relatively new. And, as that  
12 fuel gets moved down the channel with a result of  
13 subsequent refueling, you know, it burns up.

14           So, the fuel at the other end of the  
15 channel is depleted. So, the fuel management  
16 simulation, RFSP, accounts for that. So, our analysis  
17 approach, we use WIMS 3.0.

18           We'll be incorporating enhancements to  
19 RFSP to reflect the environment. We'll supplementing  
20 that specific analysis with MCNP analysis to get a  
21 better handle of the calculation uncertainties.

22           And, of course, I mean, you can look at  
23 the calculational uncertainties. But there's only one  
24 way to find out what reality is. And that's to  
25 measure it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So, the foundation of our qualification is  
2 based on measurements, experiments, cold, clean,  
3 critical experiments as Don mentioned in his ZED-2  
4 facility at Chalk River.

5           And this is a very, very flexible  
6 facility. We'll be measuring everything that moves.  
7 So we'll be measuring the effects of checkerboard  
8 voiding.

9           We'll be measuring the effects of partial  
10 voiding. We'll be measuring the effects of different  
11 burn-up distributions, using fuel and using simulated  
12 burned-up fuel.

13           We'll be measuring temperature  
14 coefficients, all the reactivity coefficients. And  
15 with that, the whole intent there is that, for each of  
16 the -- parameters, we'll establish a bias and an  
17 uncertainty.

18           Then that bias and uncertainty will be  
19 reflected in the safety and licensing analysis. Don  
20 mentioned other critical facilities. We'll be getting  
21 some information from NRU irradiations.

22           So, for example, information on depletion  
23 of the fuel. We have dysprosium as a neutron  
24 absorber, which is unique, in our reactor. We'll be  
25 getting validation data for that depletion from NRU

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 irradiations.

2 MCNP for filling in the gaps, for scaling,  
3 for extrapolation, from ZED-2 conditions to reactor  
4 power conditions. And I mentioned previously that we  
5 will be engaging independent assessments to confirm  
6 the adequacy of both the modeling and the adequacy of  
7 our qualification.

8 We believe that the series of experiments  
9 we have planned at ZED-2 are fully adequate and  
10 sufficient to validate the toolset. But we'll get  
11 independent confirmation of that. And these are the  
12 conclusions.

13 VICE-CHAIRMAN WALLIS: When you say it's  
14 not adequate, do you have some criteria about how  
15 accurate it needs to be?

16 MEMBER APOSTOLAKIS: Come on.

17 MR. BOCZAR: That's really, in my view an  
18 iteration --

19 MEMBER APOSTOLAKIS: This is the physics.  
20 It's not thermal hydraulics. This is science.

21 VICE-CHAIRMAN WALLIS: I don't care if  
22 it's the size of fork for lifting manure, it's still  
23 got to be adequate on some basis.

24 MR. BOCZAR: The final basis is the safety  
25 analysis. We have to show that, with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       uncertainties and the biases that we have the margins  
2       that we believe we have.

3               So, it's hard to establish what the  
4       acceptance criteria is a priori and in isolation of  
5       the subsequent use of that information in a safety  
6       analysis.

7               MEMBER DENNING:       Isn't reactivity  
8       coefficients your ability to predict reactivity  
9       coefficients that's critical to us from a safety  
10      viewpoint, as opposed to fuel depletion or things like  
11      that, which we don't care about?

12              MEMBER APOSTOLAKIS: Then we'll use multi-  
13      group theory.

14              MR. BOCZAR: We use --

15              MEMBER DENNING: No, but isn't that the  
16      criteria? Your ability to accurately give us  
17      credibility in the reactivity coefficients that you  
18      calculate theoretically.

19              MR. BOCZAR: The reactivity coefficients  
20      are certainly important. But, the process we follow  
21      I think is very similar to the U.S., where, for each  
22      of the important accidents, we define the phenomena.

23              And, for each of those phenomena, the  
24      important contributors to those phenomena from each of  
25      the disciplines. So, in physics, the reactivity

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 coefficients are obviously a very important parameter.

2 But, the ability to measure power is  
3 another important parameter, so that you control the  
4 compliance with bundle power and channel power limits.

5 So, reactivity coefficient are important,  
6 but there are other things too. Your ability to  
7 calculate the depletion of dysprosium will impact on  
8 the accuracy of your void reactivity calculations.

9 MEMBER APOSTOLAKIS: No, but I think the  
10 point of the comment was that we are reviewing safety  
11 here. So, the purpose of your presentation, as far as  
12 we are concerned, is the reactivity coefficients.

13 MR. BOCZAR: Well, those parameters that  
14 impact safety --

15 MEMBER APOSTOLAKIS: I mean other things  
16 are for different things.

17 VICE-CHAIRMAN WALLIS: And the question  
18 that would be -- what's the risk of being wrong in  
19 those coefficients? I mean, what's the uncertainty?  
20 Is it a very low probability that you'll exceed some  
21 criteria and, whatever?

22 MEMBER APOSTOLAKIS: I think so. That's  
23 when the parameters come into the picture, so much  
24 more uncertain.

25 MR. BOCZAR: We establish the --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: The least of your  
2 worries should be the calculation of the reactivity  
3 coefficient.

4 VICE-CHAIRMAN WALLIS: Well, probably this  
5 is a much more certain area than many other areas we  
6 get into.

7 MEMBER KRESS: When it comes to reactivity  
8 insertion accidents, can they revert back to the old  
9 criteria or acceptability, because this is almost  
10 fresh fuel and it has 25K burn-up, mostly.

11 MEMBER POWERS: In the end, the old  
12 criteria really is a pellet clad interaction  
13 criterion. And their clad collapses down --

14 MEMBER KRESS: It's already collapsed on  
15 to the --

16 MEMBER POWERS: -- onto the fuel. So I  
17 can't imagine the mechanics are anywhere near alike.

18 MEMBER KRESS: Do we need to do reactivity  
19 insertion tests for this kind of fuel?

20 MEMBER POWERS: Well that's -- I mean, the  
21 issue is one of magnitude here. And, before I started  
22 asserting a need to look at pellet clad interactions  
23 in this configuration -- and it is a little softer  
24 fuel on top of that.

25 You need to get this magnitude issue down.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It's less bothersome here because you're talking about  
2 a voided channel. And so, what are you going to  
3 disperse your fuel onto, a cooled zirconium clad? I  
4 mean, it's not quite the same issue.

5 MEMBER KRESS: It's not the same issue.

6 MEMBER POWERS: It's a different issue  
7 here. So, I think you really -- that is why I was  
8 anxious to know whether we are working with a two  
9 calorie problem or a 200 calorie problem, because my  
10 reaction to them are completely different.

11 We did look at source term consequences of  
12 having a reactivity insertion felt like you're just  
13 not in the same league with a little diffusion  
14 release.

15 MR. BOCZAR: I think that's a perfect  
16 segway into the next presentation. Ben Rouben is the  
17 manager of the -- one of the two physics branches at  
18 AECL.

19 Is the manager of the Physics branch at  
20 Sheridan Park, and he's also the ACR Physics Manager.

21 MR. ROUBEN: Good afternoon. I have a  
22 short presentation to pursue the question of void  
23 reactivity. Now, for the ACR-700, the choice of the  
24 void reactivity was made to provide a good balance of  
25 nuclear safety or nuclear protection between one kind

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of accident, the LOCAS, and another category of  
2 accidents, the fast cool down accidents.

3 And so, one requirement which stands from  
4 that objective of balance was to ensure that the power  
5 transient in any design basis accident would be mild  
6 before the tripping of the reactor, before all  
7 accidents.

8 Just to repeat what was said before, in  
9 the ACR-700 the design of the coolant system is two  
10 passes in a figure of eight so that, in adjacent  
11 channels, the coolant is flowing in opposite  
12 directions.

13 And, if we have large loss of coolant,  
14 which would void a lot of channels, nonetheless, one  
15 pass will generally void faster than the other. And  
16 that is what is called checkerboard void reactivity,  
17 because the density in all the channels going in one  
18 direction is different from the density of the coolant  
19 in the other channels.

20 This checkerboard void reactivity gives  
21 rise to non-linear effects, as Don Carlson mentioned.  
22 And so, the reactivity that you would get from 50  
23 percent voiding by voiding one pass is certainly not  
24 the same as you would get by voiding 50 percent of all  
25 channels.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And Don demonstrated that. The point that  
2 I would like to make, though, is the extreme case when  
3 one talks about checkerboard voiding, one often thinks  
4 of complete voiding in one pass and complete full  
5 coolant density in the other.

6           That's not really a physical occurrence,  
7 because you cannot lose all the coolant in one pass  
8 instantaneously. Now, our LOCA analysis is done by  
9 calculating coolant densities with a thermal  
10 hydraulics code.

11           And we do that with ATHENA. And then we  
12 input those coolant densities into a kinetics code.  
13 The kinetics code is RFSB ISD, as Peter mentioned. It  
14 has a kinetics capability.

15           And, generally speaking, the coolant  
16 densities -- the coolant density transients are a  
17 function of the pass, of the channel, and even  
18 actually within the channel.

19           All that information is passed on from  
20 ATHENA to RFSB. I'm showing in the next two slides a  
21 particular case. I'm showing the system reactivity  
22 and the resulting core power transient from a large  
23 break, a reactor outlet header break, a 100 percent  
24 break, which should give a large value of void  
25 reactivity because the coolant is lost very quickly in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the 100 percent break.

2 So, in the next slides, -- what happened?  
3 There should be -- there they are. This slide shows  
4 the reactivity as a function of time for the first  
5 three seconds for this 100 percent outlet header  
6 break.

7 The reactivities here were not calculated  
8 with RFSB. But they were calculated with MCNP using  
9 a full court model of the reactor and using the  
10 densities as provided by ATHENA to this full core  
11 model.

12 Okay, so this is the best calculation of  
13 the reactivity versus time using the actual densities  
14 from ATHENA.

15 MEMBER KRESS: Those look like the height  
16 that I used.

17 MR. ROUBEN: Oh yes.

18 MEMBER KRESS: Are they calculated here?

19 MR. ROUBEN: Well, the difference is --

20 MEMBER KRESS: Oh, this is the whole  
21 reactivity. I see.

22 MR. ROUBEN: This is the entire area.

23 MEMBER KRESS: I'm sorry. It's not just  
24 the void, it's the whole reactivity.

25 MR. ROUBEN: No. And it starts out

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 negative because the first phenomenon is voiding and  
2 also leakage of neutrons. And that starts out with a  
3 negative reactivity for a few tenths of a second.

4 Then the checkerboard voiding phenomenon  
5 comes in as the difference in density between the  
6 passes takes over. And so, the reactivity does go  
7 positive around one second and reaches about 1.4  
8 milli-K.

9 Now, this whole calculation was done  
10 without the shut-down system action. So, there was an  
11 assumption in the calculation that the shut-down  
12 system didn't act.

13 In actuality, the shut-down system would  
14 be tripped around .7 seconds. The trip time would be  
15 about .4 seconds or so. And so, just the delays in  
16 the circuits, in the electronics, would actuate the  
17 shut-down system at .7 seconds, and the shut-off rods  
18 would enter the core around one and a half seconds.

19 But, again, this whole calculation is just  
20 for the assumption of the voiding without shut-down  
21 systems.

22 MEMBER POWERS: Just to make sure I know  
23 what I'm looking at here, the blue squares represent  
24 some average over time of the voiding that's predicted  
25 by ATHENA?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ROUBEN: No, it's not average, it's  
2 instantaneous values.

3 MEMBER POWERS: Okay. So, but I guess  
4 what bothers me is, if they are instantaneous values,  
5 I would have assumed that I would have seen large  
6 fluctuations in the curve, rather than a very smooth  
7 curve. Am I just looking at connected points?

8 MR. ROUBEN: These are just connected  
9 points, yes.

10 MEMBER POWERS: So, in between the dots  
11 there were no calculations done. That's just a curve  
12 for the eye there. Is that correct?.

13 MR. ROUBEN: Yes. ATHENA does the  
14 calculation for the entire time. But we picked  
15 certain --

16 MEMBER POWERS: Points and then you did  
17 your MCNP calculations for --

18 MR. ROUBEN: That is correct.

19 MEMBER POWERS: If we -- if you had done  
20 things more densely, would we have seen a lot of  
21 variation between the points, or is it relatively  
22 smooth in there?

23 MR. ROUBEN: I would think it's relatively  
24 smooth.

25 MEMBER DENNING: Is the height of the box

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 one sigma? It looks like the height of the boxes are  
2 different. Is that one sigma in the MCNP?

3 MR. ROUBEN: No, this is just the --

4 MEMBER DENNING: That's just the box. You  
5 don't have the -- how big is the MCNP.

6 MR. ROUBEN: It would be about .2, .3  
7 milli-K or so. So, not far from the height of the  
8 box, but I would say it's about .2 or .3. You can  
9 reduce that, of course, by increasing the number of  
10 histories.

11 These histories were done with about 30  
12 million histories in these calculations. These  
13 results are preliminary in the sense that the ATHENA  
14 transient here was calculated assuming constant power.

15 Now, we took this reactivity curve and we  
16 put it into a point kinetics calculation. So, the  
17 power decreases for the better part of a second. And  
18 then it does go above one as the checkerboard voiding  
19 reactivity becomes positive.

20 But, the transient is self-limiting. And,  
21 after a few seconds, will come down.

22 VICE-CHAIRMAN WALLIS: One would be very  
23 careful about this plot because a novice examiner  
24 might get the impression that the shut-down system  
25 caused the transient.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ROUBEN: The calculation was done  
2 without shut-down system. So, the power transient was  
3 self-limiting. And, again, if the shut-off valves  
4 were actuated at .7, they would come in around here at  
5 1.5 seconds.

6 And they would cut off this peak even  
7 more.

8 VICE-CHAIRMAN WALLIS: Well, I think it is  
9 probably true. But it would be nice if you could see  
10 it going on for a bit longer so we know it doesn't  
11 come up again.

12 MR. ROUBEN: Definitely -- I don't have  
13 these numbers here, but when we do the full analysis,  
14 we go beyond three seconds.

15 VICE-CHAIRMAN WALLIS: You'll go beyond  
16 three seconds, a bit more beyond the peak to make sure  
17 it's not coming up again.

18 MR. ROUBEN: The thermal hydraulics  
19 calculation goes a long way. The physics LOCA  
20 calculation goes to a few seconds.

21 VICE-CHAIRMAN WALLIS: And then you're  
22 happy?

23 MR. ROUBEN: Yes.

24 MEMBER DENNING: But there are a couple of  
25 full power seconds potentially in there. What's the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 enthalpy of the fuel? Did you look and see what the  
2 enthalpy is in the fuel at this point?

3 MR. ROUBEN: I don't have the numbers with  
4 me. This would, of course, be reduced a lot with the  
5 shut-down system. So, it would be even less than a  
6 couple of full power --

7 MEMBER KRESS: The core is still voiding  
8 there? I mean, there is significant flow in the core  
9 to cool -- to take heat out of the bins in that  
10 period?

11 What is the thermal power? Is it about  
12 three times the 700?

13 MR ROUBEN: Of the ACR?

14 MEMBER KRESS: Yes.

15 MR. ROUBEN: It's around 1,950 or  
16 something.

17 MEMBER KRESS: So multiply that by two  
18 seconds and -- I don't know what the MCNP is, but you  
19 can get some idea.

20 VICE-CHAIRMAN WALLIS: But we don't know  
21 when it comes down. It's still up at 1.2. At the end  
22 of the graph it may go on for ten seconds. We don't  
23 know the integral on that.

24 MEMBER KRESS: Right, I think if you  
25 continued that it would repeat itself, if you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 continue, wouldn't it?

2 MR. ROUBEN: Well, it would certainly be  
3 arrested very quickly --

4 MEMBER KRESS: Yes, if you put the rod.  
5 That's what I was counting on, the rods going in.

6 MEMBER FORD: If I could interject, for a  
7 licensing calculation, we would certainly credit the  
8 shut-down system action.

9 MEMBER KRESS: Certainly.

10 MEMBER FORD: This is to help understand  
11 what's going on. This is to help understand the  
12 phenomena.

13 MEMBER KRESS: Right.

14 MR. ROUBEN: The safety analysis would  
15 credit the shut-down system.

16 MEMBER KRESS: Sure.

17 MR. ROUBEN: In terms of conclusions, I  
18 just wanted to say that MCNP, being the best  
19 calculation we can find, has given us a good handle on  
20 the physics of checkerboard voiding.

21 And, as far as our other tools, as Peter  
22 mentioned, we are working to further develop the  
23 capabilities, especially for checkerboard voiding,  
24 generally for heterogeneous, but the most important  
25 one being checkerboard voiding.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So, we are developing methods to cater to  
2           the heterogeneous in RFSP, for instance. And, the  
3           effect of the checkerboard voiding, as we saw here, is  
4           a mild power transient, which is self limiting and  
5           turns over, even without a shut-down system.

6           MEMBER KRESS: Thank you. Well, the  
7           Staff, I think, is expecting a letter from us. And I  
8           think the nature of the letter will be some sort of  
9           comment on your -- the job you did with the SAR.

10          Perhaps I would like to, in the letter,  
11          identify what I would at this time call focus topics  
12          for ACRS review. Maybe that would help. I guess we  
13          can turn it back to you, Chairman.

14          CHAIRPERSON GEOFFREY: Okay. Thank you  
15          very much for the presentation. The next presentation  
16          we have is on the GSI-185. Before we get to that, we  
17          have clearly schedule problem.

18          We are running over two hours late. And  
19          we need to get to the letter before close of day,  
20          because, otherwise it will not have information on  
21          what to put in the letter.

22          And it he only has tomorrow available with  
23          us. He's not going to be here on Saturday. So, the  
24          problem we are having is that I need to stop the  
25          presentations at six p.m.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We need at least one hour to work on,  
2           which means the next two presentations have to be  
3           within time. I have to depend on you to control time  
4           within one and a half hour.

5           You have it on the agenda, but please make  
6           an effort. We need to really be able to get to the  
7           letter by six p.m. That also means that that puts  
8           into question a break.

9           Do you want a break? But then you'll have  
10          to eat some other break for your presentation. You  
11          have to be tough. All right. So let's take a break  
12          until ten after three, and then start with the next  
13          item on the agenda. So, please be here at ten after  
14          three.

15          (Whereupon, the above-entitled matter went  
16          off the record at 2:56 p.m. and went back on the  
17          record at 3:10 p.m.)

18          CHAIRMAN BONACA: Back in session. The  
19          next item on the agenda that we're going to cover is  
20          GSI-185, and Vic is going to lead us through that.

21          MEMBER RANSOM: The concern about the  
22          issue of warm dilution dates back quite a ways to  
23          like 1995, and --

24          MEMBER SHACK: Strictly newcomer.

25          MEMBER RANSOM: Right. The current

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 general safety issue 185 was established in roughly  
2 1999 as a request from NRR, and then RAS performed a  
3 prioritization study, support of establishing general  
4 safety issue 185, which is titled "Control of  
5 Recriticality Following Small Break LOCAS in PWRs",  
6 and both the prioritization study and everything that  
7 had been done before assumed no mixing between  
8 deborated water and the steam generator, and the  
9 borated water in the reactor vessel. And this led to  
10 some concern about the power that might be deposited  
11 in the fuel and possibility of fuel damage.

12 Subsequent to that, RAS has conducted  
13 research to improve the mixing ability, and also the  
14 neutronic capability calculating the core power.  
15 These were the two elements that were key to  
16 potentially resolving this issue. And the staff and  
17 our contractors met with our Thermohydraulic  
18 Subcommittee in 2002 twice, and also twice this year  
19 to review the details of the research and the results  
20 of system simulation, mixing core neutronics and the  
21 probability considerations for the occurrence of these  
22 events, and as a result of these meetings and the  
23 documented research contained in a draft NUREG report,  
24 it was the consensus of the committee that this should  
25 be brought to full ACRS, and that's where we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 today. So with that, I'll turn it over to Jack.

2 MR. ROSENTHAL: I'm Jack Rosenthal. I'm  
3 the Branch Chief of the Safety Margins and Systems  
4 Analysis Branch in the Office of Research. So we're  
5 talking about GSI-185, which is a boron dilution  
6 scenario, and it's a pressurized water reactor issue  
7 in which one postulates that one's had a small break  
8 LOCA. There has been some time when you're in a  
9 reflux cooling mode. You're essentially discerning  
10 boron, boron in the primary system and it was in this  
11 case of loop seal.

12 You have to form a diluted slug. Mr. di  
13 Marzo will be talking more about slug formation in a  
14 few minutes. You have to somehow transport that  
15 diluted slug into the primary system, and you can do  
16 that either by the start of natural recirculation, or  
17 by the operator's turning on reactor cooling pump.  
18 And then we asked ourselves the question, if you form  
19 a slug and you transport the slug, will there be a  
20 recriticality, and will that recriticality form teal  
21 damage.

22 I want to draw the distinction; there's a  
23 fair amount of work going on in Europe on the issue.  
24 And there's a fair amount of work that we did on the  
25 issue. It was focused on the thermohydraulics of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 issue, and only recently -- actually, I think I have  
2 to give credit maybe most to Professor di Marzo for  
3 saying wait a minute, it's not simply a  
4 thermohydraulic issue. The real issue is I'm going to  
5 bust up fuel, if you have the event. So we really do  
6 five components; the probabalistic risk assessment,  
7 there's systems analysis - things like just by looking  
8 at the size of piping, size of the loop seals, mixing  
9 transport analysis, a really very simplistic RELAP  
10 model - just enough to drive the PARCS code.

11 Research made an investment in building a  
12 3D space time kinetics capability, and this is an  
13 application where the ability to do that sort of  
14 analysis is paying off. It's more realistic than  
15 point kinetics. And last is a fair amount of fuel  
16 work that we've also done, so we see for this somewhat  
17 simplistic problem, it really is a very multi-  
18 disciplinary problem, where we're taking advantage of  
19 work that was done in prior years in Maryland, and in  
20 Germany, PKL, the development of PARCS at Perdue as 3D  
21 kinetics model, in this case coupled to relap, but we  
22 also couple it to TRACE, the same code. Some code  
23 work that we did at Kurchatov that gives us confidence  
24 that we know how to do stuff. And then all the work  
25 that we did on reactivity insertion events gives us a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 contemporaneous idea of what the fuel failures might  
2 be, so it's quite an integral program.

3 With the Subcommittee, I did the  
4 introduction, then David did a lot of the -- Dave  
5 Besette, the Systems work, and we decided just in the  
6 interest of time that I would speak quickly, and then  
7 we'd go on. So what's the probability?

8 If you have a large break LOCA, you  
9 depressurize, the event is over, so you need a small  
10 break LOCA. And, in fact, you need a small LOCA,  
11 which you can get by a pipe break or opening a valve  
12 and leaving the valve open. And the small break LOCA  
13 alone isn't going to cause this event. You have to  
14 fail ECCS; either you have a hardware failure or the  
15 operators turn it off, in order to get in a condition  
16 in which you're distilling water. And so what I want  
17 to leave you with the idea is that this is a subset of  
18 all small LOCAs, and not equal to LOCA for --

19 MEMBER POWERS: Well, it's a trivial  
20 subset because everything you set up there is exactly  
21 TMI.

22 MR. ROSENTHAL: It is TMI.

23 CHAIRMAN BONACA: But the PORV, that  
24 includes the assumption that the operator doesn't  
25 realize that he has a stuck-open PORV.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ROSENTHAL: Later on I'm going to show  
2 you a slide with 10 to the minus 7 on it, and --

3 CHAIRMAN BONACA: I'm trying to understand  
4 this 2 to the minus 3.

5 MR. ROSENTHAL: And Dana is right, that  
6 I'm describing Three Mile Island. And, in fact, we  
7 discussed that at the subcommittee with Dr. Wallis,  
8 that in fact this sounds like TMI, so it's hard to  
9 deny that it could never happen.

10 CHAIRMAN BONACA: Well, TMI the number  
11 wasn't 10 to the minus 3, it was 1 in 50, I mean.

12 MR. ROSENTHAL: Just the probability of a  
13 stuck-open valve.

14 CHAIRMAN BONACA: Yes. All right.

15 MR. ROSENTHAL: Okay. Now I'm starting to  
16 repeat myself. In order to get into this scenario,  
17 and I'm describing TMI, you'd have to have a condition  
18 with a small break LOCA. You interrupt high pressure  
19 injection. You then terminate the small break LOCA  
20 somehow, and HPSI is off for a period of time.

21 We know from the difficulty of conducting  
22 the experiments at PKL and at Maryland that, in fact,  
23 it's somewhat difficult to form a slug, and it would  
24 take at least an hour to form a slug, which is time  
25 for action to take place. And, in fact, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 experimenters have difficulty running an experiments  
2 that formed this nice slug and held it where they  
3 wanted it until they wanted to move it. Well, when  
4 you look at this, you say the best prospect of this  
5 happening is a stuck-open PORV with a terminated and  
6 restarted HPSI.

7 MEMBER POWERS: It seems to me that this  
8 is not very difficult to do at all, in the simple  
9 sense that that's exactly what happened.

10 MR. ROSENTHAL: They went into reflux  
11 cooling for some period of time.

12 MEMBER POWERS: A long period of time.

13 MR. ROSENTHAL: Well, this is what drives  
14 it. You're going to hear a deterministic argument in  
15 a couple of minutes, but I'm just setting the stage  
16 for where we perceive it in terms of probability.

17 MEMBER POWERS: Yes, but I'm having  
18 troubles with the probabalistic statement. I'm  
19 looking at it this way - if it's happened once, then  
20 surely the probability must be extraordinarily high  
21 that it will happen relative to things like 10 to the  
22 minus 4, and 10 to the minus 5. It's relatively --  
23 since it has happened once in 2000 reactor years of  
24 operation, I mean being a Baysian here.

25 MR. ROSENTHAL: No, you're being a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Classicist, and it would be 1 in 4,000 or so at this  
2 point, which gives you like 2 times 10 to the minus 4  
3 or something. I mean a Classicist would argue --

4 MEMBER POWERS: Classicist would, but I  
5 would simply use the event as a Bayesian update, in  
6 which case my probability is a lot higher than 2 times  
7 10 to the minus 4.

8 CHAIRMAN BONACA: Well, they did make  
9 significant changes in that type of plant to the  
10 change the very number, because they had no trips or  
11 secondary size parameters, and that's why they were  
12 opening the PORV and sticking it open once every 50  
13 times. That was the history before TMI for the B&W  
14 plants. Now what they did, they implemented feedwater  
15 trips, so if you loose feedwater you will have a scram  
16 before you have a transient at the primary site, so  
17 therefore, they stayed away from the PORV. Now that's  
18 why I was asking the question before. I mean, they  
19 made changes that resulted in that number you're  
20 showing us --

21 MR. ROSENTHAL: The minus 3 number is a  
22 hardware valve number. That's of an initiating event.  
23 TMI is a full sequence. I just want to set the stage  
24 here, so you're concerned about the event.

25 For Westinghouse and combustion plants,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the loop seals are just plain smaller. The volume of  
2 the piping involved is smaller, so that if you  
3 postulate the maximum slug size and you inject that  
4 into the core, you don't go recritical. So it's just  
5 plain not a Westinghouse or a combustion issue.

6 Now I will give the subcommittee credit  
7 because we were so focused on B&W that we hadn't  
8 looked at Westinghouse, and CE, and under some  
9 prodding from them we went back and did look, and did  
10 some analysis. And then finally at the end, looked up  
11 the size of the piping, which is probably the most  
12 persuasive thing, that the volume is just not there,  
13 so it's a B&W problem, B&W lower loop problem.

14 VICE-CHAIRMAN WALLIS: Is it also a  
15 problem with the lower loop --

16 MR. ROSENTHAL: Lower loop, because we  
17 said the raised loop will have a smaller volume again.  
18 But I do want to leave the very strong -- it's a B&W  
19 issue, not a CE and Westinghouse. Not to pick on  
20 them, it's just that's how the piping looks.

21 MEMBER ROSEN: Even a subset of B&W.

22 MR. ROSENTHAL: Yes, sir. Okay. So now  
23 let's look at B&W for just a minute.

24 MEMBER ROSEN: How many of the B&W plants  
25 are lower loop, of the six?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ROSENTHAL: Five out of the six.

2 MEMBER ROSEN: Five out of the six?

3 MR. ROSENTHAL: I think Davis-Besse is the  
4 only raised loop.

5 MEMBER ROSEN: Oh, good. Okay.

6 MR. ROSENTHAL: Okay. So now you have to  
7 transport the slug and there's two ways; one is  
8 natural circulation, which is a slower event, and one  
9 is by the operators turning the pumps on. So for the  
10 case that we're most concerned with, there's explicit  
11 procedures in their EOPs not to turn on those pumps  
12 until they have acceptable conditions.

13 Okay. Having said all that, that it's a  
14 B&W lower loop problem, where we think we're robust  
15 that it is not a combustion or Westinghouse problem -  
16 let me just go on. And one can argue that this is  
17 argumentative.

18 You take a small break LOCA as about 2  
19 times 10 to the minus 3, if it's the valve. It's got  
20 to be early in the fuel cycle, about the first 20  
21 percent of the fuel cycle, which also was TMI, in all  
22 fairness. It was early in their fuel cycle, because  
23 that's when the boron is holding down more reactivity.  
24 For slug formation, in order to get in this condition,  
25 you need equipment failure - one or more pieces of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hardware fail, typical train is 10 to the minus 2, so  
2 it's some number of that order of magnitude.

3 VICE-CHAIRMAN WALLIS: It's either  
4 equipment or it's inappropriate operator action.

5 MR. ROSENTHAL: Well, my P4 is the restart  
6 of the reactor coolant pump --

7 VICE-CHAIRMAN WALLIS: By shutting off the  
8 HPI or whatever it is that you need to do.

9 MR. ROSENTHAL: Yes. Yes, sir.

10 VICE-CHAIRMAN WALLIS: That's also in  
11 there.

12 MR. ROSENTHAL: Yes. Okay. And then you  
13 have to restart the pump, and for that we looked at  
14 the human -- we got the human factor experts.

15 MEMBER POWERS: You're going to create  
16 these things as independent, and it's just no way that  
17 they're independent.

18 MR. ROSENTHAL: Go on.

19 MEMBER POWERS: Well, I mean, that's what  
20 you do. Right? And why do you think that P3, P4 are  
21 independent?

22 VICE-CHAIRMAN WALLIS: The guy who's going  
23 to shut off the HPI is probably under some  
24 misapprehension about what's happening. He might  
25 equally well start the pump under the same

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 misapprehension. That's what happened at TMI; because  
2 they misunderstood what was going on, they did things  
3 that had a common cause.

4 MEMBER RANSOM: I think the procedures  
5 right now are for the operator to call for not to  
6 restart the pump and kill natural circulation that's  
7 existed for a given length of time, and so it would  
8 have to be in violation of that procedure.

9 MR. ROSENTHAL: So this would be an  
10 estimate that we would use to get a sense of the  
11 likelihood of this boron dilution event in which the  
12 operators turn back on the pumps. One can argue what  
13 is the magnitude on the number, and I just wanted to  
14 give you a feel for this, because in a little while  
15 we're going to talk mechanistically about what would  
16 happen. And I think that what we're saying is that we  
17 believe that mechanistically, the consequences of such  
18 an event would be low in terms of the extent of fuel  
19 damage, and as a basis for dismissing the issue. And  
20 that if you combine that with our perception of the  
21 probability of the event, it further supports  
22 dismissing the issue.

23 MEMBER ROSEN: Do you think if one were to  
24 say that it's a common mode failure of operators'  
25 cognitive processes, so that P3-P4 is not 10 to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 minus 4, it's 10 to the minus 3. Would that change  
2 your answer?

3 MR. ROSENTHAL: No.

4 MR. BESETTE: The human factors people  
5 actually gave two numbers for P4. One is like a  
6 standard error rate, the other one is what you might  
7 call a highly stressed error rate. And the one that  
8 is shown is the highly stressed error rate. The  
9 standard error rate is lower. I guess another factor  
10 to consider is that by this time, the emergency  
11 response center at the plant would have been actuated  
12 and there would be a lot of people --

13 MR. ROSENTHAL: Let me make another point,  
14 and that is that you're used to seeing core damage  
15 frequencies of 10 to the minus 4, 10 to the minus 5.  
16 Sometimes people will get up here and argue seriously  
17 about 10 to the minus 6 for core damage frequency.  
18 This number here is an estimate of an event in which  
19 you put an unborated water slug back into the core,  
20 and that's not core damage. And, in fact, it's a  
21 scenario in which to get in this scenario I've  
22 interrupted HPSI, and then I've recovered high  
23 pressure injection. So if I cause fuel damage, which  
24 I will show mechanistically we think is of low  
25 likelihood, it's into a situation in which I have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operable ECCS, so we're far from a core damaging  
2 scenario.

3 MEMBER POWERS: It seems to me that if I  
4 were going to try to redo this calculation, I would  
5 take P4 as one.

6 MEMBER ROSEN: One.

7 MEMBER POWERS: If I've interrupted high  
8 pressure injection, at some point, for whatever reason  
9 I did that, at some point I'm going to turn on the  
10 reactor coolant pump. Guaranteed, just flat  
11 guaranteed that I'm going to do it.

12 VICE-CHAIRMAN WALLIS: The only evidence  
13 we have for how operators behave under really high  
14 stress would seem to be TMI. That would be another  
15 incidence --

16 MR. ROSENTHAL: We also have the Crystal  
17 River event, which was a very telling -- I'm sorry,  
18 Dr. Rosen.

19 MEMBER ROSEN: No, no. We have TMI for  
20 sure, but we don't have this circumstance anymore  
21 without having had TMI, and having had the corrective  
22 actions, and having had the training and the  
23 procedural changes, so we're in a different world.  
24 You can't use a pre-TMI number any more.

25 MR. BESETTE: At the time of TMI, there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 were no procedures one way or the other in terms of  
2 tripping reactor coolant pumps, or stopping reactor  
3 coolant pumps. If you had a LOCA, you didn't have to  
4 trip reactor coolant pumps. Now you're directed to  
5 trip them, and so there were no procedures one way or  
6 the other at the time of TMI.

7 CHAIRMAN BONACA: But in order to have a  
8 slug formation, you've got to have the operator  
9 terminating HPSI. Right?

10 MR. di MARZO: You have to have several  
11 concurrent things. You have to have the primary  
12 higher than the secondary in terms of energy. IN  
13 other words, secondary has to be a sink. You have to  
14 have HPSI interrupted, you have to have break  
15 isolated, and you've got to maintain this kind of  
16 situation for a relatively long time with an eventary  
17 range which is very tight.

18 MEMBER ROSEN: And then you have to  
19 restart --

20 MR. di MARZO: And then you have to  
21 restart HPI, so the inventory in which you've got to  
22 be has to be such that you don't cool the core, and  
23 you do not go into resumption of natural circulation.

24 CHAIRMAN BONACA: I was just dealing with  
25 the probability issue. What I'm trying is that right

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 now with the formation of the two margin and adequate  
2 core cooling, et cetera, the probability that he will  
3 cut off HPSI is extremely low, I think. But what is  
4 that small number there? I don't see that. I see a  
5 small break LOCA.

6 MEMBER ROSEN: Slug formation.

7 MR. ROSENTHAL: WE've lumped all the  
8 hardware and human into some estimate of slug  
9 formation. As I say, this is to give you a perception  
10 that we're working on a infrequent event.

11 CHAIRMAN BONACA: I understand, but the  
12 point is that yes, I have more credit than that to the  
13 slug formation. I would go to 1 in 10 to the minus 3  
14 almost, because you would have to have this intent and  
15 no recognition of circ cool margin, et cetera. These  
16 guys are trained so heavily on this issue, I mean it's  
17 just not going to happen. But the other points,  
18 however, that I think about is that RCP. Yes, I mean  
19 there are steps and procedures to do that. That's  
20 going to be closer to one, I think.

21 MR. ROSENTHAL: To one?

22 CHAIRMAN BONACA: Well --

23 MR. ROSENTHAL: If failure to follow the  
24 procedures over an hour into an event?

25 CHAIRMAN BONACA: No. No.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ROSENTHAL: It's at least 10 to the  
2 minus 2. This was the standard methodology that --  
3 human factor methodology.

4 CHAIRMAN BONACA: Okay.

5 MEMBER ROSEN: We're assuming here that  
6 this is not a cognitive failure of the whole crew. If  
7 you have cognitive failure of the whole crew, as you  
8 had at TMI, then you're going to get higher numbers,  
9 but if you -- it's very much harder to do that in post  
10 event environment than in a pre-event environment.

11 CHAIRMAN BONACA: Yes, also a very  
12 different situation in the control room. You have  
13 three people there with the --

14 MEMBER ROSEN: Four o'clock in the  
15 morning.

16 MEMBER RANSOM: Correct me if I'm wrong,  
17 but I didn't think this improbability argument was  
18 really key to resolving the safety issue.

19 MR. ROSENTHAL: Correct.

20 MEMBER RANSOM: It's only frosting on the  
21 cake.

22 MEMBER ROSEN: Frosting on the cake tells  
23 us it's about 10 to the minus 6. You can argue it  
24 could be as low as 10 to the minus 7, might be 10 to  
25 the minus 5.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: All right. I see  
2 somewhere --

3 MR. ROSENTHAL: Okay. So now from --

4 MEMBER ROSEN: We don't care whether it's  
5 any of the numbers.

6 VICE-CHAIRMAN WALLIS: You're going to  
7 tell us it can't happen, not the consequences of not  
8 happening.

9 MR. ROSENTHAL: Okay. Now let's talk  
10 about the consequences. Now we've said that for CE  
11 and Westinghouse, just based on the slug size that you  
12 can form, you're not going to recritical. B&W lower  
13 loop you could have 40 cubic meters of unborated water  
14 that you could put into the core. And if you do that,  
15 there's two cases to consider; one is natural  
16 circulation, and the other is the restart of the  
17 reactor coolant pump.

18 So now we use the PARCS code, and we can  
19 calculate the reactor kinetics, and we can calculate  
20 the enthalpy deposition in the fuel. And what you  
21 find for the natural circ case, things happen slow  
22 enough, the normal feedback mechanisms in the core are  
23 fast enough that, in fact, we don't think that you'll  
24 fail fuel.

25 For the restart case, which is faster,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where you've got a pump that's stuffing unborated  
2 water into the priming system, there is a potential  
3 for fuel failure. And that would be limited to some  
4 peak region of the core, and that would be in a  
5 scenario in which you have high pressure injection  
6 available by definition of the scenario.

7 So we think of the consequences of the  
8 event are modest, and one can argue over the frequency  
9 of the event, but we also believe that that is modest,  
10 and that with the explicit procedures already in the  
11 B&W EOPs, enough has been done that we do not have to  
12 require more be done.

13 Okay. So I'm now repeating myself. No  
14 problems with CE and Westinghouse. B&W is a plant  
15 that's vulnerable. B&W is the one that's addressed  
16 the issue already with explicit procedures which  
17 suppresses the probability of the event. And based on  
18 that, we concluded that no further regulatory action  
19 was necessary.

20 MEMBER DENNING: I have a couple of  
21 questions. One of them is where is the Boron that got  
22 left behind when the water evaporated and then  
23 recondensed? Is it supposedly stuck up in the --  
24 where is it?

25 MR. ROSENTHAL: It's in the reactor vessel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 in the core.

2 MEMBER DENNING: It's in the core, so you  
3 have an unusually high amount of Boron in the core.

4 MR. ROSENTHAL: Yes, but we're not going  
5 to -- you have a LOCA. Dave Diamond is going to  
6 present the criticality in a few minutes.

7 MEMBER DENNING: Okay.

8 MR. ROSENTHAL: But you've had a loss of  
9 cooling event, and you've had an ECCS injection, so  
10 you're starting with like 2,000 ppm that you've been  
11 putting into the core from the injection of the ECCS.  
12 The little bit from the distilling, the little bit  
13 extra Boron --

14 MEMBER DENNING: But that's the difference  
15 between -- that little bit of difference is the  
16 difference between why you've got a problem. I mean,  
17 that's why you have dilution, is because you left some  
18 Boron behind someplace.

19 MR. ROSENTHAL: And you're postulating  
20 that you're putting an unborated water slug, not 2,000  
21 ppm but close to zero ppm.

22 MEMBER DENNING: I know, but you increase  
23 the concentration some place in the system of Boron to  
24 come up with that slug of water that's unborated. Am  
25 I wrong? So it's a matter of the distribution of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where it's in the system.

2 MR. ROSENTHAL: Oh, yes. Yes.

3 CHAIRMAN BONACA: Yes, because you make  
4 the assumption that when it comes in, it doesn't mix.

5 MEMBER DENNING: Well, then that's not --

6 CHAIRMAN BONACA: It comes to the core.

7 MEMBER DENNING: Does it not mix in the  
8 downcomer or what are your --

9 MR. ROSENTHAL: Okay. Now Professor di  
10 Marzo is going to talk. This is an introduction.

11 MEMBER DENNING: Okay.

12 MR. ROSENTHAL: In due course, we'll talk  
13 about where you would form a slug, how big the slug  
14 could be, how you could transport the slug from the  
15 pump, through the pipe, downcomer, lower plenum, and  
16 back up --

17 MEMBER ROSEN: And what happens to the  
18 Boron that got -- came out of the slug, and whether  
19 that matters; where it went, and whether that matters.

20 MEMBER DENNING: Jack, one other question  
21 that's important; and that is, reactor coolant pump -  
22 this current requirement that they not restart the  
23 reactor coolant pump until some particular time, is  
24 that implemented specifically to avoid this problem,  
25 or is there for another reason?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ROSENTHAL: It's in the B&W -- I'm  
2 sorry, it's the bases, it's the EOP bases document  
3 that told that this is the reason that they shouldn't  
4 do it.

5 MEMBER DENNING: And this is the reason  
6 they shouldn't do it.

7 MR. ROSENTHAL: I don't want to use the  
8 word --

9 MEMBER DENNING: The thing that I'm  
10 worried about is, are there situations where we wish  
11 they really had started that reactor coolant pump,  
12 that they did not have a prohibition against it? If  
13 this is an unreal problem, if mixing and stuff like  
14 that really mean this isn't the real problem, and  
15 we've imposed a requirement that they not start the  
16 pump because of a non-real problem, then I want to  
17 know, you know -- you're telling me that from your  
18 analyses, it's not too bad. I want to find out is it  
19 really important, and if this is a fake problem that  
20 we've just set up by the boundary conditions, I'd like  
21 to know have we really done the wrong thing from a  
22 safety viewpoint by prohibiting the restart of that  
23 coolant.

24 MR. ROSENTHAL: I guess you could  
25 postulate. You have those 40 cubic meters of water in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your seal, and if you did have a core recovery, it  
2 would be really useful to get that over to the core,  
3 if you had no other way of getting water there. It  
4 would just buy you some time. Ultimately, you need to  
5 get some ECC injection back.

6 MR. BESETTE: It's interesting these  
7 restrictions have been in place since 1996, though.  
8 Framatome put them in place at that time, and I  
9 believe based on possibility of Boron dilution --

10 MEMBER RANSOM: The only reason the  
11 procedure is there is because of Boron dilution.

12 VICE-CHAIRMAN WALLIS: The Chairman wants  
13 to finish by 4:30.

14 MR. ROSENTHAL: No problem.

15 MR. DIAMOND: I'm David Diamond from  
16 Brookhaven National Lab, and I will be very brief.  
17 I'd like to give you an idea of the analysis that we  
18 did at Brookhaven that Jack alluded to.

19 We wanted to understand the consequences  
20 of the event given a particular slug, and what we mean  
21 by the consequences are calculations of the fuel  
22 enthalpy throughout the core as a function of time.  
23 The fuel enthalpy that we're talking about is averaged  
24 over a pellet. That's how we define fuel enthalpy,  
25 but we look at it as a function of position within the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reactor. And as I say, it's a function of time during  
2 the boron dilution event. And, of course, we look at  
3 fuel enthalpy because that is generally used as a  
4 failure criterion for reactivity initiated accidents.

5 We, of course, did best estimate studies  
6 and, of course, parametric studies to determine the  
7 effect of different assumptions, such as flow rate,  
8 Boron concentration and reactor types. And I'll, of  
9 course, only touch on one or two calculations here  
10 today.

11 As Jack mentioned, we use a methodology  
12 developed by RES, and it couples in this particular  
13 case Relap 5 with PARCS. PARCS, of course, providing  
14 the neutron kinetics, and I have some attributes of  
15 the PARCS code listed here, which I won't go into. I  
16 have more on these slides than I will touch on, but  
17 the information is there for your perusal at a later  
18 time.

19 This slide shows something that is  
20 important in developing a PARCS model, and that is the  
21 fact that the assemblies are represented as  
22 homogenized regions, so that a true assembly which is  
23 heterogenous, one does a calculation over the full  
24 spectrum of neutron energy, and over this assembly,  
25 and then averages the cross-section information,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 averages it spatially in order to get a uniform  
2 representation of the assembly, and averages it in  
3 terms of energy in order to reduce things down to two  
4 neutron energy groups. And that is the way in which  
5 the core calculations are done. There is a way of  
6 backing out information on the pin-by-pin power, but  
7 I'm not going to get into that in this.

8 MEMBER RANSOM: It might be important to  
9 touch on the validation for this model, how much faith  
10 can you have in this.

11 MR. DIAMOND: All right. The PARCS code  
12 has been validated by comparisons with many different  
13 benchmarks, both experimental and numerical. For this  
14 particular calculation, of course, one doesn't have  
15 direct validation. However, we did do some code-to-  
16 code comparisons against a Russian code using a  
17 totally different methodology, just to give us a  
18 certain level of confidence in the ability of the  
19 methodology used in PARCS to be able to calculate the  
20 core under these conditions. And these conditions are  
21 extreme relative to --

22 MEMBER RANSOM: It's my understanding that  
23 those were reactivity transients that you compared it  
24 against. Is that right?

25 MR. DIAMOND: They were specifically for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Boron dilution.

2 MEMBER RANSOM: Okay.

3 MR. DIAMOND: The calculations that we did  
4 modeled a B&W design. It's 177 assemblies in the  
5 core. It happened to be TMI-1, and it's modeled at  
6 the beginning of cycle because as mentioned, that's  
7 when a Boron dilution has consequence. Indeed, we did  
8 some analysis to show that the consequences are of  
9 concern only in the first maybe 10 or 20 percent of  
10 the cycle. It depends on the type of fuel cycle one  
11 has.

12 MEMBER POWERS: If I have a core that's 60  
13 percent fresh fuel, 40 percent old fuel, I don't need  
14 to worry, uniformly distributed.

15 MR. DIAMOND: No. This has nothing to do  
16 with the fuel in the core. It has to do with the  
17 cycle which starts out with a high concentration of  
18 Boron, and then eventually goes down to Boron  
19 concentrations that are so low that a dilution doesn't  
20 really add much. And it turns out that that point is  
21 reached fairly early in the cycle.

22 MEMBER ROSEN: Do you know how high the  
23 Boron concentration is at the beginning of life? Is  
24 it --

25 MR. DIAMOND: Typically, Boron

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 concentration is about 1,500 ppm, and that's generally  
2 true --

3 MEMBER POWERS: That's hot full power?

4 MR. DIAMOND: Hot full power, yes. And  
5 that's generally true even as one goes to longer fuel  
6 cycles.

7 MEMBER POWERS: The previous speaker put  
8 up things that said gee, all I did was pop this fuel  
9 with perhaps as much as 185 calories per gram, full of  
10 numbers for different assumptions, and I was supposed  
11 to walk away with a lot of comfort; that 25 calories  
12 per gram, I'll walk away with a little bit of comfort.  
13 When you cross on how many calories per gram I'm  
14 starting to get real nervous.

15 MR. DIAMOND: Okay. Let me go through the  
16 calculations and qualify those numbers a little bit,  
17 put them a little bit in context, and then we can get  
18 back to your question, perhaps.

19 Anyway, the starting point for the  
20 calculations that we did is late in the scenario; that  
21 is, it's after the dilution has taken place in the  
22 cold leg. At this point, all the control banks are  
23 inserted, the control and shutdown banks. The fuel  
24 has cooled a little bit and is down to 500 -- excuse  
25 me, the moderator has also cooled by virtue of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 injection of the ECCS, and it's at 500k for this  
2 calculation. And at a Boron concentration of 2,500  
3 ppm, which corresponds to the ECCS concentration. So  
4 at this point in time, the reactor is about 15 dollars  
5 shut down. And then the transient boundary conditions  
6 that we imposed in order to do the calculation is a  
7 Boron concentration as a function of time at the lower  
8 plenum. And how we get that, Marino di Marzo will  
9 explain after I'm finished here. And then we looked  
10 at flow rates based either on assuming natural  
11 circulation or the restart of a pump in the diluted  
12 loop.

13 This is the layout, and I just want to  
14 show you that the numbers represent control banks, and  
15 so we have a checkerboard pattern of assemblies with  
16 control rods, and checkerboard with those without  
17 control rods.

18 The reason that one-eighth of the core is  
19 highlighted here is that we did have one-eighth  
20 symmetry, and although we calculated in PARCS, we  
21 calculate the result for every assembly in the  
22 thermohydraulic calculation that this is coupled to;  
23 namely, RELAP5.

24 We only considered thermohydraulic  
25 channels representing each of the assemblies in a one-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 eighth core. And they're listed here for two  
2 purposes; one -- well, first of all, note the yellow  
3 assemblies, those in which one has control rods  
4 initially. And the number at the bottom of the  
5 assembly is the burn-up in this particular core.

6 The assemblies here, these two assemblies  
7 that are shaded have low burn-up. They're fresh fuel  
8 in this particular core. This is at beginning of  
9 cycle, and it's in these two assemblies where the peak  
10 fuel enthalpy occurs. And also I might say at this  
11 point, it also occurs at the bottom of the core. And  
12 I think that's what Jack was referring to by saying  
13 that this is not a core-wide -- that one doesn't get  
14 to high enthalpy throughout the core. One gets it in  
15 these two assemblies, and at the bottom of the core.

16 MEMBER ROSEN: And those are megawatt days  
17 per ton numbers?

18 MR. DIAMOND: Gigawatt days per ton.

19 MEMBER ROSEN: I mean, gigawatt days per  
20 ton.

21 MR. DIAMOND: Yes, that's correct.

22 MEMBER SIEBER: So that's 16 assemblies  
23 for the whole core, two per one-eighth segment.

24 MR. DIAMOND: That's correct.

25 MEMBER SIEBER: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DIAMOND: Okay. So here is your lower  
2 loop plant, and what we do is in the RELAP5  
3 calculation to model each of the fuel assemblies in  
4 that one-eighth core as a thermohydraulic channel.  
5 These are, of course, one dimensional models, and they  
6 are coupled at the top and bottom. And we have an  
7 explicit representation of the inlet plenum and the  
8 outlet plenum.

9 MEMBER RANSOM: As I understand it, there  
10 are 29 channels. Is that right?

11 MR. DIAMOND: Well, actually a 30<sup>th</sup> for  
12 bypass flow. Yes. And this shows you a result when  
13 the flow goes to 25 percent of nominal value. And the  
14 blue curve here is Boron concentration, the ordinate  
15 is on the right side here. That's ppm, and you can  
16 see that it starts off at 2,500 and goes down in about  
17 just a few seconds to about 450 roughly ppm, and then  
18 comes back up to 2,500. And the resulting reactivity  
19 versus time is shown here in red. And that starts  
20 off, as I said, at 15 dollars subcritical --

21 MEMBER ROSEN: I'm sorry, Dave, to be so  
22 stupid, but I don't know what this 10 second or 20  
23 second transient is. What happens during that 20  
24 seconds?

25 CHAIRMAN BONACA: The Boron goes --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: I know, but what in the  
2 plant --

3 MR. DIAMOND: Yes. This is starting from  
4 one pump starting at time zero.

5 MEMBER ROSEN: Okay. And this is in the  
6 core, which starts at 2,500, and it's being flushed,  
7 basically.

8 MR. DIAMOND: That's correct.

9 MEMBER ROSEN: Okay.

10 MR. DIAMOND: We impose this Boron  
11 concentration versus time at the inlet plenum, the  
12 lower plenum.

13 MEMBER ROSEN: Okay.

14 MR. DIAMOND: And then calculate the  
15 consequences in the core in terms of power.

16 MEMBER ROSEN: This is essentially the  
17 startup of 1 RCP. Is that what this --

18 MR. DIAMOND: That's correct.

19 CHAIRMAN BONACA: That's an average core,  
20 the whole core?

21 MR. DIAMOND: I'm sorry?

22 CHAIRMAN BONACA: I mean, you have a  
23 finite amount of water coming in from the slug.

24 MR. DIAMOND: Yes, that's correct.

25 CHAIRMAN BONACA: Okay. And where is it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 placed?

2 MR. DIAMOND: And it's placed in the lower  
3 plenum, and then flows up through the core. This is  
4 a B&W case which is 40 cubic meters.

5 CHAIRMAN BONACA: Assuming the whole core  
6 to be affected by this.

7 MR. DIAMOND: Yes.

8 MEMBER ROSEN: Now these are huge pumps,  
9 great big motors. From the time you actually press  
10 the button until the time it gets to full speed, is  
11 that taken into account?

12 MR. DIAMOND: In this particular  
13 calculation, yes. This takes about 10 seconds.

14 MR. di MARZO: Yes, but the problem is  
15 there is water before the deborate, so the pump gets  
16 to full speed before the deborate arrives. In other  
17 words, you have to start flushing the downcomer and  
18 whatever you had in the cold leg downstream the pump  
19 first, and then you get that. So essentially, it's  
20 full speed almost.

21 MEMBER ROSEN: The pump starts up and it  
22 pushes a lot of borated water in first, and then  
23 incomes the non-borate.

24 MR. di MARZO: Right.

25 MEMBER ROSEN: And that whole -- the non-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 borated water gets to the core is time zero here.

2 MEMBER POWERS: That's zero.

3 MR. DIAMOND: That's correct.

4 MEMBER ROSEN: Not the pump start time.

5 MR. DIAMOND: That's correct.

6 MEMBER ROSEN: Okay.

7 MR. DIAMOND: That's correct. And the  
8 result on power is shown in the red curve here, and  
9 the scale here is, 100 percent, of course, is nominal  
10 power. And one gets to a prompt critical situation,  
11 and that's the reason that the power rises so rapidly.  
12 You have a very sharp burst. And, of course, that  
13 burst is turned over rapidly, as well, because this is  
14 a characteristic of light water reactors, the doppler  
15 feedback is extremely powerful and very fast.

16 Having said that though, you could also  
17 notice that it did get up to 2,700 percent before  
18 being turned off. Now it then goes through a series  
19 of, like you could almost call them oscillations, as  
20 a result of the conflict between the dilution that's  
21 taking place and all of the negative feedback that  
22 takes place as a result of the increase in fuel  
23 temperature, and then the decrease in density as you  
24 get voiding sporadically in the core.

25 And what I said earlier, what we're most

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 interested in, though, is to take a look -- this power  
2 here is a global power, and we're really interested in  
3 something that's happening locally; namely, how is the  
4 individual fuel rod behaving. And we judge that  
5 according to what the fuel enthalpy is, and in the  
6 blue curve here we're looking at the fuel enthalpy in  
7 the rod that has the maximum value. And what we see  
8 initially is a rise in fuel enthalpy from about 17  
9 calories per gram to an increase of about 30 calories  
10 per gram, to about 47 calories per gram. And that's  
11 this initial jump here. It's almost hard to see  
12 because we're talking about a jump in less than one  
13 second. This initial pulse here is a very narrow  
14 pulse relative to this time scale here. So that  
15 initial fuel enthalpy increase by which a lot of  
16 people judge fuel behavior is only on the order of 30  
17 calories per gram.

18           However, in this particular case, because  
19 there is so much diluted water that's coming into the  
20 core, we see that - and it's coming in so fast, at 12  
21 seconds we're up to about a maximum fuel pellet  
22 enthalpy of about 190 calories per gram, or an  
23 increase of about 170 calories per gram.

24           MEMBER POWERS: And what turns it over  
25 there is the re-boration.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DIAMOND: Yes.

2 MEMBER POWERS: As the pump continues to  
3 run, it starts putting back in borated water.

4 MR. DIAMOND: That's correct. The slug is  
5 a finite volume, and --

6 VICE-CHAIRMAN WALLIS: In other words, the  
7 pump is now turned off.

8 MEMBER POWERS: Oh, my gosh, I made a  
9 mistake on that one. I turned it on for 12 seconds  
10 and trip it.

11 CHAIRMAN BONACA: How do you get the pin  
12 value?

13 MR. DIAMOND: I'm sorry?

14 CHAIRMAN BONACA: How do you get the pin  
15 value? I mean, you do have a calculation here and a  
16 cross-match.

17 MR. DIAMOND: Yes. Right.

18 CHAIRMAN BONACA: And then you go to fine-  
19 mesh. How do you -- I mean, you superimpose --

20 MR. DIAMOND: You can impose a peaking  
21 factor on the assembly calculation.

22 CHAIRMAN BONACA: That's what you did.

23 MR. DIAMOND: In this particular case, no.  
24 This is not --

25 CHAIRMAN BONACA: Is this an average?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   MR. DIAMOND:     This is averaged over  
2 assembly, and so it would be in the neighborhood of  
3 maybe an additional 20 percent peaking factor to  
4 account for what it might be at a pin.

5                   VICE-CHAIRMAN WALLIS: Let's look at that.  
6 If they did bump the pump as they did at TMI, I guess,  
7 5 seconds, and they turned it off and left the diluted  
8 borated water in the core, you wouldn't get Boron in  
9 the core now. It would take its course, presumably,  
10 in some way.

11                  MR. DIAMOND: It wouldn't be going through  
12 as rapidly, that's true.

13                  VICE-CHAIRMAN WALLIS: Now circulate as  
14 natural circulation or something?

15                  MR. DIAMOND: Yes. Well, I mean, there  
16 was some momentum built into the flow, so --

17                  MR. ROSENTHAL: Let's be very careful in  
18 describing the scenario. We're an hour into the  
19 event, and we've distilled enough water that we formed  
20 this maximum 40 cubic meter slug of water in the loop  
21 seals.

22                  MEMBER POWERS: Deborated.

23                  MR. ROSENTHAL: Deborated water, and now  
24 you've turned it on, and Dave is trying to show what  
25 might happen. And now your -- and there's only 40

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cubic meters max to play with, so now you're  
2 postulating exactly what? You trip the pump --

3 VICE-CHAIRMAN WALLIS: You squirt it in  
4 and then you stop.

5 MR. ROSENTHAL: And you stop --

6 MEMBER POWERS: No, he starts it at the  
7 wrong moment, and then it trips 10 seconds later,  
8 which is possible, because he doesn't have all the  
9 auxiliaries set up. He's made a mistake.

10 MEMBER SIEBER: But that's not what was  
11 analyzed.

12 MR. ROSENTHAL: That's good. That's good,  
13 because Dave is showing you the pump case, the natural  
14 circ case is a more benign case.

15 VICE-CHAIRMAN WALLIS: No, I'm saying - he  
16 said it turned around because you started to bring in  
17 borated water. I'm saying will that happen if you  
18 turn off the pump, or if the pump trips? Does it turn  
19 around if the pump trips?

20 MEMBER SIEBER: Well, the peak won't be as  
21 hot in the natural circulation case.

22 MR. BESETTE: Once a pump is going,  
23 there's a coast down that lasts for about another 30  
24 seconds or so. The flywheel will keep --

25 VICE-CHAIRMAN WALLIS: And that's enough

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to keep the fluid out.

2 MR. BESETTE: And plus, you've got a  
3 pretty strong natural circulation when you have 100  
4 percent power, too.

5 CHAIRMAN BONACA: I'm sorry, just to  
6 understand. Those 40 cubic meters, what is it, a  
7 volume of the vessel?

8 MR. BESETTE: The 40 cubic meters is about  
9 the volume of -- the core region has about 36 cubic  
10 meters or 40 cubic meters.

11 CHAIRMAN BONACA: You're talking about the  
12 whole amount of the core region. Okay. That's fine.

13 MEMBER ROSEN: What saves you is the  
14 flywheel.

15 MR. ROSENTHAL: Yes. The volume that  
16 we're talking about is below the inlet of the cold leg  
17 - I'm sorry --

18 MEMBER POWERS: Right there, that one.

19 MR. ROSENTHAL: So it's this volume in the  
20 steam generator and in the cold leg below this level.

21 VICE-CHAIRMAN WALLIS: I don't know why  
22 the flywheel saves you, because you could turn the  
23 pump on for two seconds, and then the flywheel will  
24 put the rest of the slug in.

25 MR. di MARZO: Then you don't get the max

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 speed.

2 VICE-CHAIRMAN WALLIS: If you wanted to be  
3 extraordinarily pessimistic you could say absolutely  
4 the worst possible thing happens.

5 MEMBER SIEBER: And I don't think that is,  
6 because a transient is much slower. When the  
7 transient is slower, you don't get to the peak power.  
8 And it's self-limiting.

9 VICE-CHAIRMAN WALLIS: We don't have the  
10 spectrum of transients.

11 CHAIRMAN BONACA: I want to think about  
12 the slug going through from the narrow pipe down the  
13 downcomer. We're assuming that it fills the  
14 downcomer, and then it comes up. I can imagine, for  
15 example, a slug going in locally in the region of the  
16 core, so have a more drastic effect, because it could  
17 last a longer time.

18 MR. DIAMOND: Well, I think Professor di  
19 Marzo discusses the slugs.

20 MEMBER RANSOM: Well, isn't there an  
21 issue, too, that if you have like 40 cubic meters of  
22 the deborated water, and you turn on the pump, the  
23 pump is going to cavitate at some point because there  
24 isn't any fluid behind that slug. It's going to pump  
25 down until it starts to cavitate, and I would think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operational procedures would call for shutting it  
2 down.

3 MR. di MARZO: That would depend when you  
4 do it, because you would do it at some level of -- you  
5 may have some level of refueling. You do it or you  
6 may have just the slug itself.

7 MEMBER RANSOM: You mean you're assuming  
8 that you would have the slug sitting there, but then  
9 refilled with borated water above that?

10 MR. di MARZO: The slug can be at any  
11 position up and down the steam generator if you're  
12 starting refueling, for example, and then at that  
13 point start the pump. Or you can postulate that you  
14 start the pump exactly at the final time when the slug  
15 has just finished forming. That introduces another  
16 probability there. You have to factor that in, I  
17 suppose.

18 MR. DIAMOND: All right. And perhaps the  
19 consequences will become also a little bit clearer if  
20 I show one case where the flow rate is only at 3  
21 percent, representing natural circulation. And in  
22 this case, again the Boron concentration starts at  
23 2,500, and it takes much longer for the slug to go  
24 through the core. And this acts in your favor in  
25 terms of making the event more benign.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Again, the red is the reactivity versus  
2 time, which is just the conflict between the Boron  
3 dilution and the feedback. And the result, though, is  
4 different for the pump-on case. The red is now the  
5 power. Again, in terms of having a prompt critical  
6 pulse initially, that's the same except that this one  
7 only goes up to about four or five hundred percent,  
8 and then it goes through a series of oscillations over  
9 a longer period of time because this is a slower  
10 event. But also, if you look at the peak fuel  
11 enthalpy as a function of time--

12           VICE-CHAIRMAN WALLIS: At the end of that  
13 process when the slug is now in the core. The core's  
14 coolant is unborated water. Is it the voiding which  
15 is filling the reactivity rather than the Boron?

16           MR. DIAMOND: It's a combination - yes -  
17 the voiding and fuel temperature. And also the fact  
18 that yes, we think in terms of a monolithic slug going  
19 through, but it's actually a very spatially dependent  
20 process. So this initial rise of the fuel enthalpy is  
21 only about 25 calories per gram here, and then the  
22 peak value of the fuel enthalpy, which again is in  
23 those fresh fuel assemblies at the bottom of the core,  
24 it's only about 90 calories per gram in this  
25 particular case.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           One other case, this is the no-never-mind  
2 case. This is the simulation for a Westinghouse cold  
3 leg design, where the Boron concentration versus time  
4 is a much shorter dilution. This comes right back up  
5 in about 2 seconds, because we're talking about an  
6 order of magnitude difference in the volume, going  
7 from about 40 cubic feet to about less than 4 cubic  
8 feet.

9           MEMBER POWERS: Could we go back to your  
10 previous slide?

11          MR. DIAMOND: Sure.

12          MEMBER POWERS: You show a very sharp  
13 initial transient, some minor oscillations, and then  
14 a period of very short passes in the power. Are those  
15 oscillations such that, and the time is wrong here.  
16 It's 10 seconds for those hash marks there, such that  
17 your fuel is successfully disposing all of its  
18 enthalpy into the coolant, and not getting any --

19          MR. DIAMOND: Yes. Well, this is the  
20 enthalpy here, and so the enthalpy levels are  
21 relatively low. Don't forget, full power enthalpy is  
22 about 45 calories per gram, so okay. You have a  
23 situation here where you're hotter than normal.

24          VICE-CHAIRMAN WALLIS: Well, it's 10  
25 percent power, but you've got something like a BWR.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 You're boiling off the voids in there. You're cooling  
2 the --

3 MEMBER POWERS: Really, I'm just asking if  
4 heat transfer was operational here.

5 MR. DIAMOND: Yes. I mean, as calculated  
6 by RELAP5. So you have two-phase cooling, sure.

7 Okay. As I mentioned, this is really the  
8 no-never-mind, because the volume of the borated water  
9 is so small.

10 VICE-CHAIRMAN WALLIS: If you have a very,  
11 very big slug and you put it in there slowly, you just  
12 boil, and boil, and boil and fuel will be cool, and  
13 there will be no greater power.

14 MR. DIAMOND: You would reach an  
15 equilibrium power.

16 VICE-CHAIRMAN WALLIS: No, but you've got  
17 it there. You got in the last few seconds of the  
18 previous slide, essentially cooling it.

19 MR. DIAMOND: Yes.

20 VICE-CHAIRMAN WALLIS: But the boiling --  
21 you don't care if there's any Boron in there or not.

22 CHAIRMAN BONACA: If you have the slow  
23 transient, you --

24 MR. DIAMOND: Yes. I mean, the -- that's  
25 correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. ROSENTHAL: My memory serves me that  
2 in a pressurized water reactor, you hold out about  
3 half the reactivity with soluble Boron, and about half  
4 with rods. You shutdown to about 350F, 400F on rods  
5 alone, so I think that if you have the rods in there  
6 and totally deborated forever, you're going to end up  
7 with some temperature about 400F system pressure, and  
8 some power, and you'll sit there.

9 VICE-CHAIRMAN WALLIS: It doesn't matter,  
10 you don't need any Boron.

11 MR. DIAMOND: To go to the cold shutdown  
12 you need the Boron.

13 VICE-CHAIRMAN WALLIS: You can't get the  
14 cold shutdown, but at least it's -- it doesn't get  
15 overheated or anything.

16 MEMBER POWERS: It's called N-O-P-N-O-T  
17 almost, Normal Operating Pressure and Normal Operating  
18 Temperature; 450 degrees Fahrenheit, and you go up to  
19 2,000 psi, and sit there. You lift the release.

20 MR. DIAMOND: All right. This slide  
21 repeats what I've already said, and what Jack  
22 presented earlier, so I just want to have three  
23 bullets here. One to remark that RELAP5/PARCS is a  
24 viable method for this analysis. As Jack pointed out,  
25 it's important to recognize that RES does have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 methodologies now that can analyze very complex  
2 transients in which both the neutronics and the  
3 thermohydraulics interplay.

4 From the point of view of fuel enthalpy,  
5 the increase is only significant if the volume of the  
6 diluted water is large enough, namely one has the B&W  
7 lower loop scenario, and the rate of injection is  
8 large enough; namely, one has the RCP restart. And as  
9 I already mentioned, the effect is only possible on  
10 the first 20 percent of the cycle, which also comes  
11 out of consideration of panasonics.

12 MEMBER ROSEN: Very good, Dave, nice  
13 stuff.

14 MR. DIAMOND: Thank you.

15 MEMBER POWERS: Well, I'm still sitting  
16 here saying they sure are happy with 173, 180 calorie  
17 per gram percs on the fuel. And I keep wondering why  
18 are they so happy? I mean, what is it that makes you  
19 say gee, I've got no -- life is good, got no trouble.  
20 I just rattled the fuel - I'm just not real happy  
21 about taking.

22 MR. ROSENTHAL: I think my argument was  
23 that I think I have a reasonably low likelihood event.  
24 And for that reasonably low likelihood event, I think  
25 of the extent of heating damage would be limited to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some region of the core. And I have a scenario in  
2 which by definition I have ECCS available.

3 Now let's talk more specifically about the  
4 enthalpy deposition. For 30 years, we've had on 1177  
5 on the books, which says 280 calories per gram is an  
6 acceptable enthalpy deposition. It was associated  
7 with a reactivity insertion event of an ejected rod,  
8 which is a very fast event, the order of milliseconds.  
9 And we've recently done work at Cabris, we're co-  
10 sponsors of Cabris, which says that the high burn-up  
11 fuel, that number might more likely be 80 or 100  
12 calories per gram as a value at which you might damage  
13 clad. That's the high burn-up fuel, although I cannot  
14 guarantee the fuel loading pattern in some future  
15 reactor. I think that the one that David used is a  
16 typical reloading pattern, and so that the peak is  
17 more likely to occur in the fresh fuel for which  
18 there's more likely some margin than the older fuel.

19 In the Cabris test, we argued over is it  
20 10 milliseconds or is it 30 milliseconds is the right  
21 pulse - time frame to run these tests at, because if  
22 you run the test fast enough, there's time for the  
23 pellet to heat up before the clad has time to heat up  
24 and start to grow, and become more ductile. If you  
25 can heat it, you can transfer the energy to the clad,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 so that the clad warms up. It's more ductile, you can  
2 put more energy into the pellet.

3 The kinds of scenarios that we're running  
4 here are slow compared to the Cabris test, and that's  
5 why Dave focused on pointing out that first bullet,  
6 the less than a second, the so many milliseconds blip,  
7 because that's the enthalpy deposition that you should  
8 think of in terms of when you're comparing it to the  
9 Cabris, in which case the experimental evidence - it  
10 looks like it's okay. So it's the sum of those  
11 considerations. And then the last thing is that we  
12 put in place explicit operator procedures to tell them  
13 don't do it.

14 MEMBER POWERS: Let me follow-up on my  
15 question, please.

16 MR. ROSENTHAL: I apologize.

17 MEMBER POWERS: I think you persuaded me  
18 that you have a 5 times 10 to the minus 6 event.  
19 Okay. I took half of my 1 times 10 to the minus 5<sup>th</sup>.  
20 You aren't going to get P4 out of me. For 30 years,  
21 you've had 280 calories per gram on the books. You've  
22 known it's wrong. It has always been wrong. It's a  
23 flat wrong number. You've worked at Cabris. You  
24 understand that you have to be very careful about the  
25 power inputs, because if you leave power-off into the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 clad, then it just doesn't count too much on the fuel,  
2 so you worry about short transients, in which all the  
3 energy goes into the fuel. But here in these  
4 analyses, you're telling me I'm getting reasonable  
5 hits on my fresh fuel, which can be adjacent to fuel  
6 that's not so fresh, but you haven't told me anything  
7 about that not so fresh fuel. Okay. Is it doing  
8 nothing? Are you getting no energy whatsoever into  
9 that?

10 MR. ROSENTHAL: I think there's one item  
11 value in the core from what I learned in school.  
12 David, can you address that?

13 MR. DIAMOND: It turns out in this  
14 particular core, all of the burn fuel has a control  
15 rod in place in there, so there's going to be quite a  
16 large difference in terms of the fuel enthalpy rise in  
17 the spent fuel versus what's going on in the fresh  
18 fuel.

19 MEMBER POWERS: Now have you imposed a  
20 requirement that all burn fuel have a rod in it?

21 MR. DIAMOND: No.

22 MEMBER POWERS: You left something out of  
23 your analysis.

24 MR. DIAMOND: Right. And in a different  
25 fuel management scheme, you would certainly have rods

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with higher burn-ups suffering not as high as an  
2 enthalpy as a fuel assembly with zero burn-up or low  
3 burn-up, but it would be --

4 MEMBER POWERS: But see, even if I go out  
5 and find new experiment, let's say if I put 50 calorie  
6 per gram into this fuel, I broke it apart. Okay. Now  
7 you can wave your hands and say okay, there are  
8 reasons for that, maybe the water was cool, things  
9 like that. I mean, my point is there's something  
10 missing from your analysis here. You haven't given me  
11 enough information to make your case. That's the  
12 point I'm making here.

13 MR. ROSENTHAL: Even if you said well --  
14 if you applied those enthalpy increases that we have  
15 for fresh fuel there to high burn-up fuel, you're  
16 still less than the enthalpy step increases which led  
17 to cladding cracks --

18 MEMBER POWERS: Oh, no, I'm not. If I've  
19 got 173 calories per gram in the 50 gigawatt day fuel,  
20 it's going to be pulling apart.

21 MR. ROSENTHAL: No. You're talking about  
22 --

23 MEMBER POWERS: What do you mean no? It's  
24 not no, it's yes. It's guaranteed.

25 MR. ROSENTHAL: I mean those experiments

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are single pulse experiments. You're talking about  
2 from an experiment at a single pulse which put in 170  
3 calories per gram which cracked the cladding. Here  
4 we're getting multiple pulses. Each one is  
5 contributing maybe 25 calories per gram.

6 MEMBER POWERS: Okay. Now show me all  
7 your experiments which say that that will not crack  
8 the clad.

9 MR. ROSENTHAL: We've had the -- you can  
10 look at the wide pulse data where you don't get  
11 cracking.

12 MEMBER POWERS: It has nothing to do with  
13 multiple pulses. You're making a case that says  
14 multiple pulses won't crack the cladding. You've got  
15 no data to support that argument.

16 MR. ROSENTHAL: No, but there's no data to  
17 contradict it either.

18 MEMBER RANSOM: I didn't think that's what  
19 they were trying to make. I thought they said there  
20 would be fuel damage, just not loss of coolable  
21 geometry. And that satisfies the G-68.

22 MR. SCOTT: David, this is Harold Scott.  
23 The Japanese did do one test in NSRR, where they did  
24 have multiple pulses. I think it was called I-11 or  
25 something, so there's at least one thing like that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: I think they'd be hard  
2 pressed to use it to make their case here though.

3 MEMBER ROSEN: And what was the result of  
4 that Japanese test?

5 MR. ROSENTHAL: Did not fail.

6 MEMBER ROSEN: Okay.

7 MEMBER SIEBER: But that's not the  
8 criterion that you're using here. You're allowing  
9 failure. You just want to make sure it cools.

10 MR. BESETTE: The main objective is  
11 coolable geometry, that's the governing objective.

12 MEMBER RANSOM: Is that right?

13 MEMBER SIEBER: Well, the clad may not be  
14 the only effect. For example, when --

15 MR. di MARZO: I am Marino di Marzo. This  
16 is a presentation, the objective of this presentation  
17 is essentially three objectives. The first objective  
18 is to give you an idea of the mathematical models  
19 which are very simple, and provide some interpretation  
20 of the physical reality, and at the same time give you  
21 a tool to essentially end of mixing in a way that you  
22 can scale it from the U-Scale experiments that are  
23 available to the typical scale without too much of a  
24 controversy.

25 The other objective is to then assess the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 model that was presented in RELAP5/PARCS as reasonable  
2 for the vessel. And then the third part is to show  
3 how we're going to determine the boundary condition to  
4 the vessel depending on each of the scenarios, as far  
5 as the deborate movement. So as far as the model  
6 goes, this is very old material.

7 MEMBER POWERS: I said it once, I'll say  
8 it again - anybody that cites Levenspiel is okay in my  
9 book.

10 MR. di MARZO: All right. I'm blessed.  
11 It's extremely old material in the sense that what we  
12 want to do is to look at it in a very simplistic  
13 fashion, and look at true limiting condition. On the  
14 one end we want to look at the situation where we have  
15 plug flow. That basically means that an input signal  
16 enters the volume and exits exactly the same without  
17 any alteration, just the time delay. On the other end  
18 of the spectrum, that would be a totally unmixed-type  
19 process.

20 On the other end of the spectrum, we have  
21 something that we call backmix flow. You can call it  
22 a mixing cup. You can call it a completely mixing  
23 reactor, or in any other way. But basically, you have  
24 a totally steered volume in which you put new and then  
25 you get whatever comes out of the other side.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The formulation for that is the listing  
2 here, where you have a current here that is multiplied  
3 by the input function that you have. Now it is  
4 convenient for what we are going to do to define a  
5 time, an undimensional time which is the ratio, the  
6 volume of the slug divided by the volumetric flow  
7 rate. That we call a transit time. That will be the  
8 time it takes the slug unborated to go through a  
9 cross-section. So that way we can eliminate  
10 essentially time from your equation, and just get a  
11 generic type profile of what the concentration look  
12 like during the transient.

13           VICE-CHAIRMAN WALLIS: You're scaling.

14           MR. di MARZO: Right. So now the nice  
15 thing about the equation that is up there is that the  
16 only thing that matters are volumes. We are not  
17 making any statement in this approach as to the amount  
18 of mixing.

19           VICE-CHAIRMAN WALLIS: Ratios of volumes.

20           MR. di MARZO: Ratios of volumes, is  
21 either totally mixed or totally unmixed. And that's  
22 very important because it enhances the portability of  
23 what we do at one scale to another scale, provided  
24 that we retain the same volume.

25           So now to the left here is what has been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 done in PARCS lot as shown before. You have a time-  
2 dependent volume where you put your first function in  
3 terms of dilution that feeds one node which represents  
4 the lower head. And then there is a junction which  
5 has no volume, it's just a junction that feeds all  
6 this part of the channels which are your core. So  
7 that's basically what's in there. That's the RELAP  
8 modeling of the vessel.

9 Now what we tried to do here is to look at  
10 the vessel in the following simplified way, to look at  
11 plug flow in the core that is in these channels, look  
12 at the backmix flow in the lower head that is in the  
13 portion at the bottom, and then plug flow in the  
14 downcomer. This is by no means an attempt to actually  
15 model what it is, but it's just simply a concoction,  
16 if you wish, of mathematical tools that give an answer  
17 and a series of assumptions that we then have to test  
18 against, some data and some experimental areas.

19 Now as far as the lower head goes, the  
20 geometry is quite important. What you have is if you  
21 wish a spherical angle here, or the region between two  
22 hemisphere, which is reasonably free from impediments  
23 for the flow, and then you have a highly constricted  
24 region going from this inner structure here through a  
25 number of sets all the way to the vessel. You can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 count one, two, three, four, and five screens  
2 essentially where the flow has to go through.

3 VICE-CHAIRMAN WALLIS: Marino, that lower  
4 colander has a lot of holes.

5 MR. di MARZO: A lot of holes.

6 VICE-CHAIRMAN WALLIS: Using jets which  
7 are likely to produce --

8 MR. di MARZO: That's right. So there are  
9 jets through all this --

10 VICE-CHAIRMAN WALLIS: Particularly  
11 through the lower colander.

12 MR. di MARZO: The lower colander is the  
13 first, and then --

14 VICE-CHAIRMAN WALLIS: You're not mixing  
15 in that lower volume.

16 MR. di MARZO: Absolutely. In this volume  
17 here there will be a lot of mixing, and there will be  
18 also mixing in the region in-between, this region here  
19 and this region here. So an analogy of what you're  
20 looking at is a distributed head, if you wish, with  
21 extremely strong resistance on the distribution, so  
22 that is a typical reasonably well distributed head in  
23 our way of putting it. So that's the configuration of  
24 the lower head, and that's why the idea is to use it  
25 as a backmix flow there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now let's move forward and concentrate on  
2 this picture here, which is again from Levenspiel.  
3 What we did is this; we took an F function. An F  
4 function is essentially a step going from zero to one  
5 at time zero, and we fed that into RELAP, into the  
6 model of RELAP as presented. So as this step function  
7 goes through that one volume that represents the lower  
8 head, we measured the output out of the RELAP  
9 calculation. That output is this thick line over  
10 here. Okay. If you put that in the context of this  
11 picture, you can see that this line here is very close  
12 to the backmix flow line, which has a dispersion of  
13 infinity. In other words, it's a completely mixed  
14 volume. In any case, it's in a region where you will  
15 say there is a large amount of dispersion, or a large  
16 amount of mixes.

17           Now as far as the reactor vessel goes,  
18 where you basically have the stack of nodes, we did  
19 the same problem. We essentially sent a step function  
20 through, and we look at how this is mixed as it moves  
21 through. We compared that solution with a solution  
22 given out by G.I. Taylor of a flow of a certain  
23 concentration following a flow of a different  
24 concentration, and we compare the result of RELAP with  
25 the results of the theoretical case. And again we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 find low levels of dispersion. In other words, we are  
2 in a situation close to this line over here, between  
3 this line over here, but less.

4 VICE-CHAIRMAN WALLIS: Since RELAP models  
5 complete mixing - doesn't it - why doesn't it lie on  
6 the line?

7 MR. di MARZO: Because when you have a  
8 stack of nodes, basically it's like having a series of  
9 --

10 VICE-CHAIRMAN WALLIS: A stack of nodes.

11 MR. di MARZO: It's a stack of nodes, so  
12 in that sense you get something -- your arithmetical  
13 diffusion but --

14 VICE-CHAIRMAN WALLIS: This the lower  
15 plenum plus the downcomer?

16 MR. di MARZO: No, this is just the  
17 vessel, inside the core. Inside the core there are  
18 only channels. Channels behave --

19 VICE-CHAIRMAN WALLIS: It says lower head,  
20 that's why I was asking.

21 MR. di MARZO: The lower head behaves like  
22 this. Okay. Which is a fully mixed volume. The  
23 channels in the core behave like this line here.

24 VICE-CHAIRMAN WALLIS: I just wondered why  
25 that doesn't follow the --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. di MARZO: Because it's a stack of  
2 nodes. It's not just one -- the lower head is only  
3 one node.

4 VICE-CHAIRMAN WALLIS: And it's mixed.

5 MEMBER ROSEN: It's very totally mixed.

6 VICE-CHAIRMAN WALLIS: I'm just puzzled by  
7 why RELAP doesn't run exactly along the theory, since  
8 it's modeling a mixed node.

9 MR. di MARZO: That I do not know, but the  
10 problem is this - I just took the answer that RELAP  
11 was giving, because there are options in RELAP, and I  
12 don't know -- it must have been exercised in that  
13 particular node, so I do not know. But what I know is  
14 what comes out of it. And looking at that response,  
15 essentially what it does is what's depicted here.

16 MEMBER ROSEN: Now what you're saying is  
17 that in the core now there's very little mixing. It's  
18 axial flow.

19 MR. di MARZO: Right.

20 MEMBER ROSEN: No cross-flow, very little  
21 cross-flow.

22 MR. di MARZO: Very little according to  
23 RELAP. Remember, this is only what RELAP does. Now  
24 in the lower head we have total mixing according to  
25 RELAP again. The downcomer is not present in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 model formulated by RELAP5 in that supply to PARCS.  
2 So the only way you can represent it in that model is  
3 essentially a plug flow, because it's just missing.  
4 So that's basically the model that has been coupled  
5 with PARCS. That's what's there. I'm just simply  
6 using these simple mathematical tools to explain what  
7 RELAP is doing; no more, no less. No attempt to say  
8 it's right or wrong. It's just something like this.

9 Now on the other end, we have performed  
10 experiment at Maryland, actually it wasn't even me, it  
11 was another crew when I was not into the project any  
12 more, in the framework of a CS&I experiment, where  
13 essentially front was sent through the cold leg, went  
14 down the downcomer, and then was measured at that  
15 elevation. In research there was a CFD computation  
16 performed of the same geometry, exact same geometry of  
17 the experiment for all the downcomer, the lower head,  
18 up to the core entrance. Those two --

19 MEMBER RANSOM: This is a model of the  
20 Babcock & Wilcox system. Right?

21 MR. di MARZO: It is a model of the  
22 Maryland facility, which is a model of the Babcock &  
23 Wilcox.

24 MEMBER RANSOM: Okay. Right.

25 MR. di MARZO: And the results I have, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 in the interest of time, I'm going to move on and not  
2 show. But basically, those two -- the CFD computation  
3 and the Maryland experiment are in extreme agreement.  
4 There's very good representation of that.

5 So here what you have is the simplified  
6 model where there is a totally unmixed downcomer, and  
7 then there is a fully mixed lower head going to the  
8 core. And superimposed on this is the CFD  
9 calculation.

10 Now what these bars represent is the  
11 distribution that you have about that difference,  
12 about that -- remember, this is just a location across  
13 the entrance of the core, so there's a distribution.

14 VICE-CHAIRMAN WALLIS: No experiment in  
15 this --

16 MEMBER RANSOM: That's data you're talking  
17 about.

18 MR. di MARZO: This is CFD calculation  
19 validated against data.

20 VICE-CHAIRMAN WALLIS: No, against the MM.  
21 It's the MM versus CFD. The experiment must be  
22 somewhere else.

23 MR. di MARZO: Yes, you want to see the  
24 experiment --

25 VICE-CHAIRMAN WALLIS: It's not shown in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that figure.

2 MR. di MARZO: It's not showing in that  
3 figure, but I can go --

4 VICE-CHAIRMAN WALLIS: No. I'm just  
5 pointing out that you haven't said over there, but  
6 it's not --

7 MEMBER SIEBER: We did it already.

8 MR. di MARZO: You did it already. Okay.

9 MEMBER RANSOM: For the error bars or just  
10 from the CFD calculation?

11 MR. di MARZO: The error bars to the CFD  
12 calculation. Okay. Now refer to the previous  
13 presentation. What it is that gets you into trouble  
14 here are two things; is the magnitude of the slug, and  
15 essentially how low does it go in terms of Boron  
16 concentration, one. But most important is the  
17 sharpness of the entering flow.

18 Now in the model that we have used to  
19 generate the input that generated the result that  
20 you've just seen, basically we used a black line and  
21 look how sharp the entering slug is compared to what  
22 it would be if you use a less conservative, if you  
23 wish, approach of using the CFD calculation. So that  
24 already there introduces a quite conservative element  
25 in the results that you're getting.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE-CHAIRMAN WALLIS: I suppose they  
2 could be sharp if you actually use those error bars.  
3 You could create a --

4                   MR. di MARZO: You could go there, and  
5 then if you use the top --

6                   VICE-CHAIRMAN WALLIS: No, use the top of  
7 one, and then you zip down to the bottom of the other.

8                   MR. di MARZO: What does it -- what the  
9 error bar means is this; is essentially 10 percent of  
10 -- there are fingers of high concentration and low  
11 concentration. That's basically what that means. Now  
12 on the low end we bound the lower edges of those  
13 concentrations, and so essentially we are conservative  
14 again. So this representation is a very simplistic  
15 mathematical representation, has the feature of adding  
16 a sharper edge here, and has the feature of adding a  
17 low concentration over here. So in a sense, it's very  
18 simply. It enables us to port it from this use scale  
19 to the large scale because the only argument we have  
20 to make is volumes, and therefore, we use that as  
21 input to the RELAP/PARCS computation. So that is what  
22 we are doing for the vessel.

23                   Now the first -- we've seen the  
24 conclusion, but what we have said is that the model  
25 that's present in PARCS/RELAP is reasonable, albeit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conservative with respect to what reality could be, at  
2 least for the data and the computation that we're  
3 performing.

4 Now we have to solve the problem of what  
5 do we feed to the downcomer. And that depends on a  
6 variety of initial conditions. You start the pump,  
7 you start the - whatever the situation, where the slug  
8 is, and how do you form the slug and all these things.  
9 So in order to do that, we conducted a series of  
10 experiments again at Maryland, and they were based on  
11 a set of assumptions. And the assumptions were as  
12 follows; this is the steam generator, the lower  
13 portion of the steam generator. This is the steam  
14 generator outer plenum, and these are the two legs.  
15 So for the pump case, this pump will be activated and  
16 essentially will draw from the tubes and we also draw  
17 from the other side, typically. So what we're trying  
18 to establish here is can we use simple models like  
19 before in order to represent this situation. And the  
20 idea is to use plug flow in the PARCS, because PARCS  
21 do not mix much. And to use instead completely mixed  
22 volumes in the steam generator outer plenum, because  
23 there are two effects here that comes into play.  
24 First, the flow comes out of all the tubes, and those  
25 are again jets coming into the plenum; and therefore,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 enhanced mixing. And second, there is flow from the  
2 adjacent leg coming in and mixing, stirring up the  
3 volume as well. So this will be a fully mixed volume.

4 The other fully mixed volume is the volume  
5 of the pump. Now there is nothing magic about the  
6 volume of the pump. It's just an assumption; the idea  
7 being that the pumping pellet being moving or  
8 addressed will generate some vorticity and therefore  
9 some mixing in the flow downstream. The equivalents  
10 of all this mixing is a fully mixed volume of the  
11 pump. That's just the assumption that we're making.  
12 So we made these two basic assumptions, and then we  
13 ran a test. And I have the results of the test if you  
14 want, but basically we activated the pump and measured  
15 what was going through. And then we calculated with  
16 this simple model that they explained to you what  
17 happens, and the front of the slug, which is here at  
18 this point as you activate the pump, we go only  
19 through the pump, so the mixing that the front  
20 experienced is only one mixing volume, the volume of  
21 the pump. Therefore, it maintains its sharpness.  
22 Depending on the slug, which is back into the steam  
23 generator on the other end experience mixing because  
24 it goes through the steam generator outer plenum  
25 first, and then through the pump second, so it's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 much more slanted-type process. What we get is this  
2 line.

3 VICE-CHAIRMAN WALLIS: That's your  
4 measurement at the outlet site.

5 MR. di MARZO: Yes, the dots are the  
6 measurement at the outlet pipe. And the line is what  
7 you get from -- these are close form solution of the  
8 same equation that I showed you on the very first  
9 slide. And again, I've got the case if you want.

10 So this gives me a tool to predict the  
11 input to the calculation, so that's basically the  
12 methodology of the tools that were used to generate  
13 the results that David Diamond just showed you for a  
14 variety of conditions.

15 VICE-CHAIRMAN WALLIS: This is also a peer  
16 review document, and --

17 MR. di MARZO: This is -- right.

18 MEMBER RANSOM: This has got the  
19 equivalent of an ACRS standing ovation silence.

20 MEMBER POWERS: That's the best thing that  
21 could happen to you.

22 MR. di MARZO: These are my conclusions.  
23 So the RELAP/PARCS model for the in-vessel mixing is  
24 reasonable, albeit conservative. These mixing models  
25 are used to generate the boundary condition to it, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 basically what we do with that, we fill them in the  
2 time dependent volume, that's at the bottom of -- the  
3 input of the RELAP code, as shown.

4 MEMBER RANSOM: Thank you. I think this  
5 was really the key behind resolution of this issue,  
6 because all of the work that had been done in the past  
7 that brought this issue to the front assumed plug flow  
8 throughout, so the step change, instantaneous entrance  
9 to the core, and that did create reactivity transients  
10 that would bring about core damage, and so this was a  
11 very important contribution I think, and it adds  
12 realism, as well as still some conservatism to the  
13 analysis. So thank you.

14 VICE-CHAIRMAN WALLIS: If he had also done  
15 the other extreme, like putting in a slug with no  
16 mixing, it's showing that that gave a bigger  
17 reactivity transient. So you didn't do that actually,  
18 you just put in a more realistic one. It's perfectly  
19 okay, just careful about the word "conservative" if  
20 you didn't do the alternative thing -- it's been done  
21 before. You did it, that's right.

22 MR. ROSENTHAL: Right. And they use a  
23 point kinetics, we used a 3D kinetics model. In my  
24 branch, of course we do reactor physics and we do  
25 thermohydraulics code development. I also have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 substantial fuel program underway. And Ralph Meyer  
2 sits on the other side of a partition from me.

3 MEMBER ROSEN: Never heard of him.

4 MR. ROSENTHAL: It would have been I think  
5 improper to use the regulatory limits on acceptable  
6 fuel enthalpy deposition when research itself had  
7 issued a letter to NRR, and we're working with NRR  
8 advising them for high burn-up fuel, the permissible  
9 enthalpy deposition in a reactivity insertion event,  
10 you have an injected rod specifically might well be  
11 lower. Dana, of course, is familiar with that work,  
12 and I asked Ralph to come down, Dana, because I  
13 thought that he might be able to better answer  
14 questions on relative fuel time constants, et cetera,  
15 than I am.

16 MEMBER POWERS: Ralph, the question that  
17 I have posed is that in the course of discussing this  
18 resolution some power inputs to the fuel over  
19 relatively long time schedules compared to what we're  
20 used to for reactivity transients are predicted, but  
21 -- and there was a confidence that this was okay. And  
22 the articulated basis of that confidence was the 280  
23 calorie per gram geriatric criterion. And that's only  
24 one issue.

25 The other issue is that it seems to me the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 analyses have been done not looking at the most  
2 pathological configuration of fuel; that is, the  
3 configuration that was examined, clearly the most  
4 energetic events occur in the fresh fuel, but the  
5 question is what about adjacent assemblies that have  
6 some burn-up, the adjacent assemblies that were  
7 examined had rods in them. So one obviously asks the  
8 question what happens if the adjacent burned-up  
9 assemblies don't have rods in them. And so I guess  
10 the question being put to you is, is it, in fact, okay  
11 to have a fairly potent energy inputs to fuel rods  
12 that over some protracted period of time - well,  
13 protracted, of course, is measured in seconds, but not  
14 measured in milliseconds - and how do you know? And  
15 not necessarily single impulses, but multiple  
16 impulses.

17 MR. MEYER: Okay. I'm Ralph Meyer from  
18 NRC's Research Office. Harold showed me out in the  
19 hall before I came in, showed me slide 11 in David  
20 Diamond's presentation, and pointed out the two pulses  
21 that you were thinking about. The first one was the  
22 initial pulse, which is very sharp, but had an energy  
23 content of something on the order of 40 calories per  
24 gram.

25 Now at 40 calories per gram, we know from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 test pulse experiments that 40 calories per gram is  
2 not sufficient to cause cladding failure or crack in  
3 the cladding, or perforation of the cladding in any  
4 way. So I would say that you can rule out any concern  
5 over that initial spike, because the energy content is  
6 too low.

7 The next one that Harold points out is  
8 very broad, if I'm looking at the right figure, and  
9 has a peak fuel enthalpy of 180 calories per gram.  
10 Okay. So you can see that on the scale here on the  
11 right-hand side. And as you mentioned, Dana, it's the  
12 half-width of this pulse, the full width at half-  
13 maximum is several seconds.

14 MEMBER POWERS: I'm not sure that's a good  
15 measure for this particular scenario. I don't think  
16 you want the half-width - I mean, pulse width at half-  
17 height. I think you want the ramp time here.

18 MR. MEYER: Well, you want the which?

19 MEMBER POWERS: The ramp, how fast you get  
20 up to the peak. And it's over 2 seconds. It's slow.

21 MR. MEYER: Actually, what matters is how  
22 much time elapses until you cause a failure of the  
23 cladding, and now it depends on several variables, and  
24 we could talk about whether this is high burn-up fuel  
25 or low burn-up fuel, whether it is heavily corroded or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lightly corroded. And all of those would make a  
2 difference --

3 CHAIRMAN BONACA: This is fresh fuel.  
4 Right?

5 MEMBER POWERS: It's fresh fuel.

6 MR. MEYER: I can't guarantee the loading  
7 pattern, so for the purpose of this meeting you have  
8 to assume that the enthalpy deposition that we're  
9 showing in the fresh fuel, in fact, could conceivably  
10 occur in burned fuel where we know the limit is lower.

11 MEMBER ROSEN: Typically in accord with a  
12 thrice burning fuel, this would -- the beginning of  
13 the third cycle.

14 MEMBER SIEBER: But the key point is that  
15 the fuel after it goes through this transient has to  
16 only be in coolable geometry, and so that's a  
17 different criteria than the burn-up one, and enthalpy  
18 limits that we're talking about here.

19 MR. BESETTE: Actually, there's only  
20 really one pulse in this event. And basically, you're  
21 sitting around 100 percent power, and you heat up over  
22 the course of about 5 seconds. And, in fact, these  
23 other things you start to think about, and most  
24 importantly, some of these rods end up in DNB for a  
25 period of 10 seconds or more. So you're no longer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dealing with a reactivity pulse after 8 seconds or so,  
2 you're dealing more with a --

3 MR. MEYER: The thing that we're really --  
4 that's relevant. And the thing that we're really  
5 concerned with here is not the failure of the  
6 cladding, but whether you're going to eject fuel in a  
7 manner that would cause a fuel coolant interaction.

8 MEMBER SIEBER: That's right.

9 MR. MEYER: Because if you just lose a few  
10 fuel particles rolling out into the coolant, this is  
11 benign. And now that I see that picture clearly,  
12 we're not talking about 180 calories per gram, except  
13 in -- wait a minute.

14 CHAIRMAN BONACA: Some things that could  
15 be actually 20 percent above. That's an assembly-wise  
16 average enthalpy, as we heard before.

17 MR. MEYER: Okay. What I see in this  
18 figure is different from what I thought I heard from  
19 Harold, so maybe we're going to have to recalibrate  
20 here. Th is initial pulse reaches 180 calories per  
21 gram?

22 MEMBER ROSEN: No.

23 MR. MEYER: Is it the red line or the blue  
24 line that --

25 CHAIRMAN BONACA: Blue is --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MEYER: Oh, the blue line. Okay.  
2 Yes, yes, yes, yes. I see it now. I see it now.  
3 Okay. Yes. Okay, so now I see where the 40 is, now  
4 I see where the 180 is. And it's starting at hot  
5 conditions around 16 or 18 calories per gram. Okay.

6 The overriding factor is the time here,  
7 and the dispersal of fuel is going to require one of  
8 two things. It's going to require either enough fuel  
9 enthalpy to cause significant melting, which we know  
10 from experimental work is about 230 calories per gram,  
11 so we're nowhere near that; or it's going to require  
12 a lot of fission gas on the grain boundaries, which  
13 can only come from high burn-up.

14 MEMBER SIEBER: Right.

15 MR. MEYER: And a narrow pulse with a fuel  
16 enthalpy of greater than about 80 calories per gram.  
17 Now what you have is a very broad pulse with a fuel  
18 enthalpy of 180 calories per gram. This pulse may  
19 result in cladding damage and cladding failure from a  
20 high temperature excursion, but based on the test  
21 results, would not be expected to drive hot fuel  
22 particles into the coolant, so it would be benign.

23 MR. ROSENTHAL: Maybe we should stop at  
24 this point and just summarize, because we're not doing  
25 frap tran analysis as we sit here, but we will be able

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to couple that in a year or two, and do an integrated  
2 total picture. Okay. So what we've argued is that  
3 for CNE and Westinghouse plants, just based on the  
4 size of the piping, you don't have a recriticality.  
5 You can dismiss the event. But B&W plants, it's an  
6 issue, not for raised loop, for lower loop plants, the  
7 majority of the plants.

8 We've argued that the likelihood of the  
9 event is reasonably low. Should we have that event,  
10 I can end up in natural circulation for which we've  
11 mechanistically shown that we've have low enthalpy  
12 deposition, and the fuel will survive.

13 I cannot be dispositive that for the  
14 perverse pump case that I won't damage some fuel.  
15 We've argued that the damage of that fuel would be  
16 limited in radial and axial extent, and coolable and  
17 with ECCS available by virtue of the scenario we're  
18 talking about here. So for the one case where I  
19 cannot be dispositive, the B&W pump case, we know that  
20 there are procedures that have been put into their  
21 EOPs, and the bases document explains why they're  
22 there, and that's the basis that we think that no  
23 further action is necessary.

24 MEMBER ROSEN: The only thing I can  
25 quarrel with with all of this is the use of the word

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 "benign" when one talks about this event. It would be  
2 a very unbenign thing for the plant manager and his  
3 staff.

4 MEMBER SIEBER: Yes, but getting there is  
5 --

6 MEMBER ROSEN: I think I know what you  
7 mean, but it's not a benign thing.

8 MEMBER POWERS: Getting there is not  
9 benign either.

10 CHAIRMAN BONACA: Vic, are you going to  
11 wrap it up?

12 MEMBER RANSOM: I think we're through.

13 MEMBER POWERS: Very good. I guess I  
14 still have one question. I have a lot of questions,  
15 but I'll ask one question. The famous blue line here  
16 which isn't that some place in Baltimore - reflects an  
17 assembly average the worst broad looking line.

18 MEMBER DENNING: The black line, that's  
19 not assembly average.

20 MEMBER POWERS: Oh, that's not the  
21 assembly average.

22 CHAIRMAN BONACA: Well, we were told it  
23 was assembly average.

24 MR. MEYER: I said there was a difference  
25 of about 20 percent.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Okay. So the assembly  
2 average would be lower than that, and the 20 percent  
3 is added on top. Okay.

4 MEMBER SHACK: But Jack's slide said that  
5 you will get some fuel melting, center line melting.

6 MEMBER SIEBER: That's right. That's  
7 where the hotter --

8 MR. MEYER: Let me comment on that because  
9 we have experimental data for fairly narrow pulses  
10 that address this. And I'll just repeat it again.  
11 You've got to get about 230 calories per gram in  
12 there, which would involve already some incipient  
13 melting which may start around 150 calories per gram;  
14 but we know experimentally that you need over 200  
15 before you start really breaking up the fuel, and  
16 putting small pieces into the coolant.

17 MR. ROSENTHAL: The last thing I'm  
18 reminded that we've made a reasonable technical,  
19 multi-discipline case, and what we need from the ACRS  
20 is a letter.

21 MEMBER RANSOM: Thank you, Mr. Chairman.

22 CHAIRMAN BONACA: Okay. Thank you. If we  
23 have enough time at this meeting, we'll have a letter.  
24 We're struggling with that. You will have a letter  
25 from us. Okay. We still have one presentation on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 agenda, and as I said, at 6:00 I'm going to head out,  
2 and we need to absolutely have a discussion tonight  
3 about some issue, so we'll try to do the best we can  
4 with the next presentation.

5 MEMBER SHACK: We have one hour. Is that  
6 what you're saying, Mario?

7 CHAIRMAN BONACA: Yes, we have just about  
8 one hour. And if we need two, then we'll have to  
9 postpone the rest of the presentation.

10 MEMBER SIEBER: I'll give the  
11 introduction, by the way, in an effort to cut off at  
12 the pass things we've already -- are we ready to  
13 begin?

14 CHAIRMAN BONACA: Yes.

15 MEMBER SIEBER: Thank you. Our last  
16 subject today is a review of a document that is  
17 provided to each of us at Tab 5 in our books, which is  
18 a draft NUREG entitled FX-XXX, that reports on the  
19 analysis of the results of the pilot program along  
20 with six recommendations that the staff believes  
21 should be incorporated into a final mitigating system  
22 performance indicator program.

23 I would point out that this project has  
24 been going on since September, 2002, and originally  
25 started in 1999 when Chairman Jackson gave the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 suggestions that the regulations be risk-informed.  
2 One of the early projects was the development of the  
3 ROP, which relies first on inspection findings which  
4 through the significance determination process are  
5 color-coded for risk-importance, and performance  
6 indicators which initially were not risk-informed and,  
7 therefore, did not meet the original guidance where  
8 risk information was to be used to the extent  
9 possible.

10 In the Mitigating System Performance  
11 Indicators area, there was a safety system  
12 unavailability which for PWRs tracked the  
13 unavailability of high head injection, low head  
14 injection, RHR, diesel generator, service water, and  
15 so forth in the equivalent pieces of equipment for  
16 BWRs, HPSI, RCSI and emergency power and so forth. So  
17 you ended up in the Mitigating or in the safety system  
18 unavailability indicator a number of indicators which  
19 now under the Mitigating System Performance Index will  
20 all be rolled into one.

21 The new proposed index, the development of  
22 that was started in September, 2002. We met twice on  
23 that as a subcommittee, and at one time had a full  
24 committee presentation to describe what those were.  
25 And briefly, the Mitigating System Performance

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Indicators are risk-informed. They are based on SPAR  
2 models which have been indexed to the plants' PRAs,  
3 and therefore, are plant-specific. And they really  
4 are a summation of the Birnbaum Importance Factors,  
5 and take into account both unavailability and  
6 unreliability of each of the components selected to be  
7 a part of this.

8           During the development phase, which lasted  
9 about six months, the basic structure of the index was  
10 developed and a 20 plant pilot program was begun,  
11 which again lasted for six months, during which a lot  
12 of Lessons Learned occurred, and now we have this  
13 draft NUREG which I'm sure we've all read, and I have  
14 read it. And it provides a number of suggestions,  
15 many of which were already transmitted to us  
16 previously; the idea of front stops and back stops,  
17 and sensitive and unsensitive parameters were  
18 important factors that have been known for probably  
19 about a year now, and incorporated into the process.  
20 So what we'd like to do this afternoon is to review  
21 the draft NUREG report which is the analysis of the  
22 results of the pilot program, and see the extent to  
23 which the MSPI is now ready for integration into the  
24 ROP.

25           I would point out that the ROP does not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 represent anything safety-related or safety-  
2 significant. It is an administrative tool that is an  
3 outcome of the ROP action matrix to guide the staff in  
4 allocation of resources toward licensees. So from  
5 that standpoint, the MSPI may not and need not be  
6 perfect in every respect, but suitable for the purpose  
7 for which it's intended, which is the operation of the  
8 inspection and enforcement part of the Commission's  
9 mission.

10 So with that, Pat, I think you can  
11 proceed. Anything I've covered, you may skip because  
12 we must end at 6 p.m. The microphones are shut off at  
13 6 p.m.

14 MR. BARANOWSKY: Okay. I am Patrick  
15 Baranowsky, Chief of the Operating Experience Risk  
16 Analysis Branch, and I have Donald Dube, who is a  
17 Senior Risk Analyst in my branch here who will talk  
18 about the MSPI, and Stu Richards from NRR's Inspection  
19 Program Branch who will talk about implementation  
20 issues. And I'd like to thank you for the  
21 introduction because it's going to make my job a lot  
22 easier. I don't have to repeat things that you said,  
23 and we will move along accordingly.

24 We are going to give you the status of  
25 implementation. Stu will actually present that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We're going to go over a few technical issues that  
2 were still open, I think, at the last meeting. You  
3 did have the report which provides a fairly  
4 significant discussion of those issues. And at the  
5 end, we want to talk about having a letter from the  
6 ACRS. So this is the content. We made a few changes  
7 in order here. I'm going to do the MSPI overview, Don  
8 will do the technical discussion, I'll get back to the  
9 summary, and at the very end we'll follow-up with the  
10 implementation issues.

11 We think that the work that we've done  
12 indicates that the MSPI is a robust performance  
13 indicator that can differentiate risk-significant  
14 changes in system performance, and is reasonable for  
15 the intended application. It's been tested, evaluated  
16 through the pilot program, as you mentioned. We have  
17 a good understanding of its characteristics, its  
18 strengths, its limitations, and we have pretty  
19 significant documentation on all the issues that are  
20 associated with MSPI that we did quite a bit of study  
21 on during and after the pilot, and that's in the  
22 report that we sent.

23 We think it's pretty clear that the  
24 indicator is a better measure of system performance  
25 for many reasons than the safety system unavailability

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 indicator, and that it addresses the known problems of  
2 the safety system unavailability indicator.

3 I'm not going to go all the history that  
4 John gave a great discussion on, but I do want to  
5 mention that the MSPI was formulated to address known  
6 issues with the safety system performance  
7 unavailability performance indicator, specifically the  
8 way fault exposure time was used, the fact that  
9 unreliability elements were not in the indicator.  
10 There were some definition differences and  
11 unavailability in that indicator, and some other  
12 indications, such as what's used in the Maintenance  
13 Rule and INPO WANO indicators. There was a cascading  
14 of failures using the SSU from support system to front  
15 line systems, which gave multiple hits for a single  
16 issue and was problematic in terms of dealing with the  
17 action matrix. And the thresholds were minimally  
18 risk-informed, and certainly not plant-specific, so we  
19 went through the history of developing the indicator,  
20 as discussed.

21 Our conclusions are that we've tested,  
22 evaluated this through a pilot program. I'm at the  
23 wrong thing. And now I go to Don. I' almost skipped  
24 the whole hour.

25 MR. DUBE: Thank you. I'll go through

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this quickly. The MSPI accounts for unavailability  
2 and unreliability which occur indicated as an I, and  
3 it uses the plant-specific PRA model to derive risk-  
4 important measures, so it really captures the plant-  
5 specific configuration and performance which the  
6 current indicator does not.

7 The data will be consistent with current  
8 PRA methods which is not necessarily the case of the  
9 current SSU, and will be consistent with the  
10 maintenance rule. The data will be integrated with  
11 the consolidated data entry program under INPO's  
12 jurisdiction, so it's going to be kind of a one-stop  
13 shopping for data. Licensees will send their data to  
14 INPO and it will be used for a number of things  
15 looking at equipment performance, system performance,  
16 but also part of it will be used for the MSPI.

17 MEMBER APOSTOLAKIS: I am a little bit  
18 surprised that you guys don't put as part of your  
19 advantages for going with MSPI the fact that, I think  
20 it addresses the - what flaw was that, fundamental  
21 flaw of the ROP. What do we call it, it was another  
22 adjective.

23 MEMBER SIEBER: Which one?

24 MEMBER APOSTOLAKIS: The ACRS identified  
25 a fundamental flaw, which was changing each indicator,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and then seeing what happens to CDF and then based on  
2 that, setting the thresholds. And we argued that you  
3 can't do it one at a time. You shouldn't be doing it  
4 one - because the core damage will not occur because  
5 one indicator or one unavailability went too high. It  
6 will be the combination of things. And I think by  
7 putting this Birnbaum measure there, you're actually  
8 addressing this issue.

9 MEMBER SIEBER: That's right.

10 MEMBER APOSTOLAKIS: And I would make a  
11 big deal out of it.

12 MR. DUBE: I would say an ACRS letter  
13 could make a big deal out of it.

14 MEMBER APOSTOLAKIS: No, but you go back  
15 to that letter. I mean, our major complaint in all  
16 the letters we've written on ROP has been that. You  
17 understand the issue?

18 MR. DUBE: Yes, I understand --

19 MEMBER SHACK: If you set the threshold  
20 based on this, you still have that problem, if you're  
21 looking at the -- if you use the Birnbaum, it  
22 integrates it, but you're still looking at the change  
23 due to this specific set of --

24 MR. BARANOWSKY: We are holding other  
25 factors constant.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER SHACK: Other factors constant.

2 MR. BARANOWSKY: We are holding them  
3 constant, but we're adjusting them to whatever they  
4 are at that time. They're not being held constant  
5 forever. They get updated --

6 MEMBER SIEBER: It's the combination of  
7 these factors that go in there.

8 MEMBER APOSTOLAKIS: But it's a step  
9 toward resolution of that.

10 MEMBER SIEBER: And rather than look at  
11 peer comparisons --

12 MEMBER APOSTOLAKIS: The other guys are on  
13 the PRA, so you better not refer to it.

14 MEMBER SIEBER: Rather than look at peer  
15 comparisons for green and white threshold, you're  
16 looking basically at risk information, which I think  
17 is an improvement. And that's certainly in there, and  
18 it's one of the features.

19 MEMBER APOSTOLAKIS: Do you have to tie  
20 this to train unavailability? Is it to be able to, as  
21 you say, be consistent with what other people are  
22 doing?

23 MEMBER SIEBER: It's train unavailability.

24 MR. DUBE: It's train unavailability --

25 MEMBER APOSTOLAKIS: I know what it is,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but does it have to be? It doesn't look like it has  
2 to be. I mean, it can be a component, internal  
3 component, couldn't it?

4 MEMBER SIEBER: There was arguments in the  
5 paper why it was better off being train rather than --

6 MEMBER APOSTOLAKIS: Well, one of the  
7 reasons is the Maintenance Rule, I think.

8 MEMBER SIEBER: Yes.

9 MR. DUBE: Won't have to collect extra  
10 data.

11 MR. BARANOWSKY: The way the formulation  
12 is, we could actually take any set of items in the  
13 plant. It doesn't make any difference whether it's  
14 trains, or components --

15 MEMBER SIEBER: And apply those.

16 MR. BARANOWSKY: So that's a kind of  
17 unique thing about it.

18 MEMBER APOSTOLAKIS: No, because you have  
19 some limitation that you don't include common cause  
20 failures. But if you went to a component level, then  
21 you could include it.

22 MR. BARANOWSKY: Well, we include common  
23 cause failure as a factor to recognize the importance  
24 of failures, but what we have trouble doing is taking  
25 a common cause failure event and as a result of it,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 making a change to the common cause failure  
2 parameters, because the time frame for updating  
3 information is too short to get a good estimate of the  
4 common cause parameter.

5 MEMBER SIEBER: One of the other factors  
6 is the back-stop provision in a way provides a  
7 mechanism so the common cause factors aren't  
8 overlooked all together for insensitive parameters.  
9 So even though it's sort of in the abstract there,  
10 there is a consideration, a process that must be gone  
11 through when people analyze what the MSPI really means  
12 as it's applied to the matrix for a given plant, as I  
13 see it.

14 MR. BARANOWSKY: Yes. The methodology  
15 presumes that common cause failures can be treated  
16 through correlations of single failures.

17 MEMBER SIEBER: Right.

18 MR. BARANOWSKY: But that the occurrence  
19 of a common cause failure where multiple components  
20 fail is so significant that we want to look at that  
21 separately, so we put that off to the significance  
22 determination process. It's a blend of things.

23 MEMBER SIEBER: And that's because the  
24 common cause failure of that nature is probably a  
25 cross-cutting event.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BARANOWSKY: Yes, it has big  
2 implications.

3 MEMBER SIEBER: That's right.

4 MEMBER SHACK: Well, the back-stop is also  
5 purely a performance measure.

6 MEMBER SIEBER: That's right.

7 MEMBER SHACK: So it does solve some of  
8 the problems that we originally had with the ROP.

9 MEMBER SIEBER: Yes.

10 MR. BARANOWSKY: Well, we were listening  
11 to you guys, and we --

12 MEMBER SIEBER: Well, the way I addressed  
13 all that in my draft letter was to say you have  
14 listened to and incorporated our comments in the past,  
15 which include all of these things.

16 MR. DUBE: I decided to use a layman's  
17 definition, so there are no equations here. But a  
18 good way to relate what the MSPI is, it's a measure of  
19 the deviation of plant system unavailability and  
20 component unreliabilities from historical baseline  
21 values, so you have HPSI pump unreliability at a  
22 plant, minus a historical value. If it's positive,  
23 that's bad because unreliability of that pump at the  
24 plant is worse than the industry norm. But we can  
25 relate unavailability and unreliability by their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 important, their risk-importance, so that factor, if  
2 you will, that coefficient is what relates  
3 unavailability and unreliability, and makes them an  
4 apple-to-apple comparison, which I think is somewhat  
5 unique. And then we can also compare the importance  
6 of a pump in a system, or the valve in a system again  
7 by the importance, weighting by the importance  
8 measure. So it's an interesting way to combine  
9 unavailability and unreliability into a single system  
10 measure.

11 MEMBER SIEBER: The valves have been  
12 excluded from the analysis.

13 MR. DUBE: Well, low risk important valves  
14 can be excluded, because --

15 MEMBER SIEBER: Even though they're  
16 active.

17 MR. DUBE: Yes, because we determined that  
18 if we excluded low risk important valves, it would not  
19 change the index by any measurable amount. It would  
20 be insignificant.

21 MEMBER SIEBER: Just so that's clear.

22 MR. DUBE: And so in that way, if a valve  
23 is important to the PRA results it will be included.  
24 If it's below some truncation level, some threshold,  
25 we decided that the cost of collecting the data did

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not outweigh whatever impact it had on the MSPI.

2 MEMBER SIEBER: Right.

3 MR. DUBE: It would leave out.

4 MEMBER ROSEN: The low risk importance of  
5 a valve is known in every plant? I mean, the risk  
6 importance of each valve?

7 MR. DUBE: There's a threshold. It would  
8 be a Birnbaum of 10 to the minus 6, so licensees will  
9 calculate this, and if they're below -- if a valve is  
10 below it, they can leave it out of the system.

11 MEMBER ROSEN: I'm trying to get to the  
12 question of is there a plant out there still who is so  
13 non-PRA informed that they can't tell you the risk  
14 importance of their valves?

15 MR. DUBE: No, they should all have it.

16 MEMBER ROSEN: They all have them.

17 MR. DUBE: Yes.

18 MEMBER ROSEN: Maintenance Rule forced  
19 that.

20 MR. DUBE: Oh, yes, definitely.

21 MR. BARANOWSKY: Where or not their PRA is  
22 complete --

23 MR. DUBE: It can be easily calculated.

24 MR. BARANOWSKY: Yes, whether the PRA is  
25 adequate or not, we have an issue on that. But they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have something.

2 MEMBER SIEBER: That's for another day.

3 MR. DUBE: So I'm on the technical  
4 approach, I'll go quickly. But basically, I mentioned  
5 it before - it's an approximate change in CDF, and  
6 it's not an exact because it's tail expansion, if you  
7 will, and we're only using the first term, and there  
8 are other terms. But for what we're looking at, which  
9 is trying to look at deviation of system performance  
10 from the norm, we feel that it does a good job. It  
11 includes unavailability and unreliability, and as I  
12 said before, it accounts for plant-specific features,  
13 and plant-specific core damage frequency.

14 MEMBER RANSOM: Is the baseline that it's  
15 compared to plant-specific, or is that an industry  
16 baseline?

17 MR. DUBE: Industry baseline, generic  
18 industry baseline on unreliability.

19 MEMBER SIEBER: The system and component  
20 level depends on whether you're talking  
21 unavailability of unreliability.

22 MR. DUBE: Yes, there are some  
23 differences, but basically it's generic industry data.

24 MEMBER APOSTOLAKIS: Let me understand  
25 that a little better. Aren't you updating as you go?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes.

2 MR. DUBE: No, we're using data that's  
3 roughly representative of 1995 to 1997 industry  
4 performance which has been deemed by policy to be  
5 acceptable.

6 MR. BARANOWSKY: Plus the standard that  
7 was set during the ROP development, the Commission  
8 actually bought into that. And even though we're  
9 using data that's more current, what we've done is  
10 benchmarked it to see whether it's -- it's a little  
11 bit conservative, so we got somewhat conservative  
12 improvement over that '95 to '97.

13 MEMBER APOSTOLAKIS: So the SPAR model is  
14 plant-specific only in the sense of the full event is  
15 being plant-specific.

16 MR. DUBE: SPAR models currently don't  
17 have plant-specific failure rates. It could. That's  
18 the next step.

19 MR. BARANOWSKY: And when we put the MPSI  
20 data in, that is plant-specific failure rates, and  
21 then we compare that to the baseline, which is a  
22 generic number of '95 to '97 time frame.

23 MEMBER SIEBER: But the SPAR models have  
24 been benchmarked and are within a factor of 2 to 4 of  
25 the plant's PRAs as I understand it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. DUBE: WE've had a major effort on  
2 that.

3 MR. BARANOWSKY: Yes. We're actually able  
4 to get a lot closer but where we are factors of 2 to  
5 4, we've identified the factors within the models that  
6 cause that difference, and that's part of our PRA  
7 adequacy resolution activity to get those things  
8 worked out.

9 MEMBER SIEBER: But this has been  
10 addressed by the staff as an issue.

11 MR. BARANOWSKY: Yes.

12 MEMBER SIEBER: An ongoing issue in the  
13 development of the MSPI.

14 MR. BARANOWSKY: Yes.

15 MEMBER SIEBER: And it's in-hand now.

16 MR. BARANOWSKY: Yes.

17 MR. DUBE: These are the systems, I won't  
18 spend any time, but it's basically high pressure  
19 systems, aux feed. Generally, the most risk-important  
20 systems. And what we have that's not in the current  
21 ROP are support system cooling water systems, service  
22 water, emergency service water, component cooling  
23 water.

24 Now I'm going to shift over to the  
25 resolution of the key technical issues. Some of them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we've discussed before, but we've reached a decision  
2 on these, both the NRC as an agency, as well as the  
3 working group with the industry.

4 Velocity behind the front stop is that  
5 expected performance variation should not result in  
6 crossing a performance threshold. In other words,  
7 there is some distribution, a component, an  
8 automobile, a pump, there's some normal distribution  
9 to failure rates, and within some range, one would  
10 expect some variation. And just because it's slightly  
11 worse than average, or slightly better than average,  
12 that's a normal expected variation.

13 MEMBER SHACK: But why didn't you define  
14 the front stop as sort of the inverse of the back  
15 stop? I mean, you defined the back stop in exactly  
16 the way I thought you would. You would look at sort  
17 of the number of failures you would expect to get, and  
18 if you got more failures, you knew you had a problem.  
19 Here, why didn't you do it in the same way - define  
20 the sort of number of failures you expected to get,  
21 and accept it. And you somehow introduce this  
22 artificial capping or the risk cap, and I can't quite  
23 figure out --

24 MR. DUBE: Well, because the expected  
25 number of failures typically is like .1 or .2 on many

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 components on many systems, so --

2 MEMBER SIEBER: And it can result in a  
3 risk number greater than what you would normally  
4 expect, and that's why the cap is there.

5 MEMBER SHACK: So you're really saying  
6 that one is the smallest integer that corresponds  
7 really to what you're expecting there is.

8 MEMBER SIEBER: Right.

9 MR. DUBE: That's the challenge.

10 MEMBER SHACK: That's the challenge.  
11 Okay. That's reasonable enough.

12 MR. DUBE: So the front stop is a  
13 mechanism and it is just that it minimizes the  
14 likelihood that one failure or one failure beyond  
15 baseline, which is generally about one or two, in a  
16 three-year period results in white. But we built into  
17 this the allowance that the index could still become  
18 white with one or even zero failures if there's  
19 significant system unavailability, so I mean it was --  
20 there's so many degrees of freedom, but we built into  
21 it an allowance that even with the front stop, if the  
22 particular system had a large amount of  
23 unavailability, it would still become white. And  
24 that's why we thought it was a better mechanism than  
25 having a white failure, a hard and fast one failure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not be white, and so we think it's kind of the best of  
2 all worlds.

3 So a decision has been made to move  
4 forward with the front stop. It's one of the  
5 recommendations in the NUREG report.

6 MEMBER SHACK: They're going to still do  
7 an SDP on that failure. Right?

8 MR. DUBE: Yes. That was the big  
9 difference between four months ago, six months ago  
10 when we met and now.

11 The back stop is a recognition that there  
12 are some lower risk significant components, but the  
13 algorithm would allow a large number of failures  
14 before it turned white, but we just didn't feel that  
15 that was appropriate, so the back stop is a mechanism  
16 that results in white if a component type exhibits a  
17 statistically significant departure from the expected  
18 number of failures in a three-year period, regardless  
19 of risk-significance.

20 And just quickly moving on - the decision  
21 has been made to move forward with the back stop as  
22 recommended. And actually, there wasn't any  
23 controversy on that.

24 MEMBER SIEBER: Yes. ON the other hand,  
25 that does take you out of the risk-informed area,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       except to the extent that it deals tangentially with  
2       a common cause failure, but it takes some management  
3       insight to get there in each case.

4               MR. BARANOWSKY: I think but everybody  
5       agreed that when you have performance that's degraded  
6       to that extent, it's hard to say it's just oh, one  
7       component. There may be a lot more to it, and so  
8       pretty much agreement, industry and everybody else  
9       that that's something that we want to correct.

10              MEMBER APOSTOLAKIS: Let's go back to what  
11       Don just said, that if there is a statistically  
12       significant deviation from what's expected, it moves  
13       on to white, so it's not tied to CDF then.

14              MEMBER SIEBER: No, it's not --

15              MR. DUBE: The back stop is performance-  
16       based.

17              MEMBER SIEBER: It's not risk-informed.

18              MEMBER APOSTOLAKIS: So it's really  
19       performance-based, which is good.

20              MR. DUBE: And it's an or situation. You  
21       could turn white --

22              MEMBER APOSTOLAKIS: Which is what -- we  
23       also argued that.

24              MEMBER SIEBER: That's right.

25              MR. DUBE: It could turn white because you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 exceed the CDF threshold, or it could turn white if  
2 you exceed the performance-based back stop.

3 MEMBER APOSTOLAKIS: Now from the pilots,  
4 which one did you see dominating?

5 MR. DUBE: Well, we designed the back stop  
6 so that it would be invoked infrequently, and we  
7 didn't see it - we came very close. San Onofri had a  
8 back stop limit on the salt water pumps of seven, I  
9 believe, and they had six failures in a three-year  
10 period. They could still get that seventh one  
11 sometime in the future.

12 MEMBER APOSTOLAKIS: So the delta CDF.

13 MR. DUBE: Was low.

14 MEMBER APOSTOLAKIS: No, my question is  
15 there are two ways of getting into white, as I  
16 understand.

17 MR. DUBE: Yes. Delta CDF.

18 MEMBER APOSTOLAKIS: Delta CDF, and the  
19 other is the deviation.

20 MR. DUBE: Or the deviation.

21 MEMBER SIEBER: Or the back stop. Yes.

22 MEMBER APOSTOLAKIS: And you say that the  
23 Delta CDF was the one that put it to white --

24 MR. DUBE: Most of the time in the pilot,  
25 yes. And the back stops invoked a fraction of --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: But isn't that a  
2 little strange?

3 MEMBER SHACK: Well, they have a fairly  
4 high -- you know, that would be one thing I'd quibble  
5 over is you're asking for a lot of statistical  
6 confidence. I don't know how you came up with those  
7 numbers and whatever judgment, but you could have made  
8 those numbers a little lower, and then your back stop  
9 would have gotten you there faster.

10 MEMBER APOSTOLAKIS: We first -- let's say  
11 a plant starts deviating, wouldn't you first deviate  
12 from the industry average significantly before you hit  
13 a Delta CDF? I mean, that's what I would expect.

14 MR. DUBE: It's a function of the risk-  
15 importance of a particular component. It's a strong  
16 function of the risk-importance of the component too.

17 MEMBER APOSTOLAKIS: Well, intuitively I  
18 would expect it the other way.

19 MR. DUBE: But we specifically designed  
20 the back stop to be infrequently invoked as a last  
21 measure.

22 MR. BARANOWSKY: And you'll recall, we are  
23 tracking some component, specifically valves with very  
24 low risk-importance.

25 MEMBER APOSTOLAKIS: Essentially there you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are saying --

2 MR. BARANOWSKY: Those are the ones where  
3 you could have a lot of failures before you ever get  
4 near risk.

5 MEMBER APOSTOLAKIS: So that's where you  
6 see the move to white before.

7 MR. BARANOWSKY: So at least these have  
8 some measure of risk-importance that's worth looking  
9 at, but it's not that high.

10 MEMBER SIEBER: Okay. Why don't we go to  
11 the short-term back stop.

12 MR. DUBE: Well, when we did a benchmark  
13 and we took all of the whites and near white from the  
14 pilot plant, and tried to understand them, tried to  
15 compare them to what SDP, Significance Determination  
16 Process, showed, what the SSU showed, there was one  
17 that we couldn't explain where the SDP gave it a very  
18 clear white. It was a high white, and the MSPI for a  
19 number of reasons showed it to be a high green. More  
20 unavailability or one more failure would have made it  
21 a white, but we tinkered around with the idea of a  
22 short-term back stop, but we reached the conclusion,  
23 which would have been expected number of failures over  
24 one or two quarters instead of three-years. And the  
25 long and short of it is we felt that it would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       complicate the index. It was not in keeping with the  
2       monitoring trend over a three-year period, which is  
3       what -- we kind of went into this pilot program with  
4       the understanding. And then the decision to keep the  
5       SDP somewhat obviated the need, because this event  
6       would have still been white. It would have been top  
7       white by SDP and not by MSPI, but it wouldn't have  
8       snuck through the cracks, if you will.

9                 MEMBER SHACK: Suppose I settled for a one  
10       chance in 25 of a false positive for my back stop,  
11       would I have caught it then? I mean, you've got one  
12       chance in a hundred now.

13                MR. DUBE: No, I don't think so.

14                MEMBER SHACK: You still wouldn't have  
15       gotten it.

16                MR. DUBE: No.

17                MEMBER SIEBER: But the only reason you  
18       got a white out of the SDP is because an inspector had  
19       an inspection finding to which the SDP was applied, so  
20       now you're relying on the inspector and the inspection  
21       findings to determine the most significant weight that  
22       you would apply to the specific events.

23                MEMBER ROSEN: But isn't it true, Jack,  
24       that four EDG failures in the third-quarter would  
25       likely catch an inspector's attention?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I would think so.

2 MEMBER ROSEN: So I don't think --

3 MEMBER SIEBER: Caught my inspector's  
4 attention, except it was only two that caught his  
5 attention.

6 MEMBER ROSEN: But the point is it  
7 wouldn't slip through.

8 MEMBER SIEBER: That's true. And I think  
9 that's justification for not further messing with the  
10 concept of a short-term back stop. I think it's okay  
11 as is, what you've done.

12 MR. DUBE: There was some staff concern on  
13 the use of a constrained non-informative prior. This  
14 is the prior distribution that's used, that we used  
15 plant-specific data, the Bayesian update.

16 MEMBER ROSEN: By the way, I'm glad you  
17 didn't have that word in your definition of MSPI,  
18 "constrained non-informative prior".

19 MR. DUBE: We had looked at the CNIP along  
20 with others. It had the best false positive/false  
21 negative characteristics in our earlier report. With  
22 no prior, NUREG 17.53 found the index would have been  
23 much too volatile leading to very high false positive  
24 probability, so we decided it's good enough to  
25 proceed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Now there are other promising  
2 possibilities, one of the authors, Dr. Atwood is here,  
3 but it would require much more data. We'd have to  
4 basically -- we are now with that where common cause  
5 parametric models were with calculating the parameters  
6 25 years ago perhaps, so it has promise, but it would  
7 require much more data analysis and more development.  
8 So we feel that the CNIP is adequate to move on, and  
9 so the decisions have been made to move forward the  
10 CNIP, knowing that it's not perfect, but it seems to  
11 be the best of what we can do.

12                   The final open issue had to do with PRA  
13 quality, and so as not to hang up the implementation of  
14 the MSPI, a separate working group has been formed  
15 that consists of three members from the NRC staff and  
16 two from industry. Basically, it's to determine the  
17 PRA quality needs for the MSPI application, the  
18 appropriateness of the ASME standard, what kind of  
19 documentation is needed, what are the main modeling  
20 issues. And they are building upon some of our  
21 insights from some of the SPAR and plant PRA modeling  
22 benchmarks that we did. And so that's moving forward,  
23 Garreth Perry is the chairman of that committee.

24                   Finally, a couple of slides. We received  
25 comments from six persons or organizations. They were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 supportive of the MSPI technical concepts, the nuclear  
2 industry reps endorsed all six recommendations in the  
3 draft NUREG report. We did get some comments from Dr.  
4 Vesley who has his name on the importance measures so  
5 he knows something about it. The cohort effect, which  
6 has to do with the fact that it's only a linear  
7 approximation to change a core damage frequency, and  
8 there perhaps synergistic effects that could result.  
9 And we spent a lot of time and effort, did a lot of  
10 analysis, and ended up putting a whole appendix in the  
11 report, Appendix M, that we feel addresses those  
12 concerns.

13 We recognize that the MSPI is a linearized  
14 approximation to the change in CDF for given change in  
15 system unavailability/unreliability, but as I said,  
16 with the basic definition of the MSPI, is that we use  
17 the plant-specific importance measures as weights to  
18 look at the -- weighting the difference between actual  
19 plant performance and generic baseline. And that's  
20 their primary purpose, so they're derived once when a  
21 PRA model is updated, the values will be derived once  
22 and can be input into the consolidated data entry  
23 program at INPO.

24 CHAIRMAN BONACA: Is the cohort effect a  
25 result of your use of mains rather than components?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DUBE: No. It's more a function of  
2 the fact that when you do a tailor expansion, we're  
3 only looking at Delta -- we're literally adding Deltas  
4 from Pump A, Pump B, Pump C, Valve A, Valve B - but  
5 if you look at cut sets, there are changes in Pump A,  
6 and changes in Pump B in certain cut sets.

7 MEMBER APOSTOLAKIS: So all you need is  
8 one extra term.

9 MR. DUBE: We could go to second order --

10 MEMBER APOSTOLAKIS: Second order are  
11 three terms. Two of them drop out, don't they,  
12 because they require a second derivative.

13 MR. DUBE: No, we don't have second  
14 derivative.

15 MEMBER APOSTOLAKIS: So it would be only  
16 one term, the cross-term, so it's not a big deal.

17 MR. DUBE: Implementation-wise it would be  
18 a big deal. And Dr. Atwood wrote a nice treatise in  
19 Appendix M on how one might do it in theory, but it  
20 does add a significant complication because you need  
21 to do -- get that second derivative, and for 50  
22 components getting that second derivative of various  
23 combinations would be a PRA practice nightmare.

24 MEMBER APOSTOLAKIS: What do you mean 50  
25 components?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DUBE: Well, the MSPI has 50  
2 components on it, typically.

3 MEMBER APOSTOLAKIS: System.

4 MR. DUBE: Total.

5 MEMBER APOSTOLAKIS: For one system.

6 MR. DUBE: For all six systems. You get  
7 cross-terms of Diesel A with Aux B, Pump B and so on  
8 and so forth, so it could get very complicated. It  
9 could be done, in theory --

10 MEMBER APOSTOLAKIS: Because the diesels  
11 are --

12 MR. DUBE: Right.

13 MEMBER ROSEN: This MSPI - excuse me,  
14 George.

15 MEMBER APOSTOLAKIS: Go ahead.

16 MEMBER ROSEN: This MSPI-PRA quality task  
17 group, is that going to hold up the train leaving the  
18 station? Is it something that needs to get done  
19 before we go ahead with MSPI?

20 MR. BARANOWSKY: It's being done. Are you  
21 going to address that or do you want me to say  
22 anything about that?

23 MR. RICHARDS: Well, in short the answer  
24 is yes, it has to be done before MSPI can move along  
25 its timeline.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: And how long is that going  
2 to take?

3 MR. RICHARDS: We scheduled it, I believe,  
4 to roughly go until the end of this month, so it's in  
5 the near term.

6 MEMBER ROSEN: It's a couple of weeks  
7 then.

8 MR. RICHARDS: Mike, do you have better  
9 information?

10 MR. CHEOK: This is Mike Cheok. We are  
11 supposed to come up with a -- we're scheduled to come  
12 up with a draft recommendation in December to be  
13 discussed with, I guess, the agency and industry reps.

14 MR. DUBE: Bottom line is we feel that the  
15 formulation as is is good enough for its intended use.  
16 And if this were a, let's say an online risk monitor,  
17 clearly just using the first term would be inadequate,  
18 because here when you remove a component from service,  
19 we're not talking about Delta CDFs of 10 to the minus  
20 6. We want to be talking about risk achievement  
21 factors of two and ten, meaning doubling, or even ten-  
22 fold increase in core damage frequency in that time  
23 frame when that equipment is removed from service. So  
24 obviously, this formulation wouldn't be adequate to  
25 that, but for the range of changes in CDF that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 expect and that we've seen from the pilot plant, we  
2 feel that it's adequate. And that's all I have.

3 MR. BARANOWSKY: Okay. So now we get to  
4 --

5 MEMBER APOSTOLAKIS: Your assignment on  
6 the frequency of initiators, it appears to me you can  
7 handle them the way you're handling the  
8 unavailability, because all you're doing is you're  
9 finding the --

10 MR. DUBE: Right.

11 MEMBER APOSTOLAKIS: If at all that has a  
12 problem. You can't find it all for the frequency of  
13 initiating events, but you could include them in this.

14 MR. DUBE: You mean a change in initiating  
15 event frequency?

16 MEMBER APOSTOLAKIS: Yes. Why not?

17 MR. DUBE: Well, the next generation --

18 MEMBER APOSTOLAKIS: It's already an  
19 indicator.

20 MR. DUBE: The next generation might do  
21 that to combine an MSPI-type formulation with a --

22 MEMBER APOSTOLAKIS: No, I'm not saying  
23 combined. Have an MSPI for initiators.

24 MR. DUBE: We could do that.

25 MEMBER APOSTOLAKIS: Nothing would change.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. BARANOWSKY: That would be an  
2 initiator indicator.

3 MEMBER SIEBER: I'm not sure that that  
4 adds much to the ROP. Now you can make the ROP so  
5 complicated that it doesn't --

6 MEMBER APOSTOLAKIS: Well, the ROP already  
7 has an indicator, doesn't it?

8 MR. BARANOWSKY: Well, I think the better  
9 -- I like the way we did this one, because there were  
10 specific problems that were identified, and we tried  
11 to design something that addressed the problems, and  
12 met the objectives of being risk-informed. And I  
13 think there are, as I identified, some other problems  
14 with other indicators. We would work with them to try  
15 to come up with some improvements.

16 MEMBER SIEBER: Good luck.

17 MEMBER APOSTOLAKIS: So the major  
18 improvement here is that the thresholds are not  
19 generic any more?

20 MR. DUBE: I think the major improvement  
21 is that we now account for unreliability.

22 MEMBER APOSTOLAKIS: Yes, that too,  
23 absolutely. Absolutely.

24 MR. DUBE: We now take into account the  
25 fact that every plant is different, and they have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 different plant-specific configurations and that is  
2 reflected so they have threshold -- the number of  
3 failures that they need to reach the threshold will be  
4 different from plant to plant, depending - and system  
5 to system depending on the --

6 MEMBER APOSTOLAKIS: That's what I'm  
7 saying, that the thresholds are not generic any more.

8 MEMBER SIEBER: Right.

9 MEMBER APOSTOLAKIS: Is that correct?

10 MR. DUBE: In terms of the number of  
11 failures they're not generic. But in terms of 10 to  
12 minus 6, 10 to minus 5, 10 to minus 4 they're --

13 MEMBER APOSTOLAKIS: Yes.

14 MR. DUBE: But the number of component  
15 failures and the percent increase in unavailability  
16 will vary from plant to plant, depending on how  
17 important it is.

18 MEMBER APOSTOLAKIS: Only to the extent  
19 that one plant has two diesels and the other has three  
20 diesels. But not including the data action, because  
21 you are using the data from `95 to `97 as a reference.

22 MR. DUBE: Right. Data will have an  
23 impact in the deviation of their performance --

24 MEMBER APOSTOLAKIS: From that point of  
25 reference.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DUBE: From the baseline.

2 MEMBER APOSTOLAKIS: Which is a point of  
3 reference for everybody.

4 MR. DUBE: Right.

5 MEMBER APOSTOLAKIS: Not plant-specific.

6 MR. DUBE: Correct. So it accounts for  
7 unavailability, it accounts for unreliability, plant-  
8 specific configuration, and plant performance  
9 deviation from the norm. Those are the strengths.

10 MR. BARANOWSKY: I would also add that  
11 we're using plant-specific PRAs, including looking at  
12 PRA adequacy issues in a way that could be done  
13 consistently across all plants here. We're learning  
14 a lot about that.

15 MEMBER SIEBER: That's a secondary effect.

16 MR. BARANOWSKY: Yes, it is, but it's --

17 MEMBER SIEBER: It's important to the  
18 ultimate outcome, that failure to do that in a timely  
19 fashion would not prevent initiating the MSPI. I  
20 mean, it's not a precursor step.

21 MR. BARANOWSKY: I think a decision has  
22 been made that we need to have adequate PRA quality  
23 for the application of MSPI. So it was a fallout  
24 thing that we didn't expect when we first started this  
25 --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER:     That can add to the  
2     timeline.

3                   MR. BARANOWSKY:     It's adding to the  
4     timeline, but we've learned a lot about what causes  
5     folks to have differences of opinion on the risk  
6     associated with plant operating issues, that might  
7     have taken years to discover without a systematic way  
8     that we've looked at it.

9                   MEMBER SIEBER:     So when do you think the  
10    MSPI will become a fact of life as far as the matrix  
11    that is on the NRC website?

12                  MR. BARANOWSKY:     Well that's why we're  
13    going to listen to Stu Richards as soon as I do the  
14    conclusions.

15                  MEMBER SIEBER:     Okay. Do the conclusions,  
16    and let's listen.

17                  MEMBER ROSEN:     I think you left an  
18    important thing out of that page, which is the support  
19    system. It includes cooling water support system.  
20    That's another big event.

21                  MR. BARANOWSKY:     Okay. So to conclude, as  
22    you've heard, we've tested and evaluated in a pilot  
23    program the MSPI, and discussed it at numerous public  
24    meetings. There were many issues that were raised,  
25    and we looked at them fairly thoroughly and documented

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that in the report. The problems associated with the  
2 current PIs are clearly addressed, and we know a lot  
3 about the capabilities, strengths, and limitations of  
4 the MSPI, which is why I think I'm safe in saying it's  
5 a fairly robust performance indicator.

6 We looked at the sensitivity of how the  
7 MSPI performs when you vary certain issues about  
8 common cause failure, and putting valves in and  
9 leaving them out, and whether or not you get the same  
10 outcomes. That makes it robust, if you get the same  
11 results by making a few changes, and it's not really  
12 twitching, it's a robust indicator.

13 As we mentioned, it has desirable  
14 qualities with respect to plant-specific risk  
15 implications, reliability and availability treatment,  
16 captures system performance degradation. The  
17 computation has some complexities, but it's structured  
18 and programmable so you can easily implement it with  
19 a computer.

20 MEMBER APOSTOLAKIS: You mean individual  
21 licensees will not have to worry about cross-train,  
22 non-informative --

23 MR. BARANOWSKY: No, it's algebra. I  
24 presume that we can do algebra.

25 MEMBER ROSEN: I suppose you're going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issue a template some place --

2 MR. BARANOWSKY: There will be a template  
3 --

4 MEMBER ROSEN: Plug your failures in and  
5 it will do the calculation.

6 MR. BARANOWSKY: I think INPO is making  
7 the template.

8 MEMBER SIEBER: Yes, I want --

9 MR. DUBE: And what will have the official  
10 calculation, I believe, the licensee will have their  
11 own mini programs for what-ifs, but the official will  
12 be with INPO.

13 MEMBER SIEBER: Before we conclude this  
14 session, I'd like to review some of these details as  
15 to what has to be in place, what steps you will take,  
16 so we can decide if there's anything else we need to  
17 look at, or if we just give a global blessing or  
18 criticism in the letter that you're requesting.

19 MR. BARANOWSKY: Okay. We think based on  
20 discussions that we've had internally and with the  
21 industry, MSPI is consistent with the Maintenance Rule  
22 implementation, technical specifications, and SECY 99-  
23 007. The PRA adequacy issue is being addressed. It's  
24 not completely addressed yet, but it will be. And so  
25 we get to the last thing, which is we'd like to get --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes, you did show that.

2 MR. BARANOWSKY: This thing here. We'd  
3 like to request an ACRS letter on this, which you knew  
4 even in our prior meeting. You might recognize the  
5 MSPI as a significant development in the application  
6 of PRA methodology in the regulatory program, and  
7 endorse it for the intended use in the reactor  
8 oversight process, or something like that.

9 MEMBER APOSTOLAKIS: Now when you say --  
10 let me understand something.

11 CHAIRMAN BONACA: Non-constrained --

12 MR. BARANOWSKY: Just came off the top of  
13 my head.

14 MEMBER APOSTOLAKIS: You say it's  
15 consistent with the Maintenance Rule.

16 MR. BARANOWSKY: Yes.

17 MEMBER APOSTOLAKIS: In what way?

18 MEMBER SIEBER: Same data.

19 MR. BARANOWSKY: The definitions of  
20 unavailability and you don't get --

21 MEMBER APOSTOLAKIS: But the Maintenance  
22 Rule uses different thresholds, doesn't it?

23 MEMBER SIEBER: Yes.

24 MEMBER APOSTOLAKIS: Based on raw.

25 MEMBER SIEBER: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BARANOWSKY: But you don't get going  
2 off in two different directions.

3 MEMBER APOSTOLAKIS: The data collection  
4 is the same on unavailability, and so on.

5 MR. BARANOWSKY: Yes.

6 MEMBER APOSTOLAKIS: Does the Maintenance  
7 Rule include unreliability? I don't remember. I  
8 think it's only unavailability.

9 MR. BARANOWSKY: Yes, it includes  
10 unreliability.

11 MEMBER APOSTOLAKIS: Includes  
12 unreliability.

13 MR. BARANOWSKY: Yes.

14 MEMBER SIEBER: The concept of it.

15 MR. BARANOWSKY: The concept of it.

16 MEMBER APOSTOLAKIS: What does that mean?

17 MR. DUBE: It means you have so many  
18 failures, you elevate your action.

19 MR. BARANOWSKY: And in particular one of  
20 the things we talked about was unavailability during  
21 our operations versus shutdown, for instance, and why  
22 those should be separated when you're trying to look  
23 at thresholds, because the risk is different, and the  
24 drivers are different. Okay.

25 MEMBER SIEBER: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. BARANOWSKY: So now Stu will tell you  
2 about what's happening implementation-wise.

3 MR. RICHARDS: All right. I'm Stu  
4 Richards. I'm the Chief of the Inspection Program  
5 Branch in NRR, and we're along with industry the end-  
6 user for MSPI, so when Research goes home, we're going  
7 to still be using it. And we've had a lot to do with  
8 it.

9 Slide 19, I'll go through this pretty  
10 quick. We have three slides. It was already  
11 mentioned, we piloted this at nine sites and 20 units.  
12 We've touched on it briefly at two commission  
13 meetings. The commission gave us some guidance in two  
14 SRMs and they have encouraged us to go forward and  
15 work with industry to make this happen.

16 MEMBER SIEBER: That last one was a good  
17 one.

18 MR. RICHARDS: It was already mentioned,  
19 we have monthly meetings with industry on MSPI. I  
20 think we've had over 35 meetings over the last couple  
21 of years. Some of these meetings take all day.  
22 There's been a tremendous amount of hard work that's  
23 gone into this, and I'd like to compliment Research on  
24 their work. They've done a real good job.

25 For us it's cumulated in NRR sending a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 letter to NEI just this past month, September,  
2 agreeing to go forward with MSPI implementation. And  
3 they said they needed that letter in order for the  
4 industry to start making some investment in the  
5 process it's going to take to set this up.

6 MEMBER SIEBER: Let me ask a question  
7 about NEI. They have a document 99-03 which is part  
8 and parcel to this. It's mentioned in your analysis  
9 report, and it says that revisions will be needed to  
10 99-03. Is that really true? Does NEI have to do  
11 something?

12 MR. DUBE: It's been significantly  
13 revised.

14 MEMBER SIEBER: Okay. So the revision is  
15 done. It would meet the recommendations that's in  
16 your report.

17 MR. DUBE: Definitely.

18 MR. RICHARDS: Is that different than 99-  
19 02?

20 MR. DUBE: No. In 99-02, Appendix F is  
21 the NEI guidance.

22 MEMBER SIEBER: 99-03 is the number I  
23 have. Is that the right --

24 MR. DUBE: It's 99-02.

25 MR. RICHARDS: We'll touch on that briefly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on the third slide. Next slide, please. We already  
2 touched on agreeing with industry for creating the  
3 front stop, and we already touched on the concept of  
4 this task group working on what constitutes the  
5 minimum PRA requirements for MSPI.

6 On the implementation side, we see that as  
7 important because we're counting on that task group to  
8 provide us some insights on what we need to inspect as  
9 far as implementation of MSPI, and what we should be  
10 looking at long-term current feeding of it.

11 MEMBER SIEBER: What will you send the  
12 licensees to inform them that the MSPI is now in  
13 effect, and that the data will come through the INPO  
14 process? Is that going to be a generic letter, or  
15 something like that, or what will it be?

16 MR. RICHARDS: It will probably be a Reg  
17 INPO summary, and we'll touch on that a little bit  
18 further down the line here. Well, it really touches  
19 on the last bullet we have here.

20 MEMBER SIEBER: And along with that, how  
21 will you inform the public that you're switching over  
22 and when they look at the action matrix results on the  
23 website, how will they interpret this new indicator,  
24 and how will they know what it means?

25 MR. RICHARDS: Well, we plan to have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 communication plan. The indication has said they will  
2 have a communication plan also. One of the challenges  
3 of MSPI is to explain it to the public in a way  
4 somebody can understand.

5 MEMBER SIEBER: Yes, that will be a  
6 challenge.

7 MR. RICHARDS: That will be a challenge,  
8 so we are going to put together a communication plan.  
9 We intend to put information out to the public and  
10 make it available through our ROP website. We're in  
11 the formulation stages of that.

12 MEMBER APOSTOLAKIS: Don's interpretation  
13 is a first good step.

14 MR. RICHARDS: I'm sorry.

15 MEMBER APOSTOLAKIS: Don showed a  
16 definition without any equations. That was a first  
17 good step on the way of informing the public. I mean,  
18 what else can you do? It's a measure of this and  
19 that, and this and that.

20 MR. RICHARDS: Part of the ROP is the idea  
21 that somebody, an interested stakeholder can take the  
22 inputs and understand how you came out with green,  
23 white, yellow, or red. Of course, in this case it's  
24 not going to be so simple to do, and now because of  
25 the security restrictions, we're no longer allowing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 public access to a lot of PRA information, so that  
2 pretty much precludes anybody from going through that  
3 exercise. So it will be a challenge.

4 MEMBER SIEBER: Well, there's the public,  
5 and then there's the public. There's the public that,  
6 for example, when I was in industry, the financial  
7 people looked at all the SALP reports and performance  
8 reports to make their own judgment as to how well the  
9 company is running the plant. There are other public  
10 that want all the details in preparation for  
11 allegations and so forth, and then there's a third  
12 class of public that takes general views. So I think  
13 somehow or other, you've got to recognize all three  
14 are out there and tailor communications to reach all  
15 three.

16 MR. RICHARDS: We agree.

17 MEMBER SIEBER: Okay.

18 MR. RICHARDS: All right. The last bullet  
19 on this slide, I'd like to touch on very quickly, but  
20 it is important for us. We agree with the industry  
21 that the implementation of MSPI has to occur at all  
22 sites at the same time. We're not going to end up  
23 with two different PIs, one for plants who can't  
24 there, and one for plants who can.

25 Because the PI program is a voluntary

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 program, the burden to get all the plants lined up and  
2 ready to implement basically falls on the industry,  
3 and the industry understands that.

4 MEMBER SIEBER: Right.

5 MR. RICHARDS: Next slide. Some of the  
6 challenges that we're working on right now in concert  
7 with NEI, we need to get the interpretation issues as  
8 much as we can straightened out. We found out from  
9 other Pis that once a PI is in place and you start  
10 arguing about what the details mean, and it makes a  
11 difference about a plant going green or white,  
12 sometimes that can be tough, so we want to iron that  
13 out on the front end, hopefully, and minimize the  
14 amount of resources it's going to take to answer those  
15 kind of questions down the road.

16 I mentioned already we're working with NEI  
17 on their implementation guidance, which is contained  
18 in their 99-02 document. I mentioned already the  
19 communication plan and the reg INPO summary to tell  
20 the industry what we're doing in this area. I think  
21 there is a minor detail as far as aligning the data  
22 entry for MSPI and the Maintenance Rule that needs to  
23 be worked out.

24 The industry plans to have three public  
25 workshops primarily to inform the industry on how to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 implement MSPI. We'll probably participate or at  
2 least attend those, and when we do have some internal  
3 training that we're going to have to do to get the  
4 inspection staff up to speed in implementing the MSPI.

5 MEMBER SIEBER: You have to modify the  
6 inspection manual too, do you not?

7 MR. RICHARDS: Yes, we'll have to change  
8 our -- we have a procedure to go out and verify PI  
9 entry data. So, of course, we'll change that for  
10 MSPI.

11 MEMBER SIEBER: You've got to change that.

12 MR. RICHARDS: The one question that will  
13 answer my last bullet, when are we going to implement  
14 this. The industry proposes that we implement this in  
15 the first quarter of calendar year 2006, so that data  
16 would be received by us after that quarter is over in  
17 April of 2006, and that's when we would post it.

18 MEMBER SIEBER: I'll be an old man by that  
19 time.

20 MEMBER ROSEN: Did you agree to that time?  
21 Have you agreed to that time frame?

22 MR. RICHARDS: We have agreed to that  
23 schedule, as long as all the things that have to occur  
24 in-between now and then occur. We're not locked into  
25 that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: It sounds like a pretty  
2 leisurely schedule to me.

3 MEMBER SIEBER: It certainly does. I'll  
4 be an old man before you're done.

5 MR. RICHARDS: Well, part of the schedule  
6 is actually driven by outages at plants. When you  
7 look at them having their three workshops and when  
8 they have to schedule that, the work that has to be  
9 done by industry to go and make sure peoples' PRAs are  
10 ready to use MSPI, and the fact that everybody has to  
11 be there, I think you could probably argue that maybe  
12 most of the plants right now are in good shape. But  
13 there's going to be some population that's going to  
14 have to do some work.

15 MEMBER ROSEN: Did you say the first  
16 quarter of 2006?

17 MR. RICHARDS: First calendar quarter.

18 MEMBER ROSEN: I would think that people  
19 would -- that most of the industry is already there  
20 participating in pilots and whatever, and the ones  
21 that aren't there need to get hot, I'd say.

22 MEMBER APOSTOLAKIS: It's only a year. I  
23 mean what's the big deal. It's only a year, right?

24 MR. RICHARDS: We had 20 units out of 103  
25 units.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   MEMBER   SIEBER:           There    were    some  
2                   adjustments even with those 20 units, because things  
3                   weren't working out properly initially, and so there  
4                   had to be some interaction. I can understand some  
5                   time, but in a way I'm a little frustrated, as  
6                   probably Steve is also, that that seems to be a long  
7                   time. Okay. Anything else that you want to add?

8                   MR.    RICHARDS:    No.    Thank you for the  
9                   opportunity.

10                  MEMBER SIEBER:  If we write a letter, it  
11                  will -- I don't know whether you would issue that  
12                  NUREG with or without our concurrence, but that would  
13                  probably be one factor that would be in any letter we  
14                  might write, provided my colleagues would agree with  
15                  it.

16                  MEMBER   APOSTOLAKIS:        What    is    the  
17                  condition?

18                  MEMBER SIEBER:  The concurrence with the  
19                  NUREG that's Tab 5 in our manuals, and some kind of  
20                  concurrence that the staff should proceed with the  
21                  implementation of the MSPI. I think we would be  
22                  interested in the future in knowing progress, but I  
23                  don't think in the future we need to have meetings to  
24                  deal with technical issues upon which we would write  
25                  you additional letters. I think we're now far enough

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 along that those issues are behind us now, and  
2 satisfactorily concluded. Steve.

3 MEMBER ROSEN: Jack, I only want to say  
4 one more thing. I think the staff and the industry  
5 both need to be congratulated on bringing this issue  
6 to this kind of resolution. I think the ROP will be  
7 quite a bit stronger with the new MSPI, and that's in  
8 part why I wanted to get on with it.

9 MEMBER SIEBER: Okay. Well, that will be  
10 in the record, and maybe in our letter, too. So if no  
11 one has any additional questions or the staff has no  
12 additional comments, Mr. Chairman, I turn it back to  
13 you, and I've gained 35 minutes.

14 CHAIRMAN BONACA: Good for you.  
15 Appreciate the presentation.

16 MEMBER SIEBER: Six o'clock is not until  
17 five more minutes. I request a break.

18 CHAIRMAN BONACA: Yes. A short break,  
19 because we need to get to this, but let's get a break  
20 until five after, 10 minutes.

21 MEMBER SIEBER: That's good.

22 CHAIRMAN BONACA: And thank you very much  
23 for the presentation again.

24 MEMBER SIEBER: Thank you.

25 (Whereupon, the proceedings in the above-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1

entitled matter went off the record at 5:55 p.m.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701