

Official Transcript of Proceedings

**NUCLEAR REGULATORY
COMMISSION**

Title: Advisory Committee on Reactor Safeguards
518th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Friday, December 3, 2004

Work Order No.: NRC-127

Pages 1-101

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

518th MEETING

+ + + + +

FRIDAY,

DECEMBER 3, 2004

+ + + + +

The meeting was convened in Room T-2B3 of
Two White Flint North, 11545 Rockville Pike,
Rockville, Maryland, at 8:30 a.m., Dr. Mario V.
Bonaca, Chairman, presiding.

MEMBERS PRESENT:

MARIO V. BONACA	Chairman
GRAHAM B. WALLIS	Vice-Chairman
GEORGE E. APOSTOLAKIS	ACRS
RICHARD S. DENNING	ACRS Member
F. PETER FORD	ACRS Member
THOMAS S. KRESS	ACRS
DANA A. POWERS	ACRS Member
VICTOR H. RANSOM	ACRS Member
STEPHEN L. ROSEN	ACRS Member-at-Large
WILLIAM J. SHACK	ACRS
JOHN D. SIEBER	ACRS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACRS STAFF PRESENT:

2 SAM DURAISWAMY Technical Assistant, ACRS/ACNW,
3 Designated Federal Official
4

5

6

7 ALSO PRESENT:

8 CHARLES ADER RES/DRAA

9 C.E. CARPENTER OCM

10 MARY DROUIN RES/PRAB

11 CLINTON FERRELL NEI

12 TOM KING RES

13 DAVID LEW RES/PRAA/PRAB

14 STEPHEN MAZURKIEWICZ AREVA

15 SCOTT NEWBURY ISL

16 GARETH PARRY NRR/DSSA

17 STUART RUBIN RES/DSARE

18 MARTY STUTZKE NRR/DSSA/SPSB

19 M. TSMILTZ NRR/DSSA

20 JERRY WILSON NRR/DRIP

21

22

23

24

25

I-N-D-E-X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

Opening Remarks by ACRS Chairman	4
Mario V. Bonaca	
Draft Commission Paper on Technology	7
Neutral Framework for Future Plant	
Licensing - Policy Issues	

P-R-O-C-E-E-D-I-N-G-S

8:31 a.m.

CHAIRMAN BONACA: Good morning. The meeting will now come to order. This is the second day of the 518th meeting of the Advisory Committee on Reactor Safeguards.

During today's meeting the Committee will consider the following. Draft Commission Page on Technology Neutral Framework for Future Plant Licensing, Policy issues.

Subcommittee Report on Draft NUREG Documents and Technical Uncertainties. Subcommittee Report on the Interim Review of the Arkansas 2 License Renewal Application.

Election of ACRS Officers for CY 2005. Future ACRS Activities and Report to the Planning and Procedure Subcommittee. Reconciliation of ACRS Comments and Recommendations, and preparation of ACRS reports.

The meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Sam Duraiswamy is the designated federal official for the initial portion of the meeting.

We have received no written comments or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requests for time to make oral statements from members
2 of the public regarding today's sessions. A
3 transcript of a portion of the meeting is being kept,
4 and it is requested that the speakers use one of the
5 microphones, identify themselves and speak with
6 sufficient clarity and volume so that they can be read
7 and be heard.

8 The first item on the agenda was peer
9 review comments on the technical basis for the PTS
10 screening criteria. We already covered that
11 yesterday, so we're not going to have to go through
12 that.

13 The first half an hour of this meeting
14 will be off the record, and we will use this half an
15 hour to discuss the other letter that we were
16 considering yesterday, which is the illicitation
17 process.

18 (Whereupon, the foregoing matter
19 went off the record at 8:33
20 a.m., and went back on the
21 record at 9:05 a.m.)

22 CHAIRMAN BONACA: I shouldn't do anything
23 to this letter then?

24 MR. KRESS: Well, you know, we've been
25 briefed on this several times in the spirit of keeping

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 us up-to-date as they go along and exchanging views
2 and their thinking. And this is another one of these
3 status briefings, which we're all awfully glad to
4 have.

5 A letter is not intended at this time.
6 There's no good reason for it. And I repeat what I
7 said at one of the earlier briefings, that I think
8 this is one of the more exciting and important things
9 that we're doing.

10 And I hope the rest of the Committee
11 shares that view, and I have a great admiration for
12 what they've come up with so far. And I think they're
13 on the right track, and it's real historic, good
14 stuff.

15 And I want to pass that view along to you
16 guys. I think you're doing a great job. So, once
17 again, this is a status report, and I think what we're
18 going to discuss is the policy issues? Is that mostly
19 it, or --

20 MS. DROUIN: We were going to walk through
21 the SECY Paper.

22 MR. KRESS: Through the SECY Paper, okay.
23 With that, I'll turn it over to Mary.

24 MR. APOSTOLAKIS: This is the SECY Paper
25 we've seen?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. DROUIN: Yes. Thank you, Dr. Kress,
2 for the kind words. I greatly appreciate it. My name
3 is Mary Drouin with the Office of Research.

4 Also at the table with me is Tom King and
5 Stuart Rubin. But I do want to acknowledge that
6 there's many other players in this process, in the
7 three that you've seen here, and they've all made a
8 tremendous contribution to this work that we're doing.

9 Today's purpose, we're here, you were
10 given a draft copy of the SECY Paper. It's in
11 concurrence right now. It has received Division Level
12 concurrence, so even though it's drafted, it is
13 progressing through the concurrence chain.

14 And we wanted to give you a status because
15 what's in the SECY Paper is essentially a status of
16 the program. There's three main things in the SECY
17 Paper, it's our effort, where we are with regard to
18 the frame work.

19 It goes through the policy issues and how
20 they're addressed in the frame work, and there's nine
21 policy issues at this point that we've identified.
22 And then our proposed schedule for completion, for the
23 overall program, not just for the frame work itself.

24 So if I get to this overall program, the
25 regulatory structure for, what we call the regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 structure for new plant licensing, there is four parts
2 to it.

3 The technology neutral frame work, and
4 then a set of proposed technology neutral
5 requirements. A technology-specific frame work, which
6 is showing how we plan to apply the technology neutral
7 and technology-specific basis.

8 And data application then would be the
9 derivation of technology-specific regulatory guides.
10 So far the work is concentrated on the technology
11 neutral frame work, which is what we're going to go
12 through on the first part of today's presentation.

13 MR. KRESS: On the technology-specific
14 regulatory guidance, do you envision a regulatory
15 guide for every application that comes in for
16 certification for, you know, each plant is slightly
17 different.

18 Like in MHTGR, would that be of a
19 different reg guide than a title bed modular reactor,
20 do you think? I mean you would have special reg
21 guides for every reactor.

22 MS. DROUIN: Not every reactor.

23 MR. KRESS: Because you're going to group
24 them as types?

25 MS. DROUIN: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KING: Yes, HTGR reg guide, sodium
2 reactor reg guide, that kind of thing.

3 MR. KRESS: Well, do you salt the reactor?

4 MR. KING: In theory.

5 (Laughter.)

6 MR. DENNING: One can only hope.

7 MS. DROUIN: Okay, moving to the frame
8 work.

9 CHAIRMAN BONACA: Mary, you are blocking a
10 little bit the screen. Can you move to your right?
11 Thank you.

12 MS. DROUIN: Sorry, I just feel so
13 separated. I want to emphasize on the third bullet
14 because I think that's very important. This is a
15 working draft so far.

16 This is very preliminary. Everything
17 that's in the frame work is not finalized. These are
18 points to start dialogue and discussion with the
19 community at large, not just in our C staff members,
20 but our various stakeholders.

21 But we do feel that we've done enough work
22 that it's feasible to develop this technology neutral
23 frame work. There are technical issues to be
24 resolved, there are policy issues to be resolved.

25 But we do think we've done enough that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's feasible at this point. We have had some public
2 meetings. We had a small public workshop on this.

3 MR. KRESS: Who came to those, Mary? Who's
4 involved in this discussion? Are you guys connected
5 with the IAEA? You know their working on a similar
6 sort of thing.

7 MS. DROUIN: Yes, we are, because I've been
8 sitting on that group.

9 MR. KRESS: You're part of that group?

10 MS. DROUIN: I'm part of that group.

11 MR. KRESS: Okay.

12 MS. DROUIN: So the answer is yes.

13 MR. KRESS: And they moving down pretty
14 much the same direction you guys are?

15 MS. DROUIN: So far we've been consistent.
16 We aren't absolutely identical, but we're consistent.

17 CHAIRMAN BONACA: They seem to emphasize
18 the IAEA concept of defense in depth, six, seven
19 letters of defense in depth. They start out with a
20 strong statement about defense in depth. Is that
21 consistent with what you guys are doing?

22 MS. DROUIN: Well, I think it's consistent
23 in the sense that we start off with the protective
24 strategies which we always say is defense and depth.

25 Where we differ is that they tend to put

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more in defense and depth in the sense where I think
2 they, everything they call defense and depth.

3 MR. APOSTOLAKIS: The other impression I
4 got when I read one of their drafts, I don't know what
5 is at stake now, is that they still believe that
6 fundamentally the system should be deterministic.

7 The traditional system and PRA will help
8 do sensitivity studies and support various decisions.
9 Is that your impression as well?

10 MS. DROUIN: At the very beginning, that
11 was our impression. It was very much so. But we've
12 been working very hard to try and turn that around.
13 And I think we've made a lot of headway with them
14 becoming more risk-informed.

15 MR. APOSTOLAKIS: Okay.

16 MS. DROUIN: But that is because, you know,
17 what's being developed by IAEA, very many different
18 member countries and some member countries you just
19 absolutely, this has got to be 100 percent
20 deterministic.

21 But I do think that has become more risk-
22 informed.

23 MR. KRESS: My original question started
24 out as who --

25 MS. DROUIN: And I'm going to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KING: Yeah, I wanted to say I think
2 it's an important question. We've had two major
3 workshops and we both, both of those have had like 25
4 or 30 non-NRC people.

5 And it's, you know, it's NEI, it's EPRI,
6 it's a number of the vendors. DOE, Jim Ricchio has
7 attended from Green Peace. National Lab, some of the
8 Lab people have been there.

9 MS. DROUIN: Westinghouse has been there,
10 Framatome

11 MR. KING: AREVA.

12 MS. DROUIN: AREVA.

13 MR. KRESS: What is their general
14 impression so far? They think this is a good thing
15 and going in the right direction? Or is it too early
16 for that?

17 MS. DROUIN: I think, you know, as we've
18 shown on the second bullet there, there's a general
19 agreement for the need, and for the conceptual bases.

20 But I think when we get into the details,
21 you know, I think there's agreement in some places and
22 disagreement. I think they're very anxious to see
23 this document which they haven't seen yet.

24 So we can start getting into discussions
25 on these details.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KING: We've gotten letters from NEI
2 and Framatome and somebody else I can't remember that
3 you might be interested in seeing, that give, you
4 know, their overall support as well as their detailed
5 comments.

6 MR. APOSTOLAKIS: Has NEI had a report,
7 maybe a year or two ago, addressing the issue of
8 technology neutral frame work? Are they still working
9 on this? That was based on defense and depth ideas,
10 again.

11 MS. DROUIN: Well, I don't want to speak
12 for NEI, but I haven't --

13 MR. APOSTOLAKIS: But what do you know
14 about it?

15 MS. DROUIN: My indication is that there
16 has been no update to that report.

17 MR. APOSTOLAKIS: So they are not working
18 on it anymore, as far as you know?

19 MS. DROUIN: In terms of revising that
20 report that, not to my knowledge. I don't know if, I
21 know there's a representative from NEI, if they want
22 to say something to it.

23 MR. APOSTOLAKIS: Do you?

24 MR. FERRELL: Yes, I'm Clifton Ferrell with
25 NEI. We have an active task force right now that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 updating NEI-0202 and we are going to be using those
2 refined comments as we work with Mary in developing
3 the frame work, yes.

4 MR. APOSTOLAKIS: Okay, good.

5 MS. DROUIN: Good. I didn't realize that.

6 MR. APOSTOLAKIS: That was news to you?

7 MS. DROUIN: That was news to me, but good
8 news.

9 CHAIRMAN BONACA: Did you choose the Ides
10 of March for some sort of purpose?

11 MS. DROUIN: Yes, actually we picked those
12 dates very deliberately because the week before is the
13 RIC Conference, so we were trying to piggyback since
14 a lot of the same people --

15 MR. KRESS: Do you think it would be
16 worthwhile for one of us to be there?

17 MS. DROUIN: Yes, and you'll see that on a
18 viewgraph that we would encourage members of ACRS to
19 come to the workshop. I'm sorry?

20 CHAIRMAN BONACA: Did you say the Greek
21 conference?

22 MS. DROUIN: I'm sorry, the Regulatory
23 Information Conference.

24 MR. KING: Which is the eighth through the
25 tenth of March.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: I'm sorry.

2 MR. KING: They'll be a lot of people
3 there, we hope they hang around and come to this.

4 MS. DROUIN: Okay. Now we're not going to
5 try and get into any details, technical details on
6 today's presentation. There's just a lack of time and
7 there's a lot.

8 We're just trying to give you a status of
9 where we are on everything as we noted in the SECY
10 Paper. As I said on, with regard to the frame work,
11 I feel we've done enough to show that it's feasible to
12 develop this technology neutral.

13 It is a hierarchical structure where we
14 blend both deterministic and probabilistic criteria
15 and the criteria and guidelines that are in the frame
16 work. Those are criteria and guidelines that we would
17 use, the staff would use to develop the set of
18 technology neutral requirements.

19 And so there are six parts to the frame
20 work document. The first one sets the overall safety
21 philosophy from, which we're operating under. And
22 then it gets directly to the protective strategies.

23 The protective strategies are defining
24 those strategies that, if they're fulfilled, then it
25 accomplishes the safety philosophy. And so we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to be writing the requirements or deriving the
2 requirements to meet the protective strategies.

3 We've established risk objectives to help
4 in the decisions. We also have design construction
5 and operational objectives.

6 Let me go back for a second to the risk
7 objectives. That's getting into, you know, we've
8 outlined a frequency consequent curve.

9 We are looking at using some lower level
10 subsidiary objectives, and those have a lot of issues
11 associated with them, particularly when you're trying
12 to do it at a technology neutral level.

13 MR. KRESS: Yeah, that's the one place
14 where I felt like you were going to be beating your
15 head against the wall, and not getting very far.
16 Subsidiary objectives, surrogate is more --

17 MS. DROUIN: Right, surrogate.

18 MR. KRESS: -- for FC curves, in my view,
19 are basically impossible.

20 MS. DROUIN: No, we're looking to a good
21 discussion at this workshop. Safety classifications,
22 using these risk objectives to help us define our
23 design.

24 MR. KRESS: I'd like you to put that on the
25 workshop list, is it possible to get surrogates for an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 FC curve --

2 MS. DROUIN: Absolutely.

3 MR. KRESS: - in terms of some things like
4 CDF.

5 MS. DROUIN: One of the things that we're
6 doing is we're going to be sending out a Federal
7 Register Notice, of course, advertising the workshop.
8 But in the Federal Register Notice is we have
9 identified a whole list of very specific issues that
10 we would like to really get into at the workshop.

11 MR. KRESS: You know, I think you guys are
12 facing up to some of the toughest issues that we have
13 that, in my mind, have been part of the reason for a
14 lot of the incoherence in the current regulatory
15 system.

16 And, you know, I really applaud your
17 fortitude and your guts. You're really facing up to
18 some tough issues, and you know, I'm proud of you, I
19 really am.

20 MS. DROUIN: Thank you. Laying out design
21 construction and operation objectives. Treatment of
22 uncertainties which gives into defense and depth. And
23 I'll get more into that on another slide. Yes.

24 MR. POWERS: If you lay out the design
25 construction and operational objectives you don't go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through the full lifecycle here. why not?

2 MS. DROUIN: Go ahead.

3 MR. KING: No, I think we do try to go
4 through the full lifecycle. I'm not sure what you
5 have in mind when you say we don't. I mean
6 construction we're thinking, yeah, we only construct
7 it once, but we do talk about maintenance and
8 surveillance and ISI and that kind of thing.

9 MR. POWERS: And then, but you leave off
10 the decommissioning and removal part of it.

11 MR. KING: We have left off
12 decommissioning, that's one of the comments we've
13 gotten from outsiders is maybe we ought to think about
14 adding decommissioning, but we haven't done it yet.

15 MR. POWERS: See, that's a full lifecycle,
16 so you're -

17 MR. KING: In that sense you're right,
18 you're right.

19 MR. POWERS: Well, that is the full
20 lifecycle, right?

21 MR. KING: Yes, it is, yes.

22 MR. POWERS: And the reason I bring it up,
23 you may do it more by reference than anything else, is
24 that the decommissioning characteristics of some of
25 the advanced reactors may be troublesome.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I call attention just to the
2 challenges that you're having with a relatively
3 limited level of contamination on some graphite, from
4 graphite reactors.

5 And, I mean, it's a situation of where
6 you've got a huge volume and not a great deal of
7 contamination, but enough so that you can't go to a
8 low level, disposal field, but it's so big that, I
9 mean, it would occupy all of Yucca Mountain. One
10 solar reactor core that was a test reactor.

11 It's that kind of a problem. And, I don't
12 know what you do with it except maybe, maybe if it is
13 activity you just say, and this has to be, set up a
14 group to go work this issue because it's going to be
15 a problem.

16 MS. DROUIN: Okay.

17 MR. POWERS: And when you discuss this, I'm
18 certain you're going to give us a little more on that.

19 MS. DROUIN: I'm sorry?

20 MR. POWERS: Can you tell us more about the
21 uncertainties that you discussed?

22 MS. DROUIN: Yes, I have a slide on that
23 I'm going to get to. The last part in the frame work
24 document is what we call the process for defining the
25 scope of requirements.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And that is telling you how we take these
2 five things above it, bring it together and use it to
3 actually develop the set of requirements.

4 On each of these, there's policy and
5 technical issues associated with each of them. So far
6 there are nine that we have addressed. I'm sure as we
7 get more into finalizing the frame work document, and
8 having discussions with the various stakeholders, I'm
9 sure there will be more issues that will come up, than
10 just these nine that we have identified to date.

11 What are these nine? And we're going to
12 go through each one of these, but our definition of
13 defense and depth, which is the treatment of
14 uncertainties. Use of the probabilistic approach to
15 establish the licensing basis.

16 Scenario of specific source terms.
17 Revision of the EPZ. The integrated risk, which we've
18 been here and spoken with the committee on a couple of
19 times. The same thing with the next one, the
20 containment functional performance requirements.

21 Level of safety, physical protection and
22 selective implementation. And we're going to go
23 through each.

24 MR. KRESS: You can see from our previous
25 letter that even the ACRS is split on this question of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 integrated risk.

2 MS. DROUIN: Yes.

3 MR. KRESS: We still, I think we still are
4 split.

5 MS. DROUIN: Oh, so you're not going to
6 give us a little surprise today that you've resolved
7 that?

8 (Laughter.)

9 MR. KRESS: No, we haven't come together.

10 MR. APOSTOLAKIS: I'm sorry, I didn't hear.
11 What is -

12 MR. KRESS: That's the only thing we argued
13 is whether you need a CDF for a site or CDF for a
14 plant-

15 MR. APOSTOLAKIS: Oh, yes.

16 MR. SCHACK: Divide by the number of
17 reactors in the country.

18 MR. APOSTOLAKIS: Some members think, some
19 other members don't, and the Commission is -

20 MR. POWERS: Are you claiming that we have
21 blue and red ACRS members?

22 (Laughter.)

23 MR. KRESS: Absolutely. And some are
24 purple.

25 MS. DROUIN: Okay, treatment of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainties, defense and depth. If you go back to
2 SECY 030047, I think I have the right year. There
3 were seven policy issues that were noted in that SECY
4 paper. An SIM came back and out of four of those
5 issues, they approved what the staff had recommended.

6 Two others, which was integrated risk and
7 containment, they asked us to do more work. One of
8 them they did not agree, and that was on International
9 Codes and Standards, which we're not getting into
10 today's presentation, because it's not part of the
11 frame work.

12 But on the five, no, sorry, six that were
13 in there, that SECY paper did say that these would be
14 incorporated through the development of the frame
15 work. So now we're moving over into that arena.

16 But going back there, what we had
17 recommended and the Commission approved, with regards
18 to defense and depth, was our recommendation to
19 develop a description that would be ultimately
20 incorporated into a policy statement, but come up with
21 a working definition.

22 So what we, the approach we've taken in
23 the frame work was that we have four main elements to
24 it. And then, a lot of this is not new. You know, we
25 went to the Commission's White Paper and SECY papers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on defense and depth.

2 We looked at what the ACRS had to say and
3 everyone in private, and consolidate that all
4 together. So the first was coming up with our
5 objectives, and then we defined the principles and we
6 developed a model where we tried to incorporate in
7 this model, both a probabilistic and deterministic
8 aspects are using, you know, the ACRS words
9 incorporated in both the structuralist and a
10 rationalist part to it.

11 And then develop a process for
12 implementation. We do plan to come up with a proposed
13 revision to the Commission's PRA policy statement to
14 incorporate a definition on defense and depth. We
15 haven't started that yet, but that is on our agenda to
16 start next year, as we develop more of this part of
17 the frame work on defense and depth.

18 MR. KRESS: Well, that would be one of the,
19 that would be a real advance, coming up with a good,
20 firm definition and a way to say this is enough
21 defense and depth or this is necessary and sufficient.

22 MR. POWERS: That's the key to it, is that
23 it's not so important to have a definition to defense
24 and depth, it's important to have a criteria that
25 allows you to know where you need defense and depth

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and when enough has been done.

2 MR. KRESS: Yeah, and, yeah, go ahead.

3 MR. POWERS: I mean the problem always is
4 that you can start applying defense and depth and just
5 never quit. And, because there's no in condition on
6 this.

7 And it's coming up on an in condition is
8 enormously useful. And the problem you always have is
9 analysts are always very confident in their ability to
10 calculate probabilities and bound them with
11 uncertainty ranges.

12 And then there's that person that's going
13 to continually ask, what if you're wrong?

14 MR. APOSTOLAKIS: But as long as there is
15 a need for structuralist approach, which I think will
16 be there in the foreseeable future, you can't answer
17 the question, how much is enough?

18 I mean, you have to use your judgement at
19 some point. You can only answer that if you follow
20 the rationalist approach, which is not ready for prime
21 time I don't think.

22 Take the TBS, the Transitional Break Size,
23 I mean, LOCA, people have done all sorts of studies
24 and stuff or it has taken the lead and, you know,
25 there are all sorts of limitations to what they have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 done, and they're the first ones to admit it.

2 So NRR now has to apply a structuralist
3 approach and say, you know, we will increase it by X.
4 Why? Well, that's our best judgement. Why not X plus
5 one or X minus one? Who knows?

6 MS. DROUIN: Well, what we have tried to do
7 is blend both the structuralist and rationalist
8 together. And our model is trying. Now whether or
9 not we'll ultimately be successful, remains to be
10 seen.

11 But the approach we're laying out is using
12 the rationalist part to put, define that end state.
13 To help you define on the structuralist side when you
14 have enough defense and depth.

15 MR. APOSTOLAKIS: Well -

16 MS. DROUIN: So we do believe that you can
17 be blending both the structuralist and the rationalist
18 and come up with a model that would address Dr.
19 Powers' concern.

20 MR. APOSTOLAKIS: My point is, yeah, this
21 is what we attempted to do in that paper, too. But we
22 called it a pragmatic approach.

23 My point is that, I mean, Dr. Kress keeps
24 asking the question, you know, can we get a criterion,
25 presumably a numerical criteria, that would tell us in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this case, this amount of defense and depth is
2 sufficient. And my argument is that as long as
3 there's a need for structuralist elements, you cannot
4 answer that question.

5 But it's not criticizing you. I mean,
6 this is it, this is the way we are today.

7 MS. DROUIN: No, I just don't agree with
8 you.

9 (Laughter.)

10 MR. APOSTOLAKIS: How could you do that?

11 MR. KING: Well, it seems to me the
12 structuralist piece is sort of a minimum, the floor.
13 You'll have certain structuralist pieces of defense
14 and depth, no matter what your design looks like.

15 And then beyond that, depending on the
16 design, at least the approach we've come up with, is
17 you take a rationalist approach to figure out where do
18 you stop.

19 And where you stop will be different from
20 design to design. But if you lay out the criteria
21 using, you know, risk criteria, it will tell you where
22 you stop putting in defense and depth based upon
23 certain risk criteria.

24 So then you've got the two extremes. The
25 floor, the minimum, and the maximum. And the minimum

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will always be the same regardless of what your design
2 looks like, and the maximum will vary on the design.

3 MR. APOSTOLAKIS: No, I don't think we
4 communicate very well.

5 MR. KING: Okay.

6 MR. APOSTOLAKIS: Structuralist means
7 essentially you're answering the question that Dana
8 has raised many times. What if you're wrong? Okay,
9 you do the analysis, what if you're wrong?

10 Then you use your judgement and you say,
11 well, you found wrong, I might as do this as well, to
12 protect me. Okay? And this extra thing you do is not
13 always quantifiable. So you can't say this is
14 sufficient.

15 MR. KING: But it is based upon a judge of
16 what the uncertainties are.

17 MR. APOSTOLAKIS: Absolutely.

18 MS. DROUIN: Yeah, and that -

19 MR. APOSTOLAKIS: But you don't quantify,
20 because these are -

21 MR. KRESS: I think that's the key, though,
22 George. See, instead of asking the question, is what
23 if I'm wrong? I think they're changing the question
24 around, it's, how wrong am I likely to be? And that's
25 the uncertainty.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And that you can use, in a sense, to
2 decide on how much structuralist defense and depth you
3 need. And I think that's an approach.

4 MR. APOSTOLAKIS: In my mind, you would be
5 able to do that if you were able to quantify
6 uncertainties in duty and completeness. And I don't
7 see how you can do that.

8 MR. KRESS: And that's the, well, that's
9 the question.

10 MR. POWERS: I mean, it seems to me that
11 this approach of reviewing structural defense and
12 depth as kind of a baseline, I don't know that it's a
13 minimum, but it's a baseline.

14 And then using a more rational approach,
15 within that, that structure, is not a bad idea.

16 MR. APOSTOLAKIS: No, it's great.

17 MR. POWERS: And I think that, when I hear
18 the words blending I get nervous because the problem
19 is structural defense and depth is unbounded.

20 MR. APOSTOLAKIS: Yes.

21 MR. POWERS: Okay, unless you artificially
22 bound it. And what Tom is saying is, okay, he's going
23 to bound it because he's going to find a minimum here
24 and he's going to bound it that way.

25 And then he's going to apply rationalist

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where, elsewhere in the thing, because he had the
2 rationalist approach has a bound on it. It doesn't
3 sound like a bad idea to me, but I would not call it
4 a blending.

5 I like this more minimum and then account
6 for your uncertainty kind of rationalist approach on
7 top of it. It's a more appealing description to it
8 than a blend.

9 MR. WALLIS: It's almost as if one
10 reinforces the other, rather than -

11 MR. POWERS: Well, it's a case of, you
12 know, give Caesar what Caesar's due. They each have
13 its place and the problem is always that, the problem
14 with structural defense and depth is that if I apply
15 it at too low a level, I end up with chaos.

16 Because, you know, if one pumps good, then
17 two pump must be better. Well, two is good, gee,
18 three must be even better. And there's no end to
19 that.

20 MR. KRESS: And it's two different kinds of
21 pumps.

22 MR. APOSTOLAKIS: I just don't think you
23 can have such a clean separation. Because, I fully
24 agree that you have to have the structural, as you
25 guys define, you know, defense and depth, for example,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 prevention versus mitigation, you say this is what I
2 want to see. That's great. Then you go to the
3 rationalist. Unfortunately, in applying the
4 rationalist approach, you will realize very quickly,
5 in certain instances, that there are uncertainties you
6 have not quantified.

7 There may be incompleteness issues and so
8 on, so you're reverting back now to structuralist
9 mode, but that lower level. It's not rationalist all
10 the way. It can't be.

11 MR. KRESS: But, George, I maintain you've
12 got to do something about those uncertainties. You've
13 got to include them in there some way.

14 MR. APOSTOLAKIS: Well, I mean, if you guys
15 want to start quantifying uncertainties due to
16 incompleteness and models, that would be great. I
17 mean there is a first step with -

18 MR. KRESS: That's exactly, that's exactly
19 my point.

20 MR. APOSTOLAKIS: - work that we reviewed
21 at the Subcommittee meeting.

22 MR. KRESS: Yeah, but in order to do this,
23 I think you have to have some way to deal with those
24 uncertainties.

25 MR. KING: Yeah, I like to call them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 qualitative uncertainties. Not going back to the
2 structuralist -

3 MR. APOSTOLAKIS: In my mind that's
4 structuralist. The moment say that then you start
5 putting, I mean look at the you guys maybe are not up-
6 to-date with this, but we were briefed yesterday on
7 how to choose a position of break size in the revision
8 of 5046.

9 And, you know, the staff came up with
10 their expert opinion and recitation process,
11 distribution, blah, blah, blah, then the decision
12 maker now looks at all that.

13 And says, well, gee, you know, they did a
14 good job but there are still uncertainties. We will
15 go with this size. Now, in my mind this is a
16 structuralist thinking.

17 Now why four inches greater than the upper
18 percentile of the distribution and not six? That's
19 the part you can't really quantify and say four inches
20 is sufficient, five is too much.

21 In my mind this is still up in the air and
22 I think that's -

23 CHAIRMAN BONACA: There was a practical
24 decision that said let's take the largest attached
25 pipe to the RCS. That is bringing that kind of, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, and that's, so since you don't have any further
2 base to make a judgement, I mean, what you do you just
3 anchor yourself to come kind of -

4 MR. KRESS: Yeah, but that's a cop out with
5 respect to what George is saying. Suppose you didn't
6 have that to lean on. And, George, I maintain that
7 yes it's difficult, but it's not impossible to deal
8 with these uncertainties in a sense of, you have to
9 come down on how much uncertainty am I willing to live
10 with.

11 And then you have to be able to quantify
12 in some way, these uncertainties are bounded. And
13 that's the approach that needs to be taken.

14 MR. APOSTOLAKIS: Idea, yeah, yeah.

15 MR. KRESS: But that's the only, that's
16 only practical --

17 MR. APOSTOLAKIS: This conform in service
18 inspection. How many times has Dr. Shack told us that
19 everything we do there is a defense and depth measure,
20 because from the risk perspective we shouldn't be
21 doing anything. Is that true or not?

22 MR. SCHACK: It's roughly true.

23 MR. APOSTOLAKIS: It's roughly true. Risk-
24 informed ISI is a defense and depth measure.

25 MR. KRESS: Well, that could be considered

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 part of the baseline, see. Okay, we won't deal with
2 this in risk base, we'll just say you got to do it.

3 MR. APOSTOLAKIS: But that's my point. Why
4 do you make that decision?

5 MR. KRESS: But those things are not part
6 of the design, they're part of the, I think there's a
7 lot of operational things that you're not going to
8 include in the risk.

9 You're dealing mostly with design here.
10 And those are operational issues. I think they treat
11 them probably pretty much the same way they've been
12 treating it for years.

13 MR. APOSTOLAKIS: Anyway, the fact that
14 these issues have been acknowledged I think is a
15 healthy step forward.

16 MR. POWERS: Let's see how they resolve it.
17 And simply remember the dictate from one of your
18 heroes, Stan Kaplan. When you're having trouble
19 quantifying things, go out and quantify them.

20 (Laughter.)

21 MR. KRESS: Oh, I like that. I never heard
22 that. But you can tell we're very interested in this
23 subject.

24 MS. DROUIN: Please come to the workshop.

25 MR. KRESS: Some of us will be there, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guarantee it.

2 MS. DROUIN: But I will say this. We will
3 quit using the word blended, if that's
4 mischaracterizing it.

5 MR. POWERS: No, no, I didn't mean to be
6 too critical, it's just I like Tom's description as
7 more consistent with my way of approaching it, I
8 guess.

9 MR. KRESS: Well, will we have to let you
10 know if we're coming to the workshop or do we just
11 show up?

12 MS. DROUIN: No, you just show up. Unless
13 you want to do a presentation as a member of the
14 public.

15 MR. KRESS: No, I think I just want to
16 listen.

17 MS. DROUIN: Okay, at this point I was, Tom
18 is going to walk through the next part of the
19 presentation and then Steve is going to do part, and
20 then I'll pick up the tail end.

21 MR. KING: Yeah, the next issue on the list
22 was what we call probabilistic licensing basis, where
23 the Commission approved, as a policy matter, that we
24 could use probabilistic criteria and probabilistic
25 approach for establishing a licensing basis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: That's a big step right there.

2 MR. KING: Now what we're working on is
3 what does that mean. And what it means is a different
4 way of doing things in several areas.

5 One, doing away with the traditional
6 single failure criteria and using the PRA event
7 sequences to establish what are the failures you need
8 to consider, both in the design and in the safety
9 analysis to allow the use of scenarios, specific
10 source terms.

11 And we have a separate slide on that, so
12 I won't say anymore on that at this point.

13 MR. KRESS: When you talk about doing away
14 with the single failure factor, what you're doing is
15 trying to be more realistic. Instead of saying that
16 some of these safety systems have a probability of one
17 of not being in operation, they're actually going to
18 give them -

19 MR. KING: Give them a probability.

20 MR. KRESS: And there's some uncertainty on
21 it.

22 MR. KING: Right, right.

23 MR. APOSTOLAKIS: Plus you're going to have
24 a problem with some of these new designs they use
25 components that are kind of new, we don't have any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 records and we don't know what their failure rates
2 are.

3 I don't think it's as simple as it sounds,
4 and Mario, I'm surprised you're silent. Your
5 objection to 5046 choice of the TBS was that they're
6 doing away with the single failure criteria for breaks
7 above the TBS.

8 CHAIRMAN BONACA: No. No, no.

9 MR. APOSTOLAKIS: That's what you told me
10 yesterday.

11 CHAIRMAN BONACA: No, you're taking bits
12 and pieces to support your own way, and then you make
13 your own -

14 (Laughter.)

15 MR. APOSTOLAKIS: No, that's what you told
16 me.

17 MR. POWERS: And why do you find this
18 unusual?

19 (Laughter.)

20 CHAIRMAN BONACA: No, no, in fact, I mean
21 yesterday you talked and I listened to you. I said
22 no, yes, and then it goes through my,

23 MR. APOSTOLAKIS: Anyway, let's go on.

24 MR. KING: You might argue that some
25 elements of the single failure criteria concept are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 still embedded in the defense and depth structuralist
2 pieces of defense and depth.

3 We can deal with that in more detail
4 later. Defining event sequence categories by
5 frequency. What we've come up with is three
6 categories of events that need to be considered in the
7 design, and they are defined by frequency.

8 We call them frequent, infrequent and
9 rare. There's numbers in the frame work to define
10 those.

11 MR. POWERS: When did you find it necessary
12 to define categories? I mean why did, I mean what do
13 you use the categories for?

14 MR. KING: The reason we felt it was
15 necessary to define categories, is because we're still
16 in a risk-informed approach, we're not a risk-based
17 approach.

18 So we still feel it's important to
19 identify from these categories, things that would
20 traditionally be called anticipated operational
21 occurrences or design-basis accidents.

22 Because, for example, we're not changing
23 part 100. We need to define something that's going to
24 be used to assess against the citing criteria. And we
25 still wanted some deterministic look at things, not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just strictly a probabilistic look.

2 So we're using those categories to select
3 some things that would be labeled and dealt with in a
4 more traditional sense.

5 MR. DENNING: Could you help me with a
6 little bit, with the PRA that's the basis upon which
7 you're going to do all these, this is something that
8 an Applicant puts together?

9 I mean obviously there's no data on a lot
10 of these systems that they have, and so there's a lot
11 of hypothetical elements to this PRA at the design
12 stage.

13 But you're going to, he's going to fix
14 some PRA that's part of his submittal as his design
15 PRA. And the thing, one of the things that concerns
16 me is then based upon that, there will be decisions
17 made as to what follows design-basis events and what
18 are not design-basis events.

19 And then what happens as there's true
20 evolution throughout the life of the plant and you
21 start to have something where you really believe the
22 PRA represents the real system, and that dramatically
23 changes some, what happens then to design-basis
24 events? Do they no longer, do they change with time?

25 MR. KING: Yeah, what you're talking about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is the very last bullet on this slide. The Licencee,
2 the Applicant is going to responsible for developing
3 the PRA and the technical basis that supports it.
4 What our frame work and our requirements will have is
5 some guidance and criteria regarding the scope and
6 depth and quality of that, what that PRA is now.

7 When he comes in at the design stage,
8 you're right, there's going to be more uncertainties
9 than later on when they get actual information. And
10 that's why we say use the term Living PRA in the last
11 bullet.

12 One of the things that goes along with the
13 concept of a living PRA, is what do you do with the
14 changes as they come in and then the PRA is updated.
15 And that's an issue we have to face in the sense that
16 it could affect safety classification.

17 It could affect design identification, the
18 design-basis accidents, anticipated operational
19 occurrences. How do you factor those back in to a
20 design that's already been approved? And we need to
21 come up with a process that does that.

22 You know, right now we have changes that
23 are made in plants and there's a process that's called
24 5059 in the regulations that allows a Licensee to make
25 changes on their own, if they fall below a certain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safety threshold.

2 You know, he has to notify the NRC, but
3 they can go make the changes. But above a certain
4 safety threshold NRC approval is required. We're
5 thinking of a similar type process.

6 We haven't laid it out yet given the
7 complexities of certified designs and the fact that a
8 living PRA could affect a lot of things. But it's
9 clearly an issue we have to deal with, and we know we
10 have to deal with it.

11 MR. DENNING: Because I think stability is
12 really important here.

13 MR. KING: Yes.

14 MR. DENNING: And we're pinning things to
15 PRA, which we know is going to have a lot of movement
16 from this preliminary PRA to what really gets
17 implemented. And as we start to obtain information,
18 understand what the true risk from that plant, better
19 understand. We never understand.

20 MR. KING: We know what the issue is. The
21 industry knows what the issue is, we have to deal with
22 it in this process. We don't have an answer at this
23 point.

24 MR. APOSTOLAKIS: Now the DBAs that you're
25 referring to, do not necessarily have to have the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 features that the current DBAs have, do they?

2 MR. KING: Right, and that's a key point.
3 Today's LWRs have a stylized set of DBAs that they all
4 have to design the plan for. This would be design
5 dependent.

6 MR. APOSTOLAKIS: I'm sorry, design what?

7 MR. KING: Design-dependent. You know,
8 depending on the design and what the PRA says, you
9 would select those things that you would identify as
10 DBAs based upon the criteria and the frame work.

11 And they would different from design to
12 design.

13 MR. APOSTOLAKIS: But would they, would the
14 requirements again include things like you have to do
15 your thermal hydraulic analysis using conservative
16 codes and estimates. You would have to have single
17 failure criteria here and there.

18 MR. KING: No.

19 MR. APOSTOLAKIS: What would be the
20 definition then of the DBA?

21 MR. KRESS: We're doing away with the
22 single failure criteria. If you pick an event
23 sequence and say that's my DBA because if, you know,
24 it has a high consequence for example.

25 MR. SCHACK: And you, the Applicant is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 person who chooses these design bases?

2 MR. KING: They propose.

3 MR. SCHACK: They propose.

4 MR. APOSTOLAKIS: There would be some
5 negotiation.

6 MR. KING: And that event sequence may
7 have, you know, one, two or three failures in it, and
8 then that's what you assume in your design and your
9 safety analysis.

10 MR. WALLIS: Well, wouldn't you need things
11 like if it's 2200 degrees, it seems to me that if the
12 PRA reflected the consequence of going to 2300, 2400,
13 2500 degrees, you wouldn't need to specify some
14 magical criteria.

15 Like 2200, if you just had it in the PRA,
16 and you make decisions based on that.

17 MR. KING: Well, in the frame work, and in
18 the technology neutral requirements we'll probably
19 have some qualitative criteria. For example, DBAs, we
20 don't want core melt accidents as part of your DBA.

21 Now what's that mean in terms of , for an
22 LWR, and HTGR, a liquid-metal reactor, that's where
23 the technology-specific regulatory guides would come
24 in and say, okay, for an LWR, that means stay below
25 2200 degrees. For an LMR maybe some eutectic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature with the cladding. You know, whatever it
2 turns out to be.

3 MR. APOSTOLAKIS: So are you saying, Tom,
4 that the reason why you want to define DBAs is Part
5 100?

6 MR. KING: Yeah, I think, that's one
7 reason.

8 MR. APOSTOLAKIS: What's the other?

9 MR. KING: I think the other reason is we
10 want to stay risk-informed. We want some
11 deterministic check on things, not strictly a risk-
12 based decision process.

13 MR. APOSTOLAKIS: Well, the point, okay,
14 after the, let's say in particular vendors trying to
15 market a particular design. Okay, they come to you
16 and they say we are proposing, here's our PRA and
17 we're proposing these to be the DBAs.

18 Now if somebody, let's say they sell it to
19 ten utilities. These ten Applicants now will use the
20 DBAs or the whole PRA or both?

21 MR. KING: Both, both. It's a -

22 MR. KRESS: You'll have to meet the risk
23 criteria, too.

24 MR. APOSTOLAKIS: But would the DBAs be
25 analyzed using conservative methods, like it's done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 now, or would they still be analyzed using PRA
2 realistic methods, but those methods will be
3 scrutinized to death by the staff because they're
4 DBAs?

5 MR. KING: Basically, what we've said is
6 across-the-board use best estimate methods. If it's
7 a DBA we want to use a 95 percent confidence
8 acceptance criteria, confidence level in comparing
9 against the acceptance criteria.

10 If it's a risk criteria, like a LERF, for
11 example, it would be using mean values. So we're
12 trying to do it in the level of confidence that you
13 would use in comparing your analysis, your best
14 estimate analysis against whatever the acceptance
15 criteria are.

16 MR. APOSTOLAKIS: And you would keep the
17 margins separate from the PRA?

18 MR. KING: Yes, yes. Now we are thinking
19 some guidance in the frame work and in the
20 requirements, in terms of qualified analytical tools,
21 how would you verify that the codes you were using are
22 good for the analysis you're using them for?

23 We're thinking we need to put some
24 guidance in. Exactly what that will say, we're sure
25 at this point, but it's not something we can duck.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. APOSTOLAKIS: Why would you separate
2 the margins from the PRA? I mean there are
3 probabilities of failure, aren't they?

4 MS. DROUIN: Can I interject for something?
5 I'm getting very concerned about the time. We're only
6 on our second issue. We've got seven more to go. Not
7 that this isn't a great discussion, it wasn't the
8 intent of today's presentation to get into, you know,
9 the detailed technicals on all of these issues.

10 MR. APOSTOLAKIS: Yeah, but you should get
11 some input from us.

12 MS. DROUIN: Absolutely, it's not that I
13 don't want the input, I'm just asking do we want to be
14 able to get to all the other seven issues?

15 MR. KRESS: We might be able to bend on the
16 time a little bit.

17 MS. DROUIN: We are going to be coming back
18 to the Subcommittee in great detail to have these kind
19 of discussions.

20 MR. KRESS: Okay, there's really nothing
21 pressing where people have to be here following this.
22 It's almost internal stuff, so we, you know, I'm not
23 all that concerned myself about running over a little
24 bit.

25 MR. APOSTOLAKIS: As long as it's just a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little bit.

2 (Laughter.)

3 MR. KRESS: As long as it's not a whole
4 lot.

5 MR. APOSTOLAKIS: As long as Mario is not
6 here.

7 (Laughter.)

8 MR. KRESS: Mario is not here, no.

9 MR. WALLIS: I might be more strict than
10 Mario.

11 MR. KRESS: Oh, okay. Well, anyway, you
12 can go ahead because we'll worry about the time and
13 we'll just -

14 MS. DROUIN: Okay.

15 MR. KING: To go back to the margins
16 question, what we've talked about is putting margins
17 in the acceptance criteria. You know, you know where
18 your failure point is or you have some idea where it
19 is. Do you want to set your acceptance criteria some
20 distance away from that?

21 That's when you say margins, that's what
22 I'm thinking of.

23 MR. APOSTOLAKIS: Yeah, and I'm saying that
24 these could be incorporated in the PRA itself.

25 MR. KING: They could, they could. Yeah,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's one thing we, PRAs traditionally don't do, they
2 don't -

3 MR. APOSTOLAKIS: Yeah, that's correct.

4 MR. KING: - put uncertain bounds on the
5 acceptance criteria. And that's, that's something to
6 think about. The other thing this section does, is it
7 proposes some technology neutral risk criteria that,
8 at this point, we're proposing would be surrogates for
9 the frequency consequence curve.

10 And Dr. Kress' question, can you do that?
11 Is a good one and I think we need to make sure the
12 workshop covers that point. But we've proposed some,
13 a couple of values in there for accident prevention
14 and for accident mitigation that we want to get out
15 and get some comments on.

16 We're developing a risk-informed approach
17 for safety classification. We want to build upon
18 5069. You won't see much detail in the current
19 framework, we're still working on that, but that's the
20 idea, to use risk insights for safety classifications.

21 Okay, let me move on to the next,
22 scenario-specific source terms. That's where you take
23 the PRA and you take those event sequences, the ones
24 you've identified for AOOs and for DBAs, as well as
25 the ones that you're going to use for the, in the rare

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 category for emergency plan considerations.

2 And for each event sequence there could be
3 a different source term, depending upon what happens
4 to the fuel and what happens to the rest of the plant
5 during that event sequence.

6 So our scheme would allow a designer to
7 take credit for the plant performance and not just
8 have a one-size-fits-all source term like we almost
9 have now.

10 MR. POWERS: But would it be different
11 levels of core damage then, instead of just having a
12 CDF?

13 MR. KING: There could be different levels
14 of core damage, yes.

15 MR. POWERS: Since there are different
16 source terms.

17 MR. KING: Yes.

18 MR. POWERS: You want it just to have a
19 signal core damage frequency.

20 MR. KING: Yeah. It could be core damage
21 or it could be a breach in the primary cooling system,
22 if it lets more out, for example.

23 MR. DENNING: And you're thinking again
24 that you would have, for the design basis accidents
25 you would use that for site dose criterion of 25 REM?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KING: Yes, whatever the source term is
2 from those things you call design-basis accidents.

3 MR. DENNING: And you're taking, one of the
4 things that has me very much concerned is that you
5 would take away a fair amount of defense and depth
6 that we currently have where we use surrogate source
7 term that doesn't really represent what we call
8 design-basis accidents.

9 Within your design-basis accidents, could
10 you include full core meltdown accidents at ten to the
11 minus five? Or is that precluded at ten to the minus
12 five?

13 MR. KING: We're saying for the things that
14 you call design-basis accidents, which the cut off is
15 ten to the minus fifth, we have a deterministic
16 criteria we're proposing that says no core melt
17 accidents in that range.

18 MR. DENNING: No core melt.

19 MR. KING: No core melt.

20 MR. DENNING: So you'd have only trivial
21 releases, probably -

22 MR. KING: Well, it could be cladding
23 failures, and it could be -

24 MR. POWERS: Well, not for prior part 100,
25 he has to take a substantial core damage if you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to use part, retain part 100. It's required to
2 do a substantial core damage.

3 MR. DENNING: So that's my question.

4 MR. POWERS: It's part of the rule. If you
5 have, if you're going to use part 100, and not change,
6 as written now, you'd have to have a substantial core
7 damage.

8 It doesn't ask you what the probability
9 is, it just says a substantial core damage. And
10 that's been interpreted as release of some substantial
11 amount of, I mean a non-trivial amount of
12 radioactivity.

13 MR. DENNING: Well, that's what I'm trying
14 to find out, or are you saying we do away with part
15 100.

16 MR. KING: Well, not do away with part 100,
17 but not, not strictly apply that provision that says
18 you have to have substantial core damage.

19 MR. POWERS: That provision carries over
20 into the 50, is it 52, that's the advanced reactor,
21 specifically cool down?

22 MR. KING: Well, we're proposing to apply
23 that in a different fashion. To use your PRA
24 sequences and base your source term upon whatever ones
25 from the PRA you pick as design-basis accidents.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: You're going to get real, is
2 what you're saying.

3 MR. KING: I'm going to get real.

4 MR. KRESS: And really all that source term
5 does is propose an artificial beacon train on the
6 container.

7 MR. KING: Yeah, that's what it's used for.

8 MR. DENNING: But please, recognizing PRA
9 space we scarcely look at the amount of fuel damage
10 accidents at all, because they're such a trivial
11 contributor to risk.

12 You know, so there hasn't been very much
13 looking at what's a realistic source term for a non-
14 core damage accident.

15 So, I mean I think the thought of
16 comparing that to 25 REM at the site dose, even site
17 boundary, if all we're talking about is our, you know,
18 clad failure events and stuff like that. Those are
19 really trivial consequence accidents and I don't think
20 they're appropriate for siting type of calculations.

21 Siting may not be the right term to you
22 now, but for example, for designing containment or
23 something like that. It's there for severe accidents
24 that are, in your vernacular here, are going to be
25 less than ten minus five per year.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KING: We haven't neglected containment
2 and we haven't neglected severe accidents. You're
3 going to hear what the containment story is. We also
4 have, in probabilistic space and criteria for large
5 release frequency, that would look across all the
6 event categories and set some probabilistic goal or
7 criteria for when you can have a large fission product
8 release.

9 Which will affect your containment, it'll
10 affect your entire plant design.

11 MR. DENNING: Well, why are you bothering
12 to even look then at the source terms for these, these
13 trivial source terms from design-basis accidents. I
14 don't think, they're not really used to establish the
15 design for anything.

16 The, you know, the surrogate source term
17 that we currently use with design-basis accidents,
18 does establish the design for the containment. And we
19 create the containment and stuff like that.

20 MR. KING: When you're thinking LWRs, I
21 think you are making a valid point. When you start
22 thinking HTGRs and the design they have, you start to
23 get some sources from, from -

24 MR. KRESS: You get substantial amounts of
25 fission products that are tramped, fission products

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that are plated out on the walls of the HTGR and are
2 floating around in the heating. And those are
3 significantly high.

4 MR. KING: Or a sodium plant, where the
5 sodium gets highly radioactive.

6 MR. KRESS: Sodium may do the same thing,
7 you know.

8 MR. KING: And you don't have to damage the
9 core to get a tremendous source term.

10 MR. DENNING: Well, sodium plant may be a
11 little bit different, particularly if you have a
12 sodium fire or something like that. But I don't, I
13 don't think, you know, as far as, LWRs are included in
14 part of this consideration.

15 And I think that we have to think about
16 what we were really using the design-basis accidents
17 for previously and what their function was.

18 And right now, if we use trivial source
19 terms associated with them, they don't serve that
20 function of protecting the public.

21 MR. KRESS: Most of the design-basis
22 accidents don't even deal with source terms.

23 MR. KING: Well, most of the, like the
24 large break LOCAs, they assume the core melt source
25 term, the same one that you do for part 100.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DENNING: Right, it's a surrogate
2 because you've used the large-based LOCA, but
3 everybody knows it doesn't have that source term.

4 MR. KRESS: But it shows up on the
5 equipment qualifications and it shows up in things
6 like how good is your spray?

7 MR. KING: Containment design.

8 MR. KRESS: It shows up in the leakage rate
9 of the containment. It doesn't show up in the actual
10 size and strip of the containment, that's based on the
11 pressures that come out of there.

12 So they really don't, those source terms
13 really don't have a big impact on the design, it's the
14 design of fuel of the safety, I think has an impact on
15 the quantity of spray you have.

16 MR. KING: Well, they have an impact in the
17 sense that it sets diesel generator start times and
18 valve closure times and so forth on a stylized source
19 term.

20 MR. KRESS: Things it really shouldn't,
21 things that really shouldn't happen.

22 MR. KING: Right, things that may not, you
23 know, reflect realistic accident scenarios. We're
24 trying to be more realistic and your point is valid
25 that -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DENNING: I'm willing to move on, but
2 I think you do have to recognize that's major
3 differences and also that these design-basis
4 accidents, in general, are going to have trivial
5 source terms.

6 It wouldn't serve the same function of
7 what we're doing today.

8 MR. KING: Okay. The thought I want to
9 leave you with is we haven't forgotten about
10 containment and we haven't forgotten about core melt
11 accidents in this process.

12 They will show up and they will affect the
13 design.

14 MR. POWERS: Let me turn to your comment on
15 verified analytic codes and this may be outside of the
16 scope of your particular work, but I'd be interested
17 in your thoughts on it.

18 I see lots and lots of these advance
19 reactors coming in with very, very novel fuels and
20 designs and things like that. And people saying that
21 there is, there's no efficient product release from
22 this, even though I heated up to plasma-level
23 temperatures and things like that.

24 And this is unbelievable stuff, and you
25 say well how did you come about that conclusion? And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they said well I've got a computer code, it's a
2 wonderful computer code. And whatnot and so you ask
3 them well what experiments have you done, and they say
4 well I haven't done any experiments but there were
5 some German experiments done on fuel that has no
6 relationship to the fuel that I'm going to use, but it
7 looks about the same.

8 So, I, those must be those fuels, so
9 should wonderful things, even though they were
10 subjected to a temperature scenario that bore no
11 relationship to the temperature scenario I'm going to
12 subject it to.

13 The point being that the cost of
14 experimentation has gotten so high now, there's
15 reluctance to use experimental data even when we're
16 delving into very novel technologies where predicted
17 capabilities are sparse.

18 And people are, don't seem to have a good
19 criterion for saying when is it that your physics
20 embodied in your code may have all the right
21 equations, but I want to see an experiment.

22 Is that something that you deal with when
23 you say verified. Do you mean verified or validated
24 here against experiments?

25 MR. KING: Yes, that's something we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to deal with. I don't have an answer for you,
2 but it's one of the issues we've got to wrestle with.
3 What kind of criteria do we put in that's going to
4 essentially require some experimental verification of
5 what's being proposed.

6 And the flip side of that is what does NRC
7 want to do in terms of some confirmatory testing to
8 validate those things.

9 MR. POWERS: I presume NRC really can't
10 make that as a generic judgement until after they've
11 seen the application.

12 MR. KING: Right, right. And that's not
13 something we're going to put in a set of requirements,
14 but it's still an issue.

15 MR. DENNING: But please change that to
16 verify and validated, because -

17 MR. POWERS: Verified to me means you went
18 through and checked the code.

19 MR. KRESS: To see if you didn't make any
20 mistakes in coding.

21 MR. KING: Okay.

22 CHAIRMAN BONACA: Are we ready to move on?

23 MR. KING: It's an issue and there will
24 probably be a lot of arm-wrestling over the answer to
25 that issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. POWERS: Yeah, and how you decide when
2 you need experiments. I mean it's just not in the
3 source term, it's in a lot of other areas.

4 MR. KING: Okay.

5 MR. APOSTOLAKIS: Isn't that related to the
6 issue we were discussing earlier about the
7 uncertainties?

8 MR. KING: Umm hmm.

9 MR. APOSTOLAKIS: Not that I know how to do
10 it, but it seems to me they're related. The larger
11 the uncertainty, so, perhaps, the more controversial
12 the uncertainties are.

13 The more evidence you want from real world
14 to eliminate some of them.

15 MR. KING: Yeah. I mean in theory you
16 could say, well I'm just going to develop some
17 bounding source term and not worry about it anymore.

18 The designer could choose to do that, and
19 not go through the cost of a bunch of experiments and
20 code assessment. And that option is in the framework,
21 if they want to do that.

22 MR. POWERS: The trouble with the bounding
23 approach is that it's bounding for some applications
24 that, ipso facto is not bounding for others.

25 MR. KING: Yeah, it could cause some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 problems in other areas, that's right.

2 MR. KRESS: One of the things we've talked
3 about off-line in a bar somewhere, is that should this
4 technology and neutral framework deal with the
5 sabotage of terrorist-type issues, safeguards?

6 One way it could is to say, well, your PRA
7 has to include that, would be one way to do it. And
8 then all your criteria would be okay. I mean, just,
9 it would be part of another set of sequences.

10 MR. KING: Umm hmm.

11 MR. KRESS: The other way is leave it out
12 altogether and deal with it separately. Do you have
13 any thoughts on how you're going to deal with that in
14 this?

15 MR. KING: We have a placeholder in here on
16 physical security.

17 MR. KRESS: Placeholder right now.

18 MR. KING: There is a separate paper being
19 written by NRR.

20 MS. DROUIN: We have a slide on this, we're
21 going to get to.

22 MR. KING: Yeah, we'll get to it.

23 MR. KRESS: Sorry, I didn't mean to jump
24 ahead.

25 MS. DROUIN: No, that's okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: It's just that emergency -

2 MR. KING: What the Commission approved
3 last year in the EP area was we don't need to make any
4 near term changes in the EP area, for things like the
5 pebble bed, because, one, the regulations already
6 provide some flexibility for HTGRs in the EP area.

7 But they did agree in the longer term,
8 when we're thinking about defense and depth, think
9 about how EP fits into that and they approved us
10 thinking about some criteria that could be used to
11 make an assessment on whether to change the emergency
12 planning zone, with keeping defense and depth in mind.

13 So that's what we've been trying to do in
14 this framework, and we've come up with some criteria
15 that are in the framework. They're not on this slide,
16 because we want to give the Commission a chance to
17 look at them before we put them out for everybody else
18 to look at.

19 But assuming the Commission sees this
20 paper and doesn't object to us putting those out, they
21 will be contained in the framework that will be one of
22 the topics discussed at the March workshop. So, at
23 that, I'll just leave it at that for now.

24 MR. DENNING: Quick comment. And that is
25 I think emergency planning is overrated as far as its,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think from a risk-informed viewpoint, if you look at
2 the values of evacuation, that emergency planning is,
3 many people think that's it's really, really
4 important.

5 If you look at risk studies, as in NUREG
6 1150, and see what are the advantages of having rapid
7 evacuation verses not evacuating and this kind of
8 stuff. See, it doesn't really buy you that much in
9 risk space.

10 People's perception is quite the opposite
11 and they look at it as important defense and depth and
12 some of the Commissioners, I know, think it's really,
13 really important.

14 The reality is, for risk-informed, I don't
15 think it's really that important. If we look at
16 driving down core damage frequencies and lower source
17 trends, if we really, you know, although Dana really
18 doubts some these potential, it isn't at all clear.

19 You really need emergency planning zones.
20 That they buy you anything really in a risk-based,
21 look at this in comparison to their cost.

22 MR. POWERS: I find that remarkable. I
23 find that just absolutely stunning statement.

24 MR. APOSTOLAKIS: I thought that we
25 distinguished between late and early releases, based

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on whether there's time to evacuate. So it should
2 make a difference.

3 MR. DENNING: Well, it does make some
4 difference, but if you look at NUREG 1150 and you do
5 the sensitivity studies, and they're in there, in
6 NUREG 1150, the sensitivity studies, for some, it
7 doesn't make any difference at all.

8 Like the Sequoia, no difference at all,
9 because they had early releases all the time. And so
10 they were just as good to sit there and shelter.

11 Now it is important to go in and relocate
12 after the passing cloud. But if you look at the value
13 of emergency planning actions, in the sensitivity
14 studies done in NUREG 1150, it buys you something like
15 factor 4 on early fatalities for typical large drives
16 and stuff like that.

17 In comparison with its cost, it isn't
18 clear to me that for future plant designs it's
19 necessarily warranted. So I think you have to allow
20 the possibility that you've got a plant design with
21 low enough core damage frequency and release
22 characteristics that are such that, you necessarily -

23 MR. KING: Well, our approach is one, there
24 needs to be some baseline emergency planning and then
25 bang on your plant characteristics how much more over

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and above that do you need? That's our basic
2 approach.

3 But, again, I won't get into the details
4 here. We're going to have plenty of time later to
5 talk about that.

6 MR. KRESS: That could be viewed strictly
7 and defense and depth and may not need it for risk
8 consideration. But it's there because what if I'm
9 wrong.

10 MR. DENNING: But I think you can look at
11 the results of sensitivity studies and see does it
12 really make that much difference or doesn't it?

13 MR. KING: Okay, let me move on.

14 MR. APOSTOLAKIS: We do other things on
15 risk basis.

16 MR. KING: Integrated risk, the next two -

17 MR. POWERS: The only way I get away from
18 prompt fatalities and most severe accidents is by
19 evacuation. It's the only way I can do it.

20 MR. DENNING: Well, Dana, I challenge you
21 to look at NUREG 1150, and look at those and there
22 aren't that many prompt fatalities.

23 MR. POWERS: Because they evacuated.

24 (Laughter.)

25 MR. DENNING: No, not in the sensitivity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 studies in which they don't evacuate and just shelter.

2 MR. POWERS: I have looked at the
3 sheltering capabilities for frame houses, large
4 concrete houses, subterranean concrete structures and
5 one other facility and they give you a factor of two
6 dose reduction.

7 MR. DENNING: And in many accident
8 sequences you just don't have that large of a source
9 term. It's the large, early releases that have the
10 big source term, as well as not giving you much time
11 for evacuation.

12 But the source terms vary tremendously,
13 depending upon how long the containment stays intact,
14 well, particularly if it doesn't fail at all. Sorry.

15 MR. KING: Integrated risk. I think we've
16 had our controversy on this and our approach is, in
17 the framework at this point we're dealing with
18 integrated risk for modular units only.

19 We acknowledge the ACRS letter and the
20 differing views. What we want to do is talk about
21 those in the March workshop. We've got specific
22 questions in the draft Federal Register Notice to get
23 others views on that, to see whether we want to extend
24 that to non-modular plants, and deal with it on a
25 site-basis or a nationwide-basis. So we felt we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 needed some more input before we were ready to tackle
2 the ACRS letter.

3 But on the second, the next page, for
4 modular plants, basically we're saying is that we feel
5 integrated risk does need to be considered. For
6 accident prevention, it would be considered primarily
7 on a frequency basis.

8 It wouldn't matter what size the module
9 was. And there is a definition of modular plants, by
10 the way, that's in the frame work, it's the same one
11 that's in the proposed Energy Bill.

12 So there is some limitations on what do I
13 mean by a modular reactor. Excuse me?

14 MR. APOSTOLAKIS: Is this still proposed?
15 I thought it was approved?

16 MR. KING: No, as far as I know, the Energy
17 Bill has not been approved, it's still proposed.

18 MR. KRESS: If you stuck strictly with an
19 FC curve, the question wouldn't come up.

20 MR. KING: Well, I'm not sure it wouldn't
21 come up. Again, do you call an individual module a
22 reactor or do you call that group of modules that's -

23 MR. KRESS: You just have an FC criteria
24 for all of them.

25 MR. KING: So it doesn't matter what size

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they are, they all have to meet the same thing?

2 MR. KRESS: Yeah.

3 MR. KING: But then how do you integrate?
4 You don't deal with integration at all, is what you're
5 saying? That's one way to do it.

6 MR. KRESS: The FC curve takes care of it.
7 It takes care of it automatically.

8 MR. APOSTOLAKIS: But that's for the site,
9 not for individual margins. The FC curve should be
10 for the site.

11 MR. KRESS: Yeah.

12 MR. APOSTOLAKIS: But then there is the
13 additional question of what do you do about the core
14 damage frequency of each module? And that's where the
15 ACRS was split.

16 MR. KING: Yeah, the frequency -

17 MR. APOSTOLAKIS: The FC curve doesn't take
18 care of that because the defense and depth thing says
19 you also have to worry about core damage, at least.
20 Right?

21 MR. KING: Right.

22 MR. KRESS: Yeah, I understand.

23 MR. KING: Yeah, and we're saying you need
24 to deal with both.

25 MR. APOSTOLAKIS: I don't think we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 disagreed when it came to the site criteria for the
2 release, right? There was no disagreement there. The
3 disagreement was on the core damage frequency.

4 MR. KING: No, you're right, that's what
5 your letter said.

6 MR. APOSTOLAKIS: What I don't remember is
7 which side I was on.

8 (Laughter.)

9 MR. POWERS: It seems to me that in recent
10 discussions on advance reactors, the concept of
11 modular reactors has fallen substantially from favor
12 relative to where it was when you guys started. Is
13 that your perception as well?

14 MR. KING: Yeah, I think it's, the interest
15 has decreased somewhat. It hasn't gone away. The
16 pebble bed folks are planning, we got a letter from
17 them recently.

18 They're planning to come back in and
19 reactivate the review. The IRS people are still
20 talking about doing a review. But you're right, the
21 ones that are now undergoing certification are large
22 plants.

23 MR. APOSTOLAKIS: The gas cold fast reactor
24 was talking about 300 megawatt.

25 MR. KING: Yeah, that falls under modular.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. APOSTOLAKIS: Modulars are 300? So
2 they're still talking about modular.

3 MR. POWERS: If they can get rid of their
4 core instability problem.

5 MR. KRESS: George, when I said that FC
6 Curves could take care of it, you can have two types
7 of FC Curves. You can talk about the frequency of
8 release of fission products from the fuel.

9 MR. APOSTOLAKIS: Oh, okay.

10 MR. KRESS: That's a type of FC Curve.

11 MR. APOSTOLAKIS: Okay, okay.

12 MR. KRESS: And if you set a limit on that,
13 then that would take care of your CDF automatically
14 because fuel may be dispersed into modules, or maybe
15 one big one, or maybe part of the spent fuel pool.

16 So what you need is if you're going to
17 have two sets of criteria for LERF and the CDF, you
18 need two sets of FC Curves.

19 And I think I've said that in one of the
20 little write-ups I gave you on things that you should
21 be focusing on the fission products. And this is a
22 way to do it.

23 To get this, to get this integration, that
24 would be one way to do it. So you can take that as a
25 suggestion from me.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KING: Okay.

2 MR. KRESS: Rather than talking about CDF,
3 talk about the frequency release from fuel first.

4 MR. KING: Okay.

5 MR. APOSTOLAKIS: I really wonder how, what
6 that curve would look like?

7 MR. KRESS: It would be interesting.

8 MR. APOSTOLAKIS: The shape probably would
9 be funny. It's not going to be that smooth thing we
10 are used to seeing.

11 MR. KING: It's going to go the other way.
12 Instead of coming down, it's going to go up.
13 Frequency gets lower, the amount you can release gets
14 higher.

15 MR. APOSTOLAKIS: Yes, yes. But that's the
16 same -

17 MR. KING: It's an interesting concept.

18 MR. KRESS: At least it's a thought, we can
19 give some thought to it. Maybe that's a better
20 definition than the CDF.

21 MR. APOSTOLAKIS: It probably would be very
22 steep. Then once you start releasing, then very
23 quickly you're releasing too much. So, instead of
24 some, but we can take the logarithm with the
25 logarithm, can't we. We can always smooth the top.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: Anyway, that gives you
2 something to think about.

3 MR. DENNING: Let me make another comment
4 that you don't like. And that is that the focus
5 should really be on those radio nuclides that affect
6 latent cancer fatalities rather than early fatalities.

7 I noticed that in here there's a, you're
8 looking at earlies. From a risk viewpoint, you know,
9 we look at individual risk for both. If you look at
10 severe accident scenarios, the number of predicted
11 latent cancer fatalities is hugely bigger than the
12 number of early fatalities.

13 Hugely. Ten to the fourth, something like
14 that. Some of that may be a little bit unreal,
15 because it involves low doses and linear threshold
16 theories. So if you take that rationale, then I think
17 what you really do is you focus on cesium, for
18 example, and you focus on -

19 MR. KRESS: I think they're focusing on
20 dose. And if you look at their FC curves they come up
21 with, and their rationale for how they deal with
22 latent cancers, they have a good approach.

23 And I really congratulate you on that part
24 of it.

25 MR. DENNING: Population dose -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: Yeah.

2 MR. DENNING: - you're saying? Well, then
3 you would be focused on -

4 MR. KRESS: The only thing I didn't see in
5 that, they talked about latent cancers. They didn't
6 really deal with the total deaths the same way.

7 MR. KING: No, we don't deal with total
8 deaths, but these -

9 MR. KRESS: Then I'd like to see that, to
10 tell the truth. Use the same process you use for the
11 latent cancers and see what you come up with for total
12 deaths.

13 MR. KING: The lower end of the Frequency
14 Consequence Curve is based upon dose that would
15 trigger an early fatality. But the area under the
16 curve is based upon preserving the latent fatality
17 QHO. So we try to deal with both.

18 MR. KRESS: I really -

19 MR. DENNING: No I'm not talking about, I
20 wanted to make the important it's not the distinction,
21 not the individual fatality. It's looking at the
22 total consequences of the accident and that's quite
23 different.

24 And there is where you see this tremendous
25 dominance of latent cancer fatalities versus early

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fatalities and those radio nuclides that contribute to
2 large population doses as being the things that really
3 dominate those.

4 If you take that philosophy, then if you
5 look at core damage frequency, you would megawatt, you
6 would megawatt average or weight your core damage
7 frequencies in modular reactors.

8 MR. KRESS: Yeah, but we've always seen
9 core damage frequency limits or acceptance criteria as
10 being divorced completely from consequences.

11 MR. DENNING: But when you get to modular
12 reactors and you're asking this question of how do you
13 deal with core damage frequency, the way you would do
14 it you, would be, you would megawatt base it.

15 Megawatt weight, the core damage
16 frequencies if you're going to come up with a single
17 measure.

18 MR. KING: We are proposing that for
19 accident mitigation.

20 MR. DENNING: Because the total megawatts
21 of cesium are largely dependent upon the total
22 megawatts.

23 MR. KRESS: Oh.

24 MR. KING: Well, we are proposing a
25 megawatt weighting when we get to mitigation. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we're not when we get to prevention.

2 MR. KRESS: I don't think you want to do it
3 for prevention. I like my suggestion better, that you
4 need some sort of FC Curve for prevention.

5 MR. KING: That's an interesting idea,
6 we'll think about that.

7 MR. ROSEN: I understand we're talking
8 about health consequences here. But is there any
9 question to begin to talk about societal consequences
10 beyond health, like land contamination issues?

11 Economic consequences? Is that all in
12 this framework?

13 MR. KING: What we've tried to make, yeah.
14 You'll see in the framework dealing with, there is a
15 section on land, I don't know if we caught land
16 contamination, but it looks at land contamination from
17 the standpoint of, if we meet, if the future designs
18 meet the risk criteria we're proposing in here, what's
19 that mean for land contamination.

20 And the benchmark we use to compare it
21 against, is the extraordinary nuclear occurrence
22 criteria that are in 10 CFR Part 140, as sort of the
23 threshold we want to stay below.

24 And given the frequencies we're proposing,
25 we try to make the case that you will not exceed the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extraordinary nuclear occurrence criteria.

2 MR. KRESS: That was a very interesting
3 section. I thought there was some good stuff in
4 there. I think you can use the same approach for
5 total deaths.

6 Yeah, what we're trying to do is set the
7 level of the FC Curve. And so we can meet all these
8 criteria at the same time. And one or more of them is
9 going to control it.

10 I don't know which one. I think it would
11 be, in terms, when you look at it from the standpoint
12 of dollars, like you did, I think that's a great idea,
13 a wonderful idea. I made a talk once suggesting that.

14 CHAIRMAN BONACA: Just one word. We have,
15 we're not even through half the presentation and we
16 have ten minutes scheduled.

17 So, even if we are going beyond that,
18 there isn't, so let's try to remind us.

19 MR. KING: Yeah, I think maybe we ought to
20 move on. We'll go to containment. Stu is going to
21 talk about that.

22 MR. RUBIN: Yeah, okay. Fortunately, we
23 have an issue here that's not all that controversial
24 like the others. Stu Rubin, Office of Research.

25 What I'll be covering in the next four

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 slides is where the staff is at this point on our
2 efforts to develop functional performance requirements
3 and criteria for containments for new plants.

4 This is a Commission policy issue,
5 obviously and an important defense and depth issue for
6 the framework. And it's particularly important for
7 HTGRs in their licensing.

8 As background, as shown on this slide, in
9 the SRM on SECY 030047, the Commission directed the
10 staff to develop some performance requirements and
11 criteria for these new plant containment designs.

12 And to do it in a way that accounts for
13 the design and the performance characteristics of
14 important SSCs in features such as the fuel and the
15 core and heat removal systems.

16 And the Commission also directed the staff
17 that we should work with designers and experts in the
18 new plant arena, as well as other stakeholders, in
19 coming up with these proposals for requirements and
20 criteria.

21 And then to submit options on these
22 requirements and criteria. Now as far as the approach
23 is concerned, it's kind of summarized on this next
24 slide. The approach that was taken to develop and
25 assess the various containment function or performance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 options, was first to identify, with the help of
2 stakeholders, all of the functional areas where a
3 containment would have or contribute to a safety role.

4 And some of the functional roles that were
5 identified through the workshops and other means, were
6 reducing radio nuclide releases to the environment.

7 Protecting risk-important SSCs from
8 internal and external hazards. Protecting on-site
9 workers from on-site radiation hazards. The next step
10 in the process was to develop a specific proposed
11 performance requirements for each of the identified
12 functions.

13 And to try to state it in a way that was
14 technology neutral and risk-informed and performance
15 based.

16 MR. WALLIS: Could you address the issue of
17 whether or not you need a containment at all?

18 MR. RUBIN: Yes, because if you go through
19 the functions, there is a placeholder there for, and
20 I assume you mean reducing radio nuclide releases to
21 the environment -

22 MR. WALLIS: I was thinking about the AP-
23 600. I mean if you believe the risk numbers the
24 containment is worth 700 bucks a year or something.
25 And you would never invest in that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RUBIN: But the performance requirement
2 will kind of, it's performance based. And if there is
3 a float in terms of how -

4 MR. WALLIS: Yeah, but there's no
5 performance to be desired, because nothing will ever
6 happen, why do you need the containment?

7 MR. RUBIN: Well, I mean it is a defense
8 and depth issue.

9 MR. WALLIS: Okay, that's what I asked.

10 MR. APOSTOLAKIS: How much of that is
11 enough?

12 MR. RUBIN: And how much of that is enough,
13 and that plays out in the options.

14 MR. WALLIS: That's the big issue.

15 MR. RUBIN: That's the big issue.

16 MR. WALLIS: - signs may come up with no
17 containment.

18 MR. RUBIN: How do you write this
19 performance -

20 CHAIRMAN BONACA: - the public will have a
21 lot to say.

22 MR. ROSEN: Well, how do you do performance
23 requirements for something that has no function?

24 MR. RUBIN: Well, take a look at the
25 statement and then we'll decide if there really is, in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fact, a null requirement or some positive value on the
2 requirement, just to get to that.

3 The technology neutral statement that was
4 developed for reducing radio nuclide releases was the
5 containment must reduce radio nuclide releases to the
6 environment sufficiently, so that the dose predicted
7 for each of the events in the event categories meets
8 the dose criteria.

9 Now what does sufficiently mean? In some
10 plant designs, designers would argue that sufficiently
11 means no reduction required, okay? If you go into, is
12 that really accounting for defense and depth, it may
13 or may not, in conclusion.

14 In fact, HTGRs would tell you that the
15 reduction of radio nuclide releases is not required or
16 is not important in terms of the functions that
17 containments provide for that design.

18 MR. APOSTOLAKIS: But didn't the technology
19 framework, in one of its incarnations, have
20 requirements regarding mitigation and prevention?

21 MR. RUBIN: Yes.

22 MR. KING: It still does.

23 MR. RUBIN: Yes, yes.

24 MR. APOSTOLAKIS: So why -

25 MR. RUBIN: Yes, I'm going to get to that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that point.

2 MR. APOSTOLAKIS: So that means there is a
3 containment, doesn't it? I mean why are we discussing
4 the absence of a containment.

5 MR. KING: Well, HTGRs arguably some of
6 them do, but you know you can do it with a
7 confinement.

8 MR. APOSTOLAKIS: Oh, confinement.

9 MR. KING: You can meet those numbers with
10 a confinement.

11 MR. APOSTOLAKIS: Is that what you meant?

12 MR. RUBIN: Don't get hung up on the term
13 containment.

14 MR. APOSTOLAKIS: No, he meant completely.

15 MR. RUBIN: That's a third level barrier,
16 I like to use that term.

17 MR. APOSTOLAKIS: Yeah, that is a
18 structuralist defense and depth measure.

19 CHAIRMAN BONACA: Let me propose that in
20 that case you would have the public to deal with. I
21 mean, I think that the rationalist considerations are,
22 you know, more important than if you're inside the
23 core and all that kind of thing, unless you come close
24 to the issue of the containment, emergency plan,
25 etcetera. You have to convince the states.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. APOSTOLAKIS: It will cost you more to
2 convince the public, than actually building the
3 containment.

4 CHAIRMAN BONACA: Absolutely.

5 (Laughter.)

6 MR. APOSTOLAKIS: I think that's what's
7 going to happen.

8 MR. KRESS: But the HTGR people claim that
9 there, that the containment detracts from safety
10 because it ruins their alternate heat. And there is
11 a, there is a basis for that.

12 MR. RUBIN: And we took account of those
13 comments by developing metrics. And one of the
14 metrics that we identified was does the option have a
15 potential adverse on effect on safety.

16 That was one of the metrics that we used.
17 Another was the flexibility and there are many. So,
18 in some designs that was a negative in terms of the
19 metric that we had.

20 Okay, so needless to say, we did have
21 metrics in developing our options. Now the options is
22 where really the, and let's just turn to the options
23 page, thank you.

24 We have four performance options or
25 standards on how that statement or requirement would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be met. And each performance standard demonstrates,
2 provides, in turn, greater defense and depth for
3 unknowns and uncertainties.

4 And greater capability to reduce radio
5 nuclide releases.

6 MR. WALLIS: Suppose that one and two don't
7 give rise to any source term, when you actually
8 analyze the ideal reaction?

9 MR. RUBIN: Well, that's right. I think
10 these were comments made on some of the new plant
11 designs. Option one, you might not need a
12 containment, with option one.

13 I think that's right. If you just hone in
14 on the events that are more within the frequency band
15 for design basis events, then you're not going to need
16 a containment.

17 Now, what Option two says, though, is that
18 we're going to look at those events, but we're also
19 going to select credible events that have a potential
20 for a large consequence source term.

21 Now this is getting now to the traditional
22 way of looking at design basis events.

23 MR. WALLIS: This is incredible because the
24 contention of the designer will be that the likelihood
25 is so small that it's incredible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RUBIN: Well, I can't answer the
2 question today. It's going to be something that's
3 going to be looked at, at the time a design is
4 proposed and they will say this is our frequency, it's
5 ten to the minus eleventh.

6 And the staff will say, no, I don't think
7 so, for this reason. And those high consequence
8 scenarios will have to be decided if they will be
9 flected up into the design basis category.

10 And so that's the essence of Option two.
11 It includes, what some people call these cliff-edge
12 events, where the consequences really start to
13 increase steeply.

14 MR. WALLIS: Well, you have a lot of
15 problem now and you can't make your leak tight without
16 knowing something about the pressure inside it. And
17 if you've got an accident which will never happen,
18 you'll never get any pressure inside it and -

19 MR. RUBIN: Okay, are you on Option four?
20 I haven't gotten to Option four yet.

21 MR. WALLIS: I was just wondering how you
22 apply these here. Now, I haven't gotten to Option 4,
23 sure.

24 MR. RUBIN: Okay, well Option 3 is the same
25 events that you would look at in Option 2, but in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 addition you would require that the containment have
2 a capability for controlled leakage and controlled
3 release of the delayed accident source term.

4 That would provide additional
5 structuralist defense and depth for unknowns and the
6 events that you consider.

7 MR. ROSEN: You used the word leakage, do
8 you treatment then leakage? Such as in a filtered and
9 then containment?

10 MR. RUBIN: Not necessarily.

11 MR. ROSEN: So there's no requirement for
12 treatment of the -

13 MR. RUBIN: No, not at this point, no. But
14 you still have to, you still have to meet the
15 required, the dose limit, in any event.

16 MR. ROSEN: Oh, yeah, but if you're talking
17 about defense and depth, even though you meet the dose
18 limits, if you want a leak, have the capability of the
19 controlled leakage, before you can do that you must
20 filter whatever it is you intend to leak. I mean that
21 would be one way to go about it.

22 MR. RUBIN: Yes.

23 MR. ROSEN: That's not what you have.

24 MR. WALLIS: Maybe controlled leakage
25 implies that the control -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: Well, that's what I was asking
2 and he said no.

3 MR. WALLIS: I think it should.

4 MR. KING: Or it could or it could just be
5 a very leak tight building that controls it that way.
6 You can do it either way.

7 MR. WALLIS: That's Number 4.

8 MR. RUBIN: Yeah, well Number 4 is
9 traditional light water reactor containment which is
10 essentially leak-tight for both the prompt and the
11 delayed source term.

12 And I didn't get into the pros and cons
13 for each of these options. They're laid out in the
14 paper and you can read what those are. At this point,
15 our view is that Option three is the best option among
16 the four, given the pros and cons that you would look
17 at.

18 It would involve a substantial
19 structuralist component to defense and depth, and with
20 that kind of requirement, the fission product
21 reduction capability would not depend on the
22 performance of any of the other barriers, mechanistic
23 barriers.

24 And so you would have additional -

25 MR. WALLIS: It all depends on what kind of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accident you're going to postulate which will provide
2 the maximum challenge to this.

3 MR. RUBIN: Yeah, you'd have to look at the
4 specific design, that's right. And pick the events
5 that have potentially high source term, but are
6 credible.

7 MR. APOSTOLAKIS: I wonder whether it's the
8 Commission's philosophy not to depend on a single
9 element. I think it's the Regulatory Guide 1174
10 philosophy.

11 MR. RUBIN: That's three and four. Three
12 and four is a structuralist--

13 MR. APOSTOLAKIS: No, I understand that.
14 But, I mean, it says the second bullet there is
15 consistent with the Commission's defense and depth
16 philosophy which provides a safety function should not
17 depend on a single element.

18 Has the Commission ever said this? I
19 don't think so. I think it was in -

20 MR. KRESS: I think in the white paper it
21 was written.

22 MR. APOSTOLAKIS: No, it was, no, they
23 defined it differently there. They said it's the
24 provision of multiple barriers to prevent accidents
25 from happening or mitigating when, if they happen.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But this particular thing of not depending on a single
2 element, I think is Regulatory Guide 1174.

3 MR. KING: It is in, I think if you look at
4 the current strategic plan of the Commission, this
5 definition is in there.

6 MR. APOSTOLAKIS: Well, I'd like to see
7 that.

8 MR. KRESS: I've seen it somewhere.

9 MR. KING: It is, the Commission has put
10 these words out.

11 MR. RUBIN: Okay, at this point we plan to
12 engage stakeholders in March on this topic as well,
13 and take a look at the options, the evaluation of the
14 options and clearly it will be an important element of
15 defense and depth to the frame work when it's decided.

16 MR. DENNING: Does it have any function of
17 keeping things out, as well as keeping things in?

18 MR. KRESS: Yeah, I think that's one of the
19 functions. He didn't list it on that slide -

20 MR. ROSEN: Hopefully the next time we meet
21 we'll get more detail-specific.

22 (Everyone is talking at once.)

23 MR. APOSTOLAKIS: So what's going on? Where
24 are we? Oh, are we done?

25 MR. RUBIN: No, I'm done with my part. Tom

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 still has a part -

2 MS. DROUIN: No, with containment we're
3 done.

4 MR. KING: I wanted to get back to Steve's
5 question just for 30 seconds, having to do with
6 societal, how we deal with societal risk and land
7 contamination.

8 MS. DROUIN: I'm timing you.

9 (Laughter.)

10 MR. KING: And I mentioned the
11 extraordinary nuclear occurrence criteria, which if
12 they're exceeded triggers Price Anderson, which is
13 when society starts paying for the clean-up.

14 So what we've done is tried to make the
15 case that the criteria we've got in here will keep you
16 from exceeding. And extraordinary nuclear occurrence
17 talks about dollars, has some criteria for clean-up
18 cost as well as land contamination, square meters of
19 land contamination.

20 So we tried to make the case that if you
21 meet these criteria you don't exceed the extraordinary
22 nuclear clearance criteria, therefore you're dealing
23 with a societal issue, and you don't need anything
24 special to deal with it.

25 So that's, in a nutshell, what we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to do.

2 CHAIRMAN BONACA: I don't think you deal
3 with it as a societal issue. I mean once you have an
4 accident of that type that's, you know, you have to
5 account for much more than that.

6 MR. ROSEN: You have dealt with one aspect
7 of society.

8 MR. KING: One aspect of society.

9 CHAIRMAN BONACA: One little aspect, and
10 then you have all the cascading.

11 MR. APOSTOLAKIS: The question really is,
12 isn't it, I mean if you have a land contamination
13 goals, would that require us to do something to the
14 plant that now we are not doing? That's really the
15 question.

16 MR. ROSEN: Exactly, exactly. And what Tom
17 is saying is that that's not going to happen, because
18 of the way they've set it.

19 MR. APOSTOLAKIS: Yeah.

20 MR. ROSEN: They've set these other
21 criteria, so you'll never trigger the extraordinary
22 nuclear events.

23 MR. APOSTOLAKIS: So maybe that's something
24 to think about?

25 MR. ROSEN: Nothing is never.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. APOSTOLAKIS: Whether there is
2 something missing as a result of us not having a land
3 contamination objective. Although the Commission in
4 the past, I believe, was not too agreeable to
5 establishing something.

6 But that was for light water reactors,
7 that was for light water reactors, yeah.

8 MR. KING: We looked at the safety goals.

9 MR. APOSTOLAKIS: Yeah, and they said no.
10 Would cesium be involved in that, do you think?

11 MR. KING: Let's move on.'

12 MS. DROUIN: Well, we're out of time. We're
13 five minutes over our time.

14 MR. KRESS: Shame on you.

15 MS. DROUIN: Shame on me, absolutely. It
16 always is. Level of safety. I don't know all the
17 issues are controversial but this issue seems to have
18 taken, at least with the public, probably the biggest
19 controversy.

20 The Commission, in their SRM to the SECY
21 paper, did approve the staff's recommendation on
22 implementation of the Commission's expectation for
23 enhanced safety for advance reactors.

24 So we do have an advanced reactor policy
25 statement that states the Commission's expectations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So the question on our part is how do we implement and
2 achieve this expectation?

3 What we have done is to try and adopt an
4 approach in the frame work that says we're going to
5 meet that enhanced expectation by meeting the safety
6 goals.

7 It has a lot of controversy and I expect
8 to see a lot of discussion on this in our March
9 workshop.

10 MR. KRESS: But you know you've got to come
11 down on something and that's probably the best, you
12 know, what else are you going to choose.

13 It's either define a new one or to accept
14 that one.

15 MS. DROUIN: Well, this is key because this
16 starts at the very foundation of our structure, of our
17 safety philosophy. And if we change this, then it's
18 going to, you know, have a domino effect -

19 MR. KRESS: Sure.

20 MS. DROUIN: - all the way through the
21 whole framework document.

22 MR. APOSTOLAKIS: The level of safety -

23 MR. KRESS: I think that basically we're
24 saying that's how safe is safe with us.

25 MS. DROUIN: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. APOSTOLAKIS: So you're, I guess I
2 missed it. Are you saying that the frame work will be
3 written in such a way that the current QHOs will be
4 satisfied?

5 MS. DROUIN: Yes.

6 MR. KRESS: The FC Curve -

7 MR. APOSTOLAKIS: Because don't forget that
8 it's -

9 MR. KRESS: the FC Curves will satisfy the
10 QHO.

11 MR. APOSTOLAKIS: Yeah, yeah.

12 MS. DROUIN: Right.

13 MR. APOSTOLAKIS: But the current goals,
14 not, and then they will say there is expectations that
15 you will do better. But don't forget there's an
16 important element in all this, which will not affect
17 the frame work.

18 But there is a tough competition out there
19 among designers.

20 MR. KRESS: VPR?

21 MR. APOSTOLAKIS: Down selecting, no the
22 Gen 4.

23 MR. KRESS: The Gen 4 people.

24 MR. APOSTOLAKIS: So they're going to fight
25 to do better, I'll tell you. They have economic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 incentive for doing better.

2 MR. KRESS: Good.

3 MS. DROUIN: Good.

4 MR. APOSTOLAKIS: Because, you know, the
5 DOE will select one, I don't know, in a few years.

6 MR. KING: And that's the argument we get
7 back. We're going to do it so you don't have to
8 require it.

9 MR. APOSTOLAKIS: Yeah, that's right.

10 MR. KING: So, it's an issue of expectation
11 versus requirement.

12 MR. DENNING: Well, let's recognize also
13 how easy it is to satisfy the quantitative safety
14 goals.

15 MR. APOSTOLAKIS: I don't know about that,
16 Rich.

17 MR. DENNING: Well, look at NUREG 1150 and
18 -

19 MR. APOSTOLAKIS: I look at NUREG.

20 MR. DENNING: - you believe that those
21 plants, and with large margin they satisfy.

22 MR. APOSTOLAKIS: Do you think they satisfy
23 the condition -

24 (Several people talking at once.)

25 MS. DROUIN: Rich, not to delay today's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussion, but I would encourage you to go read a
2 chapter in 1560, which uses the results of 1150 to
3 show there are quite a few plants that don't meet the
4 safety goals.

5 MR. DENNING: Ones other than in NUREG
6 1150, are saying if you apply the same thing to other
7 plants, you're saying?

8 MS. DROUIN: Yes.

9 MR. DENNING: Other than the NUREG 1150?

10 MS. DROUIN: Yes.

11 MR. DENNING: So I'm over oriented towards
12 those specific plants.

13 MR. POWERS: I will go on and argue that in
14 many, many cases you can show that perhaps even for
15 the NUREG 1150, when I take into account fire, seismic
16 and shut-down risk, don't meet the safety at all.

17 MR. APOSTOLAKIS: If the two plants that
18 did, though, do meet them? There were two plants for
19 which we did have a seismic. That was Peach Bottom
20 and -

21 MS. DROUIN: And Surrey.

22 MR. APOSTOLAKIS: I don't know.

23 MS. DROUIN: No, Peach Bottom and Surrey.

24 MR. APOSTOLAKIS: Even for those?

25 MS. DROUIN: For those, for the full scope

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when you did the seismic and the fire and the low
2 power shut-down.

3 MR. APOSTOLAKIS: Did they -

4 MS. DROUIN: I can't say, I'm not sure
5 about the low power shut-down, but I know for seismic
6 and fire they did.

7 MR. APOSTOLAKIS: They did? They did meet
8 them?

9 MS. DROUIN: Yeah, yeah.

10 MR. ROSEN: Okay, we've got ten more
11 minutes, that's it.

12 MS. DROUIN: Okay, I think I can get
13 through these next ones pretty quick. Physical
14 protection. We originally were treating this in it,
15 but at this point we have deferred it in this paper,
16 in the frame work. And the reason why is that there
17 is a separate paper being developed right now on this
18 issue.

19 Whatever the Commission directs, that
20 comes out of that paper, is what we will implement in
21 the frame work.

22 MR. ROSEN: Is this the same Commission
23 Security Paper that's being written to be used in
24 conjunction with 5046? We've heard about that in
25 several different contexts in the last few days.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. DROUIN: I don't believe so.

2 MR. ROSEN: About a paper, a paper that's
3 being written in security. So it doesn't have to be
4 considered, for instance, credit for manual actions in
5 fire, no security because it's in this paper.

6 5046, no security because it's in this
7 paper. Now new reactors, technology neutral frame
8 work, no security because it's in a paper. And I'm
9 trying to figure out if it's the same paper?

10 MS. DROUIN: I do not believe it's the same
11 paper. But I don't know, Jerry, if you want to -
12 maybe not.

13 Selective implementation was raised as a
14 potential policy issue. At this point we are saying
15 it's not a policy issue, because we are not saying
16 that you aren't going to have the exemption process.

17 That's still going to be part of the
18 process, so the exemption process will deal with this
19 issue of selective implementation. So at this point,
20 we don't consider it any longer to be a policy issue.

21 CHAIRMAN BONACA: What do you mean that in
22 some cases you would require implementation and in
23 some cases you would just exempt?

24 MS. DROUIN: What we we're talking is that
25 when you look at, let's go down into the future where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you have this whole set of technology neutral
2 regulations.

3 CHAIRMAN BONACA: Yes.

4 MS. DROUIN: Could you pick and choose.
5 That would mean selectively implement. And we were
6 originally saying no, you should not be allowed to do
7 that. But then, by having that, that would say, well,
8 you aren't allowing people to go through the exemption
9 process.

10 Since we, the exemption process will be
11 part of this, if people want to ask for exemption from
12 a part of it, they have the right to do that.

13 MR. ROSEN: But they have to follow all
14 the requirements in the exemption procedure?

15 MS. DROUIN: Correct, correct.

16 MR. ROSEN: And you may get it or not.

17 MS. DROUIN: They may not get it, that's
18 correct. The one thing I want to really emphasize on
19 this slide, when I say proposed, this, as I told you,
20 the SECY Paper is only right now going through
21 concurrence.

22 Once it goes through all the concurrence
23 changes before it goes up to the EDO, this schedule
24 could potentially change. I have not received
25 feedback from NRR right now, so I don't know if they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have completely agreed to the schedule that we
2 proposed here.

3 So I just want to make that very clear,
4 that what could go forward ultimately may not be
5 reflected as what's on this viewgraph. But this is
6 what we have proposed in the SECY Paper and we're
7 working it through concurrence.

8 The big things is that we do want to issue
9 an early January copy of the working draft. That's on
10 target to happen, but we'd like for the Commission to
11 see it for a couple of weeks before it's released to
12 the public.

13 We do have a date scheduled for March 14th
14 and 15th, for the public workshop. We'd like to come
15 back in April to meet with the Subcommittee in detail.
16 We're prepared to come earlier if the Committee feels
17 that, you know, there's a need to come earlier.

18 We thought it might be better to wait
19 until after the workshop to come back to the
20 Subcommittee.

21 MR. APOSTOLAKIS: What's the difference
22 between issuing a working doc to the public an issuing
23 something for public comment?

24 MS. DROUIN: It's perception. We wanted to
25 make it very clear that this is all very preliminary.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These are not a final staff position. We're still
2 working the staff position on this.

3 MR. APOSTOLAKIS: So public comment period
4 refers to something that the staff feels is ready to
5 go, and you are soliciting public comments? Whereas
6 the other one is, look, we're still working on it, do
7 you have any ideas to help us?

8 Is that really the difference? The first
9 one is really entirely voluntary on your part. The
10 second one you cannot avoid.

11 MR. KING: Usually when you put out
12 something like a proposed rule for comment, it's the
13 staff's best shot at that time. This is work in
14 progress.

15 There's some holes in it, there's some
16 things that we're, you know, putting out as a straw
17 man to stimulate discussion. So it's a little, it's
18 not a final -

19 MR. APOSTOLAKIS: And it's not mandatory,
20 you just choose to do it?

21 MR. KING: Right.

22 MR. APOSTOLAKIS: As the other one is.

23 MS. DROUIN: Right. Because you can see
24 when we have December of 2005, that's where we want to
25 issue, what I would call more formally. Where we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 among the staff, you know, have agreed that this is
2 our best shot. This is what our position is.

3 MR. APOSTOLAKIS: Right, I understand.

4 MS. DROUIN: But in going there, and you
5 know we have direction from the Commission to engage
6 stakeholders very early in the process and this was an
7 approach, if you remember we took with Reg Guide 1174.

8 We took the same approach with Reg Guide
9 1.200, and it was very successful bringing in the
10 stakeholders very early into the process.

11 MR. ROSEN: What happens in June, 2006?
12 You issue it, but does it become a regulation? Or how
13 is it, what -

14 MS. DROUIN: This is a frame work document.
15 This is a NUREG. This is for the staff use. And the
16 next part, I mean if you go back to that slide, the
17 next part is to develop the set of technology neutral
18 requirements.

19 And all of this is forming the technical
20 basis, ultimately, for the technology set of
21 regulations.

22 MR. KRESS: And eventually that will go
23 through rule-making.

24 MS. DROUIN: Right.

25 MR. APOSTOLAKIS: Has DOE shown any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interest in this?

2 MS. DROUIN: Oh, very much so. DOE has
3 contracted Idaho doing a lot of work that we hope to
4 use in this frame work document.

5 CHAIRMAN BONACA: Okay.

6 MR. APOSTOLAKIS: All right.

7 CHAIRMAN BONACA: Do we wrap it up?

8 MR. APOSTOLAKIS: We'll come to the
9 workshop anyway.

10 MS. DROUIN: We've talked about, you know,
11 we're going to have the workshop. We're going to send
12 out a Federal Register Notice that's going to have a
13 lot of, and here's just a short example.

14 I mean the actual list of topics is about
15 four or five pages. It's quite detailed what we have
16 developed that we want to go through on the workshop.

17 I hope two days is long enough for this
18 workshop. There's a lot of issues that need to be
19 discussed.

20 CHAIRMAN BONACA: If ACRS members attend,
21 it won't be long enough.

22 (Laughter.)

23 MR. ROSEN: It says attend, it doesn't say
24 participate.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: Where do you expect this
2 workshop to be?

3 MS. DROUIN: Right now we do have the
4 auditorium reserved downstairs. I personally, I think
5 we're going to have a large turnout, a very large
6 turnout at this workshop.

7 MR. KRESS: Thank you, Mary and Tom.

8 MS. DROUIN: Thank you very much.

9 CHAIRMAN BONACA: All set, I think we will
10 break. Back at 11:30? Break until five after 11:00.

11 (Whereupon, the proceedings in the above-
12 entitled matter were concluded at 10:49 a.m.)

13

14

15

16

17

18

19

20

21

22

23

24

25

