

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Thermal-Hydraulic Phenomena & Materials
and Metallurgy Subcommittees

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, February 4, 2004

Work Order No.: NRC-1283

Pages 1-390

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

JOINT MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

SUBCOMMITTEES ON MATERIALS & METALLURGY AND

THERMAL-HYDRAULIC PHENOMENA

+ + + + +

WEDNESDAY, FEBRUARY 4, 2004

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittees met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 8:30 a.m., F. Peter Ford and Graham Wallis, Co-Chairmen, presiding.

COMMITTEE MEMBERS PRESENT:

F. PETER FORD, Co-Chairman

GRAHAM B. WALLIS, Co-Chairman

MARIO V. BONACA, Member

THOMAS S. KRESS, Member

VICTOR R. RANSOM, Member

STEPHEN L. ROSEN, Member

JOHN D. SIEBER, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACRS STAFF PRESENT :

2 B.P. JAIN

3 MAITRI BANERJAN

4 BILL BATEMAN

5 CHRIS BOYD

6 JIM DAVIS

7 BOB DOWNIG

8 DON FLETCHER

9 MICHELLE HART

10 ALLEN HISER

11 KEN KARWONSKI

12 WILLIAM KROTIUK

13 DAVID KUPPERMAN

14 STEVE LONG

15 LOUISE LUND

16 JOE MUSCARA

17 JOEL PAGE

18 WILLIAM SHACK

19 ROY WOODS

20

21

22

23

24

25

NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

C-O-N-T-E-N-T-S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

Thermal Hydraulic Conditions During

Severe Accidents:

Joseph Muscara 5

Christopher Boyd 6

Don Fletcher 138

Primary System Component Response to Severe

Accident Conditions, Saurin Majumdar . . 227

Integrated Methodology for PRA of Severe

Accident Induced SG Containment Bypass,

Dave Bradley 312

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:33 a.m.)

CO-CHAIRMAN FORD: The meeting will now come to order.

I'll just repeat the salient points of the introduction I gave yesterday.

This is the second day of the meeting of the Advisory Committee on Reactor Safeguards, joint Subcommittees on Materials and Metallurgy and Thermal Hydraulic Phenomena.

I'm Peter Ford, Chairman of the Materials and Metallurgy Subcommittee, and my Co-chair is Graham Wallis, Chairman of the Thermal Hydraulics Phenomena Subcommittee.

Subcommittee members in attendance are Mario Bonaca, John Sieber, Tom Kress, and Vic Ransom.

The purpose of the Joint Materials and Metallurgy and Thermal Hydraulic Phenomena Subcommittee meeting is to review the staff's resolution of certain items identified by the ACRS in NUREG 1740, voltage based alternative repair criteria.

I will not reproduce what was said yesterday about speaking clearly, et cetera, et cetera.

MR. SIEBER: Why not?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 CO-CHAIRMAN FORD: I have a request from
3 the members at the end of today's session I'd like
4 their advice about the need for a lecture on this
5 topic. The staff view this as an informational
6 meeting, and they're not requiring a letter, as I
7 understand it, but we may decide to issue a letter
8 regardless.

9 And I'd also like their advice to the
10 staff on their two-hour presentation to the full
11 committee on Thursday. It's my understanding that the
12 staff are just going to give a summary of each of the
13 tasks. I'm not too sure if this is correct,
14 presumably with back-up slides on salient points. But
15 I'm sure you would like advice from the members on
16 what goes into that two-hour meeting.

17 With that I'll pass it on to you, Joe, to
18 introduce your speakers.

19 MR. MUSCARA: Okay. Thank you, Peter.

20 I think today we'll continue with our
21 topics on thermal hydraulics and the premises and
22 component behavior in the severe accident conditions
23 in the PRA. So these areas relate essentially to
24 severe accidents.

25 Just one other point. I did bring a few

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 copies of our integrated program plan that I'll share
2 with the members, and I think without delaying very
3 much we'll start with the hydraulics work and Chris
4 Boyd is going to start off in that area.

5 MR. BOYD: Okay. My name is Christopher
6 Boyd. I work in the Office of Research.

7 And I'm going to be going over the thermal
8 hydraulic work that has been done in the past year and
9 a half in support of the steam generator action plan.

10 The outline for what I'll go over is a
11 quick overview of the thermal hydraulic work, some of
12 the background issues.

13 We have a note about the ARTIST program,
14 which is one of the steam generator action plan items.
15 I'm not directly involved with that, but will give a
16 note.

17 And then the bulk of my presentation will
18 be on the SFD related work, steam generator action
19 plan Item 3.4(e), and then Don Fletcher from ISL,
20 Information Systems Laboratories, will give the
21 SCDAP/RELAP 5 analysis, which is tied into the CFD
22 work. The CFD work feeds that, and we'll take a look
23 at how that has worked.

24 What we're looking at in general, the
25 thermal hydraulic analysis predicts the thermal and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mechanical loads that are applied to the reactor
2 coolant system. We're going through a process of
3 updating our predictions for the ZION plant during the
4 TMLB prime station blackout transient.

5 We've updated our boundary conditions.
6 We've got more realistic conditions and assumptions.
7 We've significantly updated the mixing parameters
8 based on a reanalysis of the one-seventh scale test,
9 as well as the CFD data or predictions which I will
10 present.

11 CO-CHAIRMAN WALLIS: Are these the more
12 realistic boundary conditions, more realistic than the
13 ones that we saw in the material that you sent us?

14 MR. BOYD: I don't believe we have a final
15 report that we sent you.

16 CO-CHAIRMAN WALLIS: Oh, okay.

17 MR. BOYD: That's right, and when I say
18 "more realistic," --

19 CO-CHAIRMAN WALLIS: You sent us two
20 reports.

21 MR. BOYD: -- we took into account things
22 like radiation that were ignored before.

23 CO-CHAIRMAN WALLIS: Well, maybe we'll get
24 to that in your presentation.

25 MR. BOYD: We'll get to that, and these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more realistic boundary conditions that I'm mentioning
2 here are part of the SCDAP/RELAP 5 work, and in
3 general we've just improved the SCDAP/RELAP 5 modeling
4 of design plant. Essentially we're sharpening our
5 pencils, I guess, in preparation for the support to
6 the PRA analysis to follow.

7 And in all of the work that we've done,
8 the failure predictions still indicate the surge lines
9 failing prior to the in flow of tubes, but you know,
10 the timing between these two failures is still
11 relatively close in time. So in some ways we're in
12 the same position we were. After all of the changes
13 and updates we've made, we're still in about the same
14 position.

15 The approach and the tools we're using,
16 SCDAP/RELAP 5 is the work horse. It provides the
17 temperatures and pressures and heat transfer
18 coefficients in general to the reactor system
19 components. We've got three dimensional aspects of
20 flow that are with this one dimensional code. So
21 we're using one-seventh scale experiments to provide
22 mixing parameters and other --

23 CO-CHAIRMAN WALLIS: Can I ask you about
24 that? I don't know if you're going to talk about it.

25 In the material that was sent to us, there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was a picture of these experiments, a cartoon, and it
2 looked very strange because the core, the vessel was
3 divided down the middle by a plate, and it looked as
4 if the flow went to the right through one steam
5 generator or to the left through the other.

6 But it wasn't a common upper plenum, and
7 in the real system the flow has to decide which way to
8 go, whether it goes to the one that's recirculating
9 completely or the one that's recirculating with the
10 counter current flow or if there are four generators,
11 you have to figure out which one is in counter current
12 flow and which one is in complete circulation, and you
13 don't have a core which has a cut down the middle by
14 a plate.

15 MR. BOYD: Okay.

16 CO-CHAIRMAN WALLIS: So half of the flow
17 has to go one way and half the other or --

18 MR. BOYD: Are we talking about the one-
19 seventh scale experiments?

20 CO-CHAIRMAN WALLIS: Yes.

21 MR. BOYD: Well, we did use a half a
22 vessel. It was a four loop plant. They did cut the
23 vessel down through the middle with a plate, and they
24 had two steam generators on that.

25 CO-CHAIRMAN WALLIS: Well, that's very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different from the reality. There isn't a plate down
2 the middle. I mean, the flow has to go -- there's a
3 common header in the upper plenum, right? And the
4 flow has to decide which to go.

5 I can understand why they had two, but in
6 reality they're got four out of three that are in
7 recirculation mode and one in counter current flow or
8 are there three in counter current flow? How do you
9 know?

10 MR. BOYD: Well, during the experiments,
11 both were in this counter current flow situation.

12 CO-CHAIRMAN WALLIS: Yeah, but one had a
13 complete loop circulation and one had the counter
14 current flow in the --

15 MR. BOYD: No. In the facility there was
16 no complete loop circulation because there was no cold
17 legs, and in the outlet plenum, there was no outlet
18 to --

19 CO-CHAIRMAN WALLIS: So the cartoon that
20 introduced that seemed to be wrong then.

21 MR. BOYD: The cartoon could have been
22 wrong. I'm not sure exactly which one --

23 CO-CHAIRMAN WALLIS: Well, we're going to
24 get into this because what I'm going to ask you is how
25 this -- one of the things I'm going to ask you is how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what you did relates to what's happening in the other
2 loops because you've got to solve the whole thing
3 together, and maybe that will come out of the
4 SCDAP/RELAP.

5 But there's an interfacing question there
6 that we'll get into. Okay?

7 MR. BOYD: Okay.

8 DR. RANSOM: Well, isn't part of that due
9 to I detect that you assume that the loop seals don't
10 clear.

11 MR. BOYD: That's correct.

12 DR. RANSOM: So thus the flow cannot go in
13 that direction. Are there any conditions where the
14 loop seals would clear?

15 MR. BOYD: We're not seeing any in the
16 SCDAP/RELAP 5 analysis that we're performing. So if
17 you believe that, then the loop seal is not clearing.

18 In the one-seventh scale experiments,
19 there was no chance for the loop seals to clear
20 because the outlet plenum was a steel hemisphere with
21 no outlet.

22 DR. RANSOM: Well, was that the reason for
23 it?

24 MR. BOYD: I would assume. I wasn't
25 planning that test, but I would assume they assumed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the loop seals were plugged and we're not going to
2 bother with a --

3 CO-CHAIRMAN WALLIS: Not all four of them.

4 MR. BOYD: All four?

5 CO-CHAIRMAN WALLIS: One of them is open.

6 All four loops are in this --

7 MR. BOYD: Don, do you want to talk to
8 this?

9 MR. FLETCHER: Excuse me. Don Fletcher of
10 ISL.

11 In the SCDAP analysis we've modeled the
12 four loops independently so that we have four
13 identical cool loops with the exception of the
14 pressurizer being on one loop. The model itself
15 decides whether we have the split hot leg
16 configuration with the recirculation through the legs
17 and back to the vessel or whether we have a complete
18 flow through situation, a normal flow direction, if
19 you will.

20 The decision is based upon whether the
21 loop seals are plugged or not and whether the bottom
22 of the downcomer is plugged with --

23 CO-CHAIRMAN WALLIS: So there are various
24 combinations of things that can happen.

25 MR. FLETCHER: That's correct. The model

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is set up to look at it as the calculation proceeds
2 and decide which mode each of the legs independently
3 is in.

4 CO-CHAIRMAN WALLIS: Okay. So you cannot
5 just impose a boundary condition of a temperature in
6 the upper plenum. You have to calculate it knowing
7 the heat transfer and all of these loops, whatever
8 mode they're operating in.

9 MR. FLETCHER: That's correct.

10 CO-CHAIRMAN WALLIS: Okay.

11 MR. FLETCHER: Let me say in general the
12 loop seals remain plugged with water.

13 CO-CHAIRMAN WALLIS: All of them?

14 MR. FLETCHER: In all of them, yes.

15 CO-CHAIRMAN WALLIS: Well, that makes it
16 easier. Yeah, okay.

17 Thank you.

18 MR. BOYD: I'm not sure that makes it any
19 easier, but --

20 CO-CHAIRMAN WALLIS: Well, it makes it
21 easier if you know the mode of operation. If you're
22 not sure whether they're plugged or not, then you've
23 got different combinations of things to worry about.

24 MR. BOYD: So back to our toolbox,
25 SCDAP/RELAP 5 is the workhorse code which predicts the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 transient behavior and is modeling all of these system
2 type issues that we're talking about.

3 Because it's a one dimensional code and
4 we've got three dimensional behavior, we're relying on
5 a set of one-seventh scale experiments to provide
6 mixing parameters. These one-seventh scale
7 experiments are being augmented with --

8 CO-CHAIRMAN WALLIS: Well, excuse me.
9 That's not the only problem. You have a problem of
10 interfacing your one dimensional code with your three
11 dimensional code quite apart from the experiments.

12 MR. BOYD: We're not directly interfacing
13 those two codes.

14 CO-CHAIRMAN WALLIS: Well, I think you
15 have that issue though. You have to figure out how to
16 do it.

17 MR. BOYD: Okay. We can talk about that.

18 CO-CHAIRMAN WALLIS: Because SCDAP/RELAP
19 has to put in somehow the flow rate in your counter
20 current flow loop, right? Which itself is the
21 variable that's derived from CFD.

22 MR. BOYD: No, it --

23 CO-CHAIRMAN WALLIS: Yes, it is, and we'll
24 get to that.

25 MR. BOYD: Okay. That sounds good.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: You don't, but it
2 should be. We'll get to that.

3 MR. BOYD: Okay. So we've got these one-
4 seventh scale experiments which are determining a lot
5 of information about the three dimensional behavior.
6 They're being augmented and extended with
7 computational fluid dynamics.

8 Then in the area of fission product
9 transport, we're going to do analysis with MELCOR,
10 kind of a repeat of some of the SCDAP/RELAP 5
11 analysis, and that will be augmented with data from
12 the ARTIST program when that becomes available.

13 So the issues raised in NUREG 1740 that
14 related to the thermal hydraulic work are there was a
15 comment made the 1D codes are tuned by comparison with
16 experimental results, and this is correct. The scale
17 of the experiments is criticized. There's a concern
18 that mixing may be overestimated. There was a note
19 that the test did not simulate tube leakage and its
20 effect on mixing.

21 I saw comments in some transcripts where
22 there was a doubt whether there was any mixing at all.
23 So there was a lot of questions about this inlet
24 plenum mixing.

25 The sensitivity studies may not have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 covered the entire plausible range of variations was
2 a comment. They didn't cover simultaneous variations.
3 These are some of the issues that related to the
4 thermal hydraulic work.

5 In the steam generator action plan in
6 Section 3.3, these issues were more or less addressed
7 by a series of tasks or subtasks. I'm not going to go
8 through these in detail, but these are the specific
9 milestones that address some of those.

10 And that concludes my overview and now
11 we're going to go on to the next section with just a
12 single viewgraph on the ARTIST program. This is the
13 aerosol trapping in the steam generator. This is
14 being conducted at Paul Sherrer Institute.

15 There is a series of tests that have
16 started, but they're not the tests the NRC is
17 specifically involved with or the tests that we're
18 interested in. We plan on following these tests,
19 getting the data when it becomes available and trying
20 to incorporate that into our MELCOR analysis for the
21 fission product release rate. So this is a task in
22 the steam generator action plan that's kind of pending
23 at this point.

24 And at this point we'll start into the CFD
25 related work which will take up the rest of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussion by me, and then we'll jump to Don for the
2 SCDAP/RELAP 5 work.

3 CO-CHAIRMAN FORD: Excuse me. Just on the
4 ARTIST program, you mentioned here that this will be
5 going on to 2007, and yet in the SGAP milestone, I
6 know there's a date of middle of this year, I think it
7 was, '04, when it would be completed. Are these
8 different issues or why the discrepancy between times?

9 MR. BOYD: I can only speak in
10 generalizations here because I'm not directly
11 involved. I do know that the ARTIST program is
12 suffering from significant schedule problems.
13 Apparently it's a lot more difficult to clean this
14 facility after a test and prepare it for the next
15 test. We may have somebody here who's more in tune
16 with it, but that schedule, I believe, will slip.

17 CO-CHAIRMAN FORD: And how will that
18 affect -- does that mean that it will be the end of
19 2007 before we have a definitive --

20 MR. ROSENTHAUL: Could I try? Jack
21 Rosenthal. I'm the Branch Chief of the Safety
22 Margins and Systems Analysis Branch.

23 Right now you assume very pessimistic BF's
24 for small aerosols on the secondary side steam
25 generator, numbers of one to ten, and everybody

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anticipates that those numbers are going to be more
2 likely ten to 100 maybe. Okay? So they would be at
3 least an order of magnitude more entrainment and
4 trapping of these small particles on all of that
5 surface area on the secondary side of the steam
6 generator.

7 But you need the experiments to show that
8 that's true. Lacking the experiments, we do the
9 analysis as best we know it. We can do the PRA. We
10 can reach conclusions, but we'll know that at least
11 that aspect is over conservative by an order of
12 magnitude or more.

13 So I think that we can get on with the
14 integral activity and the artist data that, you know,
15 we're participating in will catch up when it catches
16 up, but it doesn't stop the program. It just
17 introduces what is a known conservatism.

18 CO-CHAIRMAN FORD: Okay. Thank you.

19 MR. BOYD: My understanding is we would
20 have results before that 2007 date. That's the end of
21 the program.

22 So in the CFD related work, CFD is really,
23 in this problem in the overall steam generator tube
24 integrity issue that we're talking about, it's really
25 a subtask. It's extending experiments which support

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the SCDAP/RELAP work which feed into the overall PRA
2 analysis.

3 So we're going to go kind of off the
4 beaten track here and talk in detail of one little
5 aspect of the problem, and our goal was to start with
6 the one-seventh scale experiments and take a look at
7 the method and see if it really is applicable and can
8 do this type of work.

9 And then, of course, we'd want to go to a
10 full scale steam generator and see how it applies
11 there. On the way, it was decided to, because of
12 geometrical differences, we were going to just take a
13 look at scaling in the same geometry before we went to
14 a full-scale steam generator.

15 We looked at the tube leakage effect on
16 mixing. We did a whole series of sensitivity studies
17 to see how our results vary with some of the main
18 parameters, and then we also looked at a Combustion
19 Engineering plant example, and we'll take a look at
20 that.

21 The Combustion Engineering designs
22 typically are significantly different than the
23 Westinghouse inlet plenums, and there was a concern
24 that the mixing could be different.

25 So if CFD plays this supportive role, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the predictions basically have indicated that the
2 approach does appear to be valid at least to compute
3 these integral parameters that we're interested in.
4 We have found that the prototypical Westinghouse steam
5 generator behaves a little differently than the one-
6 seventh scale experiments would indicate.

7 Tube leakage does not eliminate inlet
8 plenum mixing. There was a concern possibly that the
9 hot plume was pulled to the leaking tube, and that's
10 not the case.

11 A sample Combustion Engineering steam
12 generator design resulted in significantly less mixing
13 than what the Westinghouse experiments would indicate.
14 We also can demonstrate that the secondary site heat
15 transfer rate is a significant parameter.

16 Here's the flow pattern considered. I
17 won't spend too much time. This is the counter
18 current natural circulation flow. How this is
19 interfaced to the SCDAP/RELAP model --

20 CO-CHAIRMAN WALLIS: I guess what I'm
21 going to say later is that your region of interest
22 should also include how the flow comes from the core
23 into the hot leg.

24 MR. BOYD: And I would agree with you that
25 these are coupled together.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Yeah, we'll talk
2 about that when you get to it.

3 MR. BOYD: And in the computational fluid
4 dynamics we did not have any influence from the core.

5 CO-CHAIRMAN WALLIS: That's one of the
6 points I wanted to make. You need to consider that,
7 too.

8 MR. BOYD: Yeah, and we did consider it,
9 but the problem is one of resources. The core is
10 extremely complex.

11 CO-CHAIRMAN WALLIS: You don't do the
12 core. I think you just need to do the upper plenum.
13 We can talk about it individually in the break or
14 something, but you can't just impose a flow coming
15 from the core. That's something that responds to all
16 of these natural circulation driving forces.

17 MR. BOYD: Right. We're relying on
18 SCDAP/RELAP to do that coupling, and I don't think --
19 well, we argued amongst ourselves it's not just the
20 upper plenum. It's the entire vessel circulation.

21 CO-CHAIRMAN WALLIS: Well, that's right,
22 but we'll talk about how you can do that, but
23 essentially you have flow coming in, counter current
24 flow in the hot leg, which is really driven by having
25 a hot plenum at one end and a cold plenum at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 other. It's like the lock exchange model or the
2 counter current flow, and that is what's happening,
3 and if you don't have that natural circulation driving
4 force, you won't get any flow. You cannot impose a
5 flow.

6 We'll get to that when you get to it.

7 MR. BOYD: Okay.

8 DR. RANSOM: Incidentally, on the one-
9 seventh scale model, I noticed that you pretty well
10 match the Reynolds number and Railey (phonetic)
11 number, Grashoff number. You never mention the Mendel
12 number, and I guess you are simulating heat transfer
13 between the primary and secondary.

14 MR. BOYD: That's right.

15 DR. RANSOM: In your what, sulfur
16 hexafluoride is a stimulant?

17 MR. BOYD: Yes. We looked at a steady
18 state test, and it was sulfur hexafluoride was the
19 stimulant with water on the secondary. It's a very
20 good heat transfer.

21 DR. RANSOM: How does the parental number
22 compare to water?

23 MR. BOYD: I don't have that. I'd have to
24 look that up. I know the heat transfer to the
25 secondary side on the one-seventh scale experiments

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for the steady state tests was not really
2 prototypical, not representative of the full scale
3 plant. The heat was drawn out of the tubes much
4 quicker than it would be during what we see with
5 SCDAP/RELAP 5 predictions, with water on the second --

6 DR. RANSOM: And that was an experimental
7 result.

8 MR. BOYD: The experimental result.
9 That's right, for the steady state tests.

10 The transient tests did have air on the
11 secondary side, and the heat transfer was less. These
12 had some other issues. So the parameters of interest,
13 what we're getting out of the one-seventh scale
14 experiments and inputting into SCDAP/RELAP 5, the
15 recirculation ratio.

16 Now, keep in mind these are all inputs to
17 SCDAP/RELAP 5. It's not calculating these. So we
18 have to determine these off line.

19 The recirculation ratio, the mass flow
20 going through the tubes over the mass flow in the hot
21 leg, that's an input parameter. The mixing fraction
22 as it's defined --

23 CO-CHAIRMAN WALLIS: It's an input
24 parameter? Say that again.

25 MR. BOYD: That is not something that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 SCDAP/RELAP 5 calculates directly. We --

2 CO-CHAIRMAN WALLIS: Does that say what
3 was an input parameter

4 MR. BOYD: Well, the input parameters --
5 I lost it -- the input parameters are actually the
6 loss coefficients at these junctions, but those are
7 juggled until we get the recirculation ratio that we
8 want based on the experimental results.

9 CO-CHAIRMAN WALLIS: So you juggle it to
10 fit the data?

11 MR. BOYD: That's correct.

12 CO-CHAIRMAN WALLIS: You aren't really to
13 be predicting it for a reactor.

14 MR. BOYD: I'm making the point that we
15 are not predicting it in SCDAP/RELAP 5.

16 CO-CHAIRMAN WALLIS: I think, yeah, but
17 you're predicting it with CFD.

18 MR. BOYD: We're trying to predict that
19 with CFD.

20 CO-CHAIRMAN WALLIS: I think you need to
21 predict it.

22 MR. BOYD: Okay.

23 CO-CHAIRMAN WALLIS: Now, let's talk about
24 that a bit. If there were no heat sync on the steam
25 generator side, if the heat transfer coefficient were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 zero, this thing would just heat up. There would be
2 no MT. There would be no MH.

3 MR. BOYD: That's right.

4 CO-CHAIRMAN WALLIS: Right? Nothing would
5 be happening, and the whole thing that's driving this
6 circulation is the fact that you're cooling some fluid
7 and it's flowing back. It's natural circulation
8 that's driving everything, and so you cannot impose
9 any kind of flow rate on this thing because in some
10 circumstances there would be no flow at all.

11 Okay. Let's come back to that.

12 MR. FLETCHER Can I add a comment?

13 The word that this is input to RELAP 5 is
14 the confusing part here. We are using flow
15 coefficients which essentially force the flow as a
16 function of the delta P across the various junctions.
17 So it's not truly a loss coefficient. It's a flow
18 coefficient.

19 CO-CHAIRMAN WALLIS: What drives the flow
20 is buoyancy.

21 MR. FLETCHER: Absolutely.

22 CO-CHAIRMAN WALLIS: And it's not anything
23 else that drives it.

24 MR. FLETCHER: That is correct.

25 CO-CHAIRMAN WALLIS: The delta P limits it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 by balancing the buoyancy with something else.

2 MR. FLETCHER: That is correct, and if you
3 have no secondary heat transfer, you would have no
4 flow of steam to the steam generators and the core
5 would melt in place in the vessel.

6 CO-CHAIRMAN WALLIS: So this thing, this
7 system here has certain characteristics of flow versus
8 temperature at the end, which have to be then
9 interfaced with whatever SCDAP/RELAP is doing.

10 MR. FLETCHER: That is correct.

11 CO-CHAIRMAN WALLIS: Right, and that has
12 to be done carefully.

13 MR. FLETCHER: The only forcing that is
14 done is done at the interface between the hot leg loop
15 and the steam generator loop in RELAP 5. There are
16 three separate loops, three main separate loops, one
17 in the vessel, one in the hot leg, and another in the
18 steam generator.

19 CO-CHAIRMAN WALLIS: That's good. That
20 sounds good to me.

21 MR. FLETCHER: The forcing that we're
22 doing as described here is at the interface between
23 the hot leg and the steam generator loop. Between the
24 vessel and the hot leg we're allowing RELAP 5 to make
25 the calculation of that circulation pattern.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: I wanted to see how
2 that's done, too.

3 DR. RANSOM: Are you using a dual hot leg?

4 MR. FLETCHER: Yes, we are.

5 DR. RANSOM: An upper region of the pipe
6 and a lower region? So they're splitting the pipe and
7 allowing fluid to flow counter currently through
8 those.

9 CO-CHAIRMAN WALLIS: SCDAP/RELAP is
10 calculating counter current flow?

11 DR. RANSOM: No, only by two pipes.

12 CO-CHAIRMAN WALLIS: Oh, two pipes.
13 That's different.

14 MR. FLETCHER: This is actually the RELAP
15 noding diagram.

16 CO-CHAIRMAN WALLIS: That's different.
17 Okay. Well --

18 DR. RANSOM: And what, you have the
19 boundary on the other end of the hot leg to the core
20 in this figure?

21 MR. BOYD: Hooked to the vessel, yeah.

22 MR. FLETCHER: In RELAP 5, this is a
23 typical vessel model, five channels and the core and
24 an upper plenum model that circulates flow within the
25 vessel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. RANSOM: I don't quite understand what
2 you were saying about forcing the flow at the junction
3 to the inlet plenum to the steam generator. You're
4 losing loss coefficients, adjusting them, right?

5 MR. FLETCHER: We're using flow
6 coefficients.

7 DR. RANSOM: What does that mean?

8 MR. FLETCHER: A flow coefficient says
9 that if I know the delta P across a junction and I
10 know the flow coefficient, then that defines the flow
11 rate.

12 DR. RANSOM: Are you doing that with a
13 controlled variable or something?

14 MR. FLETCHER: Input the flow
15 coefficients. It's essentially the same as inputting
16 a loss coefficient, except if you input a loss
17 coefficient for RELAP 5, RELAP 5 then determines what
18 the flow across that junction is.

19 DR. RANSOM: If you do that, then are you
20 specifying the pressure in the hot leg?

21 MR. BOYD: I think I'm confusing things.
22 When I say it's an input, buoyancy driven flows are
23 driving this whole process. By trial and error these
24 flow coefficients are adjusted until we get the mass
25 flow through the tube ratio to the mass flow and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hot leg ratio that we want.

2 DR. RANSOM: Well, that's supposed to be
3 something that has been added since my days. It's
4 like a pump, I guess, right?

5 MR. FLETCHER: More like a tank dependent
6 junction (phonetic), that if you know the delta P
7 across the junction --

8 DR. RANSOM: Then you set the flow rate.

9 MR. FLETCHER: -- then you set the flow.

10 DR. RANSOM: From tabular or a table or a
11 function.

12 MR. FLETCHER: That's correct.

13 CO-CHAIRMAN WALLIS: Well, the purpose of
14 CFD is to model a more realistic steam generator and
15 to calculate MT, which is related to the way in which
16 the flows mix in the plenum and that gets your
17 recirculation ratio. I'm not sure if SCDAP/RELAP
18 model is mixing particularly well and plumes and that
19 sort of stuff. There's a counter current flow in that
20 plenum, too, which CFD does very nicely the way you've
21 done it, and I'm not sure how SCDAP/RELAP does or even
22 if it tries to.

23 The rational thing, it seems to me to do
24 is to say let SCDAP/RELAP model the rest of the world.
25 Let CFD model this thing, which it does very nicely

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 apart from the connection with the core, and then find
2 a way to couple them together at the place where they
3 meet, which is at the top of the vessel, top of the
4 core, you know. Don't try to get SCDAP/RELAP to model
5 this thing because CFD does such a good job of it.

6 MR. BOYD: The way it's done, the way it
7 has been done is from experiments or CFD we calculate
8 the mixing in the plenum and the temperatures entering
9 the tube, but there's no feedback to the vessel in
10 this, and it's an iterative process. You go back and
11 forth and back and forth.

12 So for a given hot leg mass flow -- and I
13 will say that the results for the hot leg mass flow
14 are not all that sensitive on some of these other
15 parameters. So the feedback is not killing us there.

16 The end result is the temperatures
17 entering the tubes after the mixing. In this
18 simplified mixing model you've got hot flow coming out
19 of the hot leg. Part of it goes basically directly to
20 the hot tube. Part of it goes to a mixing chamber
21 right here, and then part of that goes up into the hot
22 tube, and this mixing fraction that has been defined
23 determines their split ratios, and the net effect of
24 that is in a quasi steady sense. If you've got these
25 parameters correlated to the data, you'll get the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 entrance temperature into the tube.

2 CO-CHAIRMAN WALLIS: You can do that. So
3 what your philosophy is is you take your CFD, which
4 gives you a much more realistic picture of what's
5 happening, three dimensional mixing and so on, and
6 then you say, "Okay. How can we represent that in a
7 more global way with boxes like this?" which
8 reproduces the macroscopic feature of the CFD in a
9 realistic -- and is compatible with what SCDAP/RELAP
10 can do. I think that is also a reasonable approach.

11 But one has to be careful about how one
12 does that because you're simplifying a three
13 dimensional model down to a box type model.

14 MR. BOYD: That's what we're doing. The
15 answer doesn't come out of the CFD. The CFD is really
16 providing these coefficients that I'm showing on this
17 slide. So the final transient result comes out of
18 SCDAP/RELAP 5.

19 CO-CHAIRMAN WALLIS: I think that's what
20 I'm saying, is what I would prefer would be if
21 SCDAP/RELAP did the rest of the system and then
22 interfaced with this whole thing at the upper plenum
23 of the reactor and then you used CFD for this piece
24 and you simply interface them, and your strategy is to
25 use CFD and incorporate it into the system model, not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to try to reduce it to SCDAP/RELAP in order to use the
2 system model.

3 That's what I'm aiming at, and I think
4 eventually this is going to happen with system models.

5 MR. BOYD: A couple of code set-ups will
6 eventually happen. We don't have that tool now.

7 CO-CHAIRMAN WALLIS: Working on it.

8 MR. ROSENTHAUL: Yeah, about two years
9 from now, and we've already put it in the budget.

10 CO-CHAIRMAN WALLIS: Right. Let's keep it
11 in the budget. Don't let it go. Put that in the
12 record.

13 MR. FLETCHER: We couple trace and most
14 likely in phase.

15 CO-CHAIRMAN WALLIS: That's the way it
16 should go. I agree tha this could be a way to do it
17 now.

18 MR. BOYD: So let's keep our sights lower
19 this morning, and what we've got now is this set-up,
20 and we've got the one-seventh scale experiments
21 providing these coefficients, and we're going to use
22 computational fluid dynamics to extend the experiments
23 into regions, such as tube leakage or a Combustion
24 Engineering plant that are not covered directly by the
25 experiments.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So some of the other things, we talked
2 about the recirculation ratio, this mixing split
3 fraction, the percentage of tubes carrying the hot
4 flow in the bundle. That's also experimentally
5 determined up front and then fixed into the model.
6 These air flow areas are fixed.

7 Number four, the percentage of core power
8 going to the steam generators, that's experimentally
9 determined up front. And again, in my mind I say
10 that's an input parameter.

11 Now, the code calculates it, but we mess
12 with these flow coefficients until it calculates the
13 value we want it to.

14 CO-CHAIRMAN WALLIS: And I think you
15 should have a number five, which is MH.

16 MR. BOYD: Mass flow in the hot leg.

17 CO-CHAIRMAN WALLIS: Because that is not
18 something you can impose. It's something that comes
19 out of the --

20 MR. BOYD: That really is tied into this
21 right here, the percentage of core power to the steam
22 generator. So this really is setting MH. If you're
23 going to say 30 percent of the power goes to the core.

24 CO-CHAIRMAN WALLIS: But it's driven by
25 the fact that you have this hot fluid in the upper

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plenum of the reactor which then sees some cold and
2 then the counter current flow is drive by that. And
3 you really should tie in the MH to this temperature
4 difference between the core and the steam generator.
5 It's not something that you can impose.

6 MR. BOYD: I guess I'm arguing that number
7 four does dictate that MH in some way.

8 CO-CHAIRMAN WALLIS: It's related to it
9 because if you don't have enough MH, then the stuff
10 gets hotter and hotter. Fluid in the upper plenum
11 gives you bigger MH, but your imposing an MH doesn't
12 allow that to happen, and you shouldn't.

13 MR. BOYD: Now, again, SCDAP/RELAP 5
14 calculates MH.

15 CO-CHAIRMAN WALLIS: How?

16 MR. BOYD: It has these coupled natural
17 circulation flows in the vessel.

18 CO-CHAIRMAN WALLIS: From an energy
19 balance, doesn't it?

20 MR. BOYD: Say again, please.

21 CO-CHAIRMAN WALLIS: MH and the
22 temperature at the top in the upper plenum are related
23 by an energy balance from the core. If you have a
24 lower MH, you have a higher temperature. A lower MH,
25 you have a higher temperature in the top.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOYD: Right.

2 CO-CHAIRMAN WALLIS: In the hot leg, if
3 you have a higher temperature in the top, you have a
4 bigger MH. So you've got two things balancing. One
5 is if the temperature is bigger, they have a lower MH
6 in the core, but you have a higher MH in the hot leg.
7 So they have to meet; they have to coincide.

8 But there are two phenomena there.
9 There's the limiting counter current flow, if that's
10 where it is, in the hot leg and the heat balance of
11 the core interact, and I think six -- RELAP does a
12 great job of the heat balance on the core. RELAP
13 doesn't say anything about the counter current flow
14 phenomenon in the hot leg.

15 MR. BOYD: This was recognized, and when
16 looking at the vessel as a modeling thing for
17 computational fluids we threw up our hands basically.
18 It's a very complex geometry.

19 CO-CHAIRMAN WALLIS: Don't throw up your
20 hands. You can do it. We'll talk about it later.

21 MR. BOYD: Okay. With enough money.

22 CO-CHAIRMAN WALLIS: No, no, no. It's not
23 all that complicated. Let's talk about it later in
24 private.

25 MR. BOYD: Okay. So this is the approach

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we have taken and here's the CFD analysis steps that
2 were carried out. Step one, take a look at the one-
3 seventh scale data; get our feet on the ground. We
4 did about 100 sensitivity studies at this point,
5 really determined how the model worked and convinced
6 ourselves that at least for these integral parameters
7 we can calculate them.

8 Step two, we scaled the model up, using
9 the exact same geometry. We multiplied every
10 dimension by seven, but we put in the boundary
11 conditions from the ZION station blackout transient.
12 So now we're not using sulfur hexafluoride. We're
13 using steam at 2,400 psi and the mass flow rates and
14 things like that, and we basically repeated the
15 analysis to isolate the effect of scale.

16 In step three we took those exact same
17 boundary conditions, but now we changed the geometry
18 to a Westinghouse Model 44. This was necessary
19 because the facility and the Westinghouse Model 44
20 were slightly different geometries, and we didn't want
21 to go from step one to three and then have a concern
22 whether it was scale effects or geometry effects that
23 caused our differences.

24 In step four we did a tube leakage
25 analysis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Excuse me. I was
2 trying to figure out from your work in the red what
3 seventh scale meant. Does it mean that you had
4 seventh scale in all the dimensions including the
5 height?

6 MR. BOYD: Yes, that's --

7 CO-CHAIRMAN WALLIS: How did the height
8 get scaled?

9 MR. BOYD: The height was real close to
10 one-seventh scale.

11 CO-CHAIRMAN WALLIS: And in the real thing
12 you've got a much bigger height. So you've got sort
13 of a bigger driving force for natural circulation, but
14 you've also got seven times the friction length, too
15 because you've got seven times the LMD.

16 So I was sort of arguing to myself what
17 would be the scaling laws for natural circulation
18 between one and the other.

19 MR. BOYD: There was an attempt made to
20 balance the driving force and the viscous losses in
21 the tube, and there's a scaling --

22 CO-CHAIRMAN WALLIS: It kind of works out
23 when you've got one side working as a chimney and the
24 other as a downcomer, when you've got a maximum
25 circulation, then you've got the driving force, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is the head at the height of the thing, but you've
2 also got the friction, which is $4 FL$ over D . So L
3 also goes up and you can sort of convince yourself
4 maybe that it's about the same velocity that you get
5 because the two are balancing. But that's a quasi.
6 Really you should model them both and see how they do.

7 DR. RANSOM: Well, in your CFD model,
8 reading about it, you used a Forest matrix
9 approximation for the tubes, I guess, right? So
10 they're little rectangular channels. Was wall
11 friction modeled in that case or did you have to just
12 put in loss coefficient?

13 MR. BOYD: No, wall friction was turned
14 off because the velocities in those channels was
15 larger -- smaller because of the increased diameter.
16 So the frictionless walls and there was coefficients
17 put in --

18 DR. RANSOM: To adjust the flows?

19 MR. BOYD: -- tuned over a wide range of
20 flows and temperatures to basically add in the
21 frictional losses.

22 DR. RANSOM: So you have to understand
23 friction was not really modeled.

24 CO-CHAIRMAN WALLIS: There was no friction
25 in the tubes?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. RANSOM: No.

2 MR. BOYD: We'll go into the tube model
3 and I'll show you.

4 CO-CHAIRMAN WALLIS: That's very
5 important. They're long tubes.

6 MR. BOYD: There was losses in the tubes
7 to account for the frictional losses.

8 DR. RANSOM: But those were input
9 actually.

10 MR. BOYD: That's right.

11 DR. RANSOM: So they had to be determined,
12 I guess, from the experiment?

13 MR. BOYD: No, we determined those using
14 CFD in this case. We'll go into how that was done.

15 CO-CHAIRMAN WALLIS: Now, the tubes were
16 the same diameter as in the real thing in this?

17 MR. BOYD: No, not in this case. We'll go
18 into the tube model. Tube modeling posed a real
19 challenge in this.

20 CO-CHAIRMAN WALLIS: Were their tubes
21 smaller diameter than the real steam generated tubes?

22 MR. BOYD: In the one-seventh scale
23 experiment, I think the tubes were slightly smaller.

24 CO-CHAIRMAN WALLIS: They weren't a
25 seventh of the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOYD: They were not one-seventh.

2 CO-CHAIRMAN WALLIS: Because they had
3 fewer tubes.

4 MR. BOYD: They were roughly three-eighths
5 of an inch and maybe half, three-tenths.

6 CO-CHAIRMAN WALLIS: But then this FL over
7 D is an important parameter for them if they're much
8 longer. You've got to put that friction in there.

9 MR. BOYD: We did put the friction in
10 there.

11 CO-CHAIRMAN WALLIS: But not in the form
12 of an FL over D.

13 MR. BOYD: Not in the form of --

14 CO-CHAIRMAN WALLIS: But just as a K.

15 MR. BOYD: -- boundary layer with viscous
16 losses, and we'll see the reason for that when we get
17 to the tube model.

18 CO-CHAIRMAN WALLIS: Okay, okay.

19 MR. BOYD: So step four, tube leakage
20 analysis. We repeated the work at step two, the only
21 difference being a boundary condition that pulled mass
22 out of the system at various rates, and then step five
23 we looked at a Combustion Engineering plant example.
24 This is the primary side of the steam generator from
25 Calvert Cliffs, a replacement generator, and we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applied SCDAP/RELAP 5 boundary conditions from an
2 analysis of Calvert Cliffs.

3 So now we'll go through these steps, and
4 I'll spend a good bit of time on step one so that we
5 get an idea of what we're doing, and then the other
6 steps we won't quite spend as much time on, but we'll
7 try and develop a method here.

8 This is a picture here on the right of the
9 one-seventh scale at facility one of the steam
10 generators. These were both connected to that half
11 vessel that you had mentioned, and basically we did a
12 pretty good job of predicting the mixing parameters
13 from this.

14 The model set up. We are looking at a
15 steady state test. This is basically the extent of
16 the geometry that we modeled, the hot leg, the tube
17 bundle, and the plenum walls.

18 When we first set out on this, our target
19 was right here, inlet plenum mixing. The tubes, the
20 say we looked at it to set this up were a boundary
21 condition to the inlet plenum, and the hot legs serves
22 the same purpose.

23 There was attempts made by others to just
24 inject flow into the inlet plenum and then pull it out
25 through the top. I think our two bundle model is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 superior to that, although the tubes aren't maybe
2 prototypic. We'll look at that, but the goal here is
3 inlet plenum mixing, and that's the only place where
4 we focus on the results.

5 CO-CHAIRMAN WALLIS: But that's not good
6 enough. I mean, you revealed, I think, every well
7 that the transfer in the tubes is very important. If
8 you have very good heat transfer, it's like having a
9 very cold chimney in your fireplace, and it wont work.
10 It quenches the hot stuff after it has gone a short
11 distance.

12 If you have no heat transfer, the other
13 extreme from the tubes, they just get hotter and
14 hotter and hotter, and there's again no circulation.
15 So there's a maximum circulation rate somewhere in
16 between.

17 MR. BOYD: That's right.

18 CO-CHAIRMAN WALLIS: Now, you don't get
19 the maximum because you don't go to the limit of no
20 heat transfer, but if you went to the limit of no heat
21 transfer, this thing would just heat up forever. It
22 wouldn't circulate at all, and you know, you haven't
23 got to that in your analysis.

24 But it's fascinating. You have to model
25 the heat transfer right to get that circulation right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOYD: I would agree.

2 CO-CHAIRMAN WALLIS: And so it's not good
3 enough to focus on the plenum, and then when you start
4 working back, you say, well, you have to model the hot
5 leg right because you have got counter flow in there,
6 and then you've got, as I'm going to say it -- you
7 can't impose this V. You've imposed a V at the inlet.

8 Now, if you imposed 1,000 feet a second
9 coming in there, you would force more fluid in through
10 the hot leg, although some of it would come back.
11 You'd still force more through, and that V is itself
12 a result of the T.

13 So I'm going to say you're going to have
14 to do something better than imposing that because you
15 can impose it for the seventh scale because you know
16 what it is.

17 MR. BOYD: That's right.

18 CO-CHAIRMAN WALLIS: But in the reactor
19 you don't know what it is, and it happens because of
20 the driving force of the temperature.

21 MR. BOYD: And we're relying on another
22 code to provide what that is.

23 CO-CHAIRMAN WALLIS: But you can't.

24 MR. BOYD: And that's the weakness. I
25 would agree. We don't have experiments.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Well, we'll talk
2 about that in the break or something.

3 MR. BOYD: Okay. So the --

4 MR. ROSENTHAUL: Keep in mind that in the
5 back of everybody's mind was that the most critical
6 sequence was this high dry sequence so that the
7 secondary side of the steam generator is steam. It's
8 not cold water.

9 CO-CHAIRMAN WALLIS: It's a low heat
10 transfer coefficient.

11 MR. ROSENTHAUL: Poor.

12 MR. BOYD: But even poor, it's still
13 important.

14 CO-CHAIRMAN WALLIS: Yes, it's important
15 to get it right. So that, again, I think that's not
16 an easy problem because you've got natural circulation
17 on the outside of the tubes in there presumably.

18 MR. BOYD: That's right.

19 CO-CHAIRMAN WALLIS: So there's another
20 component that's got to be done right.

21 DR. RANSOM: Well, it's a secondary site
22 condition. Is there still water in the secondary side
23 or is it just steam?

24 MR. BOYD: No, it's dried out and in this
25 case low pressure and the depressurized generator.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: But there must be
2 some loop to take the heat away. So modeling the
3 secondary side loop is important. Where does heat go?

4 MR. BOYD: In the CFD model it goes --

5 CO-CHAIRMAN WALLIS: Yeah, but where does
6 it go in the reality? Where is the heat sync?

7 MR. BOYD: In the reality, you know,
8 there's a lot of structures on that secondary side.

9 CO-CHAIRMAN WALLIS: But where does it go?

10 MR. BOYD: We would expect it to be
11 heating up the upper internals and all of the --

12 CO-CHAIRMAN WALLIS: But is that the
13 limiting case? You put a lot of heat into there.
14 Eventually your ultimate heat sync is the air, isn't
15 it?

16 MR. BOYD: All of the metal mass of the
17 entire system just keeps rising in temperature. So
18 heat is --

19 CO-CHAIRMAN WALLIS: That's what happens?

20 And as that rises in temperature, you get
21 a different driving force and MH changes.

22 MR. BOYD: I would agree with you that
23 these are all import.

24 CO-CHAIRMAN WALLIS: Okay.

25 MR. BOYD: We are not able to model the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whole plant with CFD.

2 CO-CHAIRMAN WALLIS: But it has to be done
3 to get the right answer that you're after.

4 MR. BOYD: Okay. We aimed a little bit
5 lower, and we were really just looking at what happens
6 to that plume going through the inlet plenum.

7 CO-CHAIRMAN WALLIS: So I think you did an
8 excellent job. I'm really impressed with it, but this
9 goes back to, I think, the questions that we raised at
10 the beginning of the first day, is that people are
11 doing excellent jobs on pieces of this problem. Is
12 the whole thing being addressed?

13 MR. BOYD: Right. But there were
14 questions that we could answer. There was suggestions
15 that the inlet plenum plume bypasses the or the plume
16 bypasses the inlet plenum with no mixing. There was
17 suggestions that a small tube leakage would pull the
18 plume over.

19 So these types of questions we can answer,
20 but I agree we're not getting the answer. We're still
21 relying on SCDAP/RELAP to do all of this coupled
22 integral analysis. It models a secondary side and the
23 heat transfer over there. It models the core
24 circulation. It does the entire problem. We're
25 really just feeding it stuff for the inlet plenum,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what happens at that point.

2 So let's move on. That's the model setup,
3 the boundary conditions. These are basically set to
4 match the experiment where heat transfer was only
5 applied to the tubes. Everything else was adiabatic.

6 Here we'll just have a quick discussion,
7 how to model the tubes. There's three options. We
8 can directly model them, and with 216 tubes in the
9 facility, that's possible, and we did that. It ended
10 up in about ten million cells, and I never quite got
11 it converged. So we abandoned that, and I wanted to
12 have some information to pass forward.

13 So another approach is a smaller number of
14 tubes, and I've seen this done, but this runs into all
15 of the problems of this FL over D that you were
16 talking about and all these issues.

17 So the third approach would be to use the
18 porous media functions in FLUENT to give us the
19 characteristics of the tubes without having to model
20 the entrance effects and the boundary layers and
21 things like that.

22 So here's an example. Here's one tube the
23 size --

24 CO-CHAIRMAN WALLIS: What would be nice to
25 do would be to use, again, the FLUENT in the places

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where you need it and say we can model the tubes for
2 the SCDAP/RELAP thing.

3 MR. BOYD: I agree.

4 CO-CHAIRMAN WALLIS: But then we've got to
5 have an interface between the CFD and this one
6 dimensional type code which we know how to handle it
7 because we had learned how to do it, and that's the
8 way to do it.

9 MR. BOYD: I called FLUENT and told them
10 I needed 1D components quickly, but they don't --

11 CO-CHAIRMAN WALLIS: Well, they don't know
12 how to do it.

13 MR. BOYD: But a 1D component in FLUENT or
14 the coupling that you're discussing with the code or
15 what's needed.

16 CO-CHAIRMAN WALLIS: They can't do that
17 either.

18 MR. BOYD: They can. We could do this
19 coupling, but we haven't done the coupling.

20 CO-CHAIRMAN WALLIS: I think they have a
21 problem. I've had a problem using fluent. If you
22 have an outlet node and it starts to have inlet flow
23 and so on, you get all kinds of problems. So we can't
24 really do --

25 MR. BOYD: We want to avoid that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Yes.

2 DR. RANSOM: I'm curious. In FLUENT with
3 this porous media approach you do keep the flows
4 separate I guess through the channels, right?

5 MR. BOYD: That's right.

6 DR. RANSOM: And you go around the bend
7 also?

8 MR. BOYD: Go around the bend, the full
9 height, everything the same.

10 DR. RANSOM: So it's just a rectangular
11 channel that is closed.

12 MR. BOYD: Rectangular only because it's
13 easier to mesh.

14 DR. RANSOM: Right. Well, from a
15 calculational point of view it doesn't matter whether
16 it's rectangular or round. You don't know the
17 difference, but you know the area.

18 MR. BOYD: Rectangles are nice because if
19 you use four cells to represent it or ten, you get the
20 same area, but with a circle if you use four or ten,
21 you actually change the flow area because of the
22 faceting. So that's why rectangles are ideal.

23 CO-CHAIRMAN WALLIS: But fluent does not
24 allow mixing across the cell edges, I guess.

25 MR. BOYD: No. They're solid walls for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 each tube. There's 216 individual flow paths. So
2 let's take a look at the idea here.

3 Here's a tube of the correct dimensions,
4 and here's the appropriate sized region if it was a
5 one dimensional flow that would feed it in the steam
6 generator. Here's a zoomed in area of that junction.
7 All of these cells are set up so that the Y plus
8 values are correct, and hopefully we can pick up the
9 entrance effects, the whole nine yards.

10 This was basically for about a meter or
11 two. This is a million cells. Over --

12 CO-CHAIRMAN WALLIS: Do you model every
13 tube this way?

14 MR. BOYD: I did at one point.

15 CO-CHAIRMAN WALLIS: It's a lot of work.

16 MR. BOYD: Well, that was the point about
17 the direct --

18 CO-CHAIRMAN WALLIS: That's got to be a
19 simple way to do it. Maybe you could lump them in
20 some way.

21 MR. BOYD: Well, when I modeled all of the
22 tubes and ended up with a ten million or so model,
23 they were a little coarser than this, but this was for
24 an example here. This process was done for each steam
25 generator, the Model 44, the facility, and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Combustion Engineering. We always went through this
2 process of modeling a few tubes in great detail, and
3 then what we went over to a porous media approach; so
4 imagine this tube now just continuing on like this.

5 We don't do the neck down at all, and then
6 let's say we model it with four cells across. Here's
7 a representation over here where we have the inlet
8 area. We have an interface where we apply a loss
9 coefficient to account for the loss coefficient for
10 this neck down.

11 And then we have along this region, we
12 have coefficients that we use to account for the
13 viscous losses and the boundary layers that we --

14 CO-CHAIRMAN WALLIS: Why not just model
15 the tube as a set of nodes the way that RELAP worked
16 and say that these were FLUENT type nodes? FLUENT
17 won't do that?

18 MR. BOYD: FLUENT is not good at just one
19 cell across. So these are about five cells across.

20 DR. RANSOM: That's what they're doing,
21 but actually the area is much larger than the actual
22 tube, and so the velocity is much lower.

23 MR. BOYD: That's right.

24 DR. RANSOM: And so you have to scale the
25 losses to get a dynamic loss coefficient that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 corresponds to reality.

2 MR. BOYD: Here are some results now for
3 these two models from a pressure point of view.
4 Here's the flow coming down the inlet for the million
5 cell model. Here is the result of the flow necking
6 down and going into the small tube, and then this slop
7 here, this PDX would represent the viscous losses, and
8 what we've got here is two plots, one with a million
9 cells, and then one with the porous approach in
10 FLUENT.

11 So from a pressure point of view we can
12 get about the same. Now, what we did is we went
13 through a whole range of velocities and temperatures,
14 and we curfitted (phonetic) --

15 CO-CHAIRMAN WALLIS: Is it laminar flow?

16 MR. BOYD: This is laminar flow in these
17 tubes.

18 CO-CHAIRMAN WALLIS: Is it laminar flow in
19 the reactor, the real system?

20 MR. BOYD: My memory tells me it is, and
21 it has been a while since I remember looking at that.

22 CO-CHAIRMAN WALLIS: You got something
23 different.

24 MR. BOYD: Well, now, in the reactor, we
25 did the same thing though. This is for the facility.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We did it here. Now, in the reactor, we did the
2 appropriate flow rates with the reactor size tubes,
3 and we repeated this whole process.

4 CO-CHAIRMAN WALLIS: And the number in the
5 tubes is?

6 MR. BOYD: I don't have that in my mind
7 right now.

8 CO-CHAIRMAN WALLIS: It would be nice to
9 know.

10 DR. RANSOM: One point though. This is
11 being modeled as a turbulent flow, as $K \text{ one-half } \rho$
12 $B \text{ squared}$, where laminar would be just velocity to the
13 first power.

14 CO-CHAIRMAN WALLIS: No, it's turbulent
15 for the inertial drop, but the viscous drop, I
16 understand is for laminar.

17 DR. RANSOM: Well, he's modeling the
18 viscous drop with a $K \text{ one-half } \rho B \text{ squared}$ --

19 CO-CHAIRMAN WALLIS: He is?

20 MR. BOYD: Actually I had to use a linear
21 and a squared term to get a good fit on that.

22 CO-CHAIRMAN WALLIS: But if it's laminar
23 flow, you shouldn't be using your $V \text{ squared}$ type
24 thing.

25 MR. BOYD: I'd have to go back. I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have it in my -- this has been over a year since I set
2 these up.

3 But this was the point. This was just
4 talking about pressure drops, and then we could --

5 DR. RANSOM: Incidentally, this is a
6 horizontal tube, I guess.

7 MR. BOYD: This was vertical in this case.

8 DR. RANSOM: This was a hydrostatic
9 pressure component there?

10 MR. BOYD: I guess in this when we set the
11 pressure up, we didn't worry about we had gravity off,
12 but then we --

13 CO-CHAIRMAN WALLIS: You must have
14 gravity.

15 MR. BOYD: -- heat transfer, and your goal
16 there was to get the heat transfer rate from the tube
17 such that the heat -- the temperature along the tube
18 was the same. So the heat transfer had to be adjusted
19 also is the point. So the same sort of fitting had to
20 be done.

21 CO-CHAIRMAN WALLIS: You must have gravity
22 int here. Otherwise, you wouldn't get any
23 circulation. You've got to have hot fluid on one side
24 and cold fluid on the other.

25 MR. BOYD: Are we talking about the model

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or this tube study that we're doing?

2 CO-CHAIRMAN WALLIS: Right.

3 MR. BOYD: The tube study is a one
4 dimensional flow down a path.

5 CO-CHAIRMAN WALLIS: Okay. That's just
6 comparing the ten to the sixth with the four. Okay.
7 That's all.

8 DR. RANSOM: And after you fiddled, I
9 guess, then you put it into the floor model.

10 MR. BOYD: That's right. We test
11 everything on these little one to four tube section
12 models, and then we use those same coefficients, the
13 same tubes, but now there's 216 of them and we put it
14 into the full model.

15 CO-CHAIRMAN WALLIS: This is a separate
16 effects test in CFD.

17 MR. BOYD: That's exactly right.

18 So here's a summary now of where we stand.
19 We're going to do a transient CFD solution. We'll use
20 the Reynolds stress second order turbulence model,
21 which is non-isotropic. We'll use the full buoyancy
22 effects on turbulence as available in FLUENT.

23 CO-CHAIRMAN WALLIS: That's more
24 appropriate than K epsilon because the buoyancy
25 effects change the turbulence. In fact, there's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tendency to damp out turbulence because it's very
2 obvious if you have an inversion at night and the
3 window doesn't come down to the ground.

4 MR. BOYD: I will say that academically
5 that's all correct, but I ran all of the turbulence
6 models, and they didn't really make a lot --

7 CO-CHAIRMAN WALLIS: They didn't make much
8 difference. That's good. That's nice to know.

9 DR. RANSOM: When you say second order,
10 does that just mean second order difference
11 approximation for the divergence on the velocity?

12 MR. BOYD: Well, K epsilon is considered
13 like a first order. You've got K and epsilon. It's
14 isotropic. With the second order turbulence model,
15 you're trying to track the Reynolds stress, the UV,
16 prime terms, and it's non-isotropic, which in this
17 case is more appropriate. We wouldn't want to assume
18 isotropic turbulence in that hot leg, complex hot leg
19 flows or in the inlet plenum either I don't believe.

20 So we've got temperature dependence,
21 software hexafluoride, half a million cells used in
22 half the model. We put a symmetry plan in this model,
23 second order differencing, and then we've got this
24 porous media model for the tubes with 216 individual
25 tube flow paths, each with solid walls, each with heat

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 transfer from these solid walls, again, adjusted to
2 give us the appropriate rate of heat loss, and we've
3 got a symmetry plane.

4 So now we look at some qualitative
5 results, and I say qualitative first because the
6 experiments really didn't provide all of the
7 information to do a full CFD validation.

8 CO-CHAIRMAN WALLIS: Do you have your pen
9 there? Do you have your pen there?

10 MR. BOYD: I do.

11 CO-CHAIRMAN WALLIS: Would you show on
12 here for the committee what confounding condition you
13 have at the end vessel?

14 MR. BOYD: Right over here?

15 CO-CHAIRMAN WALLIS: Yeah, because I had
16 to dig in your report to see what you were doing
17 there.

18 MR. BOYD: I put in a uniform --

19 CO-CHAIRMAN WALLIS: Your forced the
20 velocity like that.

21 MR. BOYD: Forced the velocity that way.

22 CO-CHAIRMAN WALLIS: And does that then
23 allow it -- what happens to the bottom part? There's
24 friction between that stuff coming in and the bottom
25 part. So I had to figure out why it was you got more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flow in the tube than you put in, and the reason is
2 that jet coming in entrains fluid with it.

3 MR. BOYD: That's right.

4 CO-CHAIRMAN WALLIS: All right? You have
5 to think that's sort of strange. In reality what
6 happens is that this interface continues to go down.
7 The reality would be --

8 MR. BOYD: This interface, you mean?

9 CO-CHAIRMAN WALLIS: The cold-hot
10 interface. You can see it going down, right, between
11 the right hand and middle? The profiles show the
12 interface is going down.

13 MR. BOYD: A slope like this.

14 CO-CHAIRMAN WALLIS: But pours out like
15 water out of a tube into the vessel. Cold fluid pours
16 out like water out of a tube.

17 MR. BOYD: That's right. Cold water --

18 CO-CHAIRMAN WALLIS: Pours out like that.

19 MR. BOYD: -- falls into the --

20 CO-CHAIRMAN WALLIS: And the only thing
21 driving that flow in there is the fact that the
22 pressure in the pipe is less than the pressure in the
23 upper plenum. The only thing that sucks that hot
24 fluid in there is a pressure drop which by Bernoulli
25 gives you a V.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOYD: Okay.

2 CO-CHAIRMAN WALLIS: Is that right?
3 That's the physics. Thank you.

4 That's what I'm asking you to model.

5 MR. BOYD: Right, and again, we didn't.
6 And in the facility experiment this was handed to us,
7 that they made an attempt to estimate that match flow,
8 and we used their estimation.

9 DR. RANSOM: Why wouldn't you have just
10 started the calculation with the uniform pressure and
11 then let the heat transfer and buoyancy effects
12 establish the fall?

13 MR. BOYD: Well, we have to know -- well,
14 we'd be trial --

15 DR. RANSOM: It would take too long.

16 MR. BOYD: We would be fooling around
17 trial and error with pressure until we got the mass
18 flow we wanted, and in one guess I can just put the
19 mass flow that I want in.

20 CO-CHAIRMAN WALLIS: But that's nothing
21 compared with the million cells you're dealing with.
22 I mean, the fooling around with it, the simultaneous
23 solution for the pressure is trivial compared with
24 solving all of those cells.

25 MR. BOYD: The experiment said there's one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 kilogram per second going down the hot leg. That's
2 what I want. So I put in one kilogram per second so
3 that --

4 CO-CHAIRMAN WALLIS: But you get more
5 going down the hot leg than you put in.

6 MR. BOYD: That's correct.

7 CO-CHAIRMAN WALLIS: And if you didn't
8 have this hot fluid in there, you wouldn't get any
9 flow at all. So -- okay.

10 MR. BOYD: I go back to my original goal
11 was over in this region right here. What happens as
12 the plume leaves the hot leg and goes into the inlet
13 plenum, and this --

14 CO-CHAIRMAN WALLIS: So you're very
15 interested in that plume. You'[re not interested in
16 the other plume.

17 MR. BOYD: That's right. I'm interested
18 in all of the plumes, but we have to do what we can.

19 Over here there was a series of boundary
20 conditions applied, profiles fully developed, counter
21 current flow profiles, all that sort of thing, and I
22 found that by the time it reached this end of the hot
23 leg there wasn't a significant variation, and the
24 truth is --

25 DR. RANSOM: Incidentally, what was the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 true boundary condition in the experiment?

2 MR. BOYD: There was a vessel.

3 DR. RANSOM: Just a vessel of hot fluid?

4 MR. BOYD: Electrically heated elements
5 and an upper plenum that was hot, and it was pretty
6 well mixed according to the data, and it was feeding
7 over. So there was that suction that Graham talked
8 about, fully --

9 DR. RANSOM: And it was closed so that the
10 cold --

11 MR. BOYD: -- facility was coming in and
12 dumping into the mixing --

13 DR. RANSOM: Vessel land being
14 recirculated.

15 MR. BOYD: Going down into the hot,
16 electrically heated things, coming back up, back over
17 to the hot leg, right. So we cut that all off and we
18 just applied the hot leg mass flow.

19 CO-CHAIRMAN WALLIS: Now, I suppose I
20 could mention at this time I did some calculations of
21 what you call the CCFL or something; you might call a
22 lock exchange model. If you would simply have a hot
23 vessel here and a cold one there, what flow rate do
24 you get?

25 And you're pretty close to that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOYD: What I found is tha the
2 experiments did seem to be pretty close to that. If
3 I tried to, let's say, take my inlet velocity and
4 multiply it by 50 percent, a lot of that flow ended up
5 being rejected.

6 CO-CHAIRMAN WALLIS: That's right.

7 MR. BOYD: And I could not effect very
8 strong --

9 CO-CHAIRMAN WALLIS: So a crude way to
10 model this would be to say we've got CCFL in the hot
11 leg.

12 MR. BOYD: That may be even better because
13 the truth is the mass flow measurements in that
14 experiment were true. They were measured by
15 temperatures, very few temperatures, and assumptions
16 on an energy balance. So --

17 CO-CHAIRMAN WALLIS: But that's really
18 what's happening. You've got a cold plenum on the
19 right and a hot plenum on the left in this picture,
20 and the flow adjusts.

21 MR. BOYD: That would probably be a more
22 accurate mass flow than the experiment gave you. I
23 think there's some good --

24 CO-CHAIRMAN WALLIS: Thank you.

25 MR. BOYD: -- uncertainty on that as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Thank you.

2 MR. BOYD: That's a good point.

3 Okay. So let's go on. This is, again,
4 qualitative information.

5 What we can see here is a stratified flow.
6 We see a highly stratified flow. We see an
7 accelerating flow. You can see here with the velocity
8 profile it's necking down. It continues to accelerate
9 all the way through the nozzle, and at this point it's
10 extreme --

11 CO-CHAIRMAN WALLIS: This is -- by
12 Bernoulli the pressure is actually going down.

13 MR. BOYD: This also has a slow interface,
14 which at least in some other experiments was
15 qualitatively observed when they did the glass pipe.

16 Symmetry plane temperatures, we can take
17 a look. The tube bundle -- now, here's where we
18 adjust the tube bundle heat transfer rate to be
19 consistent with the experiment, and essentially the
20 experiment was crude in its tube measurements, but we
21 got an idea of what the --

22 CO-CHAIRMAN WALLIS: Filled with water on
23 the secondary side?

24 MR. BOYD: Filled with water on the second
25 side.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Which is a rather
2 high heat transfer coefficient.

3 MR. BOYD: A very high heat transfer.
4 We'll take a look at that.

5 CO-CHAIRMAN WALLIS: It's not realistic.

6 MR. BOYD: I would agree. It's not
7 indicative of what we would expect, but at this point
8 we're trying to validate the approach.

9 CO-CHAIRMAN WALLIS: So it quenched the
10 rising fluid quite effectively.

11 MR. BOYD: Quickly, I think.

12 CO-CHAIRMAN WALLIS: Right. Whereas if
13 you had poor heat transfer, you'd get that hot fluid
14 going up and around part of the other side before it
15 really cooled down. You'd have a different sort of
16 circulation.

17 MR. BOYD: That's what the SCDAP/RELAP 5
18 analysis will show, is if temperatures go all the way
19 around, they're losing heat all the way around the
20 bundle.

21 CO-CHAIRMAN WALLIS: Right, right, because
22 they have a poor heat transfer coefficient on the
23 secondary side.

24 MR. BOYD: That's right.

25 DR. RANSOM: When you say you adjust the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 heat transfer rate or a mechanistic model in which you
2 try to calculate a film coefficient, then, you know,
3 heat transfer across the boundary and to a secondary,
4 or do you just set the heat loss per volume?

5 MR. BOYD: We set a heat transfer
6 coefficient and a sync temperature. The sync
7 temperature was the water temperature in the
8 experiment.

9 DR. RANSOM: And that's the overall heat
10 transfer coefficient.

11 MR. BOYD: That is the H on all the tubes,
12 at all areas.

13 DR. RANSOM: Tube side conduction plus --

14 MR. BOYD: That's right. That's
15 everything.

16 DR. RANSOM: Okay.

17 MR. BOYD: Now, our problem was that with
18 our big, porous, wider tubes, we couldn't get the heat
19 out fast enough to match the experimental
20 observations. So we also had to augment the
21 conductivity a little bit in the porous media to get
22 the heat closer to the walls quicker so that we could
23 lose the heat fast enough.

24 These big --

25 DR. RANSOM: I don't quite understand

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that.

2 MR. BOYD: These larger tubes carry the
3 heat better than a smaller tube.

4 DR. RANSOM: But you have no profile. You
5 just have one temperature for that fluid.

6 MR. BOYD: There is cells across. There
7 was a profile. I didn't just use one dimensional
8 stuff.

9 DR. RANSOM: Oh, you mean this is when you
10 did the single tube?

11 MR. BOYD: Each of the 216 single tubes
12 had several cells across them.

13 DR. RANSOM: Oh, it did?

14 MR. BOYD: So they were profiled across
15 there.

16 DR. RANSOM: Oh, so not just rectangular
17 single cells, but how many cells were in each tube?

18 MR. BOYD: I think it was three by five.
19 They were slightly rectangular.

20 DR. RANSOM: -- varied the thermal
21 conductivity in the fluid.

22 MR. BOYD: We had to augment that a little
23 bit to help us get the appropriate heat transfer rate
24 that we wanted.

25 DR. RANSOM: Well, does the model include

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any convective mixing from cell to cell within that
2 tube?

3 MR. BOYD: Yes, there is mixing from cell
4 to cell within the tube.

5 DR. RANSOM: You mean there can be, I
6 guess. It depends on --

7 MR. BOYD: There can be. In fact, in some
8 of the larger models I did I actually saw some
9 recirculations in the lower parts of the tubes. So I
10 saw flow going up one side of the tube and down.

11 DR. RANSOM: But I guess irrespective of
12 that you still had to increase the thermal
13 conductivity to get the laminar part -- to get the
14 heat out.

15 MR. BOYD: That's right, to match the
16 experimental indications of what the temperature
17 profile should be up into the tubes.

18 CO-CHAIRMAN WALLIS: I have a list of
19 questions, and I've gone through most of them.

20 MR. BOYD: Okay.

21 CO-CHAIRMAN WALLIS: There was one I
22 noticed we hadn't answered yet. We know the mass flow
23 in the hot leg that you quote is bigger than the flow
24 you put in. In fact, the mass flow is changing along
25 the tube because some of the flow recirculates.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, when you say MH, where is MH
2 measured?

3 MR. BOYD: I measure it in the center of
4 the tube.

5 CO-CHAIRMAN WALLIS: In the middle of the
6 tube. That's what you mean by MH. Okay.

7 MR. BOYD: That's right.

8 CO-CHAIRMAN WALLIS: It's not the same as
9 what goes into the plume in the steam generator. It's
10 not quite the same as what you put in.

11 MR. BOYD: But it's very close.

12 CO-CHAIRMAN WALLIS: Okay, but I just
13 wanted to know which one it was you were using.

14 MR. BOYD: I used the --

15 CO-CHAIRMAN WALLIS: Thank you. Thank
16 you.

17 MR. BOYD: And this all, I guess, is less
18 uncertainty than what I considered --

19 CO-CHAIRMAN WALLIS: The fact that they're
20 all about the same indicates to me that the friction
21 and the entrainment at the interface in that hot leg
22 is not really all that important. It's probably just
23 like two fluids flowing counter current flow and the
24 kind of potential flow almost. There isn't that much
25 in --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOYD: They don't seem to interact as
2 much as I had expected.

3 CO-CHAIRMAN WALLIS: Too much, right,
4 right.

5 MR. BOYD: There's a big temperature
6 gradient that --

7 CO-CHAIRMAN WALLIS: Because if there were
8 a lot of friction at that interface, you wouldn't get
9 the flow to occur. If you reached a sort of a
10 stirring up, turbulence in there, but in fact, the
11 buoyancy helps to keep them stratified.

12 MR. BOYD: And it is a very strong
13 buoyancy.

14 CO-CHAIRMAN WALLIS: It is, yes.

15 MR. BOYD: This sulfur hexafluoride --

16 CO-CHAIRMAN WALLIS: Puts a ratio of two
17 to one or something density. It's huge.

18 MR. BOYD: Yeah, the cold stuff has
19 densities --

20 CO-CHAIRMAN WALLIS: That really
21 impressed. You have a huge density.

22 MR. BOYD: Right.

23 DR. RANSOM: Well, I think the flow in
24 that hot leg is dominated by just like a sewer pipe,
25 a hydrostatic head in the cold fluid, you know. It

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has a sloping interface as you flow toward the
2 entrance and --

3 CO-CHAIRMAN WALLIS: The friction on the
4 wall.

5 MR. BOYD: Pardon?

6 CO-CHAIRMAN WALLIS: It's friction on the
7 wall that does that rather than interfacial friction.
8 It's the friction of that cold fluid on the pipe wall
9 which is bridging that interface rather than friction
10 at the interface.

11 DR. RANSOM: Actually it turns out that's
12 pretty small in the sewer pipe. It's really the
13 sloping interface that provides the potential part of
14 the flow.

15 CO-CHAIRMAN WALLIS: It balances the
16 friction on the wall. Balance something.

17 MR. BOYD: We've got to get our minds out
18 of the gutter here.

19 (Laughter.)

20 CO-CHAIRMAN WALLIS: Do you want a
21 different analogy? It's like pouring out of a bottle
22 of wine. How about that?

23 MR. BOYD: Okay. So here's where the
24 adjustments were made. Now, what we do at full scale
25 conditions where we don't have a good indication of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the secondary site heat transfer rate -- we'll see
2 this -- is we just do a whole series of them, and then
3 we take a look and compare them with the data.

4 But let's go on. This is all, again,
5 qualitative to give us an indication of what's going
6 on. Here's a representation of the inlet plenum with
7 three horizontal planes. We've got contours of
8 temperature.

9 This is the plume just leaving the hot
10 leg. You'll see that when it is almost impacting the
11 tube sheet, it's still pretty intact, hasn't really
12 grown. You can see the mixing. It's a little bit
13 lighter.

14 When it hits the tube sheet, what you've
15 essentially got is almost a stagnation point, but a
16 porous stagnation point. Some of the flow is going to
17 go in, but others act just like a stagnation point.

18 DR. RANSOM: It spreads out.

19 MR. BOYD: It spreads out in all
20 directions. That's right. So this gives us an idea
21 of what the flow pattern looks like.

22 Here is three vertical planes, normal to
23 the hot leg access, and what we see in the first plane
24 is we see the strong upward flow. This is essentially
25 the plume, and you can see this flow going out in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 side directions. That's your stagnation portion of
2 the flow.

3 Back further in the central region we see
4 a strong, you know, flow along the top, and at the
5 back wall we see the same thing, but what you're going
6 to see here is this strong set-up like this.

7 CO-CHAIRMAN WALLIS: You have the fire
8 underneath these tubes in the maple syrup boiler.

9 MR. BOYD: Okay. That sounds like a New
10 England point of view.

11 DR. RANSOM: Well, the tubes that attach
12 to that upper face, you're getting up flow, I guess,
13 through the central part of that and then down flow
14 through the --

15 MR. BOYD: Right, and that's all
16 determined by the model. They just had these porous
17 tubes with the appropriate loss coefficients and the
18 appropriate viscous losses. The code decides which
19 tubes go in up-flow, which tubes come in down-flow.
20 The idea is we hope we're pulling out the right amount
21 of mass in the right location such that these inlet
22 plenum flows are appropriate.

23 DR. RANSOM: And the up is going all the
24 way over into the outlet plenum?

25 MR. BOYD: All the way over to the outlet

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plenum.

2 DR. RANSOM: Up through those and back.

3 MR. BOYD: That's right, and all of that
4 just happens.

5 CO-CHAIRMAN FORD: Let me ask a non-
6 thermal hydraulicist question. This seems reasonable
7 to me, not being a thermal hydraulicist.

8 What data are there to show those numbers
9 that you have been quoting in terms of temperature and
10 those flow configurations are, in fact, correct? And
11 how much could you be in error?

12 MR. BOYD: We could be in error. We're
13 going to get to that data. We're still in the
14 qualitative, let's understand the flow.

15 CO-CHAIRMAN FORD: Okay, right.

16 MR. BOYD: We're only going to compare
17 with some rather crude numbers though. So we're not
18 really doing a pure validation of the CFD, and we have
19 some qualitative information on the flow patterns from
20 some crude amounts of thermocouples, and it looks
21 similar, very similar.

22 CO-CHAIRMAN FORD: Now, are they similar
23 enough to have a no consequence as far as material
24 degradation is concerned?

25 MR. BOYD: That would be my view of it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In the greater scheme of things, I think at least in
2 this case we're doing close enough. The problem with
3 these tests is they didn't have all of the
4 thermocouples on it all the time. They had some nice
5 rakes, but they didn't turn them on when they wanted
6 to measure hot leg flows and things like that.

7 And when they measured the rakes, they
8 didn't have the rest of the system instrumented. So
9 we have -- and they never repeated an experiment, and
10 luckily every time they did a different experiment
11 with new regs. they would change the conditions
12 drastically.

13 CO-CHAIRMAN FORD: Let me turn the
14 question over to you, Joe. This comes back to our
15 questions we had yesterday about interrelationships
16 between these various studies. Is that correct; have
17 you yet in the materials degradation area, have you
18 yet taken these predictions plus uncertainties and
19 decided whether, in fact, you've got a big "oh, heck"?

20 MR. MUSCARA: Yeah, we've taken the
21 predictions and determined whether groups would fail
22 or not fail under the particular transient given the
23 temperatures and pressures that apply to us. We
24 haven't done the sensitivity or the uncertainty
25 analysis yet, but in addition, you know, this work is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 still evolving.

2 CO-CHAIRMAN FORD: Yes, sir, right.

3 MR. MUSCARA: And doing cases. So we're
4 looking for new input which may modify the result of
5 it.

6 CO-CHAIRMAN FORD: No, I recognize this is
7 not finished by any means, but from what you've seen
8 so far, you haven't seen something, "Oh, heck, we've
9 got a major problem looming here from the materials
10 degradation aspect"? No?

11 MR. MUSCARA: Well, that's the thing we're
12 evaluating. We're evaluating whether given this input
13 for the tubes, when different tubes would fail given
14 different flaws and flaw distributions in the tubes.

15 And the next part, of course, is to also
16 get this same kind of data for the primary system
17 components and determine the time to failure of those
18 components, and you'll hear about some of that this
19 afternoon.

20 CO-CHAIRMAN FORD: Good.

21 CO-CHAIRMAN WALLIS: Let me help my
22 colleague here. It seems to me I have looked at the
23 data for the flow patterns and the crude picture.
24 Actually this comes pretty close to what's observed,
25 and they predict very nicely some overall parameters,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like how many tubes have up flow and how many tubes
2 have down flow and that sort of thing, and what's the
3 match flow circulation rate in the steam generator
4 compared with what's happening in the hot leg?

5 All of these macroscopic things are
6 predicted very nicely. The questions that might
7 remain would be, okay, you've done a very good job of
8 modeling the macroscopics. How about the hottest flow
9 that goes into the particular tube? And if that tube
10 is in the middle of the steam generator bunch and
11 isn't cooled as well as the other ones, it's these
12 variations between tubes and between streamlines about
13 which I think there will be uncertainty. So if you're
14 predicting a maximum temperature of 1,800 degrees, it
15 might well be 2,000.

16 MR. MUSCARA: That's the kind of data
17 we're using, you know, in conjunction with what is the
18 probability that a flow exists in the hottest tube and
19 then calculate how that behaves.

20 MR. BOYD: We'll move on.

21 One thing that we saw in the experimental
22 results was significant mixing. We had some
23 thermocouples at this point and we had some
24 thermocouples at this point, and we had some
25 thermocouples at this point, and there was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant drop in temperature.

2 CO-CHAIRMAN FORD: So could you just
3 wiggle your -- I didn't catch where you --

4 MR. BOYD: Right here we had some
5 thermocouples, four, and right here we had some
6 thermocouples, and there was a significant drop in
7 temperature from here to there, and there was
8 questioning, I guess, of what in the world is going
9 on. How can the temperature drop that much.

10 We saw that flow pattern that was
11 described on the previous slide. On the symmetry
12 plane, what that results in is flow meeting up at the
13 symmetry plane and going vertical, part of that flow
14 trying to find its way back to the hot leg. You've
15 essentially got intersecting jets here. You've got
16 the hot plume coming out and you've got fairly good
17 flows hitting it right on the side.

18 And we look here at contours of turbulence
19 intensity --

20 CO-CHAIRMAN WALLIS: Chris, this is very
21 nice. In fact, the cold flow going into the hot leg
22 comes around that jet from all dimensions, not just
23 from the bottom.

24 MR. BOYD: That's correct.

25 CO-CHAIRMAN WALLIS: The thing that is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bit funny is at the bottom of the vessel you seem to
2 have a source because the flow velocities are all
3 going up from there. It doesn't look quite realistic.

4 MR. BOYD: Yeah, what that source is is
5 right here. We're looking at this flow coming around
6 stagnating at this lower point --

7 CO-CHAIRMAN WALLIS: And splitting up.
8 Oh, okay.

9 MR. BOYD: -- and going up. There's your
10 source.

11 CO-CHAIRMAN WALLIS: But to go back to my
12 point, you're looking at what happens at this end of
13 the pipe. Something very similar happens at the other
14 end of the pipe.

15 CO-CHAIRMAN FORD: Because it goes into
16 the reactor.

17 CO-CHAIRMAN WALLIS: Right. It pours out
18 in a jet and the flow goes around the jet and mixes
19 with it.

20 CO-CHAIRMAN FORD: So, again, the
21 materials guy --

22 CO-CHAIRMAN WALLIS: What he has drawn
23 here is what's happening at the -- if you turn it
24 upside down, this is what's happening at the reactor
25 end.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: Exactly, exactly. So
2 could you have like in the BWR a nozzle cracking
3 phenomena because of several stratifications that you
4 see in feedwater lines? And you've seen the BWR
5 nozzles.

6 MR. MUSCARA: Our evaluations are not
7 necessarily of normal operating conditions. We're
8 talking about severe accident conditions, and given
9 the shortness of the transient, I don't think we'll
10 get the BWR and also corner cracking, which is very
11 petit.

12 MR. SIEBER; That would be the least of
13 your problems.

14 (Laughter.)

15 CO-CHAIRMAN FORD: Yeah..

16 MR. MUSCARA: By the way, just to make
17 sure some of us understand, the seven scale test that
18 Chris is talking about is not the test that the NRC
19 planned and conducted with Westinghouse. So we're
20 trying to make use of that test and to validate some
21 and see if the work that he's doing. So we had no
22 control on how that -- I don't think, unless it was
23 a cooperative effort.

24 MR. BOYD: I don't know. We were involved
25 in some way because we got the data. We paid a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bit. I'm not sure how well we helped plan.

2 Now let's go into what we can do with
3 quantitative results real quickly and then get on to
4 the full scale results.

5 The tube flow split ratio, the red --

6 CO-CHAIRMAN WALLIS: This is something for
7 the committee if they want to understand what's
8 happening you have to understand.

9 MR. BOYD: Okay.

10 CO-CHAIRMAN WALLIS: It's not obvious.

11 MR. BOYD: I just don't want to take up
12 the whole morning and cheat Don out of --

13 CO-CHAIRMAN WALLIS: No, well, I'm just
14 asking them to pay attention if they want to
15 understand.

16 (Laughter.)

17 CO-CHAIRMAN FORD: They are paying
18 attention.

19 DR. RANSOM: Are you comparing these
20 extension tubes? You mentioned having a thermocouple
21 rate. Do you compare those to CFD calculations?

22 MR. BOYD: There was a rake in the
23 experiment, but it was not -- the conditions feeding
24 the rake were not the same test conditions feeding
25 this steam generator. They didn't repeat things.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They had an issue with the data system. You know,
2 200, 300 transducers, whatever the number was, and 100
3 data channels, and when they switched all of their
4 data channels from one set to the other, they didn't
5 keep the conditions the same.

6 So it's very difficult to make -- I have
7 hot leg data, and I can compare the hot leg flows and
8 show that I'm getting the right profile, but they
9 don't correspond to this run, and when I have hot leg
10 data, I don't have a bunch of other data. So there's
11 this kind of mixed matches.

12 So, no, I don't have the rakes to show
13 with this particular run.

14 So we take a look here at the flow split
15 ratio. These are the tubes and up flow. The CFD
16 results are the black and they're, of course,
17 symmetric because we ran a symmetry model. On one
18 side we see the data matching fairly well and we see
19 five tubes out and five tubes in. So on one side
20 we've got exact agreement.

21 On the other side we're one tube over.
22 The data are one tube shifted in, but in general we're
23 pretty much picking up.

24 And now if we go in here --

25 CO-CHAIRMAN WALLIS: I think if they ran

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the experiment again, in my experience with this
2 multitude type thing, they'd get a different panel.

3 MR. BOYD: I would agree. If you look at
4 their tube split ratios over the wide range of tests,
5 they have significant asymmetries and significant
6 variations.

7 CO-CHAIRMAN WALLIS: It's just because
8 it's a question of which one gets started. The plume
9 comes off and wanders around a bit, and then some of
10 them get started going up and some of them get started
11 going down. You cannot predict exactly which one, on
12 the boundary whether it will be up or down. It's just
13 a probability there.

14 Now, do my colleagues understand that the
15 flow has to come up here, go down the other side into
16 what's called the outlet side and the come back up
17 some tubes and go down the inlet side again?

18 Okay.

19 MR. BOYD: All of these tubes are flowing
20 upward, and all of these tubes are flowing downward.

21 CO-CHAIRMAN WALLIS: And on the other
22 side, the same corresponding ones are going down and
23 up again.

24 MR. BOYD: You see the exact pattern on
25 the other side with the center going down and then the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rest coming up.

2 CO-CHAIRMAN FORD: But what you're saying,
3 one of those contours is observed, and the other one
4 is calculated, and where they don't match is a
5 discrepancy between observation theory. My question
6 then is: how much is that discrepancy? Are we
7 talking 100 a piece K (phonetic) or --

8 MR. BOYD: Five percent of the tube
9 sheets, something like that maybe, and when we run
10 that, there's a sensitivity in SCDAP/RELAP. We don't
11 see a big sensitivity to that discrepancy, to the
12 number.

13 CO-CHAIRMAN WALLIS: The total number that
14 matters is where they are. It's not the problem at
15 all because it's going to be random anyway, but the
16 total number of tubes is predicted very well, isn't
17 it?

18 MR. BOYD: And we don't see that as a big
19 sensitivity anyway in the --

20 CO-CHAIRMAN FORD: No, but my question
21 really was how much is the prediction off. I mean you
22 partially answered the question, Graham, by saying,
23 "Hey, some tubes won't be exactly -- have the
24 temperatures exactly as predicted," and you're
25 assuring which of those tubes it might be.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 How much is the discrepancy between
2 observation and theory? Is there enough for 100 of --

3 MR. BOYD: Are we talking about the number
4 of tubes? Well, in this 216 tube model, we were seven
5 tubes off, which is three percent of the tube sheet.
6 So you can multiply that now by 3,200 tubes for
7 Westinghouse or 8,000 tubes for a CE plant and get an
8 estimate maybe of how far off.

9 CO-CHAIRMAN FORD: Maybe I'm off line
10 here, but it doesn't really matter whether it's one
11 tube or 100 tubes, which are not in agreement with
12 observation. It's how much they are off because even
13 if you have one tube or three tubes, which is 200
14 degrees K away from prediction, those seven or eight
15 tubes failing by another mechanism might be even not
16 controllable.

17 MR. BOYD: Well, these tubes on the
18 boundary are not really our concern in my opinion
19 anyway. We'll get to that, but it's the core central
20 hottest tubes that are the problem. These tubes are
21 closer or much lower temperature, significantly more
22 mixing, and you know, the difference here is they are
23 either significantly mixed, significantly cooler than
24 the hottest tubes or they're in cold flow return, but
25 either way these are not the most challenged tubes to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 begin with out on the periphery of this.

2 CO-CHAIRMAN FORD: Okay. So it's never
3 mind.

4 CO-CHAIRMAN WALLIS: I think it's never
5 mind, but I think that another question which I think
6 is answered is that sometimes with these situations
7 you worry about a tube being sometimes out flow,
8 sometimes down flow. Sometimes it's a hot tube,
9 sometimes it's a cold tube.

10 If you did get oscillation like that,
11 you'd get a thermal fatigue problem, but I don't think
12 that happens. I think once a tube gets going, it's a
13 chimney. It stays as a chimney. There's no mechanism
14 for it to revert to going the other way.

15 MR. BOYD: That's what the model shows.

16 CO-CHAIRMAN WALLIS: I think it's true.

17 MR. BOYD: Not in this case, but at full
18 scale, we're looking at an example where that's the
19 case.

20 CO-CHAIRMAN WALLIS: Do they actually
21 revert, oscillate between up and down flow?

22 MR. BOYD: No. We look at a case where
23 you would think if they're going to they would and
24 they don't.

25 But now, we can change them though. If I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 take this run and run it as a transient and then
2 change the tube heat transfer rate, those tubes on the
3 edge do change, and it either grows or shrinks. So
4 the code is able to based on that tube heat transfer
5 rate to change a tube's flow.

6 CO-CHAIRMAN WALLIS: If you're in a house
7 with four chimneys and you have a hot house and a cold
8 outside and the dampers are open, two of those
9 chimneys will probably have hot air going up and two
10 of them will have cold air coming down, and that's
11 what happens.

12 And once it happens, it doesn't suddenly
13 change.

14 MR. BOYD: Unless you change the heat
15 transfer on the chimneys.

16 CO-CHAIRMAN WALLIS: Unless you light a
17 fire in the cold chimney. Then, of course, the smoke
18 comes into the room, you know.

19 MR. BOYD: If you light a fire, all bets
20 are off, but we'll take a look at that.

21 So now we're looking at some of the key --

22 CO-CHAIRMAN WALLIS: Are you going to
23 analyze my house?

24 (Laughter.)

25 MR. BOYD: So here's the key parameters as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we see them that are input into SCDAP/RELAP, some of
2 the keys. The biggest discrepancy we have is in the
3 number of hot tubes. We're seven tubes over.

4 This is interesting. The mass averaged
5 hot flow temperature entering the tube, we're within
6 a degree of what's reported in the experimental
7 observations. Now --

8 DR. RANSOM: Is that the hottest?

9 CO-CHAIRMAN WALLIS: That's average.

10 MR. BOYD: That's average. Now, they
11 averaged them differently than I did. I took a mass
12 average over the entire flow area. They took the
13 finite number, 25 percent of the tubes were
14 instrumented, scattered in a patter. They just took
15 them and averaged them numerically. So it is a
16 different process.

17 But we're close to the bulk average flow
18 going in.

19 DR. RANSOM: Aren't you more interested
20 here in the maximum temperature?

21 MR. BOYD: In the maximum temperature I
22 don't show it on the table. We match that very well
23 in this, in this run.

24 CO-CHAIRMAN WALLIS: How much is it?

25 MR. BOYD: In this case --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: It's nowhere near the
2 159 you're putting in?

3 MR. BOYD: No, no. It's 106, 106 degrees,
4 something like that, in this test, and we matched that
5 pretty well.

6 CO-CHAIRMAN WALLIS: That's what you're
7 you're interested in for materials purposes, isn't it,
8 the maximum temperature?

9 MR. BOYD: That's right.

10 CO-CHAIRMAN WALLIS: So perhaps we need
11 some sensitivity studies on how much will wander
12 around if you get some of the heat transfer
13 coefficients to be different.

14 MR. BOYD: So, now, here is another
15 important parameter. This mass flow through the
16 tubes, now, this is not something we're inputting.
17 This is like the code is doing this based on the
18 natural circulation and based on the loss coefficients
19 and the heat transfer.

20 There was no tuning here. These things,
21 heat transfer and those loss coefficients were all
22 done in this one dimensional model off line and then
23 input once and not looked at again. And we picked up
24 the mass flow essentially exactly.

25 The mixing fraction down here, this is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very sensitive parameter. In my mind this is
2 essentially an agreement between the mixing fraction,
3 and the recirculation ratio, which is in this case
4 only a measure again of the mass flow through the
5 tubes because we input the hot leg mass flow, but we
6 match that recirculation ratio.

7 And the rest of these --

8 DR. RANSOM: What is that recirculation
9 ratio?

10 MR. BOYD: That's the ratio of the tube
11 flow to the hot leg flow loop. The hot leg flow,
12 let's say, has four kilograms per second circulating
13 through it in a plant and the tubes have eight. So
14 the recirculation ratio is two.

15 CO-CHAIRMAN WALLIS: Now, let me give you
16 what would happen if you coupled in the reactor.
17 FLUENT would now be saying the heat loss of the tubes
18 is 3.69, and there's really I'm putting in 3.56. So
19 I've got an energy balance that's not right. So,
20 therefore, I've got to go back and change the tube
21 that's coming in from the core, which then changes the
22 hot leg, and you go through that loop.

23 MR. BOYD: That's right. Those types of
24 iterations were not really deemed necessary.

25 CO-CHAIRMAN WALLIS: You don't need to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it. I'm just saying that if you did have the other
2 end with sort of an energy balance in there, then this
3 would automatically --

4 MR. BOYD: Well, we tinkered with this and
5 got good agreement. There was really no need.

6 CO-CHAIRMAN WALLIS: No, I agree. I
7 agree. It's just that then you would have equality of
8 some things instead of them being slightly different.

9 DR. RANSOM: The recirculation ratio is
10 driven by entrainment; is that right?

11 MR. BOYD: No, it's driven by the tube
12 buoyancy flows. If the tubes have no heat transfer,
13 then the recirculation ratio would go down to
14 essentially zero, no tube flow.

15 DR. RANSOM: Right.

16 MR. BOYD: As you increase the heat
17 transfer, you pull; you're able to drive more fluid
18 around that loop and --

19 DR. RANSOM: You're comparing, I thought,
20 the net mass flow to the mass flow in the hot leg.

21 MR. BOYD: The net mass flow through the
22 tubes to the mass flow in the leg. That's right.

23 CO-CHAIRMAN WALLIS: Right.

24 DR. RANSOM: Then why is that two?

25 CO-CHAIRMAN WALLIS: The flow up the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chimney is bigger than the flow into the fire. It
2 draws in from the room.

3 DR. RANSOM: You do entrainment.

4 CO-CHAIRMAN WALLIS: Yeah.

5 DR. RANSOM: You've got flow that's coming
6 down that's going to recirculate.

7 MR. BOYD: And it is entrained to go back
8 up. Oh, I see. I see what your point is. That's
9 right.

10 DR. RANSOM: That's what causes this. How
11 is that measured in the Westinghouse data? How would
12 you know that value?

13 MR. BOYD: The mass flow in the tubes was
14 measured by an energy balance. So the uncertainty on
15 that would be fairly high. They had -- basically they
16 measured the heat loss from the system, rejected in
17 the water loop on the outside, and this was steady
18 state. That gave them an energy, and then they
19 measured the inlet temperatures with these few
20 thermocouples which they averages, and then they
21 measured the return flow temperatures. So they have
22 a steady state, steady flow problem. They had the
23 mass flows. They had the energy.

24 I'm sorry. They had the temperature
25 difference and the energy, and then they could get the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mass flow directly from that, and that's the way they
2 got the hot leg mass flow because the hot leg energy
3 balance was the same energy value. They had an upper
4 temperature and a lower temperature, and they got the
5 mass flow from that.

6 So these mass flows have some uncertainty
7 to them. The hot temperature in the hot leg that they
8 measured was from one thermocouple in a very steep
9 gradient. So we have to -- not all of the digits are
10 significant.

11 CO-CHAIRMAN WALLIS: What would be really
12 pretty would be if you had done this calculation
13 before they did the test.

14 I was in high school, I guess. So that
15 would have been tough.

16 CO-CHAIRMAN WALLIS: But then you wouldn't
17 have been able to guess the in-flow rate from the
18 core.

19 MR. BOYD: The only way to do that would
20 be to have the vessel, and we attempted this with the
21 vessel, Graham, just to let you know. Our first model
22 included the vessel, but the vessel was a complex
23 mass, and we got into the process of then having to
24 specify loss coefficients in --

25 CO-CHAIRMAN WALLIS: Well, let's talk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about how you might do it easier.

2 MR. BOYD: Okay. Now, here's something
3 that would be of interest. These are tube-to-tube
4 variations now. So we've got this hot up flow. Now,
5 this is what is going to really feed in --

6 CO-CHAIRMAN WALLIS: This is good.

7 MR. BOYD: -- to the tubes intake
8 analysis.

9 CO-CHAIRMAN WALLIS: We're saying this is
10 good. Put it in the record.

11 MR. BOYD: Okay. These tubes --

12 MR. MUSCARA: That would be of use.

13 MR. BOYD: These tubes on the periphery
14 that you were concerned about earlier as to whether
15 they're an up flow or down flow, that would be these
16 tubes over here on the left side of this plot,
17 normalized temperatures in the .2 range.

18 So these are the tubes on the periphery
19 with lower mass flow rates, which you know have kind
20 of some uncertainty. These tubes over here are the
21 core flow tubes in the hottest part of the bundle, and
22 here we've got normalized temperatures of .525.

23 We start normalizing things so that we can
24 start comparing with the full scale results. The way
25 we normalized is we assumed the hot leg, hot leg, hot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperatures, your hot sources. The cold flow return
2 temperatures, your low point temperature, that
3 provides the ultimate delta T, and then we just do a
4 T minus T cold or a T hot minus T cold.

5 So what you're seeing here is that the hot
6 temperature gets about halfway down to the secondary
7 side temperature by the time it enters the tubes, and
8 that's basically what this plot is showing us.

9 CO-CHAIRMAN WALLIS: So the statisticians
10 could play with that if they wanted to.

11 MR. BOYD: This slide I don't plan on
12 going over, but just to demonstrate, this is just a
13 sample of the sensitivity studies, and these are some
14 of the major inputs to the code, but we also varied
15 everything from wall functions to turbulence options
16 and to grid sizes.

17 We probably ran about 100 runs on this
18 thing to really make ourselves feel comfortable that
19 there was no point that we were being fooled by. So
20 the code was pretty stable over all of these. We
21 found no discrepancies.

22 So the summary here, Step 1, we've
23 compared with one-seventh scale data. We've got some
24 level of confidence and we feel more comfortable now
25 going over scaled conditions. The model was stable.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Qualitatively we matched the experimental
2 characteristics that are noted from the two sets of
3 experiments.

4 The quantitative comparisons with mixing
5 parameters was very good. The results were most
6 sensitive to the heat transfer rate, and we feel like
7 at this point we've got a much better understanding of
8 what's going on.

9 CO-CHAIRMAN WALLIS: To go back to that,
10 if you went to the heat transfer rate even lower than
11 you did here, you'd get the situation where you'd get
12 the flow going over the top and the hot flow actually
13 comes all on the downcomer and you get no flow again.
14 You've got a piece of it, whereas you counter to what
15 you'd expect, your intuition, as you have a lower heat
16 transfer coefficient. You actually have more
17 circulation.

18 MR. BOYD: We'll look at a plot that has
19 a --

20 CO-CHAIRMAN WALLIS: -- you're going up,
21 but if you lowered it enough, you'd actually come down
22 again.

23 MR. BOYD: I would agree. You would have
24 several.

25 CO-CHAIRMAN WALLIS: And so there might be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some concern about whether there is enough -- whether
2 you are in that range of descending heat transfer in
3 the real situation of the steam generator and the real
4 life situation.

5 MR. BOYD: Okay.

6 CO-CHAIRMAN WALLIS: So you might want to
7 extend it in that region.

8 MR. BOYD: We'll take a look at some plots
9 that will shed a little bit of light on that.

10 Now we'll go to Step 2. We feel a little
11 comfortable, and now we want to do a full-scale
12 geometry. We realize up front that the geometry of a
13 real plant is a little bit different. So we're going
14 to take this intermediate step of scaling up the
15 geometry and changing the conditions to the expected
16 plant conditions. We stay with 216 tubes. We stay
17 with basically the exact same model, and we put steam
18 in it, 2,400 psi and the appropriate mass flows in the
19 hot leg from SCDAP/RELAP 5.

20 And now at this point what we really have
21 is a plant with 3,200 tubes, not 216. So what we did
22 is we grouped the tubes together and created our
23 porous tube, and we ran a CFD evaluation in great
24 detail here to come up with the coefficients here. We
25 ran that with steam at 2,400 psi with a seven-eighths

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inch tube. So we changed our analysis coming up with
2 a totally different set of coefficients.

3 Now, where we're lost is on the heat
4 transfer rate, and we recognize that. So what we did
5 is we applied a whole series of heat transfer rates,
6 which I'm going to label here H-1 through H-7. We --

7 CO-CHAIRMAN WALLIS: These are heat
8 transfer coefficients for just where?

9 MR. BOYD: On the outside of the tubes.
10 This is the heat driven --

11 CO-CHAIRMAN WALLIS: That's what we're
12 talking about.

13 DR. RANSOM: This is the CFD model?

14 MR. BOYD: This is the CFD model. That's
15 right. So we've got this range of effective heat
16 transfer rates. So down here at H-7 what we've done
17 is we've hit it with such a high heat transfer rate
18 that all of the heat leaves the model by the time the
19 flow reaches .3.

20 CO-CHAIRMAN WALLIS: You're quenching the
21 chimney. You have to fill it back.

22 MR. BOYD: That's right, and with heat
23 transfer rate one, the lowest heat transfer rate, by
24 the time the flow reaches the top dead center of the
25 steam generator tube, the normalized mass average

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature has dropped from .28 to .14. It has lost
2 half of its, let's say, temperature range, but there's
3 plenty of -- what it's going to do is still be hot and
4 losing heat all the way down, and it's going to come
5 back up.

6 CO-CHAIRMAN WALLIS: If each one went to
7 zero -- excuse me -- you'd have a flat line, or not a
8 flat line. It would go all around and wouldn't cool
9 down at all.

10 MR. BOYD: I'm sorry?

11 CO-CHAIRMAN WALLIS: If each one was zero.

12 MR. BOYD: Oh, if each one was zero.

13 CO-CHAIRMAN WALLIS: it would go all the
14 way around and wouldn't cool down at all.

15 MR. BOYD: If each one was zero, it may
16 not even go around.

17 CO-CHAIRMAN WALLIS: You'd have a flat
18 line. The temperature would just be flat in that
19 picture.

20 MR. BOYD: Yes. If each one was zero what
21 would happen is the flow would come in and it would
22 come right back out.

23 CO-CHAIRMAN WALLIS: It would go at .28
24 all the way across.

25 MR. BOYD: It's questionable whether it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would even enter the tubes.

2 CO-CHAIRMAN WALLIS: But while it's in the
3 tubes, it would have a constant temperature.

4 MR. BOYD: It would have a constant
5 temperature. That's correct.

6 Okay. So what we did is with ignorance of
7 the true heat transfer coefficient or not comfortable
8 with the SCDAP/RELAP 5 predictions, we ran a whole
9 range of them. The SCDAP/RELAP 5 predictions for this
10 particular run with the four nodes and the steam
11 generator --

12 DR. RANSOM: Incidentally, this is sulfur
13 hexafluoride.

14 MR. BOYD: No, now we're talking full
15 scale with steam.

16 DR. RANSOM: Oh, it's steam.

17 MR. BOYD: Yes.

18 DR. RANSOM: In your CFD model. Okay.

19 MR. BOYD: Okay. With a full scale steam
20 generator that has the geometry of the one-seventh
21 scale facility, a similar geometry, but at full scale.
22 So there's no geometrical distortion. We're just
23 scaling up.

24 DR. RANSOM: Because of this tube model
25 though you have to adjust the heat transfer, I guess.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOYD: And the tube loss coefficients
2 and all of that stuff. That's right.

3 Here's the effect of heat transfer rate on
4 some of these key parameters. The tube fraction goes
5 from, let's say, 48 percent, 47 percent of the tubes.
6 As we change the heat transfer rate, this can go down
7 to 37 percent of the tubes. So in a full-scale plant,
8 we have just changed ten percent of the tubes in up
9 flow or down flow just by changing the heat transfer
10 coefficient.

11 This is demonstrating the importance of
12 that heat transfer coefficient and if I want to make
13 comparisons between one-seventh and full scale, I had
14 better be consistent with that, and that's why I show
15 the one-seventh scale data here as the blue dots, the
16 blue hexagons. We're going to compare that with H-5,
17 but when we go to full scale and want full-scale
18 conditions, we're going to want to compare with H-3
19 and H-4 up in here.

20 So we take a look at the two bundle mass
21 flow can change significantly. It goes from 12
22 kilograms per second down to eight. That's a
23 significant --

24 CO-CHAIRMAN WALLIS: And if you went to a
25 lower H, it would go down on the left-hand side. It

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would be a bell shaped curve.

2 MR. BOYD: That's right. We would expect
3 some of these --

4 CO-CHAIRMAN WALLIS: Right.

5 MR. BOYD: But we feel like we've covered
6 the range of where we are.

7 CO-CHAIRMAN WALLIS: I understand.

8 MR. BOYD: But I would agree with you that
9 these are not trends that continue. They would
10 then --

11 CO-CHAIRMAN WALLIS: It goes down again.

12 MR. BOYD: As you drive the chimneys,
13 that's right.

14 CO-CHAIRMAN WALLIS: It short of shows up.
15 You've hit the maximum really. It's just beginning to
16 go down. There is a maximum in that curve at a
17 certain H.

18 MR. BOYD: We look at things like the
19 recirculation ratio.

20 CO-CHAIRMAN WALLIS: There's a maximum
21 there at a certain H, too, right.

22 MR. BOYD: The recirculation ration is an
23 important parameter governing the tube temperatures in
24 the end, and we see it can change from three to two or
25 1.9. So we see some significant variations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now we're going to look at what I call the
2 scale effect. We take the full scale calculation:
3 steam, 2,400 psi, four kilograms per second down the
4 hot log comparing it to sulfur hexafluoride with .2
5 kilograms per second down the hot leg, much lower
6 temperatures.

7 CO-CHAIRMAN WALLIS: Now, there is a key
8 question here. When you had a seventh scale, you
9 imposed a velocity from the vessel.

10 MR. BOYD: That's right.

11 CO-CHAIRMAN WALLIS: Now here you have to
12 impose a velocity from the vessel in the full scale.

13 MR. BOYD: That's right.

14 CO-CHAIRMAN WALLIS: In the seventh scale
15 you know what it is because you have an experiment.
16 In the full scale, it comes out of some phenomena, and
17 you still impose something. How do you know what to
18 impose?

19 MR. BOYD: We don't. So we use the value
20 from SCDAP/RELAP 5 and assume that that RELAP 5 --

21 CO-CHAIRMAN WALLIS: Which comes from an
22 energy balance from the vessel. Really what it does
23 is it ties together M, hot leg, and TH. That's what's
24 happening in the vessel. It's a coupling between them
25 because of the energy being produced, and --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOYD: With lack of better
2 information, we're letting SCDAP/RELAP 5 do all of
3 those predictions for us of the coupled system.

4 CO-CHAIRMAN WALLIS: And it's modeling
5 your steam generator the way you described earlier.

6 MR. BOYD: That's right. It's doing the
7 exact same thing.

8 The point of all of this is to show that
9 the re-circ ratio is essentially the same. The number
10 of tubes and up flow is essentially the same.

11 Now, these tubes weren't locked in place.
12 These tubes changed as we changed the heat transfer
13 rate, but when we kept the heat transfer rates
14 consistent, we got the same number of tubes.

15 The mixing fraction, what we see is a
16 little bit more mixing at the full scale conditions.

17 CO-CHAIRMAN WALLIS: Do you know what H is
18 in the real life in the steam generator on the outside
19 of the tubes?

20 MR. BOYD: The H?

21 CO-CHAIRMAN WALLIS: The H, the H that you
22 varied.

23 MR. BOYD: We could make some assumptions
24 on that, but there's going to be some complex flows
25 over there, and it's probably not uniform across the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tubes. We're using uniform on all --

2 CO-CHAIRMAN WALLIS: Maybe that's an area
3 which requires some study.

4 PARTICIPANT: Did Jack go away?

5 CO-CHAIRMAN WALLIS: Well, he can read the
6 transcript.

7 MR. BOYD: So now we'll take a look at the
8 histogram. In general these results are pretty
9 similar, but we're comparing with like heat transfer
10 rates. You'll see that the full scale results are
11 skewed a little bit toward the cooler end of the
12 spectrum, but they have generally the same range of
13 temperatures. That skew would be representative of
14 the little bit higher mixing fraction that we saw.

15 But, again, this is not too significant in
16 light of what we're going to see later.

17 Here's the flow split ratio. The blue is
18 the Westinghouse one-seventh scale experiment
19 predictions. The black is case H-5, and you'll see
20 that there are the same number of tubes. They trade
21 off one -- these two tubes are switched between the
22 two, but nonetheless, they still have 38 percent of
23 the tubes.

24 CO-CHAIRMAN WALLIS: I would say the tubes
25 on the boundary that have a 50 percent probability of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going up or down. So I wouldn't worry about that at
2 all.

3 MR. BOYD: With case H-1, we reduce the
4 heat transfer rate, and you'll see that we pick up
5 these extra tubes out here, and that's the difference
6 that we saw on the table.

7 So in summary --

8 CO-CHAIRMAN FORD: Sorry. I'm going to
9 ask another non-thermal hydraulicist question. As I
10 understand it going through this scale-up argument,
11 you changed the heat transfer coefficient to have
12 certain parameters in alignment, these MT, ML ratios,
13 et cetera.

14 Graham brought up the question of what is
15 heat transfer coefficient in a real plan, and surely
16 there you're going to be worried about the surface
17 condition, crud build-up, and things of this nature.
18 How much would you expect that physical phenomena to
19 change that heat transfer coefficient? And would it
20 be enough that it would be within these parameter
21 changes you made to H?

22 MR. BOYD: The reason why we ran this
23 whole series is that now we could go back and look at
24 what we think the value is, look at the uncertainty on
25 that, and look at the effect of that compared to my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 variations, and see what impact it has.

2 Now, I would say that I have a wide range
3 of variations where I'm hitting it so hard that I lose
4 all the heat within the first 30 percent of the bundle
5 all the way over to letting the heat go all the way
6 around the bundle. So these H-1, H-2, they're
7 significantly different heat transfer rates. This
8 isn't plus or minus ten percent or anything like that.

9 But I don't have a direct answer for you.
10 It would have to be looked at and look at the
11 uncertainty in the heat transfer rate and then compare
12 it to the difference that we see. But we would be
13 more in line with between H-3 and H-4 of my heat
14 transfer rates as opposed to going from one end to the
15 other. You're not going to add some crud and make
16 these kinds of drastic changes that I'm doing to the
17 heat transfer rate here.

18 CO-CHAIRMAN WALLIS: That's a fact, is it?

19 MR. BOYD: I can't see how you can make a
20 small change and have it change from drawing all of
21 the heat out of the bundle in three meters or letting
22 the heat go 24 meters without --

23 CO-CHAIRMAN WALLIS: The crud won't do it,
24 but something on the secondary side might do it, and
25 how the steam generator is actually cooled might have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some effect.

2 MR. BOYD: Okay. The steam generator
3 secondary side is a very complex --

4 CO-CHAIRMAN WALLIS: I think to summarize
5 what you're doing, what you're doing here is you're
6 convincing us that you have a valid tool for analyzing
7 this steam generator problem. You're not at this
8 stage saying this is actually what we think happened
9 in a particular situation in a real plant.

10 MR. BOYD: I would say we're trying to get
11 an idea -- that's right -- of what the effective scale
12 is, what the effect is of some things are. What's
13 important at this point we're trying to nail down, but
14 before we run off and spend, you know, a lot of money
15 doing details, I think we really need to look at the
16 overall PRA for this entire problem, and where does
17 our uncertainty fit into the big picture.

18 CO-CHAIRMAN WALLIS: So why are the PRA
19 guys way behind in telling you that?

20 MR. BOYD: We got a little bit of a head
21 start. We cheated, I guess. But the point is before
22 we -- if somebody doesn't know, this has to be
23 compared side to side with flaw distributions.

24 CO-CHAIRMAN WALLIS: Right.

25 MR. BOYD: Before we run off and spend a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 year of effort doing more tubes and more detail, we
2 got estimates of what it can mean.

3 CO-CHAIRMAN FORD: But in answer to my
4 specific question, when you go to the real steam
5 generator, you're saying, "Hey, uncertainties on heat
6 transfer coefficient because of crud build-up, et
7 cetera, is not going to be a major item that would
8 swing your conclusions so far or way off to one --

9 MR. BOYD: Not swing them so far, but
10 uncertainties, there is uncertainty though in that
11 secondary side. We need to get a handle on that to
12 try and make an estimate of where we fit and how
13 varied it can be.

14 DR. RANSOM: Well, in the system transient
15 calculation that the secondary site is full of just
16 low pressure stagnant steam, the major energy must be
17 going into just structure, end of the tubes, whatever
18 else is modeled as a heat structure because there
19 can't be much heat transfer to the fluid.

20 MR. BOYD: It is a very small heat
21 transfer coefficient on the secondary side in the
22 SCDAP/RELAP 5 analysis. We would argue that it's
23 probably higher.

24 DR. RANSOM: So it's mostly just thermal
25 inertia of the structure that's --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLETCHER: Well, there is a
2 circulation of steam on the secondary side. The way
3 we've modeled it is a two pass model with a downcomer
4 and a boiler side. So there is a mechanism to
5 circulate steam. There is heat loss off the outside
6 of the steam generator shell, and so there is an
7 ultimate heat break out there for some of the steam,
8 some of the heat to get there.

9 DR. RANSOM: The secondary is basically a
10 closed volume?

11 MR. FLETCHER: In one steam generator it
12 is blown down. We have a stuck open valve on the top
13 of the steam generator, and so it is closed, except
14 for an opening on the top. The other steam generators
15 are closed, but dry by the time we get to this point.

16 CO-CHAIRMAN WALLIS: At their high point,
17 there's no way that this circulates around to the
18 condenser or anything.

19 MR. FLETCHER: No, none whatsoever.

20 CO-CHAIRMAN WALLIS: No. So you're really
21 stuck for a good heat sync.

22 MR. FLETCHER: Yes.

23 CO-CHAIRMAN WALLIS: Very bad heat sync.
24 So probably the whole plant is heating up.

25 MR. FLETCHER: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MUSCARA: Peter, maybe a comment on
2 your question. You're correct. The nature of the
3 crud build-up on the tubes does affect the heat
4 transfer.

5 CO-CHAIRMAN WALLIS: It does, put it puts
6 some water in somewhere.

7 MR. MUSCARA: In fact, it affects it
8 enough that it affects plant efficiency, and the
9 plants, in fact, go in and do chemical cleaning to
10 improve the efficiency. So at the time of the severe
11 accident, you'd expect that the heat may be degraded,
12 but not tremendous amounts because it affects the
13 efficiency in the solution taken care of.

14 MR. SIEBER: I would think all that would
15 really affect ultimately is the timing of things. You
16 know, if you aren't transferring the heat, you heat up
17 faster, and so there just can't be a whole lot of heat
18 transfer.

19 CO-CHAIRMAN WALLIS: So to go back to the
20 scenario, what you're concerned, you heat up the
21 thing. You heat it up, heat it up. Which fails
22 first?

23 MR. FLETCHER: Right.

24 CO-CHAIRMAN WALLIS: That's the question.

25 MR. MUSCARA: And I guess in conjunction

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with this, it's not necessarily the hottest tube that
2 may fail first. It depends on the flow. So we do
3 need to know the distributions and temperatures of
4 these tubes in the distribution and --

5 CO-CHAIRMAN WALLIS: So you should put a
6 little diaphragm on the surge line, which is designed
7 to pop before anything else does.

8 MR. MUSCARA: Yeah.

9 MR. SIEBER: A diaphragm?

10 CO-CHAIRMAN WALLIS: Or whatever. I mean
11 a release disk. What do they call those things?
12 Procter disk, something, something.

13 MR. BOYD: So I'll summarize step two.
14 The results are similar to the one-seventh scale
15 facility. We've got a slight increase in mixing.
16 Tube bundle heat transfer rate is a significant
17 governing parameter. We've demonstrated that here
18 with a whole series. That's something we learned at
19 one-seventh and demonstrated here.

20 And the purpose for these predictions is
21 an isolation of the effect of scale. So we feel like,
22 I guess, that the facility was pretty well scaled and
23 it did represent in some respects the full-scale
24 behavior.

25 Now, of course, there's geometrical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues. It wasn't geometrically the same. There's
2 radiation issues, hydrogen issues, all sorts of other
3 issues, but in some respects the scaling was pretty
4 good.

5 So now we're going to go on to go on to a
6 prototypic geometry, and the design was a Model 44,
7 and we look at the Model 44 geometry next to the
8 facility scaled up. What we see for starters is that
9 the hot leg sits closer to the tube sheet. I think
10 generally this results from the way they built the
11 facility.

12 There was a hemisphere for the lower
13 plenum, and it was welded into a large disk, but it
14 was welded in several or let's say about two inches
15 below the tube sheet face. Well, that two inches at
16 full scale is 14 inches. So it adds a little bit more
17 mixing length.

18 There's also a difference in the way the
19 hot leg enters and the diameter of the nozzle flares
20 out on the plant. So we see over here we see a
21 symmetric design for the facility, and then we see an
22 off angle --

23 CO-CHAIRMAN WALLIS: It comes in off
24 center.

25 MR. BOYD: Off center. There's a manway

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 over here, which I guess is the reason why it's off
2 center.

3 CO-CHAIRMAN WALLIS: So that's why you
4 can't model half of it now.

5 MR. BOYD: That's right. No more
6 symmetry. So we go on, and we create a full scale
7 geometry based now on the primary side of a
8 Westinghouse Model 44. We take the same boundary
9 conditions we just used, and we just bring them over.
10 So what we're now doing is only changing the geometry.
11 Before we changed the conditions. Now we change the
12 geometry.

13 It worked out with even tube. The way we
14 split it up was 201 individual tube sections, no
15 symmetry plane. This turned out to be a million cells
16 instead of half a million. We made all of the cells'
17 dimensions as close as we could to the other study.
18 So if we had 42 cells across the hot leg, we used 40
19 cells across the hot leg.

20 CO-CHAIRMAN WALLIS: I'm going to ask you
21 the obvious question then. Is the number of cells you
22 can take limited by the computer facilities at the NRC
23 or by something else?

24 MR. BOYD: We have limits, of course, here
25 at the NRC. There's also some issues with the codes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 converging with very large numbers of cells, and there
2 is an issue there also.

3 CO-CHAIRMAN WALLIS: Typically, say, if
4 you double the number of cells, the thing begins to
5 take five times longer to run or ten times, something
6 like that, and therefore, you don't do it because you
7 have to wait forever. There's a tradeoff.

8 MR. BOYD: That's right.

9 CO-CHAIRMAN WALLIS: But if you have
10 quicker computers or better clusters or something,
11 then you could easily do two million cells.

12 MR. BOYD: Yes.

13 CO-CHAIRMAN WALLIS: Are you limited? Do
14 you feel limited by the facilities here, Jack?

15 MR. BOYD: I feel limited.

16 (Laughter.)

17 MR. ROSENTHAUL: Well, we have a CFD
18 cluster, and each year we add -- I don't know -- half
19 dozen, dozen nodes. So the thing keeps growing, and
20 Chris by hand, I think, changed out the mother boards
21 and got each node running faster.

22 So at this point --

23 MR. BOYD: We're increasing capacity every
24 year.

25 MR. ROSENTHAUL: Yeah, we're growing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOYD: And research has been keeping
2 for the past three years a steady budget for this, but
3 it has jumped --

4 CO-CHAIRMAN WALLIS: It's important that
5 it be done.

6 MR. BOYD: -- to a full system, but within
7 the next couple of years, within the next few upgrade
8 cycles, we'll be at our steady state value, and we'll
9 have probably an order of magnitude more computing
10 power than we had when this was done.

11 MR. BOYD: Well, you may feel limited, but
12 looking at all of the things you have been able to do
13 here, it appears as if it wasn't a critical
14 limitation. You weren't sort of off for 24 hours and
15 everything.

16 MR. BOYD: I have to maintain the line
17 that I'm limited so that I can ask for money each
18 year.

19 CO-CHAIRMAN WALLIS: Certainly if you were
20 to do more complicated problems you might need more.

21 MR. BOYD: That's correct.

22 MR. ROSENTHAUL: I think actually what
23 drives the machines, and it has got nothing to do with
24 this, is fire CFD, which is what we're gearing up to
25 do, and of course, you're doing both chemistry and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluid flow.

2 MR. BOYD: This model that we're looking
3 at here took 60 days to converge. So having --

4 CO-CHAIRMAN WALLIS: For one run?

5 MR. BOYD: For one run. So having more
6 power would have been nice.

7 CO-CHAIRMAN WALLIS: So I think you are
8 limited. You do have to wait a long time.

9 MR. BOYD: It is nice to have.

10 CO-CHAIRMAN WALLIS: That's not good.

11 MR. BOYD: Power is nice.

12 MR. ROSENTHAUL: If you were to rerun this
13 today --

14 MR. BOYD: We're squeezing out bottlenecks
15 and trying to improve our networking.

16 CO-CHAIRMAN WALLIS: That's not good. Two
17 months, you're off worrying about some other project
18 and all of that. You really need a turnaround in a
19 day I would say to do really good CFD.

20 (Laughter.)

21 MR. BOYD: Okay.

22 CO-CHAIRMAN WALLIS: You can't wait
23 forever for these results.

24 MR. BOYD: Now, I will say that the
25 symmetry model I could run in a week, and the reason

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 why this took so long, and we're going to get into
2 that in a moment, this was an unsteady plume. The
3 symmetry plane unleashed it or else this asymmetric
4 hot leg unleashed it, and now we had to run for a long
5 time and pick up statistics as opposed to just
6 reaching a steady state value.

7 CO-CHAIRMAN WALLIS: Oh, that's to bad.

8 MR. BOYD: So in summary here, we're going
9 to repeat the scale-up analysis with a different
10 geometry. We're going to use all the other same
11 conditions.

12 CO-CHAIRMAN WALLIS: One of my suggestions
13 is that these vendors design systems are analyzable
14 because a lot of expense has to do with the fact they
15 made it so difficult to analyze them.

16 MR. BOYD: There is a lot of leg work that
17 goes into looking at the data. Getting that handle on
18 the results so that you can do things is still not as
19 good as it should be.

20 This is on the hot leg symmetry plane.
21 It's not symmetric up in the tubes. This is --

22 CO-CHAIRMAN WALLIS: But you do get
23 unsteady flow.

24 MR. BOYD: This is the plume, the unsteady
25 plume.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I visited some people at IRSN over in
2 France, and they're doing similar calculations with
3 the large eddy simulation. They see the same
4 behavior.

5 Now, they took the approach of a different
6 tube model. They used shorter tubes and a fewer
7 number of tubes, but nonetheless, they still got this
8 unsteady plume behavior. They called it flow dragging
9 as the plume is pushed back and it doesn't reach the
10 tube sheet directly.

11 Here is a path line --

12 CO-CHAIRMAN WALLIS: Like combustion
13 instability.

14 MR. BOYD: Here's a path line animation.
15 We don't see that same behavior that we discussed
16 before with the symmetric stuff and the things coming
17 up. Now we see the plume coming up and partially
18 stagnating on the tube sheet. The flow comes over to
19 the right, immediately hits a wall, and is tracked
20 back around --

21 CO-CHAIRMAN WALLIS: That makes waves in
22 the hot leg. That makes waves in the hot leg.

23 MR. BOYD: That's right.

24 CO-CHAIRMAN WALLIS: That's not good
25 for --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOYD: There is some waviness in the
2 end of the hot leg. So the flow behavior
3 significantly differs.

4 Now here's looking straight down at just
5 above the tube sheet. What we see here is we see the
6 hottest tube was over here. Now all of a sudden
7 that's a relatively cool tube. Now the hottest tube
8 is down here.

9 CO-CHAIRMAN WALLIS: So there is thermal
10 fatigue or the potential for thermal fatigue.

11 MR. BOYD: The temperature instead of
12 going like this is going like this, but it's still
13 going up.

14 CO-CHAIRMAN WALLIS: Well, yeah, but it's
15 oscillating.

16 MR. BOYD: It is oscillating.

17 DR. RANSOM: The tubes in up flow though
18 seem to remain relatively constant.

19 MR. BOYD: That's the point that you made
20 earlier, and the percentage of tubes in up flow does
21 not change in this calculation, and if they were going
22 to change, this is where I would predict they would
23 change.

24 CO-CHAIRMAN WALLIS: I would doubt if
25 they'd change. Once you've got that flow going, it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very different from --

2 DR. RANSOM: At the hottest point it's
3 going to move around.

4 MR. BOYD: But I can change the heat
5 transfer coefficient, and they will turn around.

6 DR. RANSOM: They will.

7 MR. BOYD: So they can be turned around.

8 CO-CHAIRMAN WALLIS: So this is new from
9 what we've read i your reports.

10 MR. BOYD: This is in a draft NUREG right
11 now being reviewed. So I did not send you the draft.

12 CO-CHAIRMAN WALLIS: How long does it take
13 to do that?

14 MR. BOYD: To review it? Just starting.

15 CO-CHAIRMAN WALLIS: You could send us a
16 draft though, can't you, for ACRS use only or
17 something? Yeah, you can do that.

18 MR. SIEBER: It comes as a DVD, too.

19 MR. BOYD: But there's a lot of results at
20 full scale conditions. I'm just showing you the tip
21 of the iceberg. We have a good bit of information.

22 So what we see is a totally different
23 behavior. I throw up this plot again just to show
24 where we fit into the grand scheme of things with my
25 scale-up runs. The hexagons in this case are the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Model 44 runs, and what you see as I come down through
2 here in a heat transfer temperature reduction that's
3 kind of parallel to this case H-4. So we want to make
4 a --

5 CO-CHAIRMAN WALLIS: This is the average
6 of some sort?

7 MR. BOYD: This is the mass average
8 temperature going up through the tubes. So if we're
9 going to make a comparison with H-4, and I compare
10 with several of them, but the one thing you'll see is
11 you'll see a higher temperature level here. That's
12 the result of the hot leg being closer to the tube
13 sheet. That's your first indication.

14 We'll take a look here, and we have fairly
15 good agreement with the mass flow tube.

16 CO-CHAIRMAN WALLIS: Excuse me. You're
17 imposing this flow from the vessel still?

18 MR. BOYD: That's right, and I'm imposing
19 the exact same flow.

20 CO-CHAIRMAN WALLIS: Because there's
21 oscillating flow in the hot leg. This might affect
22 that end as well.

23 MR. BOYD: Not in this model though.

24 CO-CHAIRMAN WALLIS: Not in this model,
25 but again, it's a physical thing that could happen.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOYD: That's right.

2 CO-CHAIRMAN WALLIS: The last thing you
3 want to do is to develop the big interfacial waves in
4 the hot leg and, you know, disturb that circulation
5 there.

6 MR. BOYD: That wasn't seen here, and it
7 also wasn't seen in the large eddy simulation that the
8 French did. They had five million cells in --

9 CO-CHAIRMAN WALLIS: Well, they have
10 better computer facilities than we do?

11 MR. BOYD: They probably --

12 CO-CHAIRMAN WALLIS: We can't let there be
13 a computer gap with the French.

14 (Laughter.)

15 DR. RANSOM: Well, actually this moving
16 around of the stagnation point is probably beneficial.
17 I mean, it's going to spread the energy out over more
18 tubes than you would otherwise, but I doubt if it has
19 any effect on the macroscopic behavior. Minor.

20 MR. MUSCARA: Can I make a short comment
21 again, Peter?

22 When you look at these temperatures, you
23 know, I'm not really concerned about fatigue. Those
24 temperatures are high enough that the tube will
25 rupture. I agree.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: Yeah.

2 MR. MUSCARA: A good tube will rupture by
3 a creep at about 800 Centigrade.

4 MR. BOYD: We ran this at two temperature
5 ranges, too. We're right now at the temperature
6 ranges where we are at near the failure points.

7 We also ran this again with the hot leg
8 temperature close to 1,000 Kelvin instead of 1,400.
9 So earlier in the transient, and we got very similar
10 results.

11 So my point here is that the mass flow
12 through the tubes, which is a calculated parameter was
13 very similar to H-4 with a similar heat transfer. The
14 recirculation ratio, very similar. The mixing
15 fraction was less. So less mixing. We got .8 instead
16 of .87, and all of these values for the Model 44 have
17 a plus or minus standard deviation on them because we
18 had to run it through what we would consider a cycle
19 or two and take some statistical values.

20 CO-CHAIRMAN WALLIS: It's good that you
21 have this non-steady flow. If you had tried to
22 converge on a steady flow, it would not have given you
23 very good residuals.

24 MR. BOYD: The code would just not. Yeah,
25 it would not converge. That's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Even the other run we couldn't really get
2 to converge well on the steady state solver. It was
3 run as a transient also. The transient solver is a
4 little more robust.

5 CO-CHAIRMAN WALLIS: Although what the
6 steady state solver does often is it kind of emulates
7 the transient as it tried to balance things out.

8 MR. BOYD: But sometimes you need to force
9 small time steps to refine.

10 CO-CHAIRMAN WALLIS: Yeah, yeah.

11 MR. BOYD: So now we'll look back at this
12 histogram, which we've looked at earlier, and before
13 we sat these temperatures ending at about .5 halfway
14 between the hot and cold sync temperatures, and now
15 for this Model 44 design we've got temperatures that
16 are approaching .7. So here's where, again, the
17 result of having the hot leg closer to the tube sheet.
18 It is picked up here as in other cases.

19 CO-CHAIRMAN WALLIS: It's interesting. It
20 looks as if you've picked up a tail of a distribution
21 that you didn't have before.

22 MR. SIEBER: Right.

23 MR. BOYD: Well, the black line, some of
24 those look more like a tail. They varied a little
25 bit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Yeah, you'd think
2 you'd have more of a tail with the black lines on the
3 right just as if you didn't pick it up somehow.
4 Anyway, this still --

5 MR. BOYD: The hottest tubes we saw in the
6 scale-up model were at this temperature in the very
7 core of the hot plume, and now in the core of the hot
8 plume we're seeing, you know, a little bit hotter
9 temperatures.

10 So the Model 44 behaves a little bit
11 differently than the facility is the point of all of
12 this.

13 Here is an indication now we're going to
14 look -- this is a figure out of the report. We take
15 a look at the hottest tube region over one cycle, and
16 we can get an indication of the movement of the hot
17 plume, but then I'm showing this to say the next plot,
18 what I take is those central eight regions where the
19 hot tube generally ranges, and we plot the temperature
20 versus time.

21 And for instance, in A, tube region A, we
22 see it's the hottest tube at what I'm calling time
23 zero. Twelve seconds later in that section, it's one
24 of the coldest tubes, with a normalized temperature of
25 about .2.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: This must be
2 interesting for the materials people.

3 MR. BOYD: Yeah, they're going to have
4 more fun with this type of data.

5 CO-CHAIRMAN FORD: So you've got creep
6 fatigue interactions. But these frequencies are
7 pretty high. You wouldn't expect much creep fatigue
8 interaction.

9 MR. BOYD: I think in these temperatures,
10 I think creep will take care of it.

11 MR. BOYD: Just to avoid the question,
12 I'll note --

13 CO-CHAIRMAN FORD: This is fascinating.
14 This is dead on.

15 CO-CHAIRMAN WALLIS: It's amazing. I mean
16 it keeps getting better.

17 MR. BOYD: We'll melt some tubes here
18 again.

19 CO-CHAIRMAN WALLIS: This is like one of
20 those --

21 DR. RANSOM: This is a fluid temperature
22 though, right?

23 MR. BOYD: These are fluid.

24 DR. RANSOM: Not the metal temperature.

25 MR. BOYD: This is the fluid temperature

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 entering the tube sheet, which would then be put into
2 SCDAP/RELAP 5, which would then take out heat losses
3 in the big tube sheet and then, you know, calculate
4 the temperature drop through the tubes and all of that
5 good stuff.

6 DR. RANSOM: Well, if you're talking about
7 cycling variations of the thermal inertia will damp
8 out some of this.

9 MR. BOYD: So summary of Step 3 for Model
10 44. We've got a different flow pattern. The hot leg
11 is closer. That would be the obvious reason. There's
12 less of a mixing distance.

13 The hotter tubes are predictive, but their
14 location and level vary with time. So a more detailed
15 consideration of tube heating is needed than what
16 we've been doing.

17 And the mixing is still significant
18 though. We see less mixing, but in general, we're not
19 bypassing the inlet plenum. We're still seeing
20 mixing, and it's not too far from what we've been
21 assuming. So we're not off the scale yet.

22 So now we're going to look at tube leakage
23 analysis. We went back to the full scale geometry
24 based on the one-seventh scale facility because this
25 could run in a week, and I wanted to make a series of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 runs. The tube leakage rates of -- what we started
2 with was 150 gallons per day tech spec limit of some
3 sort. That's essentially a --

4 CO-CHAIRMAN FORD: Excuse me. Chris.

5 Ladies and gentlemen, it's 10:30. Do you
6 want to take a quarter hour break at this point or do
7 you want to go on until we get --

8 MR. BOYD: I think the rest of the talk
9 goes a little quicker because you guys don't ask as
10 many questions.

11 MR. MUSCARA: I think it needs to be
12 because there's not much time left for the remainder
13 of the presentation in this area.

14 CO-CHAIRMAN WALLIS: It probably would be
15 best if he finished.

16 CO-CHAIRMAN FORD: Okay.

17 MR. BOYD: Yeah, I think the rest of the
18 talk will drift along quicker.

19 CO-CHAIRMAN WALLIS: You can just say you
20 must finish by quarter of.

21 MR. BOYD: Okay. Good. So we started
22 with 150 gallons per day. This is essentially
23 equivalent, when you take a whole size and compute
24 mass flow rates, it's equivalent to the mass error in
25 the code. It was irrelevant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we multiplied it by ten, 100, 1,000,
2 and 2,000, and that's approaching 200 gallons per
3 minute operational condition leak rates. So those are
4 the leak rates. We had several leak positions, three
5 leak locations on the symmetry plane and then the
6 distributed lean in a pattern all over the tube sheet.

7 The big conclusion here is that (a) the
8 hot plume is not drawn to the leak, at least at these
9 leak rates. In fact, in this example, I've got a plot
10 as a back-up slide, but I won't bother showing it. As
11 you increase the tube leakage rate, the plume actually
12 moves out further away from the leak as opposed to
13 being drawn to the leak, and that's because we're
14 reducing the flow that's coming in this way because
15 it's going out the leak.

16 So even when I put the leak right next to
17 the plume, I couldn't draw the hottest portion in. I
18 really don't see the movement of the plume that I had
19 thought I might see, and --

20 CO-CHAIRMAN WALLIS: Because the plume is
21 sucked by the natural convection, and this leak fills
22 the natural convection.

23 MR. BOYD: Yeah.

24 CO-CHAIRMAN FORD: Did you do a
25 sensitivity analysis to find out if the leak was above

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a certain amount then you could draw the plume over?

2 MR. BOYD: I did not go high enough to
3 draw it over. In fact, I pulled almost as much as the
4 hot leg flow, and it still seemed to want to travel
5 around and go up. The plume seemed to want to do what
6 it wanted to do, and when you draw really hard, you
7 start pulling from the outlet plenum, too.

8 Here's a histogram. Now, I plotted this
9 as lines as opposed to bars because the bars got a
10 little confusing all side by side, but what you see is
11 that up to 1.4 kilograms per second, which is your
12 100 gpm leak, there was no change in the hottest tube
13 predicted.

14 When we went to 200 gpm equivalent type
15 leak, I did get hotter tubes not because I pulled the
16 hot plume into the leak, but because I reduced the
17 mixing somewhat in the inlet plenum.

18 And then I also went to 300 gpm leak.
19 Now, this is the hot leg flow. It was four kilograms
20 per second basically, and I did see again --

21 CO-CHAIRMAN WALLIS: Where does this leak
22 go?

23 MR. BOYD: This leak went into --

24 CO-CHAIRMAN WALLIS: The steam generator.
25 So you've got a feedwater flow.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOYD: I am feeding into the steam
2 generator with a stuck open relief valve. So it's --

3 CO-CHAIRMAN WALLIS: -- heat transfer on
4 the secondary side? You're now flooding up the steam
5 generator?

6 PARTICIPANT: There's no water.

7 CO-CHAIRMAN WALLIS: Oh, it's all steam
8 leak? I'm sorry

9 MR. BOYD: Super heated steam and it's
10 going over there an venting.

11 CO-CHAIRMAN WALLIS: I see you're right.

12 MR. BOYD: Okay. So we've got a bunch of
13 data. We did a whole series of runs here, but we were
14 not seeing -- the concern, I guess, is different from
15 -- the concern is not as severe as what some might
16 have hypothesized here. So the smaller leaks in the
17 area of 1,500 --

18 CO-CHAIRMAN WALLIS: Why do you have
19 gallons per minute of steam?

20 MR. BOYD: I have gallons per minute; I
21 talk in gallons per minute because that's the way the
22 agency also talked about --

23 CO-CHAIRMAN WALLIS: Do you mean gallons
24 per minute of steam of is this a --

25 MR. BOYD: No, that is gallons per minute

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of water.

2 CO-CHAIRMAN WALLIS: That is crazy.

3 MR. BOYD: At standard operating
4 conditions, but that's the way --

5 CO-CHAIRMAN WALLIS: Standard room
6 conditions or it would have --

7 MR. BOYD: No, at the plant operating
8 conditions.

9 CO-CHAIRMAN WALLIS: That's always so
10 uncertain what they mean by 100 gpm.

11 MR. BOYD: Well, in the report what I do
12 is I say we based on this to just get an estimate.
13 Then we're going to talk in terms of kilograms per
14 second and leave all that --

15 CO-CHAIRMAN WALLIS: That's right. That's
16 the only way to do it.

17 MR. BOYD: -- and leave all that to the
18 break flow guys to argue out later. That's right.

19 So I'll switch over, but I'm relating it
20 to that to give some -- that gives some people a
21 grounding as to what size hole we're talking about and
22 how realistic it could be in a plant.

23 So the smaller leak rates basically
24 provided no difference in the solution. If I compared
25 them with zero leak, all of the parameters were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 essentially unchanged. Direct inlet plenum bypass is
2 not predicted.

3 We get some hotter tubes at the highest
4 leak rates, but that is a result of the decrease in
5 mixing, and I will say that I did not increase the hot
6 leg mass flow. I kept it fixed. So the system would
7 probably feed more mass to that leaking generator in
8 reality.

9 Now we'll go on to the final step, the
10 Combustion Engineering steam generator. We'll try and
11 run through this quickly. We've got 8,000 tubes now,
12 a 42 inch hot leg. We're going to take the boundary
13 conditions from a SCDAP/RELAP 5 analysis and apply it
14 to this model.

15 This model was, again, symmetric. So we
16 used 1.3 million cells for the symmetry model. So we
17 did use a significantly increased number of cells for
18 this bigger generator. We tried to keep the cell
19 sizes similar.

20 Take a look at the geometry compared to a
21 Westinghouse. What you see is a 42 inch pipe sitting,
22 you know, a number of roughly ten inches from the
23 tube sheet. So you've got a plume this big, maybe on
24 the order of a foot if it's a quarter of the pipe
25 sitting that far from the tube sheet, and that's the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concern with the CE plants.

2 What we see here is some predictions. We
3 see the vessel exist temperature range is red. We see
4 those hot leg temperatures exiting the hot leg nozzle
5 and doing very little. There's obviously some mixing,
6 but we see some entrance temperatures into the tube
7 sheet that are very similar to the hot leg
8 temperatures.

9 We look on kind of a normalized scale.
10 This is kind of --

11 CO-CHAIRMAN WALLIS: Is this a horizontal
12 hot leg? You seem to show it going down at 90 --

13 MR. BOYD: That's a skewed angle.

14 CO-CHAIRMAN WALLIS: Is it horizontal?

15 MR. BOYD: It is horizontal.

16 CO-CHAIRMAN WALLIS: Oh, okay.

17 MR. BOYD: This is a three dimensional
18 view. That's the way it looked there.

19 So what we see here is the CE steam
20 generator is geometrically different and the mixing we
21 see is different. We take a look at the mixing
22 parameters. We've got mixing fractions on the order
23 of .6. We ran two cases, one hotter than the other.

24 Recirculation ratios, reduced from what
25 we've seen before. There's not a lot to say here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 other than we've got less mixing and it's not really
2 all that surprising.

3 We take a look at the histogram for this
4 plant, and what we see is temperatures are
5 approaching .95 on a normalized scale. So we've got
6 very little temperature reduction.

7 In summary, we've got a significant
8 variation in inlet plenum geometry compared to what
9 we've been considering for inlet plenum mixing based
10 on the one-seventh scale experiments. We've got this
11 difference in inlet plenum mixing. A small portion of
12 the hot leg flow appears to reach the tube sheet with
13 little or no mixing.

14 The SCDAP/RELAP 5 analysis is starting up
15 right now for the Calvert Cliffs plant with using
16 these new mixing coefficients. So we'll get some kind
17 of general feedback from a systems point of view on
18 what this all means from a tube failure point of view.

19 So a summary. We've done one-seventh
20 scale analysis to provide some confidence. Then we
21 looked at full scale conditions for a Westinghouse
22 steam generator. We've got some indication of tube-
23 to-tube variations, what tubes are how hot in those
24 histograms.

25 We've also got tube temperatures versus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time. We've considered tube leakage in many aspects,
2 and in the plenum bypass is not expected. We do see
3 some overall decrease in mixing at high leakage rates.
4 Interplenum mixing is significantly different for the
5 Combustion Engineering Example that we looked at, and
6 in the future we're on some sort of a standby. If
7 updated predictions are needed for some reason, we
8 could carry this on.

9 We've also started a hot leg surge line
10 analysis so that we can get a better idea of the
11 mixing that goes on in the heat transfer in that area.

12 This final slide is another overview. So
13 we've used this CFD to help augment the one-seventh
14 scale test. We've looked at them together, and we've
15 come up with a whole new set of mixing coefficients
16 and re-circ ratios and things like that to input into
17 SCDAP/RELAP. That's been done. The ZION work that
18 he'll present has these new coefficients.

19 We've got a much better understanding of
20 the interplenum flow mixing behavior, tube-to-tube
21 variations, as well as the effect of tube leakage,
22 which was questioned in the past, and this analysis of
23 the CE plant indicates some different mixing, and
24 we're starting up a process of feeding that into
25 SCDAP/RELAP, and we'll go from there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: The implications of that are
2 it's more likely to fail the tubes than the hot leg
3 surge?

4 MR. BOYD: Yeah, I don't want to jump the
5 gun, but if you've got temperatures in some tubes that
6 are on a normalized scale 95 percent effectively the
7 hot leg temperature, so that you've got a big, thick
8 hot leg wall seeing essentially the -- now, these are
9 entrance temperatures. There's some reduction in the
10 tube sheet, but the point is that it is significantly
11 hotter, and it's going to have to be worked through in
12 an integral fashion.

13 But my guess would be it may be an easier
14 thing to calculate.

15 CO-CHAIRMAN WALLIS: You know, I've run
16 out of superlatives to describe what you've done. I
17 mean, you have not only done some very good work, but
18 you presented it extraordinarily well.

19 MR. BOYD: Thank you.

20 CO-CHAIRMAN WALLIS: And the way in which
21 you respond to questions indicates that you know what
22 you've done, and you also know a lot more than you
23 present. And I just wish that all of the staff could
24 do the same thing.

25 MR. BOYD: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: It's a real pleasure.
2 It's one the best presentations I've ever heard in
3 front of the ACRS. It really is.

4 Thank you.

5 DR. KRESS: Agreed.

6 MR. BOYD: Thank you. I'll take a tape of
7 that.

8 (Laughter.)

9 CO-CHAIRMAN FORD: For your next
10 performance review.

11 We'll recess for a quarter of an hour.
12 Be back here at 11 o'clock.

13 (Whereupon, the foregoing matter went off
14 the record at 10:46 a.m. and went back on
15 the record at 11:03 a.m.)

16 CO-CHAIRMAN FORD: I'd like to come back
17 into session.

18 Joe, would you like to introduce your next
19 presenter?

20 MR. MUSCARA: Well, it's essentially a
21 follow-up to the thermal hydraulic work. Don Fletcher
22 will be providing the next presentation.

23 MR. FLETCHER: Thank you, Joe.

24 CO-CHAIRMAN WALLIS: Is this the only
25 thing we have before lunch?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLETCHER: I'm sorry?

2 CO-CHAIRMAN WALLIS: Is this the only
3 presentation before lunch? Or I just want to keep
4 track.

5 MR. MUSCARA: Yes.

6 MR. FLETCHER: Yes.

7 CO-CHAIRMAN WALLIS: So all of these other
8 characters are not going to show up? We don't have
9 Lynn Ward. We don't have -- it's just your
10 presentation?

11 (Laughter.)

12 CO-CHAIRMAN FORD: I've just been reminded
13 that we do have to stop sharply at 11:45 because there
14 is a PMP Committee meeting at that time.

15 MR. FLETCHER: So you would like to get
16 through --

17 CO-CHAIRMAN FORD: Can you forego PMP for
18 a bit?

19 CO-CHAIRMAN WALLIS: It depends how
20 interesting it is here.

21 CO-CHAIRMAN FORD: Okay. Just keep going,
22 Don.

23 MR. FLETCHER: Okay. I will try to give
24 you the 45 minute version if at all possible.

25 We have covered some of the ground in here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 already. The purpose of this analysis is to evaluate
2 the progression of PWR station blackout/severe
3 accidents to determine whether the steam generator
4 tubes are expected to fail prior to the failure of
5 other reactor coolant system components, the idea
6 being that if the steam generator tubes fail before
7 the hot legs or surge line, then you have a release to
8 the steam generator, which can then go out of the
9 steam generator safety valve source through a break on
10 the secondary side to the atmosphere directly.

11 So the risk is, therefore, affected by the
12 order at which things fail.

13 The work we're doing with SCDAP/RELAP 5 is
14 centered on the ZION plant, which is a Westinghouse
15 four loop plant, and the Calvert Cliffs 1 plant, which
16 is a CE plant.

17 We are looking at a base case accident
18 event scenario that is based on what was called the
19 TMLB prime station blackout event, which is a loss of
20 off-site power, following by the failure of all diesel
21 generators to start and the failure of the turbine
22 driven auxiliary feedwater to start, and an additional
23 failure that was not included in TMLB prime, that is,
24 we have a failure of one steam generator PORV valve
25 such that one of the steam generators blows down

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shortly after the accident begins.

2 So the accident leads to a core dry-out
3 and a heat-up of the coolant system at a high reactor
4 coolant pressure, with one of the steam generators
5 secondary depressurized, and the other three steam
6 generators essentially remaining at pressure, roughly
7 1,000 psi.

8 You're all heard about RELAP 5 before.
9 It's a six equation code conservation of mass,
10 momentum, and energy with the steam water model, with
11 also capability to handle a noncondensable phase
12 that's tracked along with the steam.

13 The SCDAP part of this code models severe
14 accident behavior, such as fuel rod heat-up, oxidation
15 processes, fuel rod ballooning and rupture, fission
16 product release, melting of fuel, flow of fuel,
17 freezing of materials after it has been melted and
18 flown inside the reactor vessel, and also the creep
19 rupture failure of structures.

20 The code versions we're using are listed
21 on the bottom of the page there.

22 Actually there's quite a bit of background
23 on this. It has been going on for a number of years
24 at several different organizations. The Idaho
25 National Engineering Laboratory developed SCDAP/RELAP

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 5 system models for several plants of which ZION and
2 Calvert Cliffs were two, and analyzed this same
3 accident, the TMLB stuck open steam generator PORV
4 event, with a variety of accident variations as well.

5 They've looked into sensitivities to such
6 things as steam generator tube leakage, PORV --

7 CO-CHAIRMAN WALLIS: Does INEL have a
8 model for this counter current flow in the hot leg --

9 MR. FLETCHER: Yes.

10 CO-CHAIRMAN WALLIS: -- and the plume and
11 the steam generator and all of that sort of thing?

12 MR. FLETCHER: Yes. The model that I am
13 using was developed at INEL. The basis of the model
14 was from there. It has been --

15 CO-CHAIRMAN WALLIS: -- at least at some
16 crude level the phenomena that we heard about from
17 Chris?

18 MR. FLETCHER: Yes.

19 CO-CHAIRMAN WALLIS: Okay.

20 MR. FLETCHER: And I will attempt to
21 explain to you how what Chris has said fits into the
22 RELAP 5 scheme so that you will understand what we're
23 doing.

24 ISL has also evaluated a number of
25 sensitivities to such things as time step size. Each

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 structure meshes and so forth, and then ISL also
2 developed this idea of the plume being represented
3 using this nondimensional temperature ratio, which is
4 essentially a mixing of the steam temperature coming
5 up the hot leg and the steam temperature coming back
6 through the cold steam generator tube returns.

7 And then, of course, you have just heard
8 Chris' on the CFD work, which fits into this analysis.

9 The next few slides discuss the summary of
10 the current work scope that we were doing at ISL.
11 Task 1 is an updated base case calculation which has
12 been completed. This establishes a new reference case
13 for the project, and I will summarize today the
14 results of that case.

15 Task 2 is our sensitivity studies that
16 we're doing to evaluate the effect on the results of
17 variations in plant configuration, operating
18 parameters, natural circulation, mixing process
19 variables, and other model parameters.

20 We are going to use the results of these
21 sensitivity studies to determine which are the
22 appropriate independent variables to be looked at, an
23 uncertainty study that's going to follow very shortly.

24 This task is nearing completion. I'll
25 give you preliminary results today for everything that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has been completed to date.

2 Task three is an uncertainty study which
3 we've not yet started, except we've looked a little
4 bit into how we might do it. We will evaluate the
5 uncertainty in the updated base case results. We're
6 currently considering using a Monte Carlo response
7 surface method similar to what was used in the code
8 scaling applicability and uncertainty study.

9 For the response parameter, we're
10 considering the use of a Larson-Miller tube stress
11 multiplier as the parameter. This parameter is used
12 in SCDAP/RELAP 5 to determine whether the tubes fail
13 before or after the hot leg research line, and I'll
14 explain that in a little bit.

15 The creep rupture model in SCDAP/RELAP 5
16 is based on this Larson-Miller correlation, and it has
17 in it a best estimate response for nondegraded tube
18 creep rupture.

19 CO-CHAIRMAN WALLIS: Can it handle this
20 fluctuating temperature type of thing?

21 MR. FLETCHER: I believe it can. It works
22 by calculating on it -- during the calculation itself,
23 it comes up with the extent of the life, the creep
24 rupture life that has been extended, and when it gets
25 to 100 percent of life, then the tube is assumed to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fail.

2 DR. KRESS: It's developed for transient
3 temperatures. So it can handle fluctuations.

4 CO-CHAIRMAN WALLIS: Now, can I ask you
5 about this tube? You've got this tube sheet, and the
6 tubes are attached and some of them are hot and some
7 of them are cold.

8 MR. FLETCHER: Yes.

9 CO-CHAIRMAN WALLIS: And then they go up
10 to these support plates which we understand now are
11 locked on the tube. So the tubes are cold and hot.
12 There's thermal expansion and all of that which is
13 trying to push against this locked support plate.

14 MR. FLETCHER: Yes.

15 CO-CHAIRMAN WALLIS: And are all of those
16 kind of stresses factored into the --

17 MR. FLETCHER: No. Let me say the
18 calculation we're doing here is just to scope the --

19 CO-CHAIRMAN WALLIS: Somebody is going to
20 look at that.

21 MR. FLETCHER: Absolutely.

22 CO-CHAIRMAN WALLIS: Maybe Argonne or
23 somebody.

24 MR. FLETCHER: That is correct. Argonne
25 is going to eventually use the RELAP 5 pressures and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperatures on the inside of the --

2 CO-CHAIRMAN WALLIS: Because this locking
3 of the support plates to the tubes may be great for
4 the steam line break we heard yesterday, but if you're
5 doing it in this situation, it's imposing some
6 boundary conditions on the thermal expansion and
7 contraction of these tubes, which may not be
8 desirable.

9 MR. FLETCHER: That is correct. I am not
10 trying to represent what RELAP 5 is using here for the
11 creep rupture calculation as the one that will be used
12 in this analysis. I'm only using it as a scoping tool
13 at this point to determine where we are with respect
14 to the steam generator tube failure.

15 DR. KRESS: It doesn't recognize cracks or
16 defects.

17 MR. FLETCHER: No. Well --

18 DR. KRESS: Just pressure internally and
19 the temperature gives --

20 MR. FLETCHER: The correlation itself is
21 based on pristine, nondegraded material, and we will
22 in our calculations put a stress multiplier on that.

23 CO-CHAIRMAN WALLIS: But you need to know
24 the stresses in that, don't you? And if there's this
25 thermal count, thermal expansion pushing on the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's going to effect --

2 DR. KRESS: That's good for the pressure.

3 CO-CHAIRMAN WALLIS: It's not -- the
4 actual stress doesn't come into it at all?

5 DR. KRESS: No, it's hoop stress
6 (phonetic).

7 CO-CHAIRMAN WALLIS: It doesn't make a
8 difference?

9 DR. KRESS: I doubt it. I think --

10 CO-CHAIRMAN WALLIS: It does in the
11 failure criteria.

12 MR. MUSCARA: I think yesterday we showed
13 that for the axial it doesn't matter a great deal. It
14 might matter for the circumferential cracks. Your
15 primary system component evaluation, we are doing a
16 comprehensive, 3D finite element analysis. We haven't
17 done that yet for steam generator tubes, but I'm not
18 sure it's necessary at this point.

19 MR. FLETCHER: The major output of the
20 RELAP 5 calculations that you'll see will be the tube
21 stress multiplier required to fail the tubes, whether
22 it be the average tube or the hottest tube in the
23 steam generator, and the higher the multiplier, the
24 lower the stress that the tube is assumed to fail at,
25 such that if a tube had a multiplier of two on it,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that would imply that it actually only had 50 percent
2 of the strength that it would have when it was new
3 material.

4 So this is just a rough way to look at
5 that creep rupture failure.

6 For the response surface method, we're
7 going to develop a set of important parameters to use
8 for the uncertainty study based on the sensitivity
9 runs that you'll see today. We're considering the use
10 of a fractional factorial or Plackett Burman
11 experimental design to bring the number of variables
12 and the number of calculations needed to develop the
13 response service down to a reasonable number.

14 and then we'll use Monte Carlo sampling to
15 obtain probability distribution for the tube stress
16 multiplier that is the critical one.

17 We plan to use commercial statistical
18 software for this.

19 DR. RANSOM: How many runs is considered
20 reasonable?

21 MR. FLETCHER: Well, 50 is probably
22 doable; 100.

23 DR. RANSOM: Fifteen?

24 MR. FLETCHER: Fifty, five, oh, is
25 probably doable. When you get beyond that it starts

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to become less reasonable. These runs are essentially
2 six hours each to date.

3 DR. RANSOM: Each one is like six hours?

4 MR. FLETCHER: Yes.

5 DR. RANSOM: Did you consider the
6 nonparametric statistical methods that show that, you
7 know, the 95-95 confidence level, like 59 runs would
8 be required?

9 MR. FLETCHER: Can you help me there,
10 Bill?

11 MR. ARCIERI: My name is Bill Arcieri. I
12 work for ISL, and I've been working with Don on
13 setting this up.

14 We're looking into what you're talking
15 about, but I think the fractional factorial method has
16 some advantages. One is it allows us for the
17 variables that we might be looking at for the
18 uncertainty study to look at interactions which, you
19 know, could be of interest in gaining insight into how
20 the problem responds.

21 As Don progresses in his talk, he's ending
22 up by the end of his presentation with five parameters
23 that will be evaluated, and if that holds up, then it
24 would be 32 runs, which I think would help us, you
25 know, keep our runs within some reasonable limit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Obviously if we had more parameters, the
2 number of runs goes up.

3 DR. RANSOM: All right. The one advantage
4 of the non-parametric is that you can have as many
5 parameters as you want or need. Anyway, I was just
6 curious to know if you had considered that.

7 CO-CHAIRMAN FORD: Could I go back? I was
8 out of the room when you discussed task two, which
9 relates to the question that Graham brought up. This
10 response parameter for materials degradation, will it
11 be due to creep or creep fatigue interactions or what
12 other material degradation?

13 I don't know whether it should be you or
14 Joe who should be answering this question, but to what
15 degree of qualification have these failure algorithms
16 been subjected? Presumably the algorithm looks
17 something like failure time or failure probability as
18 a function of material, stress conditions, et cetera,
19 temperature.

20 Has that algorithm been qualified against
21 data?

22 MR. MUSCARA: For the steam generator
23 tubes.

24 CO-CHAIRMAN FORD: Yes.

25 MR. MUSCARA: We conducted extensive work

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on modeling the creep failure with the tubes and, you
2 know, it has been validated through testing.

3 CO-CHAIRMAN FORD: Okay, and so that is
4 pretty well -- if I read the last sentence on your
5 previous page, "task nearing completion. Preliminary
6 results are summarized in this presentation." Is that
7 correct? We'll be seeing --

8 MR. MUSCARA: Those are two separate
9 activities. Evaluating the behavior of steam
10 generator tubes in severe accident conditions, we've
11 developed procedures and methods and validated with a
12 tremendous amount of data. What they're using, it's
13 somewhat different than what we're using, but for the
14 program the results that you intend on paying
15 attention to are the results based on our model.

16 CO-CHAIRMAN FORD: Okay.

17 MR. FLETCHER: The obvious answer is if we
18 make SCDAP/RELAP 5 calculations and we find out that
19 it makes a difference on the stress for the tubes.
20 The question is: how significant is that?

21 And all I'm doing at this point is to try
22 to scope the effect of that issue for the results of
23 my calculation.

24 MR. MUSCARA: The results will start
25 getting closer to what we're predicting based on this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stress multiplication factor they use, which is very
2 similar to the MNSP formulation that we have in our
3 correlations.

4 CO-CHAIRMAN FORD: Okay.

5 MR. FLETCHER: Task four is a Cormell
6 (phonetic) progression sensitivity study. This is
7 starting at this time, and we're going to look at the
8 sensitivity results to the oxidation rate, to the
9 control rod guide tube interaction model that also
10 affects relocation, melt and relocation of the control
11 rod model.

12 CO-CHAIRMAN WALLIS: Well, let me ask you
13 this. We saw this detailed model of the steam
14 generator. In the core heat-up you have a cold stream
15 pouring out of this hot leg.

16 MR. FLETCHER: Yes.

17 CO-CHAIRMAN WALLIS: Like sort of water
18 out of a pipe.

19 MR. FLETCHER: Yes.

20 CO-CHAIRMAN WALLIS: Or wine out of a
21 bottle onto whatever is there, the coil, upper plate
22 or something.

23 MR. FLETCHER: Yes.

24 CO-CHAIRMAN WALLIS: And it goes down into
25 the core and recirculates and so on. It would seem

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that how hot the hottest part gets is a bit like the
2 question in the steam generator because you've got
3 this natural circulation driven thing going on in the
4 core.

5 MR. FLETCHER: Absolutely.

6 CO-CHAIRMAN WALLIS: So how do you do that
7 without doing CFD there?

8 MR. FLETCHER: Well, of course, RELAP 5 is
9 set up to calculate circulations, including buoyancy
10 driven circulations, which is what we have here, and
11 I will show you the results here of what RELAP 5 is
12 doing in the core. We are getting what you would
13 expect, a down flow in the peripheral channels of the
14 core, an up flow in the center channels of the core.

15 CO-CHAIRMAN WALLIS: It seems to me Chris
16 showed us nicely that you get mixing in that. The jet
17 that comes out of the hot leg into the steam generator
18 has cold fluid impinging on it, and there's a lot of
19 mixing there so that that cools down.

20 The cold water coming out of the hot leg
21 mixes with the hot -- the cold steam coming out of the
22 hot leg mixes with the hot steam in the vessel in the
23 same way.

24 MR. FLETCHER: I understand what you're
25 saying. We're not applying a mixing process in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 RELAP 5 model at the hot leg, the vessel connection.
2 We are not doing that at this time.

3 Task five is for iterative support to the
4 PRA. We provided them with the base case results
5 here, and they are analyzing those at this time. As
6 their needs for thermal hydraulic data information on
7 how systems might behave in order for them to do their
8 bidding process, we will be talking with them, and
9 performing additional calculations if needed in task
10 six.

11 And in task seven is the Calvert Cliffs
12 analysis that is starting right now.

13 Slide 11 is probably the one that was
14 referred to as the cartoon earlier that didn't make
15 sense.

16 CO-CHAIRMAN WALLIS: It doesn't make
17 sense.

18 MR. FLETCHER: And what it is intending to
19 imply -- and this is an old diagram, by the way. This
20 is one that I just picked up and put in here because
21 I thought it would clarify things, but apparently it
22 did not.

23 CO-CHAIRMAN WALLIS: Actually it makes
24 them worse.

25 MR. FLETCHER: Yes. What we say is there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are really two modes of operation for natural
2 circulation of the loop. The one on the left is the
3 normal direction flow where steam would flow around
4 the loop, back through a vacated loop seal into the
5 coal leg and then down the downcomer of the vessel.

6 The situation on the right is this
7 recirculating mode, if you will, where we have a split
8 hot leg with hot steam flowing across the top of the
9 hot leg, some of it going up through the pressurized
10 roof if the valve is opened, over to the inlet plenum
11 of the steam generator, then the recirculation around
12 through the tubes.

13 And in order for this to happen you have
14 to have a loop seal that is filled with water.

15 CO-CHAIRMAN WALLIS: But to go back to
16 this figure here, in reality you have four loops in
17 some plants, and you were saying earlier that they may
18 all operate in the right-hand mode together.

19 MR. FLETCHER: No.

20 CO-CHAIRMAN WALLIS: I was getting the
21 impression that you could have three of them operating
22 in the right-hand mode and one operating in the left-
23 hand mode, in which case you'd have to worry about how
24 will these different things affect the circulation and
25 the core. There's no plate down the middle. It's all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interaction.

2 MR. FLETCHER: No, I've given you the
3 wrong impression. The way the model works is all four
4 loops are modeled independently.

5 CO-CHAIRMAN WALLIS: Right, and some of
6 them may be in one mode and some of them may be in the
7 other.

8 MR. FLETCHER: Yes, and that decision is
9 made independently during the calculation for each of
10 the four loops.

11 CO-CHAIRMAN WALLIS: So you have an
12 interesting circulation pattern in the core with sort
13 of three of them behaving one way with this cold fluid
14 pouring in and out of these pipes and the other one
15 the cold fluid is coming in from the bottom. So it's
16 going to be quite a different --

17 MR. FLETCHER: No, I still haven't
18 clarified this.

19 CO-CHAIRMAN WALLIS: Oh, okay.

20 MR. FLETCHER: The code calculations that
21 we run show the recirculating mode in all four loops
22 all of the time.

23 CO-CHAIRMAN WALLIS: So we don't need to
24 worry about left-hand side.

25 MR. FLETCHER: You don't need to worry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about the left-hand side. The left-hand side,
2 however, is how the model looks before the point when
3 the core uncovers and we get hot steam in the top of
4 the system.

5 In other words, we use a representation
6 similar to what's on the left-hand side during the
7 early part of the transfer.

8 CO-CHAIRMAN WALLIS: So you've got water.

9 MR. FLETCHER: Yes.

10 CO-CHAIRMAN WALLIS: Ah.

11 MR. FLETCHER: Yes.

12 CO-CHAIRMAN WALLIS: You see, it shows
13 steam here.

14 MR. FLETCHER: It does, and should the
15 loop seal clear in any of the loops, then we would
16 refer to the nodalization that would give you the flow
17 through.

18 DR. RANSOM: Does the loop seal ever
19 clear?

20 MR. FLETCHER: Not in the calculations
21 we've done to date, although that's certainly a
22 possibility once we change accident scenarios, if we
23 have depressurization events that are significant
24 enough. We could have the loop seals void by flashing
25 late in the transient.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Once you show a RELAP
2 picture like this, it looks awfully like CFT.

3 MR. FLETCHER: It does.

4 CO-CHAIRMAN WALLIS: Everything is sort of
5 connected to everything else, and it's neighboring
6 boxes.

7 MR. FLETCHER: Okay. In the vessel we're
8 modeling it with five channels with a radio power
9 profile across those channels with the hottest channel
10 in the center. We also have a nodalization scheme in
11 the upper plenum that allows hot steam to rise out of
12 those channels and flow over towards the hot legs, and
13 in fact, in the calculations, what we see is the cold
14 steam flow returns, flows down the peripheral
15 channels, and then flows upward through the central
16 channels with a steam flow going up to the top of the
17 upper plenum in the center of the vessel and then
18 flowing over to the hot leg.

19 CO-CHAIRMAN WALLIS: Well, how about
20 variations around the periphery? Have you got a
21 cold --

22 MR. FLETCHER: No, we're not modeling any
23 azimuthal variation at all.

24 CO-CHAIRMAN WALLIS: But isn't that what
25 happens because you've got hot legs coming in at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 specific places with cold fluid and the hot fluids
2 coming up elsewhere? So you've got a three
3 dimensional flow going on.

4 MR. FLETCHER: Which we've modeled as two
5 dimensions.

6 CO-CHAIRMAN WALLIS: But it is three
7 dimensions, definitely is. You've got cold areas of
8 down flow in the core underneath the hot legs, and
9 then you get up flow elsewhere. So if you looked
10 around the circumference, you'd have areas of down
11 flow and up flow the same way as you do in the steam
12 generator.

13 MR. FLETCHER: I agree that's a
14 possibility we have not --

15 CO-CHAIRMAN WALLIS: You have a cold pool.
16 You have a cold area. You have a certain number of
17 tubes in down flow and certain number up, just like
18 the steam generator.

19 MR. FLETCHER: What you're saying is true,
20 and the loops would be asymmetric, but not as
21 asymmetric as you said a while ago when you thought
22 that only one of the loops was in the recirculation
23 mode. They are all four in the recirculation mode.

24 CO-CHAIRMAN WALLIS: So a quarter of the
25 core being different, yeah.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLETCHER: That's correct.

2 CO-CHAIRMAN WALLIS: Within that quarter
3 piece.

4 MR. FLETCHER: That's correct.

5 CO-CHAIRMAN WALLIS: So maybe we should
6 get Chris to do this with CFD.

7 MR. FLETCHER: I thought I would spend a
8 little time on two slides down on slide 14, which is
9 the layout of the loop model showing the split hot leg
10 nodalization.

11 Let me say we're allowing RELAP 5 to
12 calculate the behavior in this loop except at certain
13 locations, and those locations are related to the
14 steam generator inlet plenum, which is shown as
15 Volumes 105, 106, and 107.

16 CO-CHAIRMAN WALLIS: I'm trying to think
17 back to -- I'm sorry -- my previous this. This is
18 like the steam generator. So you have a certain
19 number of tubes in the core with down flow and a
20 certain number with up flow, just like in the steam
21 generator, or am I wrong?

22 In that case, I'm not quite sure how RELAP
23 handles it. You don't know how many tubes you've got
24 in down flow and how many in up flow. How does it do
25 that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLETCHER: Well, as the cold stream
2 enters the peripheral channel of the core --

3 CO-CHAIRMAN WALLIS: It goes down.

4 MR. FLETCHER: -- it goes down. There's
5 nothing --

6 CO-CHAIRMAN WALLIS: It forces it to go
7 down, but does it go down on the next one, too? You
8 still have sort of in a much reduced configuration.
9 You have five passengers. It can go down in two or
10 103.

11 MR. FLETCHER: What we see is the outer
12 two channels are in down flow.

13 CO-CHAIRMAN WALLIS: So you have that. At
14 least you have feature.

15 MR. FLETCHER: And the inner two channels
16 are in up flow, and the center channel goes down at
17 the top and then flows up through the bottom and --

18 CO-CHAIRMAN WALLIS: Okay. So you've got
19 something a bit like Chris' picture, but you've only
20 got five tubes to represent the core --

21 MR. FLETCHER: Yes.

22 CO-CHAIRMAN WALLIS: -- instead of the
23 however many there are.

24 MR. FLETCHER: Right. We also have an
25 eddy flow in the upper plenum. We have a flow that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 goes through the upper plenum towards the hot leg, and
2 then another one that returns backwards in the lower
3 part of the upper plenum.

4 Moving on to the loops, we've modeled the
5 split hot legs as completely separate hydraulically.
6 There's no communication between the two hydraulically
7 as you go down the length of the hot leg.

8 The only place we're really forcing the
9 solution is based upon the CFD results over at the
10 steam generator inlet plenum, and by forcing the
11 solution we're doing it using what's called C sub V
12 values, also know as flow coefficient methods, where
13 the flow through the junction is defined as a function
14 of the delta P across the junction.

15 So we're in essence saying that if I have
16 this delta P, I'm going to force the flow to be this,
17 other than allow the code to calculate what the flow
18 might be through there. So by doing this and
19 matching, tuning these numbers, tuning these C sub Vs
20 until we agree with the recirculation ratio mixing
21 fractions and steam generator powers that we have, we
22 can mimic, if you will, the CFD results for the
23 behavior that's actually going on there.

24 But other than that, RELAP 5 is doing its
25 job as far as calculating things. So RELAP 5 is being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 used to calculate the buoyancy driving head associated
2 with the different temperature fluids in the upper and
3 lower hot legs, and the buoyancy driving heads
4 associated with the steam generator tubes, one flowing
5 in the forward direction and one flowing in the
6 reverse direction.

7 DR. RANSOM: The number of tubes that
8 you've said is from the CFD calculation, I gather.

9 MR. FLETCHER: That's correct.

10 DR. RANSOM: So you pick so many in up
11 flow and so many in down flow.

12 MR. FLETCHER: And the selection is 50-50.
13 Previously --

14 DR. RANSOM: Fifty-50?

15 MR. FLETCHER: Fifty-50. Previously, it
16 was 53-47, I believe, up flow/down flow.

17 DR. RANSOM: I thought the results we saw
18 indicated a much smaller fraction in up flow.

19 MR. BOYD: That number changes with the
20 heat transfer rate. I showed you some with the high
21 heat transfer rate. It was 38 percent, and the heat
22 transfer rates that we feel are more appropriate, we
23 got 46, 47, and 48 percent. The data showed 50
24 percent, and we had to stay in that range. We chose
25 the 50. In the end we were close to it with the CFD,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and then we're doing sensitivity studies to show that
2 it's not all that important in these kind of
3 differences anyway.

4 CO-CHAIRMAN WALLIS: Well, what's
5 important are the temperatures. Now, we saw for the
6 steam generator you had -- what is it? -- you had
7 maybe 1,000 degrees there and maybe 1,200 coming out
8 of the core or something?

9 MR. FLETCHER: Yes.

10 CO-CHAIRMAN WALLIS: And there was missing
11 in that plenum. Now, if you've got 1,200 coming out
12 into the hot leg, that means that you've got some
13 mixing in the upper plenum. So maybe you've got 1,400
14 there, and then somewhere in the core you've got other
15 temperatures.

16 You need to know that temperature in the
17 core presumably because you're beginning to get
18 degradation of the core.

19 MR. FLETCHER: Yes, absolutely.

20 CO-CHAIRMAN WALLIS: So you need to be
21 careful about this, that the flow distributions and
22 the mixing right in the core, as in the steam
23 generator so that you don't blindly say that, you
24 know, whatever is coming out of the core in
25 temperature is what's going into the hot leg because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it isn't, because it's mixing with some of the --

2 MR. FLETCHER: It's mixing in the upper
3 plenum, and RELAP 5 will do that.

4 CO-CHAIRMAN WALLIS: But that will mean
5 that the steam generator is colder than it would have
6 been, and so it's less likely to pop.

7 MR. FLETCHER: That's true.

8 CO-CHAIRMAN WALLIS: And the core is more
9 likely to fail.

10 MR. FLETCHER: So if we had a mixing
11 process going on at the hot leg vessel connection, it
12 would make things better from a steam generator --

13 CO-CHAIRMAN WALLIS: And I think this is
14 where there has to be a perspective of the whole
15 issue. You're worried about does the steam generator
16 pop before the surge line, but also the question is
17 does the core degrade before either of these.

18 MR. FLETCHER: Right.

19 CO-CHAIRMAN WALLIS: And by how much
20 because if it started to lose its geometry, then you
21 have to do something about the heat transfer.

22 DR. KRESS: I think the chances of it
23 losing its geometry are small compared to --

24 CO-CHAIRMAN WALLIS: Is it going to
25 release hydrogen?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: It's going to fail the hot leg
2 in the early tubes first.

3 CO-CHAIRMAN WALLIS: Well, you're saying
4 that as a statement. Do you know the temperature?

5 DR. KRESS: I've seen a lot of
6 calculations.

7 CO-CHAIRMAN WALLIS: So you know the
8 temperatures in the core.

9 DR. KRESS: You have to get pretty high
10 temperatures.

11 CO-CHAIRMAN WALLIS: Okay. Thank you.

12 DR. KRESS: Before they start changing.

13 MR. FLETCHER: The base case calculation
14 will show you the core does not actually melt.

15 CO-CHAIRMAN WALLIS: Do you get oxidation
16 of the cladding?

17 DR. KRESS: You start oxidizing, but you
18 don't really run into the --

19 CO-CHAIRMAN WALLIS: That's not a
20 significant heat source?

21 DR. KRESS: It can be, but --

22 MR. FLETCHER: The oxidation source is
23 significant.

24 CO-CHAIRMAN WALLIS: Oh, so you do have to
25 get that right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLETCHER: Yes, we do.

2 CO-CHAIRMAN WALLIS: Oh, okay.

3 MR. FLETCHER: The peak oxidation power is
4 335 megawatts, roughly ten percent of normal core
5 power and roughly ten times decay heat.

6 CO-CHAIRMAN WALLIS: So it's dominant.

7 MR. FLETCHER: It's dominant, yes.

8 CO-CHAIRMAN WALLIS: Better get it right.

9 MR. FLETCHER: Got to get it right.

10 The point I wanted to make on the steam
11 generator tubes is that RELAP 5 is being used to
12 calculate the buoyancy driving head there, the steam
13 temperatures inside the tubes, and you really have two
14 mechanisms going on there. The hot steam is rising
15 into the forward flowing tube and is being cooled as
16 it goes along, and it continually is being cooled all
17 the way over to the outlet plenum.

18 And then there is a similar cooling
19 process going on from the outlet plenum back to the
20 inlet plenum. So you really have a differential
21 buoyancy going on here where you have a difference in
22 temperatures between the tubes on the up flow side
23 that helps you, and you have a different temperature
24 on the down flow side that actually works against you,
25 and it's the difference of those two terms that really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 defines how fast this flows.

2 DR. KRESS: How your heat sync is strictly
3 the metal in the --

4 MR. FLETCHER: On the secondary side. As
5 you can see, we've modeled the downcomer as one pass
6 on the right-hand side there, one dimensional, and
7 then the boiler is one dimensional up there as well.
8 So there is a steam flow that RELAP 5 calculates
9 around that loop in the secondary side.

10 We do have heat loss off the outside of
11 the shell, as well, which is a fairly thick component.
12 So there is some ultimate heat sync out there.

13 DR. KRESS: The natural convection into
14 the --

15 MR. FLETCHER: Yes, yes. But the essence
16 of what we're looking at here is really very fast
17 heat-up that is driven by the oxidation in the core,
18 and the questions is how does that heat spread out
19 into the components, out into the legs and out into
20 the steam generator, and the heat-up rate is very
21 rapid, and so things like time constants to get heat
22 out there, the mixing that can go on at the inlet
23 plenum can significantly moderate the heat that the
24 steam generator tubes see.

25 CO-CHAIRMAN WALLIS: The mixing in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 upper part of the reactor and moderate the heat of the
2 hot leg.

3 MR. FLETCHER: Absolutely, it could, and
4 we're not modeling it.

5 CO-CHAIRMAN WALLIS: So that's the take-
6 away, I think.

7 MR. FLETCHER: Yes, right. I hear you.

8 The next few slides describe the model
9 modifications that were made since the previous base
10 case. I'll hit only the major ones.

11 We've added reactor coolant system heat
12 loss to the containment from the external surfaces
13 from the primary and secondary coolant system. We've
14 added a 21 gpm pump seal leakage in each of the pumps.
15 We added a counter current limiting model at the
16 pressurizer to surge line tank connection which was
17 not in the previous --

18 CO-CHAIRMAN WALLIS: What is gpm again?
19 This is that weird unit that means mass flow?

20 MR. FLETCHER: It means volumetric flow at
21 some --

22 CO-CHAIRMAN WALLIS: Unspecified
23 condition?

24 MR. FLETCHER: Right. It is a dilemma,
25 and I ran into the dilemma. What I decided to do is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 put in a brake size that gave me 21 gpm volumetric
2 flow at the initial point and then left the area the
3 same throughout.

4 CO-CHAIRMAN WALLIS: This is gpm at room
5 conditions or reactor conditions or gpm or steam or
6 what?

7 MR. FLETCHER: This would be gpm of water
8 at the time the break opens up, which is early in the
9 event.

10 CO-CHAIRMAN WALLIS: So it's about half
11 the density of water in that bucket at room
12 temperature or something like that. It's not like gpm
13 that comes out of a faucet.

14 MR. FLETCHER: No, it's gpm of reactor
15 coolant system temperature water, 550.

16 CO-CHAIRMAN WALLIS: So it's a lot less
17 dense than cold water.

18 MR. FLETCHER: Yes.

19 CO-CHAIRMAN WALLIS: Please do away with
20 this unit. It's so confusing.

21 MR. FLETCHER: Okay. We've changed the
22 tube plugging assumption from 15 percent to ten
23 percent, which is the middle of the expected range.
24 We've added thermal radiation modeling in the hot
25 legs. The previous model did not have wall-to-wall

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radiation between the upper hot leg wall and the lower
2 hot leg wall.

3 CO-CHAIRMAN WALLIS: Steam generator
4 radiation must be important. You've got pretty
5 stagnant steam on the outside. You've got hot tubes,
6 and radiation. I mean, even when we're sitting here
7 the radiation from you is about equivalent to your
8 loss by natural convection in this room. So do you do
9 that in the steam generator? Do you model all
10 radiation between tubes?

11 MR. FLETCHER: No. Let me specify the --

12 CO-CHAIRMAN WALLIS: I would think that
13 would matter.

14 MR. FLETCHER: Well, first of all, we only
15 have a single tube.

16 CO-CHAIRMAN WALLIS: Oh, okay.

17 MR. FLETCHER: Or two tubes. So we're not
18 trying to model the details of what's going on there.

19 What we've done is we've added wall-to-
20 wall radiation for the upper and lower hot legs.
21 We've also added steam-to-wall --

22 CO-CHAIRMAN WALLIS: Excuse me. If
23 radiation out from the tubes in the steam generator
24 were the dominant heat transfer mechanism, then the
25 middle would be hotter than the outside.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLETCHER: Absolutely.

2 CO-CHAIRMAN WALLIS: If they all have the
3 same natural convection heat transfer coefficient, you
4 predict them all to be about the same. So it matters
5 what the mechanism of heat transfer is in that steam
6 generator.

7 MR. FLETCHER: Well, and one of the
8 studies that we've looked at is what is the heat
9 transfer coefficient on the outside of the tubes.
10 What are the sensitivity of the results to that?

11 CO-CHAIRMAN WALLIS: If radiation
12 dominates, then you have a different problem. You
13 have radiation from a tube to the tubes around it to
14 the tubes around that in a matrix.

15 MR. FLETCHER: Right.

16 DR. RANSOM: Well, if you ignore the
17 radiation that's a more conservative assumption, I
18 believe.

19 MR. FLETCHER: That's true.

20 CO-CHAIRMAN WALLIS: Well, let's not get
21 too conservative. Yeah, the more realistic you can be
22 the better. Yeah, I agree that you might be
23 conservative.

24 MR. FLETCHER: The steam-to-wall radiation
25 we're modeling on the inside of the reactor coolant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system, on the inside of the steam generator tubes,
2 but not on the outside of the steam --

3 CO-CHAIRMAN WALLIS: It doesn't help to be
4 conservative Vic because the question here is which
5 pops first, the steam generator or the hot leg, and
6 then if you arbitrarily don't let the heat get out of
7 the steam generator, you're going to get too hot, and
8 you're going to arbitrarily make it pop first, which
9 is not right. It's a --

10 DR. RANSOM: Well, from my understanding,
11 the steam generator tubes rupturing first is worse.

12 CO-CHAIRMAN WALLIS: Yeah, okay.

13 DR. RANSOM: A bitter source term. So
14 really it's like an error in the direction of I would
15 say a more conservative result.

16 CO-CHAIRMAN WALLIS: But, again, Chris
17 showed that when you get more heat transfer, you get
18 less circulation. It's a kind of strange thing. So
19 I'm not sure which way it would go. So let's be
20 realistic if you can or as realistic as you can.

21 MR. FLETCHER: We've changed the forward
22 and reverse flow split from 53-47 to 50-50. We've
23 revised the inlet plenum mixing parameters to those
24 that Chris feels best represent the full scale
25 Westinghouse steam generator.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: What's this forward-
2 reverse ST tube flow split?

3 MR. FLETCHER: The model we have has
4 two --

5 CO-CHAIRMAN WALLIS: The fraction of the
6 tubes that are --

7 MR. FLETCHER: Exactly, that are forward
8 flowing and reverse flowing.

9 CO-CHAIRMAN WALLIS: Up and down?

10 MR. FLETCHER: Yes. We've changed the
11 modeling of the mixing parameter assumptions to agree
12 with the CFD results. We've also added a hot tube to
13 steam generator one, which is the steam generator in
14 the loop containing the pressurizer and also
15 containing the stuck open PORV. So we're doing an on
16 line calculation of a single hottest tube in that
17 steam generator, representing the hottest temperature
18 from the CFT results, which is the .625 normalized
19 temperature.

20 So we're using the RELAP 5 calculated hot
21 leg temperature.

22 CO-CHAIRMAN WALLIS: So in the previous
23 slide you put in these numbers like .87, .0 -- that
24 came from the Westinghouse thing, but we know that in
25 something like the CE you get different numbers.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLETCHER: That's correct, and for the
2 CE model the numbers will be changed.

3 CO-CHAIRMAN WALLIS: And you know that
4 they are, in fact, somehow influenced by what's going
5 on in the whole system. You've pulled them out of
6 Chris' work, but in fact, if you could incorporate his
7 calculation with your calculation as an interface, you
8 might find that you need to calculate these things
9 rather than just having a target value because I don't
10 know what can happen in a -- you know, he already
11 showed that in the real Westinghouse thing, you don't
12 have a symmetrical. So you get these strange things
13 happening.

14 MR. FLETCHER: That's correct.

15 CO-CHAIRMAN WALLIS: You know, it might
16 well be that you have to calculate. You're better
17 off, but we don't know how important this is yet for
18 the PRA and all of that. I think when we know that,
19 we might need to go back and sharpen your pencil on
20 these 87s and 81s.

21 MR. FLETCHER: Okay. There's a slide that
22 shows the agreement between the calculated values and
23 the target values, which is in good agreement, and
24 another slide that shows the comparison of the plant
25 steady state data and the RELAP 5 calculated data, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's in excellent agreement.

2 And there's a sequence of events that I'll
3 hit the high points on. At time zero we have the
4 station blackout event initiation. We lose AC power.
5 We have reactor and turbine trips, reactor coolant
6 pump trips.

7 CO-CHAIRMAN WALLIS: I'm puzzled by this
8 target value. Didn't you input some of the .81s and
9 things from --

10 MR. FLETCHER: We're back to the word
11 "input" being confusing. We have a target value for
12 the mixing fractions and the re-circ ratio and the
13 steam generator power, but the code doesn't actually
14 have an input for those values.

15 What is done is you adjust the flow
16 coefficients.

17 CO-CHAIRMAN WALLIS: Oh, you fudge the
18 flow coefficients.

19 MR. FLETCHER: Right, and not only that.
20 It's an iterative process, that if you want to change
21 one of those values, you end up changing others at the
22 same time. So it's a manual operation to come up with
23 the adjustments needed to match the data, and that's
24 why we're off a little bit on some of these.

25 CO-CHAIRMAN WALLIS: Do you have 60 slides

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or something? Am I right?

2 MR. FLETCHER: I do.

3 CO-CHAIRMAN WALLIS: Well, 60 slides takes
4 you two and a half hours to go through, rule of thumb,
5 two and a half.

6 MR. FLETCHER: How would you like to
7 proceed?

8 CO-CHAIRMAN WALLIS: Go ahead.

9 MR. FLETCHER: Okay. The sequence of
10 events is given here. The steam generators dry out at
11 1,600 seconds for the generator that has the stuck
12 open valve, at 5,500 seconds for the other three steam
13 generators.

14 We then have a period of continuing PORV
15 cycling where the valve open and closes and relieves
16 the primary pressure because there's no other heat
17 sync.

18 At 9,062 seconds, the steam at the core
19 exit begins to super heat. We've uncovered the top of
20 the core, and this is when we change the model to
21 include the split hot leg representation.

22 Shortly thereafter, at 10,400 seconds, we
23 have the onset of fuel rod oxidation. The pressurizer
24 empties at 10,600 seconds. We have control rod
25 rupture, and then at 12,240 seconds, I have the first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 creep rupture failure of the steam generator one
2 hottest tube, and probably the best way to say this is
3 this is a tube that's degraded to roughly 15 percent
4 of its original strength, and we're applying the
5 hottest steam temperature expected to that tube.

6 So that is the worst possible case for a
7 steam generator tube rupture.

8 CO-CHAIRMAN WALLIS: You don't have any
9 rupture of surge line or anything in here at all?

10 MR. FLETCHER: The surge line comes a
11 little later.

12 CO-CHAIRMAN WALLIS: It comes later?

13 MR. FLETCHER: Comes a little later than
14 the absolute worst degraded tube with the hottest
15 temperature.

16 The oxidation peak, by the way, is right
17 at 13,000 seconds. It's not shown on the list there.

18 At 13,165 seconds we have the first creep
19 rupture of the first average tube. In other words,
20 this is a degraded tube to 15 percent of its strength,
21 with the average steam generator tube temperature on
22 the inside. It fails slightly before the surge line,
23 which fails at 13,205.

24 CO-CHAIRMAN WALLIS: Pretty close.

25 MR. FLETCHER: Pretty close.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: Excuse me. When you
2 say "degraded to 50 percent" of its strength?

3 MR. FLETCHER: Fifteen percent, yes.

4 CO-CHAIRMAN FORD: Fifteen percent of its
5 strength. Do you mean --

6 MR. MUSCARA: He's using a stress
7 concentration factor of seven.

8 MR. FLETCHER: Yes, stress concentration
9 of 7.5.

10 MR. MUSCARA: You have to put that in
11 context. An M sub P value of 2.3 is equivalent to a
12 tube with a flaw that would fail at three times normal
13 delta P.

14 CO-CHAIRMAN FORD: Okay.

15 MR. MUSCARA: So none of those tubes
16 should be in the generator because their legends
17 (phonetic) require that tubes should meet three delta
18 P any time you're in operation.

19 CO-CHAIRMAN FORD: Right.

20 MR. MUSCARA: But there's a probability
21 it's there because of inspection reliability, et
22 cetera. So all of that to be taken into account when
23 doing the PRA.

24 CO-CHAIRMAN FORD: Okay.

25 MR. MUSCARA: But, I mean, this is a tube

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that really should not be in the generator if it's
2 that degraded, and if it is there, it shouldn't occur
3 very often.

4 CO-CHAIRMAN FORD: Okay. I understand.
5 Okay.

6 MR. FLETCHER: The intent of this is just
7 to scope where we are with respect to failure.

8 The hot legs fail shortly thereafter.

9 CO-CHAIRMAN WALLIS: I have a question.
10 These pump seals leak instantly?

11 MR. FLETCHER: Yes. There were some
12 experiments run at Westinghouse, and it was determined
13 that in a station blackout event, due to the loss of
14 the --

15 CO-CHAIRMAN WALLIS: Loss of the cooling
16 water.

17 MR. FLETCHER: -- the cooling flow, yes,
18 that it was almost a certainty that the pumps would
19 leak immediately at 21 gpm was the expected value.

20 CO-CHAIRMAN WALLIS: You lost your service
21 water, too, in this?

22 MR. FLETCHER: Yes, you've lost everything
23 that's AC powered.

24 CO-CHAIRMAN WALLIS: So there's no
25 containment cooling or anything like that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLETCHER: No, no. This is very
2 severe accident.

3 MR. ROSENTHAUL: The 21 gpm is just the
4 normal flow rate. There's no additional failure.

5 MR. FLETCHER: We will later look at other
6 failures of the pump seals to look at higher pump seal
7 leakage rates.

8 If you look at the process in time, slide
9 24 shows that the surge line fails at 13,205 seconds,
10 and if you look at the results by stress multiplier
11 for the average and hottest tubes, you can see for the
12 average tube it requires a stress multiplier of two to
13 fail it before the surge line fails and for the
14 hottest tube, it requires a -- I'm sorry. I said it
15 backwards.

16 For the average tube it takes a multiplier
17 of five, and for the hottest tube it takes a
18 multiplier of two to fail before the surge line.

19 DR. KRESS: Can we go back to slide 22 a
20 second?

21 MR. FLETCHER: Yes.

22 DR. KRESS: In between the first control
23 rod cladding failure and the first creep up to failure
24 of the hottest tube, is that when you're releasing all
25 of the cesium and iodine?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLETCHER: No. This is the first
2 control rod failure. That's a control rod. That's
3 not a fuel rod. So you wouldn't be releasing at
4 that --

5 DR. KRESS: No, but your own set of fuel
6 rod oxidation is 10,406 seconds, and it takes what,
7 about 30 minutes from there to release all of the
8 cesium and iodine?

9 MR. FLETCHER: I don't immediately have
10 the answer to your question. The peak oxidation was
11 at 13,004, I believe.

12 DR. KRESS: Oh, oh, okay. So this is a
13 low level.

14 MR. FLETCHER: This is the beginning of
15 the oxidation. Below that you don't have any
16 oxidation at all.

17 DR. KRESS: You haven't gone into the run-
18 away oxidation.

19 MR. FLETCHER: Right. IT's slowly
20 increasing starting at 10,039 and the peak is at
21 13,000.

22 DR. KRESS: I was interpreting that wrong.
23 Okay.

24 MR. FLETCHER: I have a number of slides
25 that show the transient results. I'll hit only the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 high points. On the reactor coolant system pressure,
2 on slide 25, we originally have a slight
3 depressurization of the RCS as we have steam generator
4 cooling when we still have water in the steam
5 generators, and then late in the event we also have a
6 depressurization that's caused by the pump seal
7 leakage that we're assuming.

8 Steam generator secondary pressures, we
9 have one that's blow down. The other three remain at
10 pressure. Steam generator masses, you can see how
11 we've lost the water mass from the steam generators
12 fairly early in the event.

13 PORV flow cycling is continuous after we
14 get out to about 9,000 seconds or so.

15 The pressurizer level stays elevated as we
16 continue to blow water and steam out of the PORVs on
17 the top of the pressurizer, but then eventually we
18 expel sufficient liquid that the water slumps back
19 down into the hot legs, and we end up draining the
20 pressurizer shortly after 10,000 seconds, which is
21 before we end up with the main heat-up process here.

22 Looking at the circulations that we have
23 on slide 30, we're looking at the hot and cold average
24 tube flows in steam generator one, which is the
25 affected steam generator, and you can see we have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mass flow rate of maybe ten kilograms per second
2 through those tubes. I'm showing both the hot flow
3 and the cold down flow sides there.

4 On slide 31, we're looking at the hot leg
5 circulations. We have a mass flow rate of about five
6 kilograms a second through the upper and lower hot leg
7 sections on steam generator one.

8 And then slide 32 shows the vessel
9 circulation. The black line is the central channel
10 flow, which is upward at roughly it looks like ten
11 kilograms a second or so, and then the red line is the
12 downward flow in the peripheral channel at ten
13 kilograms per second.

14 Velocities associated with all of these
15 are on the order of a half a meter per second. So
16 it's not a very rapidly flowing system, but we are
17 exchanging mass at about this rate.

18 Slide 33 shows the oxidation process. The
19 number in the table is when it begins, and you can see
20 the peak is out at 13,000 seconds.

21 DR. KRESS: So that's about when you
22 releasing the iodine and cesium?

23 MR. FLETCHER: That is when the release
24 from the fuel rod to the coolant would happen, yes.

25 DR. KRESS: And at that time, you've only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 failed -- well, you failed the -- where are the
2 fission products going at that time? That's 13,000.
3 Do you have one steam generator tube rupture that
4 you've --

5 MR. FLETCHER: But only the most degraded
6 tube and only with the hottest steam temperature.

7 DR. KRESS: The surge line is failing
8 about that time also.

9 MR. FLETCHER: Yes, the surge line fails
10 slightly after that.

11 DR. KRESS: So you've got dual pass in the
12 fission product, but the surge line is probably the
13 easiest path to go in?

14 MR. FLETCHER: That's correct.

15 In our model, we're not actually
16 stimulating the rupture of the surge line other than
17 to say when it would happen. We're not looking at the
18 depressurization.

19 DR. KRESS: You're not looking for a take
20 on depressurization.

21 MR. FLETCHER: That's correct. We're
22 allowing depressurization to continue to see what the
23 effect on the other tube degradations might be.

24 MR. MUSCARA: Let me also mention quickly
25 that in the surge line evaluation, it really only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uses the pressure stress. In what we'll hear about
2 this afternoon, we're doing a finite element analysis
3 of the entire line.

4 DR. KRESS: I see.

5 MR. MUSCARA: So what are the stresses
6 that are taken into account because of thermal
7 stresses.

8 DR. KRESS: So it may have failed earlier
9 than this.

10 MR. MUSCARA: Right.

11 CO-CHAIRMAN WALLIS: So you've burnt off
12 all of the zirconium then after this blip?

13 DR. KRESS: Basically.

14 CO-CHAIRMAN WALLIS: You've turned it into
15 oxygen.

16 MR. FLETCHER: Yes, that's correct.

17 The essence of the thermal transience
18 shown on Slide 34, these are structural temperatures
19 in loop one. The black line is the surge line. The
20 red line is the hot leg, and then the green and blue
21 lines are the average and hot tube responses.

22 Now, you can see the temperatures all
23 start up together back there. The hot leg temperature
24 starts up. The surge line is delayed for a short
25 period of time until we lose the last bit of water out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the pressurizer as it's draining.

2 But then once that water is gone, the
3 surge line temperature rises very rapidly. Of course,
4 the surge line is thinner than the hot leg. So the
5 rate it rises is going to be faster.

6 CO-CHAIRMAN WALLIS: So it is it dropped
7 when it falls down again? What does it fall down?

8 MR. FLETCHER: Why does? Oh, at the top?
9 Well, first of all, we go past the oxidation peak and
10 power. That --

11 CO-CHAIRMAN WALLIS: The other
12 temperatures are still going up.

13 MR. FLETCHER: No, the other thing is we
14 have heat loss off the outside of the hot legs and on
15 the outside of the surge line, and so the surge line
16 is relatively thin and the heat loss is more effective
17 at cooling it down. These are average structure
18 temperatures.

19 CO-CHAIRMAN WALLIS: So if it survives the
20 hottest temperature, it's going to survive later?
21 When does the surge line pop?

22 MR. FLETCHER: The surge line fails at --
23 I can't give you the temperature it failed at.

24 CO-CHAIRMAN WALLIS: But it failed, but
25 hasn't it failed by the time its temperature is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dropping or not?

2 MR. FLETCHER: Oh, yes.

3 CO-CHAIRMAN WALLIS: Yes. Okay.

4 MR. FLETCHER: Yes, the surge line has
5 failed on the way up here on the steep part of the
6 ramp there.

7 CO-CHAIRMAN WALLIS: That makes more sense
8 now.

9 MR. FLETCHER: And if we look at the creep
10 rupture damage indices on the next couple of slides,
11 it compares -- first of all, what this is is the
12 useful life that's been expended going from zero to
13 one. When the curves reach one, that means that the
14 code assumes that this structure has failed. The
15 dashed line is the surge line. The red line is hot
16 leg one, and the other three hot legs are shown
17 together on the trace that follows them.

18 And if we look at the average tubes, the
19 dashed line, again, is the surge line and the colored
20 curves represent the multipliers from three to five
21 and intervals of one-half. So the red line is a
22 stress multiplier of three, in other words, a
23 degradation to only one-third of its original
24 strength, if I'm saying that correctly.

25 CO-CHAIRMAN WALLIS: Now, these things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like a surge line and hot leg, they have insulation on
2 them?

3 MR. FLETCHER: They have insulation on the
4 outside. What we're modeling is a constant H, heat
5 transfer coefficient, on the outside of it,
6 representative of the heat loss at normal operation,
7 and we're just leaving them constant throughout the
8 event.

9 We also haven't adjusted those heat
10 transfer coefficients based upon insulation being
11 different at different locations. So it's an average
12 look at it.

13 CO-CHAIRMAN WALLIS: Insulation doesn't
14 deteriorate or fall off or anything before they fail?

15 MR. FLETCHER: I'm sure it could.

16 MR. SIEBER: It's metal insulation.

17 CO-CHAIRMAN WALLIS: It's foil metal.

18 MR. SIEBER: It's mirror type.

19 CO-CHAIRMAN WALLIS: Mirror type, but it's
20 a metal.

21 MR. SIEBER: Sheetmetal.

22 CO-CHAIRMAN WALLIS: Sheetmetal. So it
23 gets pretty hot, too.

24 MR. SIEBER: It snaps. Pretty sturdy
25 stuff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLETCHER: So slide 36 shows that the
2 surge line fails, the surge line which is the dashed
3 curve, fails between the results for a multiplier of
4 4.5 and five, the finding being that if you had a tube
5 with a multiple of five or somewhere between four and
6 a half and five, it would fail before the surge line,
7 but other tubes would not.

8 And if we look at the hot leg we have
9 similar results for multipliers of one, one and a
10 half, and two, and here it shows that the surge line
11 fails before the multiplier tube fails.

12 MR. SIEBER: How certain are you? You
13 know, you're talking 13,000 seconds to 13,200 seconds.
14 You know, it could go the other way, right?

15 MR. FLETCHER: Well, the real problem is
16 the heat-up is very rapid, and the question is how are
17 these heat transfer processes going to affect the
18 spread of that heat?

19 MR. ROSENTHAUL: Can I make a couple of
20 comments, if nothing else because it's a public
21 meeting with a transcript? So I want to get a little
22 perspective going here.

23 We're looking at a station blackout
24 scenario here. Of course, the PRA will look at a
25 broader scope of events. The station blackout rule

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 had a goal of three times ten to the minus five for a
2 core damage frequency due to all station blackouts,
3 and here I'm talking about a perverse one with just
4 the right set of failure bouts.

5 So I'm talking about a subset of that
6 three minus five. So I'm talking about a reasonably
7 low probability event.

8 Then when I'm talking about stress
9 intensity factors that go above two, three, I'm really
10 talking about tubes that should have been removed from
11 service, you know, assuming that the inspection
12 program really does identify them. So, again, I'm
13 talking about a reasonably low probability event, and
14 we shouldn't lose sight of that.

15 When we see numbers, you know, obviously
16 nothing happens for the first two hours while you're
17 boiling off, and then things get exciting over a
18 relatively short period of time, and we all smile when
19 we see the differences in time because none of us
20 would believe the Larson-Miller model as being able --
21 and the RELAP -- as being definitive on something is
22 going to go 200 seconds before something else.

23 And that's exactly what prompted us to do
24 the finite element analysis and hopefully the work
25 from engineering will show bigger differences in time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that you can start to believe.

2 But, no, we're smiling at these.

3 MR. SIEBER: Well, actually it takes three
4 days from the onset of the accident to get to the
5 point where you start failing these pressure
6 boundaries.

7 MR. ROSENTHAUL: Hours.

8 MR. SIEBER: Hours. Okay.

9 CO-CHAIRMAN FORD: Joe, could I ask a
10 question of you? We should really stop at the very
11 latest within ten minutes regardless of whether we
12 finish this presentation or not. Is it your wish that
13 we just compact the rest of this presentation into ten
14 minutes or it depends on what follows?

15 Are the next presentations going to be
16 full time?

17 MR. MUSCARA: My feeling is I don't mind
18 staying late, but if we do this in its entirety, we'll
19 wind up being late this evening.

20 CO-CHAIRMAN WALLIS: Well, will this PRA
21 really take so long?

22 MR. MUSCARA: They're all complex, and
23 everybody has more slides than they have time.

24 CO-CHAIRMAN WALLIS: Okay. They've all
25 got more slides than time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: If Bill doesn't mind staying
2 late, I don't think we should mind either.

3 CO-CHAIRMAN FORD: I agree with you.

4 DR. KRESS: Why don't we just get it all?

5 CO-CHAIRMAN FORD: Now we have a noose to
6 the question. Graham has another meeting he has to go
7 to. Do you wish to stop cold now and resume or is
8 there something you want to finish?

9 MR. ROSENTHAUL: If we're going to stop,
10 this would be a good time to stop. If you would like
11 me to continue, we could do that, too.

12 CO-CHAIRMAN FORD: Okay. Let us recess
13 until 1:15, which is the time allocated for us to
14 start. So we've got a slightly longer lunch break.
15 One, fifteen, we are in recess until then.

16 (Whereupon, at 12:01 p.m., the meeting was
17 recessed for lunch, to reconvene at 1:15 p.m., the
18 same day.)

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

AFTERNOON SESSION

(1:17 p.m.)

CO-CHAIRMAN FORD: I'd like to come back into session, and we'll continue.

Sorry for interrupting you to start with.

MR. FLETCHER: Thank you.

I'm at slide 38, a summary of the base case results and what we've learned so far from them.

Steam generator tube failure margins have improved from what we've seen in previous base case calculations. I'd like to make a comment regarding the RELAP calculation of the creep rupture failure. We're doing this strictly to look at it in a crude way, and we're also looking at multipliers as high as seven, which are tubes degraded so much that they could barely exist at normal operating conditions.

So I wanted to correct perhaps the perception that has been given here, that the first tube failures occur very early with respect to the surge line failure.

The actual stress calculations and tube failure calculations will be done elsewhere with better tools using the RELAP 5 pressures and temperatures as boundary conditions to do those calculations in a much more detailed way than is being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 done here.

2 On the other hand, we did want to put in
3 something that would give us some feel for where we
4 are with the thermal hydraulic results. If we just
5 showed you the events and their times, the question
6 would be, well, what does this mean for rupture, and
7 so that's what we're trying to do here, is gain at
8 least a rudimentary understanding of where we are.

9 CO-CHAIRMAN WALLIS: And we discussed with
10 Chris the business of the maximum temperature and the
11 hottest tube and the steam generator not being the
12 same as the average.

13 MR. FLETCHER: That's correct.

14 CO-CHAIRMAN WALLIS: And that it might be
15 some effort to predict that. SCDAP/RELAP doesn't
16 really do that, does it? It gives you an average
17 temperature in the steam generator.

18 MR. FLETCHER: Well, we actually have an
19 average tube and we have a hot tube that we're
20 modeling. The average tube is just that. It's the
21 average of all of the tubes. For the hot tube, we're
22 taking advantage of the CFD and the Westinghouse one-
23 seventh scale data to give us an idea of what the
24 inlet temperature might be.

25 CO-CHAIRMAN WALLIS: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLETCHER: That's correct, and we have
2 modeled that, but we are modeling only one hot tube.
3 We're not modeling a distribution of hot tubes and so
4 forth.

5 On the other hand, if we did have good
6 data about what the distribution inlet temperatures
7 might be, we could put in a number of hot tubes with
8 different inlet temperatures.

9 We have made --

10 MR. SIEBER: The hot tube changes from
11 minute to minute as the flow distribution changes.

12 MR. FLETCHER: In the real steam generator
13 that is the case. My model is so crude I only have
14 one hot tube, and I don't know where it is on the tube
15 sheet. I'm just making a worst case calculation.

16 In fact, all of the creep rupture
17 calculations I'm doing are for the worst case
18 situations. For the tubes I'm looking at the inlet
19 temperature where the steam temperature is the
20 hottest. For the hot leg I'm looking closest to the
21 vessel where the temperature is the highest, and for
22 the surge line I'm looking closest to the hot leg
23 where the temperature is highest.

24 A major factor in the improvement that
25 we've seen in the tube failure margins has been that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've made changes in the target recirculation ratio
2 and mixing fractions, but that the target steam
3 generator power fraction has not changed.

4 So what we have is steam generators being
5 more effective than they were before in the original
6 base case because we've tried to make -- we have made
7 mixing fraction changes to make things hotter, and yet
8 because of that we've had to slow down the steam flow
9 to the steam generators to keep the power fraction
10 where it was.

11 And as a result of that, the hot legs and
12 the surge line tend to fail slightly sooner with
13 respect to the tubes, and therefore, we gain some
14 margin.

15 And I believe I've covered the information
16 on that.

17 The last part of the work here is task
18 two, which is the sensitivity studies that we've done
19 to date. We run a series of calculations as
20 variations on the base case to evaluate the
21 sensitivity of the tube failure margin results to
22 various problem variables, including plant
23 configuration and operating parameters, natural
24 circulation process parameters.

25 And we're going to use the output of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 study to decide which parameters are most important to
2 be looked at in the uncertainty study.

3 And slide 41 shows the full list of what
4 we've done, what we have done and where we are today.
5 The results I'll present are for all except for the
6 last two, which are still in process.

7 Regarding the sensitivity of results to
8 the steam generator power fraction, the base case is
9 done at a 30 percent value. That's 30 percent of the
10 power being removed to the four steam generators. We
11 will --

12 CO-CHAIRMAN WALLIS: Doesn't this come out
13 of analysis rather than being used or isn't it --

14 MR. FLETCHER: No, if you remember, this
15 is the target value that we try to achieve as a result
16 of changing the flow coefficient.

17 CO-CHAIRMAN WALLIS: So 30 percent of the
18 power goes to the steam generators. The rest of it
19 goes to heat up the core?

20 MR. FLETCHER: Heat up the core and the
21 hot legs and everywhere else.

22 CO-CHAIRMAN WALLIS: Doesn't this all
23 depend upon all of these flows and things? You can't
24 sort of impose something. You have to calculate it.
25 If you have better heat transfer in the steam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generators, you're going to get more heat out of
2 there. If you have no heat transfer, you get nothing,
3 and this rate should be zero.

4 So there has got to be something here
5 that's calculated.

6 MR. FLETCHER: The steam generator power
7 fraction is one of the variables that define the
8 mixing process, and the data indicate that we have a
9 spread from about 25 percent to 40 percent in that
10 value.

11 CO-CHAIRMAN WALLIS: Is this because
12 you're not modeling what I was talking to Chris about,
13 the way in which the flow in the hot leg really is
14 dependent on the buoyancy effect at the entrance?

15 I think it may be that you have to invent
16 something because there's a little piece of physics
17 missing about what determines the flow there.

18 MR. FLETCHER: Well, we talked about that
19 at lunch and what we might do, and in fact, I think
20 we'll add a sensitivity study looking at some mixing
21 that goes on at the hot leg to reactor vessel
22 connection just to see what the effect there might be.

23 CO-CHAIRMAN WALLIS: Well, I think it's
24 more than that though. Again, this is something where
25 maybe you need to work it out because it seems to me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you can't just take this ratio. It depends on the
2 whole thing. It ought to be calculated.

3 And if you're trying to think about how to
4 do it, maybe it's out of place to get the solution to
5 my question now. Just remember that I think it is an
6 important thing to resolve.

7 MR. FLETCHER: Okay. We adjusted the loss
8 coefficients or the flow coefficients to provide 25
9 and 40 percent steam generator power fractions and
10 sensitivities. We found the tube failure margin
11 results are moderately sensitive to this. The results
12 are shown on the bottom of the slide there.

13 For the base case, the tube stress
14 multiplier required to fail the tube prior to the time
15 the surge line failed was five for the average tube
16 and two for the hottest tube, and you can see the
17 results there for the 25 percent and the 40 percent
18 cases.

19 CO-CHAIRMAN WALLIS: Let me go back to
20 this thing now. If there were no heat transfer from
21 the steam generator, what would happen would be you
22 would be heating up those tubes more.

23 MR. FLETCHER: No heat transfer from the
24 steam -- you mean you have no heat across the tubes?

25 CO-CHAIRMAN WALLIS: There's no heat

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 coming out of the tubes into the outside part, the
2 secondary side.

3 MR. FLETCHER: Well, then the tubes are
4 not a problem then.

5 CO-CHAIRMAN WALLIS: They'd heat up. No,
6 on the outside there's no heat leaving them.

7 MR. FLETCHER: No heat leaving; adiabatic
8 on the outside.

9 CO-CHAIRMAN WALLIS: Right, because you've
10 just got stagnant steam in there and it's not doing
11 very much. Then that's going to be changing as a heat
12 transfer ratio. You're not going to be getting
13 anything out of that.

14 MR. FLETCHER: I think the answer is the
15 core melts in place and the tubes don't melt because
16 it takes --

17 CO-CHAIRMAN WALLIS: What would happen
18 would be that the gases from the core go up into the
19 steam generator. The steam generator temperature is
20 more like the temperature in the hot plenum, which you
21 don't want.

22 MR. FLETCHER: And the steam is going to
23 get up there how?

24 CO-CHAIRMAN WALLIS: By counter current
25 from the hot leg.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLETCHER: Well, the counter current
2 flow in the hot leg will take it to the inlet plenum
3 of the steam generator, but if you have no heat
4 transfer --

5 CO-CHAIRMAN WALLIS: Then it goes up into
6 the steam generator.

7 MR. FLETCHER: But there's no heat
8 transfer off the outside of the tubes. You say --

9 CO-CHAIRMAN WALLIS: But you have hotter
10 stuff in the bottom; you have cold stuff in the tubes.
11 The cold stuff drains out, and the hot stuff goes up
12 into the tube. The cold stuff then goes back to the
13 core.

14 MR. SIEBER: You have to remove heat in
15 order to get that to flow.

16 MR. FLETCHER: Yeah, that was my point.

17 CO-CHAIRMAN WALLIS: You don't have to
18 remove heat. If you have the core hotter than the
19 steam generator --

20 MR. SIEBER: You do.

21 CO-CHAIRMAN WALLIS: -- the hot gas --

22 MR. FLETCHER: You do, yes.

23 CO-CHAIRMAN WALLIS: You don't have to
24 remove heat to get the circulation. No, you don't.
25 Think about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You're heating up the core. You get a
2 high temperature above the core. The steam generator
3 is still cold. That high temperature steam plus along
4 the hot leg goes up around the steam generator and
5 heats it up. In heating it up, it cools down, comes
6 back, goes back to the core.

7 The heat loss is essentially just in
8 heating up the steam tubes, what you call the heat
9 loss. It's still got natural circulation, which is
10 how the steam generator tubes get heated up, and I say
11 if you're not cooling them on the outside, they're
12 going to tend to want to approach the temperature at
13 the top in the upper plenum, which is hotter than --
14 they'll be about the same temperature as the hot leg.

15 MR. FLETCHER: What you're saying is
16 you'll still have tube circulation, but it would only
17 be there because in a transient sense you're heating
18 up the tube wall.

19 CO-CHAIRMAN WALLIS: But you've got it for
20 that anyway. That's part of why you get it anyway.

21 MR. FLETCHER: Right.

22 DR. RANSOM: Well, it would be an easy
23 calculation for them to make. Just make the heat
24 structures of the tube adiabatic and --

25 MR. FLETCHER: Right, we can do that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Right, but then I
2 think you can't impose this parameter here, can you?
3 You'd have to have a zero, wouldn't you, for the
4 ratio?

5 So I think you can't impose this. It
6 could be zero, and it could even be 50 percent
7 depending on how --

8 MR. BOYD: But this parameter includes the
9 heat-up of the tube. So it wouldn't be zero. It
10 would be that --

11 CO-CHAIRMAN WALLIS: But it would just be
12 going into the tubes. Okay. So this isn't the ratio
13 of the heat loss from the tubes. It's the heat to the
14 steam generator. Okay.

15 MR. FLETCHER: It's the ratio of the heat
16 being removed to the steam generator to the total
17 heat, oxidation and core decay heat.

18 CO-CHAIRMAN WALLIS: Okay, okay. The heat
19 is not being -- oh, okay, okay. It's just being
20 removed, and whatever fluid is going in there is
21 recirculating through the steam generator. That's
22 what you mean.

23 MR. FLETCHER: That's correct, and
24 included in the steam generator heat here is the
25 heating of all steam generator that enters the steam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generator, into the plenum, into the plenum walls,
2 into the tube walls, anything that's delivered
3 through --

4 CO-CHAIRMAN WALLIS: And so anything that
5 is being heated up.

6 MR. FLETCHER: Yes. What we found is the
7 tube failure margin results were moderately sensitive
8 to this. As you would expect with a higher steam
9 generator power fraction, the tubes receive more heat,
10 and so they're more likely to fail.

11 We did a sensitivity calculation to a
12 number of reactor coolant pump shaft seal leakage
13 assumptions. In the base case, we've assumed the 21
14 gpm for pump leakage starting at the beginning of the
15 transient, which represents a leakage rate that's
16 expected because of the loss of the seal cooling flow.

17 We also made four calculations looking at
18 larger leakages that occur at two hours and 13
19 minutes, at a two hour period and at a 13 minute
20 period into the accident. These are the times when
21 larger pump seal leakage failures were seen in tests.
22 The rates we're using are the expected rates during
23 those tests with 61 gpm after two hours, 172 gpm after
24 two hours, 182 gpm after 13 minutes, and 300 gpm,
25 which is the maximum expected leakage per pump, after

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two hours.

2 CO-CHAIRMAN WALLIS: Now, this failure is
3 a progressive failure of the seal or do you just blow
4 the whole seal out the first time around?

5 MR. FLETCHER: In our calculation we're
6 blowing it out. We're assuming the 21 gpm flow area
7 for the leakage for the first two hours.

8 CO-CHAIRMAN WALLIS: Why didn't you assume
9 300 gpm? You've blown the seal away completely.

10 MR. FLETCHER: Why did we assume 300 gpm?

11 CO-CHAIRMAN WALLIS: Why not? In the
12 beginning you had destroyed the seal and blown it
13 away; you've got 300 gpm.

14 MR. FLETCHER: No, there are a couple of
15 failure modes here. The one mode is the leakage mode
16 resulting in the 21 gpm that's expected. There are
17 also failure modes associated with the popping open of
18 the mechanical seals --

19 CO-CHAIRMAN WALLIS: That's what I mean.

20 MR. FLETCHER: -- and some O ring failures
21 as well. And those are more or less instantaneous,
22 and the times when those were observed in the tests
23 were at two hours and also at 13 minutes, and so
24 that's why we selected these times.

25 CO-CHAIRMAN WALLIS: So it took two hours

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to blow out the O rings or whatever?

2 MR. FLETCHER: That's correct.

3 CO-CHAIRMAN WALLIS: That's a long time.

4 MR. FLETCHER: That's correct.

5 This was a set of Westinghouse data that
6 had bene looked at and reviewed. The issue that they
7 were looking at was mainly how long does it take to
8 lose enough water to uncover the top of the core in a
9 station blackout, which is not the same issue we're
10 looking at here., but the data is still applicable.

11 The results were found to be sensitive to
12 the leakage parameter, and it's a function of the
13 leakage rate. The higher leakage rate leads to less
14 PORV flow, and therefore, lower surge line flows,
15 lower surge line temperatures, and delayed or no surge
16 line failure as a result of that, but the higher
17 leakage rate also leads to generally lower RCS
18 pressures which delays or eliminates the hot leg and
19 the steam generator failures as well.

20 So the results show that actually the
21 worse possible case was the 61 gpm leakage, reduced
22 our average tube multiple for failure before the surge
23 line from five to three and a half and the hottest
24 tube from two to one and a half, and for that case,
25 the surge line failure was delayed, and that's the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reason that those margins were reduced.

2 For the higher leakage cases, the surge
3 lines did not fail at all. We have so much
4 depressurization there that the surge line is not
5 challenged. The hot legs did fail, and in both of
6 those cases at 172 and 182 gpm.

7 CO-CHAIRMAN WALLIS: So this pump seal
8 becomes a kind of relief valve for the system.

9 MR. FLETCHER: That's correct. That's
10 correct, yeah.

11 We did not calculate any average tube
12 failures for those cases because the pressure was low
13 enough. We did have some hot tube failures, but the
14 margins were increased over the base case.

15 And for the biggest break, the biggest
16 assumed leakage, 300 gpm, the depressurization is
17 significant enough so that we didn't have any
18 structural failures at all, surge line tubes,
19 regardless of multiplier or tubes regardless of the
20 steam inlet temperature.

21 CO-CHAIRMAN WALLIS: Do you mean the whole
22 system stays intact forever?

23 MR. FLETCHER: The whole system stays in
24 the vessel. It doesn't stay intact. It then melts
25 and ends up in the lower plenum.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Forced down. Okay.

2 MR. FLETCHER: Yes.

3 MR. SIEBER: Or beyond.

4 MR. FLETCHER: Or beyond, yes.

5 We evaluated the sensitivity of results to
6 tube plugging. The base case was at ten percent. The
7 sensitivity cases are at zero and 20 percent. We
8 didn't find a big sensitivity of the results to that
9 parameter.

10 Outer wall heat transfer coefficient on
11 the steam generator tube.

12 CO-CHAIRMAN WALLIS: You assume the
13 uniform plugging not just in the one place? If you
14 plugged the tubes right above the plume, it might make
15 a difference.

16 MR. FLETCHER: Our model is so crude that
17 it doesn't know where the plume is. This is just
18 strictly what's the flow area and what's the tube heat
19 structure area.

20 Outer wall heat transfer coefficient. The
21 base case is calculated using the standard SCDAP/RELAP
22 5 heat transfer models on the exterior of the tubes.
23 For this the code looks at forced convection using
24 Dittus-Boelter corrected for vertical bundle
25 configuration; laminar convection; and natural

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 convection, and the code selects the maximum heat
2 transfer coefficient based upon those three.

3 However, all three of those are providing
4 very low heat transfer coefficients, roughly seven
5 watts per meter Kelvin.

6 CO-CHAIRMAN WALLIS: Now, this Churchill-
7 Chu, you're just assuming that there's like one tube
8 in a big environment?

9 MR. FLETCHER: That is correct.

10 CO-CHAIRMAN WALLIS: Which is not the
11 case, is it? These tubes are pretty packed in there,
12 interacting with each other, and there are support
13 plates or things that are in the way?

14 MR. FLETCHER: Yes, and they're not
15 modeling any of that detail on the secondary side.

16 The point is that the heat transfer
17 coefficient we are using on the outside of the tube is
18 very small, and as a result of this we looked at
19 sensitivities to increasing it arbitrarily by factors
20 of five and factors of --

21 CO-CHAIRMAN WALLIS: Make it zero and look
22 at the limiting case.

23 MR. FLETCHER: We could do that.

24 CO-CHAIRMAN WALLIS: That would be, I
25 think, quite -- I believe Dr. Ransom suggested that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That would perhaps be a worst case, wouldn't it?

2 MR. FLETCHER: Okay. Here we find the
3 results are sensitive to it, and in fact, the base
4 case with a multiplier of one results in the lowest
5 margins of all of those cases, the reason being that
6 the higher heat transfer coefficient more tightly
7 couples the tube to the cooler steam that's on the
8 secondary side.

9 CO-CHAIRMAN WALLIS: I think when you make
10 the heat transfer coefficient zero on the outside of
11 the tubes and all you're doing is heating up the
12 tubes, what you will find is that your actual heat, if
13 you calculated it, the heat ratio from the core to the
14 steam generator would be much less. There's much less
15 heat going to the steam generator.

16 Because, you know, if you had no mass at
17 all, no heat could go there.

18 MR. FLETCHER: Yes, I agree.

19 CO-CHAIRMAN WALLIS: So your 30 percent
20 wouldn't make any sense. We'd be far overheating the
21 steam generator.

22 MR. FLETCHER: Right.

23 CO-CHAIRMAN WALLIS: So you need to fix
24 that 30 percent thicker somehow. If you heat
25 something with no thermal mass, it's going to go over

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there.

2 MR. FLETCHER: Okay.

3 CO-CHAIRMAN WALLIS: It's going to be
4 high. It's going to be hotter than the upper plenum,
5 which makes no sense at all.

6 MR. FLETCHER: I'm still not sure what
7 we're going to do about the 30 percent value.

8 CO-CHAIRMAN WALLIS: Well, okay. It
9 solves the whole problem.

10 MR. FLETCHER: We are forcing the answer
11 here.

12 Thermal radiation modeling. I explained
13 earlier that we're using steamed wall radiation on the
14 inside of the primary and secondary coolant systems,
15 and we're also using hot leg upper to lower wall wall-
16 to-wall radiation. We made some sensitivity
17 calculations putting multipliers of .5 and two on what
18 the code was calculating for the radiation heat
19 fluxes, and we found no significant effect there,
20 which is a bit of a surprise.

21 This is something a lot of earlier talks
22 were looking at thermal radiation as being very
23 important to the process here.

24 The next sensitivity regards surge line
25 depressurizer connection, the CCFL modeling at that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 point. The base case calculation was modeled as an
2 open pipe configuration on the bottom of the tank
3 using a Kutateladze correlation and a flow area based
4 on a 11 and a half inch surge line diameter.

5 In a sensitivity calculation we instead
6 looked at a sparger design at that connection point,
7 and we based the sparger design on the AP 600
8 pressurize sparger which we had some data on. The
9 sparger has a hole diameter of .375 inches, and the
10 sparger flow area through the holes on there is
11 roughly 1.7 times the pipe open flow area, and we
12 changed the counter current flow limiting correlation
13 from the Kutateladze form to the Wallace form based on
14 that geometrical data.

15 Here we found the results were insensitive
16 to the change in the CCFL model. Changing to the
17 sparger formulation of CCFL we delayed the draining
18 slightly by about 150 seconds, but it still occurred
19 before the time when the heat-up really got
20 significantly going. So there was no major effect
21 there.

22 Reactor vessel internal circulation. In
23 past analyses of other subjects there's been a number
24 of instances where RELAP 5 calculations were showing
25 circulations that did not appear to be physical. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we wanted to look at this. We did some hand
2 calculations to see whether or not the flow rates in
3 the core were reasonable and they checked very well
4 based upon the buoyancy driving heads and the flow
5 resistances through the loops.

6 We also want to just force this situation
7 where we went in and arbitrarily increased the loss
8 coefficients. We did so to reduce the flows inside
9 the vessel by 50 percent, and what we found was that
10 in the sensitivity calculation the flow losses in the
11 reactor vessel and the upper plenum regions we
12 increased them by a factor of eight, reduced the flows
13 by 50 percent, and the slower vessel circulation
14 results in earlier and faster heat-up within the
15 reactor vessel and an acceleration of the core melting
16 process.

17 In other words, if we slow the flow down
18 in the reactor vessel, the reactor vessel ends up
19 being a lot hotter than it would be if the flow were
20 going faster, and so the core melt process proceeds
21 earlier, and we end up melting core and relocating
22 core well before we end up with any surge liner or
23 steam generator failures.

24 DR. RANSOM: Where is the circulation? Is
25 it down through one channel and up through another

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one?

2 MR. FLETCHER: Well, we --

3 DR. RANSOM: Because the loop seals are
4 not clear.

5 MR. FLETCHER: No, this is inside the
6 vessel, and we have five channels in the core.

7 DR. RANSOM: Have what?

8 MR. FLETCHER: Five channels, five
9 vertical channels. The flow is generally downward in
10 the outer channels that is driven by the cool steam
11 flowing in from the bottom of the hot legs, and upward
12 in the center two channels, and in the middle of the
13 five channels, the flow starts downward at the upper
14 part of the channel and is upward in the lower part of
15 the channel and it then flows inward and upward to the
16 core.

17 DR. RANSOM: Are they cross-linked so
18 that --

19 MR. FLETCHER: Yeah, the core channels are
20 cross-linked at every axial level. We also have an
21 axial and transverse grid in the upper plenum with
22 cross-flows modeled there as well, and in addition to
23 the core circulation, there is an eddy flow in the
24 upper part of the vessel towards the center of the
25 vessel and the lower part of the upper plenum and away

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the vessel in the upper part of the upper plenum.

2 And reducing the flow by 50 percent caused
3 this to increase the multiplier needed to fail the
4 average tube from five to greater than the seven and
5 a half, which is the maximum we're looking at, and the
6 hottest tube stayed essentially the same, the reason
7 being that the hottest tube temperature is influenced
8 by what's coming back from the cold steam generator
9 tube recirculation.

10 I apologize for the way the next slide
11 ended up being in the package. It's overwritten in a
12 couple of places.

13 On heat loss, containment heat loss
14 modeling, the base case was done at four megawatts.
15 We also did sensitivities at two megawatts and eight
16 megawatts. These numbers are a normal operation.

17 Results were found to be moderately
18 sensitive to this, which was somewhat of a surprise.
19 We didn't think this was going to be a major effect.
20 The main effect that we're looking at here is that we
21 have heat loss on the outside of the hot legs, heat
22 loss on the outside of the pressurizer surge line, and
23 that tends to keep those structures cooler.

24 So if you have more heat loss, you end up
25 with less tube failure margin.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We looked at two things on PORV,
2 pressurizer PORV functioning, one where we assume that
3 the PORVs were blocked closed, which would require the
4 pressure to rise up to the pressurizer safety relief
5 valve setting instead, which is approximately 150 psi
6 higher than the PORV setting.

7 So essentially we have the same process
8 going on, just a slightly higher pressure, and as a
9 result of that we didn't see any change in tube
10 failure margin.

11 We also looked at an operator intervention
12 in which the operators observed the core exit steam
13 temperatures, realized the situation they're in, and
14 there is an operator instruction to open the PORVs
15 when the steam temperatures reach 1,200 degrees
16 Fahrenheit.

17 In our calculation we assume the operator
18 opens both PORVs at that time and leaves them open
19 thereafter. That time was 10,798 seconds into the
20 base case calculation.

21 When we do so, when we open the PORVs, we
22 depressurize the reactor coolant system. We end up
23 with a cumulator flow as a result, and so we interrupt
24 the core heat-up process as the accumulators dump
25 their fluid.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But eventually the accumulator's liquid is
2 expelled and the core heat-up resumes. We have
3 roughly about 80 percent of the core melting and
4 relocating to the reactor vessel lower head at 25,000
5 seconds.

6 So the heat stayed within the reactor
7 vessel, and we did not have any steam generator tube
8 failures indicated, and therefore, the calculation
9 indicates a success of this as an accident mitigation
10 strategy for preventing fission product release to the
11 steam generators.

12 We also looked at steam generator tube
13 leakage. The base case was done with no leakage and
14 the steam generator tube is assumed. We looked at 50
15 gpm, 100 gpm, and 200 gpm leakage in steam generator
16 one. The leakage is assumed to be induced by the
17 failing open of the secondary side valve on steam
18 generator one that occurs at 190 seconds.

19 The results of the calculations, we looked
20 at leakage on the hot side and on the cold side of the
21 tubes, and by that I mean midway between the tube
22 sheet and the U bend on the tubes, on the up-flow side
23 and on the down-flow side; found slightly less margin
24 when the break or when the leakage was assumed on the
25 up flow side, and that's the assumption that we used

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for the remainder of the calculations.

2 We found the results of the tube failure
3 margins to be sensitive to the steam generator tube
4 leakage. The results are shown in the table there.
5 We reduce the average tube multiplier required to fail
6 it before the surge line from five to three and the
7 hottest tube from two to one and a half over the range
8 of leakages that we looked at.

9 CO-CHAIRMAN WALLIS: Now, is this
10 consistent with what you'd expect from Chris'
11 observations of tube leakage? He got something which
12 was not altogether intuitive perhaps about how the
13 flows worked when there was a tube leakage.

14 Are you allowing some sort of mixing which
15 would not quite duplicate what he observed?

16 MR. FLETCHER: I don't think our
17 calculations compare directly at all. I'm using a
18 simple representation of the two paths and assuming
19 the leakage is halfway up, and in my calculation it
20 will influence the average tube inlet temperature as
21 a result. It will pull steam up in there because
22 that's the way the model is built, which is counter to
23 what he said.

24 CO-CHAIRMAN WALLIS: Your leakage is in
25 the cold tube or the hot tube?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLETCHER: It's in the up flow tube,
2 in the hot tube.

3 CO-CHAIRMAN WALLIS: It's leakage in the
4 down tube?

5 MR. FLETCHER: I'm sorry?

6 CO-CHAIRMAN WALLIS: Was his leakage in
7 the -- no, his leakage was also in the up tube, but it
8 didn't draw more flow into itself. Right, okay.

9 MR. FLETCHER: but he has a detailed model
10 of the region. I have a very crude model of the
11 region.

12 CO-CHAIRMAN WALLIS: I was just wondering
13 whether observation that the hot plume was not drawn
14 to the leak -- perhaps your hot plume -- I was
15 thinking your hot plume might be drawn to the leak by
16 the way you modeled that. That's why.

17 MR. FLETCHER: That's correct. We will
18 see effects of the leak on the tube temperatures.

19 MR. LONG: This is Steve Long with NRR
20 staff.

21 There's two different effects here. One
22 is do you draw extra hot fluid from the reactor vessel
23 to the steam generator if you have a leak in the steam
24 generator. The RELAP model includes that, but it
25 doesn't change the mixing as you have more hot fluid

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and less --

2 CO-CHAIRMAN WALLIS: Well, I was talking
3 about drawing hot fluid to the leak in the steam
4 generator itself. I mean, one might think that the
5 hot fluid was seek the leak, but in fact, Chris seemed
6 to show that it didn't necessarily do that. They
7 could just go up the tubes anyway.

8 MR. LONG: Right. What Chris showed was
9 that it doesn't change the location of where the plume
10 comes out of the hot leg and goes through the plenum.
11 It's the tube sheet. Chris allowed it to change the
12 mixing. So there are two different effects, one in
13 each model. It's not clear how they go together yet.

14 CO-CHAIRMAN WALLIS: Yes.

15 MR. FLETCHER: We also looked at a
16 sensitivity to the hot leg nozzle core bypass flow,
17 reducing it by 50 percent, and we saw no significant
18 effect of that change.

19 In summary of the sensitivity calculation
20 results, the tube failure margins were found to be
21 insensitive to the tube plugging assumption, thermal
22 radiation modeling pressurizer to surge line CCFL
23 modeling, blocking closed to the pressurizer PORVs or
24 the core bypass flow, and we found the results are
25 sensitive to steam generator power fraction,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recirculation, reactor coolant pump shaft seal
2 leakage, steam generator tube outer wall heat transfer
3 coefficient, the vessel circulation rate, the RCS heat
4 loss, the operator intervention strategy if used and
5 the steam generator tube leakage assumption.

6 So in conclusion, I would like to leave
7 you with the thought that the updated base case is a
8 good representation of the station blackout event to
9 be used as a basis to look at remaining work. We find
10 that we have moderately increased the steam generator
11 tube failure margins as a result of the changes that
12 have been implemented recently.

13 The multipliers required to fill those
14 tubes on Larson-Miller prior to the time a surge line
15 fails are five for the average tube and two for the
16 hottest tube, and only steam generator tubes with
17 structural strength degradations that are greater than
18 this would be expected to fail prior to the surge
19 line.

20 The flow patterns and rates of the
21 SCDAP/RELAP 5 reactor vessel internal circulations
22 appear to be reasonable, and trying to slow that
23 circulations down resulted in increased steam
24 generator tube failure margins because the heat
25 remained more inside the reactor vessel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The operator intervention strategy shows
2 that it was effective and that for carrying on the
3 uncertainty studies for sure we want to include the
4 five parameters listed at the bottom of the page there
5 as variables in that study.

6 That includes my talk.

7 CO-CHAIRMAN WALLIS: Thank you very much
8 indeed. That was very nice. Thank you.

9 MR. FLETCHER: thank you.

10 CO-CHAIRMAN FORD: Any comments?

11 DR. RANSOM: Don, in this accident
12 scenario, what ultimately happens in the long term?
13 I mean what is assumed to happen?

14 MR. FLETCHER: Well, in the long term
15 without any intervention at all, the core is still
16 producing delay heat and the core will melt is what it
17 amounts to.

18 DR. RANSOM: Well, in the release
19 assumptions is it assumed that it just continues to
20 melt and then leak out the containment bypass? Is
21 that --

22 MR. FLETCHER: Well, in the long term if
23 the core melts, it will fall into the lower head of
24 the reactor vessel and then perhaps melt through that
25 into the bottom of the containment, the point being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that if that happens, the fission product release
2 would be into containment.

3 So the key that we're looking at here is
4 might you have steam generator tube failures that
5 would allow that release to be made into the steam
6 generator rather than into the containment.

7 DR. RANSOM: Which would bypass the
8 containment, I guess, if you assume the main steam
9 line breaks.

10 MR. FLETCHER: Well, the concept of the
11 containment bypass is a word that I've heard just
12 fairly recently here, but what we've been talking
13 about before were steam generator tube rupture events
14 during severe accidents. The containment bypass
15 concept is that the fission products goes to the steam
16 generator rather than containment. That's the whole
17 intent of that.

18 If the fission products make it into the
19 secondary side in this particular accident, it's open
20 to atmosphere because the valve is stuck open on the
21 top of the steam generators. If you didn't have that
22 failure on the secondary side, it would still go into
23 the secondary, and then it would be relieved through
24 the safety valves at somewhere around 1,000 psi. In
25 both cases you have the potential for release to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 environment.

2 CO-CHAIRMAN WALLIS: But your release is
3 in the hottest tube, which is probably somewhere in
4 the middle of the tube bank at the bottom. It has got
5 to make it through all of this tube bank and the
6 spacers and everything in order to get to the outside
7 world. I would think the removal of aerosols in that
8 steam generator is going to be tremendous.

9 MR. FLETCHER: I guess I can't address the
10 fission product aspects of this.

11 MR. ROSENTHAUL: I discussed some earlier
12 work with Raj Sadal (phonetic) because I would have
13 thought you would have had huge DFs with all of that
14 surface area and an aerosol, and he thought that there
15 was some old EPRI experimental work which would lead
16 DF to ten, which is disappointing. I was thinking
17 100, 1,000. I mean, you know, a pool scrubbing is
18 10,000 or 1,000, and that's just because of the slip
19 beams (phonetic), and just the flow and how the
20 aerosol is prepared.

21 And that's why we're participating in the
22 ARTIST program, so that we'll get some real data and
23 we'll know, but I think that --

24 CO-CHAIRMAN WALLIS: What is unreal data,
25 by the way?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSENTHAUL: Excuse me?

2 CO-CHAIRMAN WALLIS: What is unreal data?

3 MR. ROSENTHAUL: Chris' data is, in my
4 mind, more suspect that from a physical experiment.
5 My bias is coming through here.

6 But in any case, you know, if you had to
7 guess on the outcome, I think you're thinking of that
8 DFs of ten to 100 as distinct from pooled DFs which
9 are like 1,000 or more. But that's still
10 considerable.

11 CO-CHAIRMAN FORD: Okay. Thank you very
12 much, indeed.

13 MR. FLETCHER: Thank you.

14 CO-CHAIRMAN FORD: Would you like to
15 introduce your next speaker, Joe?

16 MR. MUSCARA: Yes, t he next area is the
17 work on the primary system component failure in severe
18 accident conditions, and Saurin Majumdar from Argonne
19 will provide that presentation.

20 (Pause in proceedings.)

21 CO-CHAIRMAN FORD: Maybe you could tell
22 us. did we receive a report on these particular next
23 three items, 34(h)(1) through (3)? I don't have a
24 copy of it. Does Graham? In which case we can always
25 blame the manager at Argonne for noncompliance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MUSCARA: The report is still under
2 review.

3 CO-CHAIRMAN WALLIS: That's okay. We can
4 get draft reports, too. I was looking through my
5 notes. I don't think I have any notes on this
6 subject.

7 MR. MUSCARA: You do not have, but this
8 item, the first part of it, can be closed out. So a
9 report should be sent out with a closure letter soon.

10 Joel, what's the status of the report?

11 MR. PAGE: We just received the official
12 peer review comments from NRR, and we're going to be
13 resolving them soon.

14 CO-CHAIRMAN FORD: Good. Items one and
15 two have been completed. Item three, large scale
16 tests, that's not due to be done until '05; is that
17 right?

18 MR. PAGE: If we have large-scale tests.

19 CO-CHAIRMAN FORD: Yeah, that's one of the
20 questions.

21 MR. PAGE: If needed. Large-scale tests,
22 as you know, are very expensive.

23 MR. MUSCARA: They're not planned at this
24 point.

25 MR. MAJUMDAR: My name is Saurin Majumdar

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from Argonne National Laboratory.

2 As this is of use to you by now, this is
3 a collaborative study between RES staff and several
4 contractors. You already heard from RES and ISL. I'm
5 going to talk about the structure behavior of pressure
6 boundary and the high temperature and will be followed
7 by the PRA work.

8 We already know that we are looking at the
9 station blackout scenario with the secondary side
10 depressurized and the primary side still fully
11 pressurized, but that challenges the tubes to the
12 maximum degree.

13 Now in the NUREG 1570 study, the failure
14 of the pressurized surge line was predicted before the
15 steam generator tubes, as well as the previous speaker
16 mentioned, the RELAP studies from the new base case.

17 The structure models from the RCA
18 components were highly simplified. It was just like
19 a RELAP 5. They're only considering the internal
20 pressure loadings, and the other mechanical loading
21 and thermal loadings that are not considered in that
22 model, for example, the local geometry, structural
23 boundary condition, thermal stress, dead weight,
24 material variability, these sort of things we will be
25 considering under this study.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Now, material variability,
2 what do you mean by that?

3 MR. MAJUMDAR: That means we'll be doing
4 an uncertainty analysis of material variability of the
5 rupture strength on --

6 DR. WALLIS: Do you mean by it that there
7 are different materials in different places, different
8 alloys or do you mean within a certain alloy there are
9 different heats and you don't quite know how it
10 behaves?

11 MR. MAJUMDAR: For example, we have the
12 average rupture property for a given alloy.

13 DR. WALLIS: But is that good enough?

14 MR. MAJUMDAR: We might as well do
15 uncertainty on that to see what kind of variability
16 you're going to get and whether it's important or not.

17 The objective of the 2:00:44 annual
18 program is to improve prediction of the failure model
19 location, failure modes, and the times to failure of
20 reactor RCS components. This equally serves hot leg
21 piping, manways, PORVs and PSVs under severe accident
22 condition.

23 CO-CHAIRMAN WALLIS: So what's your
24 pipeline for people like the previous speaker where
25 he's predicting things and you're taking his results

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for temperatures and things.

2 MR. MAJUMDAR: Yeah, I'm not sure what I
3 wrote.

4 CO-CHAIRMAN WALLIS: Do you have to wait
5 until there's an approved report, or is there a
6 pipeline where you can send your stuff right away?

7 MR. MAJUMDAR: We've already gotten the
8 heat transfer coefficient from --

9 CO-CHAIRMAN WALLIS: So you have a
10 pipeline of direct transfer, not sort of send it up to
11 management and management goes on vacation and then
12 you wait.

13 MR. MAJUMDAR: No, no, no.

14 CO-CHAIRMAN WALLIS: No? Okay. Good.

15 MR. MUSCARA: That's part of the reason
16 for having this integration team that I work with, to
17 make sure that the information gets released at the
18 right time.

19 MR. MAJUMDAR: So basically we have two
20 phases in the program. During phase one of this
21 program, we did an engineering review, and we saw the
22 most likely components to fail would be the
23 pressurizer safety valves, bar operator relief valves,
24 PORVs, the manways, and the steam generator and the
25 hot leg and the surge line piping, including the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 intersections and the nozzles.

2 These components are identified as the
3 most likely to fail during a typical severe accident.

4 Now, analysis of the passive component,
5 like the hot leg or the surge line, is relatively
6 straightforward compared to the active components
7 which have moving parts, and the active component
8 failure is rather challenging. So we reviewed the
9 literature of failure history of valves, bolted
10 joints, and gaskets during phase one.

11 To help determine whether detailed
12 analysis of the active components was a realistic
13 objective or not, we held a workshop at Argonne with
14 participants from two valve manufacturers, one gasket
15 manufacturer, and NRC and EPRI and INEL personnel.

16 Now, the participants --

17 CO-CHAIRMAN WALLIS: Did you have foreign
18 representatives or other people are working on this
19 problem It's just --

20 MR. MAJUMDAR: We tried to get hold of
21 foreign participants, but this was just after 9/11 and
22 everything was canceled.

23 MR. PAGE: We have to delay the meeting
24 twice.

25 MR. MAJUMDAR: So we concluded that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 most likely scenario for the PORV, for example, to
2 fail would be galling, but to analyze galling we
3 needed tolerance in tightly fighting parts.
4 Participants felt that the valve manufacturers would
5 not very easily give out those detailed geometric
6 information, and even if he did the analysis and
7 predicted failure, the feeling was it would be very
8 difficult to predict that the PRA would fail in the
9 open position or shut position or half opened, half
10 closed or whatever it is. So it wouldn't be very
11 useful.

12 Participants were more optimistic about
13 analysis of bolted joints. So during our phase two,
14 our primary has been focus on analysis of passive
15 component failure. We obtained detailed mechanical
16 and structural drawings of the hot leg and the surge
17 line piping of the ZION nuclear station.

18 We did finite element analysis of the hot
19 leg and the surge line piping, including the nozzles
20 of Loop 4 which had the pressurize, and the analysis
21 was based on thermal hydraulic results provided by
22 ISEL and NRC Research.

23 We conducted a study of other RCS passive
24 components like the steam generator primary manway,
25 and here we were really looking for the loss of both

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 --

2 CO-CHAIRMAN WALLIS: On the hot leg, I
3 mean, in the hot leg you have counter current flow of
4 pretty hot steam and pretty cold steam. Is the heat
5 conduction in the metal from the cold top out to the
6 cold important?

7 MR. MAJUMDAR: Yeah, we took that into
8 account. Yeah, yeah, I'll show you some results.

9 CO-CHAIRMAN WALLIS: And what does that
10 do? Does that heat transfer -- that changed the
11 temperature of the streams. I don't know if Chris
12 Boyd has that temperature, that heat transfer in the
13 hot leg.

14 MR. MAJUMDAR: No, he didn't have that.

15 CO-CHAIRMAN WALLIS: The hot leg is like
16 a heat exchanger where the metal is sort of like a fin
17 or something. It eventually helps the --

18 MR. MAJUMDAR: Actually the RELAP 5
19 analysis shows a stepped up pressure change but on the
20 hot side.

21 CO-CHAIRMAN WALLIS: Not quite so simple.

22 MR. MAJUMDAR: No, but I'll show some
23 results from the --

24 CO-CHAIRMAN WALLIS: So is the metal
25 almost at the same temperature all around or is it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much hotter on the top than on the bottom?

2 MR. MAJUMDAR: No, it's much hotter on the
3 hot side of the --

4 CO-CHAIRMAN WALLIS: It is?

5 MR. MAJUMDAR: Yeah.

6 CO-CHAIRMAN WALLIS: Even though it's a
7 good conductor?

8 MR. MAJUMDAR: Stainless steel is not such
9 a good conductor, but it still --

10 CO-CHAIRMAN WALLIS: Well, then steam is
11 not a very good heater either. So --

12 MR. MAJUMDAR: Well, I'll show the
13 results. It does smooth out the distribution.

14 CO-CHAIRMAN WALLIS: Okay. Thank you.

15 MR. MAJUMDAR: Okay. So we looked at the
16 primary manway, and so we were primarily looking for
17 loss of bolt retention when the power cable lift up
18 and we were allowed to see --

19 CO-CHAIRMAN WALLIS: You have pretentious
20 bolts?

21 MR. MAJUMDAR: Retention bolts.

22 (Laughter.)

23 MR. MAJUMDAR: And allow the steam leakage
24 to occur so it would depressurize the system, and we
25 also cut the resistance to partially detect the RTD

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rails[unintelligible due to strong foreign accent
2 [UDTSFA)], the socket rail connection of an instrument
3 like to the RTD flange.

4 We also did some positive impact, NRC's
5 for the PORV. All the work I'm going to discuss were
6 reported in the NUREG CR-6792 and the current NUREG CR
7 which is under PRA review now.

8 CO-CHAIRMAN FORD: I've never heard of a
9 resistance temperature detector weld. Is this just a
10 bimetallic weld which is using a thermocouple or what?
11 I've never heard of it.

12 MR. SIEBER: The RTDs are in a well.

13 CO-CHAIRMAN FORD: Oh, I see.

14 MR. SIEBER: And the weld is welded into
15 the pipe.

16 CO-CHAIRMAN FORD: I understand.

17 MR. MAJUMDAR: There's a two inch hole
18 actually. The idea is that RTD could be expelled from
19 the hot leg and create a two inch diameter hole
20 through which the steam can escape and depressurize.

21 MR. PAGE: I don't think the drawing you
22 have would show what you're talking about, but that's
23 okay. It will be okay.

24 MR. MAJUMDAR: This is basically the
25 simplified diagram of the ZION plant, and we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basically looking at this hot leg of this new
2 pressurizer. This element included the pressurizer
3 nozzle. The model includes the pressurizer nozzle, the
4 surge line, the nozzle here, the hot leg, the reactor
5 vessel nozzle, the elbow, the steam generator nozzle.

6 Even though the steam generator was not
7 part of our study, we had to include that, the lower
8 head of the steam generator in order to apply the
9 structural bond reconditioning in a more convenient
10 way.

11 So we developed this final element model
12 for the whole system, and the hot leg and surge line
13 material, as I said, is 3/16 stainless steel. You've
14 got significant high temperature material properties
15 at the level for that material, even though there is
16 some lacking in the high temperature range.

17 The nozzle materials are either carbon or
18 low alloy steels, and these materials are generally
19 not used at high temperature. So we had trouble
20 getting mechanical properties at high temperature.

21 The high temperature weld, all the welds
22 in this piping are 308 stainless steel. Now, the
23 database is incomplete. By that I mean that the 308
24 generally has its mechanical properties superior to
25 the band material, but sometimes there are heat

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 affected zones that might have properties that are
2 inferior to the element itself.

3 We also completed sensitivity analysis and
4 certain analyses we are planning to do in the future.
5 To give you an idea, availability of the mechanical
6 properties data, 3/16 stainless steel exerts the
7 properties, tensile properties, and heat properties,
8 and this temperature here means that in the
9 temperature regime we have the mechanical properties
10 unavailable.

11 So while the stainless steel is pretty
12 well characterized, the hot leg material at the elbow
13 material is a forging material. It's not much data at
14 high temperature. We assume it is the same as
15 stainless steel.

16 The surge line to hot leg nozzle is a
17 forging material, again. Again, high temperature data
18 are kind of limited so we had to assume they're the
19 same as stainless steel

20 MR. MUSCARA: CF8M?

21 MR. MAJUMDAR: CF8M.

22 MR. MUSCARA: That's a casting steel.

23 MR. MAJUMDAR: Oh, that's a casting.

24 Okay.

25 CO-CHAIRMAN WALLIS: Well, I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand this. Oh, I guess you mean that the tensile
2 strength is evaluated over that range of temperatures.
3 The temperature strength isn't in degrees Centigrade.
4 Okay.

5 And the rupture time is something which is
6 also just a function of temperature?

7 MR. MAJUMDAR: Yeah, it's a function of
8 temperature and stress, and that's the temperature
9 range in which the data are available.

10 The weld middle, as you see, there's also
11 very limited data. The only exception was where data
12 was available was for the A508, Class 2, and this had
13 a very high heat, developed a very high temperature,
14 the reason being that this particular material was
15 tested in an NRC program that was geared toward
16 analyzing the lower head of the --

17 CO-CHAIRMAN WALLIS: The hot leg elbow is
18 different material from the hot leg?

19 MR. MAJUMDAR: Oh, yeah, it is.

20 PARTICIPANTS: Yeah.

21 CO-CHAIRMAN WALLIS: And there's a weld
22 there of some of sort of --

23 MR. MAJUMDAR: Yeah, there are welds
24 there, plus the elbows have got some more massive --

25 CO-CHAIRMAN WALLIS: You've got to look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for leaks in that area

2 MR. SIEBER: Is this a plant with
3 centrifugal cast stainless steel or forged?

4 MR. MAJUMDAR: Is that a casting or
5 forged, the CF8M?

6 PARTICIPANTS: Eight M is cast.

7 MR. SIEBER: Okay.

8 CO-CHAIRMAN FORD: Now, on the previous
9 graph, you said you did sensitivity studies. What
10 were the variables that you put into your sensitivity
11 studies?

12 MR. MAJUMDAR: I'll come to that later on.
13 I will talk about that.

14 CO-CHAIRMAN FORD: Okay.

15 MR. MAJUMDAR: Okay. The properties that
16 we really don't have are, for example, this nozzle,
17 the steam generator and the pressurizer nozzle. This
18 is a cast 216, absolutely no data developed from the
19 material.

20 CO-CHAIRMAN FORD: So in your analysis,
21 when there are no data available, what do you do?

22 MR. MAJUMDAR: Well, we assumed the same
23 as the A508, which was the last. This material for
24 this cast low alloy steel, there's a lot of property
25 available for that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: But there's no high
2 temperature --

3 MR. MAJUMDAR: No data available.

4 CO-CHAIRMAN FORD: -- stretch strength.

5 MR. MAJUMDAR: That's right.

6 MR. MUSCARA: So because there's no data,
7 we're assuming some data, and then conducting some
8 experimental work in the next phase.

9 CO-CHAIRMAN FORD: So this is just a
10 scoping study at the beginning.

11 MR. MUSCARA: We need to set up the
12 modeling and --

13 CO-CHAIRMAN FORD: I understand. Okay.

14 MR. MAJUMDAR: The other property we don't
15 have really that's very critical is the manway bolts,
16 that A193D7 bolts. We didn't find any heat properties
17 corrupted. That's the critical property that we're
18 going to develop in the next phase of the program.

19 CO-CHAIRMAN FORD: Okay.

20 MR. MAJUMDAR: Okay. Now, what I want to
21 say is that the way we did the thermal analysis first,
22 now, RELAP 5 gave us the heat transfer coefficient for
23 these five control volumes and these five control
24 volumes. As you know, RELAP 5 has the hot leg is
25 modeled next to independent pipes, but we had a single

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pipe. So from the top half we used the spare heat
2 transfer coefficient supplied by the RELAP 5 run
3 areas, and the lower for the colder half of the hot
4 leg. These are the heat transfer coefficients for
5 these five control volumes.

6 The only problem was that in the surge
7 line, the same thing in the surge line. You would
8 have ideally liked to have used the heat transfer
9 coefficient from the RELAP 5 run, but about this
10 program that we used for analyzing the stress and
11 temperature, can accept heat transfer coefficient only
12 as a function of temperature, not as a function of
13 time, and as I will show later on, the heat transfer
14 coefficient on the surface in flux and the interior
15 surface of this hot leg shows pipes because of the
16 fuel oil recycling, and those pipes could not be
17 ignored because if you ignore that, the temperature
18 analysis will give the wrong answer.

19 So basically you are talking about the old
20 baseline case. So we have to make sure that we don't
21 get confused here. The stuff that Don presented today
22 is the new baseline case. The stuff that I'm going to
23 talk about is based on this old baseline case
24 assumptions for the F5, and that is basically
25 encountered here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The main thing is that there's on
2 circumferential heat conduction or radiated heat
3 transfer in the hot leg, and the RCP seal leakage is
4 assumed to zero. So there's no significant increase
5 in same temperature.

6 MR. SIEBER: The number of tubes, that's
7 per steam generator, four times.

8 MR. MAJUMDAR: Yeah. Yeah, 3388 total
9 steam generator.

10 MR. SIEBER: For each one, yeah.

11 CO-CHAIRMAN WALLIS: So it's the old case.

12 MR. MAJUMDAR: The old case, yeah.

13 CO-CHAIRMAN WALLIS: You're going to put
14 in some better assumptions.

15 MR. MUSCARA: Yeah, that's planned.

16 MR. MAJUMDAR: Basically, as I said, he
17 wanted to put in the heat transfer coefficient in the
18 interior surface, but this will not accept heat
19 transfer coefficient as a function of time. So as a
20 function of time, we have plenty of heat flux and
21 interior surface in the hot leg as a function of time,
22 and there are these spikes that are caused by the
23 surge line we showed you.

24 The spikes are caused by the PORV cycling,
25 and they could not be ignored. If you ignore them,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then the temperature distribution became not reliable.

2 Initially the first table is that we need
3 a structural thermal conduction analysis based upon
4 ABAQUS file model, and then use these temperature in
5 the distribution and stress analysis in the second
6 state.

7 Here I'm showing the inner surface
8 temperature in degrees Kelvin at this time, 1,440
9 seconds, and as you can see, the hot leg outside; this
10 is the upper half. The upper half is pretty hot, 1280
11 K. The lower half is showed by the blue here. The
12 blue here are pretty cold as you would expect because
13 the hot flow in the top and the cold flow in the
14 bottom.

15 And the surge line is hot uniformly all
16 around. So all of these temperatures are computed by
17 ABAQUS.

18 CO-CHAIRMAN FORD: On the table you have
19 there, can you just -- the red is what?

20 MR. MAJUMDAR: The red is 1,263 degrees
21 Kelvin.

22 CO-CHAIRMAN FORD: So it's in degrees
23 Kelvin.

24 MR. MAJUMDAR: Kelvin, yeah, degrees
25 Kelvin. Sometimes I use Kelvin, sometimes Centigrade,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sometimes Fahrenheit in one case.

2 MR. SIEBER: Thanks.

3 (Laughter.)

4 CO-CHAIRMAN FORD: It was 1,000 degrees C.

5 MR. MAJUMDAR: At that time, 14,000.

6 CO-CHAIRMAN FORD: One thousand degrees C.

7 MR. MAJUMDAR: Yeah.

8 MR. SIEBER: Just one.

9 CO-CHAIRMAN WALLIS: That's why it's shown
10 red.

11 MR. MAJUMDAR: Okay. This is the
12 temperature variation in the hot leg. The top and
13 outer surface, the top inner surface and bottom outer
14 and bottom inner surface.

15 The thing I wanted to point out is that
16 this 4,000 seconds will actually have to add 10,000
17 because the plus 10,000 seconds, nothing happens in
18 it. So we really started analyzing for after 10,000
19 seconds.

20 At around 14,000 seconds or a little
21 before that, the temperature drives. There's a big
22 increase in the gradient from about six degrees per
23 minute to 24 degrees per minute.

24 CO-CHAIRMAN WALLIS: You don't have any
25 conduction between the two?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: I have.

2 CO-CHAIRMAN WALLIS: You do now?

3 MR. MAJUMDAR: Yeah.

4 CO-CHAIRMAN WALLIS: But you didn't
5 before, but the old case had no conduction the wall.

6 MR. MAJUMDAR: In RELAP 5 there's no
7 conduction in the wall, but this is about the heat.
8 Yet the heat in RELAP 5 could transfer and
9 analyzing/reanalyzing the thermal conduction
10 following.

11 CO-CHAIRMAN FORD: I must have missed
12 something in previous presentations. I never saw
13 steam temperatures on the order of 1,000 degrees C.,
14 did I?

15 CO-CHAIRMAN WALLIS: This is a reactor.
16 This is a reactor. It isn't cool.

17 MR. SIEBER: You don't take any heat away
18 and just keep putting it in when you get up to --

19 CO-CHAIRMAN FORD: Fine, okay.

20 MR. MAJUMDAR: Most other figures [UDTSFA]
21 all around this point.

22 CO-CHAIRMAN WALLIS: Well, the burning of
23 zirconium is, after a while, really heating it up.

24 DR. KRESS: Yeah, zirconium is burning
25 when it takes off in a vertical.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: Yeah, this is where
2 zirconium starts oxidizing.

3 CO-CHAIRMAN FORD: Okay.

4 MR. MAJUMDAR: Anyway, three is about
5 inner surface temperatures over 50 to 150 degrees C.
6 hotter than the outer surface, and the upper half is
7 about 100 to 500 degrees hotter than the lower half.
8 At this point the RAB increases from over six degrees
9 per minute to 24 degrees per minute.

10 And this is the circumferential
11 temperature variation in the hot leg, the outer
12 surface and the inner surface. So the RELAP 5 numbers
13 were kind of a [UDTSFA] function that has been rounded
14 out by the ABAQUS circumferential conduction.

15 You see, because the large maximum
16 temperature of the reactor vessel nozzle lags that in
17 the hot leg about 450 degrees Centigrade. The nozzle
18 really doesn't get hot in the RV end.

19 The thermal conduction makes the
20 circumferential variation much smoother than
21 calculated by RELAP 5, but on the hot leg max
22 temperature is 1,200 degrees C. Inland temperature is
23 830 C. You see at this time again, 18,400 seconds.

24 The RELAP 5 calculated hot to on site
25 temperature drop is about 450 degrees C. It's about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here, what, 375 degrees now instead of 450.

2 And now after the terminal analysis, we
3 come to the structural analysis part, and here we put
4 all of the boundary conditions on the surge line. The
5 surge line has a number of supports to carry the load,
6 just the weight of the surge line. The hot leg is not
7 supported. It's supported only by the reactor and by
8 the [UDTSFA] cell. There are no supporting besides
9 the hot leg itself.

10 Also the steam generator that sits on
11 these four supports that are in the bottom, they are
12 gim bolts so they can rotate around these points.

13 Basically the point I want to say, bring
14 out here is that we model all the structure boundary
15 conditions that are applied on the --

16 CO-CHAIRMAN WALLIS: These supports are
17 assumed to be rigid? They don't pull out?

18 MR. MAJUMDAR: No, they're not rigid. It
19 has been constantly --

20 CO-CHAIRMAN WALLIS: They can pull out?
21 They can break?

22 MR. MAJUMDAR: No.

23 MR. PAGE: No, they do not break.

24 MR. MAJUMDAR: But there is three
25 constants, as I said.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAGE: And also the one on the
2 opposite side of the steam generator is very important
3 because that's a steam generator stop, and so
4 basically as it grows under normal conditions, it
5 basically goes up against the stop. So any further
6 growth due to thermal is going to just be pressing
7 these things together.

8 MR. MAJUMDAR: Yes, I'll come to that.

9 This is the typical deformation of the hot
10 leg surge line.

11 CO-CHAIRMAN WALLIS: Is that exaggerated
12 or is that --

13 MR. MAJUMDAR: It is very highly. This is
14 highly exaggerated, but the green shade is the
15 deformed shape at room temperature, and the unshaded
16 area is the deformed after temperature.

17 I think you will notice that the surge
18 line deforms quite a bit, and the other thing is that
19 the independent supports, this support moves from
20 there to there. So basically the steam generator can
21 move as a rigid body, heat up from the room
22 temperature to this normal operation at a full power,
23 but as Joel was just saying, what they do is they then
24 put shims against the bumpers so that the steam
25 generator is not about to move any further away from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the reactor.

2 And as I said before, I modeled all of the
3 supports, but not directly.

4 CO-CHAIRMAN FORD: Now, educate me in
5 terms of the qualification of these deformation codes
6 as they apply to these sort of temperatures. I'm
7 showing my ignorance here because I just don't know
8 the answer.

9 Have these deformation codes been
10 qualified at these sort of temperatures?

11 MR. MAJUMDAR: You mean the ABAQUS code?

12 CO-CHAIRMAN FORD: Yeah. ABAQUS code is
13 an old code.

14 MR. MAJUMDAR: Yeah, they've done all
15 kinds of creep analysis and validation. They've done
16 validation on simple models. Plus a complex thing
17 like that, there's no way of validating the results.
18 You take it on trust.

19 CO-CHAIRMAN FORD: That's what worries me.
20 ABAQUS code I seem to remember as being gas turbines,
21 and has it been well qualified under those operating
22 conditions?

23 I've got a natural reserve about anybody
24 using a code way beyond the conditions under which it
25 has been qualified against observations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: It's not in the code. What
2 is the uncertainties are material properties.

3 MR. SIEBER: This is first principles.

4 MR. MAJUMDAR: Yeah, this ABAQUS code,
5 they have validated the results with known analytical
6 results. They can validate it that way, but for a
7 complex thing like this, how do you validate on --

8 CO-CHAIRMAN WALLIS: Your ABAQUS is an IRC
9 code. It's a universal code used all over the place
10 with all kinds of purposes.

11 MR. MAJUMDAR: Yeah, yeah, yeah. It's a
12 pretty well known code, especially for non-linear
13 analysis.

14 CO-CHAIRMAN FORD: I guess I'm being a
15 devil's advocate or being an old Jenny, but I hate to
16 be in a situation in some time in the future if we had
17 a severe accident and something unexpected occurred,
18 and here we are sitting down in front of a public
19 review and someone says, "You never asked the question
20 as to whether this was qualified for these
21 conditions."

22 I mean, I'd hate to be in that situation,
23 and that's why I'm asking the question, and I'm
24 hearing all of the experts in the room here say,
25 "Don't worry, Peter. This is being qualified." No

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions asked.

2 MR. SIEBER: No, first principles.

3 CO-CHAIRMAN FORD: I've heard first
4 principles, Jack, coming out of my ears and then
5 something unusual happens like an O ring was quite all
6 right to use on this particular shuttle and something
7 happened.

8 MR. MAJUMDAR: But the final limit was not
9 the problem. It was the people who --

10 CO-CHAIRMAN WALLIS: Well, I think if
11 Jack, the guy with all of the experience in the room,
12 has to use this sort of academic argument that it's
13 all from first principle, you ought to believe him.
14 I mean, he's --

15 (Laughter.)

16 MR. MUSCARA: I understand, but IMAGINE
17 has been used in situations like this, and whether
18 they have validated the results or not --

19 CO-CHAIRMAN FORD: Now we're taking this
20 well --

21 MR. MAJUMDAR: I'll say more. I've seen
22 some experimental work by the Japanese who actually
23 take pipes and heat it up under temperature and then
24 measure the deformation and predict using ABAQUS.

25 CO-CHAIRMAN FORD: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: Not failure, but the
2 deformation.

3 MR. MUSCARA: Bill, do you know about the
4 IPIRG? It may have been used there also when you had
5 some large structures that were heated up and tested.

6 CO-CHAIRMAN WALLIS: Well, the sort of
7 question you might have would be what --

8 MR. SHACK: As Saurin says, I mean, ABAQUS
9 is the standard finite element structural code for
10 nonlinear situations. It has been benchmarked against
11 all sorts of analytical solutions. So I think as
12 Saurin said, I mean, it solves the equations
13 correctly.

14 Now, whether the model we're using
15 describes the physics correctly is a different
16 questions, but, you know, to the extent that you want
17 to solve a creep rupture problem, ABAQUS solves the
18 creep rupture problem correctly and has been through
19 many, many rounds of QA, and is highly qualified
20 against benchmarks.

21 So to that extent I think you would feel
22 very comfortable using ABAQUS.

23 MR. SIEBER: There are some opportunities
24 for deviation between what you calculate.

25 MR. MAJUMDAR: Oh, yeah.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Because you don't really know
2 how rigid the supports are for --

3 MR. MAJUMDAR: There is some uncertainty
4 in that, yeah, yeah.

5 MR. SIEBER: And material properties have
6 some variability as to what the handbook value is.

7 MR. MAJUMDAR: Sure, sure. There's all
8 kind of heat to heat variation, welds.

9 CO-CHAIRMAN FORD: So all of these
10 uncertainties, physical uncertainties can be addressed
11 by this fundamental code.

12 MR. MAJUMDAR: You have to model it
13 correctly.

14 MR. PAGE: We're trying to improve
15 dramatically what was previously done in previous
16 work, and we think this does do that.

17 Perfect? I don't know that we'll ever
18 achieve perfect.

19 MR. SIEBER: That's why you can't get
20 perfect.

21 MR. MAJUMDAR: If you put garbage in,
22 garbage out, but do it perfectly.

23 CO-CHAIRMAN FORD: Sure.

24 MR. PAGE: But I think these models, we
25 really sat through a couple of sessions of intensive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assumptions on where we put the supports, what's
2 allowed to move, what's not allowed to move, and so we
3 looked in great detail at the actual down to the
4 inch --

5 MR. SIEBER: Well, the fact is there is no
6 such thing as a rigid support.

7 MR. MAJUMDAR: Yeah, but we are also
8 supposed not really though.

9 MR. PAGE: No, no, but you can be rigid
10 with respect to something else if this is --

11 MR. SIEBER: Well, that's why you put in
12 the model and then you get an answer that approximates
13 what really happened.

14 MR. MAJUMDAR: And that's the best we can
15 do. What else are we, other than doing a test, full
16 scale test, whatever, are we going to do?

17 MR. PAGE: Yeah, we assumed that the
18 reactor vessel was not going to move. That nozzle was
19 going to stay in place. We assumed that the
20 pressurizer nozzle was not going to move. We went
21 through and we had a group. We had like six or seven
22 people sitting in a room at Oregon that were people
23 very familiar with designs, and we sat down and
24 decided what was this thing going to be like, what
25 were going to be the assumptions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And actually all of us agreed at the end
2 that those would be good assumptions for this model.
3 Now, we're relying that this is probably as good a
4 code as you're going to get at this point to do this
5 analysis.

6 MR. SIEBER: You know, they actually do
7 test these things. Part of the testing sequence for
8 starting up the plant is when you heat it up, you
9 measure where everything moves to.

10 MR. PAGE: Well, actually that's where
11 they do the adjustments on the --

12 MR. MAJUMDAR: That's a simple
13 calculation. There's no stress. The things move
14 unconstrained. That is proved.

15 CO-CHAIRMAN FORD: Okay, but, Jack, what
16 you jut said is a very useful statement. Actually
17 when they start out, they measure deformation of those
18 pipes, et cetera.

19 MR. SIEBER: Yeah, through that limited
20 temperature range. Now you're talking about --

21 MR. MAJUMDAR: Now the question is --

22 MR. SIEBER: -- temperature changes here.

23 MR. PAGE: When they do the measurements
24 you're talking about they go like in the earlier
25 picture a couple of slides back. You'll see some of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those seismic supports that aren't really in contact
2 with the pipe, but they go through, and the shims on
3 the end on the stop, they make sure all of those at
4 temperature are in the correct locations.

5 MR. SIEBER: The plant grows. It gets
6 bigger. It gets hotter and it get wider.

7 CO-CHAIRMAN WALLIS: That's what this
8 means? NL means normal operation here?

9 MR. MAJUMDAR: Yeah, it means normal
10 operation, yeah.

11 DR. KRESS: RT means rupture time?

12 MR. MAJUMDAR: Where? No, room
13 temperature.

14 DR. KRESS: Room temperature.

15 MR. MAJUMDAR: There's no rupture here.

16 DR. KRESS: So these things would be room
17 temperature?

18 MR. MAJUMDAR: It does heating it up
19 uniformly.

20 DR. KRESS: All right. At what point are
21 you heating this thing up to?

22 MR. MAJUMDAR: Up to normal operation

23 MR. PAGE: This is just a benchmark. This
24 is just a starting.

25 DR. KRESS: Normal operation temperatures.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's no creep involved in this. This is just
2 thermal expansion.

3 MR. MAJUMDAR: This is thermal expansion
4 plus the mismatched threads.

5 DR. KRESS: Now I've got you.

6 CO-CHAIRMAN WALLIS: And there are
7 measurements in this.

8 MR. MAJUMDAR: -- not be constrained from
9 the supports, I believe. The supports are allowed to
10 move out.

11 MR. SHACK: He doesn't want to introduce
12 an artificial constraint by locking the steam
13 generator.

14 MR. MAJUMDAR: Too early.

15 MR. SHACK: It's too early. So he has to
16 have the realistic thermal expansion up to a certain
17 point, and then he's going to lock it, and it goes
18 into his creep analysis.

19 DR. KRESS: I understand.

20 MR. MAJUMDAR: The question is if this
21 type of deformation, once you go beyond normal
22 operation and severe accident remains, then you're
23 going to see more of these deformations, and consent
24 to that type of deformation will cause stress, and
25 these kinds of stress are not included in RELAP 5.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So this, for example, reduce first in the
2 elastic stress. Suppose we said no plasticity or
3 creep, and we did a simple elastic stress at normal
4 operation again, and I'm plotting here the stresses,
5 and as you can see, those stresses here are very low.
6 Blue, blue is pretty low here.

7 CO-CHAIRMAN WALLIS: What are those units
8 on those stresses there?

9 MR. MAJUMDAR: These are megapascal.

10 CO-CHAIRMAN WALLIS: Three hundred?

11 MR. MAJUMDAR: Yeah, megapascal, yeah.

12 CO-CHAIRMAN WALLIS: Three hundred?
13 That's all?

14 MR. MAJUMDAR: Yeah, that's pretty high.

15 CO-CHAIRMAN WALLIS: It's above the yield
16 strength?

17 MR. MAJUMDAR: You yield 172 megapascals.
18 So look at the [UDTSFA] located on the junction here,
19 and that's primarily because we are modeling the
20 structure by sheer elements.

21 CO-CHAIRMAN WALLIS: Does this happen in
22 normal operation? You reach that and it actually
23 yields at that junction?

24 MR. MAJUMDAR: It's very local. It's not
25 general throughout the structure. Very locally, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's because secondary stress, but a little
2 deformation will take care of that.

3 CO-CHAIRMAN WALLIS: So as you heat up and
4 cool down, that thing wiggles and yields.

5 MR. MAJUMDAR: Yeah, but basically the
6 whole structure is at at pretty low stress.

7 CO-CHAIRMAN FORD: You've got a small pipe
8 or relatively small pipe going into a large hot leg
9 where there's a large stress concentration. Under
10 normal operations, do you get cracking there, fatigue
11 cracking?

12 MR. SIEBER: It's a thermal sleeve.

13 MR. MAJUMDAR: A thermal sleeve in there,
14 yeah. There's thermal sleeve in there.

15 CO-CHAIRMAN FORD: I wasn't thinking of
16 thermal stresses, Jack. I was thinking of just --

17 MR. MAJUMDAR: This is a difficult stress
18 concentration area, but I don't think there has ever
19 been a case of cracking there.

20 MR. SIEBER: I don't remember any.

21 MR. SHACK: Again, that would be analyzed
22 as part of the stress analysis for the piping. You
23 would, you know, do the thermal stress calculation in
24 a fatigue life, you know. So I'm sure there's a CUF
25 for that joint

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: My follow-up one
2 question, Bill, was that I asked for what parameters
3 went into the uncertainty analysis during severe
4 accident. So what would happen if you had even a CUF
5 of half and there's a considerable crack in that pipe
6 that wasn't protected?

7 MR. SHACK: No, no, no. CUF means there's
8 no crack at all. You haven't initiated a crack yet.
9 You design against initiation in the ASME code. It's
10 not a flaw tolerant design. It's a no crack
11 initiation design.

12 CO-CHAIRMAN FORD: Certain gaps are
13 defined as initiation.

14 MR. SHACK: No, no, no, no. In this case
15 you're avoiding all initiation as in smooth surface.

16 MR. MAJUMDAR: No cracks are --

17 MR. SHACK: No cracks allowed.

18 MR. MAJUMDAR: Cracks are not observed.

19 CO-CHAIRMAN FORD: Okay. We'll discuss
20 that later. You've got to do it for the ASME code as
21 initiate, as we understand it, but if you had a crack
22 at that point where you might expect there to be a
23 crack during normal operation for start-up and
24 shutdown, that presence of that preexisting crack
25 input into your severe accident analysis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: No, right now we did not
2 include that, any crack at all. We assume everything
3 is free of cracks.

4 MR. PAGE: I think when we looked into the
5 crack situation, the flaws, flaws are quite a big
6 thing obviously with tubes because tubes are extremely
7 -- these are very large, massive, robust structures.

8 DR. KRESS: Keep in mind, Peter, if that
9 thing fails, that's a good thing.

10 (Laughter.)

11 MR. PAGE: Yeah.

12 DR. KRESS: So if they want to be
13 conservative --

14 MR. PAGE: You have to be backwards of
15 your normal approach. You have to say it's almost
16 pristine. It's almost pristine.

17 MR. MAJUMDAR: It's under normal thinking
18 you want stuff to fail as late as possible. Now
19 you're trying to make the thing fail as early as
20 possible.

21 MR. SHACK: So what you have to do is make
22 sure we analyze every assumption to make sure we don't
23 build a conservatism in because we're going to make
24 this thing fail prematurely. So your whole thinking
25 gets reversed. We're looking at every possible

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conservatism we've introduced in trying to remove it
2 because we don't want to induce an early failure.

3 Early failure is good.

4 MR. MUSCARA: When we started out, the
5 presence of flaws was one consideration. Eventually
6 you may include flaws that you might expect from
7 fabrication. From service induced, I think we've
8 decided that these components would not experience
9 very much in the way of service induced flaws.

10 So if you're looking at fabrication flaws,
11 they probably don't have much of an effect.

12 MR. SIEBER: Well, the temperature
13 differential from one end of that line to the other is
14 about 100 degrees.

15 MR. PAGE: No, it's not very much.

16 MR. SIEBER: And there's flow through it
17 all the time. So there's a gradient.

18 MR. MAJUMDAR: Now, here you're employing
19 the effective elastic stress after the severe
20 accident has started at 14,400 seconds. So the pipes
21 have really moved, and the stresses are very high,
22 and now the highest stress on this, on this point is
23 more than 1,000 megapascal. So they're way beyond the
24 yield, and therefore --

25 CO-CHAIRMAN WALLIS: Yeah, that's right,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and how can you get there?

2 MR. MAJUMDAR: Well, the conclusion is
3 that plasticity will play a significant role. So you
4 cannot get away with elastic analysis.

5 So to do elastic-plastic analysis, we need
6 to yield the ultimate properties like that, and this
7 is a typical 316 stainless steel yield here and
8 ultimate strength there that are not available beyond
9 1089 K.; 1,500 would be the best.

10 Since there's none of that high
11 temperature in the ultimate approach, so the [UDTSFA]
12 information drops very rapidly, and for 304 stainless
13 steel, it drops to within one and five percent at
14 greater than 1,200 K. As you see, the [UDTSFA] in
15 form elongation really drops to almost two percent or
16 one percent, although the [UDTSFA] product elongation
17 stays very high.

18 This is the key [UDTSFA]. Now, we express
19 [UDTSFA] the function of the power loss to the stress,
20 stress mostly to the power n , and again, the data were
21 available up from 866 to 1089 degrees Kelvin here, and
22 beyond that we didn't have data. So we used this
23 explication to extrapolate the A beyond 1089, and M as
24 shown here.

25 Now, we are plotting the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: That's great
2 precision with which you know log A, isn't it?

3 CO-CHAIRMAN FORD: And you've got no
4 concern -- this is a rhetorical question -- you've got
5 no concern about changes in the creep mechanism by
6 going that extra amount? There's not much in
7 extrapolation.

8 Do you have concerns about changes in the
9 creep?

10 MR. MAJUMDAR: Creep mechanism?

11 CO-CHAIRMAN FORD: Creep mechanism.

12 MR. MAJUMDAR: But we actually believe
13 that severe accident is such a short event that long-
14 term creep mechanism that are equated on cavitation
15 and stuff like that are not really applicable here.
16 They're over in a couple of hours. So these are more
17 or less, I guess, slow tensile rupture. What they
18 call creep rupture here is really a very slow strain
19 of creep rupture.

20 You're not talking about cavitation and
21 long-term creep rupture there.

22 CO-CHAIRMAN WALLIS: It's interesting to
23 see a factor of E to the minus 31 in anything other
24 than a PRA.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHACK: We can change that with units.

2 MR. MAJUMDAR: So the elastic stress
3 distribution, now that stress, maximum stress, is to
4 be 1,000 megapascals, now is down to 253 because we
5 have produced plasticity and creep. Here we see
6 elastic stresses, and if you look at the bottom half,
7 the bottom half is colder and higher stress than the
8 top half, which is hotter as you would expect where
9 the end stress goes down with the temperature.

10 CO-CHAIRMAN FORD: I'm sorry. Just going
11 back to your previous graph 21, boy, those stress
12 components are really high, aren't they? So you had
13 better know what your stresses are.

14 MR. MAJUMDAR: Creep is not used for that,
15 but stress has to be really accurate.

16 CO-CHAIRMAN FORD: And so that would be
17 fed into your uncertainty analysis, which would be fed
18 to the --

19 MR. MAJUMDAR: Well, we varied the creep
20 rate by a factor of two, I think, and then seen the
21 effect.

22 CO-CHAIRMAN WALLIS: Is that normal?

23 MR. MAJUMDAR: Under the creep rupture
24 that we collected from the literature, this is what
25 316 stainless steel and we've treated it with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Larson-Miller parameter that Don was talking about
2 earlier. You've got a Larson-Miller parameter as
3 defined here, and the fit is pretty good actually, and
4 with the C, the constant is equal to 14 to get the
5 best fit together.

6 But the only caveat is that if the creep
7 damage was considered only if the in plan principal
8 stress is tensile. If the stresses are compressive,
9 you don't considered creep damage to be active.

10 CO-CHAIRMAN FORD: Now, I seem to remember
11 that the creep equations are also dependent on the
12 environment. I'm just talking now from gas turbine
13 technology, as well as the applied strain weight. Do
14 you take into account those changes?

15 MR. MAJUMDAR: With this stress, this test
16 has applied stress, applied load, hanging load so that
17 there's a constant load.

18 CO-CHAIRMAN FORD: Right.

19 MR. MAJUMDAR: So there's two stress
20 changes to the test, but --

21 CO-CHAIRMAN FORD: Now, you're changing
22 the temperature?

23 MR. MAJUMDAR: No, this is not. This is
24 a constant isothermal temperature.

25 CO-CHAIRMAN FORD: but if you change the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature.

2 MR. MAJUMDAR: Yeah.

3 CO-CHAIRMAN FORD: You also will obviously
4 change the creep. It is not necessarily by that
5 formulation, is it, by changing --

6 MR. MAJUMDAR: Well, this is what --
7 that's a good point. We actually ran it several years
8 back. We had a severe accident test done on steam
9 generator tubes with constant internal pressure and at
10 temperature ramp, and then we used this linear time
11 fraction damage to predict rupture of that similar
12 tube. Using this loss similar parameter for Alloy 600
13 tubes going up to 16, and we were able to predict the
14 failure rupture of those tubes quite successfully.
15 That was a condition of constant stress with the
16 ramping temperature.

17 CO-CHAIRMAN FORD: So you have done
18 separate studies of the effects of known isothermal
19 creep conditions.

20 MR. MAJUMDAR: That's right. Alloy 600
21 tubes.

22 MR. SHACK: An, again, that might not be
23 true if we had a true creep case, you know, of a real
24 design situation where you're talking about thousands
25 and thousands of hours, but again, we're talking about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 situations in which the time of interest is an hour at
2 most sort of thing, that, you know, you're really in
3 the creep regime.

4 Once this thing starts heating up and you
5 start creeping, the temperature is ramping up and
6 everything is going very rapidly.

7 CO-CHAIRMAN FORD: Well, I think that
8 stuff that Soji (phonetic) does and other people have
9 done, you take these exhaustion theories of creep, and
10 now you start to change things in terms of it's non-
11 isothermal or it is changing stress conditions, and
12 you just cannot add --

13 MR. MAJUMDAR: Well, there's a big debate,
14 I mean, if time fraction is good or what, and that's
15 a different argument, but we have used the linear time
16 fraction rule for Alloy 600 tubes under a constant
17 hoop stress with a rising temperature and predicted
18 the rupture of both flawed and non-flawed tubes quite
19 successfully.

20 CO-CHAIRMAN FORD: Okay. So prototypical
21 conditions have been used.

22 MR. MAJUMDAR: Then we're talking about
23 pipes, big pipes here.

24 CO-CHAIRMAN FORD: Yeah.

25 MR. MAJUMDAR: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Something failed in
2 the quality control of pioneering science and
3 technology on your vertical axis there. You've got
4 two ones and two twos and two threes. There's no way
5 that can be.

6 MR. MAJUMDAR: That's really 2.5, 3.5.

7 Okay. Now we covered our life prediction,
8 creep rupture, failure prediction. Creep failure of
9 exhaustion of material creep ductility, all by the
10 accumulation of creep damage. Either way, we develop
11 these historically either the exhaustion of ductility
12 or damages [UDTSFA].

13 Failure by exhaustion of creep [UDTSFA] is
14 when the affected heat strain is in some critical
15 value which we call the creep ductility. While the
16 time to failure is insensitive to the actual value of
17 the creep ductility, I'm not sure why, because the
18 [UDTSFA] it doesn't matter whether creep [UDTSFA] is
19 20 percent of [UDTSFA]. Time to rupture is [UDTSFA].

20 The [UDTSFA] damage rule is linear time
21 fraction damage [UDTSFA]. This is what is used in the
22 A-74 in the Subsection [UDTSFA]. What we are finding
23 is time to failure predicted by either method, either
24 by the [UDTSFA] exhaustion or the damage rule is a
25 pretty similar feature. There's not much difference,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 20 to 25 percent [UDTSFA] and damage [UDTSFA]
2 prediction.

3 So in our analysis we really attempt to
4 predict [UDTSFA] satisfied in the average member and
5 stress that must be tensile for a significant portion
6 of the structure, and if there is compression, then we
7 don't consider it as a creep failure. Thus, it would
8 be tensile, and the whole thickness of the -- so there
9 cannot be one point that is the damage which is one,
10 and we don't consider that the failure unless the
11 whole section reaches a value of one.

12 Now, the question in the piping analysis,
13 the driving force was stress, is expansion of the pipe
14 due to temperature rise that creates the stress, but
15 as your temperature rises, it tends to relax all of
16 the stress. So there are two competing mechanisms.
17 One is driving the stress up. The other is driving to
18 try to relax the stress.

19 Now, if the creep deformation is not fast
20 enough to relax the stress, then failure can curb a
21 tensile rupture. That means there could be tensile
22 [UDTSFA].

23 At high temperature stainless steel
24 [UDTSFA]. As I said earlier, two percent beyond which
25 [UDTSFA] localization occur. So what we said that if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 true thickness average temperature tensile plus the
2 strain issues a value of two percent or more before
3 creep damage is just a value of one, then the section
4 is considered to have failed by tensile rupture.

5 So the failure can have either tensile
6 rupture or [UDTSFA] rupture depending on which one is
7 involved.

8 Here plotting the tensile and creep damage
9 accumulation of the [UDTSFA] bid surface at this time
10 [UDTSFA] to 580. If you're wondering what's magical
11 about this number, this is the number at which the
12 ABAQUS prints out the output. So that's where it
13 started. There's nothing magical about this time
14 here.

15 CO-CHAIRMAN FORD: I'm sorry. I didn't
16 hear you. What was magical about 14?

17 MR. MAJUMDAR: There's nothing magical
18 about --

19 CO-CHAIRMAN FORD: Nothing.

20 MR. MAJUMDAR: -- this time here. It's
21 just that point ABAQUS printed out the data.

22 Now, the effective plastic strain I'm
23 plotting on this side and on the mid-surface, as you
24 can see, the very high plastic strain right near the
25 reactor nozzle, not in the nozzle itself, but in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hot leg next to the nozzle, the nozzle stays very
2 cold. So there's not really much deformation at this
3 stage.

4 And this maximum of four percent here, and
5 in the surge line, the maximum key damage occurs near
6 the bend, 17 percent damage [UDTSFA], but the inside
7 damage is highest in the hot leg near the reactor
8 vessel nozzle here. The key damage [UDTSFA] surge
9 line bend area.

10 [UDTSFA]in elastic strain accumulation,
11 that means -- by that I mean both plastic and creep
12 strain accumulation. In the stop [UDTSFA] circle
13 here, that's the [UDTSFA] creep in the hot leg. And
14 the hot leg is an expansion of time. This is, again,
15 [UDTSFA]. So that's 14,000. That's 14,200, and so
16 on.

17 This is the variation of the [UDTSFA]
18 plastic strain maximum [UDTSFA] plastic strain hot
19 leg, around 14,400 it starts going up, and two percent
20 is reached around 14,500. So the two percent tensile
21 membrane stress is accumulated in hot leg after 14,500
22 seconds.

23 At that point the creep strain is pretty
24 low. It's not yet --

25 CO-CHAIRMAN WALLIS: How does this 14.5

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 appear on this graph?

2 MR. MAJUMDAR: It is [UDTSFA] five.

3 CO-CHAIRMAN WALLIS: You mean there's a
4 one in front of those fours?

5 MR. MAJUMDAR: Pardon?

6 CO-CHAIRMAN WALLIS: There's a one in
7 front of all of those fours?

8 MR. MAJUMDAR: Yeah, this 4,000 here.

9 CO-CHAIRMAN WALLIS: It should be 14,000?

10 MR. MAJUMDAR: Fourteen. They add 10,000.

11 CO-CHAIRMAN WALLIS: This is another one
12 of those quality control things.

13 MR. MUSCARA: No, no. He started the
14 analysis at 10,000 seconds.

15 MR. MAJUMDAR: At 10,000.

16 CO-CHAIRMAN WALLIS: Well, but you've got
17 to be consistent with your two.

18 MR. MAJUMDAR: Yeah. So the hot leg fails
19 at -- is predicted to fail at 14,500 degrees at 500
20 seconds. At that same point, the hot leg creep
21 damage, if you notice, that it is pretty small, pretty
22 low.

23 CO-CHAIRMAN WALLIS: It goes so rapidly
24 that moving things around doesn't really change it
25 very much.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: That's right. It starts to
2 pick up really rapidly here.

3 If you look at the surge line, the surge
4 line, plastic strain, that's the blue line here. That
5 was just two percent here, around 14,550. It's only
6 50 seconds later the surge line is predicted to fail
7 at the end area.

8 CO-CHAIRMAN FORD: So just to make sure I
9 understand, at 14,000 seconds, the temperature has not
10 increased that much at least as far as the exponential
11 creep.

12 MR. MAJUMDAR: That's right. At 14,000
13 there is a break in the temperature ramp. Remember I
14 showed you the ramp, slow, eight degrees per minute to
15 24 degrees per minute.

16 CO-CHAIRMAN FORD: Okay.

17 MR. MAJUMDAR: Six degrees per minute to
18 24 degrees per minute. So this is where the
19 temperature really starts taking off.

20 CO-CHAIRMAN FORD: Okay.

21 MR. MAJUMDAR: And that's where the creep
22 starts [UDTSFA] actually moving and plastic starts
23 actually moving at that point.

24 CO-CHAIRMAN WALLIS: So this is where the
25 temperature starts taking off everywhere.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: Yes.

2 CO-CHAIRMAN WALLIS: So this is sort of a
3 race between this is how long it takes to creep and
4 how long it takes to --

5 MR. MAJUMDAR: That's right. It's a race.

6 CO-CHAIRMAN WALLIS: -- something else at
7 the steam generator.

8 MR. MAJUMDAR: How long this temperature
9 is going up is the driving force is going up because
10 the pipes are expanding pre-load. So there is stress
11 developed, and the creep and plastic is trying to
12 relax the stress out. So there's competition between
13 the stressing and the relaxing, and whoever wins out
14 gets to --

15 CO-CHAIRMAN WALLIS: Now, when it breaks,
16 does it just open up a fish mouth thing or does it
17 snap?

18 MR. MAJUMDAR: It's going to be locally --

19 CO-CHAIRMAN WALLIS: Does it separate and
20 bounce so far because of the --

21 MR. MAJUMDAR: That's a hard thing to
22 predict. What we are predicting, does it locally --
23 not a point division, but some volume area, the damage
24 is [UDTSFA], and we predict that locally there will be
25 some kind of rupture in the [UDTSFA] and they open up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a gaping hole to which the steam will escape.

2 CO-CHAIRMAN FORD: So essentially your
3 mitigation strategy in this whole thing, without being
4 flippant, is that you want everything to last okay out
5 to at least 14,500 seconds, and then you're going to
6 rely on this to be your safety relief valve.

7 I'm trying not to be flippant.

8 MR. PAGE: I think to say it more
9 precisely, we don't expect anything to happen before
10 you enter this window here. So this is just a
11 snapshot when all of the action takes place. There's
12 no reasonable thoughts of a loss, a rupture of
13 anything prior to that, at least of these components.

14 CO-CHAIRMAN FORD: Yes, okay.

15 MR. PAGE: Now, the reactor coolant pump
16 seals, maybe, but not something like this or even the
17 manway might open up a little bit. That's not
18 necessarily a creep type failure, but I'm saying the
19 actual --

20 CO-CHAIRMAN FORD: I notice that second
21 sentence. Containment isn't bypassed, is it?

22 MR. PAGE: The containment isn't bypassed,
23 but I'm saying up until the beginning of this window
24 here where we started that there really is no activity
25 that to draw it out this long. This is really where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all of the action is for the piping, for the piping.

2 MR. SIEBER: Well, you end up with an
3 interesting thing on the manways. You know, those are
4 flexitalic gaskets which are --

5 MR. MAJUMDAR: They cover the manway.
6 [UDTSFA] on the manway.

7 MR. SIEBER: And you get that hot enough
8 and they will melt, and then you get a leak. It's not
9 a rupture, but it's a pretty good size leak, which
10 reduces the stress throughout the system.

11 MR. PAGE: Well, not only that, but even
12 if it wasn't a huge leak, we'll get to it in a little
13 while, but we were also wondering about the possible
14 disturbance of the flow in the mixing in that chamber
15 area, which could be affected and could affect how
16 fast the tube heats.

17 MR. SIEBER: That's right. It would
18 change that flow because the manway is right there,
19 and that looks like a pretty delicate --

20 CO-CHAIRMAN WALLIS: But if you are really
21 concerned with this problem and you weren't sure which
22 would break first, then you could conceivably put in
23 some device like this feasible thing made out of some
24 other material, which at 1,200 degrees K. would
25 separate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: Sure.

2 MR. PAGE: You could build a rupture disk
3 out of the electrosleeve material that's two inches in
4 diameter and back it up with a block valve like PORV
5 has got a --

6 CO-CHAIRMAN WALLIS: This might not be all
7 that complicated.

8 MR. MAJUMDAR: If we have electricity --

9 MR. MUSCARA: A number of us have been
10 recommending that for years, but it's not something --

11 CO-CHAIRMAN WALLIS: Okay.

12 MR. MUSCARA: The utility might decide to
13 use some indication. This could be one of them. It
14 has been suggested. I'm not sure how serious it has
15 been taken.

16 DR. KRESS: It probably won't pass the
17 [UDTSFA].

18 CO-CHAIRMAN WALLIS: Well, it's going to
19 be --

20 MR. PAGE: No, you're probably right
21 because of the probability picture. The probability
22 picture is so low. However, in generic safety issues,
23 which you probably have seen several of those in the
24 past, when you did the regulatory analysis and you did
25 the cost benefit, at the end of the analysis you also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 had this thing called "other considerations."

2 Usually that method -- this is almost
3 impossible, but if it does happen, you're really going
4 to -- when the wing really does fall off the plane,
5 you know, you do want a parachute.

6 CO-CHAIRMAN WALLIS: It might be cheaper
7 than continuing to do all of this analysis.

8 MR. PAGE: You mean to put in the rupture
9 disk?

10 CO-CHAIRMAN WALLIS: Your cost benefit
11 should include the cost of continuing to do a lot of
12 expensive research.

13 MR. PAGE: Yeah, but we're doing that, not
14 the utilities.

15 CO-CHAIRMAN WALLIS: Maybe that's not our
16 point of view.

17 MR. SIEBER: The same view.

18 MR. MAJUMDAR: Okay.

19 CO-CHAIRMAN FORD: I got you off the
20 track. Sorry.

21 MR. MAJUMDAR: Just to show the damage,
22 [UDTSFA] looks at that. It's still 17 percent. So
23 it's not anywhere near rupture, but it's starting to
24 take off in the hot leg and the surge line. They're
25 beginning to take off. So if the tensile rupture

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 didn't [UDTSFA], the [UDTSFA] rupture would fall off
2 pretty soon.

3 CO-CHAIRMAN WALLIS: We should put fins on
4 this thing to cool it. The heat plug has a big
5 defect. Take off the insulation.

6 MR. MAJUMDAR: In some sensitivity
7 analysis, first of all, we reduced the thermal
8 conductivity of stainless by 20 percent.

9 CO-CHAIRMAN WALLIS: Well, surely the
10 insulation has a factor of two on heat flux at least.
11 Is there insulation on the surge line?

12 MR. MAJUMDAR: No, it's [UDTSFA] fully
13 adiabatic. There's no heat transfer now on the
14 outside surface.

15 CO-CHAIRMAN WALLIS: But if you took off
16 the insulation. The surface heat flux on the surge
17 line? Is that what you mean by that?

18 MR. SHACK: You want this to heat up and
19 fail.

20 CO-CHAIRMAN WALLIS: The second bullet?

21 MR. MAJUMDAR: In the case of - this is
22 what I'm doing on the inside, interior. What we'd
23 really like to do is to increase the heat transfer
24 coefficient just to see all --

25 CO-CHAIRMAN WALLIS: Oh, this is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inside heat transfer.

2 MR. MAJUMDAR: Yeah, yeah. We wanted to
3 see what the effect of changing the heat transfer --

4 CO-CHAIRMAN WALLIS: Well, that's harder
5 to do, I think.

6 MR. MAJUMDAR: Yeah, very hard. But I
7 would say in ABAQUS we couldn't input the heat
8 transfer coefficient directly. So we are developing
9 increased surface heat flux that was given to us by a
10 factor of two, and that is a bigger face than that
11 because that changes the temperature history
12 significantly as you can see in the flux here.

13 CO-CHAIRMAN WALLIS: I wonder how well we
14 know heat flux in these situations where there's a lot
15 of temperature variation.

16 MR. MAJUMDAR: That's why I'm in a
17 discussion with Chris on them. We decided a factor
18 of two would be --

19 CO-CHAIRMAN WALLIS: This is where you
20 could do some more fluent stuff because you can't just
21 blindly use some standard Dennis-Bolter or some kind
22 of semi-correlation. It doesn't work. You've got --

23 MR. MAJUMDAR: Hopefully in the future
24 we'll get uncertainty in the heat flux from Don, from
25 the round that he does.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Okay.

2 MR. MAJUMDAR: Okay. The next item that
3 we looked at is the manway. The manway, this is a hot
4 leg manway, and we included the lower half of the
5 steam generator so that it made the application of the
6 heat as a special bonding condition simpler, but we
7 included the insert of the cover, the cover plate of
8 16 bolts and the gasket in the final analysis.

9 Actually we did not include the gasket
10 because the gasket is so soft it does not affect the
11 stress that much, but the gasket would affect the
12 leakage area once it has [UDTSFA] and depending on how
13 much spring-back there is.

14 Now, we modeled the pretensioning at room
15 temperature and the manway was uniformly heating. The
16 gasket, as I said, was negligible. Failure was
17 defined as the creation of floor [UDTSFA] two inch
18 diameter hole, lifting of the collar plate.

19 At some point the bolts would lose all of
20 their tensions, the tension in the bolt, and then the
21 cover plate would start lifting up and allow the steam
22 to escape, and when the leakage area would accumulate
23 the two inch diameters hole, call that a failure of
24 the gasket or of the manway.

25 CO-CHAIRMAN FORD: I take it these never

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leak?

2 MR. MAJUMDAR: Pardon me?

3 CO-CHAIRMAN FORD: These gaskets never
4 leak?

5 MR. SIEBER: Yes, they do.

6 CO-CHAIRMAN FORD: They leak, boric acid
7 corrosion?

8 MR. SIEBER: Well, usually when they leak
9 it's right after refueling. Somebody is bolting it
10 on, and there's damage to it or they didn't get it in
11 there right, and as soon as you try to do the hydro or
12 design pressure test, it leaks and you know it.

13 MR. MUSCARA: It's the secondary water.

14 MR. SIEBER: No, it's on the primary side.

15 MR. MAJUMDAR: This is the primary side.

16 MR. PAGE: In that picture of the hot leg
17 it's coming in at the other 45 degree angle. It's
18 coming in hitting the separation plate.

19 MR. SIEBER: There, the secondary side.

20 CO-CHAIRMAN WALLIS: No, I think the
21 concern is --

22 MR. SIEBER: One on top and then there's
23 the handles.

24 CO-CHAIRMAN WALLIS: Jack, do you get slow
25 leaks in these that would give you boron, boric acid,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 corrosion of the bolts?

2 MR. SIEBER: Theoretically, yes. I've
3 never seen it.

4 CO-CHAIRMAN WALLIS: You've never seen
5 rusty bolts on these things?

6 MR. SIEBER: Not on the manways. It's
7 something you go in every outage, and so because of
8 all the steam generator inspections, the people who
9 work on those manways really know what they're doing.
10 There's, you know, a reg. that places it in place and,
11 you know, new gaskets all the time.

12 I've seen rusty looking bolts, but I've
13 never seen the deterioration to the extent that it
14 would cause me to believe that it would be subject to
15 an early failure.

16 MR. MAJUMDAR: Our primary concern was the
17 bolt relaxation, bolt load relaxation. Here I'm
18 showing the bolt load relaxation without creep because
19 there's no creep in the bolt. You don't allow creep
20 to occur, and there is some relaxation due to the
21 change in the modulus elasticity of the bolt material.

22 I'm plotting temperature with the bolt
23 load here. On the other hand, if you allow creep in
24 the top right here, then the bolt load relaxes by
25 about 14,000 seconds again, which corresponds to about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 435 degrees Centigrade. At pretty low temperature the
2 bolt --

3 CO-CHAIRMAN WALLIS: Now, when the bolt
4 relaxes and creeps, presumably the first thing that
5 happens is the gasket leaks.

6 MR. MAJUMDAR: Well, once this -- it
7 doesn't go down to zero, as you notice that, because
8 the steel has to support the pressure acting out of
9 power. Beyond this point the cover plate starts
10 lifting off, and you start getting --

11 MR. SIEBER: And the gasket leaks.

12 MR. MAJUMDAR: The gasket would leak. You
13 might even get blow out of the --

14 MR. SIEBER: Well, the gasket is a spiral
15 wound metal --

16 PARTICIPANT: Flexitallic.

17 MR. SIEBER: It's a Flexitallic. There's
18 a big backing ring which gets us to about this big
19 that holds it all together so that it won't boil out.

20 MR. MAJUMDAR: Now, in this figure I show
21 that all of the 16 bolts are preloaded to exactly the
22 same preload. In other words, this lower figure, what
23 I've said is that after the bolts are preloaded to 85
24 percent of the design preload and the others are 100
25 percent, then the bolt relaxation follows these two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 curves. Bolts one and five can lower the load. It
2 will start relaxing here, but both sets of bolts relax
3 to zero or to the final value at about the same time,
4 14,000 seconds.

5 So that means they adjust the variability
6 in the bolt preload will not change the relaxation
7 point significantly.

8 Now, here, plotting the left figure here,
9 I'm plotting the contact pressure on the junction of
10 the plate and the bolts around the circumference, and
11 this is at room temperature. Once the bolts are
12 tightened, it gets a contact pressure distribution,
13 something like that, and as you increase the
14 temperature, the contact pressure reduces, as you can
15 expect, and by about 450 degrees C. the contact
16 pressure is reduced to zero. That's been the junction
17 starts opening up.

18 On the right side I'm plotting contact
19 opening versus the opening displacement here.

20 CO-CHAIRMAN WALLIS: It opens up a lot.

21 MR. MAJUMDAR: And so by 450, it starts
22 opening and --

23 CO-CHAIRMAN WALLIS: It's a huge amount.

24 MR. MAJUMDAR: -- because we start getting
25 a pretty large --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: And a quarter of an
2 inch opening all around?

3 MR. MAJUMDAR: That's right, yeah. It's
4 predicted to be that much. That's 640 C., 650 C.
5 It's a pretty high temperature.

6 CO-CHAIRMAN WALLIS: What's the gasket
7 doing when it is opened up a quarter of an inch?

8 MR. MAJUMDAR: Anybody's guess. The
9 gasket probably gets blown out, but the main thing is
10 that there's a big leakage there.

11 CO-CHAIRMAN WALLIS: There's an enormous
12 leakage presumably. That's to be avoided, isn't it?

13 MR. MAJUMDAR: One thing is certain is the
14 bolt properties, as I said, the bolt creep properties
15 we really don't know that good. So we're going to do
16 some tests and nail it down.

17 MR. MUSCARA: But they're not high
18 temperature materials.

19 MR. MAJUMDAR: Yeah, they're not.

20 CO-CHAIRMAN WALLIS: So the temperature of
21 this plate is determined by Chris Boyd's recirculation
22 pattern in the bottom of that steam generator.

23 MR. MAJUMDAR: Actually it doesn't take
24 much of a plastic strain to relax the bolt load out.
25 All you have to do is relax the elastic strain, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that takes very little plastic strain.

2 DR. KRESS: Where's your rupture disk?

3 CO-CHAIRMAN WALLIS: It may be, but it's
4 in the wrong place.

5 MR. PAGE: No, this will be a great place.

6 CO-CHAIRMAN WALLIS: There's a good place
7 here?

8 MR. MAJUMDAR: Oh, yeah.

9 MR. PAGE: Because if you can take a 19
10 inch hole and lift it up enough to equate to a two
11 inch hold in a reactor coolant system, you've blown
12 down the whole system.

13 CO-CHAIRMAN WALLIS: Oh, yeah, this is
14 still in the containment. Okay, good.

15 MR. PAGE: You're talking about something
16 this big around, you know.

17 CO-CHAIRMAN WALLIS: Oh, I guess you're
18 right.

19 MR. SIEBER: It would blow it down pretty
20 fast, but the chances of it failing and unzipping are
21 pretty low compared to leaking.

22 MR. PAGE: Yeah, we're just talking about
23 liftoff. We're not talking about --

24 CO-CHAIRMAN WALLIS: Liftoff would be
25 something else.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAGE: No, no. I mean, I'm just
2 talking about --

3 DR. KRESS: We would have a whole new
4 containment.

5 MR. PAGE: These are not rupture bolts
6 like in a rocket ship, but I mean, if you can just
7 give a space in there and start blowing out, it
8 shouldn't take a lot.

9 MR. SIEBER: It's sort of a delicate
10 balance anyway because the pre-tension of the bolt is
11 designed to withstand the force of 2,500 pounds of RCS
12 pressure, which is the design pressure limit, and
13 still keep the gasket preloaded, but you know, as you
14 heat up the plant, you know, some of that balance of
15 force is thrown away.

16 CO-CHAIRMAN WALLIS: So when does this
17 happen? At what seconds?

18 MR. MAJUMDAR: This is at a time. It
19 develops the temperature. I don't have it right now,
20 but it's around 14,000, slightly --

21 CO-CHAIRMAN WALLIS: Everything happens
22 around the same time.

23 (Laughter.)

24 CO-CHAIRMAN WALLIS: So this is like sort
25 of the final five seconds of the Super Bowl.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: More like half time.

2 MR. SIEBER: This is half time, yeah.

3 CO-CHAIRMAN WALLIS: Oh, I don't know.
4 This is more like the end. Which team wins is all
5 decided in a few seconds.

6 MR. MAJUMDAR: The next thing we looked at
7 is this registered [UDTSFA] detector, and the welds
8 I'm talking about, this is RTD. The scope sits here
9 on the hot leg, and the welds, full transition welds
10 on the water load, OD and the ID surface, and this is
11 the OD weld and that's the ID weld, final element
12 model. That's the RTD.

13 So we modeled both the RTD. We include
14 the whole inside, and the welds and the hot leg. Now,
15 remember the upper half is hotter than the lower half.
16 So we put in the heat transfer coefficient for the
17 upper half and the corresponding heat transfer
18 coefficient for the lower half and did a thermal
19 conduction analysis first, then used that temperature
20 and pressure failing the stress analysis.

21 CO-CHAIRMAN WALLIS: Have these RTDs
22 always been in these hot legs?

23 MR. MAJUMDAR: Well, yeah, there are three
24 of them actually.

25 CO-CHAIRMAN WALLIS: These are the ones

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that excited the staff at TMI when they got too hot,
2 presumably? I didn't know they were there.

3 MR. MAJUMDAR: Yeah, it was there in the
4 elbow.

5 MR. SIEBER: Yeah, they were there in the
6 very earliest plants, before commercial.

7 CO-CHAIRMAN WALLIS: So when the staff got
8 all excited about super heated steam in the hot leg,
9 this is what was reading it?

10 MR. SIEBER: Well, the RTD, everything
11 else is thermocouples, and the RTD is the only
12 accurate instrument you have. If you want to know
13 what the outlet temperature is because it's the
14 hottest temperature other than in the pressure.

15 MR. MAJUMDAR: They say that the concern
16 here is that the pressure is acting on this hope and
17 trying to force this out of the --

18 CO-CHAIRMAN WALLIS: Trying to blow out
19 the RTD?

20 MR. MAJUMDAR: The whole RTD. Once it
21 blows it out, then there's a two inch diameter hole
22 right there.

23 CO-CHAIRMAN WALLIS: Which is desirable.

24 MR. MAJUMDAR: Okay, and the next item I'm
25 going to discuss later on is there's a socket weld

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 around here that's also volatile to failure.

2 CO-CHAIRMAN WALLIS: And these never leak
3 with boron either?

4 MR. MAJUMDAR: Liquid?

5 MR. SIEBER: I have never seen it happen.

6 MR. MAJUMDAR: Again, I define failure.
7 Now, the failure we're talking about is the failure of
8 the interface within the weld and the RTD. That
9 failure would cause it to blow out, and the failure is
10 either --

11 DR. KRESS: Sheer failure.

12 MR. MAJUMDAR: Sheer failure, but what we
13 do is the average effective plastic strength, two
14 percent or 40 percent average creep strain, [UDTSFA],
15 and then we say it's failed.

16 CO-CHAIRMAN FORD: But, again, this is a
17 small tube welded into a large body.

18 MR. MAJUMDAR: That's right.

19 CO-CHAIRMAN FORD: With high [UDTSFA]
20 residual stresses presumably. The analysis doesn't
21 take into account they may be defected.

22 MR. MAJUMDAR: No defects, no defects, no.

23 CO-CHAIRMAN FORD: No, no. You're saying
24 no defects, but what would the uncertainty analysis
25 indicate if there were a defect?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MUSCARA: That would make it fail even
2 sooner. So if this fails, that's the end of the
3 story. You don't need to know who the fail --

4 MR. MAJUMDAR: That wouldn't be the
5 conservative assumption in this context.

6 MR. SIEBER: That would be a good deal.

7 CO-CHAIRMAN FORD: Well, this is the first
8 time I've heard a cracked body is a good thing.

9 CO-CHAIRMAN WALLIS: Oh, it is in this
10 case, very much.

11 MR. MAJUMDAR: In this context it is.

12 DR. KRESS: Well, you get a small break
13 LOCA. It's not as bad as this.

14 CO-CHAIRMAN FORD: Okay. I learn
15 something every day.

16 MR. MAJUMDAR: Okay. So that's the
17 temperature profile in RTD at 14,000 seconds, the
18 magic number. Now, perhaps it's hotter than the lower
19 half.

20 The RTD tip actually heats up pretty
21 rapidly because there's more mass and approaches that
22 other tube as it approaches the hot leg.

23 MR. SIEBER: Actually, the RTD is modeling
24 the fluid streams.

25 MR. MAJUMDAR: The tip is in the fluid

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 [UDTSFA].

2 MR. SIEBER: When you take the RTD out,
3 you don't get a leak.

4 CO-CHAIRMAN WALLIS: You've got to answer
5 my question.

6 MR. MAJUMDAR: You don't get a leak?

7 MR. SIEBER: No. It's in a weld. It's a
8 thimble, and the thimble -- otherwise you would never
9 be able to replace it.

10 MR. PAGE: Well, the RTD we got drawings
11 of, the thimble, which is a cone, came down into the
12 flow stream, but it had like five holes drilled into
13 it.

14 MR. SIEBER: Oh, I've never seen that.

15 MR. PAGE: Well, I'd be willing to show
16 you the drawing. That's the one we got.

17 MR. SIEBER: All right. [UDTSFA].

18 MR. PAGE: No, no. I mean, I wondered,
19 too, but it seemed --

20 MR. SIEBER: I've never seen one made like
21 that.

22 MR. MAJUMDAR: I guess the scope sits --
23 this is what we are calling RTD. It's really the
24 scope, right?

25 MR. PAGE: Yeah, this is called the scoop.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: Scoop.

2 MR. PAGE: It's like a fairly substantial
3 metal thing, but it had five holes drilled in it that
4 were what, quarter inch diameter? It was about
5 four --

6 MR. SIEBER: -- inch?

7 MR. PAGE: It was about five inches down
8 in the flow stream.

9 MR. SIEBER: Oh, quarter inch.

10 MR. MAJUMDAR: It's sticking into the flow
11 stream about four or five inches, yeah.

12 We also got a drawing for the generic RTD
13 for Westinghouse plants which are quite different from
14 this design. This one was provided specifically for
15 ZION plant.

16 MR. SIEBER: There might be something
17 unique about that plant, but you could take the RTD
18 out of the plants I worked in and it would not leak.

19 MR. PAGE: I think we're talking about
20 three different things here. I think one is the
21 scoop, which is what we had in mind, and then the
22 thimble sticks down, and then the RTD, I think, sticks
23 down in the thimble.

24 The thimble is actually quite thin, the
25 one you're talking about. It's a fairly thin surface,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and they have had failures of some of those, and so,
2 I mean, I --

3 MR. SIEBER: Well, they may have.

4 MR. PAGE: I talked to the RTD guru, I
5 guess, and we still haven't literally figured out the
6 details of the innards of this thing, but this was a
7 first cut of looking at the welds themselves.

8 MR. MAJUMDAR: But the welds are clearly
9 defined on the drawing though. These two welds and
10 whatever it's called. I don't know the RTD scoop. If
11 those welds fail, then this thing is going to be --

12 MR. SIEBER: Yeah, it is welded in place.

13 MR. PAGE: That would be a two inch hold.

14 MR. SIEBER: Yeah, right.

15 MR. LONG: Just to clarify the structure
16 there, that used to be a scoop. There are three of
17 them, and it was actually sampling and taking flow out
18 to a ring header that went to an RTD bypass manifold.

19 MR. SIEBER: Oh, yeah. They eliminated
20 that.

21 MR. LONG: They eliminated the manifolds,
22 but they then used these things as RTD welds, but the
23 point was they wanted fast, you know, heat transfers.
24 So they needed to put holes in there to get the fluid
25 to touch the RTD more directly than through that weld.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Strangely enough, those RTD
2 manifolds were slow responding to temperature change.

3 MR. LONG: That's why they went to this.

4 MR. SIEBER: Correct. That's why you
5 couldn't rely on them for protection.

6 MR. LONG: Well, it's too bad that they
7 don't have them now if you really want something to
8 fail because scooping the hot flow out into the thin
9 pipe and taking it down by force load to the reactor
10 coolant pump seal leak would have been treat at the
11 moment, but --

12 MR. SIEBER: Yeah, right. You refreshed
13 my memory. That was a strange design.

14 MR. MAJUMDAR: The average temperature of
15 both the welds actually follow almost the same profile
16 with time. This is typical stress distribution in the
17 ID weld and RTD interface, and the stresses are not
18 really that large so large scale plastic ending is
19 not predicted.

20 CO-CHAIRMAN FORD: Sorry. Just to make
21 sure I understand, on that previous plant, these are
22 the stresses associated with a constant displacement
23 weld; is that correct?

24 So you're looking at the changes -- the
25 stresses at that particular time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: This is at that time on the
2 ID weld.

3 CO-CHAIRMAN FORD: Is this the residual
4 stress?

5 MR. MAJUMDAR: Oh, no. This is the stress
6 due to the temperature, pressure, everything.

7 CO-CHAIRMAN FORD: And the residual
8 stress.

9 MR. MAJUMDAR: Well, no, not the residual
10 stress. Welding in the -- we did not assume any
11 welding in these residual stresses.

12 CO-CHAIRMAN WALLIS: So what's the bottom
13 line here?

14 MR. MAJUMDAR: Well, the next figure shows
15 the stresses in the ID weld starts out high, compared
16 to the OD rails, but we did creep, relaxes faster
17 because the ID is slightly hotter, and the OD welds
18 will follow this pattern.

19 There is a peak there in the stress, and
20 this point is that 14,000 again. There is a change in
21 the rate from six degrees per minute to 25 degrees per
22 minute, and right before that, the creep trend takes
23 off. You can have very effective creep strain versus
24 time. Pretty low up to that point, and then it really
25 explodes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: And that's purely
2 because the very high activation enthalpy for creep?

3 MR. MAJUMDAR: Well, plus the temperature
4 is going up rapidly.

5 CO-CHAIRMAN FORD: Now, on your left-hand
6 side you show a high dependency of stress, but you've
7 also got a high exposure to stress on the creep rate.

8 MR. MAJUMDAR: Yeah, there's a high --

9 CO-CHAIRMAN FORD: So if there's any
10 uncertainties in either the stress, calculated stress
11 or the calculated temperature, you could be way to the
12 left or right of that.

13 MR. MAJUMDAR: Well, that's a good point,
14 and we have to do the uncertainty analysis to see what
15 we've done.

16 CO-CHAIRMAN FORD: And can you bring down
17 the thing to 500 seconds?

18 MR. MAJUMDAR: I'm sure you could make the
19 heat large enough. I would show some of the heat
20 rate.

21 CO-CHAIRMAN FORD: Okay.

22 CO-CHAIRMAN WALLIS: What you're going to
23 find here because this is just the law that things
24 never work out too well is when you put all of the
25 uncertainties and all of these things; they all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 overlap; and you can't really tell which is going to
2 happen first.

3 MR. PAGE: Unless you find the silver
4 bullet that is 500 --

5 CO-CHAIRMAN FORD: This could be the
6 silver bullet.

7 CO-CHAIRMAN WALLIS: Make it out of silver
8 and it will probably pop out.

9 DR. KRESS: I think the proper, good
10 uncertainty analysis that shows you that overlap would
11 be extremely useful because then you could factor that
12 into the probability of the failure and then check the
13 consequences and see if you -- per a significant
14 number of these plants, whether or not you exceed the
15 safety goals. I suppose that would be the approach on
16 how to deal with this issue.

17 You might not be able to confidently say
18 that it's going to fail RCS before it fails in the
19 steam generators, but you can get some sort of idea of
20 the probabilities.

21 MR. MAJUMDAR: That's what the PRA does,
22 and I think that's their responsibility, not ours.

23 MR. MUSCARA: We need to keep in mind that
24 this is the old base case, and the temperatures are
25 changing. They're getting hotter. So these numbers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm confident will drop. So we have the input. We
2 just don't have a program in place yet to get the work
3 started, but very soon we should be able to get the
4 work started, use a new base case to rerun these
5 things. Then I think we'll see more separation, and
6 at that time with the new base case, we can do the
7 sensitivity analysis.

8 This is the other instrument line I talked
9 about before. It sits on the total RTD flange, this
10 weld. Again, the effective -- if this weld fails,
11 then this line will expel and there will be a one inch
12 diameter hole, and the creep strain along those two
13 interfaces are, again, pretty low up to 14,000 and
14 then takes off.

15 So I made a summary of the failure times
16 summary. The first row is a reference case. That is
17 the reference old baseline case. This is the hot leg
18 will fail by tensor rupture at 14,506 seconds. The
19 surge line bend, again, tensile rupture, 14,550
20 seconds. The hot leg to surge line nozzle, slightly
21 earlier, 14,250 seconds.

22 You don't predict any failure in the elbow
23 because the elbow is under compression all the time.
24 Now, this RTD to hot leg weld, that's predicted to
25 fail at 13,890 seconds. That's the earliest failure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we predict, followed by the instrument line socket
2 weld here.

3 The manways is the last actually, 16,726
4 seconds. That's when it lifts up and [UDTSFA] weld
5 into a two inch diameter hole.

6 Now, the bottom two rows of the
7 variability check, uncertainty check, we first
8 increased the creep rate by a factor of ten. What
9 will it do? The failure of these two or these three
10 are the creep rate dominated, and in that case the
11 failure time would be reduced from 3,890 to 3,710, and
12 so the headline would fail 100 seconds earlier,
13 whereas the manway would be failing a lot earlier,
14 about 1,000 seconds earlier.

15 CO-CHAIRMAN WALLIS: Where does the steam
16 generator tube fail?

17 PARTICIPANT: Thirteen thousand --

18 CO-CHAIRMAN WALLIS: Thirteen, five
19 hundred?

20 MR. MAJUMDAR: Well, we still don't know
21 the exact failure point of the steam generator.

22 CO-CHAIRMAN WALLIS: Yeah, but it's in the
23 same range as these numbers.

24 MR. MAJUMDAR: The same range, yeah. It
25 will be near the area, yea.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: But there, again, we're
2 comparing the old case and new case.

3 MR. MAJUMDAR: Yeah, we have to look at
4 the tube failure in more detail.

5 CO-CHAIRMAN WALLIS: So the lowest thing
6 you mention here that's possible is the hot leg nozzle
7 failure.

8 MR. MAJUMDAR: No, the lowest is RTD.

9 CO-CHAIRMAN WALLIS: The earliest is
10 12,750 at the bottom with a sensitivity study.

11 MR. MAJUMDAR: Which one? Oh, this one,
12 yeah. This is a the heat flux plate, too.

13 CO-CHAIRMAN WALLIS: So you're making
14 occur the double ended guillotine break, which is
15 impossible? No, it isn't impossible yet.

16 MR. MAJUMDAR: The single ended --

17 CO-CHAIRMAN WALLIS: Not under severe
18 accidents, yes. So that would be interesting if you
19 did that, as to what actually would happen. How would
20 it break?

21 MR. MAJUMDAR: That's different. This is
22 the initiation of the failure.

23 CO-CHAIRMAN WALLIS: Right. Does it just
24 make a little hole that moves over a little bit?

25 MR. MAJUMDAR: Well, the temperature, high

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enough under -- there's enough load acting load so
2 they'll probably open up.

3 CO-CHAIRMAN WALLIS: We're almost at the
4 end, I think.

5 MR. MAJUMDAR: So that's where I said the
6 discussion that all of the failure stops at close to
7 14,000 seconds. That's the time where the steam
8 temperature ramp actually goes from .3 to 3Ds per
9 second, and the failure time of the component will
10 always be closed no matter how detailed the analysis
11 and in forming more than 15 minutes apart.

12 Failure to focus on failure temperature or
13 the relative failure time between the tube and the
14 component.

15 MR. SHACK: Fifteen minutes is forever.

16 MR. MAJUMDAR: Fifteen minutes would be
17 900. That's 2,700 degrees heat. I think this would
18 be less. I think maybe ten minutes would be best,
19 five to ten.

20 MR. SHACK: We're being optimistic.

21 MR. SIEBER: Of course, if one thing
22 fails, then [UDTSFA] that, right? It stops.

23 DR. KRESS: It changes everything.

24 CO-CHAIRMAN WALLIS: What's this hot inlet
25 plenum?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: This is still one of 500
2 degree wrap that was mixing. Whatever is done here is
3 done.

4 CO-CHAIRMAN WALLIS: Where is that?

5 MR. MAJUMDAR: That was --

6 MR. SIEBER: It's in the steam generator.

7 CO-CHAIRMAN WALLIS: Well, it just seemed
8 to be a much lower time, everything else.

9 MR. MAJUMDAR: One, oh, five, this is 105
10 here.

11 MR. SIEBER: Where? Oh, okay.

12 CO-CHAIRMAN WALLIS: So it's the hot leg
13 going into the steam generator.

14 MR. MAJUMDAR: But without mixing. I
15 think before mixing.

16 CO-CHAIRMAN WALLIS: So that's the one
17 that could fail before anything else, significantly
18 before anything else.

19 MR. MAJUMDAR: Yeah, actually Don's
20 recommendation was to use the 106 because that's --
21 the initial level is using that line. We have an
22 early failure.

23 CO-CHAIRMAN WALLIS: Why does that fail so
24 early? It's not the hottest part.

25 MR. MAJUMDAR: But this mixed mean inlet

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plenum, that's the cell he wanted us to use for the
2 lower head. Actually the CFD calculations show a
3 little less than this.

4 This conclusion is, again, the RTD weld
5 that failed first, the difference case, and connecting
6 following instruments, socket welds, the surge line,
7 hot leg nozzle, the hot leg itself, the surge line
8 then, manway, elbows. There was no failure. It's
9 under compression.

10 Completed some sensitivity analysis that
11 was showed the major factors controlling the failure
12 of surface [UDTSFA].

13 [UDTSFA] on the tensile properties.

14 I have one slide of planned future work.
15 During the next phase of the program, we are proposing
16 to do some tests on the bolt material, some gaskets
17 and some nozzle material, and we'll do analysis, the
18 final analysis of the hot leg to the new baseline
19 case. We try to treat some here a little more
20 rigorously, and we try to estimate leak rate versus
21 time through the manway once it lifts up.

22 Also there's an RCP leakage analysis to
23 evaluate the three RCS piping.

24 CO-CHAIRMAN WALLIS: You don't plan to
25 analyze the CE system?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: Yeah, the last one is the
2 CE.

3 CO-CHAIRMAN WALLIS: Oh, you do. Okay.

4 MR. MAJUMDAR: Not in the same detail,
5 finite element, but some average.

6 MR. MUSCARA: Yeah, I should clarify.
7 There is work going on to address the CE issue. Of
8 course, the CFD indicated that that's a much different
9 situation, but the general idea of the work is to
10 develop a methodology and an infrastructure on how one
11 would do a good PRA for this severe accident
12 situation.

13 So we don't intend to do the CE in detail,
14 but we're going to do qualitative analysis both from
15 a thermal hydraulics point of view and the materials
16 point of view and compare that to the one where we're
17 doing the detail. So with the Westinghouse Model 51
18 and what we get there with respect to the failures.

19 CO-CHAIRMAN WALLIS: Well, this looks like
20 a case where the model uncertainty is very, very
21 important in the PRA.

22 MR. SIEBER: Is there anything unique
23 about B&W plants that would make this kind of
24 analysis, the thermal hydraulic analysis, more
25 difficult?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LONG: If you do get the right size
2 seal, we make a coolant pump seal leak. You tend to
3 start drawing up fluid down through the tube when you
4 start leaking the tube. The big leak (speaking from
5 an unmiked position). It doesn't make the tube very
6 hot. So you have just the right size leak as part of
7 the detail, and it has a lower probability.

8 CO-CHAIRMAN WALLIS: You need to be
9 talking into a microphone.

10 MR. LONG: Oh, I'm sorry.

11 CO-CHAIRMAN WALLIS: Did the recorder get
12 what he said?

13 CO-CHAIRMAN FORD: Okay. You have one
14 last slide?

15 MR. MAJUMDAR: No, that's it.

16 CO-CHAIRMAN FORD: Joel, I'd like to take
17 a break at this time for 15 minutes. So if we can
18 come back here -- it's just after 22 -- we'd
19 appreciate it, and then we'll have the last talk on
20 the PRA and then general comments.

21 CO-CHAIRMAN WALLIS: Is it okay to say
22 that was also a nice presentation? Thank you.

23 MR. MAJUMDAR: Yes, yes, yes. Thank you.

24 (Whereupon, the foregoing matter went off
25 the record at 3:24 p.m. and went back on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the record at 3:44 p.m.)

2 CO-CHAIRMAN FORD: Okay. We're back in
3 session.

4 I pass it on to you.

5 MR. MUSCARA: Okay. I don't know if we
6 should say we saved the best for last, but at least
7 this is what everybody has been waiting for.

8 CO-CHAIRMAN FORD: That's exactly right.
9 We've been saying we need the PRA now.

10 MR. MUSCARA: Actually we considered
11 having this presentation at the beginning, and I
12 decided it would be best at the end because by this
13 time we will have heard about all of the inputs that
14 need to go into this. Now you will see how the inputs
15 get integrated.

16 So the last presentation for today's
17 session is on the PRA, and Dave Bradley from SAIC will
18 make the presentation.

19 MR. WOODS: Okay. I wanted to start as
20 say just a very few words. I'm Roy Woods of the PRA
21 Branch in Research, and I was going to just briefly
22 introduce the people I have with me. I did that
23 yesterday morning.

24 But on my immediate left here is Dave
25 Bradley from SAIC. He's a subcontractor to Dave

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Kunsman, who is the next person to my left, who is
2 with Sandia National Laboratory.

3 And then finally down at the end is Paul
4 Amico, also of SAIC. The two SAIC guys are based up
5 in Aberdeen, which is convenient because one or both
6 of them have been particularly -- Dave Bradley has
7 been down here a number of times -- particularly
8 helping us a great deal with that plan for bringing
9 everything together onto one Microsoft projects
10 schedule, which was an extremely useful exercise.
11 He's also been doing some of the preliminary modeling,
12 not just PRA, but materials failure type things that
13 we're building into our own model.

14 Dave Kunsman is holding it all together
15 from Sandia, and Paul Amico has been primarily
16 concerned, I think, with getting together the PRA that
17 we have obtained from the plant which we'll go into
18 and getting it up and running so we can actually use
19 it.

20 Unless you have any questions for me, I'm
21 going to turn it over.

22 CO-CHAIRMAN FORD: I've got an overall
23 question. Informally amongst us, we've been making
24 a comparison between this particular project and the
25 PTS project, and it involves certainty measurements

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and uncertainties and materials degradation, thermal
2 hydraulics, et cetera. Is that a good analogy?

3 MR. WOODS: Absolutely. In fact, I was
4 wondering whether to say this or not. The whole idea,
5 I think, of assigning me to do this particular PRA
6 coordinating function is not because I'm a PRA expert,
7 which I'm not, but because I did the same or am doing
8 the same function for the PTS project, and that was a
9 tremendous learning experience for the contractors and
10 for the staff in how you do a multi-discipline effort
11 like this.

12 In this case, it's very similar, only
13 maybe a little more so. We have got two different
14 materials aspects on this one. We've got the steam
15 generator tubes, and we've got everything else that
16 Joel was talking about, you know, all of the other
17 components that might fail before the tubes.

18 In the case of PTS, of course, you're just
19 worrying about the vessel failing.

20 CO-CHAIRMAN FORD: So drawing on your
21 experience of the very successful PTS program, how do
22 you view this particular program in terms of the order
23 in which things are done?

24 You have a never ending back --

25 MR. WOODS: There isn't any order. We've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 learned that you can't draw it as a linear thing. You
2 can start anywhere you want in the circle, but it's a
3 continual feedback, and we'll actually get into a
4 little bit of that.

5 CO-CHAIRMAN FORD: Good.

6 MR. WOODS: So if that's okay --

7 CO-CHAIRMAN FORD: Yes.

8 MR. WOODS: -- I'll turn it over to David.

9 MR. BRADLEY: Good afternoon. I'm Dave
10 Bradley from SAIC.

11 Three objectives today for the
12 presentation refers to kind of describe to you how we
13 plan to approach the PRA; second, to provide a status
14 of where we are right now; and actually we're fairly
15 new at this effort. Clearly, if you look at the
16 viewgraphs, there aren't a lot of results that are
17 included. So we're just beginning the effort, and we
18 can tell you where we are and where we plan to go.

19 And then also -- and Roy allude to this --
20 I want to describe a little bit how we plan to
21 interact with the other elements of the program, the
22 thermal hydraulic folks, the materials response folks,
23 et cetera.

24 So let me move on to the next slide.

25 The scope of the study is limited to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 severe accident induced containment bypass scenarios
2 only, that is, driven by steam generator tube
3 failures. The initial efforts in this area were to
4 develop a methodology that was part of our original
5 scope.

6 We developed a draft methodology and
7 produced that methodology in draft form in June of
8 2003. Of course, without an application of the
9 methodology, it's kind of difficult to know that
10 you've actually described a methodology that's
11 workable.

12 So at this point we're undertaking an
13 application of the methodology that we provided in
14 draft form to full power internal events. The sample
15 plant that we've selected for this analysis at least
16 the first go-round is a Westinghouse --

17 CO-CHAIRMAN WALLIS: Well, can I ask you
18 about this? You developed a methodology or sort of a
19 way of going about the problem, and now you're going
20 to apply it to Westinghouse four loop. Maybe PRA is
21 a little different from other areas, but thinking
22 about what, say, Chris Boyd told us, he could probably
23 sit down in an evening and sketch out his methodology
24 and how he's going to approach the problem, and then
25 it takes him a year to do all of the work.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Is PRA somehow different from that?

2 MR. BRADLEY: No. I mean, it's very
3 similar to that. In fact, what we're finding is that
4 the issues are more complicated than we had thought
5 initially when we drafted the methodology. So I know
6 right now the methodology is going to change
7 drastically, which is why as you'll see we plan on
8 updating that report when we produce the application.
9 This is actually the way we did it.

10 So I've indicated here in the last bullet
11 on this slide that we do plan to extend the
12 methodology to other plant types, external events,
13 lower power and shutdown states as well. That's
14 downstream, quite a ways downstream. The initial
15 efforts will be devoted towards that Westinghouse four
16 loop sample plant.

17 CO-CHAIRMAN FORD: I'm sorry. I'm going
18 to ask you a simple question on the first sub-bullet.
19 "No steam generator containment by part before core
20 damage begins. Coming into this on the DPO issue, I
21 assume that the sequence of events was a main steam
22 line break, depressurization, secondary side, rupture
23 the tube, and then subsequent events after that. That
24 is not the only thing we're talking about.

25 MR. BRADLEY: No, in fact, the main steam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 line break --

2 CO-CHAIRMAN WALLIS: You mix it up with
3 something.

4 CO-CHAIRMAN FORD: Yeah, that's what
5 I'm -- carry on.

6 MR. BRADLEY: So this is just severe
7 accident initiated.

8 CO-CHAIRMAN FORD: Okay.

9 CO-CHAIRMAN WALLIS: This is a station
10 blackout.

11 MR. BRADLEY: Well, station blackouts are
12 similar.

13 CO-CHAIRMAN WALLIS: It stops and then it
14 heats up. This isn't a LOCA or anything like that.

15 MR. WOODS: The intent is to hopefully
16 expand this to other aspects of steam generator tube
17 problems, but the initial effort that we were able to
18 fund and staff or whatever at the start here was the
19 severe accident induced steam generator tube rupture.
20 So that's just where we are at the moment.

21 MR. BRADLEY: Okay. This chart shows a
22 simple schematic of kind of the project flow, at least
23 the way we initially envisioned it. The first step
24 was to clearly define the issue. What we've
25 assumed --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: This looks like a
2 generic chart, apart from a few specifics.

3 MR. BRADLEY: Yeah, it's a fairly generic
4 flow.

5 What we've assumed is that the severe
6 accident is containment bypass would be a risk
7 informed application, and what that means is that that
8 implies that you need to look at something like the
9 ASME standard to determine what capability
10 requirements you have for a PRA and look at the PRA
11 that's available to determine whether it's capable to
12 do the job.

13 Clearly there are specific needs of the
14 steam generator tube failure type scenarios that will
15 require enhancements to existing PRAs, and so we want
16 to also identify what those enhancements would be as
17 well.

18 Now, to do that, we've drawn heavily on
19 the work that has come before, the NUREG 1570 analysis
20 that was done, the thermal hydraulic analyses some of
21 which were reported earlier, the materials response
22 analyses, the tube integrity analyses, et cetera, that
23 were done before to try to identify what we thought
24 when we drafted the methodology report, things that
25 would be important to include in the PRA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Again, I'm sure that those things will
2 change and probably grow in scope as we go through the
3 methodology itself.

4 Shown in the yellow box which fortunately
5 does appear on the overhead is where we are now.
6 We've got an existing PRA which we consider capable of
7 doing the job or at least a good starting point.
8 We're looking at improving that PRA as needed for this
9 application. We want to apply the PRA.

10 Also, the other aspect of this analysis
11 that we're looking at is developing the conditional
12 probability of tube failure before failure of other
13 RCS components for a given accident sequence. So
14 that's also part of the application, the methodology.
15 It's a big part of the methodology.

16 Well, then after we've applied the
17 methodology, as I've indicated, we'll revise the
18 methodology document. We'll produce a draft and a
19 final document with the application included so that
20 the reader can see exactly what we did.

21 I wanted to point out the interaction that
22 we see at the bottom of the chart. As Roy alluded to
23 and I mentioned earlier, there's a lot of interaction
24 with the other elements of the program. We need the
25 tube integrity analyses to tell us what pressure and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature conditions can threaten the tubes. We
2 need the thermal hydraulic analysis to tell us what
3 sorts of systems and human failures or human errors
4 can get us to those conditions, and of course, we need
5 the analysis of the other RCS components to know when
6 those failures might happen before the tubes would
7 fail.

8 There is a continuous loop, a continuous
9 interaction that we envision throughout the life of
10 the PRA, and we've initiated that effort, but we've
11 got a long way to go.

12 As I indicated, that draft methodology
13 report was issued in June of last year. The
14 methodology was based on Sebraxton (phonetic) induced
15 steam generator --

16 CO-CHAIRMAN WALLIS: I thought SAI was
17 Science Applications International.

18 PARTICIPANT: Used to be.

19 MR. BRADLEY: Well, SAIC. We've assumed
20 that this would be a risk informed application and
21 that caused us to look towards the ASME standard for
22 the capability requirements for a PRA and when
23 enhancements would be needed for this particular
24 application.

25 Some of the enhancements that I've listed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are such things as partial failures. Maybe it's got
2 a partially stuck open relief valve or something of
3 that nature that isn't traditionally considered in a
4 PRA.

5 You may have state changes where you've
6 got a relief valve that's stuck open and then it heats
7 up and it starts to -- it recloses at some point.
8 It's something outside of what a human -- what an
9 operator might do to initiate a reclosure.

10 We've also got errors of commission,
11 things that an operator might do that could make the
12 accident worse, could make it better. Those aren't
13 traditionally included in risk assessments. So we've
14 referred to those as enhancements.

15 Of course, we also want to incorporate the
16 results from studies of phenomena that are unique to
17 severe accident induced steam generator tube failures
18 and RCS failures. For example, we want to look at
19 failures that could prevent containment bypass,
20 failure of the manway, for example, or hot leg surge
21 line failure.

22 So those are also aspects of the
23 methodology.

24 Now, there's nothing very too earthshaking
25 with the PRA approach the way we've outlined it here,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and actually the way we envision it is going to draw
2 very heavily on what was successful PTS program.
3 We've got a first step, which is defining the
4 sequences of interest.

5 A very important second step is bending
6 those sequences. We've got a lot of quantification
7 that has to happen. We've got a lot of thermal
8 hydraulic analyses that may have to be done. We want
9 to only analyze those sequences that really need to be
10 analyzed. So we want to do a lot of sequence bending
11 if possible, and the bending would be done based on,
12 for example, accident scenarios that might get you to
13 similar sorts of threats to the tubes or similar sort
14 of threats to the tube integrity.

15 Once we've identified and bend the
16 sequences to the subset that we really need to track,
17 we want to do quantification to determine accident
18 sequence frequencies, and then in addition to that,
19 the probabilities that the tubes would fail before
20 failure of other RCS components. That's another
21 aspect of the quantification.

22 The PRA itself will tell us the
23 probability of accident sequences. We then will
24 couple that to a secondary analysis which will look at
25 the conditional probability that the tubes will fail

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 before any of the other RCS components fail.

2 As far as the first step in the process,
3 sequence definition, again, we've indicated that we're
4 going to assume that the starting point is a capable
5 Level 1 PRA. We feel like we found the capable Level
6 1 PRA that we're going to use as our starting point.
7 I'll talk about that in just a second.

8 We then would like to use some what we
9 call high level or scoping tube integrity analysis to
10 define the pressure and temperature regimes of
11 interest; use high level or scoping thermal hydraulic
12 analysis to determine what conditions would get us to
13 those pressure and temperature regimes, and then from
14 that we could define the combination of events that we
15 need to consider in the risk assessment, and I've
16 indicated to the extent possible we'd love to screen
17 sequences that would give us prior RCS failures. This
18 is a very difficult thing to do, but if we can, we'd
19 like to be able to screen out those sequences for
20 which a tube failure would not occur.

21 The second step, sequence bidding, I have
22 indicated -- I discussed this a little bit earlier --
23 the objectives to bin sequences have produced similar
24 challenges to steam generator tube integrity. The
25 objective here is to reduce the size of the Pier A

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (phonetic) model, but we don't want to adversely
2 affect either the model accuracy or its completeness.
3 So we need to be very careful in how we bend the
4 sequences. We don't want to bend a sequence that
5 could give us a very high probability of containment
6 bypass with the sequences that give us low probability
7 of containment bypass.

8 CO-CHAIRMAN WALLIS: When I heard these
9 other presentations, I got the impression that there
10 was more or less one sequence that they were concerned
11 with. They seemed to be a linear thing.

12 MR. BRADLEY: Well, it was one sequence
13 that they were concerned with because that was, I
14 think the dominant sequence in NUREG 1570. Now, we're
15 going to look at what the Comanche Peak PRA which is
16 the PRA that we're going to be using as our basis,
17 what sequences are dominant in that, and I would
18 imagine that we'll have additional thermal hydraulic
19 calculations that will need to be done, and one of the
20 things we're going to do in the very near future is to
21 take a look at the Comanche Peak PRA and identify the
22 additional important accident sequence.

23 CO-CHAIRMAN WALLIS: This is the Comanche
24 Peak PRA that was prepared by Comanche Peak?

25 MR. BRADLEY: Prepared by Comanche Peak.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So they've actually been very helpful in getting that
2 to us.

3 MR. KUNSMAN: This is Dave Kunsman,
4 Sandia.

5 I'd like to say it's not one sequence
6 they've been looking at. They've been looking at one
7 variation of one sequence.

8 CO-CHAIRMAN WALLIS: Well, it seemed to be
9 very much restricted to one story.

10 MR. KUNSMAN: But one of the things we
11 have been taking advantage of during the breaks and
12 that we have been talking a lot about are the things
13 that we may be requesting of them, which we will be
14 coming out with to them very quickly.

15 MR. LONG: This is Steve Long, too.

16 We've been through a few cycles of this.
17 So back in the 1990s when we were doing the 1570 PRA
18 work, the thermal hydraulic model at that time came up
19 with somewhat different results, and at that time we
20 had a lot of input from the sequences where the RCS
21 blew down because the reactor coolant pump seal leaks,
22 and the current model makes those look much less
23 important. So maybe we'll actually get some
24 simplification for the current model and have fewer
25 sequences.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but we do have to look at a bunch of
2 things that could be depressurizing the RCS at the
3 same time that the core is melting. The pressure
4 rises earlier were okay. If it depressurizes well,
5 the core is melting. For whatever reason, the
6 dynamics gets fairly hairy.

7 MR. BRADLEY: And before moving on, I did
8 want to point out that the sequence binning is
9 something that the PTS folks told us would be a very
10 key aspect of our analysis because they had similar
11 sorts of issues with analyzing more accident sequences
12 than were needed because, again, they have
13 computationally difficult problems that they're
14 analyzing.

15 Well, the next step after you've got your
16 fault trees and event trees together, you need to
17 assign probabilities to different events. We've got
18 typical failures that are handled in traditional PRAs
19 and for those who would use the standard databases
20 that are available, and in fact, those databases were,
21 of course, used in Comanche Peak PRA.

22 We've also, as I indicated, have a number
23 of data enhancements for which we'll have to develop
24 probability data. We've got, as I indicated, partial
25 failures, such as a valve leakage. We'll have to try

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to develop something for that. State changes, again
2 something for that will have to be developed.

3 Another very important area of the
4 analysis is analysis of human actions. This, again,
5 for the PTS program was very critical, and they
6 developed some very useful procedures in that program.

7 We hope to use those same procedures to
8 the extent possible. What they found was that it was
9 critical to have a good cooperation with the utility
10 staff, and they've been cooperative so far. We'll see
11 if they're cooperative when we get to this step.

12 What we'll do is we'll review the severe
13 accident management guidelines which are guidelines
14 and aren't very prescriptive. So we'll have to kind
15 of interpret what we think the operators might do
16 under certain severe accident conditions, try to
17 assign probabilities to those different actions.

18 And then the other major aspect of the
19 quantification step is this probabilistic analysis of
20 tube failures before failures of other RCS components.
21 That particular aspect is something that I'm going to
22 be responsible for, and I'm finding out as days go by
23 that it's a lot more complicated than I thought it was
24 to start with.

25 Well, where do we stand as far as the PRA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is concerned. Well, we've got a PRA model I've
2 indicated that Texas Utilities was kind enough to
3 provide to us. I believe it's the 2002 update of the
4 Comanche Peak IPE model.

5 CO-CHAIRMAN WALLIS: IPE?

6 MR. BRADLEY: It's the updated version of
7 their earlier IPE model. It's much better in our
8 opinion than what they had before.

9 We felt like it was probably the most
10 capable of the available PRAs. Now, we've got two
11 terms here, capable and available. We don't have the
12 full spectrum of all PRAs that were produced or have
13 been produced that would be available to us. This is
14 one that was available to us and was always capable;
15 it was also capable.

16 I wanted to point out that our application
17 is only a test to the methodology. The results of the
18 application will not apply strictly to Comanche Peak.
19 One of the main reasons is that we're using TH results
20 in RCS component failure analyses that are based on
21 design plant.

22 Simply I think there are a number of
23 reasons for that. Those models existed. The work was
24 well underway. The data had been collected, and so we
25 decided that it would probably be more worthwhile to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do this sort of a pseudo plant rather than to try to
2 focus specifically on Comanche Peak and try to gather
3 data and prepare new models for the Comanche Peak
4 components.

5 So clearly we've got a potential mismatch
6 here between components and we'll have to deal with
7 that when we come to those issues later.

8 MR. WOODS: We looked very seriously at
9 that. The alternative was to get the materials folks
10 to start over on Comanche Peak, but they had been
11 working on the ZION for years. We couldn't get a ZION
12 PRA because ZION hasn't been operating in quite a
13 number of years. There's no up to date PRA available.
14 There would be no staff to interact with, you know, to
15 incorporate the human factors or any of the
16 interactions that we would like to have, that we did
17 successfully have on pressurized thermal shock, and it
18 just look, and it just looked like it was the only
19 viable alternative that we had was to do sort of a
20 hybrid. We didn't like that, but we didn't see a
21 better alternative.

22 CO-CHAIRMAN FORD: Is there a possibility
23 because of the mismatch between the PRA and the data
24 source that would go into that PRA that at some future
25 date someone is going to turn around and say this is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not viable?

2 MR. WOODS: Well, we're trying to
3 demonstrate a methodology, to fill up a method that
4 could be used for a particular plant, and in fact,
5 that's almost an advantage. Well, it is a
6 compensating advantage, and you know, it doesn't
7 really apply to any plant, and no plant is stuck with
8 the licensing issue when we get finished.

9 But, yes, you know, we're not going to try
10 to say this is the result for any plan. We're going
11 to try to try to say this is the kind of result you
12 would get. We hope it's typical, but you would have
13 to apply it to several plants to see if it's typical.

14 CO-CHAIRMAN FORD: Maybe I could turn the
15 question around. The PRA probably --

16 DR. BONACA: How different are the plants?
17 How different is Comanche Peak from ZION?

18 MR. SIEBER: Twenty year.

19 DR. BONACA: No, just in --

20 MR. AMICO: This is Paul Amico from SAIC.

21 Basically they're both for a loop
22 Westinghouse plants. The differences are valve sizes
23 that are a little bit different and, you know, pump
24 sizes that are a little bit different, but you know,
25 it's not that significant. They're approximately the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 same power level, and the same number of components
2 and that type.

3 So I don't see a significant issue with
4 that.

5 DR. BONACA: So you would expect, for
6 example, certain transient analysis to be similar to
7 what you would get for Comanche Peak?

8 MR. AMICO: Right.

9 MR. ROSEN: How about the reactor coolant
10 pump seals?

11 MR. KUNSMAN: Dave Kunsman, Sandia.

12 To the best of my knowledge, I'll put
13 about 95 percent on this. They are the same. I'm not
14 going to put, say, 100 percent.

15 MR. ROSEN: No, I'll just say that the
16 reactor coolant pump seal design has evolved
17 considerably since the days when ZION operated, and
18 the new seals are more robust.

19 MR. AMICO: Yeah. Actually, our plan
20 would be to use the probabilities of leakage and
21 amounts of leakage from Comanche Peak and simply tell
22 the thermal hydraulic people, "Assume these leakages
23 when you're running the thermal hydraulics."

24 MR. LONG: Okay. The kinds of things that
25 may be different are where the surge line attaches to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the hot leg, you know, the stop locations and that
2 sort of thing. So some of the detailed analysis from
3 components would probably have to be redone for a
4 particular plant each time you used the methodology,
5 but in general, it should give you an idea of roughly
6 what's going to look important.

7 MR. BRADLEY: As I've indicated, we've got
8 the Comanche Peak PRA model in house. We've run it.
9 We've compared the results to what Texas Utilities
10 reported, and we can duplicate their result, which is
11 good.

12 We're currently reviewing the Comanche
13 Peak model against the ASME standard to see what
14 enhancements will be needed to apply to severe
15 accident induced steam generator containing bypass
16 scenarios.

17 We're also initiating work on HRA related
18 enhancements that will be needed and also something
19 else I wanted to add to this. We're currently
20 developing a list of accident scenarios that will need
21 thermal hydraulic analysis. I think I mentioned that
22 earlier, but that's another activity that we have
23 ongoing.

24 Now, I wanted to describe briefly the
25 probabilistic approach that we envision for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 determining the conditional probability of tube
2 failure before or actually conditional probability of
3 containment bypass for these accident sequences. I
4 wanted to indicate its conceptual approach. As I
5 learn more, the approach keeps evolving in my mind,
6 and so it's conceptual right now, but likely to change
7 as we learn more.

8 The problem keeps getting more and more
9 complicated. I'm hoping at some point we can make
10 some simplifications, but right now it just seems to
11 be growing in complexity.

12 For a given pressure and temperature set
13 of results from the thermal hydraulic conditions which
14 we will determine for a particular accident sequence
15 that comes out of the PRA, we will do the analysis
16 assuming a given pressure set of results. We're doing
17 it for a particular plant. So there will be assumed
18 steam generator flaw characteristics. Here we're
19 looking at not only the size of the flaws, the
20 location of the flaws because we saw earlier that
21 whether they're located -- the position that they're
22 located in the tube sheet, to one side or another of
23 the hot tube, is important. What position axially
24 along the tube is also important because the
25 temperatures that those flaws would see would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drastically different.

2 MR. ROSEN: How are you going to pick the
3 flaws for the plant? Just from what they found in an
4 inspection?

5 MR. BRADLEY: What they found, that is at
6 this point something that we're assuming will be
7 provided to us to do the analysis. I think my
8 discussions with Steve along with that say yes.
9 Probably a little bit of a weakness.

10 MR. ROSEN: Well, Comanche Peak is two
11 plants actually. Both units are different. The units
12 are different. One has one kind of steam generator,
13 and one has another. So the question is: which unit
14 are you going to use?

15 MR. BRADLEY: Well, for this application,
16 we may, in fact, choose just a generic flaw
17 distribution. So, again, we get away from the
18 Comanche Peak specific.

19 But what we'd like to do is start with the
20 flaw distribution that looks like something that a
21 real plant would see. We don't want to create
22 something out of the blue.

23 MR. ROSEN: I don't think going back to
24 flaw distribution that the plant recorded in its last
25 inspection makes any particular sense. First off, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two units at Comanche Peak are different. So you're
2 immediately presented with a question of which unit to
3 use if you take that approach.

4 Instead of that, I would recommend that
5 you find some typical distribution for a plant that
6 has been in service for some time. Don't say this is
7 necessarily a Comanche Peak Unit 1 or 2 distribution.

8 MR. BRADLEY: Yes.

9 MR. MUSCARA: Let me address that a little
10 bit. You know, prior work, we developed three generic
11 flaw distributions based on field inspection data.
12 These generic distributions relate to a plant that has
13 a mild level of degradation, an intermediate level of
14 degradation, a heavy degraded plant, and we've used
15 that in past work. We intend to use this again.

16 In addition, we've developed methodology
17 for predicting the flaw distribution from in-service
18 inspection results and the POD kind of results that
19 you've seen over the last day.

20 So there's a statistical method that's
21 developed, combining in-service inspection results
22 with the probability of detection curves for those
23 results and generating the flaw distribution
24 essentially in the plant.

25 So these are two areas we will be looking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at, the generic flaw distributions and then how does
2 one determine a specific flaw distribution from
3 inspection results.

4 MR. ROSEN: Will the result depend
5 critically on whether or not you find that a plant has
6 lots of degradation or little degradation or will you
7 have to do this parametrically?

8 MR. MUSCARA: I think it will make a
9 difference because --

10 MR. BRADLEY: Potentially.

11 MR. MUSCARA: -- a mildly degraded plant
12 may also mean that the flaws are not very deep versus
13 an intermediate where you have more flaws and larger
14 flaws.

15 MR. ROSEN: So you may come out with
16 results for a plant with severely degraded generators
17 that are not good, and the results for plants or
18 generators that are not very badly degraded that are
19 okay, and it could be different.

20 MR. MUSCARA: So I think we need to look
21 at those three --

22 MR. ROSEN: The plant is also here going
23 to be different because all of these plants with
24 severely degraded generators are being replaced with
25 new generators. All of that stuff you know, but I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just don't know how you're going to handle it all.

2 MR. BRADLEY: I would envision that we
3 would try to bracket the realistic range of plants, as
4 Joe said, severely degraded, not much degradation.

5 DR. KRESS: I suspect that if you do the
6 one without any degradation first, that that may
7 answer your question for you.

8 PARTICIPANT: May?

9 DR. KRESS: You already get too much
10 overlap for the curves probably, and so it's not going
11 to help you to go to the -- at least that's the
12 approach I would take. That's the approach I would
13 take, you see.

14 MR. BRADLEY: We would take a severely
15 degraded plant and find out the probabilities are low,
16 not necessarily a likely outcome, but --

17 DR. KRESS: Well, that's the other
18 approach, but my guess is you've got to go the other
19 route first.

20 MR. WOODS: Well, the frequency of these
21 things may be sufficiently low to compensate for what
22 you're talking about. You know, a really severe flaw
23 will pretty likely fail in some of these transients,
24 which are probably infrequent.

25 DR. KRESS: Yeah, but my point was I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the pristine tubes are going to give you a probability
2 overlap that's already too big.

3 MR. MUSCARA: Yes, but we pretty much know
4 how the pristine tubes are going to behave already.
5 So that I guess another comment, if you really want to
6 tailor the flaw distribution to the Comanche Peak, we
7 need to look at service experience, and these flaw
8 distributions were developed in the past. A flaw
9 distribution for different kinds of degradation
10 processes at different locations in the plants. So if
11 we really want to match it to Comanche Peak, we could
12 see what its history is and then choose the closest
13 flaw distribution for that.

14 DR. KRESS: That would be another route,
15 yeah.

16 MR. KUNSMAN: I caution everybody about
17 things like that the number might be too high. We are
18 developing a methodology. We are having great
19 cooperation unofficially from a utility. We are not
20 calculating a risk from this. If they think we are,
21 we lose that cooperation.

22 DR. KRESS: Okay. You may not be
23 calculating it, but I am.

24 (Laughter.)

25 MR. KUNSMAN: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. AMICO: I guess fundamentally I guess
2 the point you were really making is we could do
3 different distributions. It could turn out that the
4 results are not significantly different for your
5 different flaw distributions.

6 DR. KRESS: That was my point.

7 MR. AMICO: That was your point, yeah, and
8 time will tell.

9 DR. KRESS: Yeah. I'm just speculating,
10 of course.

11 MR. BRADLEY: Well, the real crux of the
12 analysis is a Monte Carlo type of approach that
13 factors in or attempts to factor in all of the
14 different uncertainties that we've heard about
15 yesterday and today into an estimate of an uncertainty
16 distribution for the time at which the leakage rate
17 would reach a condition that would constitute a large
18 release.

19 Again, we're interested in a high rate of
20 leakage that would be viewed as a LERF.

21 CO-CHAIRMAN WALLIS: Now, this is more a
22 technical analysis than a PRA, isn't it?

23 MR. BRADLEY: Yes. This is something that
24 we've tackled because it's probabilistic, but it's
25 really kind of in addition to the analysis of accident

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sequences.

2 MR. AMICO: Yeah. I mean, we need to get
3 a probability somehow. So what we do with the Monte
4 Carlo is, you know, we have distributions on various
5 parameters and that gives you a distribution, a
6 probability distribution on failure time, and you get
7 that for the tubes. You get that for the other RCS
8 components, and to the extent, as you mentioned, the
9 way they overlap gives you the conditional probability
10 that the tubes will precede the RCS.

11 CO-CHAIRMAN WALLIS: Many PRAs are rather
12 simplistic in the way that they muddle what happens.
13 They just put in probabilities and advanced PRA so
14 that it has a complicated model of certain key things
15 going on, which is somehow incorporated into it, and
16 that's what seems to be happening here.

17 MR. KUNSMAN: Along the lines of, if you
18 will the old axial progression of entries after you've
19 got a frequency of core damage, now you go through
20 what's happening inside the containment, balancing the
21 containment failure probability versus the containment
22 loading and that will overlap and whatnot, our
23 accident progression in this case is challenging the
24 tubes so that steam generators.

25 MR. BRADLEY: Okay. The approach would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to calculate initially the failure time for each flaw
2 that is in the distribution. When I first looked at
3 this problem, I thought, well, that would be where we
4 would stop. We would have a flaw. It would proceed
5 to failure. We would say that that was a tube
6 rupture.

7 Well, then we decided that, you know, it
8 could be a flaw that's small and produces a leak. So
9 you've got a leak. It's not a rupture. It's not a
10 large release yet. So you need to keep calculating.

11 So what we plan to do is calculate the
12 failure type for each flaw as the additional flaws
13 happen, accumulate the leakage and calculate the crack
14 opening and the leakage rate, accumulate the leakage
15 until we get to a time at which the leak rate would be
16 substantial and would constitute a large release.

17 MR. MUSCARA: The reason we made this
18 change, in the past we looked at the first tube that
19 burst and then the analysis was done and it was over.
20 To address the DPO issue, for example, and they're
21 concerned about thousands of tubes leaking small
22 amounts, and so that we do need to track the failure
23 of each tube, how much it leaks and track it with time
24 and accumulate the leakage, and when we get to a
25 certain leakage, then one makes a decision whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've had enough leakage to cause a bypass or not.

2 MR. ROSEN: You have another conceptual
3 difficulty in the definition of a large early release
4 in that early release is defined as a release that
5 occurs before substantial evacuation measures have
6 been undertaken. So it's not a number. It's related
7 to emergency response.

8 So you have to have some sort of nominal
9 emergency response in mind.

10 MR. AMICO: And this is definitely an open
11 issue. It's something that we just recently
12 discussed, and we haven't settled on exactly how we're
13 going to approach it.

14 DR. KRESS: The station blackout sequence,
15 for example, proceeds rapidly enough that if you fail
16 enough of these tubes, you had a large early release.

17 MR. AMICO: Well, and the Comanche Peak
18 PRA has a definition of large early release, and
19 they've created essentially a number of LERF plant
20 damage states and that they've defined them, and you
21 know, our initial going in position is going to be if
22 it was good enough for their IPE, it is good enough
23 for us.

24 MR. ROSEN: It may not be generic though
25 because other sites may have a more challenging

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 definition of large early release than a site in the
2 rural area of north Texas. I mean, I'm thinking of a
3 close insight to an urban area. It would be a more
4 challenging definition.

5 MR. LONG: I think we're going to have to
6 be careful not to get hung up on a sort of legal
7 definition of large early release because what we're
8 really talking about is whether or not it's a
9 contained accident or it's an uncontained accident
10 with some level of release, and you know, nine-tenths
11 of a LERF is probably just about as bad as LERF.

12 Unless you're really saying kill somebody
13 with an acute dose or not, there may be a boundary
14 there.

15 MR. ROSEN: Just pointing out the
16 conceptual difficulties you've got, and you're going
17 to have to solve them with some sort of meaningful
18 generic approach.

19 MR. LONG: Well, we can use sort of a
20 Level 3 approach as opposed to a LERF/non-LERF
21 approach to make sure it's not a hard edge on the
22 thought process.

23 MR. MUSCARA: That's an issue we struggled
24 with, and in fact, I wanted to stay away from LERF, to
25 begin with. I would like to have a definition of what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is leakages of interest so we can say we have
2 contained bypass or we have avoided a contained
3 bypass. And at this point we don't know exactly what
4 that is, but any input you can give us on that would
5 be useful.

6 DR. KRESS: Well, let me ask you a leading
7 question then. Suppose I took some sort of generic
8 set of plants to do an analysis and forget all of this
9 calculation and say that when I automatically get a
10 containment bypass for this sequence, for this set of
11 sequences; just forget whether it fails first or
12 something else fails first. Just say, okay, it's going
13 to fail first.

14 You can do the risk calculation and then
15 compare that risk with some acceptance criteria which
16 in my guess would be something like one-tenth of a
17 prompt fatality safety goal, would be a good start
18 because that's what's used in PTS, right?

19 And if you met that goal already, why do
20 this? Without going to all of this trouble, you could
21 already decide with some uncertainty analysis whether
22 or not you've met an acceptance criteria.

23 MR. WOODS: I don't think we can use PTS.
24 We were still in the process of determining what
25 acceptance criteria --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Well, you know, a good
2 acceptance criteria would be one-tenth of the prompt
3 fatality safety goal. I think you could sell that to
4 most people.

5 MR. LONG: Well, we've sort of tried that,
6 and --

7 DR. KRESS: Oh, you've tried that already?

8 MR. LONG: And sort of what we're going to
9 need then to do with a good PRA is figure out what the
10 frequency of the sequences are that look like they
11 could be a challenge.

12 MR. BRADLEY: that's what's done in the
13 PRA.

14 MR. LONG: That's right, but it hasn't
15 been done very well. I mean, Bob Paulo (phonetic) and
16 I tried to do it, and then we tried to get some better
17 PRAs than the 1150 work that we started with, and we
18 were getting widely different answers because the
19 licensees were doing it with their own PRAs, and we
20 checked and we could easily find additional things.

21 DR. KRESS: I think that would be the
22 first thing that I --

23 MR. LONG: That's one main question.

24 DR. KRESS: Yeah, I think that would be
25 the first thing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LONG: The second though is there are
2 a few things that aren't tracked in the usual PRAs
3 that are important here, like the probability that the
4 secondary side becomes depressurized by a valve
5 sticking open. They leak down by operator error of
6 commission or intentional action under the SAMGs. So
7 these are things that they need to put into the PRA
8 now to start asking what's the frequency with which
9 the thermal hydraulic challenges need to be
10 considered.

11 Right now it looks like we are a couple of
12 orders of magnitude higher than we could say is
13 clearly where we could stop. Now, if we can reduce
14 the frequencies with these other considerations from
15 what we know the station blackout frequencies are,
16 well, yeah, but the secondary side doesn't
17 depressurize.

18 You know, if you can get it down low
19 enough with just the PRA work will stop.

20 DR. KRESS: Okay. You'll do that part.

21 MR. LONG: We've tried before and we
22 couldn't stop. So if we stop this time, we will.

23 DR. KRESS: I didn't realize you had done
24 that, yeah.

25 MR. BRADLEY: Well, the other important

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 aspect of this is something we heard just a short time
2 ago, was about the probability of failure of other
3 RCS components. What Saurin presented were failure
4 times or specific failure times, and we talked about
5 the uncertainty in the models, the uncertainty in the
6 thermal physical properties of the materials.

7 What you're going to end up with is a
8 probability distribution, not a single time, and it's
9 possible that those distributions will be wide enough
10 so that there will be a significant probability that
11 the tubes will fail first, even though the mean of the
12 distribution may indicate that the failure would occur
13 after.

14 DR. KRESS: Even if it's .5, you've still
15 got a problem.

16 MR. BRADLEY: Oh, yeah, a lot of problems
17 if it's .5.

18 So if we roll the two sets of
19 distributions together, we end up with a conditional
20 probability that the tubes would fail first, and you'd
21 have containment bypass for a given accident sequence
22 because the accident sequence will, of course,
23 determine the pressure and temperature conditions with
24 the tubes and the other RCS components we'll face.

25 One of the major uncertainties we view as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the thermal hydraulic input into all of these
2 analyses, I think it's important that you cannot
3 consider the pressure temperature curve that you get
4 out of the thermal hydraulic analysis as the real deal
5 and that you actually look at the uncertainty in that.

6 And it may actually extend to looking at
7 other thermal hydraulic models. For example, the MAAP
8 code gives you different results. We're not sure why
9 the MAAP gives you different results, but it does, and
10 it's an accepted industry tool.

11 So we need to understand the sensitivity
12 of the predictions to the uncertainty in the thermal
13 hydraulic inputs. So that's something else that we
14 need to do as well.

15 CO-CHAIRMAN WALLIS: Well, there are
16 probably some physics that the MAAP code does not
17 model very well.

18 MR. BRADLEY: That would be something that
19 would be important to determine, but I think in some
20 early comparisons of MAAP and SCDAP/RELAP, we found
21 out that there was some physics in SCDAP/RELAP that
22 one thing handled well and so the --

23 CO-CHAIRMAN WALLIS: There are some funny
24 things about mixing that maybe SCDAP/RELAP does as
25 well, but I think MAAP does some weird things about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mixing phenomena in places where flows come in and
2 mix.

3 MR. MUSCARA: Chris has left, but I know
4 he has a program in place to do an evaluation of MAA
5 versus RELAP. So we hope to learn from that and
6 update our code if it needs to be updated.

7 MR. BRADLEY: Or get them to update MAA
8 if it needs to be updated. It would be nice to get
9 some convergence.

10 DR. RANSOM: Certainly I think the
11 uncertainty in this analysis is huge. You know, when
12 you look at it from the standpoint of going from the
13 one dimensional hydraulic transient codes through even
14 non-severe accidents and getting into the point of
15 core heat-up, core damage, multidimensional flow
16 through the system.

17 Then when I listen to the structural
18 calculation or presentations, as well, as far as how
19 it would behave, uncertainty in some of the structural
20 properties, it just seems like there's a huge
21 uncertainty as to which way you go. You know, do the
22 tubes fail or does some other part of the system fail?

23 And I don't know how you plan to
24 incorporate that, but I sort of support Dr. Kress'
25 feeling that that uncertainty may dominate the whole

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing and, you know, what really governs risk is just
2 whether or not you have an event that leads to this or
3 not.

4 MR. BRADLEY: I mean, if we end up with .5
5 for the conditional probability that you get
6 containment bypass almost regardless of the scenario,
7 then clearly you need to focus on the accident
8 sequences and try to do something there. At this
9 point we don't know, but that's certainly an outcome
10 that's possible.

11 CO-CHAIRMAN WALLIS: Point, five is sort
12 of the guesstimate when everything is overlapped so
13 much that you can't sort it out?

14 MR. BRADLEY: We don't know. Flip a coin.
15 As far as the modeling of tube failure and
16 leakage, I think Saurin discussed a little bit about
17 the creep rupture models that Argonne developed for
18 crack pop-through, that is, failure of the remaining
19 ligament for part through-wall cracks. There have
20 been previous studies that Argonne has done to look at
21 the various tube failure models, and they developed
22 their model, and it appears to be the best of the
23 available models. Their model compares very well to
24 test data, and so it's the model we've adopted for use
25 in our probabilistic analysis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's also fairly simple and amenable to
2 the kinds of things that we need to do. It predicts
3 a failure time based on the creep damage index of one,
4 the same sort of thing that we heard earlier.

5 There are also tube leakage models that
6 Argonne has developed that we're going to use for the
7 second phase where we try to accumulate the leakage
8 from the failed tubes. These models have also been
9 benchmarked against test data.

10 Now, those models apply primarily to tubes
11 that have part-through wall failures. For through-
12 wall cracks you can do a limit load analysis to
13 predict burst of tubes, and that's the sort of
14 analysis that we'll use for tubes that have through-
15 wall cracks.

16 What we would like to do is consider the
17 full range of uncertainties. I've identified some of
18 the key ones on this slide. As far as flaw
19 characteristics, we want to know the distribution for
20 the length and depth of the flaws. We want to know
21 the distributions for the number and locations of the
22 flaws.

23 CO-CHAIRMAN WALLIS: Isn't this one of the
24 areas of greater uncertainty?

25 MR. BRADLEY: It is. It definitely is.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The inspections provide some information, but they're
2 not 100 percent accurate. So we need to do some
3 extrapolations.

4 CO-CHAIRMAN WALLIS: At least you have
5 inspections. It's not like PTS where you have to make
6 more assumptions about where the flaws are and how big
7 they are.

8 MR. BRADLEY: That's true.

9 A parameter that has turned out to be very
10 important in my initial studies is the Larson-Miller
11 creep rupture parameter. There's a distribution that
12 Argonne provides --

13 CO-CHAIRMAN WALLIS: That's the one that
14 has powers of ten and things like that and is very
15 sensitive?

16 MR. BRADLEY: Yes, very sensitive, and
17 Argonne provided a distribution that they used. I
18 think that seems appropriate.

19 CO-CHAIRMAN WALLIS: Is this something
20 which is a standard in the materials area? Everybody
21 knows where it is and --

22 CO-CHAIRMAN FORD: Larson-Miller? Yeah.

23 CO-CHAIRMAN WALLIS: It's not something
24 that has just been invented for a new year.

25 CO-CHAIRMAN FORD: Oh, no. They've run a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 long time.

2 MR. BRADLEY: Another parameter that's
3 used in the Argonne model is the stress multiplier.
4 That's the M sub P. There's some uncertainty in that
5 value based on I guess it's the uncertainty in the
6 flaw characteristics or what produces that, Bill?

7 MR. SHACK: Assuming we know the flaw
8 characteristics, it's not a perfect correlation. So
9 it would be some --

10 MR. SIEBER: Can't hear you.

11 DR. KRESS: Would you use the microphone,
12 please?

13 CO-CHAIRMAN WALLIS: Would you identify
14 yourself?

15 DR. KRESS: Identify yourself.

16 (Laughter.)

17 MR. SHACK: Bill Shack.

18 Even when you have well characterized
19 flaws, you know, it's not a perfect model. So there's
20 some uncertainty, but that is, in fact, characterized
21 in an Argonne report, a distribution for that inherent
22 error that has to be, again, added on top of the
23 uncertainty you have when you're dealing with real
24 flaws and you have uncertainties in the depths and
25 shapes of those.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BRADLEY: There's also, of course,
2 some variation in the temperature that the tubes see.
3 We've got radial variations that Chris talked about
4 this morning, and of course, there's also an axial
5 variation as you move up the tube. The temperature
6 tends to drop. So we need to factor those into the
7 analysis.

8 CO-CHAIRMAN WALLIS: Well, the whole
9 temperature distribution in the steam generator is
10 rather incomplete because you don't know much about
11 what's happening on the secondary side. We mentioned
12 that this morning.

13 I think that's an area where somebody has
14 got to go away and figure out better what's happening
15 on the secondary side.

16 MR. BRADLEY: Yes. There are also some
17 uncertainties related to tube burst and tube leakage.
18 We haven't pinned those down yet, which is why it's
19 shown as to be determined, but again, we want to make
20 sure that we consider all of the important
21 uncertainties. So we'll address those as well.

22 I mentioned the pressure, the thermal
23 hydraulic conditions are uncertain. The variations in
24 thermal hydraulic parameters, such as those that Don
25 talked about this morning; variations caused by use of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different computer codes, something else I alluded to
2 earlier.

3 CO-CHAIRMAN WALLIS: Tricky. You're going
4 to run a whole lot of different computer codes?

5 MR. BRADLEY: Well, I think what we
6 envision is trying to get the TH experts to say,
7 "Okay. This is our median estimate of the pressure
8 temperature history. We think it could be this or
9 this, you know, based on their experience running
10 their models, and we'll attempt to reflect that
11 uncertainty in the model.

12 CO-CHAIRMAN WALLIS: I think you've got to
13 be careful here. If you run TRACE and RELAP and some
14 Westinghouse code and all of that, you may be
15 surprised at the difference you get.

16 MR. BRADLEY: I suspect that there will be
17 large differences, but again, it's model uncertainty
18 that is there, and we need to try to consider that.
19 It may make the distributions extremely wide, but so
20 be it.

21 And then, of course, the models for
22 failures of other RCS components were subject to a lot
23 of the same uncertainties that tube failure are
24 subject to and quite a bit of additional ones, I'm
25 sure. So we need to make sure that those are covered.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And what we would envision there is trying
2 to get the experts, again, to tell us what they view
3 as the uncertainty in the time of failure.

4 Now, it's always difficult to do that with
5 experts. They tend to want to think that their models
6 are accurate, but we'll do our best to try to get them
7 to be realistic in representing the uncertainty in
8 those times to failure.

9 CO-CHAIRMAN WALLIS: The experts go
10 through a kind of life span when they start out and
11 they become first experts, and they think they know
12 everything, and then as they get more and more expert,
13 their uncertainties tend to increase, to widen.

14 MR. SIEBER: Until they're totally
15 humiliated.

16 (Laughter.)

17 CO-CHAIRMAN WALLIS: I'm really impressed
18 by the breadth of stuff you're undertaking here.

19 CO-CHAIRMAN FORD: And to be completed by
20 the end of 2005, as I understand it.

21 MR. BRADLEY: That's why I said I'm hoping
22 that we can make some simplifications because right
23 now it just looks fairly overwhelming.

24 CO-CHAIRMAN FORD: Challenging

25 .MR. BRADLEY: Challenging, very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 challenging.

2 MR. MUSCARA: But also, a lot of the
3 inputs and building blocks are there.

4 CO-CHAIRMAN FORD: Yes.

5 MR. BRADLEY: Well, we have actually done
6 some work in modeling tube fairly. I've put the
7 Argonne creep rupture models into Excel. I've
8 benchmarked the Excel model against the Argonne test
9 results and against the model predictions that Argonne
10 has reported, matched to both of the test results and
11 their model predictions.

12 The reason why we've selected Excel for
13 this is that there's an Excel add-in called Crystal
14 Ball that can be used for Monte Carlo simulations.
15 You can input uncertainty distributions for any input
16 parameter of the model. There's a streamline way for
17 doing that within Crystal Ball.

18 Crystal Ball then does the leg work and
19 does the statistical analysis and reports nice plots
20 of probability distributions for the output parameters
21 that you select.

22 So I've used it in the past. It does a
23 very good job. You can either do light Hyper Cube and
24 Monte Carlo at your selection. I've done some of that
25 already, and I've gotten some distributions for time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to failure. Unfortunately I don't have any of that
2 information that I brought with me. I think I've got
3 it on a laptop if anybody would be interested.

4 The model calculates the time of pop-
5 through failure for each flaw, and you can input
6 uncertainty distributions for the flaw depth, the flaw
7 length, the temperature, the location, and it will
8 produce an uncertainty distribution for the time of
9 pop-through failure. But, again, that's just the
10 first step.

11 Next we need to try to incorporate verse
12 failure for those flaws that are through-wall
13 initially and to incorporate models for tube leakage
14 into the spreadsheet. Now, we need to build a
15 framework for aggregating the leakage as consecutive
16 tubes or tubes fail in sequence and for somehow
17 identifying the time at which you've reached that
18 critical leakage rate, which is yet to be determined.

19 We'll then use Crystal Ball to produce the
20 uncertainty distribution for the time at which that
21 critical leakage level has been reached, and then what
22 we'll do is then, as I've indicated, run a series of
23 calculations to determine the sensitivity of those
24 predictions to those uncertainty in the thermal
25 hydraulic input conditions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So this is my summary slide. We developed
2 a probabilistic approach for assessing severe accident
3 induced steam generator containment bypass scenarios.
4 The underlying assumption again is that the analyses
5 will be part of a risk informed application so that
6 the starting point of the PRA needs to be a capable
7 PRA with capabilities that we've attempted to define
8 based on the ASME standard, along with enhancements
9 that would be required for this particular one.

10 We've prepared a graph methodology and an
11 application of methodology is currently underway. We
12 fully expect the methodology to change as we proceed
13 through our application.

14 The methodology uses traditional PRA
15 methods. There's nothing too exotic. We draw heavily
16 on the experience of the PTS group and use a lot of
17 the techniques that they developed.

18 CO-CHAIRMAN WALLIS: How could it not be
19 a risk informed application? How else would you make
20 a decision on something like this?

21 MR. BRADLEY: I don't know.

22 MR. AMICO: I mean, it's just the
23 construct of where we decided to come from since the
24 ASME standard had been issued and there was a
25 framework for doing a risk informed application,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meaning, you know, an application to the NRC that's
2 risk informed.

3 CO-CHAIRMAN WALLIS: It's really
4 questionable stuff. How else could you make a
5 decision on this issue except some risk informed
6 basis? You don't have a standard criteria for this
7 kind of an event.

8 MR. LONG: Well, you really can't do it
9 without being risk informed because the design basis
10 for the reactor coolant system didn't include a high
11 pressure core melt. You know, the ECCS is to prevent
12 that. When you go the containment where core melt is
13 part of the design basis, it was unfortunately a low
14 pressure core melt. So the only thing that challenges
15 the tubes in the design basis is, you know, the iodine
16 spike given the main steam line break, which isn't
17 really from a risk standpoint anywhere near as
18 important as a core damage sequence.

19 CO-CHAIRMAN WALLIS: If you didn't want to
20 be risk informed, you have to write a new regulation
21 with deterministic regulations in it somewhere.

22 MR. LONG: Exactly, and you need a backfit
23 analysis to do it and we need this analysis to justify
24 the back fit. So we have to do this to get anywhere.

25 MR. BRADLEY: We've got an updated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Comanche Peak PRA. We're using it to do the initial
2 application of the methodology. We're going to
3 enhance it to meet the needs of this particular
4 application.

5 We will use the enhanced PRA to determine
6 the frequency of conditions that could lead to severe
7 accident induced steam generator containment bypass
8 scenarios.

9 Work, as I've indicated, is also underway
10 on an approach to estimating the probability of steam
11 generator containment bypass for a given accident
12 sequence. It involves a Monte Carlo analysis that
13 will reflect the full range of modeling uncertainties
14 and parameter uncertainties, and will give us an
15 estimate of the uncertainty or the probability of --

16 CO-CHAIRMAN WALLIS: That's difficult.
17 Excuse me. That full spectrum modeling uncertainties,
18 I mean, you touched upon it, but there are basic
19 uncertainties in predictions of a code like RELAP
20 having to do with the assumptions in the code and all
21 sorts of the ways it's structured and so on. And
22 they're not universal. I mean, they should depend on
23 the application.

24 For certain problems it does a good job.
25 For other problems, lots of uncertainties. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 answering the question about how uncertain is RELAP
2 for this particular problem is really a very difficult
3 question to answer.

4 MR. BRADLEY: And we're going to do our
5 best to try to capture it, but you're right. It's
6 very, very difficult.

7 MR. AMICO: I mean, to a large extent, we
8 have to do -- it's going to be an elicitation process
9 of the uncertainties as people view them, not unlike
10 the way it has been done in seismic analysis. I think
11 we're probably in a problem that has got about as much
12 or as complicated an uncertainty structure as a
13 seismic one, and I mean, our intent will be to use
14 expert elicitation to help determine the uncertainties
15 we need to address.

16 CO-CHAIRMAN WALLIS: Well, ask the experts
17 who have never actually run a code to solve this
18 particular problem and to guess what might be the
19 uncertainty. I think that's a very risky business.

20 MR. KUNSMAN: I'm sorry. Could you --

21 CO-CHAIRMAN WALLIS: You can take -- well,
22 maybe my colleague Vic Ransom could answer -- but if
23 he were an expert asked to estimate the uncertainties
24 in this kind of a prediction, I think unless he had
25 actually run the code for the kind of conditions we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talking about here and found out what kind of problems
2 he got into, he would have a great difficulty giving
3 you any kind of a figure for uncertainty.

4 DR. RANSOM: Well, my uncertainty would be
5 one, I think.

6 CO-CHAIRMAN WALLIS: It would be as big as
7 possible?

8 DR. RANSOM: I'd assume the worst
9 situation and take the best.

10 CO-CHAIRMAN WALLIS: Well, that's too
11 much.

12 DR. RANSOM: When I say that I'm including
13 the calculation beyond, you know, the dry-out and
14 severe damage and heat-up and this natural circulation
15 through the steam generators that we've been talking
16 about today.

17 When you couple all of that together, just
18 it would boggle my mind to put any kind of uncertainty
19 estimate on that.

20 DR. KRESS: Well, you know, there's a lot
21 of uncertainty in how the core heats up and melts down
22 and stuff, but I think all of that uncertainty gets
23 wrapped into both parts of the thing, and you can
24 almost ignore that and look at, well, now I've got
25 things uncovered and I've got steam going by and I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lighting off the zirconium fire.

2 It's from there on, the flow rates you get
3 and the temperature excursions, you know, the
4 certainties that are important because everything
5 before that is going to --

6 MR. BRADLEY: It gets you to a point in
7 time.

8 DR. KRESS: It gives you a point in time,
9 is all it does, and you don't care about that really.
10 It's the difference in the time from there on.

11 So, you know, I have some hope that they
12 could get an uncertainty out of this, and it involves
13 this counter current flow crap that -- not crap, but
14 I think tha's where the uncertainties are going to
15 lie.

16 CO-CHAIRMAN WALLIS: It's much easier than
17 many of these calculations because it's single phase
18 steam flow. It's not as if you've got two phased
19 phenomena, which really screw up a lot of these
20 problems.

21 DR. KRESS: Yeah, and that cuts down on
22 your --

23 CO-CHAIRMAN WALLIS: So that gives you a
24 good basis, but then these mixing patterns and
25 circulations and so --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Yeah, well, that's where the
2 uncertainty is.

3 CO-CHAIRMAN WALLIS: That's why you need,
4 I think, really good CFD, which has, I think, probably
5 much less uncertainty than just a RELAP model with
6 some guess at mixing. That's where I think really CFD
7 has helped us a great deal.

8 DR. KRESS: But I have some hope that you
9 could come up with a fairly reasonable uncertainty.

10 CO-CHAIRMAN WALLIS: Yeah. Chris Boyd can
11 model the turbulence different ways and so on and get
12 some range of uncertainty. Don't ask the expert who
13 hasn't done that. I think one expert like Chris, who
14 is believable, is better than ten guys who have run
15 RELAP and are guessing.

16 MR. LONG: One thing we need to do with
17 this to help us use the result is to ask ourselves
18 what's the sensitivity to the level of uncertainty in
19 certain things because if we just take an uncertainty
20 distribution and fold it into the answer, you know, if
21 it was a guess at the uncertainty distribution, it
22 would have been just a lot cheaper to guess the answer
23 instead.

24 And so we need to get something out of
25 there that will work, and that would be to say that if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you can be this certain about it, then you can make
2 this decision, but if you have a much broader
3 uncertainty, then it would maybe change your decision.

4 CO-CHAIRMAN WALLIS: Does NRR operate that
5 way? I mean take ten experts to guess the answer.

6 MR. LONG: Well, there's a lot of
7 summaries of experts guessing the answers in NUREG
8 1150, which is what we work a lot from right now.
9 We're hoping to get something that goes beyond that
10 with this effort.

11 MR. BRADLEY: The only other thing I
12 wanted to say before closing was that the last bullet
13 on this slide is clearly the work that we're doing
14 will require very close interaction with the other
15 aspects of the program, which is why we've set up
16 these fairly regular meetings, to get together and
17 have technical information exchange.

18 So again, that's something that we draw on
19 the experience from the PTS folks where that sort of
20 interaction was necessary.

21 CO-CHAIRMAN WALLIS: So someone is in the
22 manager's seat. There's the chief engineer making all
23 of this happen and all of the interactions and making
24 sure that the progress is being made.

25 MR. MUSCARA: That's been a function of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the integrating all of the work in the Research
2 Office. I plan to have meetings every two months
3 with the team and contractors as needed.

4 CO-CHAIRMAN WALLIS: Every two months?
5 This must be happening every day on this.

6 MR. MUSCARA: But between the individual
7 people, but when the whole group gets together and
8 make sure things are going on the way they should be
9 going on.

10 CO-CHAIRMAN WALLIS: Well, it's very
11 important to get a kind of morale going where people
12 talk to each other very quickly as soon as they find
13 something.

14 MR. MUSCARA: Sure, and that's already
15 going on.

16 CO-CHAIRMAN FORD: And that was lessons
17 learned from the PTS program, another multi-technical
18 thing which worked very well.

19 Are there any more questions on this
20 particular talk?

21 (No response.)

22 CO-CHAIRMAN FORD: Joe, would you like to
23 make any ending statements?

24 MR. MUSCARA: Well, simply I've enjoyed
25 interaction over the last two days. I think in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking at the DPO and whether the issue is close, in
2 effect, formally the issue is closed because we have
3 this activity and because the ACRS and the staff has
4 concluded that it's not a safety concern.

5 I would recommend that we have this kind
6 of meeting annually so that we can keep you updated on
7 the progress of the work if that's what you would like
8 to have.

9 CO-CHAIRMAN FORD: Yes, i think that would
10 be a very good idea.

11 MR. ROSEN: Did you plan to go around and
12 ask us questions?

13 CO-CHAIRMAN FORD: I planned to do that,
14 Steve.

15 Normally at this time at these
16 subcommittee meetings we go around the table. I'd
17 just like to remind us that this was billed as an
18 informational meeting. No letter has been requested.
19 The information was to address more specifically the
20 progress being made on our recommendations in NUREG
21 1740 on the DPO issues, where it was going, what was
22 nearing completion, what was completed.

23 So I'd like to ask the members to address
24 two questions, please. First of all, do you see the
25 need for a letter? And if so, what topics should be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 covered?

2 And the second request is to give the
3 staff a guidance as to how to most efficiently run
4 their two-hour session tomorrow on what has been gone
5 through in the two-day item.

6 MR. SIEBER: Talk real fast.

7 CO-CHAIRMAN FORD: So, Jack, we'll start
8 with you and go around the table.

9 MR. SIEBER: I'm not sure I can answer
10 your first question first, which is do you need a
11 letter., but I thought all of the presentations and
12 the work done so far was very good with one exception,
13 and that's the iodine spiking issue, which basically
14 I don't know if we're at the stage of a disagreement
15 or not, but apparently we have an opinion about how
16 that should be treated that differs from the staff,
17 and to me it's unresolved at this point in time.

18 But otherwise, I think the work that has
19 been done so far is good work. There's a couple of
20 things I need to think about a little bit just to make
21 sure that I understand it properly, and I'm sure that
22 if I come to some adverse conclusion, I will make that
23 conclusion known, but right now I don't have that
24 feeling.

25 CO-CHAIRMAN FORD: Okay. In terms of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 advice to the staff for tomorrow's meeting, it's my
2 understanding, Joe, that you are going to essentially
3 confine yourself to the summary slides. You're going
4 to confine the number of presenters, and that you are
5 going to have back-up information on the iodine
6 spiking and on the PRA.

7 Since the members -- you just arrived,
8 Steve and Mario, but also George Apostolakis is not
9 here today. So he hasn't heard this presentation, but
10 that was, I think, the going plan that you had at this
11 time. So if you could give them further advice on
12 that basis, it would be appreciated, I'm sure.

13 Mario.

14 DR. BONACA: Well, with regard to that
15 first question, should we have a letter or not, at
16 some point we will need to have a letter. I mean,
17 clearly, the ACRS raised a number of issues on the
18 DPO, and I think the work we have seen here, I mean,
19 I only participated yesterday and then somewhat this
20 afternoon, but the work I saw yesterday had incredibly
21 addressed some of the issues that were raised by the
22 ACRS.

23 I think that there were some convincing
24 cases made for the kind of delta Ps across the plates.
25 I mean, there were issues there of concern regarding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what the consequences of a steam line break would be
2 or the steam generator. I think those have been
3 addressed, and I think that I cannot comment on that
4 at this point because I missed that portion of the
5 presentation, but I think at some point we will have
6 to address how this work is satisfactorily addressed
7 in the issue before the ACRS.

8 I think we have already sufficient
9 information to address some of that.

10 Regarding the PRA, clearly, it's a work in
11 progress. I mean I think it's a challenging issue.
12 I think it's a very interesting endeavor. I think
13 that just the issue of address failure of passive
14 components is intriguing to me now and how you're
15 going to treat it.

16 But, again, there is no need for
17 commenting on that. We can just note that there's
18 work in progress.

19 On this issue of the competing facts of
20 either -- I mean, which will fail first, steam
21 generator tubes for the bypass (phonetic) or not?
22 That's again a work in progress. We don't need to
23 comment on the outcome except for whatever insights we
24 have.

25 So a letter could be developed at this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stage that may close some of these issues that we
2 raised.

3 Insofar as the presentation tomorrow, it
4 seems to me that for those members who are not here,
5 particularly Dana Powers, I would expect that this
6 focus of attention is going to be those issues that we
7 raised in the report and how they've been addressed.
8 So it would be more focusing on the results and how
9 they address those questions or issues that we raised
10 on the ACRS.

11 I mean, yesterday is a lot of information
12 on details of how the calculations were done and what
13 results. I would focus on those results because two
14 hours is not much of a time for presentation.

15 CO-CHAIRMAN FORD: Is it possible in your
16 summary slides -- I mean, your summary slides, if it's
17 based on today, is not just on the issues raised in
18 the NUREG 1740, but, for instance, the use of the POD
19 of .6, the database for seven-eighths tubes, the
20 spiking factor for iodine. These are all issues that
21 were quite clearly either concluded or recommended in
22 the final section of NUREG.

23 So maybe when you go through your summary
24 slides you could emphasize those particular items.
25 For instance, PRA does not appear in NUREG 1740.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That's what essentially you're recommending, is it?

2 DR. BONACA: Well, POD is a good example.
3 I mean, except the statement was made, and I think an
4 answer has been provided regarding POD and the
5 dependency of POD on a number of parameters, and I
6 think you've made a convincing case.

7 I'm only saying what I expect to see. I
8 realize that the presentation covers more ground than
9 the observations we made. I'm only saying that for
10 the presentation to the ACRS you probably will see
11 some focus on those issues that were raised in our
12 report.

13 MR. MUSCARA: My thought had been that I
14 would simply mention that, you know, there was a
15 concern about the fixed value of POD, and that we've
16 done work to characterize the entire POD curves and a
17 number of parameters, but I wasn't planning on showing
18 any of the data.

19 DR. BONACA: No. In fact, I mean, you
20 won't have the time anyway because, you know, in two
21 hours that would include also discussion on the part
22 of the ACRS. You won't have the time to show how they
23 work.

24 MR. SIEBER: I think there is some
25 interesting outcomes from the round robin on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probability of detection, you know. Not only do we
2 learn that it's not a fixed number, but a
3 distribution, but the distribution is a function of
4 flaw size which gives confidence that if you have
5 something significant out there, you're going to find
6 it.

7 I think that's important, and I thought
8 that was a pretty good effort, too.

9 DR. BONACA: You can always pull out
10 slides as needed if you get additional questions.

11 CO-CHAIRMAN FORD: Steve?

12 MR. ROSEN: Yes. I'm Steve Rosen, an ACRS
13 member.

14 As far as a letter tomorrow is concerned,
15 I really don't have any comment on that. I wasn't
16 here yesterday. So I heard 50 percent of what you did
17 today. I was in and out all day today. So I heard
18 nothing more than about 25 percent plus or minus ten
19 percent of what you've done. So I really have no view
20 on that.

21 And so I have no guidance for you on
22 tomorrow's session either, except to say that there
23 will be some of us who really haven't heard much of
24 this at all. So you need to put a framework about it.
25 It's not on the ACRS when the NUREG 1740, is it, was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 written? So I have background there either.

2 I do have one technical question which
3 comes back to the matter I raised earlier, which was
4 on the assumption of instantaneous failure of the RCP
5 seals at time zero. I asked that question and was
6 told, oh, yeah, that's what it showed. That's what
7 the Westinghouse analysis shows.

8 But I wonder about that because what does
9 operating experience on the behavior of reactor
10 coolant pump seals given a reactor coolant pump trip
11 tell us. Every time we have tripped a reactor coolant
12 pump have we lost the seals?

13 MR. PAGE: No.

14 MR. ROSEN: I rather doubt that.

15 MR. PAGE: This is Joel Page.

16 The 21 gpm is not a seal failure. That's
17 just flowing in the other direction. In other words,
18 it came from GSI 23 basically where you lose seal
19 cooling and somebody finally realized that without
20 failing the seals, the delta P associated with that
21 will flow in the reverse direction.

22 So it's not really the failure of the
23 seal.

24 CO-CHAIRMAN WALLIS: Or flow through the
25 seal without failing it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAGE: Without failing the seal.

2 The other flow rates --

3 DR. KRESS: These are elaborate seals?

4 MR. PAGE: They're actually the three-
5 level seals, and they actually have three different
6 levels that they go to. Some go up.

7 But I'm saying that the 21 gpm, the lowest
8 level, is not actually a seal failure. It's just
9 actually flowing in the other direction.

10 MR. ROSEN: Back through the seals into
11 the component cooling water system?

12 MR. PAGE: There's two or three different
13 directions they go in. They're actually a very, very
14 complicated seal package on those things, and so I
15 don't have the drawing right in front of me, but like
16 I said, the 21 gpm does not constitute a failure per
17 se. It's just because of the large delta P normally
18 you're pumping into the seals at about five or six
19 gpm, but now the delta P situation is much larger, and
20 so all you're doing is flowing back in --

21 MR. ROSEN: So you're losing reactor
22 coolant out through the seal package.

23 MR. PAGE: That's correct.

24 MR. SIEBER: And you're getting the seal
25 package up.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KUNSMAN: This is Dave Kunsman.

2 I thank you for bringing this back up
3 because I do want to correct something. Paul reminded
4 me when I responded to your question, I was only
5 thinking of the 21 gallons per minute one. I did not
6 think about the 163 or the 183 that's in their
7 presentations earlier, and I do not know if they
8 applied the Comanche Peak at all. The 21 gallon per
9 minute one I'm fairly certain does.

10 MR. ROSEN: Does it matter, all of this
11 discussion of 21 versus 163? Do we know whether it
12 sends the final result, which is the horse race,
13 between failure of the RCS versus failure of the steam
14 generator tube? Does this seal leakage behavior early
15 in the transient matter?

16 MR. KUNSMAN: Yes.

17 MR. AMICO: You missed the earlier
18 presentation that ISL did this morning, and they did
19 a sensitivity on that and they actually did show that
20 the margin to the tubes failing before the surge line
21 changed based on that.

22 CO-CHAIRMAN WALLIS: With a big enough
23 leak, the problem goes away.

24 MR. PAGE: That's correct.

25 CO-CHAIRMAN WALLIS: It becomes a LOCA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: So what you want to do is just
2 exactly the opposite of what the utilities have done,
3 which is build more robust seals.

4 MR. PAGE: Actually we could ask them to
5 take the Log 2000 seals out and put the old ones back
6 in.

7 CO-CHAIRMAN WALLIS: No, but there are
8 other more likely events for which you need a good
9 seal.

10 MR. ROSEN: Well, I think what all of this
11 says is that I'd like to see some really good
12 analysis, mechanistic analysis. Forget about
13 probability. Just tell me what you think is really
14 going on with leakage early in this transient because
15 at least there I don't have to think about a whole lot
16 of things that are indeterminant and uncertain.

17 I know what the delta Ps are. I know what
18 the seal designs are. I can pretty well tell where
19 the water is going to go.

20 MR. PAGE: Actually the seal investigation
21 we're doing, which we're launching now, soon,
22 unfortunately was delayed because originally the
23 original assumption we went with were zero leakage,
24 and when we were picking components to investigate, we
25 said, "What are the time temperatures at the seal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 area?" and they weren't that high. They weren't that
2 high when we looked at the Log 2000, you know, report
3 in generic safety issue 23 resolution.

4 So we didn't pursue them then. Subsequent
5 to that time, it looked like they were going to be at
6 least 21 gpm. It started changing the picture. It
7 looked like a route now of hot gases into the seals
8 coming from the cold leg side actually which we had
9 not investigated. We had really concentrated on the
10 hot leg, but the cold leg side that looks like access
11 coming directly to the seals rather early in the
12 scenario.

13 So we do want to pursue that.
14 Unfortunately we're just now really getting into it
15 mechanistically.

16 CO-CHAIRMAN FORD: Graham.

17 CO-CHAIRMAN WALLIS: Well, I was pleased
18 with what I heard today. I've already say that in a
19 few instances.

20 And the question is: how do we best add
21 value to this operation, these tasks? Should we write
22 a letter?

23 Well, why would we write a letter? I can
24 think that in the letter we might give the Commission
25 and the NRC management some assurance that the work is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on track if they want to know that, if they need some
2 assurance of that type.

3 We might wish to evaluate the work,
4 various pieces of the work, make suggestions for
5 improving the analysis or changes in direction and so
6 on.

7 I think at the end that we would want to
8 emphasize that what's very important is what we just
9 heard here, and what we said at the beginning of this
10 whole show was it all has to come together somehow,
11 and that's a lot of work.

12 When you try to bring it together, then
13 you may find out the relative importance of all of
14 these things, and then what it was that you needed to
15 know better and what other things you spent a lot of
16 time on and you didn't need to know so well.

17 Now, my inclination is to say I think that
18 the presenters from the staff and contractors listened
19 to us very well and responded to us very well. I
20 don't want to belabor the things we didn't like about
21 the work in a letter. I think we have given the
22 message to the staff that we didn't like the rather --
23 how shall I say? -- not very complete or whatever
24 arguments about iodine spiking or the seven-eighths
25 tube correlation and so on. That message we already

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 got across.

2 I had some points for Chris Boyd. I think
3 there are certain parts of his analysis that he needs
4 to look at and do differently. I think he has got the
5 message.

6 Now, do we need to put that in a letter
7 specifically? I'd like to feel we didn't have to.
8 It's all in the transcript anyway. If people are
9 serious about interaction with the ACRS, they've heard
10 what we've said. It's in the transcript, and writing
11 something which praises some and faults others or
12 appears to do so in a letter, I'm not sure I really
13 particularly want to do at this stage.

14 I'd rather say you have a difficult job to
15 bring it all together, and when you've brought it all
16 together, I'd really like to see it. Then we write a
17 letter.

18 My colleagues may feel differently. Often
19 we do write letters simply to say we put something in
20 the record so that we can come back to it and say,
21 "Yeah, we made this point and you didn't pay attention
22 to it."

23 I'd like to feel that in lots of these
24 cases the staff and the contractors listen to what we
25 say and take it into account and do a professional job

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and we don't need to say, "We asked you to do
2 something," because then we get into what set this
3 whole thing going, is the ACRS sort of saying, "We
4 don't like this. We don't like that. We don't
5 like --you ought to go do some work," and off you go
6 on this tremendous program because of just what we
7 said.

8 So I'm inclined to say I'd rather not
9 write a letter, but if we did, I think there are
10 certain things we could put into it.

11 DR. BONACA: That's why, by the way, I was
12 focusing purely on the comments we have made before
13 and not on the whole actual plan. We did critique
14 what we have done today and till then by the staff,
15 and they may be interested at the level of the
16 Commission to know what we think of the work that is
17 being done to address that. That would be the focus
18 of what I would write.

19 CO-CHAIRMAN FORD: Okay. Tom.

20 DR. KRESS: I'm inclined to -- are you
21 through? Did you want to say some more?

22 CO-CHAIRMAN WALLIS: No.

23 DR. KRESS: Okay. I'm inclined to agree
24 with Mario that a letter might be appropriate at this
25 time for the same reasons.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I also agree with Jack on the iodine
2 spiking issue. I'm sure Dana will be anxious to hear
3 about that, and he'll be anxious to hear about how we
4 dealt with all of the issues.

5 So you know, at some point in your summary
6 you will want to say, "Here's an ACRS issue in the
7 1740. Here's how we dealt with it," and then only go
8 into detail later. So I think that has to be part of
9 the presentation.

10 With respect to the steam generator bypass
11 stuff, I may have a different view than most of the
12 committee. I view it as somewhat akin to the
13 allowance of containment over pressure in the net
14 positive suction head problems. We're allowing the
15 progression of a severe accident to get us out of
16 trouble or to be sure our systems work right.

17 To me that's a principle that bothers me
18 somewhat, and I suspect if we go that route, which it
19 looks like we're going that route, we'll get grief
20 from intervenors, from outsiders. They won't like
21 this at all.

22 What? You're going to allow the primary
23 system to melt through first, to depressurize?

24 You know, we're going to get some grief
25 from that, I think, and with respect to the very nice

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 outline of the work that I see on the PRA, I encourage
2 you to continue in that direction, but personally I
3 think I would start out by assuming I have a large
4 early release, that these sequences, a certain number
5 of these sequences are going to lead to failure of the
6 steam generator tube, and I would make my refinements
7 on the frequency of these and the consequences of
8 these, and see if they don't already meet some sort of
9 acceptance standards.

10 And my choice for acceptance standards
11 would be one-tenth of the prompt fatality safety goal,
12 which if that didn't work, then proceed on refining to
13 see if you can do better by getting the actual
14 probabilities that this is a large release.

15 But I would do the other first. But even
16 then I have a suspicion that you're going to get
17 overlapping probabilities that are too high already.
18 You might as well forget about the probability of
19 failing the primary system prior to failing the steam
20 generator tubes. That's just a personal -- you know,
21 it's a bias I have already because I have a bias
22 against using severe accident progression to get me
23 out of trouble.

24 So, you know, that's the only --

25 MR. ROSEN: Perhaps even without that bias

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one can draw the conclusion that the uncertainties are
2 so large on so many sides of this problem.

3 DR. KRESS: That you shouldn't rely on it.
4 Yeah, you could do that probably.

5 DR. BONACA: Although I agree with that,
6 I still am -- I mean, the project is very
7 interesting.

8 DR. KRESS: Oh, yeah. I don't want them
9 to stop on the project.

10 DR. BONACA: No.

11 DR. KRESS: Because I think it's very
12 useful stuff that's going to useful just to get the
13 overall risk contribution of these sequences, period.
14 I think it would be very useful for that.

15 So I think it has multiple uses.

16 CO-CHAIRMAN FORD: Vic.

17 DR. RANSOM: Well, this issue predates me.
18 So I really am a little bit at a loss to know what to
19 say about it, but I would have found it very
20 interesting to have known what the big picture looked
21 like, you know, what sort of thing potentially does
22 this sequence present, and I would hope, like Dr.
23 Kress has mentioned, that the probability of that
24 occurring would be small enough that the risk of the
25 overall situation, even if you do bypass the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 containment, wouldn't be a great threat to the public.

2 And so the PRA effort that was presented
3 at the end really to me would have been better right
4 at the front, you know, and maybe some numbers put to
5 what the risks are.

6 I thought the technical work was very
7 interesting, of course, and we saw some CFD work,
8 which is a step forward in terms of looking at some of
9 the multi-dimensional effects that can occur in these
10 situations, but at the same time, I think it clearly
11 showed you that CFD is not the total answer yet sine
12 you can't represent the entire system.

13 And so you still have to depend on these
14 approximate methods for boundary conditions, and all
15 of this kind of leads me to like looking at a
16 mathematical problem that's ill posed. You know, a
17 little perturbation can push it this way or that, and
18 you have this huge uncertainty, which is the
19 perturbation, and I would just hope that it doesn't
20 matter if I go in the worst direction.

21 As far as the letter is concerned, I
22 really don't have any comment as far as whether it
23 would be needed or not, except it might provide an
24 "atta boy" for, you know, certainly a lot of good work
25 that's going on, progress report.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And as far as tomorrow is concerned, if
2 people were like myself, of course, I'd like to hear
3 the big picture first and then work down into the
4 details, whereas this one was pretty much -- and
5 yesterday the other way around. We started out with
6 the details and kind of worked up to the end.

7 CO-CHAIRMAN FORD: What I propose to do is
8 -- I thank you for all of your comments -- what I
9 propose to do is I will write a draft letter which we
10 may or may not use, essentially making the observation
11 that all of the issues that we raised in NUREG 1740
12 are being addressed or in some cases have been
13 finished, but most of them are being addressed. Some
14 of them have not been finished.

15 We are satisfied in the main with the
16 progress and the approaches that are being taken, but
17 all of those issues are being melded into the current
18 steam generator action plan for severe accidents, the
19 integrated methodology that we made the analogy to the
20 PTS program.

21 But I think all of us have also been
22 concerned that the response to our issue on the
23 spiking factor is not adequate, and so with Tom's help
24 I'll draft up something to follow up on that concern
25 mainly because it is a non-conservative safety issue,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the approach that they seem to be taking.

2 And it will be a short letter. It will be
3 addressing those issues. The detailed advice that has
4 been given through these last two days are in the
5 transcript, and I think they've been all well heard
6 and hopefully gratefully received, and I think maybe
7 rather than make a long letter with all of these
8 suggestions, we can rely on the transcript to have
9 that as a communication tool.

10 That's my proposal at this stage. I will
11 draft that tonight and give it to you all so you can
12 mull it over before we get to the actual letter
13 writing.

14 DR. KRESS: Sounds good.

15 CO-CHAIRMAN FORD: Nut those are the
16 salient notes.

17 DR. BONACA: If I could make one more
18 comment.

19 CO-CHAIRMAN FORD: Sure, yes.

20 DR. BONACA: Just simply, you know, one
21 thing that we already wrote up, and I think Vic Ransom
22 discussed this issue of starting with details and now
23 getting more of the big picture, when I look at the
24 work you presented, it's a huge amount of work, and
25 some of it, it's impressive insofar as the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thoroughness, the treatment, results you're getting,
2 information you're gathering from it.

3 And I realize between today and tomorrow
4 it's impossible for you to develop that, but certainly
5 if one had some kind of presentation on what is called
6 the big picture, I would also that almost a decision
7 tree that leads you to each one of the pieces, it
8 would be a much stronger sales job.

9 I mean, it took us two days or a day and
10 a half or whatever to realize how much around you'd
11 cover, and I think if you had just at the beginning
12 ten minutes of review of the thought process behind
13 all of this, it would be really impressive.

14 It's just a suggestion.

15 MR. ROSEN: Perhaps a little history also
16 on how we got to needing this effort.

17 CO-CHAIRMAN WALLIS: That would be
18 something Joe would present presumably.

19 DR. BONACA: Yeah, and it would be
20 impressive, and most of all, it would be also useful
21 because at times, you know, in my mind it was always
22 the question of are they covering all of the ground.
23 Is there anything they're missing there? And so you
24 go back to what are they trying to do.

25 And maybe it is because we have a limited

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 view of the steam generator action plan, and that I
2 think our involvement has been mostly with the DPO
3 that was more limited on a number of issue, not all of
4 them.

5 But, again, I mean, it seems to me that
6 you're addressing the issue of the ability of that
7 barrier to withstand challenges during design basis
8 events and non-design basis events, and you have a lot
9 of cascading work that you're leveraging there, and I
10 think that it would be useful to have that
11 perspective.

12 As I said, by tomorrow I think it's
13 impossible to do that, but --

14 MR. SIEBER: One of the things that could
15 be done to make it a little more systematic is the
16 conclusions and recommendations in 1740 are about two
17 or three pages at the end of the book. Now, Dana
18 wrote a letter based on meetings that he had with the
19 staff that would come out about October 2003 that gave
20 a status report that's not a lot different than the
21 status that was presented here over the last two days,
22 and I think comparing that status or what we've seen
23 in the last two days versus what we concluded and
24 recommended would tell us really where we are,
25 because, you know, this is sort of a building block

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 kind of an exercise, and they aren't to the bottom
2 line yet.

3 And so there's more to go, and part of the
4 building blocks may change shape a little bit in the
5 process, the iterative process of coming to a final
6 conclusion.

7 So I honestly think with the exception of
8 the iodine spiking issue it would be premature to give
9 our final blessing for some of these building blocks.

10 CO-CHAIRMAN FORD: I'm sorry. One item I
11 didn't mention. All we're saying is that we think
12 that the progress that has been made is impressive,
13 but we can't judge the adequacy of what's been done
14 because we don't have the input from the PRA and the
15 uncertainty analysis as to how good has this got to
16 be.

17 So we don't have a way of metricizing our
18 adequacy.

19 MR. SIEBER: Well, you can't judge whether
20 you like the answer or not because you don't have the
21 answer.

22 On the other hand, I think that you can
23 make an informed judgment about whether the approach
24 and the methods are adequate, which I think they are.

25 The problem with the iodine spiking even

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 phenomenologically -- it seems backwards to me -- is
2 you're getting pretty close to Part 100 someplace
3 along the line, and to take a position that I don't
4 see anything in the data that would lead you to a
5 different multiplier when you run the risk of being
6 criticized because you're getting close to the Part
7 100 limit; I think it really requires more
8 justification than a one or two page memo.

9 CO-CHAIRMAN FORD: Okay. Any other
10 comments?

11 Joe, have we helped?

12 (Laughter.)

13 CO-CHAIRMAN FORD: Okay. We are
14 adjourned.

15 (Whereupon, at 5:25 p.m., the meeting was
16 concluded.)

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701