

Official Transcript of Proceedings

**NUCLEAR REGULATORY
COMMISSION**

Title: Advisory Committee on Reactor Safeguards
 Reliability and Probabilistic Assessment
 Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, November 16, 2004

Work Order No.: NRC-111

Pages 1-120

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
 NUCLEAR REGULATORY COMMISSION
 + + + + +
 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)
 SUBCOMMITTEE ON RELIABILITY AND
 PROBABILISTIC ASSESSMENT
 MEETING

+ + + + +
 NOVEMBER 16, 2004

+ + + + +

The meeting was convened in Room T-2B1 of Two White Flint North, 11545 Rockville Pike, Rockville, Maryland, at 12:10 p.m., Dr. George E. Apostolakis, Chairman of the subcommittee, presiding.

MEMBERS PRESENT:

GEORGE E. APOSTOLAKIS	Chairman
MARIO V. BONACA	ACRS Member
RICHARD S. DENNING	ACRS Member
THOMAS S. KRESS	ACRS
GRAHAM M. LEITCH	ACRS Member
VICTOR H. RANSOM	ACRS Member-at-Large
WILLIAM J. SHACK	ACRS Member
JOHN D. SIEBER	ACRS Member

1 ACRS STAFF PRESENT:

2	MICHAEL R. SNODDERLY	Designated Federal
3		Official
4	CHARLES ADER	RES/DRAA
5	JS HYSLOP	RES/PRAB
6	DAVID LEW	RES/PRAB
7	GARETH PARRY	NRR/DSSA

8
9 ALSO PRESENT:

10	KEN CANAVAN	EPRI
11	GENE HUGHES, EXELON	ERIN
12	JOHN LEHNER	BNL
13	RAY SCHNEIDER	WEC
14	DOUG TRUE	ERIN

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AGENDA ITEM

PAGE

OPENING REMARKS:

George Apostolakis 4

DEVELOPMENT OF GUIDANCE ON TREATMENT

OF UNCERTAINTIES:

Mary Drouin 6

 Alternate Methods 6

 Confidence Levels 26

 Generating Insights 34

 Guidance for Alternative Approaches 41

TREATMENT OF UNCERTAINTIES INDUSTRY INITIATIVE:

Ken Canavan 44

Doug True 49

ADJOURN:

George Apostolakis 120

P-R-O-C-E-E-D-I-N-G-S

12:14 p.m.

CHAIRMAN APOSTOLAKIS: The meeting will now come to order. This is a meeting of the Advisory Committee on Reactor Safeguards Subcommittee on Reliability and Probabilistic Risk Assessment. I'm George Apostolakis, the Chairman of the Subcommittee. Members in attendance are Mario Bonaca, Richard Denning, Tom Kress, Victor Ransom, William Shack and John Sieber.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the Federal Register on November 2, 2004. Mike Snodderly is the designated federal official for this meeting. A transcript of the meeting is being kept and will be made available as stated in the Federal Register notice. It is requested the speakers first identify themselves and speak with sufficient clarity and volume, so that they can be readily heard.

We have received no written comments or requests for time to make oral statements from members of the public regarding today's meeting. In our September 22, 2003 report, we agreed with the staff's decision to develop a separate regulatory guide on how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 to perform sensitivity and uncertainty analyses. The
2 Committee stated in this report that if model
3 uncertainties are not addressed explicitly, their
4 magnitude and potential impact may not be fully
5 appreciated and thus, the decision-making process may
6 not be truly risk-informed.

7 This statement formed the basis for the
8 Committee's conclusion that inadequate theory, scope
9 and quality may significantly affect regulatory
10 decision-making. The EDO stated in his November 7,
11 2003 response that the staff agreed with the
12 Committee's concern regarding the potential impact of
13 model uncertainties. The staff went on to say "The
14 ASME standard explicitly requires that model
15 uncertainties be addressed. For example, the high
16 level requirement in the standard states that
17 uncertainties in the PRA results shall be
18 characterized. Key sources of model uncertainty and
19 key assumptions shall be identified and their
20 potential impact on the results understood."

21 Now, this is an informational meeting of
22 the subcommittee and we will gather information to
23 understand what the staff is doing and report to the
24 full Committee. The full Committee will review the
25 draft final NUREG Report on this subject in the fall

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of 2005. So now, we can proceed with the meeting and
2 I call upon Ms. Mary Drouin of the Office of Nuclear
3 Regulatory Research to begin.

4 MS. DROUIN: Okay. I'm Mary Drouin with
5 the Office of Research. At the table with me is
6 Gareth Parry from NRR and another member of the team
7 is here today John Lehner from Brookhaven, the
8 National Lab. We're here today to share what we have
9 done to date, but primarily there is particular
10 guidance and issues that we would like to discuss with
11 the Committee as we proceed forward on this task. We
12 did send a list of these issues that we would like to
13 focus on today about a week or so ago, which are
14 showing up on the last two slides.

15 My hope is to get through these first
16 slides relatively quickly. They are background
17 information, but what we would like to really focus on
18 is the issues that we are grappling with and that we
19 would like to discuss with the Committee and get
20 guidance. Sorry, Mike, I'm on background and history.

21 I just quoted from three primary
22 documents, because there is two topics that we are
23 undertaking in this NUREG, alternate methods, what we
24 call alternate methods in the treatment of
25 uncertainties. When you look at Reg Guide 1.174, when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you look at the PRA Standard and when you look at Reg
2 Guide 1.200, the Committee rightfully noted that in
3 all of these documents and other documents, but these
4 primary ones, is that you are allowed to have an out.

5 That if you have a standard that does not
6 have a particular scope covered in it or a part of a
7 technical element, all of these allow you to do
8 something else. Either do a bounding analysis, do
9 some supplementary thing, but if you chose to go that
10 route, there is no guidance out there to tell you what
11 is acceptable. And so that was a missing piece in all
12 of this that, I think, was appropriately pointed out
13 by the Committee.

14 In terms of the treatment of
15 uncertainties, when you look at these documents --

16 CHAIRMAN APOSTOLAKIS: There's a question.

17 MEMBER RANSOM: I have a question.

18 MS. DROUIN: Oh, sorry.

19 MEMBER RANSOM: When you do a bounding
20 analysis, do you assume all states in between are
21 equally probable?

22 MS. DROUIN: I'm going to put you on hold
23 on that.

24 MEMBER RANSOM: Okay.

25 MS. DROUIN: Because I'm going to get into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those kinds of things when we get to the issues. On
2 the treatment of uncertainties, these three documents
3 also very similar in the sense that they all are
4 asking you to identify what -- your key sources of
5 uncertainty and to understand the impact. But then
6 what's lacking again, and what the Committee pointed
7 out, is that once you have that information, what do
8 you do with it? How do you factor it into your
9 decision-making process?

10 So even though you might have the standard
11 that says okay, go through and identify your key
12 sources of uncertainty, understand their impact,
13 characterize it, it stops there. There is a little
14 bit more in Reg Guide 1.174, but it pretty much stops
15 and Reg Guide 1.200 very similar.

16 I won't spend really a lot of time on
17 these next couple of slides. George pointed out what
18 was in the letters from the ACRS. There were the two
19 primary letters that pointed out these short comings.
20 In our response, we agreed. It is going to be hard
21 not to agree. But where we did differentiate is that
22 we did not think that Reg Guide 1.200 was the
23 appropriate place to develop this guidance, because
24 the purpose of 1.200 is to endorse, primarily, the
25 standards and we wanted to keep that clean.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You know, so now coming up with guidance
2 on alternate methods on the treatment of
3 uncertainties, that's separate from the standard.
4 It's an addition. It's a major part of it, but we
5 thought it deserved its own document. We're leaning
6 right now more towards a NUREG than a regulatory
7 guide, because this is more than just for licensees.

8 Okay. We have had a lot of discussions on
9 what should be the objective of this NUREG, because at
10 a high level, you know, it sounds easy, you know.
11 We're going to provide guidance for the treatment of
12 uncertainties. We're going to come up with guidance
13 for acceptable approaches, for bounding analyses, what
14 the roles of these things are. But the more you get
15 into it, the scope of this program could be tremendous
16 and could be huge, so trying to get our arms around it
17 and really trying to get something done in the time
18 frame that we have, but also make it worthwhile.

19 We had a lot of discussion and so this is
20 where we are at this point in terms of what we have
21 developed and what we are writing right now in this
22 document. In terms of the acceptable approaches, the
23 supplemented PRA, that is not a full scope or has some
24 deficiencies in some of the elements. We're focusing
25 on the appropriate use of bounding analyses, screen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 methods or qualitative approaches. We'll have
2 identification, performance and discuss the role of
3 sensitivity studies.

4 What should be in terms of quantification
5 of model uncertainties and one we want to have a lot
6 of discussion on, because we're hoping that your view
7 is not to have a formal quantification as you've seen
8 in NUREG 1.150. How to use the results from the
9 uncertainty analyses in the decision-making process
10 and specifically get into the role and definition of
11 defense-in-depth. So these are the objectives that we
12 have laid out for this document.

13 When we talk about the scope, we want to
14 make it clear that we're only addressing the
15 uncertainties associated with the use of the PRA
16 results. There is a lot of other things that will get
17 factored into your decision-making that could have
18 uncertainties associated with them, but we're just
19 addressing the uncertainties associated with the PRA.

20 In terms of the alternate approaches,
21 there is two things that we're writing in the
22 document. We're trying to provide specific guidance
23 for what we call the risk contributor level. And what
24 we mean by that is if you have a PRA that does not
25 deal at all with seismic, it doesn't deal with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 internal fire or internal flood and you are going to
2 do something else, we'll have guidance for what these
3 something elses, what makes them acceptable.

4 But now, once you get into your PRA, you
5 have your technical aspects of your PRA. Maybe there
6 is a part of the PRA itself that you don't meet. Now,
7 that could be huge if we try to go through the
8 standard and address every single part. You know, you
9 might choose to do something else. So we're going to
10 address this more in a generic level to provide
11 generic guidance if you're doing something different
12 on a technical element level, instead of going through
13 each one, because it just would be unwielding. Well,
14 it would take care of my retirement. I could be here
15 for the rest of my life doing that.

16 CHAIRMAN APOSTOLAKIS: That's so far in
17 the future, Mary, that you have plenty of time to
18 write many more reports, Mary.

19 MS. DROUIN: Absolutely. Okay. The
20 approach we have taken in this document, in terms of
21 the treatment of uncertainties. The process-oriented
22 approach that we have proposed and are developing and
23 it has four primary parts to it, as you see here,
24 which I'll get into and is also shown. You know, it
25 might be easier as I talk to this slide, put the slide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 up that shows the flow chart.

2 These say the same thing. This is just
3 showing it. I apologize, the machine chopped off the
4 title, but that's okay. The whole flow chart is
5 there. So the first part, and this is also showing
6 how the document is organized, in this big box, which
7 is the primary part, the first major step is to look
8 at your PRA scope and you want to ensure that the
9 appropriate PRA scope for the decision that you're
10 making, that when you look at it that the PRA model
11 itself addresses all the significant risk
12 contributors.

13 So if your decision is going to entail
14 that you need a fire analysis or a seismic analysis,
15 you want to make sure that your model deals with that,
16 and if it doesn't deal with it directly, then some
17 alternate approach, and you can see that's coming in
18 from the side there. The next is you're going to
19 assess and identify the impact of the known
20 uncertainties, both parameter and model. And then
21 your decision is going to be based on the
22 consideration of the key uncertainties, the
23 characterization of it, and the acceptance criteria
24 that we're developing.

25 And then imposed and part of all this is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 maintaining the defense-in-depth to address the
2 unknowns, the incompleteness. And part of this is
3 coming up with the role or definition of defense-in-
4 depth. And this is an aspect where, just on a side
5 note, we're tying it very closely with the framework
6 on advanced reactors and the definition of defense-in-
7 depth that we're developing there, because ultimately
8 we owe the Commission this definition in terms of add
9 into it to the policy statement on PRA, so we're
10 working all of these very closely together.

11 And then also on the side is we thought it
12 would be a good idea to come up with what we
13 considered a generic list of uncertainties, so when
14 you go from PRA to PRA, there is just a certain set
15 that, whether you're dealing with a Westinghouse or a
16 BWR6, they all have to deal with these certain issues
17 in their PRA and to try to come up with and identify
18 this generic list. And then the next step is whether
19 or not we should propose a resolution for consistency
20 and standardization on these different uncertainties.

21 On the alternate approaches, you know,
22 identify at a high level in terms of coming up with
23 guidance, because we aren't going to be able to write
24 detailed standards, and that's not what we're trying
25 to do, this is more of a guidance, but coming up with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the attributes and characteristics for an acceptable
2 alternate approach. And then identify some particular
3 alternate approaches and what aspects of them are
4 acceptable or what they need to be to be acceptable.
5 Such as looking at the seismic margin, looking at 5.

6 If those are going to be used as an
7 alternate to the PRA Standard, what do they need to
8 entail to make them acceptable?

9 CHAIRMAN APOSTOLAKIS: Has anybody proven
10 that FIVE is a conservative approach? I mean, we all
11 say it is, but I have never really seen it.

12 MS. DROUIN: I don't know. I would have
13 to go back and look. It has been a while since I have
14 thought about 5.

15 CHAIRMAN APOSTOLAKIS: Is JS here?

16 MR. HYSLOP: I'm here. I'm not sure that
17 I've seen in the definitive frame that it is
18 conservative. Certainly, there are some parts of
19 internal events models that need to be made more
20 robust, no matter what process you are using, since
21 various operations and things. So it's not clear to
22 me. At least I haven't seen anything definitive.

23 CHAIRMAN APOSTOLAKIS: Okay.

24 MR. LEHNER: I think maybe I can answer
25 again. I think strictly speaking as to 5, it is just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the screening approach. It wasn't intended to be
2 quantitative. So really, I think what you have to ask
3 is whether the use of FIVE supplemented by some PRA is
4 conservative or not.

5 CHAIRMAN APOSTOLAKIS: Well, a screening
6 approach implies that it's a conservative approach,
7 right?

8 MR. LEHNER: And it's conservative in the
9 sense that it only takes -- I mean, I think it assumes
10 the fire engulfed room. It seems that everything
11 that's not protected is damaged.

12 CHAIRMAN APOSTOLAKIS: I'm not sure that
13 it does though, because if there is a fire in a
14 cabinet then they divert on with a 35 degree angle and
15 all that, then I really don't know whether the -- you
16 know, the hot plume goes up and it goes 35 degrees and
17 everything inside is destroyed and everything outside
18 is fine. I'm not sure that there -- I haven't seen
19 evidence that this is really a conservative approach.

20 My point really is not to discuss fire
21 right now, but if you list conservative approaches, it
22 seems to me these questions will come up, because one
23 of the things that the letters of the Committee have
24 emphasized is that when people use bounding
25 approaches, they should have some evidence that these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are indeed bounding approaches.

2 PARTICIPANT: Right.

3 CHAIRMAN APOSTOLAKIS: So, you know, FIVE
4 has been used now for some time and we never really
5 saw a convincing case that it is a conservative
6 approach. And there may be others. I mean, I don't
7 know about the seismic margins, most likely, because
8 the NRC guys do.

9 MR. HYSLOP: Yes, as Karen said, certainly
10 there are conservative aspects of it.

11 CHAIRMAN APOSTOLAKIS: Aspects, yes, I
12 agree, they are conservative. I think you are right
13 there. I mean, the question is whether the whole --

14 MR. LEHNER: The whole package is. Okay.
15 Okay. That's a good point.

16 MR. LEW: Just a note on the PRA Branch,
17 we are in the process of doing a fire model that
18 includes 5. So we're looking at what the limitations
19 of FIVE are as part of the input or the implementation
20 of FIVE and 50.8(c). So if that's --

21 CHAIRMAN APOSTOLAKIS: That's good.

22 MR. LEW: We don't have anything right
23 now.

24 CHAIRMAN APOSTOLAKIS: That's good.

25 That's good. So we'll have some evaluations. Okay,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mary.

2 MS. DROUIN: Okay. At this point, I would
3 like to go now to the issues and walk through them and
4 hopefully get some guidance and direction from the
5 Committee. These are not necessarily in any kind of
6 order or priority, you know. It was just the list
7 that we came up with.

8 CHAIRMAN APOSTOLAKIS: Well, I would say
9 your first question is really the top, top question.
10 Just out of curiosity, the whole tone of your
11 presentation is that the Regulatory Guide 1.174 says
12 this, 1.200 says that, 1.150 says that. Well, is it
13 the NRC's documents that should be the basis for all
14 this? I mean, having you guys are planning to review
15 what people have said about model uncertainty in the
16 open literature, there have been meetings, there have
17 been conferences. I can assure you it's not that
18 much, there are many papers, but the basic approaches
19 are not that many.

20 But it seems to me for an issue like this,
21 you ought to spend some time doing that and reviewing
22 and evaluating what people have proposed. Don't just
23 limit yourself to 1.150 for --

24 MS. DROUIN: We're not. We're not. This
25 is just an example up here. We have been looking at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 other stuff and we plan to continue looking at other
2 stuff.

3 CHAIRMAN APOSTOLAKIS: You know, there was
4 a workshop 10 years ago in Maryland. I mean, that's
5 one place.

6 MS. DROUIN: Yes.

7 CHAIRMAN APOSTOLAKIS: Okay.

8 MS. DROUIN: But I just used 1.150 here as
9 an example of, you know, there is two extremes that we
10 can go here. We can either, you know, provide
11 guidance in there. We're hoping that it's not the
12 Committee's desire that people are having to go out
13 there and do this very detailed formal quantification,
14 such as you saw in 1.150. Are we leaning more
15 towards, in terms of modeling the uncertainties, doing
16 more sensitivity type approach? And this is what --
17 when we were reading, we went back and read the
18 letters from the Committee, it was unclear. You could
19 interpret it either way. So we wanted to get some
20 guidance where the Committee was coming from on this
21 issue.

22 CHAIRMAN APOSTOLAKIS: Well, as you
23 correctly stated earlier, what really matters is how
24 these things affect decision-making. So if you -- it
25 seems to me that ultimately -- let's say you find that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 an issue is important to decision-making. You do your
2 sensitivity study and, you know, you use somebody's
3 model and you find that you are exceeding the
4 regulatory guidance compared to the minor slide, for
5 example, that was CDF. What do you do? Well, you
6 have to say something about the probability of that
7 sensitivity study.

8 How likely is it that these guys' model is
9 the correct one? So if you look at decision-making,
10 you cannot avoid some quantification. Now, I'm not
11 saying that this has to be the extensive 1.150
12 analysis, but, you know, you have to say something.
13 So now, in that other report on expert opinion for
14 seismic issue, I believe there are four categories of
15 expert elicitation processes depending on the
16 significance of the issue.

17 MS. DROUIN: Yes.

18 CHAIRMAN APOSTOLAKIS: And for the Nuclear
19 Waste Depository of Yucca Mountain this is the wrong
20 source of the elicitation process. There is a limited
21 budget and so on. I don't expect that in routine
22 model issues you have to go to that. Maybe something
23 less than that and more informal elicitation process
24 among the smaller group and so on. That was exactly
25 what that group wrote that report had in mind. That

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you can't afford. It's not 1.150 or nothing. There
2 is in between.

3 And I think a lot of these issues, take
4 for example the C-LOCA issue. Where I understand
5 there is more than one model. You really don't need
6 to do an 1.150 evaluation. Maybe inviting a few
7 cognizant experts to Rockville and spending half a day
8 with them and all that and then using your own
9 judgment can lead you to something. You seem to be
10 puzzled by something.

11 MS. DROUIN: Some type of graded approach?

12 CHAIRMAN APOSTOLAKIS: Did I choose the
13 wrong example?

14 MR. TRUE: Yes.

15 CHAIRMAN APOSTOLAKIS: Okay.

16 MR. TRUE: Only because we've been working
17 on our CPC LOCA for 20 years.

18 CHAIRMAN APOSTOLAKIS: So you believe it's
19 resolved?

20 MR. TRUE: I believe it's as resolved as
21 it's going to get and another day is not going to
22 change that.

23 CHAIRMAN APOSTOLAKIS: Okay. I'll pick
24 another example then. Although, as is always, there's
25 going to be something that can be interpreted in many

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ways. But there aren't very many such issues in
2 1.150, I think.

3 MR. TRUE: It depends upon --

4 CHAIRMAN APOSTOLAKIS: You can work out
5 many and my point is that it's not 1.150 or nothing.
6 There are two degreeing stages. You can choose to do
7 separate things, you know. Maybe some informal or
8 semi-formal elicitation. And then the judgment of the
9 staff can give some probabilities or some guidance.
10 I don't think that sensitivity studies by themselves
11 will help very much. Because eventually, you know,
12 what if you do some sensitivity study and you exceed
13 the limit? Then somehow you have to argue how likely
14 that is.

15 MR. LEHNER: Yes, but maybe, I think, the
16 difficulty comes in in arguing what that likelihood
17 really is.

18 CHAIRMAN APOSTOLAKIS: Yes.

19 MR. LEHNER: Because, in a sense, it's a
20 subjective assessment of a group of experts as to
21 whether that particular model has more credence than
22 the other models.

23 CHAIRMAN APOSTOLAKIS: Yes.

24 MR. LEHNER: So I think those were the
25 types of arguments that we went through. I mean, this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is almost like this is deja vu for me, because we
2 talked about this.

3 CHAIRMAN APOSTOLAKIS: All over again.

4 MR. LEHNER: Back in 1997 when we were
5 looking at Reg Guideline 1.174 and discussing the same
6 issues. The sense that, you know, we didn't want to
7 see ourselves going down the path of having to do
8 broad uncertainty distributions and folding everything
9 into a final answer, but rather have separate effects
10 analyses, if you like, so you could identify what were
11 the issues that really made you lean towards rejecting
12 an application and then assessing the worth of those
13 assumptions.

14 PARTICIPANT: Which means?

15 MR. LEHNER: Which means in a way it's
16 quantification in a sense, but only in a relative
17 sense.

18 CHAIRMAN APOSTOLAKIS: Look, I'm not
19 saying that you should come up with something that
20 says this model has .3 probability.

21 MR. LEHNER: Yes.

22 CHAIRMAN APOSTOLAKIS: But my --

23 MR. LEHNER: Whether it's low or not.

24 CHAIRMAN APOSTOLAKIS: -- argument is that
25 you cannot avoid saying something about how likely or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how credible this model is.

2 MR. LEHNER: Right, right.

3 CHAIRMAN APOSTOLAKIS: Now, what that
4 something is, I don't know. We have to discuss it.
5 But there are two points I'm making. First, it's not
6 either or. It's not either 1.150 or something else.
7 There are stages in between. Second, sensitivity
8 studies by themselves I doubt very much will be very
9 helpful. At some point you have to take the plunge
10 and say well, you know, and we don't think this is to
11 lightly or this is acceptable for whatever reason. In
12 other words, say something about how likely it is a
13 particular assumption is.

14 MR. LEHNER: I think, in a sense, that's
15 always what we have had in mind.

16 CHAIRMAN APOSTOLAKIS: Yes.

17 MR. LEHNER: The sensitivity analysis
18 anyway. So say that you're doing it. You don't just
19 do it for the hell of it. You do it and you say does
20 this issue affect my decision? If it does, do I
21 really believe that this is a serious contender? And
22 if it's not, then you can reject it. And if it is,
23 then you have to --

24 MR. TRUE: And you try to push it as far
25 as you can.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEHNER: Yes.

2 CHAIRMAN APOSTOLAKIS: I mean, take the
3 5069 thing. Originally, south Texas took all the
4 failure rates and increased them by 10. Now, why 10
5 and not 11, why 10? Then NEI comes back and says no,
6 we'll increase them by FIVE and then I think the same
7 factor there. Well, what if you find that, you know,
8 by increasing them by 10, you really violate the
9 rules? I mean, you have to say something about how
10 reasonable that 10 is.

11 MR. LEHNER: Sure.

12 CHAIRMAN APOSTOLAKIS: And that was
13 something that we discussed in 5069.

14 PARTICIPANT: That was a deciding factor.

15 CHAIRMAN APOSTOLAKIS: It is a deciding
16 factor. It was a deciding factor. So at some point
17 you have to say something about these things. It goes
18 beyond just yes, we did the sensitivity study. If you
19 do sensitivity studies and everything is fine, I don't
20 think you have a problem.

21 MEMBER SIEBER: It is --

22 MR. LEHNER: Right, right. It's when it
23 doesn't work, it's the advantage.

24 CHAIRMAN APOSTOLAKIS: Yes.

25 MR. LEHNER: Although then you've --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: So that's mainly my
2 point, Mary. You know, there is a whole spectrum in
3 agreeing and choosing. And we have many more
4 opportunities to discuss this.

5 MS. DROUIN: Yes.

6 MR. LEHNER: By agreement, I don't think
7 we're --

8 CHAIRMAN APOSTOLAKIS: We want to finish
9 this up at 1:00, because we have many opportunities to
10 meet with Mary and Gareth and the other guys, but not
11 as many to meet with people from these, so I really
12 want to give two full hours to Gareth and whoever else
13 is a part.

14 MR. TRUE: Whoever else isn't here right
15 now, so maybe --

16 CHAIRMAN APOSTOLAKIS: So let's go on.
17 When and how? Well, in September and --

18 MS. DROUIN: When and how should the
19 uncertainty distribution be treated in the decision-
20 making process? I mean, do we just go with the mean
21 value and don't look at the spread?

22 CHAIRMAN APOSTOLAKIS: I don't know, Mary.

23 MS. DROUIN: I mean, we don't think that's
24 a good idea.

25 CHAIRMAN APOSTOLAKIS: Well, the mean

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 value already has -- is influenced by the uncertainty.

2 MS. DROUIN: Yes.

3 CHAIRMAN APOSTOLAKIS: But I think you
4 mean something more than that.

5 MS. DROUIN: Yes.

6 CHAIRMAN APOSTOLAKIS: Tom Kress is about
7 to say something here.

8 MR. KRESS: Well, you have -- normally,
9 when you deal with uncertainty in the decision-making
10 process, you have an acceptance criteria in the
11 circumference plan.

12 MS. DROUIN: That's right.

13 MR. KRESS: The question how do you arrive
14 at that acceptance criteria has been the question.
15 But generally, you use the loss function, utility
16 function, which is based on it's mostly an opinion,
17 but it's based on an informed opinion. But, in
18 general, when you do, you're going to deal with
19 confidence levels in your acceptance criteria. That's
20 how you do that.

21 MR. LEHNER: But let me remind you though
22 that the acceptance criteria that we use or have been
23 using when chosen to be mean -- to be competitive to
24 mean.

25 MR. KRESS: I'm not complaining about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that.

2 MR. LEHNER: Right.

3 MR. KRESS: But maybe you need a
4 confidence level, but, you know, when you say the
5 mean, I'm assuming that's 50/50 already. 50 percent
6 high or 50 percent --

7 MR. LEHNER: No, it's more like 75/50
8 percent.

9 MR. KRESS: Oh, okay.

10 MR. LEHNER: Something like that.

11 MEMBER SHACK: It's 75/50.

12 MR. KRESS: That may be an appropriate
13 choice, but I don't know what the loss function is
14 associated with that. Partly it's all right, because
15 that's what some people decided.

16 CHAIRMAN APOSTOLAKIS: I tried to once to
17 have a loss function that increases as --

18 MR. KRESS: As you go up?

19 CHAIRMAN APOSTOLAKIS: -- go up.

20 MR. KRESS: That's what it should do.

21 CHAIRMAN APOSTOLAKIS: It's very --

22 MR. KRESS: It's hard.

23 CHAIRMAN APOSTOLAKIS: -- hard to work
24 with.

25 MR. KRESS: It's hard to come by and it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 almost a judgment call.

2 MR. LEHNER: I think one of the things
3 that we have played around with is maybe looking at
4 the shape of the distribution, still use the mean, but
5 looking at the shape of the distribution and wondering
6 how much of the tail lies above the acceptance
7 guideline, for example, and I'm not sure that this
8 works very well. It works great for distribution for
9 defining model on multi-mobile, because the mean might
10 be way down below the guideline, but you might have a
11 little bit of a distribution that's way above that
12 corresponds to some, you know, assumption that you've
13 made or something like that.

14 Clearly, that's information worth knowing,
15 because you want to know what's driving that thing
16 that is above the guideline. But in terms of -- I
17 mean, we're intending to hope that we don't have to
18 develop new guidelines and new acceptance criteria,
19 because those of you who were here when we did Reg
20 Guide 1.174, you know what the agonies we went through
21 with choosing those criterias.

22 CHAIRMAN APOSTOLAKIS: I guess if you can
23 go a few small steps beyond just saying increase
24 management attention.

25 MR. LEHNER: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: That would be good
2 enough at this stage. Because I think that's what
3 increase management attention means in the report.
4 But if you're close to the family, you scrutinize the
5 day of the distribution, what does it mean and so on.

6 MR. LEHNER: Yes.

7 CHAIRMAN APOSTOLAKIS: Should there be
8 guidance to use uncertainties? Why is that your job?

9 MS. DROUIN: Well, we're asking whether or
10 not. You know, as I indicated earlier, one of the
11 things that we were doing was to identify a generic
12 list of uncertainties, and we could go a step further
13 and say okay, here is an acceptable approach for that
14 uncertainty.

15 CHAIRMAN APOSTOLAKIS: So it's not really
16 to refuse things, you're just saying if you quantify
17 it this way, we'll accept it?

18 MS. DROUIN: Yes.

19 PARTICIPANT: Take it out of the equation
20 basically.

21 CHAIRMAN APOSTOLAKIS: Take out the --

22 PARTICIPANT: Yes.

23 MS. DROUIN: And going that way, you know,
24 do we create -- I mean, do we come up with an
25 acceptable approach that is based on more bounding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assumptions or do we go through more of a consensus
2 process where you can end up with something that's not
3 necessarily either bounding or conservative? But the
4 biggest thing is is it worthwhile to even go that and
5 come up with an acceptable approach? Try and come up
6 with an acceptable approach.

7 CHAIRMAN APOSTOLAKIS: I think we will
8 know much better or more to be able to say something
9 intelligent about this after you do the first bullet
10 or maybe the first one.

11 MS. DROUIN: Okay.

12 MR. KRESS: Another point about your
13 second bullet here. You need to have distribution to
14 get mean.

15 PARTICIPANT: Yes.

16 MR. KRESS: So, you know, it's all right
17 to use some mean, because it's not too -- whatever
18 choice you use for your decision criteria, you want
19 mean to certain distribution to decide whether you are
20 there or not. That's the reason there. You can't
21 really do that with sensitivity.

22 CHAIRMAN APOSTOLAKIS: No. Okay. Next,
23 Mary?

24 MS. DROUIN: Okay. This is the next
25 point, the next one. If we do come up with and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 propose acceptable methods or models, you know, does
2 this mean that if the specific model uncertainty is
3 already addressed and does not need to be considered
4 in the decision?

5 MR. LEHNER: The Westinghouse C-LOCA
6 Model, no, sorry, the agreed upon C-LOCA Model, for
7 example, for Westinghouse plants.

8 CHAIRMAN APOSTOLAKIS: Isn't it a matter
9 of evaluation though? I don't understand the
10 question. They agreed upon -- where is it?

11 MR. KRESS: Well, you know, take for
12 example an Appendix K Model, you know, and, you know,
13 we're talking about PRAs. The Appendix K Model might
14 be used to develop success criteria, for example, and
15 just because it's an acceptable model doesn't give you
16 the probability that you're going to achieve that
17 success criteria. So I don't think -- actually to me,
18 you do need to still deal with uncertainties even if
19 you have an acceptable model. I don't really know
20 what you mean by acceptable models.

21 CHAIRMAN APOSTOLAKIS: Yes, it's not
22 clear.

23 MR. KRESS: It's not clear.

24 MS. DROUIN: Well, let's go back and use
25 the awful example of the C-LOCA. And let's say for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussion purposes what's put out there as an
2 acceptable, and everybody has decided that's
3 acceptable and that's what everybody is using, is the
4 Rhodes Model. So now, you don't have the uncertainty
5 and the variability from all the different models.
6 Everybody has used this same model and now, you have
7 the same uncertainty associated with it and now, you
8 can take it out of the equation, because you don't
9 have the uncertainty or the variability anymore.

10 MR. LEHNER: And I think the second, the
11 sub-bullet, what that means is that the model itself
12 might have some parameters set.

13 CHAIRMAN APOSTOLAKIS: Absolutely.

14 MS. DROUIN: Yes.

15 MR. LEHNER: So you would still have to
16 deal with those.

17 MS. DROUIN: Right.

18 MR. LEHNER: And the other thing is that
19 you have to understand whether that model was chosen
20 because it was a somewhat conservative model and,
21 therefore, you need to recognize that, because that
22 might have an impact on certain applications. So it
23 would be a way of characterizing. This is the model
24 typically we will use, but it has these limitations
25 and, therefore, when you're making these decisions,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you have to be careful of it. I think that's,
2 basically, what we're thinking of.

3 CHAIRMAN APOSTOLAKIS: That makes sense.

4 PARTICIPANT: Yes, that does make sense.

5 CHAIRMAN APOSTOLAKIS: It makes perfect
6 sense.

7 MS. DROUIN: Right. I mean, it's getting
8 to the benefit of why you would want to specify an
9 acceptable model.

10 CHAIRMAN APOSTOLAKIS: Yes. But again, I
11 really think that a lot of these questions can be
12 addressed much more intelligently after some dictates
13 of the various words in developing it.

14 MS. DROUIN: Okay.

15 CHAIRMAN APOSTOLAKIS: Some more specific.

16 MEMBER SHACK: Well, I mean, I think it is
17 -- you know, the acceptable models are acceptable for
18 certain things, you know.

19 CHAIRMAN APOSTOLAKIS: Yes.

20 MEMBER SHACK: If you're looking how fast
21 a crack goes through a wall, you want to conserve the
22 prediction of that. If you're trying to make a leak
23 before break argument, you don't want to drive the
24 crack through the wall faster than it really can do
25 it. I mean, so what's conservative for one purpose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 may not be conservative for the other.

2 CHAIRMAN APOSTOLAKIS: Yes.

3 MEMBER SHACK: And you really have to be
4 aware of just what assumptions you're making.

5 MEMBER SIEBER: And a lot of these models
6 are part of the greater --

7 MEMBER SHACK: Yes.

8 MEMBER SIEBER: -- thing where the
9 uncertainties are huge, and so you need to treat them
10 explicitly, I think.

11 MS. DROUIN: Okay. Next one, what are the
12 problems/issues in using bounding analyses with
13 respect to generating insights that can be used in the
14 decision-making?

15 MR. KRESS: Well, I think when you say
16 bounding analysis, you have to be a little more
17 definitive on what you mean in the sense that some
18 people say if I had a distribution, but the value of
19 the 95 percent boundary is down. You know, generally,
20 we're dealing with distributions in reality, but when
21 you say boundary analysis, you're talking about
22 something that either can't go beyond or some very,
23 very low probability. And I think we have to, somehow
24 when we talk about boundary analysis and giving
25 guidance on using it, you have to be more definitive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about what you mean by bounding analysis.

2 MR. LEHNER: I think that's a good
3 comment. I think that's one of the problems that we
4 try, we're going to attempt to do wasn't it, was to
5 define what was an acceptable bounding analysis.

6 PARTICIPANT: Yes.

7 CHAIRMAN APOSTOLAKIS: I think the problem
8 or one problem case might be where we use a bounding
9 analysis and you violate the criteria.

10 MR. LEHNER: Right.

11 CHAIRMAN APOSTOLAKIS: Then you have --

12 PARTICIPANT: Yes, that's --

13 CHAIRMAN APOSTOLAKIS: Have you been
14 overly conservative?

15 MR. LEHNER: Right.

16 MEMBER SHACK: See, my argument was is if
17 you're using a bounding analysis, if it's truly
18 bounding, you know, the hard part of the problem to me
19 is that you never almost always do a problem that's
20 overall bounding. You bound some part and then you do
21 some other part.

22 CHAIRMAN APOSTOLAKIS: Right.

23 MEMBER SHACK: And where are you really at
24 now? If I was really convinced the whole problem was
25 bounded, that addresses my concern.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: I don't really know what you
2 mean by bounded in this case, because the only thing
3 we're dealing with is the probability distribution.
4 See, that's my problem. When you say truly bounding,
5 I don't really know what that means. I mean, I know
6 what it means in mathematical sense. I know what it
7 means in a mathematical sense when you're talking
8 about truly bounding things mathematically, but from
9 a relative sense, I don't know what you mean.

10 MEMBER SIEBER: Philosophically, there is
11 no bounding analysis.

12 CHAIRMAN APOSTOLAKIS: That's true.

13 MR. KRESS: In a probability sense.

14 CHAIRMAN APOSTOLAKIS: But it's a very
15 unlikely --

16 MR. KRESS: Yes, John, and it has to be
17 somehow defined in those terms.

18 MEMBER SIEBER: You have to define that.

19 MR. LEHNER: But I think maybe Dr. Shack
20 had it right, in some of the analyses that it's sort
21 of bounding in certain aspects. For example, a model
22 like FIVE, okay, just using the screening approach the
23 same. If you have a fire in that room that takes
24 everything out in that room, that is certainly
25 bounding under those.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: That's bounding.

2 MR. LEHNER: But I think those are the
3 types of things, I think, we're going to have to bring
4 into the definition of what we really think is a
5 bounding analysis.

6 MEMBER DENNING: I think there is another
7 element here, and that is I think we're really looking
8 often at the trade-off between risks and as we look to
9 our risk-informing regulation and if you do bound,
10 even if you're conservative in one area, you distort
11 that comparison between risks.

12 MR. LEHNER: Yes, right.

13 MEMBER DENNING: I think there is concern
14 about this conservativeness, a more bounding element
15 in your analysis. How you say anything generically
16 about it, that's what's difficult without looking
17 specifically at the case that you're talking about.

18 MR. LEHNER: I think the good thing, a
19 good bit of news in regard to that though is that the
20 Commission has directed us to do this phase approach
21 to PRA quality, so if anything is a significant
22 contributor risk, it's supposed to be dealt with by
23 PRA methods and not by bounding analysis. So I think
24 the bounding things are always going to be, hopefully,
25 at the lower level rather than swamping things, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 yes, you have got to be careful about that.

2 CHAIRMAN APOSTOLAKIS: But seismic is
3 usually a major contributor and, yet, a lot of
4 utilities are using margins.

5 MR. LEHNER: I don't think seismic is a
6 major contributor for any --

7 CHAIRMAN APOSTOLAKIS: A lot of PRAs.

8 MR. LEHNER: On the west coast maybe, I
9 don't think in -- very few on the east coast.

10 CHAIRMAN APOSTOLAKIS: Oh, I don't know,
11 because designation is so low on the east coast, you
12 see the problem there.

13 MR. LEHNER: I think it's quick to say if
14 you're saying that seismic --

15 CHAIRMAN APOSTOLAKIS: And prior
16 contributions are among the top contributors is a
17 general statement.

18 MR. KRESS: But you're never quite sure
19 when you use such conservative analyses that you --

20 CHAIRMAN APOSTOLAKIS: In the current
21 state of knowledge, this is a true statement. By the
22 way, one thing that I think is missing here, I was
23 looking at some of the regulatory decisions NRR has
24 made, risk-informed, and in several cases, you know,
25 as we all know, quantifying human error during

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accidents is one of the major uncertainties, right?
2 And you look and the utility used a .5 for the human
3 error rate. Gee, there is no problem there. There is
4 no problem with model uncertainty here. They are so
5 close to 1. Yes, I mean, what do you want to do?
6 Make it to 1? Beat me up.

7 So I don't know. Maybe that belongs to
8 the second bullet in the previous slide, when to worry
9 about these things. I think what the applicant has
10 done -- what?

11 MR. LEHNER: It wasn't associated with
12 that bullet.

13 CHAIRMAN APOSTOLAKIS: Anyway, and then
14 there is no bullet related to that, but what the
15 applicant -- I mean, you know, everyone says model
16 uncertainty, now I have to do model uncertainty.
17 There is human error. Wow, what do I do? And then
18 the guy says .5. For me it's a non-issue, because
19 they came so close to 1 that I really don't care
20 whether there is model uncertainty.

21 As Dr. Shack likes to say, it's way down,
22 all the uncertainty is down, so I don't care. Isn't
23 it true? I mean, in other words, you can put it a
24 different way. They used the bounding analysis. They
25 bounded the human error.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEHNER: But they are not going to use
2 .5 for every human error.

3 CHAIRMAN APOSTOLAKIS: No, but these were
4 actual obligations by the industry and I was so
5 surprised.

6 MR. LEHNER: But if it comes up with an
7 acceptable result.

8 CHAIRMAN APOSTOLAKIS: That's why they did
9 it like this.

10 MR. LEHNER: Yes, then it --

11 CHAIRMAN APOSTOLAKIS: But the reviewer
12 should be aware, because now there is no issue here.

13 MR. LEHNER: On that particular
14 application.

15 MR. KRESS: What if you use .1?

16 CHAIRMAN APOSTOLAKIS: Yes. On that
17 particular application, on that particular model
18 uncertainty.

19 MR. KRESS: Would you have had an issue if
20 they used .1?

21 CHAIRMAN APOSTOLAKIS: I don't know. It
22 would depend how sensitive they are.

23 MR. KRESS: See, I don't want to start
24 with --

25 CHAIRMAN APOSTOLAKIS: Probably not. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think they have to use their judgment.

2 MR. KRESS: I don't know .5 is any better
3 than .1. That's my point.

4 CHAIRMAN APOSTOLAKIS: It's much better
5 than the -3 though. It's another case where you
6 recognize it when you see it.

7 MR. KRESS: Okay.

8 CHAIRMAN APOSTOLAKIS: Okay, guys. It's
9 1:00.

10 MS. DROUIN: Okay. We'll skip the next
11 one. We could be on that forever, but the last one,
12 should the guidance for alternative approaches include
13 guidance on the use of expert panels? We had
14 originally not put that in our scope, but we're aware
15 that this is an alternative that a lot of licensees
16 are using. Instead of bounding analyses, instead of
17 doing sensitivities, they are doing expert panels. So
18 should we put this as part of our scope?

19 CHAIRMAN APOSTOLAKIS: My first reaction
20 to this is most of the work that's behind this has
21 already been done in that report on seismic, the use
22 of experts in seismic. As I say, they have
23 categories. All you have to do is take those.

24 MS. DROUIN: But that's expert
25 elicitation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEHNER: That's a different issue,
2 George.

3 MS. DROUIN: Different issue.

4 CHAIRMAN APOSTOLAKIS: No, it refers to
5 expert panels.

6 MR. LEHNER: But this is more like the
7 IDPs. It's called --

8 CHAIRMAN APOSTOLAKIS: They are a
9 variation of expert panels.

10 MR. LEHNER: It integrates a decision-
11 making panel, yes.

12 CHAIRMAN APOSTOLAKIS: But they are a
13 variation of those panels, I think. Even though you
14 don't elicit information formally, it's still the use
15 of an expert panel. As a group now they are telling
16 you something. So what my point is, this is not a
17 personal view. This is not worth spending too much
18 time on. It exists already. Adjust it to the problem
19 here and then later we'll see whether that's good
20 enough.

21 MEMBER SHACK: But you're implicitly
22 assuming it should be included?

23 MS. DROUIN: Included?

24 CHAIRMAN APOSTOLAKIS: Yes.

25 MS. DROUIN: We would build on whatever's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out there.

2 CHAIRMAN APOSTOLAKIS: Yes, yes, yes.

3 MS. DROUIN: But it's whether or not to
4 even include it?

5 CHAIRMAN APOSTOLAKIS: Yes.

6 MEMBER SIEBER: I think it's a legitimate
7 thing to do but, you know, I think every case is going
8 to be different.

9 CHAIRMAN APOSTOLAKIS: Yes, I agree with
10 you. Okay. Then you tell us that you're going to
11 come and visit us frequently?

12 MS. DROUIN: Yes.

13 CHAIRMAN APOSTOLAKIS: Is it because you
14 like us or because --

15 MS. DROUIN: Oh, because we like you and
16 we value your wisdom and --

17 CHAIRMAN APOSTOLAKIS: Oh, that's enough,
18 that's enough. Okay. So we're done.

19 MS. DROUIN: Thank you.

20 CHAIRMAN APOSTOLAKIS: Thank you very
21 much. Now, we go to Mr. True.

22 MR. SNODDERLY: George, do you mind?

23 CHAIRMAN APOSTOLAKIS: Yes.

24 MR. SNODDERLY: Could we take a five
25 minute break to just stretch?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Okay.

2 MR. SNODDERLY: I have got presentation
3 that are --

4 CHAIRMAN APOSTOLAKIS: Five minute break.
5 (Whereupon, at 1:02 p.m. a recess until
6 1:11 p.m.)

7 CHAIRMAN APOSTOLAKIS: Okay. Let's get
8 started with Doug True.

9 MR. TRUE: No.

10 MR. CANAVAN: I'll start us off.

11 CHAIRMAN APOSTOLAKIS: Okay. Tell us who
12 you are.

13 MR. CANAVAN: Ken Canavan, Electric Power
14 Research Institute. I'm a project manager for EPRI's
15 PRA scope and quality efforts.

16 CHAIRMAN APOSTOLAKIS: Do we have copies
17 of your --

18 MR. CANAVAN: It's on the way.

19 CHAIRMAN APOSTOLAKIS: Oh, okay.

20 MR. CANAVAN: They are being made as we
21 speak. As I said, I am project manager of the PRA
22 scope and quality effort at EPRI of which a framework
23 for the treatment of uncertainties is a part of,
24 granted, a fairly large part this year. And I'm going
25 to start off our presentation briefly with some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 overview, and then Mr. Doug True will go through the
2 details of our efforts in 2004. Can I do that? Yes.

3 To get right into it, our goal was to
4 create a pragmatic process that can identify when
5 point estimate solutions are not suitable in light of
6 parametric uncertainties, assist the utilities in
7 identifying and addressing key sources of uncertainty,
8 provide a technical basis for using that in risk-
9 informed decision-making, and addresses both the base
10 model and a variety of applications.

11 The process is pragmatic and the
12 pragmatism is required due to the extreme amount of
13 resources that could be required in the alternative.
14 And what I mean when I say pragmatic, I mean the
15 pragmatism of the process is evidenced through the
16 adherence to several principles, and to start off with
17 those right away, I think, before Doug gets started,
18 we will give you a framework to think about as we go
19 through the presentation.

20 And some of those principles are, the
21 first one is the rigorous treatment of detailed
22 evaluation of uncertainty due to all causes is
23 probably not attainable. The second principle would
24 be conservatism has been included in PRA acceptance
25 guidelines published by the NRC to account for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty.

2 And then I have three other bullets to
3 talk about the different types of uncertainty. The
4 first one is in the case of parametric uncertainty,
5 the PRA mean value and the point estimate value are
6 typically fairly close together. In the case of
7 modeling uncertainty, there is a need to develop
8 guidance on deciding what causes or sources of
9 uncertainty are key and then what to do with those key
10 sources.

11 In the case of completeness uncertainty,
12 there's two types. The first one is the things that
13 we know about and in those cases, Reg Guide 1.200, the
14 PRA standards, the PRA peer reviews provide confidence
15 that we're in the completeness of those things that we
16 know. In the case of the things that we don't know,
17 the risk-informed process is laid out in Reg Guide
18 1.174, defense-in-depth, the safety margins and
19 performance monitoring, provide protection against
20 those things, the things that we don't know.

21 Going back to a little bit broader
22 industry efforts, Westinghouse Owners Group has put a
23 lot of effort into understanding uncertainty and has
24 done the following projects. Key assumptions
25 identification process, LOCA and LOOP uncertainty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 impact assessment, and I believe that they have
2 started the PRA assumption mapping and cross
3 comparison activities.

4 In the case of EPRI, we're working on
5 guidelines for the uncertainty characterization in
6 risk-informed applications, and we're developing two
7 guides as part of that. The first guide is the
8 technical basis document and the second guide is an
9 applications guide.

10 Here's a quick slide on the
11 interrelationship of industry activities on
12 uncertainty. I'm not going to go through this slide
13 in detail. I will give it to you real brief. That
14 center large box is our applications guide. That
15 applications guide is going to be used by Westinghouse
16 in some form for their assumption mapping work, and we
17 also plan to pilot that guide later in 2005.

18 The technical basis document, the center
19 box directly below it, that is in publication now and
20 will be out by the end of the year, and that technical
21 basis document used input from the LOOP LOCA work that
22 Westinghouse had done, from the key assumptions work
23 Westinghouse has done, as well as from the Columbia
24 Generating Station Reg Guide 1.200 pilot and several
25 other sources we developed. And if you would like to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know --

2 CHAIRMAN APOSTOLAKIS: Who?

3 MR. CANAVAN: Columbia Generating Station.

4 MR. TRUE: WP2. Formally, WEP.

5 PARTICIPANT: Whoops, whoops.

6 CHAIRMAN APOSTOLAKIS: Oh, okay.

7 MR. TRUE: Wasn't it in that EPRI report,
8 the bases document is going to be --

9 MR. CANAVAN: Piloted.

10 MR. TRUE: But it's going to be available,
11 made available?

12 MR. CANAVAN: It's going to be made
13 available.

14 MR. TRUE: So you'll be able to gain
15 access to that.

16 CHAIRMAN APOSTOLAKIS: When will this be
17 published?

18 MR. CANAVAN: The publication date is
19 December 24, 2004.

20 CHAIRMAN APOSTOLAKIS: Goodnight.

21 MR. CANAVAN: And Merry Christmas.

22 CHAIRMAN APOSTOLAKIS: Wonderful.

23 MEMBER SIEBER: Yes, watch your chimneys.

24 MR. CANAVAN: Yes, it is quite large.

25 Down on the lower left hand side are our current PRA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Scope and Quality Committee Members. I won't go
2 through them since they are listed.

3 And we jumped ahead to status, PRA scope
4 and quality uncertainty activity status. The
5 guidelines that we're developing, the technical basis
6 document, is going to be available in December of
7 2004. The applications guide is under development and
8 we're going to try to produce a draft for January 2005
9 and that looks like it will be complete.

10 There is going to be a joint EPRI and our
11 group pilot of both the technical basis document and
12 the applications guide for 2005, and then revisions to
13 both the technical basis document and the applications
14 guide are planned for after the pilot completion by
15 the end of 2005. And that's a summary of the
16 activities. I didn't have anything else after that,
17 so it's all you.

18 MR. TRUE: Okay. It's all me. Okay. One
19 of the things that I want to also preface this with is
20 that the focus of this technical basis document and
21 the guide right now is on internal events at power,
22 basically, aligned with the ASME standard, and you
23 will see how that was done and why it is limited to
24 that, at this point, as we get into this.

25 As we get into this, we're trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 create a process and bases information that will help
2 utilities meet the regulatory requirements as they are
3 today, and we think a lot of what we're doing actually
4 compliments the project that Mary talked to you about
5 just before. It overlaps some, but it also, we think,
6 actually compliments it in a lot of ways, what they
7 have been thinking about doing.

8 We have gone sort of down in detail in the
9 internal events at power area. They have been kind of
10 staying at the higher level, and we have had one
11 physical meeting and a couple of phone meetings trying
12 to coordinate activities in that area, and we expect
13 that will continue into next year.

14 So we start at the mothership of what Reg
15 Guide 1.174 on risk-informed decision-making. I
16 brought this extra, so you could see where we started
17 from at the highest level. And basically, 1.174 says
18 that you need to deal with uncertainties and you need
19 to understand how they could affect the decision, and
20 that well formulated sensitivity studies or
21 qualitative arguments are a means to do that. And so
22 there was a fair amount of discussion earlier on
23 sensitivity studies and other things. We have headed
24 down the sensitivity study path.

25 Another thing that we thought was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 important out of 1.174 is it talks about these well
2 formulated sensitivity studies being reasonable and
3 trying to keep them within physical reality and not be
4 exhaustive or arbitrary. And so we have tried to help
5 build from that into a lot more detail about what that
6 might actually look like in trying to evaluate key
7 sources of uncertainty in base models and in
8 applications.

9 Reg Guide 1.200 goes on and makes a couple
10 of other statements, which I won't read verbatim, but
11 the two important elements are that the key sources of
12 uncertainty are tied to the technical elements of the
13 PRA. In the case of the ASME standard, that's things
14 like initiating events, systems analysis, LERF or the
15 nine technical elements of PRA, and that you are
16 supposed to identify them within those technical
17 elements and understand their impacts on the risk
18 results, CDF and LERF.

19 And the key assumptions also are driven by
20 those key sources of uncertainty, and also in Section
21 1.21, of Reg Guide 1.200, sorry, too many 1s and 2s
22 there, they talk about doing combinations of
23 sensitivity studies as a means to look at
24 uncertainties in results. And so we have tried to
25 also address that and how that is actually done,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because beyond these high level statements, there
2 really isn't anything written down that we could find
3 that would really direct a licensee on how to actually
4 tackle this subject, and that is part of what your
5 letter addressed, but it even goes further than that,
6 we think.

7 So we came up with a high level process,
8 two high level process diagrams, one for the base
9 model and one for applications, because we think they
10 do different things to look at uncertainties for each
11 of those uses of PRA. And then we start at the far
12 left with a generic list of potential model
13 uncertainties, and this list, I will get into it in
14 some more detail here, we're not going to go through
15 it in detail, but we'll talk about how we came up with
16 it in detail, it is derived from the past work that
17 has been done, 1.150 applications that have been done
18 in our experience across the industry and the members
19 of our working group and the log work that have
20 identified a number of causes of uncertainty and
21 specific types of uncertainty.

22 That list is used, it will be used by a
23 licensee to evaluate the applicability of those model
24 uncertainties to their model. Do they exist? You
25 know, obviously, if you're a BWR, you don't have the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Westinghouse Reactor coolant pump seals, to use the
2 tired example, but there may also be other areas of
3 uncertainty related to room cooling or treatment of
4 grid stability or some of the other more problematic
5 aspects of modeling that might or might not apply to
6 a particular PRA.

7 We also realized in the box below that
8 there may be things that are done in developing the
9 plant-specific model that in themselves have some sort
10 of uncertainty associated with them. It might be
11 something unique to the particular plant that has
12 caused the model builder to have to make decisions
13 that have had uncertainty associated with it, and they
14 may have done that in a conservative way. They may
15 have tried to do it realistically. It depends really
16 a lot on the specific issue.

17 So we're trying to create a process for
18 the PRA analysts to look at their PRA, and we look
19 even beyond this generic list at places where they may
20 have introduced uncertainties into their model.

21 And those lists of applicable model
22 uncertainties are then culled through to see where
23 those have been applied with conservative biases. I'm
24 starting at the bottom of the next little dotted box,
25 because a lot of the times in doing PRAs, the way we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 deal with uncertainty is we use a conservative bias.
2 It's just easier and if it's not a large contributor
3 to the result, it facilitates getting the analysis
4 actually done, and that's okay in a base model as long
5 as it's not driving the result. It's perfectly
6 acceptable to disposition a source of uncertainty in
7 that manner.

8 Another way that we'll deal with our
9 source of uncertainty is to apply a consensus model.
10 For example, the WOG 2000 Model, which is the newest
11 endorsed version of the Westinghouse Model and Rhodes
12 Model kind of married together into one. The result
13 is now a consensus model that we would expect people
14 would use in doing their base PRA. And that is a way
15 in that model to address the best source of model
16 uncertainty.

17 But then the other things that come
18 through that weren't either done with a consensus
19 model or may have been attempted to be done as
20 realistically as possible because of their being
21 significant contributors or that was the modeling
22 approach taken by the model. For those, we're asking
23 that the PRA user assess the magnitude of the impact
24 of that uncertainty. They actually look at how
25 sensitive the result is to that particular aspect of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the model.

2 And what we're really after is identifying
3 this term key model uncertainties. That term is used
4 throughout the ASME standard and Reg Guide 1.200, and
5 the qualifier of key is what really drives this,
6 because there are thousands of model uncertainties in
7 a PRA, maybe millions, I don't know, there's very,
8 very many. And what we're really after are the ones
9 that are really key. And we use magnitude of impact
10 as a means to identify those key model uncertainties.

11 And then for those key model
12 uncertainties, formulate the sensitivity studies and
13 look at logical combinations of those sensitivity
14 studies, we'll talk a little bit about logical
15 combinations in a minute, and then make some
16 assessment of what those results are telling you in
17 light of the quantitative impacts of those key model
18 uncertainties.

19 The application framework is a little bit
20 different. We start off with a characterization of
21 the application down in the lower left. And then we
22 ask that the analyst identify what are the key
23 application-specific contributors. You know, the
24 things that are really driving risk ought to be there.
25 Another tired example might be an EDG AOT extension.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You know you're really dealing with things that relate
2 to LOOP, that relate to a station blackout and
3 performance of the plant under those conditions. You
4 can isolate the aspects of the model that are really
5 contributing to your application and your decision.

6 From that look at the kind of calculation
7 that you're doing to try and identify the cause and
8 effect relationships that are being implicated by the
9 change to understand then how the applicable model
10 uncertainties that we identified up front on the base
11 model apply. And you will note that we bring back now
12 consensus models and conservative biases as candidates
13 that need to be considered in the application. And
14 that is because we don't think that you can make the
15 case that just because I used a consensus model, that
16 I have completely addressed the uncertainty in my
17 decision. You may have dispositioned it adequately in
18 the base model, but when you're trying to measure some
19 difference in particular, we think you need to look at
20 that again.

21 Going back down to the bottom of the
22 chart, there is a little bypass right on the bottom
23 that introduces another set of candidate model
24 uncertainties, and those are things like peer review
25 findings that might still be open from the PRA that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 being used, because a lot of times not all of those
2 have been addressed, you have got to disposition
3 those, precursors that may have happened at the plant
4 that might be relevant to the application that you
5 have going on and regulatory issues.

6 Maybe a good example of that would be
7 grate issues, I mentioned grate stability and maybe
8 containment sump issues would be something that would
9 be hard to sort of ignore today, because those are
10 issues that are out there that have a risk
11 implication. So we think those come in also as a
12 means to identify those potential key sources of
13 uncertainty.

14 Then we again formulate sensitivity
15 studies, look for logical combinations and then
16 interpret the results of those sensitivity studies.
17 And we actually are so bold or foolish to come today
18 with some suggestions on how those results could be
19 interpreted, which will no doubt lead to some
20 discussion.

21 MEMBER DENNING: Are you going to describe
22 formulated logical combinations more?

23 MR. TRUE: I think we ended up taking that
24 out, didn't we? Yes. The idea is that in the logical
25 -- there's not more, actually, I thought we had it in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here, but I think we took it out in the interest of
2 time, that we're looking for potential synergies.
3 It's really the place where the combination of two
4 topics could cause your results to be skewed by
5 synergism. Yes, so they are not just added. They are
6 multiplicative, so to speak.

7 So there are five things we want to try
8 and go through and we got a lot to bite off, so we'll
9 try and cruise through this quickly. The first is
10 this process we use for identifying sources of
11 uncertainty. Then we have some definitions for this
12 key aspect, the key assumptions, key source of
13 uncertainty. We're also going to talk about consensus
14 approaches and models. That was one of our buckets
15 that we could disposition things into, and we think
16 that's an important aspect that we need to wrestle
17 with, and I think Mary's presentation talked about how
18 the NRC is working on that side also.

19 And then guidance on interpreting
20 sensitivity study results on these key model
21 uncertainties, and then we have some information on
22 the first bullet that Ken talked about, which is when
23 do point estimate solutions from PRA models not match
24 a fully parametric uncertainty where we would counter
25 for the state exploration. And kind of some follow-on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 work to the earlier EPRI work we did on parametric
2 uncertainties for 5069.

3 So in identifying the sources of
4 uncertainty, we have gone about creating a generic
5 list by examining the ASME standard in other PRAs, and
6 we basically use the ASME standard elements and the
7 high level requirements from the ASME standard as an
8 organizing framework. So for each of the nine
9 elements, there are somewhere between two and seven,
10 I think, high level requirements that further define
11 each of those elements and what is required in the
12 standard. We have used that as an organizing
13 framework.

14 And then we have come up with a list of
15 generic causes of model uncertainty. The semantics
16 here are a little bit tricky. A source is, you know,
17 something like RCPC LOCA, but a cause is what's the
18 real root cause of why we have that source of
19 uncertainty.

20 CHAIRMAN APOSTOLAKIS: It's lack of
21 knowledge?

22 MR. TRUE: We think there's a generic list
23 of those.

24 CHAIRMAN APOSTOLAKIS: Isn't it lack of
25 knowledge?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRUE: That's a very high level cause,
2 but there are other -- not all of them fall under lack
3 of knowledge. We'll get to this in just a second.

4 MEMBER SHACK: This would be something
5 more specific like the heat transfer authority?

6 MR. TRUE: No, this is going the other
7 way. This is --

8 MEMBER SHACK: That's directing upward.

9 MR. TRUE: Directing upward, upward. So
10 we started with high level. Well, let's just jump
11 into it. We started with the nine elements of PRA,
12 initiating events. Each of those have or are
13 subdivided into high level requirements, and I have
14 kind of cryptically identified for initiating events
15 there are three high level requirements that contain
16 technical requirements.

17 First is identification of initiating
18 events. The second is grouping of initiating events
19 and the third is frequency. For each one of those
20 high level requirement areas, we went through and
21 looked for places where these seven causes could have
22 led to a source of uncertainty. So these causes I
23 talked about are a key part of this process. We
24 wanted to be derivative. We didn't want to go out and
25 just pick sources of uncertainty that we could think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of and come across, and so these causes of uncertainty
2 give us a means to be a little more systematic as we
3 go through them, and I'm going to walk through those
4 seven now.

5 The first is discretization. It's really
6 the level of resolution that you built into the model
7 and that works both ways. You can make a very multi-
8 model and that can create certain opportunities and
9 bounding versus not bounding or non-
10 conservative/conservative issues or you can be very,
11 very detailed, which can make interpreting the results
12 difficult. You can actually discretize beyond the
13 level of information that you have if you're not
14 careful. And so we wanted to look for places where
15 that might apply.

16 You will see for identification of
17 initiating events, we didn't see that as being an
18 issue, because identification is just a scope instead
19 of definition. However, when you get into grouping,
20 then discretization becomes very important and we have
21 seen places where PRAs have gone off track, because
22 they are grouped inappropriately and they haven't had
23 an adequate breakdown of initiating events groups.

24 The second area is input applicability.
25 We rely on all kinds of different information either

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generic or past performance information or even
2 assumptions. Sometimes they are just flat out
3 assumptions to go into the model to help build the
4 model. And those inputs really drive how the model is
5 constructed and how the model gets quantified, and
6 that applicability to what you're actually analyzing
7 may or may not be appropriate depending upon a base
8 model or the application that you're doing.

9 And the example I used here was
10 applicability of past performance to predicting future
11 performance. We do have a lot of PRA, but with the
12 changes in operating practices and things, that may or
13 may not be a good assumption or a good approach, and
14 it's a source of uncertainty in our results.

15 Deterministic modeling forms the backbone
16 of the whole PRA. It sets all the success criteria.
17 It sets the events sequences, and that deterministic
18 modeling is really central to all the decisions that
19 we make. And as much as we try to make that be
20 realistic and applicable and everything, there are
21 still uncertainties in whatever we apply.

22 CHAIRMAN APOSTOLAKIS: Isn't phenomenology
23 part of deterministic modeling?

24 MR. TRUE: Yes. I broke those out,
25 because I think there are aspects to -- and there is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 overlap in some of these categories. We tried to make
2 them fairly discreet, but there is some overlap.
3 Phenomenology, I kind of wanted a bin to just put
4 things like induced tube ruptures, direct containment
5 heating, atlas, core BWR atlas response, some of those
6 kinds of things that are really more phenomena,
7 special.

8 CHAIRMAN APOSTOLAKIS: Spacial.

9 MR. TRUE: Spacial, yes, spacial things
10 that are more strictly phenomena. Deterministic
11 modeling has other aspects to it like, in this case,
12 FMEAs, which are used in identifying initiating
13 events, the high level requirement we're in. How
14 detailed you have gone and how complete you have been
15 in that FMEA is a source of mulling uncertainty in
16 your model, and it could be a fairly important one.
17 If you miss an initiating event, then you may have an
18 incomplete assessment.

19 Human performance gets its own category.
20 It's sort of the poster child for uncertainty. And
21 dependencies we broke out also. Again, you could also
22 tie dependencies back into deterministic modeling, but
23 dependencies are so important in making sure you have
24 an appropriate risk profile. It's a thing that can
25 completely overwhelm the probabilistics, is if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have a dependence that you didn't identify or you have
2 over-depended or overly assigned a dependence that
3 doesn't need to be there, you can skew your results.

4 And then the last category is temporal
5 variability, which doesn't really apply to the base
6 model so much, but can become very, very important in
7 applications. Temporal variability is that, you know,
8 when you get into a lot of applications, there are
9 going to be variations in the probabilistic values
10 that we use in the models, the plant conditions that
11 exist at the time the analysis applies and it
12 particularly gets in play when we get into things like
13 significance determination process applications, which
14 are a big issue right now in the industry.

15 There are a lot of resources spent on
16 looking at the significance of inspection findings at
17 certain plants under certain conditions. And the
18 averaging that we do in a base PRA doesn't always
19 apply, and so we wanted to break that out as another
20 case for application purposes.

21 Consensus model and approach. That term
22 is used in the ASME standard and it is undefined. And
23 as we went to kind of work our way through this, we
24 said oh, okay, consensus models. We get to bin things
25 into that category and use that as a way to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 disposition things, but we didn't have a definition.

2 And so we have proposed what we call a
3 working definition, and Mary talked about her list of
4 NRC-acceptable models as their way of looking at it.
5 We're hoping to dialogue on that to see if we can come
6 to some consensus on the definition of consensus
7 approaches.

8 There are two important aspects. One is
9 the consensus part of the issue, which is the top
10 half of the definition. Then the bottom half is that
11 we think it's important not to just be able to say I
12 applied a consensus model, but to have the application
13 of that consensus model have been peer reviewed.

14 It's not good enough to just hang your hat
15 on some report and say oh, yes, I interpreted it and
16 put it in right. It has got to actually have been
17 reviewed to make sure it is implemented correctly and
18 consistent with the assumptions of that consensus
19 model and approach. Otherwise, we have introduced a
20 new form of modeling uncertainty.

21 In terms of definitions and key
22 definitions, the terms with key in them, key source of
23 uncertainty and key assumption, we think that the
24 1.200 definitions as they stand in the trial used, the
25 1.200s, are a little bit too broad and there are two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 problem areas there.

2 The first is one of the criteria is
3 changes in relative ranking of sequences. It doesn't
4 take much, but a sneeze, to cause one sequence to move
5 above another, particularly when you get down into the
6 lower frequency sequences. Certainly, you wouldn't
7 want the dominant contributor to be moving around, but
8 the a notion of relative ranking of significant
9 sequences is, we think, a problem in trying to
10 implement that decision.

11 We also think that there ought to be some
12 sort of a quantitative criteria for how to decide
13 which ones are key. We think that's really the only
14 way to get to a shorter list than all the possible
15 sources of uncertainty.

16 And I guess the last area is that the
17 definition is written really for a base model and not
18 for applications, and we think we need to be able to
19 address both since the base model doesn't really have
20 an application right now. They are all done with
21 IPEs. There is nothing really that those are used for
22 as they exist. It's always an application.

23 So what we have done here is we have done
24 sort of a line in/line out form of modifying the 1.200
25 definition. I won't go through it word by word. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also reformatted it slightly, so that it was a little
2 bit easier to follow that, the line in/line out. But
3 basically, we added introducing new functional
4 accident sequences. The previous definition had said
5 new accident sequences.

6 It's our interpretation that that was
7 actually what was meant by accident sequences. If you
8 read the definition of accident sequences, it talks
9 about personnel, but we think it's a little bit better
10 to have it explicitly identified here.

11 As I said, the changing of relative
12 importance of sequences we think should be removed,
13 and we have added a more quantitative definition to
14 the phrase that had been there before, which involved
15 affecting the overall CDF and LERF estimates that
16 might have an impact on decision-making. We think we
17 have made a cut at trying to actually define where you
18 begin to impact that decision.

19 CHAIRMAN APOSTOLAKIS: But go back,
20 please.

21 MR. TRUE: Yes.

22 CHAIRMAN APOSTOLAKIS: The words may be --
23 well, they may mean different things. For example,
24 you say a key source of uncertainty is one that is
25 related to an issue where there is no consensus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approach or model.

2 MR. TRUE: Right.

3 CHAIRMAN APOSTOLAKIS: What if,
4 miraculously, we have an issue where there are three
5 models, but there is consensus as to what to do with
6 them? That could be a key source of uncertainty in
7 which there is consensus, but there is no consensus on
8 a single model or you can say there is a single model
9 now that consists of the three models. The words, I
10 think, need to be cleaned up a little bit. I know
11 what you mean.

12 MR. TRUE: Yes.

13 CHAIRMAN APOSTOLAKIS: But I'm just
14 playing devil's advocate now that, you know, you have
15 three models and we all agree, there is a miracle.

16 MR. TRUE: Yes.

17 CHAIRMAN APOSTOLAKIS: Including Gareth.

18 MR. TRUE: Yes.

19 CHAIRMAN APOSTOLAKIS: You see?

20 MR. TRUE: Yes.

21 CHAIRMAN APOSTOLAKIS: Yes, that this is
22 the distribution, then there is a consensus and, yet,
23 that may still be a key source of uncertainty, right?

24 MR. TRUE: And this was again from the
25 base model.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Yes.

2 MR. TRUE: In the base model we have
3 allowed that if you have used a consensus approach,
4 that that sort of terminates the process of evaluating
5 that source of uncertainty.

6 CHAIRMAN APOSTOLAKIS: Well, I don't know,
7 I mean.

8 MR. TRUE: Well, if it's an application
9 and you're trying to make a decision, you know, based
10 on that, then we believe you need to bring that back.

11 CHAIRMAN APOSTOLAKIS: Also, something can
12 be a key source in the application.

13 MR. TRUE: Yes, it could be a not key in
14 the base.

15 CHAIRMAN APOSTOLAKIS: But not in the base
16 model?

17 MR. TRUE: It can be not key in the base,
18 but it can be key in the application.

19 CHAIRMAN APOSTOLAKIS: How does that help
20 with anything? I mean, are you --

21 MR. TRUE: Because applications often only
22 deal with portions of the model, it allows you to
23 focus in on just those pieces inherent to the
24 decision. Whereas, if you try to identify everything
25 that ever possibly could be key in the base model, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think you would drown in possibilities.

2 CHAIRMAN APOSTOLAKIS: How am I going to
3 use the base model? I guess now, it becomes very
4 important.

5 MR. TRUE: The base model you use in 1.174
6 space to make sure where you are on the existing.

7 CHAIRMAN APOSTOLAKIS: Horizontal axis?

8 MR. TRUE: Yes.

9 CHAIRMAN APOSTOLAKIS: Yes. All right.

10 MR. TRUE: But like I said, there is not
11 a particular application today for base models. We
12 have done IPEs. We have already made the decision
13 that there are no vulnerabilities. But they form the
14 basis for the decision-making process and also, I
15 should say, you will use base models and some
16 applications like 5069 where you're using importance
17 measures to evaluate the significance of something.
18 So the base model gets actually directly used in that
19 application.

20 But 1.200 is focused on the base model,
21 not a particular application. It's assessing the
22 quality in the base model. Key assumption.
23 Basically, the changes are parallel. There is no
24 significant difference in the way we editorially
25 propose changes. Okay. Here we go into criteria.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There are two graphs. I want to focus on the left
2 hand graph first. So we're looking at a basic PRA and
3 we have identified that we have a source of
4 uncertainty that's applicable to the plant and to the
5 PRA, and it doesn't have a consensus model associated
6 with it, and it wasn't treated with a conservative
7 bias.

8 So at that point, we need to have a way to
9 identify which of those are key. Well, we already
10 said if we create a new functional sequence is one
11 way. This left hand graph is looking at what causes
12 it to be a key source of uncertainty based on a
13 change, a potential change, in the CDF. And this is
14 based on a sensitivity study of the, you know,
15 reasonable assessment of what the model could
16 represent.

17 And there are, basically, you know, four
18 regions in this. I want to start in the region
19 between 10^{-4} and 10^{-6} , which is where the 2.0 is. That
20 region is sort of where most of our PRA results are,
21 our baseline CDFs are for a particular risk
22 contributor. And when I say risk contributor, I mean
23 internal events at power, seismic at power, fire at
24 power, low power shutdown internal events, those kind
25 of contributors. They would all be compared against

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this chart individually.

2 And the assessment will be made. If you
3 identify the model and, of course, also model
4 uncertainty and in doing your sensitivity studies you
5 found that it led to more than a factor of 2
6 difference in the CDF or LERF, that that would make it
7 a key source of uncertainty. If you're above 10^4 , if
8 you're in 1.174 space, you're allowed, essentially, to
9 go up as high as 10^{-3} . At 10^{-3} we truncate the curve
10 and cut it off at a 10 percent change in CDF.

11 And the theory there is that, basically,
12 that 10 percent on an absolute basis is the same as
13 the factor of 2 at 10^{-4} . 10 percent of 10^{-3} is 10^{-4} .
14 A factor of 2 change in 10^{-4} is 10^{-4} absolute change.
15 And the line just slopes you down at that constant
16 level.

17 Below 10^{-6} or below 10^{-7} if I go all the
18 way to the other end of the range, you're now so far
19 below any acceptance criteria that we think that it
20 should be allowed to have a lot larger uncertainty in
21 order for something to be considered key that you have
22 to really worry about it. You're well down from any
23 place where you're going to threaten safety goals or
24 subsidiary objectives or anything else, and there may
25 well be risk contributors in that region. There might

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be high winds. There might be hurricanes in certain
2 places. There might be other things where we're not
3 so worried about the overall result and having a
4 larger factor, we think, is appropriate.

5 Between 10^{-6} and 10^{-7} , we make a
6 transition. We couldn't figure out a way to just jump
7 from 2 to 10, and so we put a little no man's land in
8 there where you're transitioning up from 2 to 10. And
9 the reason is that if you were at 9 times 10^{-7} and you
10 got a factor of 10, but you were at 1 minus 6 and you
11 got a factor of 2, it's hard to reconcile those two,
12 so we put a transition zone in.

13 Okay. If I go then to the other end, what
14 I'm doing now is a risk-informed decision. In that
15 case, and I'm talking like a 1.174 application where
16 I have a delta CDF or a delta LERF. You will recall
17 that the guidelines, basically, put you into a couple
18 of regions. One, for CDF, it starts at 10^{-5} and goes
19 down to 10^{-6} and then everything below 10^{-6} is treated
20 differently.

21 So we have done the same thing in the 10^{-6}
22 to the 10^{-5} range. We have used the factor of 2 down
23 to 10^{-7} where you're now at an order of magnitude
24 below your acceptance guidelines. We put a factor of
25 10 and put the transitional region in there. Now, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 might ask where did we come up with 2? Why 2?

2 MEMBER DENNING: Where did you come up
3 with 2?

4 MR. TRUE: There you go. Okay. We came
5 up with 2 after -- we actually started out higher than
6 that, probably up around the 3 or 5 or 10 or
7 something. We threw in different things. Some people
8 were saying oh, no, it has to be more like 10 percent.
9 What we did was we went back and looked at how do we
10 actually interpret results today, and there are a
11 couple of things that came out and became clear.

12 The first is that when we're trying to
13 define something as risk-significant, we'll use a risk
14 increase factor or a raw of 2 as the basis. So we
15 have already got some precedents. We're looking at
16 things that change the risk by a factor of 2 as having
17 enough significance different than things that are
18 less than a factor of 2. That seemed like a
19 reasonable way to look at it.

20 The second thing was that if you look at
21 the log normal distribution, and which the majority of
22 our parametric uncertainties are represented by log
23 normal distributions, for the range of error factors
24 that we have normally represented in a PRA, the mean
25 value is always more than a factor of 2 below the 95th

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percentile. So we know if we use a factor of 2, we're
2 not jumping, in a sense, outside of what we would be
3 seeing in a 95th percentile value from a parametric
4 uncertainty. So we're within the parametric
5 uncertainties that are out there.

6 And then the third thing is that we went
7 back and looked at NUREG 1.150 at some of the
8 uncertainty analyses or importance measures that were
9 done for uncertainty, and we found that in every one
10 of the studies there were basic events in the model
11 that had more than a factor of 2 risk change at the
12 95th percentile level. So there were individual basic
13 events in the model that, just given their parametric
14 distribution at the 95th percentile, would change the
15 answer by more than a factor of 2.

16 And so we said well, if we're willing to
17 live with that kind of parametric uncertainty where we
18 have individual basic events that can change the
19 answer by a factor of 2 within the nominal bands, why
20 wouldn't we be willing to live with modeling
21 uncertainties that are within a factor of 2, because
22 the parametric is always there. We accept it. We
23 don't even think twice about it really most of the
24 time as long as we have got the right mean value
25 calculated.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we felt like those three reasons all
2 kind of pointed us towards a factor of 2. There were
3 no cases in NUREG 1.150 where the change was like a
4 factor of 10. It was usually in the order of around
5 factor of 2, factor of 3 for the larger contributing
6 basic events. So we found ourselves kind of zeroing
7 in on this factor of 2 as being the right kind of
8 range to be using.

9 We also think that by using a factor of 2,
10 and this is why these pilots that Ken talked about are
11 so important, is that we won't end up with a gazillion
12 of them, that we'll have a manageable number of key
13 sources of uncertainty to deal with and disposition,
14 because we didn't want to have a criteria that was so
15 fine like the reordering of sequences where, you know,
16 anything could qualify as a key source of uncertainty.
17 We really wanted to be the ones that were driving the
18 answer or could drive the answer significantly.

19 The factor of 10 basis is really just
20 based on the decade, peer analysts always think in
21 decades, maybe one of our weaknesses, but in the fact
22 that the decision criteria are set at, basically,
23 decade levels. We felt like a factor of 10 would be
24 A, big enough that we wouldn't find lots of those in
25 these very small contributors and, B, would make sure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we didn't go jumping out of bands that we were
2 in, we thought we were in and things like that
3 perspective.

4 MEMBER DENNING: Do you run into anything
5 with combinations here?

6 MR. TRUE: They would be the same. No, I
7 take that back. These are looked at individually and
8 then if they qualify on this basis, then we look at
9 logical combinations to identify the logical
10 combinations, and then we actually quantify how big
11 those are, the combinations are for the ones that, so
12 to speak, fail the key test individually. Okay? I
13 expected more dialogue.

14 This is back to the consensus model and
15 approaches. We think there are both necessary and
16 effective means of trying to deal with uncertainties
17 in the base PRA. This sort of came up in Mary's
18 presentation. When you get into applications, we're
19 not sure that just because you have a key source of
20 uncertainty or a consensus model that it dispositions
21 fully that source of uncertainty. And we talked about
22 the consensus model definition. And actually, the
23 industry is entertaining some activities next year,
24 which we didn't mention, to try to start creating
25 lists of consensus models that, we believe, meet the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 need. Okay.

2 So now, we have gone about identifying key
3 sources of uncertainty, but we still are in a position
4 where we have got to say okay, what do we do about
5 this in terms of decision-making? How do those
6 uncertainties affect our decision-making? And what
7 we're trying to look at is a case where we have done
8 a calculation using our mean values in the base model
9 or base application of the model, and we have found
10 that the --

11 MEMBER SHACK: Your point estimates
12 really.

13 MR. TRUE: Could be, it could be. It
14 depends upon how it's done. We'll get to that later,
15 too. Well, point estimate model, and we have shown
16 that we can make this decision. And now, we're trying
17 to say okay, well, are there uncertainties that might
18 influence that decision based on what we have learned
19 from looking at key sources of uncertainty and go
20 through that characterization as culled out for by
21 1.200. And as I said, the important thing is that we
22 have already met the decision criteria using our point
23 estimate model. We want to make sure that we're doing
24 that appropriately.

25 This is another one that could draw some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussion. So in this case, we have done a
2 sensitivity study on one of our key model
3 uncertainties, and the first question we ask is is it
4 less than the acceptance guideline? So I had a delta
5 CDF of 3 times 10^{-7} , began a sensitivity study and it
6 came out to be 7 times 10^{-7} . So I'm still below 10^{-6} .
7 If that's the case, I'm done and I just tell my
8 decision-maker I looked at my sensitivity studies and
9 I never exceeded the acceptance guideline.

10 MEMBER DENNING: What kind of criteria or
11 what kind of review do you have of the magnitude per
12 division you make in the sensitivity study?

13 MR. TRUE: That is part of the guidance
14 document that we're going to be working on to try and
15 lay out how you go about identifying those, what the
16 magnitude is. We don't want to directly say you
17 should go immediately to bounding assumptions. We
18 want to try and keep it within the reasonable range.
19 Articulating exactly how to do that is what we're
20 struggling with now, how to define what those limits
21 are, so that you --

22 CHAIRMAN APOSTOLAKIS: You're doing the
23 sensitivity analysis?

24 MR. TRUE: Staying credible, I think, was
25 the term somebody used before. I'm sorry, George.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: You're doing the
2 sensitivity analysis on what, on point values?

3 MR. TRUE: On the particular modeling
4 uncertainty.

5 CHAIRMAN APOSTOLAKIS: So the
6 distribution? What do you mean by uncertainty?

7 MR. TRUE: On the individual factor, I
8 mean, not numerical factor, the individual --

9 CHAIRMAN APOSTOLAKIS: Issue.

10 MR. TRUE: Issue. Yes, yes, that's the
11 word.

12 CHAIRMAN APOSTOLAKIS: But why don't you
13 just develop a distribution for that issue?

14 MR. TRUE: Because I don't know how to do
15 that.

16 CHAIRMAN APOSTOLAKIS: But you don't know
17 how to do sensitivity analysis either. You're going
18 to get questions from Rich all the time like that.

19 MR. TRUE: But I can --

20 CHAIRMAN APOSTOLAKIS: Why is 3 reasonable
21 and not 6? So eventually, you will have to consider
22 some sort of a distribution and say 6 is unreasonable,
23 because it's way out there.

24 MR. TRUE: I don't think that's always
25 going to be the case. I mean, there are places where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that may happen.

2 CHAIRMAN APOSTOLAKIS: But --

3 MR. TRUE: And that will be up to the
4 analysts to have to --

5 CHAIRMAN APOSTOLAKIS: But you're not even
6 willing to try. You don't seem to be willing to try.
7 You are dismissing the issue of uncertainty and you go
8 straight to sensitivities, and that is what the ACRS
9 meant in the letter. What is the proper role of
10 sensitivity analysis, the proper role?

11 And the proper role is not just to take
12 point estimates, in my view, I'm not speaking for the
13 Committee now, and just start changing them. I mean,
14 why don't we do the same with the parameters? We put
15 distributions there. So here we could put some. You
16 know, at least try first to put the distribution and
17 then do sensitivities on the distribution not on point
18 values.

19 MR. CANAVAN: I think it's possible you
20 could end up there, but the reason why we're not using
21 distributions is because a sensitivity case is
22 supposed to be based on a reasonable alternative
23 hypothesis.

24 CHAIRMAN APOSTOLAKIS: And a reasonable
25 alternative hypothesis means a distribution.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CANAVAN: Well, that's why I said you
2 may end up there. For example, if you were looking at
3 a particular source of uncertainty that you felt
4 ranged, that had three different outcomes, for
5 example, it had one where there was 30 GPM and that
6 affected the timing to X, and then you look at another
7 alternative hypothesis and that's a 40 GPM leak and
8 the timing is Y, 90, you may end up creating a
9 distribution by analyzing two or three possible
10 sensitivity cases concerning the same key assumption.

11 But the goal is to be pragmatic and not
12 jump right either to a full distribution or a range of
13 sensitivity cases when you can show that perhaps the
14 largest reasonable alternative hypothesis could be
15 dispositioned below a certain criteria.

16 CHAIRMAN APOSTOLAKIS: That's very
17 different from saying that you do sensitivity
18 analysis. You can say I started with some bounding
19 analysis and I look at the worse case and then it's
20 inevitable. Then I don't proceed. I agree with that.
21 But I am really disturbed by the fact that you are
22 really jumping into sensitivity studies.

23 Sensitivity analysis was developed in the
24 old days when the form of engineering was
25 deterministic, and people wanted to account for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainties. I say okay, if I take this number,
2 which is now a 2 and make it 4, what happens?

3 In PRA space though, it's the language of
4 distributions and we keep this old -- I mean,
5 sensitivity analysis in PRA space might be -- a
6 ridiculous case is okay, I don't think thing it's log
7 normal, it might be gamma, so I will try that. Nobody
8 in his right mind will do that, but it might be that
9 I have a log normal distribution and I'm not quite
10 sure about the tail. So I say well, gee, you know,
11 the 95th percentile might be a little greater, so what
12 happens then? So I have a new distribution now.

13 In other words, I'm doing my sensitivity
14 analysis on the distributions, on the uncertainty
15 evaluations that I have done. I am not mixing the old
16 way of thinking, old engineering, 1940s, you know,
17 changing numbers, with the new one. I mean, we spent
18 35 years developing this thing.

19 And you see, I would like to hear we
20 started with the uncertainties, so we might end up
21 with sensitivity rather than the other way around,
22 because you will always have that question. In fact,
23 I'll tell you. In the old days, in the '70s when PRA
24 studies were coming out, there were some ACRS members
25 who loved, loved to take an analysis and say ah, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see, if I take this number and multiply it by 10, your
2 conclusions go out of the window and they left it at
3 that.

4 Now, that is as unreasonable as saying,
5 you know, by multiplying by 10, I'm okay, because the
6 factor of 10 has to be justified.

7 MR. TRUE: Right.

8 CHAIRMAN APOSTOLAKIS: And justifying it
9 means making a probabilistic statement.

10 MR. TRUE: Well, probabilistic, is that a
11 qualitative probabilistic statement or a quantitative
12 probabilistic statement?

13 CHAIRMAN APOSTOLAKIS: Quantitative.

14 MR. TRUE: I don't know how you do that.

15 CHAIRMAN APOSTOLAKIS: In some cases, you
16 may be able to convince people, you know, by saying
17 that this is extremely unlikely.

18 MR. TRUE: Yes.

19 CHAIRMAN APOSTOLAKIS: But it seems to me
20 that that was the intent of that comment the ACRS
21 made. What is the proper role of sensitivity
22 analysis? And you are just jumping into this that,
23 you know, we're going to do a sensitivity analysis and
24 then, you know, I will support Rich Denning. Why 6
25 and not 12?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER RANSOM: Is there any narrative
2 calling that screening now where you simply take those
3 things I don't know much about, you simply perturb
4 them and then see what the effect is on the result, at
5 least those that are significant, to go further with?

6 CHAIRMAN APOSTOLAKIS: Oh, that's
7 perfectly all right for me. I mean, I don't have any
8 problem with that. But ultimately, you see,
9 perturbing them, again, by how much?

10 MEMBER RANSOM: Well, 10 percent.

11 CHAIRMAN APOSTOLAKIS: But why? Why 10
12 percent and not 60 percent? That's the heart of the
13 matter.

14 MR. CANAVAN: It depends upon --

15 CHAIRMAN APOSTOLAKIS: If we decide to
16 skip that, then everything else follows. Yes, I agree
17 with that, but we will always have that problem. Why
18 did you change it this much and not this other much?

19 MEMBER RANSOM: But you may be able to
20 develop criteria, George, that are engineering.

21 MR. CANAVAN: It would have to be a
22 reasonable alternative hypothesis, which could include
23 using the distribution and saying well, this is at the
24 95th.

25 CHAIRMAN APOSTOLAKIS: I am not arguing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that you have to develop detailed distributions for
2 every single case. I'm not saying that. What I'm
3 saying is that unless you consider some element of
4 probability there, you will always be on a ground
5 where you will be vulnerable.

6 Now, you guys got away with it in '69.
7 The Committee was unwilling to really challenge this
8 factor of 5 or whatever it was. But you know, I don't
9 know for how long. I mean, if south Texas says 10,
10 then we go to 5. I hope the public doesn't read those
11 things.

12 PARTICIPANT: 3 to 5.

13 CHAIRMAN APOSTOLAKIS: 3 to 5, yes. Sure,
14 the licensee in six months will not make it with 3.
15 He will say well, 2, you know, is very reasonable,
16 too.

17 MR. TRUE: Right. And in doing that, he
18 has to --

19 CHAIRMAN APOSTOLAKIS: There goes the
20 credibility of the regulatory system.

21 MR. TRUE: And when he does that though,
22 he has to establish his monitoring program to be able
23 to detect that change. So he has given -- that is a
24 basis for what factor he picked.

25 CHAIRMAN APOSTOLAKIS: It still outweighs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. I mean, it's 2, no, it's 3, no, it's 2 and a
2 half. I mean, you know, unless we try seriously to
3 quantify things and, again, I don't mean detailed
4 distributions, but something that would give me
5 something like some bounding analysis that is well
6 documented. Some say, you know, that we don't think
7 that the probability of this exceeds that, you know,
8 some quantitative evaluation, because you are just
9 taking it for granted that what was done in the past
10 decades on sensitivity analysis prior to PRA is
11 equally valid in PRA space.

12 MR. TRUE: Okay. Ray had wanted to say
13 something.

14 MR. SCHNEIDER: This is Ray Schneider.

15 CHAIRMAN APOSTOLAKIS: You have to come
16 closer to the microphone and tell us who you are.

17 MR. SCHNEIDER: Ray Schneider,
18 Westinghouse. I don't believe that we're really
19 saying that we're just going to randomly select
20 numbers and do sensitivities.

21 CHAIRMAN APOSTOLAKIS: Right.

22 MR. SCHNEIDER: We're going to look at the
23 distributions. We're going to look at the issues,
24 look at the different success criteria, make technical
25 judgments as to why we're selecting these for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assessment, and then do the assessment. It's not to
2 be -- you know, I don't expect there will be a number
3 saying well, let's try 10, let's try 8, let's try 6.
4 That's not the intent of the overall scheme of where
5 we're going to go in the future with this.

6 MR. TRUE: Right.

7 CHAIRMAN APOSTOLAKIS: Which distributions
8 are you going to look at when you refuse to produce
9 distributions?

10 MR. TRUE: Well, you --

11 CHAIRMAN APOSTOLAKIS: If you have the
12 distributions with you --

13 MR. SCHNEIDER: But you may know the max
14 and mins. You will know like for success criteria,
15 you will know your best estimate kind of results and
16 you will know your conservative design basis results
17 and you may not be able to figure out exactly 95
18 percent or 90 percent distribution, but you can have
19 a rough idea of what your upper limits and lower
20 limits are going to be on it. So you may not get the
21 precision you're looking for, but you will have --

22 CHAIRMAN APOSTOLAKIS: I'm not looking for
23 precision.

24 MR. SCHNEIDER: Right.

25 CHAIRMAN APOSTOLAKIS: I don't know how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 many times I have to say it.

2 MR. SCHNEIDER: But the thing is what you
3 will get is the engineering judgment that, basically,
4 says that the selection of what we're going to be
5 using for the sensitivity is based on risk. It's
6 based on what we expect a probabilistic tail to be, a
7 reasonable location, and trying to put a reasonable
8 estimate on it, and trying to move away from the
9 arbitrary selection of those values.

10 CHAIRMAN APOSTOLAKIS: But you are getting
11 away from the arbitrary selection of these values by
12 saying if you choose my values, then we're not
13 arbitrary anymore. That's exactly what you're saying,
14 that in 5069 the NEI argument was that 3 to 5 is
15 reasonable, a factor of 3 to 5 is reasonable. Nobody
16 challenged it, so it must be reasonable, but why was
17 it 10 before?

18 MR. SCHNEIDER: I think what we're saying
19 is we will justify and support the value using it for
20 sensitivity studies based on analyses and based on --

21 CHAIRMAN APOSTOLAKIS: The sensitivity
22 studies that Doug showed earlier in the sense of how
23 much does the core damage frequency or does the CDF
24 increase by using -- these are legitimate sensitivity
25 studies. I am understanding. I'm trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand how sensitive my results are to certain
2 things I have done, you know, and this is the whole
3 idea of raw and fossil vassalage, raw especially in
4 other contexts. That's perfectly all right. I think
5 it's fine. I gain insights. I understand this.

6 The other thing about, you know, the mean
7 value and the 95th percentile, a factor of 2, that's
8 great. You are working in risk space and you're
9 changing things. You're looking at things, trying to
10 understand what is going on. But when you say we do
11 the point values and then do sensitivity analysis and
12 then go on, that's where you lose me, because now you
13 are switching back to the old way of doing business.

14 Now, on the other hand, this is too high
15 level discussion here. We will never convince each
16 other, but I'm afraid --

17 MR. TRUE: I don't think we're
18 understanding each other, because I don't know that I
19 understand that there is a change even.

20 CHAIRMAN APOSTOLAKIS: You are doing
21 sensitivity studies on what?

22 MR. TRUE: On a particular issue.

23 PARTICIPANT: Modeling.

24 MR. TRUE: Modeling uncertainty issue.

25 CHAIRMAN APOSTOLAKIS: Okay. So let's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 take human error, okay? There are five models.

2 MR. TRUE: Let's not take human error.

3 Let's do grid stability, grid stability.

4 CHAIRMAN APOSTOLAKIS: Okay. Grid
5 stability.

6 MR. TRUE: Okay. That's an issue. Every
7 model has in it a loss of off-site power initiating
8 event and I think every model now has a conditional
9 probability that the grid is lost following a plant
10 trip.

11 CHAIRMAN APOSTOLAKIS: Okay.

12 MR. TRUE: Okay? But there is a lot of
13 variation in what the results could be that may or may
14 not be well represented in a distribution for those
15 point estimate values. And so what we would expect is
16 that the analyst would go back and look at their
17 particular plan design and say well, based on what I
18 know, it could be -- you know, it couldn't be any
19 worse than this. It might be reasonably in this range
20 or better than this.

21 CHAIRMAN APOSTOLAKIS: What might be?
22 What?

23 MR. TRUE: The likelihood that I will lose
24 the grid --

25 CHAIRMAN APOSTOLAKIS: Well, the guy is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quantifying his state of knowledge. I have no problem
2 with that. You are in the probability space. That's
3 fine. That's not what I understood by this.

4 MR. TRUE: Well, maybe that's why we're
5 just not communicating, because that's exactly what
6 we're --

7 CHAIRMAN APOSTOLAKIS: Well, you are
8 having pilot studies?

9 MR. TRUE: I will do another. Yes.

10 CHAIRMAN APOSTOLAKIS: So at some point,
11 we will be briefed on those.

12 MR. TRUE: Yes.

13 CHAIRMAN APOSTOLAKIS: Okay. Maybe that
14 will be better.

15 MR. TRUE: Another example might be
16 battery life. This is a little more oblique.

17 CHAIRMAN APOSTOLAKIS: Yes.

18 MR. TRUE: Okay. We, you know, typically
19 will have a design calc of some kind. We'll say
20 batteries will last for four hours in the event of a
21 station blackout. Well, what we found through various
22 things is that if the diesel runs for maybe an hour,
23 that will cover a lot of the loads that the battery
24 would actually have to carry, and that battery life
25 might go from four hours now to eight hours, because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 after that first hour, all it's doing is carrying
2 instrument loads and those kind of things.

3 So we treat all of our modeling as
4 failures occur at T equals zero, generally. So all
5 those contributions from diesel failure to run
6 occurrences get lumped in as it happened at T equals
7 zero. Therefore, we have a four hour battery life.
8 For doing some applications, you may find that that's
9 not a reasonable assumption, that really you're more
10 likely to have battery life for eight hours, and then
11 that changes your -- it could change your event
12 restructure. It could change your probabilities. It
13 could change all kinds of things about the way you
14 have modeled it.

15 CHAIRMAN APOSTOLAKIS: And will the
16 analyst then say I think it's eight hours and then go
17 ahead as if it's eight hours or would he say I really
18 think it's greater? So maybe, you know, there is a
19 distribution between five and nine, ten hours. See,
20 that's where I think there is a difference. He gives
21 me arguments that it's not four anymore, perfectly
22 reasonable arguments.

23 MR. TRUE: Right.

24 CHAIRMAN APOSTOLAKIS: And he thinks it's
25 eight and he goes with eight or he gives some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distribution that it might be eight or nine or ten or
2 six or seven, so I have some better feeling. It
3 depends how critical the time is, of course.
4 Otherwise, it doesn't really make that much
5 difference.

6 MR. TRUE: Right, it would have to be
7 something that was important to the --

8 CHAIRMAN APOSTOLAKIS: Yes. But that's,
9 I think, what the analyst should do. It's perfectly
10 all right to say this is my judgment, my state of
11 knowledge, because then we can disagree or agree, you
12 know, the usual stuff, rather than saying I think it's
13 eight and go with it. I have seen that. Some people
14 claimed 11, I thought.

15 MR. TRUE: Well, some actually can do
16 that.

17 CHAIRMAN APOSTOLAKIS: Yes.

18 MR. TRUE: Because they don't have a lot
19 of --

20 CHAIRMAN APOSTOLAKIS: Yes, but they will
21 claim just 11 and that, you know, is not a judgment.

22 PARTICIPANT: But they put in a
23 probability for that 11.

24 MEMBER SIEBER: No, you can calculate.
25 For example, you can calculate --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRUE: No, it's just a single
2 statement. It's just a single statement.

3 MEMBER SIEBER: -- how much the charger is
4 using the battery and how much you are not taking out
5 of it by virtue of having it supplied from the diesel,
6 and then the uncertainty comes from the fact that the
7 battery may be brand new or it may be old.

8 CHAIRMAN APOSTOLAKIS: That's right.

9 MEMBER SIEBER: And from the manufacturer
10 you get its internal resistance and you can compute
11 that, too. So you could actually, with a little bit
12 of work, a day's work rather than a year's work, you
13 can get rid of most of the uncertainty around that
14 kind of a calculation.

15 CHAIRMAN APOSTOLAKIS: And that's fine
16 with me.

17 MEMBER SIEBER: That's really what ought
18 to be done rather than the sensitivity stuff, you
19 know.

20 CHAIRMAN APOSTOLAKIS: I agree. I fully
21 agree with that, when you can do it and in this case
22 you can.

23 MEMBER SIEBER: Well, the big problem is
24 trying to model things that you don't know anything
25 about. You don't even know if it occurred. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 haven't defined the phenomenon. That's where the
2 problem comes in and that's where the largest, in my
3 view, source of uncertainty is.

4 CHAIRMAN APOSTOLAKIS: All these reports
5 should have chapters with the title "Everything we
6 know about things we don't know anything about."

7 MEMBER SIEBER: Right.

8 CHAIRMAN APOSTOLAKIS: That should be the
9 longer chapter.

10 MEMBER SIEBER: Right. We know less and
11 less about more and more until you know nothing about
12 everything.

13 CHAIRMAN APOSTOLAKIS: Anyway, let's move
14 on. I think there is a record now, you know. I think
15 it has to be a specific example to understand really
16 what you mean by all of this.

17 MR. TRUE: Okay.

18 CHAIRMAN APOSTOLAKIS: I mean, this thing
19 with the batteries, you understood my concern. John
20 gave us a different perspective that in this
21 particular case, you can actually do deterministic
22 calculations to figure out what it is, which is fine.

23 MEMBER SIEBER: Well, you get the
24 distribution.

25 CHAIRMAN APOSTOLAKIS: If you can do that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 great.

2 PARTICIPANT: I mean, he does have his
3 formulate sensitivity studies formulate logical
4 models. I mean, there is a place in here where he's
5 thinking about, you know, why he's choosing these.
6 Now, again, you know, there's always this battle about
7 why it's easier to choose a sensitivity study than it
8 is to come up with a distribution.

9 MEMBER SIEBER: It's easy.

10 PARTICIPANT: Well --

11 CHAIRMAN APOSTOLAKIS: No.

12 PARTICIPANT: It's calculable, yes.

13 CHAIRMAN APOSTOLAKIS: Why this and not
14 that?

15 MR. TRUE: It's manageable actually. It's
16 part of the -- that's the pragmatic part of it. The
17 reality is that it's --

18 CHAIRMAN APOSTOLAKIS: What is RS? RS is
19 what?

20 MR. TRUE: The risk of the sensitivity
21 study compared to the base risk. So I do a
22 sensitivity study on less than or not less than the
23 acceptance guideline, but I am within a factor of 2.
24 Normally, you wouldn't kick into that with a key
25 modeling uncertainty, but without key modeling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainties but, I mean, I still ask that question.
2 If you're at a factor 2, then you're kicked out, the
3 same logic as before.

4 Then the more controversial maybe one is
5 if now you have done a sensitivity, you're more than
6 a factor of 2 and you are above the acceptance
7 guideline, we believe that it doesn't necessarily mean
8 that the decision is unacceptable, because you --

9 CHAIRMAN APOSTOLAKIS: The only place
10 where the word uncertainty appears is when it doesn't
11 matter. Uncertainty does not impact. You know,
12 that's the only place where in this chart I see the
13 word uncertainty. You dismissed it without doing
14 anything about it.

15 MR. TRUE: We started with an uncertainty
16 and did a sensitivity study. Maybe I should have put
17 a box on there to start the focus.

18 CHAIRMAN APOSTOLAKIS: Maybe you should
19 have.

20 MR. TRUE: It might have been a better way
21 to start the flow chart here.

22 CHAIRMAN APOSTOLAKIS: What would be wrong
23 with saying, you know, somewhere up front try to
24 quantify your state of knowledge in terms of
25 probabilities, and if you can't, go ahead and do these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things or in the process of doing this, do some
2 sensitivity analysis, do this, do that, you know?

3 In other words, put it in the context that
4 the really desirable result is some uncertainty
5 quantification. Then we recognize in a pragmatic
6 approach that you can't always do this and here are
7 other ways of handling it. Then I could be with you
8 100 percent. What's wrong with that? There is
9 nothing wrong with that. I mean, you still preserve
10 everything you're saying.

11 MR. TRUE: Yes.

12 CHAIRMAN APOSTOLAKIS: I think we should
13 move on though.

14 MR. TRUE: Yes.

15 CHAIRMAN APOSTOLAKIS: We only have 30
16 minutes.

17 MR. TRUE: Okay. All right. So now we're
18 back to parametric uncertainty. We're going to leave
19 the subject of model uncertainty. The situation is
20 that many PRA calculations, risk-informed applications
21 and such are based on point estimate analysis and, in
22 fact, all the tools that are currently used by
23 licensees for doing PRAs, the importance measures are
24 based on point estimate results. And we did some work
25 and we talked to you about that a year or so ago,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking at that for 5069.

2 PARTICIPANT: Just before we leave though,
3 the 2 is again this argument that you're probably a
4 factor of 2 away from the 95th percentile, so you're
5 --

6 MR. TRUE: It's that and the raw 2
7 argument and the fact that you have parametric -- you
8 have basic events with parametric uncertainties that
9 exceed factor of 2. It's all three of those kinds
10 that caused us to converge on 2.

11 So our tools are, basically, oriented
12 towards point estimates. We can do uncertainty
13 analyses, and there may be cases where those point
14 estimates are not good estimates of the true mean
15 value. So what we wanted to do was to some additional
16 work to look at when those point estimate calculations
17 can be used for comparisons to mean values, and look
18 at the treatment of the whole state of knowledge
19 correlation issue. And so we're trying to look for
20 places where it's significant.

21 So I'm going to go through some background
22 and then get to some results. This chart just shows
23 the same. There is no news here. This is just the
24 same mean value of 10^{-4} and a log normal cumulative
25 distribution function for that mean value. And what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is significant about the log normal distribution, and
2 I'm sure you all know this, is that the black tail,
3 which is the largest error factor, extends further and
4 further out.

5 And so when you're sampling from that
6 distribution, you will pick values that are far up
7 that tail and when that happens and it occurs for a
8 parameter that is in more than one event and it cuts
9 it, you get sort of a multiplicative effect of picking
10 that high value. And if there are two basic events
11 that cuts that that have the same state of knowledge
12 and you sample at the high end, you get the square of
13 that high end value. At the other end it doesn't
14 matter, because the value is so low, you square it and
15 it's still zero. So it's picking those ones way on
16 the far end.

17 And so as a means to kind of explain this,
18 we went through and basically took the cumulative
19 distribution function and weighted it by the square of
20 the X value. So we took the PDF, took the weight in
21 that area, squared it based on that value, and if we
22 go through these you can see how, as the error factor
23 gets larger --

24 CHAIRMAN APOSTOLAKIS: That's state of
25 knowledge uncertainty.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRUE: Yes.

2 CHAIRMAN APOSTOLAKIS: Yes,

3 MR. TRUE: Yes, right. Okay. And what
4 you see is that error factors of 3 and 5 was not a
5 particularly large impact, but as we get up to larger
6 and larger error factors, 10, 30 or 100, the
7 distribution shifts very significantly.

8 This chart, this is partly to explain to
9 utilities, licensees, what's going on with state of
10 knowledge. So what we did was we took all the data
11 and said well, if we look at just the median value,
12 because they are pretty well behaved distributions,
13 what is the ratio of the median value with X and X
14 squared? And so for an error factor of 3, it only
15 changes the median by a factor of 1.6.

16 CHAIRMAN APOSTOLAKIS: So let me
17 understand this.

18 MR. TRUE: But for a larger error factor,
19 it's much larger.

20 CHAIRMAN APOSTOLAKIS: Let me understand
21 this, Doug.

22 MR. TRUE: Yes.

23 CHAIRMAN APOSTOLAKIS: The ratio is
24 between --

25 MR. TRUE: It's between the dotted line.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: The correct value
2 of the mean square.

3 MR. TRUE: Yes.

4 CHAIRMAN APOSTOLAKIS: And in the
5 denominator if you have a square.

6 MR. TRUE: Yes.

7 CHAIRMAN APOSTOLAKIS: Of the mean?

8 MR. TRUE: Yes, yes.

9 CHAIRMAN APOSTOLAKIS: A square of the
10 mean versus the mean of the square?

11 MR. TRUE: Yes.

12 CHAIRMAN APOSTOLAKIS: Actually, the other
13 way, the mean of the square over the square of the
14 mean, right?

15 MR. TRUE: Yes, right, right.

16 CHAIRMAN APOSTOLAKIS: Okay.

17 MR. TRUE: It's basically the ratio
18 between these two, the 50th percentile value on these
19 charts.

20 CHAIRMAN APOSTOLAKIS: You are testing the
21 assertion, which is true, that the mean of the
22 function is not equal to the function of the mean.

23 MR. TRUE: Right. Okay. And the impact
24 can be quite significant, particularly for the cases
25 where we have large error factors. Like I said,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nothing new here.

2 CHAIRMAN APOSTOLAKIS: Do you use error
3 factors over 100 often, Doug?

4 MR. TRUE: No. That's why there's no
5 graph for 100. You know, it stops at 30.

6 CHAIRMAN APOSTOLAKIS: How unlikely is it?

7 MEMBER SIEBER: Isn't that the best PRA to
8 use?

9 MR. TRUE: I think there are some results
10 that were in that range. So we know, based on all
11 that that state of knowledge correlation effects can
12 be significant and we know or believe that the impact
13 on the risk increases as the error factor goes up, as
14 the fraction of the risk metric impacted increases.
15 So the larger fraction of, for example, the core
16 damage frequency is contributed by cuts that
17 containing these correlated events.

18 If that fraction goes up, the impact on
19 the overall result is going to be greater. So if it
20 only occurs in very, very low cut sets, it's not going
21 impact the overall result, but if it's in larger or
22 occurs in many cut sets or in a larger single
23 contributor, then it can be bigger.

24 And also, the number of coincident
25 correlated variables increases. That makes it worse,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because if squaring was bad, then cubed is really bad.
2 So we set about to try and investigate that by
3 creating some simple models using log normal
4 distribution and looking at how that played out.

5 We also noted that if you follow the ASME
6 standard and you have identified common cause groups
7 for your significant basic events that are plant-
8 specific and you have all the significant basic events
9 are those with fossil vassalages greater than .05 and
10 raws greater than 2, you have to have plant-specific
11 data.

12 So as you do that, you find fewer and
13 fewer cases, essentially, where you would have
14 correlated variables in the same cut set. So the
15 standard is actually driving us in a direction that
16 reduces the impact of the state of knowledge
17 correlation if you follow it with the standard ASME
18 requirement.

19 So we also wanted to look at what happens
20 if you have a common cause group in the model, because
21 what's going on there is you have got two basic
22 events, say they are 10^{-3} failure rates, but prior to
23 those is 10^{-6} , the mean is 10^{-6} , but the common cause
24 term itself might be 10^{-4} or 3 times 10^{-5} , something
25 like that, a lot larger. So that tends to kind of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shield you from the impact of the correlated
2 variables. So we investigated how common cause plays
3 into this, too.

4 And we were trying to come up with some
5 rules, some simple rules, to help us identify where in
6 the state of knowledge the correlation would be
7 significant, significant enough that it really needed
8 to be played out in the decision part.

9 CHAIRMAN APOSTOLAKIS: And this is in an
10 effort to justify doing just point estimates?

11 MR. TRUE: Yes.

12 CHAIRMAN APOSTOLAKIS: Because
13 computation, I think, I can do this with Monte Carlo,
14 and I don't care.

15 MR. TRUE: Yes.

16 CHAIRMAN APOSTOLAKIS: I sample correctly
17 and I get the results.

18 MR. TRUE: Yes. Except for the fact that
19 we do many, many applications, including many, many
20 applications for online maintenance and other things
21 where you will be doing many tens of calculations.

22 CHAIRMAN APOSTOLAKIS: Computations, you
23 mean at the plant?

24 MR. TRUE: Yes, at the plant.

25 CHAIRMAN APOSTOLAKIS: At the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRUE: And using the PRA.

2 CHAIRMAN APOSTOLAKIS: Not to request
3 changes of licensing?

4 MR. TRUE: No, not licensing.

5 CHAIRMAN APOSTOLAKIS: Okay.

6 MR. TRUE: Or the maintenance, no.

7 CHAIRMAN APOSTOLAKIS: Okay.

8 MR. TRUE: But also --

9 CHAIRMAN APOSTOLAKIS: No, I understand
10 now.

11 MR. TRUE: But also for those. I mean,
12 and particularly when we get into a situation where
13 now we're looking at all these modeling uncertainties,
14 we're doing sensitivity studies on all those and we
15 have to go through parametric uncertainties on top of
16 all that.

17 CHAIRMAN APOSTOLAKIS: Yes.

18 MR. TRUE: Every single time we do a
19 calculation.

20 CHAIRMAN APOSTOLAKIS: Would you mind
21 changing the nomenclature here instead of state of
22 knowledge correlation just to a epistemic correlation
23 or you think the licensees will get thrown off? It's
24 now epistemic.

25 MR. TRUE: The reason that we used this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was it ties to an ASME standard requirement that talks
2 about state of knowledge correlation.

3 PARTICIPANT: Which ties to --

4 MR. TRUE: Which ties -- it's now a random
5 B that Gareth and I have been working on. It ties
6 to --

7 CHAIRMAN APOSTOLAKIS: Which ties to my
8 youth.

9 MR. TRUE: Okay.

10 CHAIRMAN APOSTOLAKIS: Maybe in
11 parenthesis someplace you can say now all epistemic.

12 MR. TRUE: We do have a section in the
13 report that talks about all the different epistemic
14 and aleatory, you know, how all these --

15 CHAIRMAN APOSTOLAKIS: Yes.

16 MR. TRUE: Yes.

17 CHAIRMAN APOSTOLAKIS: But make sure
18 people understand it's the same thing.

19 MR. TRUE: Yes.

20 CHAIRMAN APOSTOLAKIS: State of knowledge.
21 Boy, you're doing great with time, Doug, I must say.

22 MR. TRUE: I'm actually amazed.

23 PARTICIPANT: I'm shocked.

24 MR. TRUE: The last, this slide takes the
25 results of a whole bunch of different analyses that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did and tries to boil it down into one simple table.
2 Basically, what this tries to show is that it
3 identifies the fraction of the risk metric CDF or LERF
4 that is contributed by cut sets that have two
5 correlated variables in them, that is the value in the
6 table, and the error factor for those correlated
7 variables and the change in risk metric. And if you
8 want to determine that an acceptable -- I'm willing to
9 live with a 10 percent difference in my risk metric,
10 then the answer is in the first column. 50 percent is
11 in the right hand column.

12 So I will skip the error factor of 3 for
13 a second, because it's pretty uninteresting. Let's go
14 to error factor of 10. If I have 13 percent .13
15 fraction of my risk metric has cut sets containing two
16 correlated variables, and they have an error factor of
17 10, I can know that the change in the risk is about a
18 10 percent change in risk. If, on the other hand,
19 it's 60 percent of my CDF, then it would have had a 50
20 percent impact on my calculated CDF.

21 If I have an error factor of 3, as what is
22 present in these correlated variables, it doesn't
23 matter. I can have 100 percent of the cut sets have
24 correlated variables in them and it won't change my
25 result by even 10 percent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So this kind of gives the field of play,
2 so to speak, for utilities to be able to go back, do
3 an inspection of their cut sets, see where they have
4 these occur, tally up the fraction and as long as they
5 are within these guidelines, they can know that their
6 parametric or their point estimate values are tracking
7 their correlated results from the true mean.

8 Those have been turned into some
9 guidelines, we have them for two correlated variables
10 and three correlated variables, basically have to do
11 with, you know, that chart I just showed you, and we
12 had it based on a 10 percent change in your mean
13 value.

14 CHAIRMAN APOSTOLAKIS: Very good.

15 MR. TRUE: And I'm going to jump to the
16 summary. So we're at a point now where we have got
17 this technical basis document in EPRI publication
18 process. It's going to be made available to the NRC
19 in support of the work that Mary has going on.

20 CHAIRMAN APOSTOLAKIS: What does it mean
21 guidance document now? Is that one of those documents
22 that the NRC staff will have to bless?

23 MR. TRUE: We haven't gotten to the point
24 where we have decided whether it's appropriate for
25 that to be endorsed by the NRC. We're really doing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this to help the utilities know how to meet the ASME
2 standard. I skipped over this, but there are 30
3 supporting requirements or high level requirements in
4 the ASME standard that say you have to do this, you
5 have to address, identify key sources of uncertainty
6 and key assumptions.

7 And so there is a practical problem right
8 now in that we have a standard out there and we have
9 no process to find out how to meet that standard, so
10 this is kind of a how-to to meet that standard. And
11 then it kind of also then flows over into the
12 application side, obviously, because we talked about
13 how to interpret those results in applications.

14 So the application guide, we'll kind of
15 see where the staff goes and where our application
16 guide ends up and next year sometime we'll make some
17 decision about whether it fits into the overall plan
18 and deserves to be endorsed.

19 CHAIRMAN APOSTOLAKIS: Yes.

20 MR. TRUE: But we're developing it anyway
21 for use in the industry.

22 CHAIRMAN APOSTOLAKIS: Good.

23 MEMBER SIEBER: Another approach is to
24 modify the Standards Committee. I don't know.

25 MR. TRUE: Yes. The problem with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Standards Committee is that the standards folks have
2 drawn a line that the standard defines what to do not
3 how to do it.

4 MEMBER SIEBER: Yes.

5 MR. TRUE: And this is really how to do
6 it. Now, the standards folks will probably need to
7 look at it to make sure that it's an appropriate
8 implementation to what they expected, but the
9 Standards Committee is us so, I mean, not just us, but
10 industry, so that will be played out through --

11 CHAIRMAN APOSTOLAKIS: Standards
12 Committee, you mean the ASME standards?

13 MR. TRUE: Yes, ASME standards.

14 CHAIRMAN APOSTOLAKIS: Another editorial
15 comment.

16 MR. TRUE: Yes.

17 CHAIRMAN APOSTOLAKIS: We used to call
18 them modeling uncertainties, and a lot of people said
19 well, gee, modeling uncertainties, you are modeling
20 uncertainties? Can you call them model uncertainties
21 rather than modeling uncertainties? I mean, it's
22 still early in the process. Maybe you can do that.

23 MR. TRUE: Yes, we'll look at that.

24 CHAIRMAN APOSTOLAKIS: Because modeling
25 uncertainties, you know.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRUE: Yes, you're right. It does
2 imply that it's modeling problems.

3 CHAIRMAN APOSTOLAKIS: It does imply.

4 MR. CANAVAN: It's an action word.

5 MR. TRUE: Yes.

6 CHAIRMAN APOSTOLAKIS: Sorry?

7 MR. CANAVAN: It's an action word.

8 MR. TRUE: Yes.

9 MR. CANAVAN: Modeling is doing the
10 action.

11 MR. TRUE: So the process that we created
12 now uses the sensitivity cases to identify and address
13 those key uncertainties, point estimate mean work as
14 compared to the parametric uncertainty. And as Ken
15 mentioned up front, the completeness uncertainty is a
16 whole other area. We believe that the standards in
17 1.200 and other reg guides for implementing the
18 applications help a lot in addressing completeness
19 within the things that we know. There is always the
20 things that we don't know. That's why we have a risk-
21 informed process and not a risk-based process.

22 CHAIRMAN APOSTOLAKIS: Any comments from
23 the Committee Members? We don't need to go around the
24 table, I don't think, because we're going to write a
25 letter.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: Right.

2 CHAIRMAN APOSTOLAKIS: But I, at least, am
3 very pleased to see the industry doing things like
4 that and when Doug wants to do something he does a
5 good job.

6 MR. TRUE: Thank you.

7 CHAIRMAN APOSTOLAKIS: The question is
8 when does he want to do something? No, this is really
9 very, very, very, very good. I mean, we can argue
10 about the details like we did earlier, but I think
11 you're on the right track and we've got a lot of
12 useful insights.

13 MEMBER SIEBER: I think there are more
14 sophisticated ways to do it, but I think this is
15 practical from the standpoint of coming out with a
16 reasonable product.

17 CHAIRMAN APOSTOLAKIS: Yes.

18 MEMBER SIEBER: Without spending as much
19 money as you would spend on getting the point.

20 CHAIRMAN APOSTOLAKIS: Although the --

21 MR. TRUE: The soft --

22 MEMBER SIEBER: The main point is --

23 CHAIRMAN APOSTOLAKIS: The software
24 available now allow you to do a lot of stuff that was
25 unimaginable 15 years ago. I mean you can do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty analysis and all that, but I understand
2 Doug's point that, you know, in the applications the
3 ability really was, I think, sweeping. And the factor
4 of 1.2 or 2.3 here and there really doesn't matter to
5 the decisions they are making, like compilation
6 control and all that. So I think it's a very
7 pragmatic approach, as promised.

8 Any comments from the members? Mike, any
9 comments?

10 MR. SNODDERLY: I guess maybe if we could
11 go just quickly back to Mary's last letter and just
12 talk about, I guess, what's the next step. I mean,
13 when do -- what's the next part we would review? I
14 mean, because, obviously, we're not -- we're
15 interested and we would like to have a copy of the
16 EPRI Guideline, but we won't be reviewing that. I
17 guess Mary is going to come up with her NUREG and
18 eventually we will review a draft of that.

19 CHAIRMAN APOSTOLAKIS: Yes.

20 MR. SNODDERLY: I'm just trying to get a
21 feel for when, in time frame.

22 MS. DROUIN: You know, our goal is to work
23 together as much as possible with what industry is
24 doing, whether that means that we take what they do
25 and endorse it or we just take advantage of their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 work. I mean, those are the details that you need to
2 work out. But the main point is that we want to take
3 advantage of what the --

4 CHAIRMAN APOSTOLAKIS: Absolutely.

5 MS. DROUIN: Well, that's in our plan.
6 It's nice that they're a little bit out before us, so
7 we can see what they are doing and map our work and
8 try and work that out. Our schedule, we're still on
9 schedule to have something ready for -- to give to the
10 different parts of NRC like Charlie here at the end of
11 December.

12 CHAIRMAN APOSTOLAKIS: But are we getting
13 it then, too, or parts of the NRC to review?

14 MS. DROUIN: Well, they are to look at it
15 and then I don't think I'll come in January. I'll
16 need January and February at least, we could come in.

17 CHAIRMAN APOSTOLAKIS: Okay. Are we going
18 to see you again Doug?

19 MR. TRUE: Any time you would like.

20 CHAIRMAN APOSTOLAKIS: Well --

21 MR. TRUE: If you would like.

22 CHAIRMAN APOSTOLAKIS: Well, what can I
23 say? No, actually, I'm very much interested in the
24 pilots of what you're doing.

25 MR. TRUE: Okay. Those will be later in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the year.

2 CHAIRMAN APOSTOLAKIS: Absolutely.

3 MR. TRUE: They'll be given a start early
4 in the year.

5 CHAIRMAN APOSTOLAKIS: But, you know, to
6 see how these ideas were implemented and what lessons
7 you learned and all that, I think that will be great.

8 MR. SNODDERLY: Well, I guess, all this is
9 being done as part of the phase approach to PRA
10 quality, and so just remind me, what was the -- I
11 guess you guys made a commitment to the Commission to
12 provide this guidance by a certain date. And then I
13 guess you would request our review of the guidance
14 prior to saying hey, Commission here is the guidance
15 on how to treat on some of these.

16 MS. DROUIN: I'm going to go back and look
17 at the face plan. I don't remember what date this
18 actual job is committed and comes up to being done.
19 What we are trying to do is, because there are so many
20 things that are being developed, but time is needed to
21 convert and they are all put in for later. So the
22 next update we're having of 1.200, this document, our
23 two primary works that we're trying to convert.

24 MR. SNODDERLY: Well, then I'll ask that,
25 you know, just let us know when that schedule takes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 place, you know, firms up and so we can coordinate.
2 Because it is difficult to get all these, you know,
3 people, folks together.

4 MS. DROUIN: I would think we would come
5 back to you more than once.

6 MR. SNODDERLY: Yes.

7 MS. DROUIN: And you know --

8 MR. SNODDERLY: George said probably after
9 the pilot maybe, you know. This has got to be put out
10 in December. It will be piloted maybe, you know, in
11 the summer.

12 CHAIRMAN APOSTOLAKIS: No, the pilots are
13 ongoing, aren't they?

14 MR. TRUE: No, they will be out the first
15 of the year.

16 MR. SNODDERLY: So it will probably be
17 late summer or even fall before.

18 MR. TRUE: No, the pilot won't be an
19 actual misconformed license application change.

20 MS. DROUIN: Asking about before the
21 summer.

22 PARTICIPANT: There is a possibility that
23 it could be.

24 PARTICIPANT: Maybe one of the 1.200
25 pilots.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: Okay. Let us know when you
2 are ready. We're in discussion.

3 MS. DROUIN: Yes.

4 CHAIRMAN APOSTOLAKIS: Okay. Vic?

5 MEMBER RANSOM: Well, I've been quite
6 impressed with this long parametric statistical
7 approach to evaluating uncertainties and thermal
8 hydraulic codes and things of that type. It impressed
9 me that the 5046 and you have that kind of basis, it's
10 a much more powerful way of making a decision. I'm
11 wondering does that have any role here?

12 CHAIRMAN APOSTOLAKIS: They are not
13 addressing 5046 issues.

14 MEMBER RANSOM: No, I understand that.

15 CHAIRMAN APOSTOLAKIS: But you are right,
16 in 5046, I mean, you want to know the uncertainty from
17 the thermal hydraulic codes, right? That's the best
18 estimate.

19 MEMBER RANSOM: Well, as well, I'm
20 wondering can't that be extended to other
21 uncertainties in the process?

22 MEMBER SHACK: He wants to take, you know,
23 5046 --

24 PARTICIPANT: Even circles from all the
25 distribution, talk about and, you know, get a 95th

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percentile.

2 PARTICIPANT: Right.

3 CHAIRMAN APOSTOLAKIS: Why should you
4 penalize to do it?

5 MEMBER SIEBER: It's like 72.

6 MEMBER RANSOM: Then you have a good
7 statistical basis for making that decision.

8 CHAIRMAN APOSTOLAKIS: Well, I don't know
9 about that, but maybe we can discuss it when 5046
10 comes up again. Because I don't think it is relevant.
11 Any other comments?

12 Well, thank you very much. This was very,
13 very enlightening --

14 PARTICIPANT: Thank you.

15 CHAIRMAN APOSTOLAKIS: -- to see what you
16 guys are doing.

17 PARTICIPANT: Thank you for your time.

18 CHAIRMAN APOSTOLAKIS: And on this happy
19 note, the subcommittee meeting is adjourned.

20 (Whereupon, the meeting was concluded at
21 2:42 p.m.)

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701