

# Official Transcript of Proceedings

## NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards  
Thermal Hydraulics Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, September 23, 2004

Work Order No.: NRC-1684

Pages 1-401

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

SUBCOMMITTEE ON THERMAL HYDRAULICS

MEETING

+ + + + +

THURSDAY,

September 23, 2004

+ + + + +

The meeting was convened in Room T-2B3 of  
Two White Flint North, 11545 Rockville Pike,  
Rockville, Maryland, at 8:30 a.m., Dr. Graham B.  
Wallis, Chairman, presiding.

MEMBERS PRESENT:

GRAHAM B. WALLIS	Chairman
F. PETER FORD	ACRS Member
THOMAS S. KRESS	ACRS Member
GRAHAM M. LEITCH	ACRS Member
VICTOR H. RANSOM	ACRS Member
JOHN D. SIEBER	ACRS Member

ACRS STAFF PRESENT:

Ralph Caruso	ACRS
Spyros Traiforos	ACRS Consultant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

C O N T E N T S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PAGE

Presentation of Mark Kowal . . . . . 3

Sump Structural Analysis . . . . . 62

Upstream Effects . . . . . 76

Discussion of Sphericals . . . . . 101

Chemical Precipitation Effects . . . . . 121

Closing Remarks of Michael Johnson . . . . . 151

Comments from Industry . . . . . 156

Public Comment:

    Chuck Feist . . . . . 174

    Mark Kostelnik . . . . . 175

    Russ Oakley . . . . . 176

Committee Discussion . . . . . 179

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(8:31 a.m.)

CHAIRMAN WALLIS: This is the second day of the meeting of the Thermal Hydraulics Subcommittee, and we were looking at the Alternate Evaluation yesterday. Does anyone have anything to say on that?

(No response.)

CHAIRMAN WALLIS: Okay. Mark Kowal.

MR. KOWAL: I am Mark Kowal from Containment Section and Donny Harrison from the Probabilistic Safety Assessment Branch.

We did spend some time last night going through an overview. We would like to go through our slides. Because we have discussed some of this already, we'll just try to skip through things we've discussed unless there are questions.

CHAIRMAN WALLIS: Maybe we can go a bit faster than we would otherwise.

MR. KOWAL: I'll try.

In summary, staff finds that this is an acceptable approach that can be used and involves both realistic and risk informed.

Next slide.

This just lists the points we'll discuss. I covered these in general yesterday. Milestones, as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I mentioned, there were three public meetings on this.  
2 The Section 6 of the guidance report was submitted in  
3 July, and staff issued a second information paper in  
4 August of this year.

5 Next slide.

6 We talked a little bit about the  
7 motivation for this. You know, it goes back to the  
8 NRC policy statement on CRA and the Commission's  
9 request to implement an aggressive and realistic  
10 approach to resolving GSI-191.

11 And as I mentioned, the ongoing rulemaking  
12 for 5046 and the effort to redefine the large break  
13 LOCA and, you know, a comparable approach for that.  
14 We think GSI-191 space is defining a regeneration  
15 break size.

16 Just to put things in perspective, as Dr.  
17 Wallis mentioned, this alternate approach is Option B  
18 in the guidance report. Much of this we covered  
19 yesterday. The alternate approach defines a debris  
20 generation break size that would distinguish between  
21 customary and more realistic analyses.

22 Next slide, please.

23 And because, you know, there may be  
24 exemptions that would be required in order to  
25 implement this approach, there might be license

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 amendment requests required to implement this  
2 approach.

3 Plant specific exemptions could be  
4 submitted in accordance with 10 CFR 50.12, and  
5 licensees would assess the need for license amendments  
6 in this area using the 50.59 process.

7 Next slide.

8 Staff review and approval of any  
9 exemptions or license amendment request would be  
10 consistent with or consider the requirements in Reg.  
11 Guide 1174, standard review plan, Section 19, and also  
12 reviewing design basis analysis for compliance with  
13 5046 for both the Region 1 and the Region 2 break  
14 sizes.

15 Next slide.

16 Okay. I mentioned yesterday what the  
17 debris generation break size was, how that was  
18 defined. Again, I'll go through this. All ASME Code  
19 Class 1 attached to auxiliary piping to the RCS.  
20 Design basis rules would still apply, and the basis  
21 for this really is double ended breaks in these types  
22 of pipes cannot completely be ruled out.

23 MEMBER RANSOM: The plant specific  
24 exemption, do you mean to be able to use this?

25 MR. KOWAL: No, not to be able to use

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this. That may rise in the situation where a new  
2 strainer design might not be safety related. Plants  
3 would need to -- or single failure proof, I guess --  
4 the plants would need to request an exemption for that  
5 from requirements of 50.46.

6 MR. LOBEL: I have a few examples of where  
7 there might have to be exemptions.

8 MR. KOWAL: Do you want us to get into  
9 that now?

10 MEMBER RANSOM: No, go ahead.

11 MR. KOWAL: Okay. Also, as I mentioned  
12 yesterday, the break size and the main loop piping  
13 would be a break equivalent to double ended rupture of  
14 the 14 inch pipe, which is approximately 197 square  
15 inches, and design basis rules will continue to apply  
16 in that space also.

17 For breaks larger than that break size,  
18 the regeneration break size, licensees would need to  
19 demonstrate mitigated capability to insure that they  
20 could mitigate the events.

21 In determining the break size, the staff  
22 considered ongoing research, expert elicitation work  
23 that's still in progress, and also the regeneration  
24 break sizes. It's consistent with the current 50.46  
25 rulemaking transition break size.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           One thing I would like to note. We are  
2 not redefining the design basis break size with what  
3 we're doing in GSI-191 in advance of the 50.46  
4 rulemaking.

5           Next slide.

6           With respect to the 50.46 rulemaking, the  
7 staff does agree that licensees would be able to  
8 reperform their analyses using a break size consistent  
9 with a new size that would come about from the  
10 rulemaking. Based on the current status, staff  
11 doesn't expect that the break size would be larger  
12 than the debris generation break size defined here.

13           There is some guidance in the NEI document  
14 on consideration of single versus double ended  
15 auxiliary pipe ruptures. Basically there's a  
16 criterion given such that if a break occurs within a  
17 certain number of diameters from a normally closed  
18 isolation valve only a single ended break would need  
19 to be considered. The staff finds this to be  
20 acceptable based on the amount of energy available in  
21 inventory and volume available on such a break.

22           For example, for a ten inch or for a one  
23 foot diameter pipe break, this criteria would imply  
24 that there would be an isolation valve within ten pipe  
25 diameters.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN WALLIS: Oh, that's what it  
2 refers to. The ten pipe diameters refers to the  
3 location of the valve?

4 MR. KOWAL: Yes, from the break. So it's  
5 a relatively small volume on the isolated side  
6 compared to the volume you'd have on the primary side.

7 CHAIRMAN WALLIS: That's assuming that  
8 someone has closed the valve?

9 MR. KOWAL: That's right. That's assuming  
10 the valve is --

11 CHAIRMAN WALLIS: Does someone know that  
12 the break is going to happen so they close the valve  
13 ahead of time?

14 MR. KOWAL: Normally a closed isolation  
15 valve.

16 CHAIRMAN WALLIS: Well, it's normally  
17 closed.

18 MR. KOWAL: If it's normally closed, not  
19 if it's normally open.

20 CHAIRMAN WALLIS: Oh, okay. I see. I'm  
21 still waking up here.

22 MR. KOWAL: So am I.

23 Next slide.

24 Some of the details in the Region 1  
25 analysis. As I mentioned, this would be applicable to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 breaks smaller than the regeneration break size, which  
2 would include all auxiliary attached piping and RCS  
3 main loop piping up to the 14 inch equivalent break.  
4 Also any secondary side piping would be included in  
5 this Region 1 analysis space.

6 As we mentioned yesterday, many of the  
7 Region 1 analyses would apply. The baseline methods  
8 discussed in Sections 3 and 4 of the guidance report,  
9 including debris generation, transport, and  
10 accumulation on the sump screen. A full range of  
11 break locations would be assessed, as we discussed  
12 yesterday morning. Branch technical position, MEB-31  
13 would not be applied.

14 Piping restraints and supports may be  
15 credited to limit pipe movement if analytically  
16 justified. However, the staff would note that these  
17 may not produce the limiting locations for debris  
18 generation.

19 Next slide.

20 This we mentioned yesterday, the zone of  
21 influence for partial breaks. I don't know if we need  
22 to go through this again, Dr. Wallis. This was the  
23 slide that caught your eye yesterday.

24 CHAIRMAN WALLIS: Just go through it  
25 quickly the way you've been doing it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KOWAL: Okay. Typically in the  
2 baseline methodologies, spherical zone of influence is  
3 applied for double-ended breaks. The guidance report  
4 offers a proposal that because you're going to have  
5 partial breaks in the main loop piping, they suggest  
6 the use of a hemisphere zone of influence or  
7 alternately translating that hemisphere into an  
8 equivalent spherical volume.

9 And the staff does not find this  
10 acceptable. We really have no basis --

11 CHAIRMAN WALLIS: You really have a choice  
12 of both. They could sort of do both and see which one  
13 looks best for them. That's not a very good rule or  
14 a very good guidance. Let them play around and see  
15 which one looks the best. You only have one or the  
16 other. Wouldn't that be better?

17 MR. KOWAL: Right. Well, our feeling is  
18 that you should use a hemisphere. Now the reason to  
19 use a sphere is to simplify the analysis because, you  
20 know, the hemisphere is directionally dependent. So  
21 we had no problem using a spherical --

22 CHAIRMAN WALLIS: So the hemisphere. You  
23 don't know how the break is going to be. So you'd  
24 have to rotate this hemisphere to find the worst place  
25 or something, wouldn't you?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KOWAL: Right. Now, they could use a  
2 spherical zone of influence with the same radius as  
3 the hemisphere.

4 PARTICIPANT: The same or equivalent?

5 CHAIRMAN WALLIS: Equivalent you mean,  
6 equivalent volume?

7 MR. KOWAL: Equivalent, with an equivalent  
8 radius.

9 CHAIRMAN WALLIS: Equivalent volume. The  
10 same volume as the --

11 MR. KOWAL: No, no, no, no. A spherical  
12 volume -- a sphere with the same -- basically two  
13 times the hemisphere.

14 CHAIRMAN WALLIS: Two times?

15 DR. TRAIFOROS: And the hemisphere is  
16 defined? The diameter of the hemisphere is defined as  
17 what?

18 MR. KOWAL: That was not specifically  
19 described or discussed in the guidance. I'm not sure  
20 what or if they would fall back to the baseline  
21 methods for determining that, is what I expect them to  
22 be.

23 CHAIRMAN WALLIS: There must be a  
24 described method for calculating the radius of this  
25 thing. You can't just leave it up in the air.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LATELLIER: God morning, Dr. Wallis.  
2 Bruce Latellier.

3 We've assumed that they would be computing  
4 the size of that hemisphere in the same manner that  
5 we've described for the spherical ZOI based on  
6 equivalent volume.

7 CHAIRMAN WALLIS: Equivalent volume,  
8 right. I thought that was what we said.

9 DR. TRAIFOROS: So it's two times the  
10 diameter basically, if you will. The equivalent  
11 volume, but this equivalent volume will be defined  
12 based on the trajectory of the jet. This is the  
13 starting point, but then we get into situations where  
14 we don't have, indeed, a double-ended break. We have  
15 a slot break, and then we don't have -- ANSI does not  
16 provide the guidance for this.

17 MR. LATELLIER: In fact, the ANSI jet  
18 model does have suggestions for a single ended break  
19 or a fish-mouth opening from the sidewall of a pipe.

20 DR. TRAIFOROS: You are right.

21 MR. LATELLIER: And that equivalent volume  
22 beneath a damage contour could be remapped into a  
23 hemisphere in much the same manner we described  
24 yesterday for a double ended guillotine break being  
25 mapped into a sphere.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. TRAIFOROS: You have to decide though  
2 if this is a double ended or a single ended, I mean,  
3 in terms of what the diameter is.

4 MR. LATELLIER: You're correct, and in  
5 this case, we're talking about tears in the sidewall.  
6 So they are single opening breaks.

7 DR. TRAIFOROS: Okay.

8 CHAIRMAN WALLIS: But the area is  
9 equivalent to the double ended 14 inch pipe.

10 MR. KOWAL: Yes.

11 CHAIRMAN WALLIS: It's a pretty big area.

12 MR. KOWAL: Right. There's guidance  
13 considers impacts of the break size on event timings  
14 and thermal hydraulic conditions, crediting operator  
15 actions. It can be done consistent with the current  
16 design basis considerations, and the acceptance  
17 criteria continues to be core and containment cooling  
18 based on adequate NPSH.

19 CHAIRMAN WALLIS: Now, that's where I  
20 think we need some discussion. I mean, is it clear?  
21 The SER says that the GR doesn't specify what is meant  
22 by adequate core cooling. That's the whole purpose of  
23 this whole exercise, is to cool the core adequately.  
24 How do you define that?

25 MR. LOBEL: We define that for Region 1.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It would be the same as the existing regulations and  
2 criteria of the SRP. For core cooling it would be 10  
3 CFR 50.46, and for containment cooling it would be  
4 satisfying the design pressure and temperature of the  
5 containment.

6 So for Region 1 analysis there wouldn't be  
7 any change in the criterion.

8 CHAIRMAN WALLIS: Why isn't it the same in  
9 Region 2?

10 MR. LOBEL: Because that's a realistic  
11 analysis, and the decision has been made to use  
12 criteria that are more compatible with risks.

13 CHAIRMAN WALLIS: Do we know yet what  
14 adequate cold cooling means in the risk informed  
15 space? I'm not sure we know that yet.

16 MR. LOBEL: Well, I'm going to get to  
17 that. I can answer now or wait until we get to the  
18 Region 2 discussion.

19 CHAIRMAN WALLIS: II think we need to know  
20 that.

21 MR. LOBEL: Okay.

22 CHAIRMAN WALLIS: You can answer it when  
23 you get to it, but we need to get an answer to that  
24 question.

25 MR. LOBEL: For Region 1 for the NPSH

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 considerations, for the ECCS pumps and the containment  
2 spray pumps, for the calculation of containment  
3 conditions, the containment pressure and temperature,  
4 the methods used for calculating NPSH would be similar  
5 to the methods used for calculating the minimum  
6 pressure for LOCA, design basis LOCA calculation for  
7 reflood.

8 That is, you would assume conditions that  
9 would give you a minimum pressure, except that what  
10 you really want also and what's really more important  
11 is you want to maximize the sump temperature.

12 So we're not only minimizing the pressure,  
13 but maximizing the sump temperature since the  
14 temperature of the pump water has a significant effect  
15 on the NPSH.

16 Minimizing the containment pressure isn't  
17 important unless you are going to take credit for  
18 containment pressure in calculating NPSH. In this  
19 slide I've shown a few examples of some parameters and  
20 the way they might be biased for a conservative  
21 calculation for this type of NPSH calculation, Region  
22 1 calculation where you're still doing things in terms  
23 of design basis.

24 And since it is a Region 1 calculation, it  
25 would have the types of conservatisms that are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 included now in a design basis calculation.

2 CHAIRMAN WALLIS: Yes, there really isn't  
3 much to say about Region 1. It's just the same as  
4 usual.

5 MR. LOBEL: Yes.

6 MR. KOWAL: The next slide.

7 The staff also offered some additional  
8 considerations in the SER regarding the Region 1  
9 analyses, things such as the guidance report doesn't  
10 specifically identify which phenomena might receive  
11 time dependent treatment. This we should expect to be  
12 documented in the analyses that are performed.

13 CHAIRMAN WALLIS: What do you have in mind  
14 to be important here? What kind of time dependent  
15 phenomena are important?

16 MR. KOWAL: I would imagine pressures,  
17 temperatures. Anything else? I don't know. We  
18 haven't really seen what this might be actually.

19 CHAIRMAN WALLIS: I presume you're asking  
20 for it because it matters.

21 MR. KOWAL: I would think so, yes. We  
22 really haven't had any discussions with the industry  
23 about the details of how these calculations would be  
24 done, and we have had some talks among ourselves, but  
25 we haven't really defined in detail how the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 calculation would be done. There isn't any sort of  
2 standard review plan.

3 CHAIRMAN WALLIS: But it has been open  
4 ended if you're asking them to document information on  
5 all time dependent matters. It just seems a bit open  
6 ended.

7 MR. KOWAL: I would think that would be  
8 part of the analyses that are performed. I mean,  
9 whenever you do a calculation --

10 CHAIRMAN WALLIS: So you think it's going  
11 to be there anyway?

12 MR. KOWAL: I think it's going to be there  
13 anyway, yeah.

14 The next point here actually was a point  
15 that was raised that, you know, much of the data that  
16 has been developed for the regeneration or some of  
17 these things is based on conditions that might be  
18 indicative of double-ended breaks.

19 For example, the jet blow-down times in  
20 some of this debris generation testing may have been  
21 on the order of ten, 20, 30 seconds, and now if you  
22 have a partial break in the main loop piping, you  
23 might have blow-downs longer than that.

24 CHAIRMAN WALLIS: Right.

25 MR. KOWAL: That may effect, you know, jet

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 erosion.

2 CHAIRMAN WALLIS: That's one of the  
3 problems with defining a jet pressure, that this cal-  
4 sil actually wear away if you direct a jet at it, and  
5 over a period of time, and that doesn't appear to be  
6 in any of the methods.

7 MR. KOWAL: Right. That's a --

8 MR. ELLIOTT: Well, there's a problem with  
9 residence time. What we found in the experimentation  
10 is that you didn't get a significant difference by  
11 extending the time of blow-down because generally the  
12 insulation was blown off the pipe and out of the  
13 immediate zone of influence down the test facility.  
14 So it wasn't sitting there trapped to be --

15 CHAIRMAN WALLIS: And then what happened  
16 to it? It was just lying around and nothing happened  
17 to it?

18 MR. ELLIOTT: Yes.

19 CHAIRMAN WALLIS: Well, if it is not blown  
20 off the pipe though, if it is an erosion, if there's  
21 something left there, then it might wear away,  
22 particularly if you band it all and sort of try and  
23 constrain it some more. Then it may erode rather than  
24 breaking off.

25 MR. ELLIOTT: That would be true.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: And, again, I don't know  
2 that you have any basis for deciding how rapidly it  
3 erodes.

4 MR. ELLIOTT: That's true.

5 CHAIRMAN WALLIS: That's true? You said  
6 that's true?

7 MR. ELLIOTT: I think so. I mean, I don't  
8 see any fault with the logic on whether or not it  
9 would erode or not.

10 MR. KOWAL: Another consideration included  
11 that, you know, it is difficult to judge when maximum  
12 head loss might occur and how operator actions may  
13 impact, you know, and maximum head loss might not  
14 correspond with the, you know, minimum NPSH margins,  
15 depending on what's going on during the accident.

16 Also, if credit is taken for containment  
17 over --

18 CHAIRMAN WALLIS: Well, again, this is  
19 analyses to consider that it is difficult to judge.  
20 So that's a very strange way to say it. You should  
21 say analyses should evaluate when the maximum head  
22 loss does occur or something like that. One should  
23 consider that it's difficult to judge.

24 MR. KOWAL: Okay.

25 CHAIRMAN WALLIS: What are you supposed to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 do, throw up your hands and scratch your hair or  
2 something?

3 MR. KOWAL: That's a good point. I'm not  
4 sure what the wording in the SER is.

5 MR. LOBEL: What's usually done for the  
6 BWR is they divide their accident into a short-term  
7 and a long-term event, and they debris generation at  
8 the end of the short term and use that for the whole  
9 short term, and then for the long term they use the  
10 maximum debris loading at the time. So you want the  
11 maximum debris loading and apply it at the time of the  
12 maximum suppression pool temperature.

13 So they only have to calculate a debris  
14 loading once, and they use it once for the short term,  
15 once for the long term, and they apply it at the worst  
16 condition.

17 MR. KOWAL: And also if credit is taken  
18 for a containment over pressure, analyses should  
19 conform with the current guidance in Reg. Guide 182.

20 Next slide.

21 Okay. The Region 2 analysis basis is it  
22 mentions applicable for breaks larger than the  
23 regeneration break size. These are only in the RCS  
24 main loop piping breaks. Again, much of the Section  
25 3 and 4 baseline analyses apply to this region. The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 full range of break locations would be assessed, and  
2 again, as in Region 1, piping restraints and supports  
3 could be credited.

4 Next slide.

5 Now we'll get into some of the NPSH and  
6 risk informed considerations in the Region 2 space.

7 CHAIRMAN WALLIS: So this is where we get  
8 into adequate core cooling?

9 MR. LOBEL: Right. The acceptance  
10 criteria proposed by the industry for Region 2  
11 analyses are adequate core cooling and adequate  
12 containment cooling so that the containment boundary  
13 remain intact, and these weren't further defined. So  
14 in our SER, we applied definitions, and the definition  
15 we used is the definition of the scope of the  
16 emergency operator procedures rather than the severe  
17 accident management guidelines.

18 So the definitions correspond to the  
19 applicability of the EOPs, and adequate core cooling  
20 in these terms is the significant clad oxidation and  
21 loss of coolable geometry have not occurred.

22 CHAIRMAN WALLIS: Now, how do you define  
23 "significant"?

24 MEMBER FORD: Seventeen percent.

25 MR. LOBEL: Well, probably, yeah, 17

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 percent.

2 CHAIRMAN WALLIS: Oh, so that's much  
3 better, say, 17 percent. I know what you're talking  
4 about. Significant, some people might think it's one  
5 percent.

6 MR. LOBEL: Well, this is an area where an  
7 exemption might apply, where the regulation 50.46 is  
8 still in effect. So the limit would be 17 percent by  
9 the regulation, but an exemption might be asked for to  
10 go beyond the 17 percent because it's justified.

11 CHAIRMAN WALLIS: Now, this is for the  
12 point of view of hydrogen production. Is that why  
13 that's in there?

14 MR. LOBEL: The 17 percent?

15 CHAIRMAN WALLIS: Yeah.

16 MR. LOBEL: The 17 percent is in there  
17 really to maintain coolable geometry.

18 CHAIRMAN WALLIS: But it definitely  
19 depends where the 17 percent is?

20 MR. LOBEL: Well --

21 CHAIRMAN WALLIS: If you completely  
22 oxidize 17 percent of the cladding on those rods and  
23 not anywhere else, then --

24 MR. LOBEL: No, there's two criteria in  
25 50.46.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: There's a maximum.

2 MR. LOBEL: There's a maximum on the hot  
3 rod.

4 CHAIRMAN WALLIS: Why isn't that in here,  
5 too, or is it just supposed to be in here, too?

6 MR. LOBEL: It really is in there because  
7 they have to comply with 50.46.

8 CHAIRMAN WALLIS: Yeah, I thought they  
9 did. So what are you changing?

10 MR. LOBEL: Well, the only change is that  
11 we would consider going past that if there was an  
12 adequate argument made.

13 CHAIRMAN WALLIS: I think you make it into  
14 a jungle if you try to start defining loss of coolable  
15 geometry. I mean, Three Mile Island cooled, but not  
16 particularly effectively in the way that you'd like it  
17 to, but it did cool.

18 MR. LOBEL: Well, it wasn't really a  
19 coolable geometry.

20 CHAIRMAN WALLIS: Well, it cooled.

21 MEMBER KRESS: Isn't that your temperature  
22 limit on your hot rod, the plant's coolable geometry?

23 CHAIRMAN WALLIS: Coolable geometry is not  
24 the right term. It's really coolable without fission  
25 product or emission or something. It has got to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 intact coolable geometry because you can cool  
2 anything.

3 MR. LOBEL: Right, and that's the purpose  
4 of the 2,200 degrees and the 17 percent oxidation.

5 CHAIRMAN WALLIS: Okay.

6 MEMBER KRESS: -- standard definitions.

7 CHAIRMAN WALLIS: I know, I know, but if  
8 you start allowing exemptions and people come in with  
9 some other description of coolable geometry and you  
10 start saying, well, maybe we should allow that.

11 MR. JOHNSON: This is Mike Johnson.

12 I really believe that we are not  
13 anticipating that we would go beyond 50.46, 17  
14 percent, 2,200 in coolable geometry, whatever the  
15 words are in 50.46. We're entertaining, what we're  
16 looking at 50.46, risk informed 50.46 in terms of  
17 where the staff might go on that, I think in advance  
18 of that we would not be inclined to go beyond that for  
19 this issue.

20 CHAIRMAN WALLIS: Did you want to say that  
21 definitely in this?

22 MR. JOHNSON: Well, I think actually the  
23 words are okay. I just think we need to be clear that  
24 what is intended by adequate core cooling is adequate  
25 core cooling as provided for in accordance with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 requirements of 50.46 at this time.

2 CHAIRMAN WALLIS: Yeah, I think what you  
3 mean is you're going to go with the existing 50.46,  
4 and if it changes, the you'll go without.

5 MR. JOHNSON: Right.

6 CHAIRMAN WALLIS: You'll go with whatever  
7 is in 50.46.

8 MR. JOHNSON: Right.

9 CHAIRMAN WALLIS: Why don't you just say  
10 that?

11 MEMBER SIEBER: There may be exemptions.

12 MR. JOHNSON: Well, again, I mean, m  
13 licensees can request exemptions at any time. I don't  
14 think at this time we'd be entertaining going beyond,  
15 and Rich and I haven't talked on this, but where we  
16 are today is I don't believe in light of where we're  
17 going on 50.46 and the discussions that we're having  
18 about how far we go and how fast we go, I don't think  
19 in sump space we would be entertaining changes to  
20 2,200.

21 CHAIRMAN WALLIS: Well, Michael, I'm sure  
22 you're being sincere, but I've learned from experience  
23 that I cannot trust -- I won't put it that way -- that  
24 verbal statements by the staff really are not good  
25 enough because quite often you find the document

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 changes because of some other consideration which may  
2 make a lot of sense.

3 MR. JOHNSON: I'm agreeing with you. I'm  
4 agreeing with you. We should sharpen up the words  
5 that we care about.

6 CHAIRMAN WALLIS: It has got to be in the  
7 document, and just your assurance at a meeting is not  
8 really --

9 MR. JOHNSON: Yes.

10 CHAIRMAN WALLIS: -- good enough, although  
11 I appreciate your statement.

12 MR. JOHNSON: Absolutely.

13 MR. LOBEL: Well, let me point out that as  
14 long as there's adequate NPSH for the ECCS pumps,  
15 there shouldn't be a problem.

16 CHAIRMAN WALLIS: There shouldn't be. I  
17 agree.

18 MR. LOBEL: And that's even though we're  
19 doing a more realistic analysis.

20 CHAIRMAN WALLIS: Well, then you've got  
21 this minimum number of pumps, yeah. Okay. Well,  
22 maybe we can move on.

23 MR. LOBEL: Okay.

24 CHAIRMAN WALLIS: We have looked at this  
25 one.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LOBEL: Well, moving on, we also used  
2 the definition from the EOPs for the containment  
3 cooling, adequate containment cooling. As the  
4 containment boundary remains intact, and that's from  
5 the EOPs, and that insures according to the words in  
6 the EOP that the containment is in a safe and stable  
7 state and preventing fission product release. The  
8 containment boundary remains intact.

9 MR. CARUSO: What is the LA parameter.

10 MR. LOBEL: Yeah, I was going to mention  
11 that. The L sub A with this definition could be  
12 exceeded. L sub A is defined in Appendix J for  
13 containment leak testing, and it's the allowable leak  
14 rate that's in every plant's technical specifications,  
15 and it's the value that's used for dose calculations,  
16 the value of containment leakage that's used for dose  
17 calculations.

18 So this is another place where if we were  
19 going to go with a more liberal definition, there  
20 might have to be an exemption.

21 CHAIRMAN WALLIS: We asked you yesterday  
22 what industry buys by all of this. I mean, you have  
23 all of this regulation, and it's not clear how we can  
24 evaluate it without having some idea of its  
25 consequences. Is it going to result in significant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 changes to the plant or is it going to result in minor  
2 changes in operation or what?

3 MR. LOBEL: I'm not the one to answer that  
4 question.

5 CHAIRMAN WALLIS: I think it will be  
6 interesting to found out. I would always want to know  
7 the consequences of an action before I embarked on it.  
8 I don't know if the staff has the same attitude.

9 MR. JOHNSON: Well, we have, in fact,  
10 talked about the fact that it would be beneficial to  
11 see how if you ran through all of the baseline  
12 refinements for a plant X, let's say, just to see  
13 where that would take you in terms of what the debris,  
14 what the positive suction head would be, and what  
15 kinds of things you would need to do in terms of  
16 fixes, that's certainly something that we think would  
17 be worthwhile doing.

18 With respect to what benefit could be  
19 provided by, you know, this relaxation, I guess you  
20 would call it this Region 2 analysis and more  
21 realistic --

22 CHAIRMAN WALLIS: Well, I'd like to say  
23 I'm sort of surprised here because when we visited  
24 this a few years ago, it came as a proposal from  
25 industry as I recall, and industry promised us that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they would look at this business, and you know, this  
2 was really for the large break LOCA. This is really  
3 a 50.46 question, but it's interwoven here; that they  
4 would look at it, and they would supply an argument  
5 for why there should be some relaxation, and they  
6 would talk about the consequences of it.

7 Now it seems to be turned on its head, and  
8 the agency is changing the rules without any awareness  
9 of what the consequences might be, which seems rather  
10 peculiar to me just personally, I mean, speaking as a  
11 member of the public rather than as a member of this  
12 committee. It seems the thing is backwards.

13 MR. JOHNSON: Actually I thought your  
14 question was what benefits might be achieved. You  
15 were asking about what consequences?

16 CHAIRMAN WALLIS: Yeah, what are the  
17 consequences of this and how can we make a decision  
18 about doing something without having some awareness of  
19 what's going to happen when we do it?

20 MR. JOHNSON: Well, the consequences,  
21 Donny can talk and talked about the consequences in  
22 risk space with respect to this alternative approach,  
23 and we think it's okay to go with that because the  
24 consequences are acceptable from a Reg. Guide 1174  
25 approach. We said the.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The industry has articulated, and I know  
2 they can today talk about what benefits they think we  
3 accrue from more realistic analyses in this Region 2  
4 areas, and in fact, Rich has given some ideas, gave  
5 some ideas yesterday afternoon, I think, about some of  
6 the things that could be done in the Region 2  
7 analysis.

8           CHAIRMAN WALLIS: Well, is the rationale  
9 for doing this to try to solve GSI-191 more  
10 effectively? I mean, if it is so, then tell us why it  
11 solves it more effectively. Is the rationale for this  
12 to shrink risk space in line with risk informed  
13 regulation until it's more efficient and effective  
14 because that's a principle of the agency? Is that why  
15 it's being done?

16           What is the gain? What is the motivation  
17 for doing this? What is the justification for doing  
18 this?

19           It may look all right, but surely there's  
20 some argument, cogent, where you can say we're doing  
21 this because of A, B, C. It helps us to resolve GSI-  
22 something because blah, blah, blah, or something.

23           MR. JOHNSON: Yeah, there is, and we tried  
24 the -- I mean, the words in the SC in the start of the  
25 section that Mark is responsible for that tries to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 articulate why we think it's the right thing to do,  
2 and they sort of touch on the things that you've  
3 mentioned, Dr. Wallis. We think from a risk informed  
4 perspective it's the right thing to do.

5 I talked a little bit yesterday about, you  
6 know, why from a risk perspective it's the right  
7 things to do. We know that there's conservatism as  
8 Rich has indicated in the analysis, particularly in  
9 that positive section here, but also in other areas  
10 where it makes sense to go away from a conservative  
11 approach to a more realistic approach, and as long as  
12 we are sure that the requirements are 50.46 are met  
13 with respect to the things that we've talked about,  
14 2,200 degrees --

15 CHAIRMAN WALLIS: So the reason you're  
16 doing this is to be virtuous, that going from  
17 conservative to realistic is somehow virtuous?

18 MR. JOHNSON: Well, and what it does for  
19 licensees is it enables them to put in place  
20 modifications with sufficient margin, with not overly  
21 demanding designs based on some over-conservatism,  
22 I'll say. I'll use that word, over-conservatism  
23 based on having to analyze for for the double ended  
24 break of the largest pipe in the RCS, for example.

25 So I think it benefits the industry, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 it moves in the direction of being more risk informed.  
2 It's all those things that you've mentioned that we --

3 CHAIRMAN WALLIS: So you've given me one  
4 specific. You're sort of talking at a philosophical,  
5 hypothetical level, and I don't want to pursue this  
6 very much longer, but it would really help if someone  
7 would say if we do this, these are the sort of things  
8 that could happen, and then give a ten list and say  
9 that, well, these first seven make sense, but if we  
10 let them do eight, nine, and ten, which they could do  
11 with this, then we're going to run up against some  
12 other regulation, and gee whiz, you'd better think  
13 about that or something.

14 Has anybody thought about the consequences  
15 of letting industry do this? Does it impinge on other  
16 regulations? Are there some ways that go through the  
17 system or would things be applied for which you would  
18 then have to say, "Oh, sorry. We didn't really mean  
19 that," or something?

20 I mean, has anybody thought about these  
21 things?

22 MR. JOHNSON: Yes. Yes, we have.

23 CHAIRMAN WALLIS: But you haven't given me  
24 any examples of anything.

25 MR. JOHNSON: Well, you know, we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thinking this is sort of bounded by fixes in the area  
2 of the sump, and we're dealing with, you know, some  
3 changes in long-term cooling.

4 Of course, the question that you ask is a  
5 really good question for 50.46, and of course, we're  
6 spending a lot of effort thinking about what are the  
7 tentacles of risk informing the break size. You know,  
8 what else does it affect in the regulation or what  
9 other plain changes might result from that, and are  
10 those acceptable?

11 I think we were able to draw a box around  
12 the changes or this area because it deals specifically  
13 with the sump, and we're able to look in terms of  
14 insuring that when you step back and you look from a  
15 risk perspective in a Reg. Guide 1174 approach and not  
16 just looks at delta CDF, but also looks at defense in  
17 depth and all those other things, that approach, we  
18 think that it's okay, and where it's not okay, Mark  
19 has indicated those areas in terms of the evaluation  
20 in this section, where we think even applying this  
21 approach we can't go further.

22 MR. SOLORIO: I would just like to add to  
23 what Mark said, Dr. Wallis. I'll get with Mr. Caruso  
24 and point out to him the words in the SECY that we put  
25 to talk about other issues. In coming up with this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 method, we involved research. We involved other parts  
2 of NRR so that we could make sure we were considering  
3 the impact of other regulatory requirements and Ill  
4 get quickly with Mr. Caruso to get him that.

5 CHAIRMAN WALLIS: Well, let me ask you  
6 something. With this option instead of having n  
7 plants that had to make major adaptations or  
8 modifications or buy stuff, would there be n over two  
9 plants or would there be n minus one plant? Would  
10 there be zero plants? And does this have a big effect  
11 on the resolution of GSI-191?

12 MR. JOHNSON: Can I ask -- I don't know --  
13 Tony Petrangelo? I don't know. I don't know the  
14 answer. Maybe the industry has thought about what --

15 CHAIRMAN WALLIS: If it has no effect at  
16 all, we'll just forget it and we won't even talk about  
17 it. It's not worth it.

18 DR. PETRANGELO: Dr. Wallis.

19 CHAIRMAN WALLIS: Are you talking about  
20 resolving GSI-191? Does it have any effect or not?

21 DR. PETRANGELO: Dr. Wallis.

22 CHAIRMAN WALLIS: Yes.

23 DR. PETRANGELO: It's Tony Petrangelo from  
24 NEI.

25 The truth is we don't know.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: You don't know.

2 DR. PETRANGELO: No.

3 CHAIRMAN WALLIS: You have no idea?

4 DR. PETRANGELO: No.

5 CHAIRMAN WALLIS: You can't give me any  
6 speculation?

7 DR. PETRANGELO: None whatsoever.

8 CHAIRMAN WALLIS: So we're taking a step  
9 in the dark, complete in the dark.

10 DR. PETRANGELO: To a large extent it's in  
11 the dark.

12 CHAIRMAN WALLIS: Thank you.

13 MR. JOHNSON: Can I just --

14 (Laughter.)

15 MR. JOHNSON: Tony, you really  
16 disappointed me.

17 Dr. Wallis, can I just add even though we  
18 don't know, I still think it's the right step. I  
19 don't think it makes sense to end up with an approach  
20 to the sump resolution that is blind to the direction  
21 that we're moving in 50.46, blind to the direction  
22 that we know we're going to take and with respect to  
23 50.46 based on what the Commission --

24 CHAIRMAN WALLIS: No, no, no. You're  
25 doing exactly what the ACRS asked you to do.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. JOHNSON: Exactly.

2 CHAIRMAN WALLIS: And I'm just saying do  
3 you have any idea of the consequences? And it appears  
4 that nobody has, and that I find somewhat surprising.  
5 Now, maybe I'm just somewhat unusual, but before I do  
6 something, I like to know what the consequences are.  
7 That's all.

8 MR. HARRISON: Dr. Wallis, if I can just  
9 add one maybe little perspective though is in Section  
10 5, there's multiple approaches to resolving the sump  
11 by design. You can design a passive sump that's way  
12 bigger than the one you've got. You can put in a sump  
13 that's got passive features or active features. From  
14 a risk informed decision making part of that, a  
15 licensee could go through the process and say there's  
16 pros and cons to each approach, and there's going to  
17 be costs associated with whatever approach you put in.

18 So there's going to be, I would assume,  
19 some licensees going through saying what's the best  
20 approach for my plant and how do I make that decision?

21 This process will give them that option.

22 CHAIRMAN WALLIS: I guess I'm disappointed  
23 because we're trying to resolve something that has  
24 been around for decades, and it would be very good,  
25 very nice; I'd be pleased, but maybe it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inappropriate. I would be pleased if you guys could  
2 say, "We have found the key to resolving it, and it's  
3 to risk inform it," and when you risk inform it, lots  
4 of the problems which we had with it go away, and we  
5 get a much more effective, quicker solution. That's  
6 what I'd like to hear.

7 DR. PETRANEGLO: Dr. Wallis, Tony  
8 Petrangelo again.

9 It's true that we don't know exactly what  
10 individual plants are going to do with Section 6 and  
11 how much of a difference that's going to make and the  
12 ultimate resolution of the issue at their specific  
13 plant. Does it mean a smaller screen or not enlarging  
14 the screen and all? The truth is we don't know.

15 But the reason we're doing this is to try  
16 to get to a solution that is at least driven to some  
17 degree more by what's risk significant than what's not  
18 risk significant, and that's usually a good thing to  
19 do.

20 And we do that with a belief that, you  
21 know, trying to focus more on things that are more  
22 likely and more realistic and not necessarily add  
23 conservatism on top of conservatism is the right thing  
24 to do, and in this case while we don't know what the  
25 specific consequences are for each plant, it's a step

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the right direction.

2 I can think of a bunch of other things we  
3 could do that we didn't have time to do that are much  
4 more risk informed. This is baby step risk informed.  
5 This is a little bit of realistic conservatism on the  
6 lower likelihood of the spectrum of breaks.

7 That's about as far as we could go at this  
8 point. So this is a baby step in the right direction.  
9 I think to call this risk informed at this point, and  
10 we had this debate with the staff as we were  
11 discussing the guidance, it's more realistically  
12 conservative than risk informed at this point.

13 But with more time than perhaps this 50.46  
14 rulemaking evolves and some potential modifications  
15 come out of that, I think we'll have a direct benefit  
16 to this particular issue, but the truth is we don't  
17 know what the impact is on specific plants in applying  
18 the methodology at this point.

19 DR. HARRISON: And from a practical  
20 standpoint of if a licensee were to want to come in  
21 with an active system, mitigation feature on his sump,  
22 but he only wants to have a single train, he could  
23 come in for an exemption using the risk informed path  
24 to get justification for that.

25 So, I mean, there is some practical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 solutions to GSI-191 that are being supported through  
2 that that you wouldn't be able to do if you didn't  
3 have a -- again, I agree with Tony. It's really not  
4 as much risk informed as it is more just trying to be  
5 realistic in the application.

6 CHAIRMAN WALLIS: Okay. So you're being  
7 virtuous.

8 Okay. That was useful. Thank you.

9 MR. KOWAL: Rich, did you want to  
10 continue?

11 CHAIRMAN WALLIS: Yes, go on, unless the  
12 committee -- unless any of my colleagues wish to step  
13 in, let's move on.

14 MR. LOBEL: The staff has previously  
15 allowed credit for pump operation where the available  
16 NPSH, less than required NPSH for a limited amount of  
17 time, where that was supported by data for that pump.

18 And we would propose to allow the same  
19 thing if necessary in this case.

20 The realistic parameters used for the  
21 Region 2 analyses to calculate containment conditions  
22 for NPSH probably will preclude the request for over  
23 pressure. The experience with the BWR seems to  
24 indicate that slightly less conservative analyses than  
25 that is normally done usually eliminate the need for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 over pressure.

2 The guidance report proposed that if a  
3 nominal parameters defined as one with a realistic  
4 value used in these analyses is exceeded during plant  
5 operation, an operability assessment in accordance  
6 with generic letter 9118 would not be necessary as  
7 long as the situation lasted less than 30 days.

8 And the staff didn't agree with this  
9 proposal since the realistic analysis is still a  
10 design basis analysis, and Regulatory Guidance generic  
11 letter 9118 in this case should still apply.

12 And finally the -- almost finally -- the  
13 guidance report proposed exceeding the nominal EQ  
14 envelope, and it wasn't clear from the guidance report  
15 what was exactly meant by a nominal EQ envelope, and  
16 we assumed that this was an environmental  
17 qualification envelope determined by a realistic  
18 analysis, and using a more realistic environmental  
19 qualification envelope would be acceptable for the  
20 Region 2 analyses.

21 However, the equipment in question would  
22 still have to comply with 10 CFR 50.49. So if a piece  
23 of equipment exceeded this nominal EQ envelope, we  
24 think that would still require an exemption.

25 Environmental qualification isn't my area.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I talked to somebody who works in this area, and their  
2 reaction was that the staff doesn't typically give  
3 exemptions for environmental qualification; that if a  
4 piece of equipment is need, it's needed and it should  
5 be qualified, and if it is not needed, then it  
6 shouldn't be in the program.

7 So it's not really clear what the industry  
8 meant by this. Maybe we're misinterpreting what was  
9 meant, but it's not clear, and if this comes up during  
10 the plant specific reviews, we'll have to resolve it  
11 there.

12 And finally, the guidance report talks  
13 about crediting operator action, and the staff has no  
14 objection to crediting operator action for things that  
15 are reasonable. We do this now with the NPSH analyses  
16 that we have accepted, and in fact, there's a license  
17 amendment in house now from a PWR that proposes that  
18 the operator would turn off a train of containment  
19 sprays under certain conditions to minimize debris  
20 transport to the sump.

21 DR. TRAIFOROS: How do you address this  
22 equipment nominal EQ envelope in your SER? Are you  
23 commenting on this?

24 Because you indicated that --

25 MR. LOBEL: You used about the same words

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that I said here. It just wasn't clear what the  
2 industry meant. Maybe the industry can clarify it.

3 DR. TRAIFOROS: Yes, certainly they will,  
4 but it would appear that if you start changing the  
5 equipment qualification envelope, you may be deviating  
6 from the design basis approach, in which case you have  
7 to say that and say how far you are from this envelope  
8 and invoke some other justification for being able to  
9 do that versus deciding that you don't need an extra  
10 pump. Therefore, your EQ envelope is different  
11 because then you are redefining your EQ envelope.

12 MR. LOBEL: Well, it would still be design  
13 basis. It would just be defined with a different  
14 envelope.

15 Let me give you one scenario where I think  
16 this might be useful to the industry, and I'm making  
17 this up. I haven't discussed this with anybody in the  
18 industry, but support that a licensee had a piece of  
19 equipment that had gone through the Appendix B process  
20 and had been environmentally qualified, and that piece  
21 of equipment could no longer be purchased from the  
22 vendor as an Appendix B piece of equipment anymore.

23 So the licensee goes out to Radio Shack  
24 and buys a piece of equipment that will do the same  
25 job and then has to go through a dedication process,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which licensees do for equipment. Most licensees, if  
2 not all, have a dedication program for that kind of  
3 thing, for taking commercial equipment and qualifying  
4 it for safety functions.

5 In that case, the piece of equipment may  
6 not be qualified for the conservative environmental  
7 qualification envelope, but it may be qualified for  
8 the nominal environmental qualification. In that case  
9 there wouldn't be an issue, but then suppose the piece  
10 of equipment wasn't qualified for the conservative  
11 envelope and also wasn't qualified for the nominal  
12 envelope.

13 The way I understood the proposal was that  
14 the piece of equipment could be outside the nominal  
15 envelope, but not outside the conservative envelope,  
16 if you follow that. That's my own scenario, and what  
17 we're saying is we wouldn't approve of that kind of  
18 thing, but that would have to be within the nominal  
19 envelope.

20 MR. CARUSO: Rich, I'm confused. On the  
21 one hand, I thought I heard you say that they could  
22 excess L sub A, which seemed to imply that they could  
23 allow the containment pressure to go higher than it  
24 would be allowed to go under the current licensing  
25 basis, but at the same time you're saying that the EQ

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 envelope would provide -- they would be allowed to do  
2 realistic sort of containment analyses, which seem to  
3 imply that the EQ envelope would be less severe than  
4 the currently licensing basis.

5 MR. LOBEL: Right.

6 MR. CARUSO: How can the containment  
7 pressure be higher, but the EQ envelope be lower?

8 MR. LOBEL: Well, the EQ envelope is --  
9 I'm not sure I understand. You mean using a  
10 realistic --

11 MR. CARUSO: Yeah. That's a good  
12 question. I would say we haven't thought this through  
13 to that level, and if the question comes up in a  
14 license application, then it will have to be  
15 discussed.

16 All I'm saying now, and I probably said  
17 too much, is we were trying to understand what was in  
18 the guidance report, and I may have interpreted what  
19 was meant incorrectly.

20 CHAIRMAN WALLIS: Is it likely you might  
21 rewrite part of the SER on the basis of this  
22 discussion?

23 MR. LOBEL: The SER says -- rewrite the  
24 SER?

25 CHAIRMAN WALLIS: No, just the part of it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that refers to EQ envelopes. The other part is  
2 somebody else's job.

3 MR. HARRISON: Rich, it was just noted  
4 here though that L sub A here is not pressure. It's  
5 the actual leakage term.

6 MR. LOBEL: Right, but if the pressure is  
7 greater --

8 MR. JOHNSON: But the idea being that the  
9 pressure would be greater than what would normally be  
10 allowed.

11 MR. CARUSO: The L sub A could possibly be  
12 greater.

13 MR. JOHNSON: Right.

14 MR. CARUSO: Then the leakage could  
15 possibly be greater than the L sub A.

16 MR. JOHNSON: Right. That's what I  
17 thought the logic was there.

18 MR. CARUSO: Yeah, right, right.

19 MR. SOLORIO: But, Rich, correct me if I'm  
20 wrong. I don't think I saw anything in the SE that  
21 would be impacted by a discussion that we just had,  
22 and the SE sort of says -- well, you tell me. What  
23 does the SE say again?

24 MR. LOBEL: The SE says the staff will  
25 assess the application of EQ envelopes as part of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generic letter, response, reviews, and closeout  
2 process.

3 MR. SOLORIO: And licensee should consider  
4 whether exemption is needed.

5 MR. LOBEL: Right.

6 MR. CARUSO: It sounds like it's just  
7 saying that you will consider this on a case-by-case  
8 basis.

9 MR. LOBEL: Yes.

10 MR. CARUSO: So there is no detailed  
11 guidance other than do what you think you can and we  
12 will consider it.

13 MR. LOBEL: Right.

14 MR. CARUSO: It's just that I heard these  
15 words here about allowing higher containment  
16 pressures, but at the same time allowing equipment to  
17 be qualified to a lower EQ envelope, and that wasn't  
18 consistent to me.

19 MR. LOBEL: Yeah, you're right.

20 CHAIRMAN WALLIS: Well, what about this  
21 business of allowing the containment pressure to be  
22 greater than the design pressure? Is this a new thing  
23 you're allowing?

24 MR. LOBEL: Well, if we're going to do the  
25 same thing we're doing with 50.46, then we're not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to allow it. I guess we'll change the SER.

2 CHAIRMAN WALLIS: So that was a  
3 misunderstanding that you might be allowing  
4 containment pressures higher than design pressure?

5 MR. SOLORIO: No.

6 MR. LOBEL: No.

7 MR. SOLORIO: I don't think the SER says  
8 that. I think that was his example.

9 CHAIRMAN WALLIS: But it was said here.

10 MR. SOLORIO: And it's not in writing as  
11 you hinted earlier.

12 CHAIRMAN WALLIS: It's in the SER?

13 MR. LOBEL: It's in the SER.

14 CHAIRMAN WALLIS: Well, what would the  
15 public think of that?

16 MR. LOBEL: What would the public think?

17 CHAIRMAN WALLIS: If you skip this thing.  
18 NRC now allows containment pressure to be greater than  
19 design pressure. How do you explain that one?

20 MR. LOBEL: I'd rather not be the one to  
21 explain it.

22 MR. CARUSO: The containment design  
23 pressure and the containment design temperature may be  
24 exceeded for analysis of breaks above the DGBS as  
25 stated in this section of the GR.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   CHAIRMAN WALLIS:   How much by how much?  
2                   Because of this LA?  Is the LA determining criterion  
3                   or something?

4                   MR. FEIST:   Excuse me.  Can I give some  
5                   comments on this?

6                   I'm Chuck Feist from Comanche Peak.

7                   All of your peak containment pressures and  
8                   temperatures happen 30 minutes before you're on recirc  
9                   and you're in the sump issue.  So I take it that what  
10                  this is saying -- and you can take credit for operator  
11                  action -- is if your sump clogs, I'll use my plant as  
12                  an example.  I have a partially submerged sump.  So  
13                  what we would do is we'd stop the pumps.  That has  
14                  always been in procedures, and we would add more water  
15                  containment until we would submerge the sump.

16                  During that time we would exceed our  
17                  design EQ envelope, but if we used realistic analyses  
18                  such as used for PRA, we would still be able to show  
19                  it was below our equipment qualification envelope.  I  
20                  think that's what's intended.

21                  CHAIRMAN WALLIS:   Well,  this  disk  
22                  containment pressure, presumably if you lose some of  
23                  your long-term cooling, you build up pressure in the  
24                  containment, don't you?

25                  MR. FEIST:   Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: And eventually you have  
2 to worry about how big that gets.

3 MR. FEIST: Yes, and if you used design  
4 analysis, it would exceed the qualification envelope  
5 for the equipment, but if you use realistic analysis  
6 it wouldn't.

7 CHAIRMAN WALLIS: Does that mean exceeding  
8 the design pressure for the containment?

9 MR. FEIST: No. Just EQ envelope. You  
10 would never exceed --

11 CHAIRMAN WALLIS: I don't know what  
12 equipment you're talking about when you just talk  
13 about equipment in general.

14 MR. FEIST: Yes.

15 CHAIRMAN WALLIS: Electrical and stuff  
16 like that.

17 MR. FEIST: Yes.

18 CHAIRMAN WALLIS: Well, shall we move on?  
19 Because I want to ask a question on the next one, and  
20 then we perhaps need to wrap this up and move on.

21 MR. HARRISON: Okay, and that's fine. I  
22 think we discussed this yesterday evening anyway, the  
23 way the risk informed aspects of the SE are consistent  
24 with what the guidance report says also. They back  
25 calculate a target reliability for the sump mitigation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 capability using the acceptance guidelines for delta  
2 CDF and the Reg. Guide 1174 and the NUREG 1150, the  
3 large break LOCA frequency.

4 CHAIRMAN WALLIS: Does this sort of  
5 indirectly address the question I wanted to ask, which  
6 is what is the effect of taking this step on the level  
7 of safety of these plants? It's the sort of question  
8 the public would ask, and I think you ought to make an  
9 attempt to answer it.

10 MR. HARRISON: From a risk perspective, it  
11 would, but --

12 CHAIRMAN WALLIS: It would. What effect  
13 would it have in some sort of meaningful terms?

14 MR. HARRISON: What you do is you say  
15 we're meeting Reg. Guide 1174 with the mitigation  
16 capability that --

17 CHAIRMAN WALLIS: But the public doesn't  
18 know. So what would you say to the public? Some  
19 member of the public says, "What is the effect of this  
20 step on the safety level of nuclear plants?" A  
21 perfectly reasonable question.

22 MR. HARRISON: The results is the  
23 mitigation as approved by the staff would result in an  
24 at most small change or small increase in risk,  
25 acceptably small.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: How big is that risk?  
2 Can you put it in some terms the public might  
3 understand?

4 MR. HARRISON: In reality if we were to go  
5 there, I would say if you were to use a more realistic  
6 frequency for a large break LOCA, it would be down in  
7 the noise. You would --

8 CHAIRMAN WALLIS: That doesn't mean  
9 anything to the public. Noise doesn't mean anything  
10 to the public.

11 MR. HARRISON: But neither do the numbers.

12 CHAIRMAN WALLIS: One, one, seven, four  
13 doesn't mean anything. If you could say that the risk  
14 has changed by one part in a million or something, I  
15 mean, that might mean something to the public.

16 MR. HARRISON: By one in 100,000, right?

17 CHAIRMAN WALLIS: Okay. Something like  
18 that is a good answer.

19 MR. HARRISON: And that's the high.  
20 That's the max.

21 CHAIRMAN WALLIS: -- in the risk or that's  
22 the change in the risk?

23 MR. HARRISON: That's the change in risk.

24 CHAIRMAN WALLIS: But it's not the  
25 fractional change in the risk.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HARRISON: Well, if you take a plant  
2 that's already around --

3 CHAIRMAN WALLIS: What's the fractional  
4 change? The risk before was something, afterwards  
5 something else.

6 MR. HARRISON: Right.

7 CHAIRMAN WALLIS: How much has it  
8 fractionally changed?

9 MR. HARRISON: Again, it --

10 CHAIRMAN WALLIS: Has it gone up by one  
11 percent or ten percent or .001 percent?

12 MR. HARRISON: If I used the conservative  
13 approach here, I would argue that it is probably --  
14 and they meet the target reliability just barely so  
15 that they're at the 98 percent, they're going to have  
16 a percentile increase that's probably less than ten  
17 percent. So it's more like five percent.

18 CHAIRMAN WALLIS: Okay. So you're  
19 allowing maybe a five percent increase in risk?

20 MR. HARRISON: Using a conservative,  
21 simplified approach. In reality, if you were to use  
22 a large break LOCA --

23 CHAIRMAN WALLIS: And this is justified  
24 because the risk is so small in the first place; is  
25 that right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HARRISON: If you were to use a  
2 realistic large break LOCA frequency and not the  
3 conservative one we're using here, it would be down  
4 below one percent.

5 MR. CARUSO: And that's per plant.

6 MR. HARRISON: Correct. We do the  
7 analysis on a per plant basis. We regulate on a per  
8 plant basis.

9 CHAIRMAN WALLIS: I think you ought to be  
10 able to give answers like that. It would be helpful  
11 to someone who reads the transcript or wants to know.

12 Thank you.

13 MEMBER SIEBER: On the other hand, there  
14 are some plants that don't meet the current safety  
15 goal. So they can't use this approach at all.

16 MR. HARRISON: Well, what we wrote in the  
17 safety evaluation was that if a plant was -- within  
18 Reg. Guide 1174, there is a requirement that if you're  
19 above -- not a requirement, but guidance that says  
20 that if you're above one in ten minus four that you  
21 really should be focused on reducing your risk at your  
22 plant, and for those plants the goal is to come down  
23 in risk, and they should be taking those steps.

24 MEMBER SIEBER: So what I said is correct.

25 MR. HARRISON: If that were correct, then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I would expect that the mitigation capability required  
2 under this would need to be greater and/or the plant  
3 would have to come in with a technical justification  
4 for why they wouldn't need to do that, part of which  
5 could be the conservatism in the current model.

6 In other words, if I'm -- most plants in  
7 internal events, I can't imagine anyone being above  
8 ten to the minus four from internal events PRA.  
9 What's going to drive them there would be some  
10 consideration of a modeling that's conservatively done  
11 that's got them over ten to the minus four.

12 In that case what they could do is come in  
13 with a technical justification arguing why the  
14 conservative modeling has caused that and how a more  
15 realistic model would keep them below the ten to the  
16 minus four baseline value.

17 MEMBER SIEBER: Well, the only risk  
18 numbers that are part of NRC's records are the ones  
19 that were submitted years ago, and there are seven or  
20 eight plants in that --

21 MR. HARRISON: Collectively, right, but  
22 since that time with risk informed applications, we've  
23 received risk informed applications from almost all  
24 the plants, and I would be surprised if from internal  
25 events there would be a plant above ten to the minus

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 four. That would surprise me today.

2 CHAIRMAN WALLIS: I don't think you give  
3 yourselves enough credit. I think that what you ought  
4 to be saying is that by resolving GSI-191, we're  
5 actually reducing the risks of the plant.

6 MR. HARRISON: Well, you're reducing it  
7 from the current conditions.

8 CHAIRMAN WALLIS: And the effect of this  
9 risk informed perturbation is less than the gain we  
10 get by resolving GSI-191. That's what I'd like to  
11 hear. That would give a really good argument. I  
12 mean, get on with this thing; resolving this thing  
13 that's floating around. No one quite knows how risky  
14 it is, and we don't get good measures for what the  
15 risk is. It changes depending on what you credit.

16 If you could really show that before you  
17 did this the risk was so much and after it was  
18 something else, and everybody was better off, that  
19 would be a very happy ending.

20 MR. HARRISON: Dr. Wallis, that's exactly  
21 the point.

22 CHAIRMAN WALLIS: Why can't you say that?

23 MR. HARRISON: We can say that.

24 CHAIRMAN WALLIS: But why can't you give  
25 me some numbers then?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. HARRISON: I mean, maybe that's my  
2 fault. What I've done in this part of the  
3 presentation is looked at the delta risk from an ideal  
4 situation.

5 CHAIRMAN WALLIS: Okay. What's the gain  
6 then in resolving GSI-191?

7 MR. HARRISON: You will basically do away  
8 with a failure mode that's currently there.

9 CHAIRMAN WALLIS: And what's the risk  
10 benefit?

11 MR. HARRISON: Numerically I think the  
12 arguments between industry, if you go back to the LANL  
13 (phonetic) report, the numbers were fairly high.

14 CHAIRMAN WALLIS: They were surprisingly  
15 high in the first report, yeah.

16 MR. HARRISON: Right, and again, dealing  
17 with large break LOCAs even within the second report,  
18 you gain some benefit from recovery actions, but you  
19 don't gain that much. So the real benefit is to fix  
20 the sump, and to make it functional and put away the  
21 problem. You are correct.

22 CHAIRMAN WALLIS: Do you have some numbers  
23 on there or is it speculation that you're actually  
24 gaining something?

25 MR. HARRISON: Well, you would clearly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 gain because you're basically taking a condition where  
2 we believe there's a vulnerability. That's not the  
3 right word for it, but --

4 CHAIRMAN WALLIS: You believe, but do you  
5 have a number?

6 MR. JOHNSON: Yes. Donny, we've given  
7 numbers before, haven't we with respect to --

8 MR. HARRISON: They're in the technical  
9 assessment.

10 MR. JOHNSON: They're in the technical  
11 assessment report.

12 MR. HARRISON: Yes.

13 MR. JOHNSON: Do you recall what the  
14 number is?

15 MR. ARCHITZEL: Ralph Architzel.

16 There was a problem with the frequency on  
17 average for all the plants.

18 CHAIRMAN WALLIS: This is much more  
19 significant than this small perturbation by 1174.

20 MR. ARCHITZEL: The bottom line number was  
21 double the average core damage frequency for the  
22 feeder plant. That was the bottom line. There were  
23 other numbers that were --

24 CHAIRMAN WALLIS: Well, that's a  
25 significant achievement, and it would be really

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 important to do it, to do it right.

2 MR. JOHNSON: Yes, and we can indicate  
3 that number in other documents on other occasions.

4 CHAIRMAN WALLIS: Well, I think this is  
5 what you need to tell the world, that you're solving  
6 a problem that has this value to the public. And your  
7 proposed solution will actually solve the problem.  
8 Because that's what we're here for, is this particular  
9 GSI-191, you know.

10 MR. JOHNSON: Yes.

11 CHAIRMAN WALLIS: Which has been around a  
12 long time.

13 MR. HARRISON: You're totally correct, Dr.  
14 Wallis. The benefit is that you have the improvement.  
15 From the risk informed standpoint if a licensee comes  
16 in for an exemption, the risk part of this is not  
17 taking the plant to a perfect condition. Idealized  
18 condition is what I refer to it as, where you design  
19 the sump to mitigate the condition with no mitigation  
20 capability at all.

21 That's what this delta risk calculation is  
22 going to, the ideal plant from the fix that you're  
23 proposing. That's the delta. But you are right. The  
24 actual fix will be as Ralph was saying. It's a factor  
25 of two improvement in this part of the plant.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So with that we'll just move on to the  
2 next slide. Again, just recognizing where this was  
3 done actually we can run through this real quick  
4 because this just tells you how we simplified the  
5 calculation. It's being done for the whole break  
6 thing. Even though this is a Region 2, we did the  
7 LOCA for the whole spectrum of a break. So just using  
8 the new Reg. Guide 50 number.

9           The base conditions assumes there's no  
10 clogging potential. This is the idea case. If I were  
11 to be fixing the sump perfectly, you would do away  
12 with a failure mode of sump clogging.

13           The next one is that in a mitigated case  
14 where I'm taking credit for some type of mitigation,  
15 I'm assuming that you will always clog the sump if the  
16 mitigation fails, and that's not necessarily always  
17 true.

18           CHAIRMAN WALLIS: So you're allowing some  
19 probability of sump clogging essentially?

20           MR. HARRISON: What I'm saying is if I  
21 have an active mitigation system that I'm relying on  
22 and that mitigation fails, or if I have an operator  
23 action to, say, throttle back core sprays, containment  
24 sprays, and he fails to take that action, I  
25 immediately assume I get the sump clogged.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Which is the same as  
2 assuming you get core damage.

3 MR. HARRISON: And the next bullet. If I  
4 get the sump clogged, I assume I go to core damage.  
5 So there's no recovery from that condition.

6 CHAIRMAN WALLIS: So just tell us the  
7 effectiveness of a design which allow you not to clog  
8 the sump.

9 MR. HARRISON: Right.

10 CHAIRMAN WALLIS: Or a design including  
11 action by operators or whatever.

12 MR. HARRISON: Right, right. And that's  
13 what the delta risk calculation we're doing actually  
14 is doing.

15 CHAIRMAN WALLIS: This gets to my  
16 question: what's the value of doing this? A non-  
17 clogging sump is worth so much in risk space.

18 MR. HARRISON: Right. Okay, and again,  
19 just the bottom line is that the approach is  
20 consistent with Reg. Guide 1174. We did add a  
21 requirement consistent with Reg. Guide 1174 that you'd  
22 have a performance monitoring. That's the fifth  
23 principle in that reg. guide, and so we established  
24 that there needed to be a performance monitoring  
25 program for it to assure whatever capability that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 took credit for, that that maintains that reliability.

2 This one we talked about yesterday was  
3 just dealing with what do you do with passive  
4 components. The first one is let's say someone  
5 designs a big sump that takes care of the problem up  
6 front. Well, you don't need to come up with a failure  
7 probability for that because you've shown by design  
8 that it's functional. You've met. You've done the  
9 regional. It's essentially if you were doing a Region  
10 1 analysis all the way through, you could walk away  
11 from this or we also gave the option that given that  
12 there's going to probably be credit for operator  
13 actions that are more likely going to be, you know,  
14 ten to the minus three range, we didn't think it was  
15 necessary to look at failure modes that were below ten  
16 to the minus five or so.

17 So if you've got a passive component, we  
18 don't expect you to go off and figure out its  
19 contribution if it's in the ten to the minus five, ten  
20 to the minus six range.

21 However, there's a caveat on that. It  
22 says if you can actually determine the reliability for  
23 that component, you probably ought to include it. So  
24 if you can measure it and inspect it, then include  
25 that piece of it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   That's it.

2                   CHAIRMAN WALLIS: Thank you.

3                   MR. KOWAL: I guess that's the end of our  
4 presentation.

5                   CHAIRMAN WALLIS: Does anybody else wish  
6 to say anything at this time? Comments from the  
7 members of the public that are coming in later?

8                   Shall we move on? We've got a few items  
9 that probably won't take very long. Thank you very  
10 much. I think this was an important aspect of the  
11 whole question.

12                   What is this? This is something else?

13                   MR. JOHNSON: Dr. Wallis, we had items,  
14 sump structural analysis and upstream effects that we  
15 can touch on very quickly.

16                   CHAIRMAN WALLIS: I think, yes, it's  
17 probably not a very significant item. Presumably  
18 someone has the wit to make a sump which won't  
19 collapse.

20                   (Laughter.)

21                   CHAIRMAN WALLIS: Do you need to regulate  
22 that? Maybe you do.

23                   MR. HAFERA: I'm Tom Hafera, Plant Systems  
24 Branch.

25                   I reviewed Section 71, sump structural

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis at the NEI document, and I think as we  
2 basically said, the NEI document says the sump must be  
3 capable of withstanding structural loads based on  
4 maximum to reload, rated flow rate plus hydrodynamic  
5 loads from a seismic event. That's what NEI  
6 recommends.

7 We looked at that. We agree with that.  
8 You can't provide any real specifics. It's going to  
9 be plant specific based on all of the variabilities  
10 and factors of sump design and what have you. So  
11 that's about all the guidance that really can be  
12 provided.

13 We agree with those four items that they  
14 provided and did clarify that, yes, Reg. Guide 182,  
15 Subsection 1 --

16 CHAIRMAN WALLIS: Are there any dynamic  
17 effects when a sump clogs and a pump is struggling?  
18 Do you get flow fluctuations which could put  
19 fluctuating loads on the screen?

20 MR. HAFERA: Yes.

21 CHAIRMAN WALLIS: And is this taken into  
22 consideration?

23 MR. HAFERA: Well, NEI, and we agreed,  
24 mentioned hydrodynamic loads.

25 CHAIRMAN WALLIS: Do we know how to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 analyze that problem?

2 MR. HAFERA: The boilers had to do it.

3 CHAIRMAN WALLIS: Yes, I should think they  
4 should. I mean, this is always something you have to  
5 consider, but the science of it is not always that  
6 well developed. The fluctuating load question is when  
7 you sought to push things to flow rates near some  
8 limit, there's always something you have to think  
9 about, and the methods for handling it are not always  
10 very well established as far as I can figure out.

11 MR. HAFERA: This approach is consistent  
12 with the BWR URG.

13 CHAIRMAN WALLIS: It's consistent with  
14 what the BWRs did.

15 MR. CARUSO: Do you know if there are any  
16 plants that have sump screens that are located within  
17 the zone of influence?

18 MR. HAFERA: That, the whole question of  
19 sump screens being within the zone of influence, that  
20 was brought up, and it is identified in the SER that  
21 there's a GDC. That's a requirement. Bruce Latellier  
22 is familiar with that.

23 Bruce, what did we require for jet  
24 impingement on the sump screen that's --

25 MR. ARCHITZEL: The sump screen is not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 treated differently than other components there.

2 MR. HAFERA: Yeah.

3 MR. ARCHITZEL: You can show the GDC-4  
4 requirement. You're allowed to exempt it for the pipe  
5 whip and all of those type requirements. It's not  
6 treated differently that way

7 MR. CARUSO: Well, wait a minute, wait a  
8 minute, wait a minute. Don't go so fast. Does that  
9 mean that they don't have to consider the effect of  
10 jet impingement on the sump screen?

11 MR. ARCHITZEL: It means they follow  
12 different rules.

13 MR. CARUSO: So that means if the jet  
14 impinges on the sump screen and destroys it --

15 MR. HAFERA: Ralph, it means the rules are  
16 different. We're not going there in terms of GDC-4  
17 with this analysis. And then you do get into the type  
18 of pipe you've got.

19 MR. ARCHITZEL: You have to recognize that  
20 whole issue is outside the issue of clogging a sump  
21 screen. Clogging a sump screen occurs 20 minutes  
22 after your LOCA. When you go on to research after it  
23 is already under five feet of water, you can't get a  
24 jet on a sump screen that's under five feet of water.

25 CHAIRMAN WALLIS: No, but the jet happens

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 before. The jet happens at the LOCA.

2 MR. HAFERA: Right. The jet would happen  
3 at the LOCA, which, again, there's already written  
4 requirements for how to analyze that.

5 MR. CARUSO: And those written  
6 requirements state that they're not required to  
7 consider the impact loads of the jet on the sump  
8 screen.

9 MR. ARCHITZEL: There is guidance for  
10 making sure that the sump is not generally in the path  
11 of a high energy jet and things like that. That's in  
12 the reg. guide. So they're design requirements.

13 MR. CARUSO: Are there any plants that  
14 have sump screens that are located in a zone of  
15 influence?

16 MR. ARCHITZEL: Well, they would have had  
17 to look at that when they do their zone of influence.

18 MR. CARUSO: Does anyone know?

19 PARTICIPANT: The answer is yes.

20 MR. ARCHITZEL: Okay, but again, that's  
21 not part of this presentation.

22 CHAIRMAN WALLIS: Does anyone have  
23 experience of operating pumps with clogged screens,  
24 partially clogged screens? And do they shake? Is  
25 this all a theoretic --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARCHITZEL: There's lots of operating  
2 experiences that show sump screens clog and thin bed  
3 effects do occur, and, yes, there's all kinds of  
4 operating --

5 CHAIRMAN WALLIS: In real systems?

6 MR. ARCHITZEL: Real world, yes.

7 CHAIRMAN WALLIS: I mean in real nuclear  
8 plants?

9 MR. ARCHITZEL: Real nuclear plants.

10 CHAIRMAN WALLIS: And there's no problem  
11 with surging at the pump or fluctuating flows?

12 MR. HAFERA: Dr. Wallis, this comment was  
13 really more towards the earthquake effect over 30  
14 days.

15 CHAIRMAN WALLIS: No, but I'm just  
16 wondering. I mean, in view of -- I don't understand  
17 why, but certainly in the LANL experiments there were  
18 quite unexplained fluctuations in the flow. It may be  
19 something to do with their system, nothing to do with  
20 reactor systems, but I mean, one always worries a bit  
21 about fluid structure interaction, particularly when  
22 things are reaching some sort of limit of operation.

23 MR. HAFERA: Pump cavitations are pretty  
24 well understood.

25 CHAIRMAN WALLIS: No, that's all right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'm talking about the fluctuating flow and the effect  
2 on the screen. I don't know if my materials  
3 colleagues said they're happy with that or not, but  
4 they have experience with fluctuating loads on things  
5 that sometimes break them. I just wondered if you  
6 shouldn't have a position on this. That's all.

7 There's no staff position on fluctuating  
8 loads?

9 MR. HAFERA: I could revisit that and  
10 clarify it.

11 CHAIRMAN WALLIS: Are you going to revisit  
12 it?

13 MR. HAFERA: Yes.

14 MEMBER RANSOM: Well, is a factor of  
15 safety applied to the design load?

16 CHAIRMAN WALLIS: I can't imagine that it  
17 isn't, but there seems to be a great silence.

18 MEMBER RANSOM: What is the typical factor  
19 that's used in this kind of design?

20 MR. UNIKEWICZ: Excuse me. This is Steven  
21 Unikewicz, Mechanical Branch.

22 The answer to some of those questions are  
23 that there are plants that are in the direct line.  
24 They're underneath steam generators, and there are a  
25 lot of impact loads from insulation coming off. When

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we evaluate those types of sumps, we look at sloshing  
2 loads. We look at the standard methods we've had  
3 before with containment moving around, with water  
4 impinging up against the screens.

5 That's sort of Design Engineering 101.  
6 Those are part of the design of license based things  
7 that you do look at. It's a normal part of an  
8 evaluation of a piece of component on the lower levels  
9 of containment. It does look at steam loads. It  
10 looks at impact loads. It looks at a couple of  
11 places.

12 In some cases, to protect those, there  
13 have been shields put in place and things of that  
14 nature. So all of these things you're talking about  
15 are normal design considerations.

16 CHAIRMAN WALLIS: That answered the  
17 question of whether the ZOI affected the screen.

18 MR. UNIKIEWICZ: It can potentially, and  
19 I've seen where it possibly does.

20 CHAIRMAN WALLIS: Can you answer the  
21 question of fluctuating loads during the pump  
22 operation?

23 MR. UNIKIEWICZ: Yes, I can. There have  
24 been many instances of fluctuating loads during pump  
25 operation. The problem then becomes that flow drops.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 There is a lot of industry experience both within the  
2 nuclear industry, within the chemical industry, within  
3 the process industries of pumps starting to cavitate,  
4 fluctuating loads due to cavitation, fluctuating loads  
5 due to air ingestion within the components.

6 That, again, is part of when you do a  
7 system evaluation. You take that into account.  
8 You're looking at your basic design parameters. What  
9 do I have? What is going in? What are the primary  
10 fluid properties going in? What is my NPSH  
11 requirements, and so on and so forth?

12 Depending on the style of pump, the  
13 manufacturer of pump, depending on how many stages  
14 there are, whether it's a single stage pump, whether  
15 it's a multi-stage pump, it can, it may or may not  
16 have an adverse effect.

17 CHAIRMAN WALLIS: Okay. So all this would  
18 be is what you'd expect the licensees to analyze, and  
19 you'd be able to review it okay.

20 MR. UNIKIEWICZ: Any reasonably competent  
21 design engineer, this is a normal part of their job.

22 CHAIRMAN WALLIS: That's something I think  
23 we need that sort of assurance.

24 MEMBER SIEBER: Well, I think one way to  
25 look at it is from a continuity standpoint, you know,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as the flow fluctuates maybe from zero to full flow or  
2 maybe even exceeding that, that's in a suction pipe or  
3 discharge pipe from the sump or from the pump.

4 If you look at the sump itself though,  
5 it's so much larger in area that the change in level  
6 is very small compared to and also the velocities are  
7 very small compared to the change in velocity in the  
8 pump and in its lines.

9 CHAIRMAN WALLIS: The pump and the flow of  
10 the --

11 MEMBER SIEBER: So the forces have to be  
12 very small.

13 CHAIRMAN WALLIS: I think the flow through  
14 the screen is very much less. The fluctuation in the  
15 flow through the screen is very much less than the  
16 flow through the pump. This would be true, I think,  
17 if you had --

18 MEMBER SIEBER: The velocity.

19 CHAIRMAN WALLIS: It opens the velocity.

20 MR. UNIKIEWICZ: Absolutely. That's  
21 absolutely correct. The flow velocity through the  
22 screen is going to be probably generally an order of  
23 magnitude less than the flows.

24 CHAIRMAN WALLIS: Well, it doesn't really  
25 make a difference whether the sump is submerged or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 not, it seems to me, whether it's being submerged or  
2 not.

3 MR. UNIKIEWICZ: You're looking at, you  
4 know, a foot or two maybe coming through the screens.  
5 The typical velocities coming through some of those  
6 inlet pipes are going to be on the order of anywhere  
7 between seven to ten to 12 to 14 feet per second  
8 coming through the pipe, depending on --

9 CHAIRMAN WALLIS: Oh, the velocity is  
10 less. I was thinking of a capicitant if you have an  
11 open surface. If you had it on non-flooded screen,  
12 then you actually have the capacity of the liquid can  
13 go up and down so that you don't have the fluctuation  
14 transmitted to the screen.

15 If it's solid with water, then you're  
16 going to have the --

17 MR. UNIKIEWICZ: I understand, and by the  
18 time you get to --

19 MEMBER SIEBER: Well, it's flooded when  
20 the pumps are on.

21 MR. UNIKIEWICZ: -- that hopefully that  
22 level within containment is relatively stable so that  
23 you're not going to see a lot of fluctuation in levels  
24 at the point that you should be going out to research.

25 CHAIRMAN WALLIS: So you're assuring me

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you've got it all under control.

2 MR. UNIKEWICZ: I've done this before,  
3 sir.

4 CHAIRMAN WALLIS: Thank you.

5 MEMBER SIEBER: That would appear to be  
6 the case.

7 DR. TRAIFOROS: I would like to make an  
8 additional comment if I may. It seems that it's worth  
9 reiterating that it is important to evaluate the  
10 effect of jets on screens. We understood your point.  
11 These types of analyses have been done. It's not  
12 quite certain whether everybody has done these types  
13 of analysis. The assumption is probably they have,  
14 but the point is they should be looked at again to  
15 make sure that this aspect is being addressed.

16 And a word of caution on the zone of  
17 influence. Since the weight has been calculated, it  
18 results in a smaller range to the jet. One has to  
19 consider the plain, old approach of a direct jet  
20 hitting the important areas.

21 CHAIRMAN WALLIS: Because by choosing a  
22 spherical zone of influence, you have artificially  
23 limited the distance at which things can be affected.,  
24 and if there's something really key, really vital you  
25 don't want to damage, that may not be the right

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 approach because it's still a probability, realistic  
2 probability of damaging it if there's something really  
3 vital.

4 Now, if it's stuff like insulation, maybe  
5 it doesn't make much difference because it's all over  
6 the place, but if there's some vital component you  
7 could damage, you may have to --

8 MR. UNIKEWICZ: Your point is well taken  
9 in that it should be part of the normal evaluation.  
10 You look at critical components within the path.

11 CHAIRMAN WALLIS: Right, right.

12 MR. UNIKEWICZ: Certainly if there is the  
13 potential for this screen to be within the path, then  
14 the expectation definitely would be you would look at  
15 it from an impingement standpoint.

16 MR. ARCHITZEL: Let me just make it clear.  
17 I made it before.

18 Ralph Architzel.

19 I just want to make clear that we're not  
20 redoing those analyses for this resolution. Those are  
21 licensing based analyses that have been done. They're  
22 in place, and we're not asking the licensee.

23 What we're talking about here is the  
24 structural analysis across the sump, but not a jet  
25 impingement analysis. So that's different analyses,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and we don't plan to do it with --

2 CHAIRMAN WALLIS: But you're saying it's  
3 already done somewhere else in the regulation?

4 MR. ARCHITZEL: On different ground rules  
5 that --

6 CHAIRMAN WALLIS: That's okay. That's  
7 okay. Then you're assuring us that it's being looked  
8 it. The zone of influence is not artificially  
9 restricting consideration of jet damage.

10 MR. ARCHITZEL: Right, but it's not being  
11 revisited. There may be some problematic plants, as  
12 has been pointed out, but they've been analyzed and  
13 reviewed by the staff under the ground rules that we  
14 have.

15 CHAIRMAN WALLIS: But you're not so  
16 conveniently into the side. You're really taking it  
17 into consideration. Yes?

18 MEMBER SIEBER: On the other hand, you  
19 have to redo the calculations that the licensee  
20 replaces or enlarges the sump screen.

21 MR. ELLIOTT: Plants may be in a situation  
22 where they weren't in the zone of influence before,  
23 but when they enlarged the screen, they could run into  
24 a situation where now the screen is in the zone of  
25 influence, and they would have to evaluate it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: That's right.

2 MR. HAFERA: Okay. So now that we've  
3 revisited zone of influence, in fact, the structural  
4 analysis is in summary. The NEI document is  
5 acceptable. We agree with the items that they have  
6 provided. They asked for a clarification on the  
7 application of Reg. Guide 182, Subsection 1118, and we  
8 provided that.

9 As far as some structural analysis, that's  
10 all I have. Any other questions?

11 CHAIRMAN WALLIS: Any other questions?  
12 Can we go on or take a break? Are you ready to take  
13 a break?

14 Thank you. We'll take a break until ten  
15 after ten.

16 (Whereupon, the foregoing matter went off  
17 the record at 9:56 a.m. and went back on  
18 the record at 10:12 a.m.)

19 CHAIRMAN WALLIS: Let's come back into  
20 session, please, and we'll continue with the staff's  
21 presentations.

22 MR. GOLLA: Okay. Good morning. My name  
23 is Joe Golla. I'm an engineer in the Plant Systems  
24 Section, and to my left is Steve Unikewicz. He's in  
25 the Division of Engineering. I am going to speak

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about upstream effects and downstream effects. If we  
2 could have the slide, please.

3 To summarize, we agreed basically with  
4 this section and added a few amplifying remarks. If  
5 we could go to Slide 5, please.

6 Basically the guidance report advises that  
7 NEI-0201 should be utilized in this review, and we  
8 agreed with that basically and just added a few  
9 amplifying remarks to it.

10 NEI-0201 is the containment condition  
11 assessment guideline, and it directs licensees on how  
12 to or provides guidance on how to assess the condition  
13 of the containment regarding locations of possible  
14 debris sources.

15 CHAIRMAN WALLIS: What are some of these  
16 unique geometric features, just reading your slide  
17 here? What sorts of features do we have in mind?

18 MR. GOLLA: That would be for licensees to  
19 inspect for --

20 CHAIRMAN WALLIS: Well, are these sills  
21 and stairwells and various changes of level and  
22 barriers to flow and that sort of thing?

23 Is there some assessment of the ability of  
24 licensees? If there are lots of unique features, this  
25 is going to give you a lot of plant specific analyses.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Is there some assessment of the ability of licensees  
2 and the staff to understand these enough to make any  
3 sort of sensible analysis?

4 MR. GOLLA: I don't understand. Could you  
5 repeat that?

6 CHAIRMAN WALLIS: All of these things that  
7 ask licensees to do something must be made -- these  
8 requests must have some sort of implication that the  
9 licensees are capable of doing it.

10 MR. GOLLA: Certain.

11 CHAIRMAN WALLIS: And without guidance  
12 from you, they may do all sorts of things.

13 MR. GOLLA: The assumption is that they're  
14 capable of inspecting the containment.

15 CHAIRMAN WALLIS: For possible hold-up to  
16 evaluate containment. This implies that they're going  
17 to make some analysis, or this can look at them and  
18 say, "Gee, whiz, this could happen." They've got to  
19 reach some conclusion from it presumably.

20 MR. GOLLA: Again, the assumption is that  
21 they're capable of doing that.

22 CHAIRMAN WALLIS: And the assumption is  
23 that you guys are capable of evaluating what they do.  
24 It's all assumptions.

25 It's okay. I'm just probing, you know.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GOLLA: Yes.

2 CHAIRMAN WALLIS: Because I can see you  
3 faced with a whole lot of decisions to make and the  
4 licensees have a lot of decisions to make.

5 MR. GOLLA: Right, and that's sort of a  
6 bridge that gets crossed when you come to it.

7 CHAIRMAN WALLIS: Again, we've taken this  
8 step in the dark that we talked about earlier, are we?

9 MR. LATELLIER: If I could add, the unique  
10 features that we're talking about are the same  
11 features that affect the transport fractions that we  
12 discussed yesterday. It's somewhat an engineering  
13 judgment about where the containment water return  
14 paths are, and in relation to our testing database, we  
15 do have evidence of hold-up behind curves.

16 All of the features of a sump screen, for  
17 example, small orifice openings, all of those  
18 attributes are also applicable to the drain water  
19 return paths, and we have evidence of collection of  
20 various sizes on various gradings.

21 One particular unique feature is a  
22 designed drainage path that is designed to return  
23 water to the sump and any kind of coverings or  
24 gradings that are in place would be potential  
25 locations for water hold-up.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN WALLIS: I think, Bruce, you're  
2 going to have to turn yourself into ten people because  
3 you seem to be the only person that is able to answer  
4 these questions, and when all of these 69 different  
5 applications come in you're going to be very busy.

6 MR. ARCHITZEL: What we're talking about  
7 is in the appendix. There's a firewall transport  
8 appendix for the volunteer plant. So it's not limited  
9 to the panel's knowledge. We did provide that  
10 analysis in the appendix of the SE.

11 MR. GOLLA: These locations that Bruce  
12 spoke of are basically called out in the guidance  
13 document rather as typical locations where water might  
14 be held up, not as unique design features.

15 CHAIRMAN WALLIS: So is there a  
16 formulation? You mentioned that this all relates to  
17 the fractionating of how the debris is put into the  
18 transport event tree, if you like. Is there a  
19 formulation that tells you how those fractions will  
20 change depending on these upstream effects, these  
21 barriers and things to the judgment?

22 MR. LATELLIER: There's not a single  
23 equation that can be evaluated. In the manner that we  
24 discussed yesterday, we look at the transport pathways  
25 and make judgments about the fraction that's retained

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or passed at each step.

2 CHAIRMAN WALLIS: Okay. So it's just a  
3 qualitative judgment.

4 MR. LATELLIER: As Mr. Shaffer explained  
5 yesterday, we appeal to the data where it's available,  
6 and where it's not, we apply conservative assumption.  
7 But the value of outlining in detail the transport  
8 path, that minimizes the impact of our conservative  
9 assumption, and it maximizes our use of defensible  
10 information.

11 CHAIRMAN WALLIS: Okay.

12 MEMBER SIEBER: The transport tree is  
13 unique to the containment configuration. So it's  
14 possible that each plant could have a unique tree,  
15 even though containment designs are pretty simple, and  
16 most of the obstructions and holdup points are  
17 designed in for that purpose, as opposed to just being  
18 there. So it's sort of obvious when you walk around  
19 containment where the holdup points are and what these  
20 unique features are and why they're there.

21 MR. GOLLA: That's why I mentioned in  
22 particular the designed containment water return  
23 paths. If there's a drainage system that's intended  
24 to perform that function, then it should be examined  
25 as a unique feature.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think the criteria for applying judgment  
2 versus database information is a little bit different  
3 in this application where we're looking for a choke  
4 point, a critical pathway. We would need to be more  
5 confident in our information because it's just one  
6 critical step in the entire transport tree.

7 CHAIRMAN WALLIS: It seems to me that  
8 there's a lot of room here for the licensee and the  
9 staff to have different judgment. The licensee says,  
10 "I think these are the places where we might get  
11 holdup."

12 And the staff says, "Well, I look at it  
13 and my judgment says maybe these other places."

14 So you might well have some discussions  
15 with the licensees about what's reasonable and what's  
16 not.

17 MR. GOLLA: Sure. You know, we typically  
18 engage in those kinds of -- that kind of discourse  
19 whenever we do, whenever we review a license amendment  
20 request. One thing that does appear in here is a  
21 remark about if anything is added in terms of curbs or  
22 debris racks, to also evaluate their possible effect  
23 on the holdup of water.

24 CHAIRMAN WALLIS: I'm hoping we can get  
25 through this quite quickly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GOLLA: Are you done? Any more  
2 questions?

3 Okay. Let's move on to seven, please.

4 Okay. In summary, the staff has included  
5 additional specific items that licensees should  
6 include in their evaluation of downstream effects.

7 Next slide, please. The purpose --

8 MEMBER SIEBER: Is one of the downstream  
9 effects the effect of debris ingestion into the pumps  
10 themselves?

11 MR. UNIKIEWICZ: Absolutely, and in fact,  
12 that is a significant piece of the evaluation, and  
13 within the guidance in Section 7.3, we added that  
14 those types of things need to be evaluated, and they  
15 are very pump specific. They are very equipment  
16 specific evaluations. They are very material specific  
17 evaluations. It's going to be a very -- that piece of  
18 this evaluation will be a bit of work.

19 MEMBER SIEBER: Well, it seems to be my  
20 recollection that when GSI first started out, the pump  
21 wasn't included; is that correct? And now it is,  
22 right?

23 MR. UNIKIEWICZ: That's correct, and part  
24 of that is because it will say lessons learned from  
25 Davis-Besse.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I saw the pump.

2 MR. UNIKIEWICZ: And ACRS certainly has had  
3 numerous presentations on the issues of the ECI pump  
4 at Davis-Besse. Because of those, we felt as a staff  
5 it was very important to include it. It would be  
6 unwise of us not to discuss those types of downstream  
7 effects that we have seen.

8 MEMBER SIEBER: Maybe you could give me an  
9 estimate. I know of plants that have vertical shaft  
10 heat draft pumps, and also plants that have horizontal  
11 pumps. Could you give me some feeling as to how many  
12 plants have vertical pumps and how many plants have  
13 horizontal pumps?

14 MR. GOLLA: I don't have those numbers off  
15 the top of my head. What I can tell you is from a  
16 susceptibility standpoint, multi-stage pumps are  
17 certainly going to be much more susceptible to this  
18 type of effect than the single stage pump. So if you  
19 have a deep draft pump with not a lot of stages, maybe  
20 it's a single state; maybe it's a LPSI pump; it will  
21 be less susceptible to this type of damage than a  
22 multi-stage pump will.

23 And part of that comes from an  
24 aerodynamics standpoint and vibrations and leakage and  
25 things of that nature.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER: Yes. On the other hand,  
2 one of the good things about a vertical staff pump  
3 (phonetic) is that you can put clean water into the  
4 bearings to lubricate them. They're rubber or  
5 elastomer type bearings.

6                   MR. UNIKIEWICZ: If you have clean water  
7 available.

8                   MEMBER SIEBER: If you have a source, as  
9 opposed to just pumping all of the garbage back down  
10 in there, which is usually fatal.

11                   MR. UNIKIEWICZ: You're correct, and in a  
12 lot of cases what these pumps will do is they'll  
13 recirc the water. In fact, they'll take some of the  
14 inlet water and recirc it around and use it as cooling  
15 for those types of seals. Again, those are types of  
16 things that are going to have to be evaluated.

17                   MEMBER SIEBER: Be reevaluated.

18                   MR. UNIKIEWICZ: And, again, it's a very  
19 specific evaluation. It's going to be very unique to  
20 each type. The thing to consider is long-term and  
21 short term operation. If you recall, the Davis-Besse  
22 issue wasn't a short-term operation issue. It was a  
23 long-term, more after precipitation issue, which is  
24 part of -- and I'm skipping ahead in the presentation.  
25 I apologize -- is to consider what the mission time is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for each of the bits and pieces and parts within your  
2 ECCS system.

3 MEMBER SIEBER: Well, recirculation goes  
4 on though in some scenarios for days. So the mission  
5 time is going to be days. If it's going to fail, it  
6 will fail in that contract.

7 MR. UNIKIEWICZ: And in some cases the  
8 mission time is a matter of hours, and again, it's  
9 going to be very unique to each situation. I can  
10 think of plants that have mission times on the order  
11 of hours. I can think of other plants that have  
12 mission times on the order of days and weeks, with  
13 different components, with different plant line-ups.

14 And one of the bits of guidance we  
15 provided was that you need to consider all of your  
16 plant line-ups. You need to consider how you're  
17 responding to your accident. Look at the lineup.  
18 Look at the modes of operation that you're using.  
19 Consider the flow effects. Consider how you're  
20 actually operating the plant during these accidents  
21 and these accident analyses and look at what's going  
22 to happen.

23 You may be okay. You may not be okay. It  
24 will depend. Again, that's part of I'll call it a  
25 standard design engineering evaluation. These are the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 types of things that you look at: material  
2 properties, fluid properties, fluid flows, and so on  
3 and so forth.

4 MEMBER SIEBER: Well, as far as  
5 vulnerability is concerned, I think that I personally  
6 worry as much about the pump as I do about screen  
7 blockage.

8 MR. UNIKEWICZ: I share your concern.

9 MEMBER SIEBER: And so I'm glad that it's  
10 in the guidance document, and I'm glad you're  
11 addressing it.

12 CHAIRMAN WALLIS: I have some experience  
13 with pumps, and many pumps will quite happily for a  
14 while pump mixtures of cal-sil, powdery stuff,  
15 granular stuff, fibrous stuff.

16 But when pumps jammed, usually the kind of  
17 pumps I have found is that when they jam, you take  
18 them apart and you find there's a piece of metal or  
19 something tough which is jammed between the rotating  
20 part and the part static part.

21 MR. UNIKEWICZ: That's correct.

22 CHAIRMAN WALLIS: And it doesn't take much  
23 of a piece of metal, you know, that's pulled in there  
24 and jams to stop the pump completely.

25 MR. UNIKEWICZ: And truly that was part of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the Davis-Besse experience, and one of the things that  
2 we found was that the matting of debris, latent debris  
3 and those real hard particles from sand, dirt, and  
4 dust, and truly --

5 CHAIRMAN WALLIS: So what you care about  
6 is the covers of the insulation, the metal parts, sort  
7 of the reflective metal insulation, the pieces which  
8 are odd enough, tough enough that they get in there  
9 and they don't get ground up by the pump. They don't  
10 pass through the pump. They get stuck between the  
11 rotating and the static part, and the thing grinds to  
12 a halt.

13 MR. UNIKEWICZ: Or what it does is it  
14 wears the surfaces such that --

15 CHAIRMAN WALLIS: It can do that, too.

16 MR. UNIKEWICZ: -- you're now putting the  
17 pump into a vibrating mode --

18 CHAIRMAN WALLIS: It can do that, too.

19 MR. UNIKEWICZ: -- that you didn't want to  
20 have it do before.

21 The other thing it may do is depending on  
22 the internal clearances, you're looking at what are  
23 the flow characteristics of this pump. You know, was  
24 this support to put out 437 gallons a minute? And now  
25 because I've increased all of the internal tolerances,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'm only running at 350 gallons a minute and those  
2 type of effects.

3 They may not always show up in a long-term  
4 vibration analysis, but what you'll then see is you'll  
5 see the pump itself, the pump efficiency --

6 CHAIRMAN WALLIS: To put it into  
7 perspective, the kitchen disposal will eat all kinds  
8 of stuff, but you get a little piece of wire in there,  
9 and it --

10 MR. UNIKEWICZ: And it jams it rather  
11 quickly. That's correct, sir.

12 MEMBER SIEBER: So you should install  
13 magnets on your screen.

14 MR. UNIKEWICZ: Well, it's truly much more  
15 than the metals. A lot of it has to do with I'll say  
16 hard particles. The silicas that you may find in dust  
17 and dirt and the blasting of containment pieces that  
18 are hard, that will start to wear away after --

19 CHAIRMAN WALLIS: Does mica get from the  
20 concrete and stuff like that? I mean, in some of the  
21 tests --

22 MR. UNIKEWICZ: Absolutely.

23 CHAIRMAN WALLIS: -- jet impingement went  
24 way back. I forget when, 20 years ago or something.  
25 They actually had concrete spalled and broken off the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 wall and so on.

2 MR. UNIKIEWICZ: That's correct, and those  
3 are the types of things you need to consider from a  
4 downstream standpoint. Now, you very well may be --

5 CHAIRMAN WALLIS: All we need here is some  
6 kind of assurance that they can be considered properly  
7 because obviously you've got to consider all of this  
8 stuff. Where is the assurance that they will be  
9 considered properly?

10 MR. UNIKIEWICZ: Well, as the paragraphs go  
11 along, it talks about things you need to consider in  
12 your evaluation.

13 CHAIRMAN WALLIS: Well, that doesn't help  
14 me. I've been telling you you've got to to consider  
15 something gives me no assurance that it will be  
16 considered properly.

17 MR. UNIKIEWICZ: Well, your design control  
18 manual at your plant, and if you're following your  
19 design control manual and if you're going your design  
20 evaluation, it is expected that any design engineer  
21 will look at the fluid properties. He will look at  
22 the abrasiveness of the fluid. He will then compare  
23 it against and look at --

24 CHAIRMAN WALLIS: Okay. So does he have  
25 guidance on a supposed three-by-six piece of stainless

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 steel sheeting that comes through, broken off some  
2 piece of insulation material? Does he have guidance  
3 about how the pump handles that?

4 MR. UNIKIEWICZ: In many cases there are.  
5 There's a lot of industry publications not only in the  
6 nuclear industry. Typically you find them more or  
7 less in the process industry.

8 CHAIRMAN WALLIS: So that he can assess  
9 the possibility that it will pass through the pump?  
10 And what's the probability it then passes through the  
11 reactor?

12 MEMBER SIEBER: Well, the probability that  
13 it gets to the pump is zero because nothing can get  
14 through the --

15 CHAIRMAN WALLIS: But it can get through  
16 sideways.

17 MEMBER SIEBER: The screen is bigger than  
18 the whole --

19 MR. UNIKIEWICZ: That is not a true  
20 statement. We have found things in an experiment that  
21 things larger than a screen do because their aspect  
22 ratios do pass through the screen.

23 MEMBER SIEBER: Well, some long and skinny  
24 can.

25 MR. UNIKIEWICZ: That is correct. So there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are things that do.

2 MEMBER SIEBER: But that's not what I  
3 said.

4 MR. UNIKEWICZ: And the other case, say,  
5 I'm talking to a Gould pump, okay, and I'm going to  
6 pass a piece of stainless steel into this. My bearing  
7 materials are this. My bypass rings and all of this  
8 other kind of stuff; you look at the effects of that  
9 and, depending on pump manufacture, depending on  
10 configuration, depending on the design modifications  
11 you made have made as a licensee over the years  
12 because over time, depending on what you've done, you  
13 may have changed bearing materials. You may have  
14 changed wear ring materials. Okay?

15 You would have to go back through and  
16 assess is stainless steel harder than -- I have  
17 Stellite 6; I have Stellite 12; I have bronze; I have  
18 brass. Whatever it may be, in that case, make that  
19 sort of evaluation.

20 I need to look at clearances. What are I  
21 running clearances? Are my running clearances 10 mLs?  
22 Are they 15 mLs? Are they 7 mLs? What is the size of  
23 the screen?

24 Again, a normal part of an engineering --  
25 a component level engineering evaluation, and on a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 system level evaluation.

2 CHAIRMAN WALLIS: So if we look at your  
3 Slides 8 and 9, there's a whole list of things that  
4 licensees should determine to consider and so on, and  
5 it's all up to them to do it, and we have to have some  
6 faith that they know how to do it and they can  
7 convince you that whatever they've done is  
8 appropriate. That's really where we are, isn't it?

9 MR. UNIKIEWICZ: That's correct.

10 CHAIRMAN WALLIS: Can we go any further  
11 than that?

12 MR. GOLLA: We could given more time to  
13 work on this project. Sure, we could.

14 CHAIRMAN WALLIS: I mean today. Can we go  
15 out any further than just realizing that you're asking  
16 them to consider a whole lot of things? That seems to  
17 be the bottom line.

18 MR. UNIKIEWICZ: That truly is the bottom  
19 line, and there are a myriad of things to consider.  
20 We have given guidance on saying these are things you  
21 absolutely must; these are things that we would expect  
22 that you are going to submit upon. These are things  
23 we would expect.

24 Now, granted most of these things are  
25 almost motherhood and apple pie from a design and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 control standpoint and from a component evaluation  
2 standpoint, but since they weren't in the GR, we felt  
3 it was needed to add those specific items.

4 And this certainly is not an all inclusive  
5 list. As somebody goes through, somebody may find  
6 other things to consider and --

7 CHAIRMAN WALLIS: How they consider these  
8 things might be cause for the staff to take exception  
9 and say they don't pass because they didn't consider  
10 it appropriately? They don't just go through some  
11 ritual of saying they've considered it. They actually  
12 do some analysis which has been assessed?

13 MR. UNIKIEWICZ: We do not design and  
14 evaluate by checklist, and designing and evaluating by  
15 checklist is extraordinarily bad practice. We do not  
16 engineer by checklist.

17 CHAIRMAN WALLIS: Okay. But at least  
18 you've told us there are a myriad of things they have  
19 to consider above all the other things that we've  
20 heard about in the last week or so.

21 MR. UNIKIEWICZ: And there will be -- I  
22 mean, this is an engineering problem. We expect them  
23 to do the engineering.

24 MEMBER KRESS: Are there any plans to do  
25 any confirmatory research, sending various debris

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 combinations on a simulated loop?

2 MR. UNIKEWICZ: There is some movement  
3 afoot, especially from the perspective o looking at  
4 the throttle valves and looking at materials going  
5 through standard sized generic throttle valves and  
6 throttle valve clogging, and that is ongoing.

7 And as we have stated, if there is  
8 something that screams at us as that progresses, we'll  
9 certainly let everybody know.

10 MEMBER SIEBER: There's a wealth of  
11 experience pumping fluids that contain --

12 MR. UNIKEWICZ: Low level fluids.

13 MEMBER SIEBER: Yeah, process.

14 MR. UNIKEWICZ: That's right.

15 MEMBER SIEBER: They pump coal all over  
16 the place. They pump ashes.

17 MR. UNIKEWICZ: Ask ponds, and everything  
18 from dewatering systems.

19 MEMBER SIEBER: And the abrasive content  
20 is usually pretty high, you know. A coal slurry  
21 pipeline will run 50 or 60 percent coal, 40 percent  
22 water.

23 MEMBER KRESS: However, they use special  
24 pumps though, aren't they?

25 MR. UNIKEWICZ: Yes, they are.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   MEMBER SIEBER: You can buy deep draft  
2 pumps that will pump slurries.

3                   MR. UNIKEWICZ: Part of the concern is one  
4 minute these pumps were specified and installed, they  
5 were specified and installed to clean service. We're  
6 now asking them to -- that initial consideration was  
7 missed as people designed them early on. They should  
8 have considered; they should have looked at the TEMA  
9 standards. They should have looked at the NEI  
10 standards. They should have determined something  
11 better.

12                   In some cases they'll be okay. Other  
13 cases, they may have to make some modifications. You  
14 may find that if my mission time is two weeks and my  
15 pump will last for six weeks, I'm okay. You may not.  
16 Again, it will depend on a lot of the things  
17 previously done which have determined from your fluid  
18 property standpoint.

19                   CHAIRMAN WALLIS: Well, the only problem,  
20 I think that most of the debris is going to be  
21 perfectly happily going through and going through the  
22 reactor and coming back to the screen again and may be  
23 being caught, but I'm concerned about metal pieces,  
24 and I don't quite know that the licensees are going to  
25 be able to determine how many pieces of what shape

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they're going to sneak through the screen and what  
2 effect they might have downstream. That's the only  
3 concern I have.

4 MR. UNIKEWICZ: That is some --

5 MR. GOLLA: We do have some flow  
6 experiments that we're doing at Los Alamos, and we are  
7 looking into that.

8 CHAIRMAN WALLIS: So it's still a research  
9 topic then?

10 MR. GOLLA: Downstream effects, we know  
11 that there are downstream effects. We know that as  
12 material passes through the system that it has the  
13 potential to disable pumps important to the safety of  
14 our plants. We know that the harder materials will  
15 mat up, and that they will cause damage depending on  
16 type of material, depending on lots of other different  
17 things.

18 So can we do research? You can always do  
19 research.

20 Do we know this to be a real problem? The  
21 answer to that is yes.

22 Is there information out there and data  
23 out there not only within the nuclear industry, but  
24 within the process industry, within the rest of the  
25 industries? The answer to that is yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So is there information available to make  
2 those evaluations?

3           CHAIRMAN WALLIS: I strike all of that.  
4 The real question is is it adequate. Is this good  
5 enough? Because we just have to say does this make  
6 sense, but you know, is it a good enough statement in  
7 terms of the capability of analysis, which is now  
8 there?

9           MR. UNIKIEWICZ: Well, part of it as we do  
10 the inspections and as we look at the submittals, some  
11 of it has to do with the strength of their design and  
12 evaluation programs, and again, we found some  
13 strengths and we found some weaknesses within many  
14 different programs.

15           I suspect that as we go through this, we  
16 will find some licensees do an extraordinarily  
17 thorough job. I suspect, on the other end, we're  
18 going to find licensees that don't do an  
19 extraordinarily thorough job, and we may need to talk  
20 to them a little more, and as we share design  
21 experience and operating experience, that's how we all  
22 learn.

23           CHAIRMAN WALLIS: Yeah. We're going to  
24 move on here, but they may not know what criteria  
25 you're going to use for this thorough job, and you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to --

2 MR. UNIKIEWICZ: The bulk of our  
3 theories --

4 CHAIRMAN WALLIS: They don't quite know  
5 how they're going to be graded.

6 MR. UNIKIEWICZ: Being in compliance with  
7 design basis and license basis requirements. They  
8 need to meet the design basis and license basis  
9 requirements.

10 MEMBER SIEBER: You know, that's not as  
11 simple as it would first appear. You know, if you go  
12 to a pump manufacturer and say, "I want to pump to  
13 perform this kind of service," he will pull out his  
14 catalogue and say you need a double casing deep draft  
15 pump with fresh water bearing injection.

16 If you go to the same pump manufacturer  
17 and say, "I bought this pump 20 years ago for clean  
18 water service. Now I want to pump cement through it.  
19 How long will it last?" he probably won't know.

20 MR. UNIKIEWICZ: I agree, and we've never  
21 made the statement that this evaluation was going to  
22 be easy; have never made the statement that somebody  
23 competent in looking at pumps and internals and  
24 understanding how a pump operates, never said this was  
25 going to be an easy job.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   There will take some thinking. There will  
2 take some considered thought. There will take some  
3 engineering involvement, absolutely. There's no doubt  
4 in my mind.

5                   MEMBER SIEBER: The pumps aren't cheap.  
6 So there is an expense associated with making them  
7 meet a severe service like that.

8                   MR. UNIKIEWICZ: Right, and the --

9                   MEMBER SIEBER: That's the way it goes,  
10 right?

11                  MR. UNIKIEWICZ: There is an experience  
12 base, and there is expertise out both internally and  
13 external that I've seen that has capability to make  
14 these types of evaluations. So there's no doubt in my  
15 mind that these evaluations can be done. I've seen  
16 them done.

17                  MEMBER SIEBER: Okay.

18                  CHAIRMAN WALLIS: Can we move on now?  
19 Jack, are you satisfied?

20                  MEMBER SIEBER: Yes. I think there's  
21 problems there, but the problem isn't with the  
22 guidance through the safety evaluation. The problem  
23 is with the difficulty at solving the problem.

24                  MR. UNIKIEWICZ: that's the fun part of  
25 engineering, I guess.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yeah, it is.

2 CHAIRMAN WALLIS: Can we move on?

3 MR. GOLLA: We have basically covered  
4 everything that we had prepared.

5 CHAIRMAN WALLIS: Thank you very much.

6 I can we move from the macro to the micro  
7 or talk about chemical effects? Is that where we are  
8 or is there someone else first?

9 MR. JOHNSON: Yes. We have done ours. We  
10 promised yesterday that we would talk a little bit  
11 about spherical --

12 CHAIRMAN WALLIS: Sure. That's fine.  
13 Thank you, yes.

14 MR. ELLIOTT: Okay. Well, good morning.  
15 Yesterday morning, if you recall, I think I made a  
16 statement that sphericals under the influence was  
17 conservative, and I gave you three reasons why I  
18 believe that to be true.

19 One of the reasons was that I pointed out  
20 that the regeneration tests had been conducted to  
21 maximize debris regeneration such that -- and the zone  
22 of influence assumed that maximum debris regeneration  
23 throughout the zone of influence regardless of the  
24 orientation of the insulation seams to the break.

25 The other two reasons I listed were that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the zone of influence neglected any shadowing effects  
2 of structures or big piping or equipment that may  
3 protect debris sources from direct impingement from  
4 the jet.

5 And then the third thing I pointed out is  
6 that the industry had pointed out yesterday, and it's  
7 my understanding they'll show you a picture later this  
8 morning of how big the zone of influence is relative  
9 to the size of the containment.

10 So what I did after you asked me to show  
11 you a little bit of data, I went back last night and  
12 tried to resurrect some information from the BWR air  
13 jet impact tests, which formulate a lot of the  
14 baseline knowledge that we have regarding debris  
15 generation.

16 Next slide, please.

17 This is the facility that they use to  
18 conduct these tests. It's basically a wind tunnel.  
19 They have a compressed air tank that pipes through a  
20 manifold and then to a nozzle located in the wind  
21 tunnel. It's a three inch nozzle. It has a rupture  
22 disk on it, and what they would do is they would set  
23 up a target pipe at a distance from the nozzle, set up  
24 the insulation, and then turn on the air through the  
25 manifold to the rupture disks. It would burst at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 approximately 1,100 psi, and then it would blow down  
2 for about six seconds and then --

3 CHAIRMAN WALLIS: Did they do any  
4 schlieren observation of the jet or anything like that  
5 so that we --

6 MR. ELLIOTT: Sorry?

7 CHAIRMAN WALLIS: Did they do any  
8 schlieren observation of the jet or have any idea of  
9 what the jet structure was?

10 MR. ELLIOTT: I'm unfamiliar with the  
11 term. What did you say?

12 CHAIRMAN WALLIS: Were there any attempts  
13 to visualize the shock pattern in the jet?

14 MR. ELLIOTT: No, I do not believe they  
15 attempted to do that. They did study the pressure  
16 downstream of the nozzle. They conducted four tests  
17 without insulation where they put a pressure  
18 transducer down the line and measured the --

19 MEMBER RANSOM: Do you have any detail on  
20 that?

21 MR. ELLIOTT: On the transducers?

22 MEMBER RANSOM: The location of the  
23 pressure taps and what they looked like.

24 MR. ELLIOTT: Well, the next slide.

25 MEMBER RANSOM: Before you leave that one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       though there are a couple of questions.

2                   MR. ELLIOTT:   Okay, okay.

3                   MEMBER RANSOM:  Do you mean the gases that  
4       you impinge on this pipe recirculated back out the  
5       transducer?

6                   MR. ELLIOTT:   Oh, I'm sorry.  Yes, good  
7       point.

8                   No.  They did not.  Well, there was some  
9       recirculation, I believe, but the end of the wind  
10      tunnel is open.  It's an open grating.

11                  MEMBER RANSOM:  This end that you're  
12      showing closed?

13                  MR. ELLIOTT:  It's shown closed, but if  
14      you actually see, there's a dimension there of about  
15      86 inches.  That's telling you the height of the  
16      actual screen.

17                  CHAIRMAN WALLIS:  That's a hole?

18                  MR. ELLIOTT:  It's a screen.

19                  CHAIRMAN WALLIS:  Oh, it's a screen.

20                  MR. ELLIOTT:  And actually I have a  
21      picture of that in one of the follow-on slides.  But  
22      there was some recirculation because we did see debris  
23      end up behind the nozzle after the test, and in fact,  
24      you see they have a video camera mounted there.  The  
25      video camera ended up not really being a useful thing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because once the debris was hit and you had a cloud of  
2 fiberglass all over the place. It was very difficult  
3 to see, at least for the fiberglass test.

4 MEMBER RANSOM: And so on this there were  
5 two measurements, one a static tap at the nozzle?

6 MR. ELLIOTT: One at the nozzle and one in  
7 the --

8 MEMBER RANSOM: One in the plenum?

9 MR. ELLIOTT: -- one in the plenum, and  
10 then they had four tests where they put a differential  
11 pressure transmitter on the pipe itself with no  
12 insulation.

13 MEMBER RANSOM: Differential?

14 MR. ELLIOTT: Yeah.

15 MEMBER RANSOM: Pipe to the atmosphere?

16 MR. ELLIOTT: Yes. Actually, no. They  
17 had, if I recall the test report correctly, they put  
18 the high pressure side on the pipe facing the nozzle.  
19 They put the low pressure I thought they said behind  
20 the nozzle, but I may remember incorrectly on that.

21 PARTICIPANT: But that's in the report.

22 MR. ELLIOTT: That's in the URG, yeah.  
23 This information is all in the URG report.

24 CHAIRMAN WALLIS: So this is a report that  
25 we have?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER RANSOM: No.

2 CHAIRMAN WALLIS: And we can get one?

3 MR. ELLIOTT: Yes.

4 CHAIRMAN WALLIS: Good. Thank you.

5 MR. ELLIOTT: And then the report is much  
6 more detailed than what I'm going to go over here.

7 I'm really looking to give you some insight about the  
8 specific statement I said about the orientation of --

9 CHAIRMAN WALLIS: Did they check the ANSI  
10 jet model in any way?

11 MR. ELLIOTT: They did some comparisons to  
12 CFD calculations that were run by Dr. Belandin  
13 (phonetic) continuing --

14 CHAIRMAN WALLIS: You have calculations of  
15 this jet?

16 MR. ELLIOTT: He ran some. They're shown  
17 in the report. They're not in my presentation.

18 CHAIRMAN WALLIS: Do they have shock waves  
19 and things like that in them?

20 MR. ELLIOTT: I do not believe that he was  
21 modeling shock waves. He was modeling the pressure a  
22 certain distance from --

23 CHAIRMAN WALLIS: But that has to take  
24 account of the structure of the jet, which is almost  
25 inevitably fully of waves and shocks.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ELLIOTT: Yes, I would believe so, but  
2 again, I didn't study that in detail for the purpose  
3 of this presentation.

4 CHAIRMAN WALLIS: So what is the purpose  
5 of the presentation?

6 MR. ELLIOTT: The purpose of the  
7 presentation is I'm trying to make a case that I told  
8 you yesterday, that the orientation of the protective  
9 jacketing on an insulation or the seams in the  
10 insulation for RMI cassettes makes a significant  
11 difference in how much debris is generated, and when  
12 they give you a destruction pressure for the debris,  
13 they did that -- forget that about destruction  
14 pressure. That's out, not really important.

15 What I'm trying to say is that the target  
16 orientation relative to the break makes a huge  
17 difference in how much debris can be generated off  
18 that particular target. Okay? And I'll give you the  
19 gauge point --

20 CHAIRMAN WALLIS: It seems to me they  
21 tested lots of things at different L over Ds.

22 MR. ELLIOTT: Right.

23 CHAIRMAN WALLIS: And then there's some in  
24 the report which says what happened? There's  
25 nothing --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ELLIOTT: Well, in the report itself,  
2 they did -- during the pretesting they call it or  
3 shakedown testing, that is when they did testing to  
4 see which orientations they should use for the  
5 jacketing, and of course, they don't provide that  
6 information in the report other than the conclusions  
7 that they drew.

8 But what I was able to find were two tests  
9 that show you how significant this impact can be, and  
10 that's what I was going to present to you.

11 CHAIRMAN WALLIS: Okay. So that's --

12 MEMBER RANSOM: What pressure were these  
13 tested at?

14 MR. ELLIOTT: About 1,100 psi, I think, if  
15 you go --

16 MEMBER RANSOM: That's the stagnation  
17 pressure?

18 MR. ELLIOTT: That's the stagnation  
19 pressure. That's correct.

20 MEMBER KRESS: Why did they do these in a  
21 wind tunnel?

22 MR. ELLIOTT: All I can tell you is it  
23 just was a facility that's available that could be  
24 modified quickly to produce what they needed. We  
25 similarly took over the facility after the owner's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 group was done and modified it to do some of our  
2 transport studies testing.

3 MR. LATELLIER: It also provides a  
4 confinement volume for picking up the pieces. These  
5 types of tests are very messy when you're talking  
6 about recoverable fractions and determining size  
7 distributions.

8 MEMBER KRESS: Yes, and it also may affect  
9 the jet dynamics of those.

10 CHAIRMAN WALLIS: It is fairly big  
11 compared with the nozzle.

12 MEMBER KRESS: Yeah, it does look like  
13 it's big.

14 MR. ELLIOTT: Yeah, it's a ten foot  
15 diameter.

16 MEMBER KRESS: Yeah, it could be an  
17 infinite size basically.

18 MR. ELLIOTT: The table here just gives  
19 what we've already discussed, what type of pressure  
20 measurements they took.

21 CHAIRMAN WALLIS: They take pressure  
22 measurements on the target?

23 MR. UNIKEWICZ: They did pressure  
24 measurements on the target without insulation and then  
25 used CFD code.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Okay.

2 MR. UNIKIEWICZ: Used that to independently  
3 verify that their CFD codes predicted the pressure.

4 CHAIRMAN WALLIS: They had a hole in the  
5 pipe or something?

6 MR. UNIKIEWICZ: That's correct.

7 And then the last instrument obviously is  
8 the scale that they used to measure before the test  
9 the amount of insulation and then afterwards the  
10 amount of debris, and they broke that debris up into  
11 small fines and large pieces and give independent  
12 masses for that.

13 And you'll see that in almost every test  
14 they were unable to recover all of it. As I noted,  
15 there's a screen at the end of the facility, and so  
16 they assumed that it went out the screen and was  
17 fines, and they added it, that missing mass, to the  
18 fines.

19 The next four slides, I'm not going to go  
20 into them in great detail. I just wanted to show you  
21 that they conducted 77 tests.

22 CHAIRMAN WALLIS: Lots of tests, yeah.

23 MR. UNIKIEWICZ: All different kinds of  
24 insulation. TPI is Transco Products, Incorporated.  
25 You have NUKON. You have various types of fiberglass,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Temp-Mat, K-Wool, and calcium-silicate.

2 CHAIRMAN WALLIS: So the seam was on the  
3 back side. They gave the best --

4 MR. UNIKIEWICZ: Well, it depends. What  
5 they found in their pretesting was that, depending  
6 upon the type of insulation that you're using, the  
7 orientation could -- yeah, go back one more slide --  
8 the orientation that creates the most debris  
9 generation is different.

10 For fiberglass, which is typically  
11 insulated by a single jacket with one seam that wraps  
12 all the way around the insulation and the pipe and has  
13 one seam in it, they found that orienting the  
14 insulation at the nine o'clock position, which is 180  
15 degrees away from the nozzle --

16 CHAIRMAN WALLIS: That's the back side.

17 MR. UNIKIEWICZ: The back side.

18 CHAIRMAN WALLIS: Three o'clock is the  
19 stagnation --

20 MR. UNIKIEWICZ: Three o'clock is facing  
21 the nozzle.

22 -- gave them the maximum debris  
23 generation. Okay. So that's contrary to what I told  
24 you yesterday. I got it backwards yesterday. I think  
25 Bruce corrected me.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER RANSOM: Where was the seam again?

2 MR. UNIKEWICZ: So the seam was on the  
3 opposite side of the pipe from --

4 MEMBER RANSOM: The jet?

5 MR. UNIKEWICZ: -- from the jet.

6 MEMBER RANSOM: On the back side?

7 MR. UNIKEWICZ: On the back side. Okay?

8 But for reflective metallic insulation, which is  
9 typically two crescent pieces of half pieces that are  
10 joined together so that there's two seams in it, they  
11 found they got the greatest generation when they  
12 oriented the seam in the plane of the jet at the three  
13 and nine o'clock positions.

14 CHAIRMAN WALLIS: So it's front and back.

15 MR. UNIKEWICZ: That's correct.

16 CHAIRMAN WALLIS: So you can't tell which  
17 one's the actor?

18 MR. UNIKEWICZ: Not really.

19 CHAIRMAN WALLIS: But you've got two  
20 seams?

21 MR. UNIKEWICZ: Yeah, there's two seams  
22 because there's two -- clam shell is what they call  
23 it. So there's a hinge, and then a latch mechanism on  
24 the front side to tie it together.

25 So what I chose is looked for two tests

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that could help me demonstrate the point of how much  
2 of an effect this can have, and the first test that  
3 I'd like to show you is Test 31-1, which was conducted  
4 at a test of seven and a half L over D with NUKON  
5 insulation, steel jacketing, banded by a standard  
6 NUKON steel jacket which had its own latch mechanisms  
7 built in.

8 Then in addition to that, they put on nine  
9 heavy duty stainless steel bands. So they were  
10 intentionally trying to show or demonstrate that  
11 banding could make a significant difference in  
12 improving the amount of debris generation or reducing  
13 the amount of debris generation.

14 The standard seams on the jacketing, the  
15 PCI jacketing for this test were at the 12 and six  
16 o'clock positions, if I have this highlighted correct.

17 CHAIRMAN WALLIS: Okay. Well, let's --

18 MR. UNIKIEWICZ: Okay.

19 CHAIRMAN WALLIS: And they found out what  
20 happened.

21 MR. UNIKIEWICZ: Okay, and then they  
22 blasted it, and you can see that at the table at the  
23 bottom of the page there, they got 21.7 percent of  
24 fines, eight and a half percent of large, and then the  
25 remaining that was just a big blanket was about 69.8

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 percent.

2 The next slide shows you the pretest set-  
3 up.

4 CHAIRMAN WALLIS: What L over D? This is  
5 seven over D. Okay.

6 MR. UNIKEWICZ: Okay. And then the  
7 following slide shows you the post test.

8 CHAIRMAN WALLIS: A different test.

9 MR. UNIKEWICZ: Okay.

10 CHAIRMAN WALLIS: It's a different test.

11 MR. UNIKEWICZ: No, that's a typo on my  
12 part. No, 33.1, that's right, isn't it? Oh, 31.1.  
13 It's a typo on my part. I apologize for that.

14 That is post test for this test.

15 CHAIRMAN WALLIS: So it blew off something  
16 on the sides, not in the middle?

17 MR. UNIKEWICZ: Oh, it blew off the middle  
18 and what's on the sides was kind of shoved down to the  
19 side.

20 CHAIRMAN WALLIS: What's left.

21 MR. UNIKEWICZ: Yeah, what's left.

22 And if you go to the next page --

23 CHAIRMAN WALLIS: Well, it indicates there  
24 might be big flaps of metal coming off.

25 MR. UNIKEWICZ: Yeah, and you'll see that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this is the screen down at the end of the wind tunnel,  
2 and you can see the amount of small debris. It  
3 doesn't show as well there as it does on the handout,  
4 I think, but you can see it all on the floor of the  
5 wind tunnel, and that was like that pretty much all  
6 the way down the floor.

7 The second test they conducted, 31.3, was  
8 conducted at 5L over D. So this was actually 2L over  
9 D closer than the previous test like I showed you, but  
10 in this case, the bands were at the nine o'clock  
11 position.

12 I highlighted the wrong line, but if you  
13 look at the jacketing was installed with two inch  
14 overlap. The jacket lap strikes at the nine o'clock  
15 position. Okay? So this is closer where you would  
16 expect there to be more debris generation, but in  
17 reality the only thing that was different is where  
18 those latches and strikes were, and in fact, it was  
19 closer, and you only got 5.4 percent debris generation  
20 and no large pieces at all.

21 And if you'll look at the picture on the  
22 next page, well, the next page is pretest and then --

23 CHAIRMAN WALLIS: Well, this is all very  
24 interesting and it shows the different results  
25 depending on various things, but why does this support

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your conclusion?

2 MR. UNIKIEWICZ: Well, the primary  
3 difference between these two tests is the orientation  
4 of the jacketing.

5 CHAIRMAN WALLIS: So how you orient the  
6 latches makes a difference.

7 MR. UNIKIEWICZ: That's the point I'm  
8 trying to make.

9 CHAIRMAN WALLIS: What has that got to do  
10 with the ZOI being conservative?

11 MR. UNIKIEWICZ: Because the ZOI assumes  
12 that you're getting -- that all of the insulation is  
13 oriented in the worst case situation regardless of  
14 which way it really is oriented.

15 CHAIRMAN WALLIS: Yes, but that has  
16 nothing to do with turning a jet into a sphere.

17 MR. UNIKIEWICZ: Well, there's three  
18 pieces. All right. Okay. What I'm answering and  
19 what you're asking me to answer were not the questions  
20 -- is not what I went back to research last night. I  
21 didn't go back to show you data that it would be a  
22 sphere.

23 CHAIRMAN WALLIS: What you're showing me  
24 is that there has been a substantial amount of work  
25 done, and that quite a few things influence the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 answer, and presumably it is all being pulled together  
2 into something that gives guidance somewhere, in some  
3 chart, but I don't quite understand why it is relevant  
4 to your conclusion.

5 I thought the question we were asking is  
6 is it reasonable to turn a directional jet into a  
7 sphere.

8 MR. UNIKEWICZ: Okay. That's not what I  
9 understood, and that was not what I was talking about  
10 when I made my statement. So I apologize for wasting  
11 your time.

12 MEMBER RANSOM: Well, I have a couple of  
13 questions. Was there any attempt to account for the  
14 fact that these were 1,000 psi instead of 2,200?

15 MR. UNIKEWICZ: Well, 1,000 psi is  
16 representative of the BWR, and they did do some --

17 MEMBER RANSOM: So this would be applied  
18 to BWR, but not necessarily PWRs?

19 MR. UNIKEWICZ: That's correct.

20 MEMBER RANSOM: And the other thing is as  
21 it's related to the ANSI jet model.

22 MR. UNIKEWICZ: It wasn't related to the  
23 ANSI jet model specifically. As I said, Continuum  
24 Dynamics ran their own CFD calculations about what the  
25 pressurizer bars would be in the wind tunnel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER RANSOM: And there were no  
2 measurements on the target itself, I assume.

3 MR. UNIKEWICZ: Not with insulation on it.  
4 Okay? The insulation, I think, created problems.  
5 It's my recollection that having the pressure  
6 transducer and all of the insulation there --

7 MEMBER RANSOM: Even without the  
8 insulation, what did they do?

9 MR. UNIKEWICZ: Without the insulation,  
10 they took four measures at four different distances  
11 and used those to confirm CFD calculation predictions.

12 MEMBER RANSOM: Were they under --

13 MR. UNIKEWICZ: They're on the front of  
14 the pipe.

15 MEMBER RANSOM: Static tap on the front of  
16 the pipe, I guess.

17 MR. UNIKEWICZ: Well, I thought it was a  
18 differential pressure gauge.

19 MEMBER RANSOM: Well, it may have been  
20 differential pressure from the front of the pipe to  
21 the atmosphere, I guess.

22 MR. UNIKEWICZ: Yes. Okay, and as I said,  
23 they used that to confirm the predictions that they  
24 made in CFD calculations.

25 MEMBER RANSOM: All that data in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reports.

2 MR. UNIKEWICZ: The report gives,  
3 basically because they were interested in debris  
4 generation, the report gives a lot of detail about the  
5 debris generation aspect of it. It gives examples of  
6 the CFD calculations and a description of what they  
7 were doing.

8 MR. ARCHITZEL: Those test are in there,  
9 Rob. Those four tests are in that report also.

10 MR. UNIKEWICZ: Yeah, the four tests  
11 without insulation where they actually predicted what  
12 the pressure would be, yes, those tests are in there.  
13 The results of those tests are in there.

14 CHAIRMAN WALLIS: Well, I think we have  
15 got to move on. We were glancing through this. We  
16 don't see -- my colleague, Vic Ransom, has very nice  
17 pictures of the calculations of the jet, and we're  
18 looking for something similar, but we haven't seen it,  
19 but we have time to go into that.

20 MR. UNIKEWICZ: Okay. I do want to point  
21 out in the URG though there are separate calculations  
22 that the owner's group did show. There are CFD  
23 calculations to show what the zone of influence would  
24 really look like.

25 CHAIRMAN WALLIS: Okay. I think we've got

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 to move on. Thank you very much.

2 MEMBER RANSOM: Who did this work?

3 MR. UNIKIEWICZ: Alan Boanin (phonetic)  
4 from Continuum Dynamics.

5 CHAIRMAN WALLIS: We've got to move on.

6 MEMBER RANSOM: And did they do the CFD  
7 work also?

8 MR. UNIKIEWICZ: They did the CFD work  
9 also. He was the --

10 MEMBER RANSOM: Do you know what code they  
11 used?

12 MR. UNIKIEWICZ: NPARC.

13 MEMBER RANSOM: NPAR?

14 MR. LATELLIER: NPARC. One final  
15 statement is that in comparison to the ANSI jet model  
16 we have compared the equivalent spherical volumes  
17 obtained from NPARC to those obtained from the ANSI  
18 jet model, and the ANSI jet is very conservative,  
19 especially for low --

20 MEMBER RANSOM: Where is that documented?

21 PARTICIPANT: Appendix I.

22 MR. LATELLIER: No, actually the best  
23 documentation is in Volume 3 of the supplement to the  
24 parametric evaluation.

25 PARTICIPANT: The reporter number 6367.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER RANSOM: Is that a NUREG report?

2 MR. LATELLIER: Yes, it is, and I have a  
3 copy I'll share with you.

4 CHAIRMAN WALLIS: Rick, are you going to  
5 look at these before before we meet again? It would  
6 be very helpful if you could give us some comment  
7 about what they show you and how they are related to  
8 some of your concerns.

9 So the next topic is an interesting one if  
10 Ralph is still here and willing to talk.

11 MR. ARCHITZEL: I was going to talk over  
12 here and not talk about it. Actually I'll try and  
13 save time or recover time for you if you want.

14 CHAIRMAN WALLIS: It depends on how many  
15 interesting things you have to say.

16 MR. ARCHITZEL: My name is Ralph Architzel  
17 and with me is Paul Klein from the Chemical  
18 Engineering Branch, the technical lead for this topic.

19 If I can go to the summary slide one more  
20 time, I'll try and do this. Guidance report, Section  
21 7.4 does introduce the chemical effects topic, but it  
22 does defer guidance until testing is complete. The  
23 test results are needed to provide a technical basis  
24 for the resolution of this issue. The safety  
25 valuation indicates that licensees should address

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plant specific chemical effects if they're not covered  
2 by plant testing.

3 The licensees also should add  
4 conservatisms -- this is in the SE -- if sump  
5 modifications are engineered prior to the knowledge of  
6 the chemical effect test results. Those are  
7 statements that are in the safety valuation.

8 Go to the next slide, please.

9 The guidance report introduces the  
10 potential problems of chemical reactions in the post  
11 LOCA environment. These can contribute to the  
12 blockage of ECCS pump screens and increase the  
13 associated head loss across the screens.

14 The concern was raised by the ACRS that an  
15 adequate technical basis should be developed to  
16 resolve the issues related to chemical reactions.  
17 This was in your letter of September 30th, 2003.

18 The foundation of this concern was an  
19 observation of gelatinous material that had been  
20 observed and a water sample taken from the Three Mile  
21 containment following the accident in 1979.

22 As a result of that concern, Los Alamos  
23 did do a limited scope study to evaluate the potential  
24 chemical effects. Now, the committee knows this  
25 background. Basically it did demonstrate under sort

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of artificial conditions that you could induce  
2 precipitation of metal salts and results would  
3 indicate a gelatinous form, and there was associated  
4 high head loss associated with creating those products  
5 on those samples.

6 CHAIRMAN WALLIS: But there was no link  
7 between the actual corrosion tests and the gelatinous  
8 precipitant. The gelatinous precipitant was kind of  
9 artificially made with --

10 MR. ARCHITZEL: That's the point at the  
11 bottom. There was no integrated testing to say if you  
12 could form it would it transport, and the reason  
13 was --

14 CHAIRMAN WALLIS: Now, have you looked at  
15 the result of these tests, Ralph?

16 MR. ARCHITZEL: Am I going into them now?

17 CHAIRMAN WALLIS: Have you looked at the  
18 results?

19 MR. ARCHITZEL: I've looked at the  
20 results. They were very high --

21 CHAIRMAN WALLIS: You realize that they're  
22 very inclusive. The results are all over the place.  
23 They're rather like the preliminary tests of head  
24 loss, which are very difficult to explain, and so I'm  
25 a bit concerned about going into a test plan which is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 too locked in just to testing without thinking about  
2 what you're doing and maybe doing supplementary work  
3 to figure out what's happening and things like that.

4 MR. ARCHITZEL: There was an awful lot of  
5 thought that went into the tests that --

6 CHAIRMAN WALLIS: But there was very  
7 little by way of conclusive results.

8 MR. ARCHITZEL: I'm not talking about the  
9 tests.

10 CHAIRMAN WALLIS: Oh, I know the joint  
11 industry test plan. I've studied it, and I'm  
12 concerned about them being locked into just slavishly  
13 testing something without thinking about it and  
14 without saying, "Gee, whiz, we're getting some strange  
15 results. We'd better look at what's happening."

16 MR. ARCHITZEL: I disagree that it was  
17 quite -- there was a lot of work that went into  
18 looking at the parameters, how they're representative,  
19 what's in the plants, scaled to the plants.

20 CHAIRMAN WALLIS: But they're arbitrary,  
21 not looking at cal-sil, for instance. There's no cal-  
22 sil test planned.

23 MR. KLEIN: Actually there will be cal-sil  
24 tested in the --

25 CHAIRMAN WALLIS: It's not in the test

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plan though, is it?

2 MR. KLEIN: I believe it is.

3 CHAIRMAN WALLIS: It says "could be  
4 extended to cal-sil" or something, unless it has been  
5 changed. Has it been changed?

6 MR. KLEIN: Well, of the approximately  
7 half of the tests that are coming up will use  
8 calcium --

9 CHAIRMAN WALLIS: I'm sorry. The test  
10 plan must have been changed from what I saw.

11 MR. ARCHITZEL: It has been changed quite  
12 a bit.

13 CHAIRMAN WALLIS: The test plan says test  
14 for lead and chlorine, but there seemed to be no way  
15 of putting lead and chlorine in at the beginning. So  
16 where does it come from?

17 There's a whole lot of things like that.  
18 I don't want to go into the test plan, but just make  
19 sure that you guys think about this test plan and look  
20 for things like that, otherwise you may get very  
21 confusing results which don't lead to resolving an  
22 issue.

23 It's a difficult problem. Preliminary  
24 tests show that it really is difficult. Strange  
25 things happen. Some samples gain weight; some lose

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 weight, and in an erratic way. There's no trends with  
2 temperature, and so. There's a whole lot of confusing  
3 stuff, and chemistry isn't easy, especially when you  
4 have a lot of different things that can go on.

5 So I just warn you that this has to be  
6 done very carefully and thoroughly and right because  
7 I'm sure it will come back to us some day.

8 MR. ARCHITZEL: Well, sir, I don't know if  
9 I should make the comment. I would think we'd have to  
10 come back to you with results of those chemical tests  
11 and what we're doing with them, but --

12 MR. MAYFIELD: Perhaps if I could, this is  
13 Mike Mayfield from the staff.

14 Professor Wallis, I guess I have to feel  
15 compelled to take some exception to your  
16 characterization of no thought having gone into this.  
17 I believe the staff and the industry have, in fact,  
18 invested a significant amount of thought into both the  
19 test plan, the test setup and the conduct of the test.

20 CHAIRMAN WALLIS: I don't think you  
21 understood my sentence. I said a lot of work had gone  
22 into this planning, but if you slavishly follow the  
23 plan without having a chance to think about what the  
24 results show you as you do the test --

25 MR. MAYFIELD: And again, I don't quite

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what research experiments at least out of my division  
2 that you're citing as we slavishly follow a test plan,  
3 but that's not the way we conduct research in my  
4 division.

5 CHAIRMAN WALLIS: Good. Thank you.  
6 That's good.

7 MR. MAYFIELD: And we do reevaluate things  
8 as we go along and as we learn things. Version 12 of  
9 test matrix does, in fact, include cal-sil. I don't  
10 know what version you have.

11 CHAIRMAN WALLIS: We have the version that  
12 simply said cal-sil was an option for later or  
13 something.

14 MR. MAYFIELD: It is specifically in the  
15 test conditions.

16 CHAIRMAN WALLIS: I'm very glad to hear  
17 it. Thank you. That's good.

18 MR. KLEIN: I think another point worth  
19 making is that there's an intentional step in the test  
20 process after the first test to reflect upon results  
21 of the first test.

22 CHAIRMAN WALLIS: You see, we haven't seen  
23 any of that. All we saw was what looked like a very  
24 limited and very constrained looking test plan. Maybe  
25 we have got the wrong information.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. MAYFIELD: Again, we would be happy to  
2 come back and brief you, and we can certainly provide  
3 you the current version of the test plan. If you  
4 would like a briefing on what we are doing, we would  
5 be happy to do so.

6 CHAIRMAN WALLIS: I think that would help  
7 to reassure us. Right, because we did look at the  
8 results of the preliminary test, and we said, look,  
9 this is sort of --

10 MR. MAYFIELD: All we were trying --  
11 excuse me for interrupting. All we were trying to do  
12 with those preliminary tests was decide whether this  
13 was even conceivable. We couldn't argue it away based  
14 on the tests in a beaker, and so we said now we've got  
15 to go back and do this in a more scientific, well  
16 orchestrated fashion. So the initial rounds were  
17 simply can we argue this issue away. We couldn't  
18 argue it away based on those very limited tests, and  
19 so we had to make the investment to go back and do a  
20 more scientific approach to this.

21 CHAIRMAN WALLIS: Well, Mike, just to give  
22 you an example, in the preliminary tests, you did a  
23 lot of tests and then found out at the very end that  
24 silica had a big influence, and this was a discovery,  
25 and I hope that when you do the big test plan, that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you have real room for making discoveries and thinking  
2 about what they mean. That's all I'm saying.

3 MR. MAYFIELD: And we agree. And we have  
4 brought --

5 CHAIRMAN WALLIS: That's all I'm saying.

6 MR. MAYFIELD: -- a lot of additional  
7 talent to bear on these tests, on the integrated test  
8 series to try and capture that exact, those kinds of  
9 issues, as we go along. We're not in a position time-  
10 wise or cost-wise to iterate on this a lot.

11 It's an important issue. We agree, and  
12 we're making a significant investment in staff and  
13 contractor expertise to look at the results as we go  
14 along.

15 CHAIRMAN WALLIS: In terms of resolving  
16 the GSI, this is really still sort of an open  
17 question. There's research going on. You're trying  
18 to get answers, which is very appropriate, but there  
19 aren't answers yet. So industry is left sort of not  
20 quite knowing where they are.

21 MR. MAYFIELD: Well, the industry is in  
22 the same boat we're in. These are tests being  
23 conducted as part of a cooperative program, and they  
24 have been involved with us in looking at the test plan  
25 and the test conduct as it has been put together.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 This is something that caught all of us somewhat late.  
2 We do appreciate the fact the committee raised it  
3 because it has become a potentially important issue,  
4 and we've been scrambling pretty hard to put together  
5 a program that addresses the issue in a comprehensive,  
6 technically defensible way.

7 CHAIRMAN WALLIS: When I think about the  
8 thin bed effect, this was a surprise. Someone had to  
9 figure out what to do when they found it. This could  
10 well happen with these chemical effects, too.

11 MR. MAYFIELD: That's correct.

12 CHAIRMAN WALLIS: And then you're going to  
13 be in a position where -- I don't know what you're  
14 going to be in the position of. You may actually have  
15 approved some plants and then found out that there  
16 were effects that they should have considered that  
17 they didn't.

18 MR. MAYFIELD: We believe that the results  
19 will come out of this in a time frame to support the  
20 industry's redesign of screens and their reevaluation  
21 of the sump capabilities, but there is a potential in  
22 all of these things for some new bit of information to  
23 come out at the eleventh hour and surprise us, and I  
24 think the staff is fully aware of that, and I'm quite  
25 sure the industry is as well.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           There has been a serious effort to try and  
2 put together a program to capture these effects so  
3 that we don't get surprised, but you know as well as  
4 I thing happen. You learn as you go along.

5           CHAIRMAN WALLIS: I don't want to put you  
6 in the defensive at all. I think you're doing good  
7 work here. But I just want to see how it fits in with  
8 the resolution of this issue. It seems to be an  
9 unanswered area with potential for having a big impact  
10 down the road.

11           MR. MAYFIELD: Yes.

12           CHAIRMAN WALLIS: And we don't really have  
13 much of a clue about where we are in it at the moment.

14           MR. MAYFIELD: Today --

15           CHAIRMAN WALLIS: The preliminary test  
16 didn't really show us anything conclusive.

17           MR. MAYFIELD: At -- what is it? -- 11:15  
18 on this day, I have to agree with you. Today I can't  
19 put an answer -- give you an answer to the issue.  
20 What I can tell you is there's a lot of work going on  
21 on a fast pace, which brings with it its own potential  
22 pitfalls, just the pace of things, but there's a hard  
23 effort going on to try and bring useful information to  
24 the table in a time frame to support the industry's  
25 reevaluation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: So the industry cannot  
2 do anything about this until you come up with some  
3 results?

4 MR. MAYFIELD: Well, it's not just me, but  
5 I wouldn't say they can't do anything, but I would say  
6 that the definitive data are going to be coming out in  
7 the next few months. What data we're able to generate  
8 will be coming out in the next few months, and I think  
9 that people can be making some progress towards  
10 reevaluating this issue absent the final word on  
11 chemical effects.

12 But there is the potential that at the end  
13 of the day you have to revisit some of what's already  
14 been done.

15 MR. SOLORIO: Dr. Wallis, Dave Solorio.

16 I'd just like to add to what Mike said by  
17 reminding you about the generic letter. We're giving  
18 licensees until October of next year to provide their  
19 responses. So if this information is able to be  
20 finished in a few more months, they'll have a good  
21 amount of time to consider it in their solution.

22 MR. ARCHITZEL: If I could continue on the  
23 slides, on Slide 5, there's been some thought to how  
24 you look at what species you do have, and we took a  
25 reasonable representative in this test program set of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 chemical conditions for the plants, but we also looked  
2 at the thermal hydraulic program that will allow, when  
3 it's validated, will allow some extrapolation for  
4 conditions.

5 So we have an ability to look and assess  
6 the ability to extrapolate the conditions so that it's  
7 not bounded or there's not the dilemma of bounding the  
8 conditions.

9 CHAIRMAN WALLIS: Did these small scale  
10 tests relate in any way to the OLI program? Did they  
11 help you? Did they confirm or deny or did they have  
12 any relationship whatever to the OLI program when it  
13 turned out they were finished?

14 MR. KLEIN: They're still in process. I  
15 think we tried to take a measured approach of  
16 validating the OLI program for our particular  
17 environment, and that started with a look at available  
18 literature and then proceeded to beaker test, and we  
19 have autoclave testing planned and in progress, and --

20 CHAIRMAN WALLIS: Well, these are not the  
21 small scale tests that have been finished. You're  
22 going to do some more ones?

23 MR. ARCHITZEL: We're not talking about  
24 the chemical precipitation tests. There's a series of  
25 tests with the program that was used that confirms

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that it can predict the species and speciation.

2 CHAIRMAN WALLIS: I'm sorry because there  
3 were small scale corrosion tests already performed.

4 MR. ARCHITZEL: You're talking metal  
5 participation tests. These are different here, I  
6 think.

7 MEMBER KRESS: If you feel compelled to  
8 prove that a chemical equilibrium program could do its  
9 job in gas phase reactions?

10 MR. KLEIN: Well, I think we recognize  
11 that's one of the challenges with trying to apply that  
12 type of program to this situation. On the other hand,  
13 some of the early validation is encouraging, and I  
14 think the staff would like to, if possible, have a  
15 toll that enables us to look outside the ultimate  
16 conditions that are tested so that when a licensee  
17 would come in with a submittal that had conditions  
18 outside the test, we might have a means to which to  
19 evaluate that.

20 MEMBER KRESS: My point was just the  
21 opposite, that I would have had absolute faith in a  
22 thermodynamic equilibrium program to evaluate these  
23 kinds of chemical reactions with checking it out.

24 MR. ARCHITZEL: Dr. Csontos, you had a  
25 comment on that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. CSONTOS: Yes. Al Csontos, NRC, NSS.  
2 We're using this code for Yucca Mountain,  
3 looking at chemical precipitation, and this code has  
4 been validated for those chemical precipitations that  
5 are more geologic based.

6 We're in the process of doing these for  
7 metallic corrosion issues with respect to validating  
8 the code to, let's say, metallic products, and then  
9 those products are then placed into solution in the  
10 code, and then it runs through its calculations.

11 Now, granted this is a thermodynamic  
12 program. So it's not a kinetics based program.  
13 However, we can't get validation, and we've done  
14 validation, that have shown that this is very -- that  
15 especially for I think it's boron that the solubility  
16 of boron is very well modeled in this OLI code.

17 We're also doing this for other  
18 literature, data sets for similar type of metal  
19 species, and then also for actual corrosion tests that  
20 we're running now, and also in the past we also did it  
21 for just beaker tests, and we're working on an  
22 autoclave test to validate this code for these  
23 conditions here.

24 MEMBER KRESS: These are condensed phase  
25 reactions you're talking about.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. CSONTOS: In liquid?

2 MEMBER KRESS: In liquid, yeah.

3 MR. CSONTOS: Yes, and that's why we do an  
4 auto --

5 MEMBER KRESS: You're right. You probably  
6 would need some validation for this.

7 MR. CSONTOS: Yeah, that's what's going on  
8 right now. We have already validated for beaker tests  
9 and the literature tests, and they've done really well  
10 in those.

11 And with respect to the small scale  
12 corrosion tests, those are running right now at  
13 Southwest Research Institute. The corrosion tests are  
14 used. Right now the corrosion rates are not well  
15 developed. We have some that are from the literature,  
16 but the corrosion rates are for, for example,  
17 concrete. We really just do not have an idea of what  
18 species from concrete leach out.

19 So we're working on this small scale  
20 corrosion test. They're opposite to what was going on  
21 at LANL before, which was using the metallic salts to  
22 form the bed and to get the chill formation there.

23 CHAIRMAN WALLIS: Does OLI have properties  
24 of cal-sil?

25 MR. CSONTOS: Well, the cal-sil and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 NUKON are an agglomeration of different ceramic type  
2 materials.

3 CHAIRMAN WALLIS: Are they studying cal-  
4 sil has all kinds of binders and stuff in it?

5 MR. CSONTOS: Well, that's true, but from  
6 what we can gather, we're not taking into account the  
7 binders per se because the binders would have  
8 outgassed from the heat generator from the pipes.

9 CHAIRMAN WALLIS: Well, what concerns me  
10 is that all of these things interact, and all of these  
11 materials are in there together, and a small amount of  
12 chlorine or something coming from some particular  
13 ingredient can have an effect on what happens.

14 MR. CSONTOS: And that's what the beauty  
15 of this code is, is that you can go in and  
16 manipulate --

17 CHAIRMAN WALLIS: Well, you have to know  
18 that it's there.

19 MR. CSONTOS: Well, you have to know that  
20 it's there, but you can also add it into the program  
21 to then see what effects -- to give yourself a brisk  
22 baseline to determine that, oh, if you do have  
23 hydrochloric acid in there, what effects will it have  
24 on the actual final species that come out that could  
25 lead to --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: So you have an advisory  
2 panel or something, peer review?

3 MR. CSONTOS: Yes, ASNW.

4 CHAIRMAN WALLIS: Because there was some  
5 good peer reviewers on the preliminary tests, but I'm  
6 not sure that all of their advice was appreciated in  
7 the final report. Maybe there wasn't time to use it,  
8 but there I thought I caught a few good suggestions.  
9 I thought that really knowledgeable experts are  
10 involved.

11 MR. ARCHITZEL: You're talking about the  
12 ICETEA (phonetic) test program was peer reviewed.  
13 That was peer reviewed.

14 CHAIRMAN WALLIS: Yeah, but the peer  
15 reviewers, I think, had a lot of good points about  
16 which group should be taken into account in applying  
17 the next test, but just to sort of make sure that, you  
18 know, this has all of the checks that it needs so that  
19 it's a really good piece of work.

20 MR. CSONTOS: And I brought up the ACNW  
21 because we have gone through the ACNW several times  
22 with OLI code calculations pre-Yucca Mountain, and if  
23 you want to look at their staff and talk to them, they  
24 gave you some more information on the OLI code.

25 MR. MAYFIELD: Professor Wallis, this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 might make it. One of the points I guess I would like  
2 to try and make, and it goes back to your issue of  
3 making sure we're bringing in the right people, and  
4 what we've done is reached across the agency out to  
5 NMSS because they had a tool that looked like it could  
6 be very useful in helping evaluate this issue, and  
7 we're doing some work now to make sure that we can  
8 rely on that tool.

9 CHAIRMAN WALLIS: Well, could you please  
10 also bring in -- I think you did in the small scale  
11 test -- at least to review the results some really  
12 good experts from the outside world, not just within  
13 the nuclear community, but people who have a lot of  
14 dealings with chemical mixtures of stuff and a lot of  
15 experience.

16 MR. MAYFIELD: Of course, there are people  
17 in the nuclear industry that do understand chemistry,  
18 but --

19 CHAIRMAN WALLIS: Yes, but it's useful to  
20 have someone who deals with it also outside because  
21 you bring in --

22 MR. MAYFIELD: I understand.

23 CHAIRMAN WALLIS: Okay.

24 MR. HSIA: We have for this project,  
25 ICETEA project, Professor Griffith from MIT and Bob

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Lippman, who both of them will be looking at the test  
2 plan, will follow the test, and also --

3 CHAIRMAN WALLIS: Well, Griffith is not an  
4 expert on chemistry. So you need to --

5 MR. HSIA: I understand that. I know  
6 that, but he's an expert in thermal hydraulics and  
7 system.

8 MR. MAYFIELD: You understand that there  
9 are large scale integrated tests that are being --

10 CHAIRMAN WALLIS: Has the loop been built?

11 MR. HSIA: The first test has --

12 CHAIRMAN WALLIS: The first test has been  
13 run?

14 MR. HSIA: The first test is within two  
15 weeks. It was set yesterday.

16 CHAIRMAN WALLIS: Good.

17 MR. CARUSO: MR. ARCHITZEL: With the next  
18 two weeks, as we heard yesterday, the first test  
19 should be started. There needs to be a shakedown  
20 period before that as well.

21 CHAIRMAN WALLIS: Well, I think -- oh,  
22 well, forget it.

23 MEMBER KRESS: Those slides still test  
24 assimilated conditions in the containment?

25 MR. ARCHITZEL: Scaled.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Sprays, scaled?

2 MR. ARCHITZEL: There's a spray aspect to  
3 it, and a limited amount of time for the spray, but I  
4 think it's a 30-day duration test, but it's not wetted  
5 the whole time.

6 MR. KLEIN: The amount of material and  
7 distribution materials is scaled based on industry  
8 input.

9 MEMBER KRESS: The scaling unit, was it  
10 scaled according to the surface areas of the materials  
11 that you expect to be interacting?

12 MR. KLEIN: Yes.

13 MR. ARCHITZEL: In the coolant above the  
14 pool, you know.

15 MEMBER KRESS: Versus the spray flow rate?

16 MR. ARCHITZEL: Versus the air. No, not  
17 the display. It's the volumes. So you've got a  
18 sprayed volume that's interacting for a short period  
19 of time, and you have a wetted volume with the pool.

20 So it's how many things are in the pool,  
21 how many things in the dry environment that could be  
22 wetted. Those are the two separate scalings that were  
23 done.

24 Do you understand what I'm saying?

25 MEMBER KRESS: Yeah, I understand.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARCHITZEL: Because the chemical  
2 reactions are limited in the sprayed environment.  
3 After all, you don't have any sprays to knock it back  
4 down.

5 MR. KLEIN: The amount of material was  
6 scaled based upon plant surveys and what was typically  
7 done was to take the high end of the amount of each  
8 given material and then the low end of sump volume in  
9 order to produce a scaling factor to reproduce in the  
10 test.

11 CHAIRMAN WALLIS: And then if I  
12 understand, the materials are not allowed to touch  
13 each other. They're dangling in this in some way?

14 MR. KLEIN: Yes. The materials are --

15 CHAIRMAN WALLIS: In the real plant  
16 they're in a sort of sludge or something in the bottom  
17 of a sump?

18 MR. KLEIN: The materials are placed  
19 within holder racks, and they are not in contact with  
20 each other.

21 CHAIRMAN WALLIS: You're trying to prevent  
22 any galvanic behavior which is possible in a plant.  
23 For some reason you're excluding galvanic effects?

24 MR. KLEIN: Well, our test setup uses a  
25 stainless vessel, and material coupons (phonetic) in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 close proximity to each other, and our judgment was if  
2 we try to galvanically couple all of the materials, we  
3 may produce results that are not representative of the  
4 plant because test coupon arrangement could influence  
5 the galvanic effects dramatically in that type of  
6 setup, and the mixed potential that could happen from  
7 contact with the stainless vessel may also not be  
8 representative of a plant containment sump.

9 MR. MAYFIELD: Professor Wallis, if I  
10 could, we're trying real hard to not make a first year  
11 graduate student kind of error in mixing too many  
12 variables all at one time. So we're starting out --  
13 we started out with these tests, the beaker test. Can  
14 we make this go away?

15 The answer was no, not by inspection. So  
16 let's go back, do a, quote, integrated test, carefully  
17 controlled conditions, and take the next step.

18 CHAIRMAN WALLIS: Well, you see my --

19 MR. MAYFIELD: You're raising a good point  
20 about the potential for interactions. There's no  
21 dispute about that.

22 CHAIRMAN WALLIS: You had trouble  
23 explaining any of the results from the simple test  
24 with one material, which was zinc, but I don't want to  
25 get into that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. MAYFIELD: Well, you want us to go  
2 back and explain a test that I don't think any of us  
3 were all that happy with.

4 CHAIRMAN WALLIS: Right.

5 MR. MAYFIELD: So that's a challenge that  
6 I'm not sure any of us are up to.

7 CHAIRMAN WALLIS: There is a possibility  
8 that the results of these tests are completely  
9 inconclusive.

10 MR. MAYFIELD: Oh, I don't agree.

11 CHAIRMAN WALLIS: Well, there's always --

12 MR. MAYFIELD: Well, let me back up.  
13 There's always the possibility of any test result is  
14 inconclusive.

15 MEMBER FORD: I think I haven't seen the  
16 latest test matrix, Mike, but back in June I was  
17 concerned that we were focused on trying to simulate  
18 all of the combinations of material, et cetera, that  
19 we would have in a containment.

20 And I'm simplifying, but by saying  
21 essentially that we'll finish up with one test which  
22 would be either a go/no go result, my concern was that  
23 these items, these zinc and metal items, are  
24 connected. Some of the chemicals you have there can  
25 be inhibitors. I think I mentioned this to you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MAYFIELD: Yes.

2 MEMBER FORD: And so the result that you  
3 get at the end of the day, I assume it's a good result  
4 and there's no gelatinous stuff there.

5 If you changed one of the parameters, you  
6 may suddenly find that you do get it, but you wouldn't  
7 have tested it.

8 MR. MAYFIELD: Yes.

9 MEMBER FORD: So my question at this stage  
10 is, not having seen the latest test matrix, is there  
11 a version of a single effects test that would avoid us  
12 falling into that first year student trap?

13 MR. MAYFIELD: Well, we do vary the test  
14 parameters.

15 MEMBER FORD: Yeah.

16 MR. MAYFIELD: It's a little different  
17 question, and --

18 MEMBER FORD: You've got an infinite  
19 number of system configurations.

20 MR. MAYFIELD: Maybe Al Csontos can help  
21 me a little here.

22 MR. CSONTOS: Yes, that was the purpose of  
23 the OLI thermodynamic calculations, was to go ahead  
24 and try to constrain some of these parameters. There  
25 are over 15 --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER FORD: If I could just interrupt.

2 MR. CSONTOS: Go ahead.

3 MEMBER FORD: Because you brought up OLI.  
4 Again, I brought this one up in the June meeting. The  
5 OLI, I think, the thermodynamics program is primarily  
6 for processing this if I remember correctly.

7 MR. CSONTOS: That has been the main use  
8 of it.

9 MEMBER FORD: The main use of it.

10 MR. CSONTOS: In commercial.

11 MEMBER FORD: It doesn't tell you anything  
12 at all about the kinetics.

13 MR. CSONTOS: That's right.

14 MEMBER FORD: And you agree with that.  
15 But talking about fairly short-term tests and what  
16 we're really concerned about is the kinetics of the  
17 reactions, not the thermodynamics.

18 The thermodynamics will say what might  
19 occur in 1,000 years at equilibrium, but it won't tell  
20 you what is going to happen in ten minutes.

21 MR. CSONTOS: But it will provide insight  
22 into the separate effects from, let's say, for  
23 example, galvanic issues. What we did was we went in  
24 there and increased various amounts of area corrosion  
25 rates, therefore products inside the sump pool, by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 orders of magnitude to see what the results were.  
2 That gave us some sort of risk understanding of let's  
3 say there's a galvanic corrosion issue with respect to  
4 aluminum. We increased aluminum content in the pool  
5 by two orders of magnitude. What was the effect?  
6 Minimal. It just increased slightly.

7 Therefore, you know, these are the types  
8 of things that we are trying to do with this code to  
9 constrain some of these parameters that we understand  
10 are kinetics based. I mean, some of these formations,  
11 especially for gel formations, it will be dependent  
12 upon many other things that we can't calculate in this  
13 code.

14 For example, flow rates. Flow rates will  
15 have a significant effect on whether gels with  
16 agglomerate and form, but this code can't do this. So  
17 what will we do is we try to constrain as many  
18 parameters as we can through this thermodynamic code.  
19 We're using it as an insight, not as a tool to model  
20 the entire --

21 MEMBER FORD: I guess we're taking up a  
22 lot of time on this. I guess the concern is, first of  
23 all, we haven't seen the latest test matrix, and the  
24 second is this underlying gut feeling that this could  
25 be a problem, and you will be looking at, I know,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 expert opinions from outside.

2 MR. CSONTOS: Yes.

3 MEMBER FORD: Particularly McDonald.

4 MR. MAYFIELD: Yes.

5 MEMBER FORD: I mean, that comes to my  
6 mind.

7 MR. MAYFIELD: You raise a good point, and  
8 it's something that I guess I want to think about a  
9 bit more, and spend a little more time talking with  
10 the staff, Al, and other consultants like Digby  
11 (phonetic).

12 You raise a good point, and I want to make  
13 sure that as we go we're not trapping ourselves. That  
14 goes back to some of Professor Wallis' issue about  
15 make sure we're learning as we go along.

16 I think we should be coming to the  
17 committee, subcommittee to talk about these tests and  
18 test results, and I think that's a specific issue  
19 that I'd like to see us put on the table and tell you  
20 what we've done about it or where we're going with it.

21 CHAIRMAN WALLIS: Yes, we look forward to  
22 that.

23 MEMBER KRESS: Just one more quick  
24 question about the test. The pool, assimilated pool,  
25 is it stirred or is it quiescent?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KLEIN: The vessel that we're using,  
2 we're trying to simulate the sump flow rates within  
3 the water that the coupons are sitting in.

4 MEMBER KRESS: By stirring it?

5 MR. KLEIN: No, I believe it's through  
6 just circulation from pumping the system. I don't  
7 believe we have a stirrer in the tank.

8 MEMBER KRESS: But you do have a flow  
9 system.

10 MR. MAYFIELD: Yes. It is a flow system.

11 MEMBER KRESS: Okay. That was my concern.

12 MR. MAYFIELD: That was one of the other  
13 issues that we were concerned about in the earlier  
14 test, is potential for gradients and how well mixed or  
15 not well mixed things were.

16 CHAIRMAN WALLIS: How about temperature?  
17 Temperature is up to sump conditions?

18 MR. MAYFIELD: Yes, sir.

19 CHAIRMAN WALLIS: We don't want what we  
20 had yesterday of a range of tests that don't cover the  
21 actual sump conditions.

22 MR. ARCHITZEL: That was one of the  
23 specific things we did use OLI for, to try and  
24 determine up front do we need to do a pressurized test  
25 or not a pressurized test, and the result was,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 considering expenses, et cetera, that it was  
2 sufficient not to do a pressurized test to achieve  
3 those temperatures, but we did evaluate that and  
4 decide it's okay to go at a temperature range where --

5 CHAIRMAN WALLIS: And some of these tests  
6 take 30 days?

7 MR. ARCHITZEL: The first one does, and  
8 then we can adjust it a long way. The very first one  
9 has no provisions to not do 30 days, and after that  
10 it's looked at, and it can be shortened.

11 CHAIRMAN WALLIS: You didn't think of  
12 doing tests in parallel to shorten the time or  
13 something?

14 MR. ARCHITZEL: There's only one.

15 CHAIRMAN WALLIS: There's only one loop.  
16 So yeah.

17 MR. MAYFIELD: There is international work  
18 going on not exactly on this, but on a related  
19 chemical effects, and we're paying attention to that  
20 work. They similarly are paying attention to this  
21 work. So that does give us one additional bit of  
22 information.

23 And, secondly, another set of expert eyes  
24 to look at this.

25 CHAIRMAN WALLIS: Do you have workshops

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with industry and things like that?

2 MR. MAYFIELD: This particular piece --  
3 well, yes is the immediate answer, and secondly, this  
4 piece has been well coordinated with the industry as  
5 part of the cooperative program.

6 MR. HSIA: Can I add something? Tony Hsia  
7 from Research.

8 The test parameters and test conditions,  
9 we work very closely with industry. They were  
10 provided by industry as the temperature and pH value  
11 and what kind of materials are in there. That's well  
12 coordinated.

13 And also, I would like to point out the  
14 30-day test, so-called 30, or whatever period we do is  
15 going to be monitored on a daily basis at least. So  
16 it's a continual tracking of the odd chemical.

17 CHAIRMAN WALLIS: Okay. Can we move on?  
18 I really wanted to hear what the industry has to say,  
19 but I think Mike has this. Do you want to say some  
20 final words to us?

21 MR. JOHNSON: If I can just add, I know I  
22 won't talk very long. I said a lot of what I wanted  
23 to say yesterday.

24 I just wanted to thank the subcommittee  
25 for meeting with us, obviously. We value the input

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that we get.

2 As I said yesterday, you know, keeping in  
3 mind that the likelihood of this situation is low, but  
4 we recognize that it is a real situation obviously  
5 through the actions that we've taken. The industry  
6 has put together an approach to deal with this issue.  
7 We have gone through that approach. We have added  
8 additional restraints where we think those additional  
9 restraints are necessary.

10 And based on that, we believe that the  
11 approach in the baseline with the refinements bound  
12 the problem. And, in fact, as you point out, Dr.  
13 Wallis, we believe that the industry and the NRC will  
14 be in a better place after these fixes are made based  
15 on the evaluation from a safety perspective.

16 We've spent a lot of time discussing the  
17 evaluation. One of the points I wanted to make is  
18 that the evaluation is really a package. We spent a  
19 lot of time talking about the various issues that make  
20 up that package, and there are basically two kinds of  
21 concerns about the issues. We focused, in fact, on  
22 insuring that the assumptions and the approach for  
23 those individual issues are correct and sufficiently  
24 justified.

25 And we have got some take-aways from you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for that

2 We talked about clarifying the guidance in  
3 some instances where we can say thing in plainer  
4 language or be more specific so that the folks who are  
5 implementing it can implement, and there are some  
6 takeaways associated with that also that we have.

7 We are committed to making some changes to  
8 the SE based on what we've heard. We would look to  
9 share with the subcommittee, in fact, the ACRS in  
10 preparation for the meeting with the full committee in  
11 October.

12 We believe that based on the changes that  
13 we anticipate making in response to what we've heard  
14 today, that we will, in fact, have a package, an  
15 overall package that despite the differences that we  
16 may have on the individual issues, sufficiently bounds  
17 the challenge that we have.

18 You know, there may be areas and specific  
19 issues where we can't say whether ten percent  
20 difference in the size or the zone of influence is the  
21 right number, but I think in general when you look at  
22 all that is in the package, we will be at a place to  
23 say that we can bound the problem in a way that  
24 enables us to have a high degree of assurance that  
25 these plants can perform in the case of, again, a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 worse case accident, if you will, on the demands of  
2 the performance of the sump.

3 And I guess the last point I wanted to  
4 make is the industry knows how to do much of what  
5 we've talked about here already. The industry is  
6 putting on a workshop in December. I don't want there  
7 to be a notion that we're going to write this SC and  
8 then we ship it off and then licensees in the industry  
9 will be struggling to implement what is there without  
10 interaction because that's certainly not the case.

11 So we have spoken just in a few minutes  
12 about chemical. You know that there are the things  
13 that are ongoing, that an opportunity for a continued  
14 dialogue with the industry as we go forward in terms  
15 of working the evaluation and the fixes.

16 And last but not least, as I said, this  
17 does begin a new stage or at least when we issue the  
18 SE, and the staff is planning on what we will do to  
19 review the evaluation and to follow up and ultimately  
20 close out the issue in 2007, and there will be, again,  
21 we will look for additional opportunities to interface  
22 with the ACRS.

23 And, Mike, if you wanted to add to that?

24 MR. MAYFIELD: This is something that  
25 obviously both office have a keen interest in. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think as Mike and I have talked about, the  
2 observations over the last day and a half and some  
3 prior engagement on the Reg. Guide 1.82.

4 I think it is important to keep in  
5 perspective that it's an overall analysis. The  
6 individual bits and pieces, I think there have been  
7 some interesting issues raised, as Mike characterized  
8 it, some take-aways. Plainly from the research  
9 program we've tot some things to go back and look at,  
10 but I do believe when you look at the totality of the  
11 overall approach, it provides a set of guidance that's  
12 sufficient for the industry to move forward on this  
13 issue and improve safety at the plant.

14 MR. JOHNSON: And, of course, it goes  
15 without saying, one last point, it goes without saying  
16 that this SE will be one acceptable approach. As our  
17 guidance says, it's one acceptable approach. We fully  
18 anticipate that there may be situations where  
19 licensees come in and propose other approaches that  
20 they consider to be acceptable, and we'll have to deal  
21 with those.

22 I just wanted to make sure that --

23 CHAIRMAN WALLIS: Mike, I just want some  
24 quick answers from you, one sentence. Do you intend to  
25 go ahead with this before the full committee?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. JOHNSON: Yes, we would like to go  
2 ahead with this for the full committee.

3 CHAIRMAN WALLIS: And the SER will change  
4 between now and then. So how do we deal with the  
5 changes?

6 MR. JOHNSON: I would propose that we  
7 provide those changes in read line strikeout form, and  
8 that one of the things we do with the full committee  
9 is highlight where we saw -- what we believe the  
10 comments were and what we've done to revise the SE in  
11 those areas to make them more visible to you.

12 CHAIRMAN WALLIS: I think you might  
13 anticipate that very many of the comments we made  
14 yesterday and today will have a probability of coming  
15 up again if you present before the full committee.

16 MR. JOHNSON: Anticipate that. I'm also  
17 hoping that when you see what is in the revision, that  
18 goes to a number of the areas that you've raised.

19 MR. JOHNSON: Well, I guess I'd just say  
20 I'm looking forward to your revision. Personally I  
21 wonder how you're going to do it.

22 MR. JOHNSON: So is Dave.

23 MR. JOHNSON: Could we hear from the  
24 industry now? Is it an appropriate time to do that?

25 I'm sorry you've had to wait. I wish we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 could have started earlier.

2 And who is it? Is it Tony or who is --  
3 oh, go ahead. If you go up there, it would be good.  
4 I think it's more appropriate to put you on stage than  
5 behind us.

6 I hope you can give us some very quick  
7 sharp and important points because we haven't got the  
8 time.

9 MR. BUTLER: I'll keep it very brief.

10 John Butler, NEI.

11 Thank you for the opportunity.

12 First off, let me make the point that we  
13 have not had an opportunity to review the safe concept  
14 evaluation in any detail. We received it early  
15 Tuesday and have heard a lot of the exceptions to the  
16 guidance for the first time in the last two days. So  
17 we have a lot of questions, and we still have a lot of  
18 work to evaluate the importance of some of the  
19 exceptions that we're taking.

20 So my statements are generally going to  
21 address my overall impressions of the staff's work and  
22 what we've seen of the draft safety evaluation.

23 One point I would like to make is that  
24 there has not been a lot of communication between  
25 industry and the NRC since we submitted the evaluation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 methodology in May. The staff's schedule for  
2 providing the safety evaluation report, in effect, did  
3 not allow them the luxury of interacting with us to  
4 get clarifications.

5 That being said, I think they did  
6 interpret what we intended with the evaluation  
7 guidance in most cases properly. I think there are  
8 some cases where they did not interpret our  
9 intentions.

10 Our biggest difficulty with the safety  
11 evaluation is not how they interpreted our guidance,  
12 but how they have then taken exceptions to the  
13 guidance to, in effect, make it even more  
14 conservative.

15 One of the things we've been struggling  
16 with with this issue throughout is how to make it a  
17 practical problem. Clearly, whatever answer you get  
18 you have to deal with in the plant and to address it  
19 with modification to the design or in other ways so  
20 that you can address the issue in a practical way.

21 The risk aspect of this issue is one way  
22 to try to put it into perspective, and we've tried to  
23 do that in a lot of our discussion with the staff, and  
24 I don't know how successful we were in our evaluation  
25 guidance. I think in a lot of ways we put too much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 emphasis on the low risk significant spectrum of  
2 breaks, and our intent at Section 6 with the alternate  
3 evaluation was a step in the right direction to try to  
4 put some, again, better focus on the more risk  
5 significant spectrum of breaks and concerns with this  
6 issue.

7 But, again, it's a very small step, and I  
8 can speak to how small a step it is, especially with  
9 the modifications that the staff has made in the  
10 safety evaluation.

11 But let me try to make the following  
12 point. We understand with this issue that the final  
13 resolution is going to be driven by one of two  
14 aspects: either the thin bed effect and the head loss  
15 you get from that thin bed effect or from the maximum  
16 debris accumulation you get on the side.

17 We maintain -- I think the staff will  
18 agree with us -- that the risk significant aspect is  
19 a thin bed. The thin bed can occur from a broad range  
20 of events. You do not need much debris to be  
21 generated. You do not need a lot of particulates to  
22 occur before that thin bed becomes a possible player  
23 in the significant head loss.

24 On the other hand, the significant debris  
25 that we are being directed to calculate for the full

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 double ended and the conservatism we are placing on  
2 the calculation of that maximum debris, it can also  
3 lead to maximum head loss, and I'm afraid in the way  
4 the guidance is currently laid out, it's going to  
5 drive the design.

6 But what we need to keep in mind is that  
7 maximum debris generation is coming from an event that  
8 is orders of magnitude less risk significant than the  
9 spectrum of breaks that are going to cause the thin  
10 bed effect, but we're spending a lot of time, a lot of  
11 effort, and a lot of discussion on those factors that  
12 play into that national debris accumulation that you  
13 will get from that maximum full double ended break.

14 A lot of the exceptions that staff took to  
15 our guidance focus in on how much debris you generate  
16 in that maximum proximate break. They don't affect  
17 the thin bed.

18 There are some that do affect the thin  
19 bed, and we can look at those in more detail, but  
20 generally I'm speaking to a lot of the exceptions that  
21 were taken to what we considered to be very  
22 conservative guidance to make it even more  
23 conservative for an even that is eventually small in  
24 probability and treated in a way that is extremely  
25 conservative not because we want to do it that way.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It's just that we have difficulty finding a more  
2 realistic way to bound all of the uncertainties.

3 So we've taken our best shot, and the  
4 staff's exceptions take us even further along that  
5 line. So I feel like I'm repeating myself now, but  
6 hopefully I have made my point clear.

7 CHAIRMAN WALLIS: Can I ask you something?

8 MR. BUTLER: Yes.

9 CHAIRMAN WALLIS: Do you understand what  
10 this thin bed effect is? Do you understand how to  
11 define it, how to predict it, how to say when it  
12 occurs? Because it's still something of a mystery to  
13 me.

14 MR. BUTLER: Well, it's clearly going to  
15 be dependent on some of the assumptions you've --

16 CHAIRMAN WALLIS: Well, I know. I just  
17 want to see a clear, one-page document which says this  
18 is what it is. This is when it occurs. This is how  
19 to predict it, and do you have that? Do you guys  
20 understand to that level?

21 MR. BUTLER: We can prepare you a  
22 description of our modeling of the thin bed, and  
23 that's going to come from, in part, a lot of the  
24 experiments that were done with the BWR owners group  
25 resolution of this issue, and a lot of it is going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be fixed by our modeling and the assumptions that are  
2 made in the analysis.

3 Some of the assumptions --

4 CHAIRMAN WALLIS: Okay. Well, it seems to  
5 be clear that since this word, these combination of  
6 words "thin beds," in fact, comes up so often, we need  
7 to be pretty clear what it is.

8 MEMBER KRESS: Do you think it's possible  
9 to design a screen that would not have a thin bed  
10 effect?

11 MR. BUTLER: I am told that that is the  
12 case. There are designs that have been tested and  
13 have not exhibited the thin bed effect.

14 MEMBER KRESS: That's like proving a  
15 negative. So you need some modeling and some  
16 understanding to extrapolate that kind of data. So,  
17 you know, I'm perfectly in sympathy with Graham's  
18 statement that we need to know more about this  
19 mysterious thin bed effect, particularly if the  
20 industry comes up with a design that claims not to  
21 have a thin bed effect.

22 I think you gain a lot. You can do, like  
23 you say, some risk rationalization of the maximum  
24 debris problem, but the thing bed you have to somehow  
25 -- it's a killer.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BUTLER: And I appreciate that because  
2 it goes to the point I've been making. It focuses in  
3 on what is probably the more risk significant aspect  
4 of this event.

5 MEMBER KRESS: Yes. So, you know, we  
6 certainly would like to see some physical  
7 understanding of thin bed effect and some database  
8 that shows that maybe you can avoid it by certain  
9 types of filter designs or something.

10 It seems to me like you could have a lot  
11 to gain going in that direction. Enough said, I  
12 guess.

13 MR. BUTLER: To keep this short, I'll just  
14 make one point. There are a number of things we've  
15 seen in the safety evaluation that we do not quite  
16 understand, and you can take a different  
17 interpretation of what the staff has meant. If it is  
18 interpreted in one way, we have great difficulty with  
19 what the impact would be on our evaluation.

20 And so we would welcome any opportunity we  
21 can have to interact with the staff before this  
22 becomes final. I'm not sure how that can happen  
23 though.

24 One last thing if you have the time. I  
25 did ask Tim Gemistreck of Westinghouse to put together

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a graphic and some figures to try to put this into  
2 perspective of what we're talking about, of the  
3 maximum debris generation, of what we're talking  
4 about.

5 CHAIRMAN WALLIS: This will take a couple  
6 of minutes or five minutes?

7 MR. GEMISTRECK: Five or less.

8 CHAIRMAN WALLIS: Five or less.

9 MR. BUTLER: As much time as you want it  
10 to.

11 CHAIRMAN WALLIS: Well, maybe since it's  
12 visual the information will come across pretty  
13 quickly.

14 MR. GEMISTRECK: It is. If I may, can you  
15 queue up?

16 These graphics were actually generated by  
17 Gil Ziegler. The graphic here is for a three-loop  
18 PWR, and it shows the effect of the boundary of a 10  
19 psi ZOI, which is basically for a double ended  
20 guillotine break.

21 If you look on the right-hand side in the  
22 middle of the red sphere, that's the bioshield that's  
23 sort of cutting through it on the outside periphery  
24 and the reactor cavity, refueling cavity is slightly  
25 to its right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And those are the robust barriers.

2 CHAIRMAN WALLIS: Now, to go back to the  
3 question the committee had, if you put a jet in there  
4 instead of a sphere, that jet would probably read all  
5 the way across containment at the same psi.

6 MEMBER SIEBER: It can't go through the  
7 wall.

8 CHAIRMAN WALLIS: If it didn't hit a wall.

9 MR. GEMISTRECK: I don't know that it  
10 would. It might be defected upwards.

11 CHAIRMAN WALLIS: But it would reach  
12 whatever it could reach without hitting a wall.

13 MR. GEMISTRECK: Granted, granted. I  
14 won't disagree with that. But for that kind of a zone  
15 of influence, I did some quick calculations. The  
16 total debris that would be generated from a  
17 representative steam generator and the associated  
18 primary system piping, total volume of fiberglass  
19 debris, assuming that the entire steam generator is  
20 insulated with fiberglass, is on the order of 14,000  
21 cubic feet, and using the baseline methodology in  
22 Chapter 3, of that approximately 5,100 cubic feet of  
23 fiberglass would find its way to the sump screen.

24 Assuming that you had a pickup truck bed  
25 that's six foot wide, two foot high, and eight foot

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 long, you'd end up with approximately 53 pickup trucks  
2 filled with debris.

3 CHAIRMAN WALLIS: You know, some of these  
4 screens aren't much bigger than a few pickup truck  
5 beds.

6 MR. GEMISTRECK: That's correct.

7 Now, if you use the refinements as  
8 presented in Section 4 and only those refinements,  
9 taking no advantage of any plant specific features  
10 that you might have, I calculated or estimate  
11 approximately 3,500 cubic feet of fiberglass debris  
12 making its way to the sump or approximately 36 pickup  
13 trucks.

14 Now, that's --

15 CHAIRMAN WALLIS: These would be full  
16 length pickup trucks, eight foot bed.

17 MR. GEMISTRECK: Use an eight foot bed.

18 (Laughter.)

19 MR. GEMISTRECK: Let me repeat. Now, I  
20 even used the little wider bed. It was a six foot, as  
21 most pickups are five and a half. I didn't take into  
22 account wheel wells either.

23 (Laughter.)

24 MR. GEMISTRECK: Six feet wide, eight foot  
25 long, six foot wide. So approximately 96 cubic feet

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 per pickup truck.

2 CHAIRMAN WALLIS: And do you expect to  
3 analyze this problem away?

4 MR. GEMISTRECK: Well, that's why we have  
5 some of the options and design options also, Dr.  
6 Wallis.

7 CHAIRMAN WALLIS: This really helps put it  
8 in perspective.

9 MR. GEMISTRECK: Okay, and then if we go  
10 on to the next slide, please, we're looking at a six  
11 psi ZOI and slightly different steam generator, but  
12 again, you see the graphic of where it is, and you're  
13 well beyond the bioshield, and you're actually  
14 penetrating or touching the outside of the containment  
15 wall.

16 CHAIRMAN WALLIS: This is 100 pickup  
17 trucks or something.

18 MR. GEMISTRECK: Many more, yes.

19 MR. BUTLER: Dr. Wallis, I point out that  
20 going from that first slide to this slide is the  
21 impact of the 40 percent increase in the deflection  
22 pressure that the staff was asking for.

23 MEMBER KRESS: Now, when you use this zone  
24 of influence, do you include everything in the red  
25 area?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. GEMISTRECK: That's correct.

2 MEMBER KRESS: Even though the bio is in  
3 between?

4 MR. GEMISTRECK: No. We just use what's  
5 within the robust barriers.

6 MEMBER KRESS: Okay.

7 MR. GEMISTRECK: It's only what's put in  
8 the robust barriers. Obviously we're not looking at  
9 the wall, is a very robust barrier. We're not  
10 assuming that what's behind the wall is going to be  
11 impacted.

12 MEMBER KRESS: Okay.

13 MR. GEMISTRECK: And in the table that was  
14 presented yesterday --

15 CHAIRMAN WALLIS: This is even bigger.

16 MR. GEMISTRECK: Yes. This goes up to the  
17 four psi, and you can see it's well beyond the  
18 containment.

19 CHAIRMAN WALLIS: Well, I'm really  
20 impressed by the 36 pickup trucks. I don't really  
21 need to have 5,000 pickup trucks.

22 (Laughter.)

23 CHAIRMAN WALLIS: I mean, this really  
24 helps, and it would help, I think, if when the staff  
25 made presentations with all of this regulatory space

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 stuff if they gave us some reality pictures like this  
2 so we could understand the scope of things and the  
3 range of things.

4 MR. LATELLIER: May I ask a question to  
5 clarify?

6 Tim, in your graphic illustration of  
7 debris loadings, did you limit your estimate to the  
8 debris within in the compartment or are you giving us  
9 information about the entire volume of that red zone?

10 MR. GEMISTRECK: The entire volume of that  
11 red zone.

12 MR. LATELLIER: Which you're not actually  
13 transporting to the screen. That's the distinction  
14 that I wanted to make.

15 MR. BUTLER: Wait a minute. The entire  
16 volume inside the red zone was 14,000 cubic feet, and  
17 using the transport methods as described in Section 3  
18 of the NEI guidelines, that reduced down to  
19 approximately 5,150 cubic feet.

20 So what got to the sump screen using the  
21 baseline methodology in Section 3 was 5,150 cubic  
22 feet, which is a considerable amount of debris.

23 CHAIRMAN WALLIS: Let's put that in  
24 perspective. We were told that some screens are 12  
25 foot, 12 square feet. That's 500 feet thick debris on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a screen. Some of them have about 100 square feet.  
2 that's 50 feet of debris?

3 MR. LATELLIER: No, Dr. Wallis. My point  
4 is could you please repeat those numbers including  
5 only the debris within a compartment because you are  
6 taking advantage of truncation of the spheres. So  
7 your comparison is a little bit misleading unless you  
8 give us the information.

9 MR. GEMISTRECK: No, it's whatever was  
10 within the zone of influence that was on the piping,  
11 the steam generator.

12 MR. LATELLIER: Within the break  
13 compartment?

14 MR. GEMISTRECK: Within the break  
15 compartment, yes.

16 MR. BUTLER: There's very little debris  
17 outside that.

18 CHAIRMAN WALLIS: If it gets onto the  
19 screen, who cares about its --

20 MR. BUTLER: That's correct.

21 The other thing that was not included in  
22 the calculation they did was the coatings debris that  
23 would be generated. That is just fiberglass  
24 insulation on piping.

25 CHAIRMAN WALLIS: I think if someone had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 given us an engineering perspective starting with this  
2 kind of stuff from the very beginning, we might have  
3 come up with a quite different solution to the  
4 problem.

5 MEMBER KRESS: You can't build a screen  
6 big enough to take care of that problem.

7 MR. LATELLIER: I'd like to remind the  
8 committee that this kind of information had been  
9 briefed earlier in the staff's presentation of  
10 revisions to Reg. Guide 182 where we did present  
11 spatial volumes and also debris estimates in the  
12 thousands of cubic feet.

13 CHAIRMAN WALLIS: This is irrelevant, what  
14 was presented before. You're making your final case  
15 for a SER and a guidance, and it has got to stand on  
16 its own, and it had got to be clear and convincing.

17 And when we see pictures like this, I  
18 think we have to wonder how you can calculate away the  
19 problem.

20 Do you have some more?

21 MR. GEMISTRECK: No. That's it, sir.

22 CHAIRMAN WALLIS: Interesting stuff. Do  
23 you have a solution?

24 MR. GEMISTRECK: We do have some  
25 solutions, yes. We believe they have their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 alternatives.

2 CHAIRMAN WALLIS: It would be very good to  
3 see the embodiment of a possible solution which  
4 followed the guidance, to see how these 36 pickup  
5 trucks of stuff went somewhere else and didn't cause  
6 a problem or somehow or other were handled by the sump  
7 in some suitable way or whatever.

8 DR. PETRANGELO: Dr. Wallis, early on we  
9 had thought about potential for a pilot for the  
10 guidance, and I think the staff saw some value in that  
11 also, but there just wasn't enough time to do it given  
12 the current schedule.

13 I see this thing, and it sends shudders up  
14 and down my spine because you pile all of these  
15 conservatisms on top of each other through every  
16 different aspect of the evaluation and you come out  
17 with an answer. I think Dr. Kress came to the  
18 conclusion that you can't build a screen big enough to  
19 handle that plant.

20 CHAIRMAN WALLIS: Yeah, I think we  
21 suggested that long ago in a letter that you ought to  
22 consider that there are better ways to keep the core  
23 cool or there are alternative ways to keep the core  
24 cool, which might well solve the long-term cooling  
25 problem, which the real issue is: can you keep the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 core cool, not how do you handle 36 truckloads of  
2 stuff.

3 DR. PETRANGELO: That's right.

4 CHAIRMAN WALLIS: If it doesn't affect the  
5 core cooling, who cares? If it's just lying on the  
6 floor somewhere, it's not going to affect the safety  
7 of the reactor.

8 The problem is you've designed a system to  
9 sort of flow it to the place where it does a lot of  
10 damage to the --

11 DR. PETRANGELO: Well, and some of the  
12 early discussions talked about trying not to get to  
13 that point where you're in recirculation for the more  
14 likely events, and maybe that will come later through  
15 the change to 50.46.

16 I hope it does because that's the more  
17 risk significant part, and I think that's where we can  
18 have the most safety benefits with a change to the --

19 CHAIRMAN WALLIS: I think it would be very  
20 good if we started the presentation to the full  
21 committee by saying this is the problem. Now this is  
22 the fix that's suggested by the guidance and the  
23 staff's SER, and we could see if it seems credible or  
24 not.

25 Then we get something to sort of set the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 stage for it all. Otherwise it all seems to be going  
2 on in a regulatory space, which sometimes gets a  
3 little different from what I would call engineering.

4 MR. JOHNSON: Just recall, DR. Wallis that  
5 it's not the staff's fix. It's the staff's evaluation  
6 of the industry's guidance to evaluate the problem.

7 CHAIRMAN WALLIS: But if it can't be  
8 applied realistically and get an answer, it's useless.  
9 I said that before. You can't go through the motions  
10 of constructing some fantasy land. You've got to face  
11 the reality of this thing that we see up on the  
12 screen.

13 MR. JOHNSON: Well, I mean, there are  
14 fixes that are, I think, envisioned by the industry  
15 that aren't just putting in a larger screen.

16 CHAIRMAN WALLIS: That's what I'd love to  
17 hear about, but we don't have time to do it today. I  
18 think the beautiful thing would be for some engineer  
19 to come in and say, "This is the problem. This is how  
20 it's fixed." That I would love to see, but we're not  
21 going to get there today. We may not get there for  
22 ten years, but I just would love to see it happen.

23 It's now noon. Does the public have  
24 anything more to say?

25 MR. FEIST: I did have one hopefully very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 brief comment on one of the exceptions.

2 CHAIRMAN WALLIS: Who is this?

3 MR. FEIST: My name is Chuck Feist.

4 CHAIRMAN WALLIS: I'm sorry.

5 MR. FEIST: Comanche Peak.

6 One of the expectations, I believe, is an  
7 error and inconsistent with the reg. guide. When the  
8 staff took exception to the guidance on secondary  
9 breaks, steam line breaks, they were citing the use of  
10 GDC-4, MEB-3-1, and licensing basis. Fifty, forty-six  
11 wasn't acceptable, and we don't disagree with that.

12 However, secondary breaks don't involve  
13 50.46. They only involve GDC-4. So, therefore, their  
14 argument that you can't use it was invalid.

15 In addition, they said that you may take  
16 credit for dose consequences, which is also not true.  
17 For secondary breaks you use the outside containment  
18 breaks which are bounding for dose analysis.

19 So the only purpose of the containment  
20 spray recirculation for secondary breaks is for 50.49,  
21 for equipment qualification, not 50.46. So the  
22 guidance in the NEI guidelines is consistent with the  
23 words in the Reg. Guide 182, but the SER is not.

24 CHAIRMAN WALLIS: I guess the staff will  
25 take note of that and do whatever is appropriate.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 PARTICIPANT: Yes.

2 CHAIRMAN WALLIS: Do we have another  
3 speaker? Go ahead.

4 MR. KOSTELNIK: Dr. Wallis, Mark Kostelnik  
5 from Constellation Energy.

6 I just wanted to clarify that and make  
7 sure the committee knew that at least one company,  
8 Constellation anyway, is interested in an active  
9 system. We need NRC support to help bring that to a  
10 possibility.

11 I'm representing Calvert Cliffs and  
12 Gunnet, and we'd like to have that option, but in  
13 reality we have the schedule, and in my situation, I'm  
14 probably as big an advocate in getting this done in  
15 2006 and seven as anybody because I have an extremely  
16 short outage in 2008 and nine. We're on a 24-month  
17 cycle, and I will add two to \$5 million to my project  
18 if I can't get this done in 2006 and '07.

19 That's unacceptable economic impact on our  
20 part. So we are doing everything we can to try to get  
21 this done in '06 and '07, and I'm here to tell you  
22 that we are in extremis right now. We cannot tolerate  
23 anymore delay of this SER or any other technical  
24 decisions from where we're at. We're going to be  
25 making decisions with more risk than we want to take

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to try to meet my schedule anyway.

2 I'll be just one company. I think there's  
3 others out there that may be in my shoes.

4 CHAIRMAN WALLIS: I find that also very  
5 helpful to put some perspective on this problem.

6 Anybody else? We may open the doors here  
7 with these hearings.

8 (Laughter.)

9 MR. OAKLEY: My name is Russ Oakley. I'm  
10 with Duke Energy, and I'm a sump engineer at Oconee  
11 Nuclear Station.

12 We have some issues with coating that's  
13 going on. I don't know how much the ACRS is aware of  
14 it. I know some of the folks here from the NRC are.

15 I just wanted to make the point of  
16 yesterday's. There was some discussion about  
17 unqualified coatings, and it conveyed the impression  
18 to me that many people in the room have the impression  
19 that it's a simple thing to make your unqualified  
20 coatings qualified, and that is an untrue statement.

21 That is an insurmountable obstacle that we  
22 couldn't financially accomplish. We would solve that  
23 problem almost certainly with more sump screen area as  
24 opposed to we are spending a half million dollars this  
25 fall on our Unit 3 outage just to reconstitute about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 25,000 square feet, which is a relatively small  
2 fraction of the entire containment, as you well know.

3 So the economic impact of that is just  
4 much larger than I think was understood.

5 The other issue that I have a great  
6 concern about is the downstream effects that were  
7 discussed and the postulated induction of metallic  
8 fragments into centrifugal pumps.

9 I don't know what the answer to that is,  
10 and I don't know that anybody in this room does. I  
11 can't pick up the phone can call my pump manufacturer  
12 and have any expectation that he's going to tell me  
13 that that's going to be okay, and I don't know that  
14 there is a pump design where you could get a  
15 manufacturer to say that that's okay.

16 MEMBER SIEBER: Yeah, there is.

17 MR. OAKLEY: That they can digest metallic  
18 fragments and that's okay to their pump?

19 MEMBER SIEBER: For a relatively short  
20 period of time.

21 MR. OAKLEY: Okay. Well, I mean, that's  
22 a problem. I mean, don't have relatively short  
23 periods of time. If the pump fails, it fails directly  
24 when you open it on, right?

25 MEMBER SIEBER: Yeah, but it typically

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 completes its mission before it fails.

2 MR. OAKLEY: But this is the screen in the  
3 first hour.

4 MEMBER SIEBER: That's right. Your pump  
5 can run for days.

6 MR. OAKLEY: With no effect?

7 CHAIRMAN WALLIS: Anybody else want to say  
8 anything now?

9 MR. OAKLEY: Okay. I'd be interested in  
10 hearing where you are getting that information from  
11 because I don't hear it from --

12 MEMBER SIEBER: Go to the Internet and  
13 look up Gould's pumps.

14 MR. OAKLEY: Gould's pumps?

15 MEMBER SIEBER: Yes, and that's just one  
16 manufacturer. There's a bunch of them. You know,  
17 pick a pump, vertical de-draft pump.

18 CHAIRMAN WALLIS: It's not really a  
19 question of time, is it? If the right piece of metal  
20 gets in the right place it stops the pump, and it's  
21 hard to track.

22 MEMBER SIEBER: Yeah, but if it's harder  
23 than the pump face.

24 MR. OAKLEY: I just don't understand what  
25 the NRC's expectation there is, I guess is all I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 saying.

2 CHAIRMAN WALLIS: I think it would be  
3 wonderful to have a kind of workshop where we heard a  
4 lot of these things from industry. We don't have time  
5 for it, and I think that input is important because  
6 this isn't the place for it. We don't have the time.  
7 I think it is, however, very important. I wish we had  
8 the time.

9 We've got to go to lunch. Usually we go  
10 around the table and get some sort of input from the  
11 members.

12 Oh, someone wants to say something more?  
13 I don't think we want to go back to technical issues.  
14 We're sort of at the summary stage now.

15 All right. I think the question that I  
16 have, and I certainly want to get input from all the  
17 members before the full committee meeting because I  
18 have to write a letter if we go forward with this  
19 thing.

20 I just wonder if you all have advice for  
21 the staff about whether to go forward with this and if  
22 they do go forward with it, what advice you have for  
23 them to make things easier for them at the full  
24 committee meeting, or anything else you want to say.

25 Could you each take a minute to give some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 impressions to the staff of how you're thinking about  
2 this?

3 MEMBER SIEBER: I think over the last day  
4 and a half we have pointed out in this meeting a  
5 number of defects in the safety evaluation as it is  
6 now written, and I think that the staff needs to  
7 correct those defects to make them technically correct  
8 before they issue the SE.

9 On the other hand, I don't see, other than  
10 the chemical effects work, which isn't done, I don't  
11 see major problems with the content of the guidance  
12 document or the SE, with the possible exception that  
13 I think that the equations that they are using are  
14 sort of a reach from the standpoint of describing the  
15 physical phenomenon that's taking place.

16 And of course, you do have the big problem  
17 that the data that supports the algorithms used in  
18 those equations doesn't match the operating condition  
19 of the plant, and strictly interpreted means you can't  
20 use the curves.

21 So that somehow or other has to be  
22 rationalized in some way. So those would be my  
23 comments.

24 CHAIRMAN WALLIS: Peter.

25 MEMBER FORD: I have three questions I ask

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 myself. So I'll just give you the three questions if  
2 I answer.

3 The first question was: have all of the  
4 relevant phenomena been addressed? The answer is no.  
5 Chemical effects hasn't been addressed, and we don't  
6 know an impact of that.

7 Second question is: are there signed  
8 analyses of relevant phenomena confirmed by experiment  
9 and plant experience? The answer is a qualified no,  
10 the qualification primarily because of a lot of  
11 uncertainties into the model inputs. We have been  
12 told that on all of those model inputs we've got  
13 conservatism hooked onto it. There's a question about  
14 how those conservatisms have been achieved, the 40  
15 percent reduction, for instance on the destruction  
16 pressure.

17 So, therefore, the analyses are neither  
18 realistic, as was stated. They are presumably  
19 bounding. The question I have is: are they over  
20 bounding?

21 The third question is: how do these  
22 uncertainties in model and model inputs affect the  
23 resultant NPSH and its variation, the margin between  
24 the upper limit of the variation and the  
25 manufacturer's pump specification?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           That has not been done, and until that's  
2 done, we have no way of assessing the risk associated  
3 with this NEI GR and the NRR SER.

4           The bottom line is I question the  
5 usefulness of going ahead with the full ACRS meeting  
6 until we have got some of these uncertainty analyses,  
7 until we have gotten some idea of the chemical  
8 effects.

9           I'll write this out in more detail

10           CHAIRMAN WALLIS: Vic?

11           MEMBER RANSOM: Well, I focused mainly on  
12 the jet behavior and debris generation part, and I  
13 still feel there's considerable confusion in terms of  
14 how to relate this zone of influence to the ANSI jet  
15 model, and the ANSI jet model itself may have  
16 problems.

17           And so I would say at a very minimum,  
18 these technical issues need to be cleared up. If  
19 you're going to use the ANSI model pressure as a  
20 metric for damage, then to unambiguously relate that  
21 to the damage pressures for the insulations, and so  
22 that's the main issue that I've dealt with, and I see  
23 it as a fairly big unknown actually.

24           CHAIRMAN WALLIS: Tom.

25           MEMBER KRESS: Well, if you use the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 methodology, I think most of the plants will end up  
2 with more debris than you can filter out. So they're  
3 going to have to rely on some reduction in the  
4 conservatisms.

5 I have no idea how conservative the thing  
6 is, and I'll have no idea on which's an acceptable  
7 reduction in the conservatism.

8 The two killers for me, three possibly  
9 killers of this whole thing is the thin bed effect,  
10 the downstream effects. I have no idea how to  
11 implement their guidance on the downstream effects,  
12 and I don't know how the industry will implement it.

13 Plus the chemical possibility. I suspect  
14 the tests that are being done to look at the chemical  
15 effects will tell us a lot and may be useful in how to  
16 deal with the chemical effects.

17 I don't know how you're going to deal with  
18 the thin bed effect. I think the latent debris in  
19 practically every plant is enough to give you a thin  
20 bed effect, and how you can argue it away I don't know  
21 unless you can prove that there is a filter design  
22 that won't exhibit a thin bed effect.

23 I'm very hopeful that the use of the risk  
24 informed approach will help on a lot of these things,  
25 particularly on the maximum amount of debris that gets

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there. I think some refinement in the spherical model  
2 has to be done in order for that to help though. I  
3 just don't like the spherical zone of influence model  
4 at all. I think it is way too conservative. I think  
5 it can be changed.

6 So there's enough of these type of things  
7 in the methodology in the SER that makes me wonder  
8 whether we ought to bring it before the full committee  
9 at all.

10 So I would prefer at this time just to  
11 wait and hear some more from the ongoing research and  
12 more from the industry. I think the stuff we got from  
13 the industry, although brief as it was, was very  
14 helpful. So I'm in favor at this time of not even  
15 bringing it before the full committee.

16 CHAIRMAN WALLIS: My advice to the staff  
17 would be you're not ready, and if you go ahead with  
18 this for a whole host of reasons, nobody is going to  
19 be happy. And I would love to make people happy. I  
20 don't quite see how anybody on any side of this is  
21 going to be happy because I don't see the GSI really  
22 being resolved this way at this time. They may just  
23 appear as another GSI or something equivalent  
24 afterwards.

25 And I would hate to write a letter which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 has too many critical evaluations of either the staff  
2 or the industry or any other actors, but that may be  
3 what ACRS has to do because the ACRS has to tell the  
4 truth, and we cannot really mince words.

5 We'll try to be nice about it, but if we  
6 see something which is important which the Commission  
7 ought to consider, I think we have to say it, and if  
8 we think that this is the state of things, it's our  
9 judgment; then we have to give that proper judgment to  
10 the staff and the Commission.

11 So I'm a little unhappy about staff's  
12 decision to go ahead with something which may turn out  
13 not to do them as much good as they would like.

14 MEMBER KRESS: Another comment is I'm very  
15 sympathetic with the gentleman who's talking about an  
16 active screen. I think that might be a solution that  
17 could --

18 CHAIRMAN WALLIS: Yeah, I would love to  
19 see that. I don't know why we haven't explored it.  
20 We're always in regulatory space trying to sort of  
21 regulate the problem away when it may well be that  
22 it's an engineering problem and if you look at it that  
23 way and figure out is it worth spending so much money  
24 to fix this and you can figure out how to show that it  
25 works, that's the way to do it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER KRESS: And to fix his problem of  
2 he can't wait, I don't know if the staff could do  
3 something like separate out active screens from all  
4 this other stuff and make some sort of judgment on  
5 what needs to be done just to approve an active  
6 screen.

7           It would be very helpful to some of the  
8 utilities.

9           CHAIRMAN WALLIS: All of the guidance  
10 seems to be the industry has to go away and do a lot  
11 of analyses of lots and lots and lots and lots and  
12 lots of things. That doesn't offer to me sort of a  
13 view of the light at the end of the tunnel or some  
14 sort of an answer coming out.

15           But, anyway, I'd welcome your input  
16 between now and when we meet again, and some of us or  
17 maybe all of us probably would want to read some of  
18 this material we've heard about which might help to  
19 clarify some of the things we're uncertain about. It  
20 may actually make us much happier by the time or it  
21 may not.

22           MEMBER SIEBER: It may go the other way.

23           CHAIRMAN WALLIS: Because sometimes  
24 reading more makes things worse. I can't predict  
25 which way it will go.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   If we take a lunch break until one, then  
2 we can start the next GSI discussions, and Vic Ransom  
3 will assume the chair. I will be very relieved to get  
4 out of it.

5                   I very much appreciate all of your efforts  
6 to try to explain things to us in the last day and a  
7 half. Thank you all very much.

8                   We will now take a break until one  
9 o'clock.

10                   (Whereupon, at 12:19 p.m., the meeting was  
11 recessed for lunch, to reconvene at 1:00 p.m., the  
12 same day.)

13

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

(1:02 p.m.)

MEMBER RANSOM: This is the continuation of the Thermal Hydraulics Subcommittee meeting and the subject today is GSI 185 control of recriticality following small break LOCA and PWRs. There have been several meetings held on this in the past and I won't go into all the background of this general safety issue. As I understand it, the purpose of the meeting today is to discuss a draft New Reg that was prepared by RES and relative to the resolution of General Safety Issue 185, and generally for the committee to recommend whether the New Reg report should be issued. I might just briefly state what some of the concerns are. I think most of them have been transmitted to RES already but the overriding ones seem to be the report lacked a unified approach. It wasn't really apparent and the possibility of loop seal clearing was not really mentioned in the report.

The mixing model, the technical basis and validation didn't seem that convincing, I guess, and we'd like to hear more about that. Some of the assumptions and justification maybe need to be shown to be conservative and generally, I think the logic for resolution of 185, while it was in the report, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think we'd like to hear a consistent review of that.  
2 And there were numerous suggestions for the report  
3 improvement. I don't think we're going to go through  
4 those in the meeting today but they've been  
5 transmitted, I think in separate communications. So  
6 with that, why don't we proceed with the agenda which,  
7 Dr. Rosenthal, I think is scheduled to give an  
8 overview of calculation strategy and followed by Dave  
9 Diamond on the calculation of the neutronics part of  
10 the accident and then Professor diMarzio to discuss  
11 the mixing model, I would imagine and thermal  
12 hydraulic calculations. With that why don't we  
13 proceed.

14 DR. ROSENTHAL: My name is Jack Rosenthal.  
15 I'm the Branch Chief of the Safety Margins and Systems  
16 Analysis Branch in the Office of Research. I'm going  
17 to give an overview and then Dave Diamond will present  
18 the mathematics calculations, Professor diMarzo mixing  
19 and then Dave Bassette really will put it together.  
20 We're going to present methods and then results, but  
21 I want to spend a few minutes on this.

22 We're presenting the results to a Thermal  
23 Hydraulic Committee but I consider this a fuel damage  
24 issue. You know, will we damage the fuel? And we're  
25 using for fuel damage limits insights that we've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 received from experimental work that we've done as  
2 well as Japanese work, some French work and especially  
3 French work and so that the fuel damage limits that  
4 we're thinking of are really not only for fresh fuel  
5 but also for burnt fuel and would tend to be far below  
6 the current regulatory limits. So I think that  
7 there's enough experimental basis now to be reasonably  
8 well-founded.

9 Well, in order to calculate fuel damage  
10 limits you have to calculate the enthalpy deposition  
11 in the fuel. In order to do that you do reactor  
12 kinetics calculations and we can really see the  
13 fruition of the investment that we made in the ability  
14 to do 3-D space time kinetics calculations succinct  
15 from point kinetics calculations to do more realistic  
16 analyses which is a commission to be more realistic.

17 Of course, one can challenge how well have  
18 you don't those calculations. Between the comparisons  
19 of the 3-D kinetics, the point kinetics typically us  
20 versus B&W and then against the Bars Code of Russian  
21 Work which is totally independent in terms of  
22 microscopic cross sections, I think we could argue  
23 that the reactivity -- the kinetics calculations are  
24 well-founded.

25 MEMBER RANSOM: Jack, when you mention

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 fuel damage, are you talking any fuel damage or is  
2 there some amount of fuel damage that would be  
3 considered acceptable, I guess?

4 DR. ROSENTHAL: I'm going to loop around  
5 all the way to the end, but what we're seeing is the  
6 old number of 280 calories per gram is based on  
7 melting the fuel and you get a volumetric expansion of  
8 maybe 130 percent and then you would burst the clad.  
9 Then you've got to consider hot material going out  
10 into the water and then you've got to worry about are  
11 you going to have a fuel coolant interaction. Well,  
12 the way to take that off the plate is to give yourself  
13 some assurance that you're not going to expel hot fuel  
14 into the water in the first place.

15 And for brand new pristine fresh fuel, you  
16 can argue that the 180 calories per gram is a good  
17 number but for high burn-up fuel, a number more like  
18 of the order of 80, 100, 120 calories per gram is a  
19 good number and there what I'm talking about is you  
20 know, not as a rate guide safety limit which we may  
21 come back to you on a year from now, we've already  
22 written a research information letter on it, but  
23 rather for the purposes of this analysis that we can  
24 argue that you don't fail the clad, then that's the  
25 end of that -- that terminates the event, so that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the kind of numbers that we should worry about and  
2 we'll talk about the extent in a little while.

3 Okay, so I think that my fuel damage is  
4 based on experiment is on reasonably good ground. My  
5 reactor kinetics, there's been a fair number of  
6 comparisons and some publications came out, so I think  
7 the reactor kinetics is on good ground and I think  
8 that the investment that we made is worthwhile and  
9 we'll use that same model. This is coupled RELAP but  
10 that's the same COX code that's couple to tray so  
11 that's worthwhile. So then you have to ask, okay, how  
12 good are the boundary conditions to the reactor  
13 kinetics code do you have and that is how much diluted  
14 water can you move from someplace in the primary  
15 system into the core and that's the thermal hydraulics  
16 part of the assessment.

17 We're talking about a LOCA -- oh, and on  
18 the thermal hydraulics part, I think that we have done  
19 sufficiently conservative work that we can say that  
20 we're realistically conservative and, of course,  
21 that's the hurdle that we'll have to prove this  
22 afternoon. In terms of the recriticality analysis,  
23 for Westinghouse and combustion, we did pump restart  
24 calculations. The size of the piping and the loop  
25 seal is just plain smaller than on a B&W plant with,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you know, the steam generated. So that we predict  
2 that you don't go recritical with a pessimistic slug  
3 and if you don't go recritical with a pessimistic  
4 slug, I think we've dismissed -- you know, that that  
5 concludes the issue for Westinghouse and CE and what'  
6 nice about that is, I believe it's reasonably robust.

7 I can go up and I can pick the pipe and I  
8 say that pipe is five, 10 times smaller than the B&W  
9 pipe and see it and so that's robust and as I say,  
10 we're not going to go recritical. For Framatome,  
11 things are more difficult. The volume is largely --  
12 the amount of slugs that you can put into the core is  
13 larger. Professor diMarzo will talk about the slug  
14 formation but at least for Westinghouse combustion, I  
15 think we have a robust case. Framatome we're more  
16 reliant on our understanding of our analysis.

17 CHAIRMAN WALLIS: And Framatome themselves  
18 had some analyses which showed large amounts of energy  
19 close to the new fuel.

20 DR. ROSENTHAL: Right, and they did that  
21 with coin kinetic calcs and with 3-D space time  
22 kinetics you're going to get lower numbers.

23 CHAIRMAN WALLIS: But their numbers, what  
24 they submitted was actually not very good from the  
25 point of view of fuel damage, I understand, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 numbers they came up with.

2 DR. ROSENTHAL: Right, not very good in  
3 the sense that you would damage fuel.

4 CHAIRMAN WALLIS: You would damage fuel,  
5 right, so why is it up to the staff to show that they  
6 didn't damage fuel if they already predicted that they  
7 did?

8 DR. ROSENTHAL: It's whatever the number  
9 is, let the truth prevail.

10 CHAIRMAN WALLIS: Yeah, but it seems to me  
11 you're doing to work for them.

12 MR. DUDLEY: Noel Dudley from the Office  
13 of Research. Even B&W identified the fact that they  
14 would have core damage, they put a criteria in their  
15 emergency response procedure where they would initiate  
16 natural cooling initially to mitigate that condition.

17 DR. ROSENTHAL: So now let me just expound  
18 on that a little bit. For Framatome, we predict that  
19 yes, you can go recritical and talking to my peers for  
20 example, that run a PKL, they're concerned about going  
21 recritical and they had stopped. What's different in  
22 this analysis is that we said, "Okay, if you do go  
23 recritical, what will the excursion be and what will  
24 the enthalpy of fuel be and can the fuel take it? So  
25 this is considerably different from what the Europeans

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are doing in the sense of we're taking it to next  
2 step, next step, next step.

3 Natural -- restart of natural circulation  
4 which you can't help. It's going to happen whenever  
5 the temperature is -- is much slower than if you  
6 restart the reactor coolant pump. And what we are  
7 predicting is that for restart of natural circulation  
8 that you would have an excursion and you're going to  
9 hear a lot more about it, but it would be sufficiently  
10 benign that you won't damage fuel. For restart of a  
11 reactor coolant pump faster, the most recent  
12 calculation -- I mean, the calculations we've done  
13 show that acceptable results but more severe. It's a  
14 faster transient. You'll get numbers later.

15 CHAIRMAN WALLIS: One would suspect it  
16 would be the other way. You can have a slug which  
17 never mixed and you slowly move it into the core, it  
18 takes more time in there. It would be worse transient  
19 because you don't pump it through quickly.

20 DR. ROSENTHAL: Well, David and I were  
21 thinking, you know, Doppler, you're thinking  
22 milliseconds, right? Fuel rods, you're thinking --  
23 the newer rods are thinner, so but a more traditional  
24 number might be seven, eight seconds is a typical fuel  
25 time constant with newer rods, maybe six seconds for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a time constant and then the mass transport that  
2 you're describing is much, much slower. There's  
3 plenty of time for the Doppler feedback to work.

4 CHAIRMAN WALLIS: With the pump or the  
5 circulation, it's still more time.

6 DR. ROSENTHAL: Well, surely more time  
7 with natural circulation.

8 CHAIRMAN WALLIS: Yes, much more time.

9 DR. ROSENTHAL: So you would expect a more  
10 benign result because there's more time for the  
11 feedbacks to take place. Okay, so and I'll speed up  
12 because I've gone over this somewhat. We did couple  
13 thermal hydraulic neutronics calculations and I'm  
14 proud that we invested in the tools because now we  
15 have the tools to actually deal with the issues.  
16 You'll hear from Dr. diMarzo in his mixing models and  
17 slug formation which I thought at a prior subcommittee  
18 meeting you were comfortable with.

19 And then Dave will discuss systems  
20 analysis and end results and okay. Conclusions, no  
21 recriticality procedure in Westinghouse. I would  
22 argue that that's a -- we should -- that ends it. B&W  
23 a problem but I think it's a low consequence event and  
24 so that regulatory action isn't needed. I'm sorry,  
25 let me go back. Okay, so now we've --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Has this problem been  
2 resolved in other countries?

3 DR. ROSENTHAL: No.

4 CHAIRMAN WALLIS: So it's still under  
5 study in Germany or places like that or France?

6 DR. ROSENTHAL: In Germany there's PKL  
7 Experiments, that's an OECD project contributed by  
8 several other countries. The focus of that work is on  
9 the fluid transport in PKL where, as I said, they  
10 haven't taken these additional steps.

11 CHAIRMAN WALLIS: Well, we went to see  
12 them several years ago. They had CFT calculations of  
13 the --

14 DR. ROSENTHAL: Of the fluid.

15 CHAIRMAN WALLIS: Yeah.

16 DR. ROSENTHAL: But not of the neutrons.

17 CHAIRMAN WALLIS: And they haven't  
18 resolved the problem yet?

19 DR. ROSENTHAL: It's still being studied  
20 and we are participants in the OECD project which  
21 focused on the -- as I say on the fluid dynamics and  
22 impacts. Okay, it focuses on the fluid dynamics.

23 In the -- what we're talking about is a  
24 reasonably low probability event. You have to have a  
25 small break LOCA. You have to terminate that LOCA.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 You have to have a -- I'm sorry. You have a small  
2 break LOCA. You interrupt ECCS injection and then you  
3 regain that system and there's a window. In terms of  
4 criticality it's got to be reasonably early in the  
5 fuel cycle or the problem at end of cycle is no boron  
6 left. So it has to be early in the fuel cycle.

7 CHAIRMAN WALLIS: So was we go to power up  
8 rates for PWR --

9 DR. ROSENTHAL: The window would become  
10 bigger, worse.

11 CHAIRMAN WALLIS: -- you get more boration  
12 in the beginning to counteract the higher reactivity,  
13 there would be more time when --

14 DR. ROSENTHAL: The rate of fraction with  
15 cycle, yes.

16 MEMBER SIEBER: It depends on whether they  
17 use soluble boron --

18 DR. ROSENTHAL: Gadolinium or dysprosium  
19 or God knows what else.

20 MEMBER SIEBER: Right, and so you can't  
21 say for sure exactly what --

22 DR. ROSENTHAL: The window would be.

23 MEMBER SIEBER: Right.

24 MR. CARUSO: You only looked at the lower  
25 loop plants, not -- the raised loop B&W plants don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 have that problem so -- this problem, right?

2 DR. ROSENTHAL: We only looked at the  
3 lower.

4 CHAIRMAN WALLIS: Because otherwise  
5 they're up there and the water drains out and --

6 MR. CARUSO: Well, they don't have as much  
7 volume.

8 CHAIRMAN WALLIS: So it's a small number  
9 of plants.

10 MR. CARUSO: Davis Bessie is a raised loop  
11 plant, right?

12 DR. ROSENTHAL: Yes.

13 MR. CARUSO: So this is an accident that  
14 cannot occur at Davis Bessie, maybe the only one that  
15 they can never experience in their lifetime.

16 DR. ROSENTHAL: Think in terms of cubic  
17 meters.

18 PARTICIPANT: I would say that's correct  
19 because Davis Bessie has a much smaller loop seal.

20 MR. CARUSO: You're sure there's no way  
21 they can figure out a way to -- they're very creative  
22 there.

23 MR. BASSETTE: They'll figure out a way,  
24 sure.

25 DR. ROSENTHAL: Okay, if you have the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 excursion then you have control rods in the reactor.  
2 You're still at the reactivity excursion will -- if  
3 the maximum power occurs in a new fuel rod, then you  
4 have -- then you're probably more like the 280 calorie  
5 per gram limit. If the fuel pattern is such that the  
6 maximum power enthalpy deposition is in the -- is in  
7 a high burn-up rod with -- conceivably could be, I  
8 don't know what the rod patterns would be, some time  
9 in the future, then you ought to use the lower 80,  
10 100, 120 calories per gram as a measure.

11 CHAIRMAN WALLIS: It doesn't matter what  
12 the maximum is. It matters about whether or not the  
13 new fuel has 280 and the old fuel has 80.

14 DR. ROSENTHAL: Right.

15 CHAIRMAN WALLIS: The new fuel would be  
16 hotter than the old fuel and the old fuel is still at  
17 risk. So it's not the hottest place that you worry  
18 about.

19 DR. ROSENTHAL: It's combined with --  
20 right. That's the extent of it and also we have an  
21 extent of an axial limit, the extent axially of  
22 damage, so that it's not the entire core that we're  
23 talking about. We're talking about some -- and you'll  
24 hear more from Dave Diamond on a limited extent of the  
25 core radially and axially. The last thing is I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 talking about now an event in which I have ECCS by  
2 definition, okay. So if I damage fuel, which we don't  
3 think will happen, then it would occur in a system --  
4 primary system integrity and ECCS as the consequences,  
5 we perceive, would be reasonably small.

6 Okay, the last thing is we think that the plant  
7 with the problem is the B&W lower loop plant where the  
8 operators turn on the reactor coolant pumps and that's  
9 the very situation in which operating plant procedures  
10 already exist. So when I put that together I can say  
11 that I believe that the consequences of the event  
12 would be reasonably small. Okay, so that's on the  
13 technical stuff.

14 Now, just a couple of the admin --

15 CHAIRMAN WALLIS: Have you look at from  
16 the beginning of life to end of life? Is the  
17 beginning the worse situation?

18 DR. ROSENTHAL: Right, Dave will --

19 CHAIRMAN WALLIS: It's better as you go  
20 on, I guess.

21 DR. ROSENTHAL: Right, I mean, in the  
22 limit, at end of cycle there's zero boron  
23 concentration.

24 CHAIRMAN WALLIS: Right, there's no boron.

25 DR. ROSENTHAL: So there's no issue. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 then somewhere through the cycle it's an issue.

2 CHAIRMAN WALLIS: Well, somewhere in the  
3 cycle the control rods control. You don't need the  
4 boron.

5 DR. ROSENTHAL: In PWR --

6 CHAIRMAN WALLIS: You really need the  
7 boron for about half the cycle or something, whatever  
8 it is.

9 DR. ROSENTHAL: In a PWR the rule of thumb  
10 is that half the reactivity is held down by the rods  
11 and about half by the solid boron --

12 CHAIRMAN WALLIS: At the beginning.

13 DR. ROSENTHAL: -- at the beginning of  
14 cycle. And you can -- even at the beginning of the  
15 cycle, you can to down to like three, 400 F on rods  
16 alone. Okay, now, I'm virtually done. So we make  
17 these presentations to the subcommittee and I think  
18 that we were reasonably persuasive technically but we  
19 had not written up a comprehensive story. Do Dave  
20 Bassette wrote the new one which we provided in draft  
21 form. Your comments are well-taken. Dave's attempted  
22 to address or fix comments, issues. Marino is  
23 prepared to speak. I mean, everybody is prepared to  
24 speak to the issue but it was -- thank you. I'm  
25 sorry.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Is a new draft  
2 available?

3 DR. ROSENTHAL: I did not produce a new  
4 draft. And the -- and the reason is that I didn't  
5 want to reset the clock on the process. I mean, we  
6 can provide you what we've written.

7 MEMBER SIEBER: Is it on the website?

8 DR. ROSENTHAL: Excuse me. It's not on  
9 the website yet. It's not published. Now, how you  
10 want to handle -- I mean, we can discuss how you want  
11 to handle Dave's rewrites of sections is fine. I  
12 didn't want to introduce new material because as soon  
13 as I introduce new technical material, then I think I  
14 owe the committee, you know, a full time span to  
15 review technical material for editorial clarifications  
16 or moving some of the material from the main body to  
17 appendix, et cetera.

18 CHAIRMAN WALLIS: Well, I think you could  
19 certainly -- whether it's new material or not, you  
20 could certainly clarify some of the assumptions about  
21 mixing and the verification of those assumptions by  
22 testing and perhaps a sensitivity to some of those  
23 assumptions in a clearer way than we saw before.

24 DR. ROSENTHAL: Right, and diMarzo is  
25 nodding his head up and down behind you that we think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that we've done that, so I'm going to get out of the  
2 way so you can hear technical talk. But in terms of  
3 resolving the issue, I think we have a -- you know, as  
4 distinct from how well is this report written, that  
5 we've now amassed all the information in one place.

6 CHAIRMAN WALLIS: Is this going to the  
7 full committee in a week, two weeks?

8 PARTICIPANT: Yes.

9 CHAIRMAN WALLIS: Well, how can we do it  
10 if you don't have a final document?

11 DR. ROSENTHAL: Well, we've given you the  
12 report.

13 CHAIRMAN WALLIS: You've given us the new  
14 report?

15 DR. ROSENTHAL: No, we've given you a  
16 report --

17 CHAIRMAN WALLIS: Well, that's not good  
18 enough.

19 DR. ROSENTHAL: -- that contains all of  
20 the information. I'm sorry, I'm beginning to sound  
21 argumentative, so I apologize.

22 CHAIRMAN WALLIS: So you want us to make  
23 a decision based on --

24 DR. ROSENTHAL: On what we've given you.

25 CHAIRMAN WALLIS: -- an unmodified report.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. ROSENTHAL: Right.

2 CHAIRMAN WALLIS: Have you carte blanced  
3 it and modified it any way you like? We usually like  
4 to review the final thing, then we know what we've  
5 done.

6 MEMBER KRESS:: Except if he's right and  
7 all he's doing is making editorial changes.

8 CHAIRMAN WALLIS: If it's editorial  
9 changes, but if it's something significant --

10 DR. ROSENTHAL: No, then you're right and  
11 that's what I'm saying that we'd have to reset the  
12 clock.

13 CHAIRMAN WALLIS: It's just editorial  
14 changes.

15 MEMBER KRESS:: Reset what clock?

16 DR. ROSENTHAL: If I introduce -- in my  
17 own mind, if I introduced new technical materials  
18 which altered this -- the technical substance of the  
19 report, then I ought to resubmit that to you let a  
20 couple of months go by and meet again with you. If  
21 the technical material is as we said and we're just  
22 clarifying or moving text, et cetera, around, as an  
23 editorial exercise, but not for the purpose of  
24 changing the conclusions or the technical substance,  
25 then we can do that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER RANSOM: Well, the one thing that  
2                   seemed inadequate in the report was the discussion of  
3                   the mixing model and what it was, how it was used, you  
4                   know, in the calculations and without that being  
5                   clarified, I don't see how you could pass that report  
6                   because it is not convincing the way it is.

7                   DR. ROSENTHAL: Let's -- why don't we  
8                   proceed if that's okay, get some substance up here and  
9                   then figure out what to do?

10                  CHAIRMAN WALLIS: You mean, you gave us no  
11                  substance, Jack.

12                  DR. ROSENTHAL: Now, comes the heavy --  
13                  no, I consider that an overview, but I hope --

14                  MEMBER KRESS:: Jack, that was one of the  
15                  better overviews we've had.

16                  CHAIRMAN WALLIS: Yes, I think it was.

17                  MEMBER KRESS:: Now, are you a refined  
18                  diamond or a diamond in the rough?

19                  MR. DIAMOND: In the rough. Good  
20                  afternoon, gentlemen. I'm David Diamond from  
21                  Brookhaven National Laboratory and I'm going to  
22                  explain to you how the analysis of the boron dilution  
23                  transient was carried out using reactor analysis  
24                  capability that has been developed by RES. Let me --  
25                  before I tell you exactly what I'm going to be doing,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 let me just acknowledge my co-workers at Brookhaven,  
2 the people at Purdue who work on -- the people at  
3 Purdue who developed the code and who provide support  
4 to us on an almost daily basis as we apply the code.  
5 People at Penn State, I want to acknowledge, they've  
6 provided the cross section data that we used in this  
7 study and of course, my colleagues at the NRC.

8 MEMBER SIEBER: The cross sections that  
9 were provided, are they different than the ENDFB?

10 MR. DIAMOND: They're based on the ENDFB.

11 MEMBER SIEBER: Okay, so what's special  
12 about them?

13 MR. DIAMOND: They're processed down to --  
14 as a matter of fact I'll explain that a little bit  
15 this afternoon and hopefully, you'll be able to see  
16 how they differ. ENDFB are a very fundamental set  
17 of data which has to be processed in the context of  
18 the reactor that you're using it for.

19 MEMBER SIEBER: That's right.

20 MR. DIAMOND: So you have to take into  
21 account the energy spectrum in the reactor and the  
22 spatial distribution within the reactor in order to  
23 reduce --

24 MEMBER SIEBER: That's right.

25 MR. DIAMOND: Okay, and I'll explain this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in a little bit more detail momentarily.

2 MEMBER SIEBER: All right.

3 MR. DIAMOND: As a matter of fact, I'm  
4 going to spend very little time talking about the  
5 objectives of the study. Most of the time I will  
6 spend talking about the reactor analysis methodology  
7 which does involve generating cross sections. So  
8 please ask some more questions at that time. I'll  
9 spend a little bit of time talking about the results  
10 of the transient analysis that we did. I also want to  
11 say a little bit about the fuel cycle and the  
12 potential for boron dilution. You just started to  
13 bring that subject up as Jack was finishing his talk.  
14 So I'll say something about that. That's kind of  
15 independent of PARCS relap but I think it might be of  
16 interest to you and then I have some conclusions that  
17 I'd like to state and I guess I'm going to have news  
18 instead of bullets throughout. I hope I don't have  
19 any other surprises.

20 MEMBER SIEBER: You'll find out.

21 MR. DIAMOND: Yeah. So our objective,  
22 that is at Brookhaven, our objective was rather  
23 straightforward, to understand the consequences of a  
24 boron dilution event as defined in GSI 185 and as Jack  
25 just described. And what that means is to provide

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 deterministic calculations of the peak fuel enthalpy  
2 or the --

3 CHAIRMAN WALLIS: Or -- go ahead.

4 MR. DIAMOND: -- or equivalently, the  
5 energy deposited into the fuel as a result of this  
6 power exertion that can potentially happen --

7 CHAIRMAN WALLIS: I don't understand  
8 enthalpy being the variable. You're putting energy  
9 in and it's not doing work. There's no flow. Why  
10 does PV appear in --

11 MR. DIAMOND: Okay, because generally,  
12 when people talk about fuel behavior, they  
13 characterize whether or not you're going to have  
14 damage according to what the increase in fuel enthalpy  
15 is in the pellet. This is for the type of transient  
16 in which you have a paracooling mismatch as a result  
17 of having a rapid power excursion. Obviously, if you  
18 had a paracooling mismatch caused by a decrease in  
19 coolant, and you had an increase in clad temperature  
20 as a result of that type of mismatch, then you  
21 characterize the fuel damage according to DNB or  
22 critical heat --

23 MEMBER KRESS:: I think you'll find out  
24 that the enthalpy is CPT in this case.

25 CHAIRMAN WALLIS: So it --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS:: So it doesn't --

2 CHAIRMAN WALLIS: It doesn't vary, it's  
3 just the same as energy, internal energy.

4 MEMBER KRESS:: Yeah.

5 MR. DIAMOND: Oh, it is. It is. That's  
6 what we're talking about energy deposition, right.

7 CHAIRMAN WALLIS: So we won't get into  
8 whether or not enthalpy is the right word. We know  
9 what you mean.

10 MEMBER KRESS:: Well, not maybe later if  
11 you're going to calculate that gets done by the  
12 expansion.

13 CHAIRMAN WALLIS: This is the kind of  
14 thing that you ask at a doctoral exam to find out if  
15 the fundamental thermodynamics are correct. I  
16 understand what you mean. I'm not going to quibble  
17 but I'm not sure why you use enthalpy as the variable.  
18 That's okay.

19 MEMBER SIEBER: It's traditional.

20 MR. DIAMOND: It's traditional and that's  
21 as good a reason as any.

22 MEMBER KRESS:: And there's no reason not  
23 to because it is just CPT.

24 CHAIRMAN WALLIS: See, you put the energy  
25 in.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DIAMOND: Correct.

2 CHAIRMAN WALLIS: And it goes into energy  
3 of the fuel also pushing back the surroundings.  
4 Pushing back the surroundings is the PV part but that  
5 doesn't stay in the fuel. It's gone out, it's been  
6 gone, so it's really energy presumably but I'm not  
7 going to quibble about it. It's gone.

8 MR. DIAMOND: It could be Jules, it could  
9 be -- you know, it's energy. And as I say, because  
10 the fuel damage limits are given in terms of the  
11 increase in fuel enthalpy rather than Jules or  
12 something else, that's the parameter that we calculate  
13 and we define it as the average over the pellet.

14 CHAIRMAN WALLIS: Truly the temperature  
15 you care about.

16 MR. DIAMOND: It's the temperature. It's  
17 exactly the same thing that the parlance that we use  
18 is fuel enthalpy but you're absolutely right.

19 CHAIRMAN WALLIS: Enthalpy never hurt  
20 anybody but temperature did.

21 MEMBER RANSOM: How is it deposited in the  
22 fuel model itself, you know, which has an energy  
23 source term basically throughout the radius of the  
24 pellet and then conduction is -- there is a conduction  
25 model and out through the clad and so on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DIAMOND: Yes.

2 MEMBER RANSOM: You say this is the  
3 average.

4 MR. DIAMOND: It's the average enthalpy.  
5 The energy is deposited making an assumption about its  
6 radial distribution across the pellet.

7 MEMBER RANSOM: Is it uniform then?

8 MR. DIAMOND: Yes, the assumption that we  
9 make is that it is uniform. However, we have done  
10 parametric studies to look at the effect of having the  
11 energy deposition peaked towards the periphery of the  
12 pellet where -- as it is truly.

13 MEMBER SIEBER: That's just an artifact of  
14 the way you modeled it because you can actually model  
15 the pellet as --

16 MR. DIAMOND: No, we could model it and we  
17 have modeled it.

18 MEMBER SIEBER: Yes, right.

19 MR. DIAMOND: And as I say, this is --

20 MEMBER KRESS:: It probably doesn't matter  
21 much because when you develop the acceptance criteria  
22 that 80 through 100 some calories per gram, it's  
23 calculated this way and so you know, it washes out in  
24 the acceptance criteria.

25 MEMBER SIEBER: If that's the benchmark,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 then you need to calculate based on the benchmark.

2 MEMBER KRESS:: You need to calculate --  
3 the way you do it, do the calculation to get the  
4 actual damage state.

5 MR. DIAMOND: Right, and so you have to  
6 calculate the pellet radial average. Whether you  
7 assume that the energy deposition in the pellet is  
8 uniform or is peaked towards the edge is something  
9 that we look at in terms of parametric studies that we  
10 do and it's not an important effect here.

11 CHAIRMAN WALLIS: Would this apply to MOX  
12 field?

13 MR. DIAMOND: It applies to any field.

14 CHAIRMAN WALLIS: MOX field which had  
15 plutonium not mixed in very well?

16 MEMBER KRESS:: There's some question  
17 about that but there's some research going on.

18 MEMBER SIEBER: Well, there's some self-  
19 shielding that goes on. You can model that but most  
20 people don't. They just look at the overall --

21 MR. DIAMOND: The limits on fuel enthalpy  
22 were of course, derived for --

23 MEMBER SIEBER: Uranium fuel.

24 MR. DIAMOND: -- yeah, for uranium fuel  
25 and for burned -- you know, it's supposed to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 applicable to burned fuel but obviously, not to MOX.

2 CHAIRMAN WALLIS: The problem with MOX is  
3 if the plutonium isn't mixed thoroughly in, you get  
4 regions where it's different.

5 MR. DIAMOND: Sure, yeah. Okay, so this  
6 is what our objective is, to calculate the fuel  
7 enthalpy throughout the core and, of course, we do  
8 different parametric studies to determine the effect  
9 of assumptions, one of which I just mentioned, namely  
10 the way the energy is deposited within the pellet.  
11 Okay, flow rate is another example of a parameter that  
12 we've looked at in the past, and of course, we've  
13 looked at different parameters which describe the slug  
14 and also describe the reactor.

15 MR. TRAIFOROS: Let me ask you, David, did  
16 you bottom up for resolution of this issue or top to  
17 bottom? I mean the way I'm trying to say, have you  
18 looked at all the slugs for a duration and the size  
19 and concentration to see what kind of -- in the space  
20 of duration of the -- I mean the velocity of the flow  
21 rate and concentration and the size basically?

22 MR. DIAMOND: We've looked at a variety of  
23 cases sufficient in our minds to give us an idea that  
24 we understand what's going on given the boundary  
25 conditions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. TRAIFOROS: So this statement that  
2 flow rate, lower flourate would be less severity to  
3 clad is true?

4 MR. DIAMOND: Yes, and --

5 MR. TRAIFOROS: Under all -- independent  
6 of concentration?

7 MR. DIAMOND: It's not totally independent  
8 of concentration but --

9 MR. TRAIFOROS: Do they have a kind of  
10 relationship --

11 MR. DIAMOND: Yes, but for the cases that  
12 I'm going to show here, the answer is yes, that the  
13 flow rate is key because as I will show you -- why  
14 don't I wait until I show them to you? Okay?

15 So let me continue by digressing a little  
16 bit because I'm going talk now about the methodology  
17 which has been developed by RES and just to give you  
18 an appreciation of the tools that we're using. And of  
19 course, that methodology is the coupling of RELAP 5  
20 with PARCS and you're all intimately familiar with  
21 RELAP 5. I'm not going to say much about it but I  
22 will talk about PARCS which, of course, calculates the  
23 neutron kinetics and hence, the pellet distribution  
24 throughout the core as a function of time.

25 CHAIRMAN WALLIS: Well, RELAP lumps the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 core into certain regions, does it?

2 MR. DIAMOND: Yes.

3 CHAIRMAN WALLIS: But PARCS looks at  
4 everything, individual channels?

5 MR. DIAMOND: Yes, and PARCS looks at  
6 everything as I will show you and RELAP models thermal  
7 hydraulic channels but it models multiple thermal  
8 hydraulic channels so that you can have a thermal  
9 hydraulic channel for each fuel assembly and that's  
10 how the --

11 CHAIRMAN WALLIS: So you're actually going  
12 down to that detail, your modeling each fuel assembly  
13 in RELAP?

14 MR. DIAMOND: Yes, and I'll show you that.

15 CHAIRMAN WALLIS: Okay, thank you.

16 MR. DIAMOND: I have a list here of  
17 capabilities in the code which I am not going to talk  
18 about. I'm not even going to read this list but I put  
19 it in your package there so you know that PARCS is  
20 even more sophisticated than what I'm going to  
21 describe to you. So these are not relevant to the  
22 study today but if at some other time, you wanted more  
23 information about those capabilities, we could talk  
24 further.

25 So what I have to do is I have to tell you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a little about the theoretical models in PARCS, a  
2 little bit about the cross section data and other  
3 nuclear data which goes into PARCS because this is  
4 just as important as the theoretical models. And  
5 then, of course, the description of the reactor within  
6 PARCS is also equally important and I'm going to touch  
7 on all three of those things. So let me start with  
8 fundamentals. The equations that are solved in PARCS  
9 or the neutron balance equations for two neutron  
10 energy groups and those neutron balance equations are  
11 based on diffusion theory which has been found to be  
12 valid for oh so many light water reactor core analysis  
13 problems.

14           Diffusion approximation, which you're all  
15 familiar with, allows you to simplify the Boatsman  
16 equation down to the diffusion equation but for  
17 kinetics in addition to that neutron balance for the  
18 two neutron energy groups, you have to have the  
19 neutron precursor groups and there are six of those  
20 and so there are additional equations which couple to  
21 the neutron balance equations. And that allows you to  
22 solve for the flux in each of two energy groups, so G  
23 equal 1 and 2 here. And that's a flux that's based on  
24 Cartesian geometry so it's a function of X, Y and Z,  
25 and of course, it's a time dependent solution.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PARCS has the ability to look at full  
2 core, half core, different symmetries which makes it  
3 useful. And it has the ability to look at different  
4 boundary conditions at the outside of your solution  
5 space. But, of course, what's most important is that  
6 you pick the boundary condition which gives you the  
7 correct solution in the fueled part of the reactor  
8 because as I will show you, you actually model not  
9 only the fuel part of the reactor, but the reflector  
10 region adjacent to the reactor.

11 And then what it requires are homogenized  
12 assembly properties and I'm going to say a little bit  
13 more about --

14 MEMBER RANSOM: Are there any  
15 conservatisms in the analysis or should this be  
16 considered a realistic analysis?

17 MR. DIAMOND: It should be considered a  
18 realistic analysis based on the limitations of the  
19 model, yeah.

20 MEMBER SIEBER: So what you've prescribed  
21 so far is like a PDQ7.

22 MR. DIAMOND: Exactly.

23 MEMBER SIEBER: Kind of calculations.

24 MR. DIAMOND: Sure. So here is a plainer  
25 view of a core and you see that it's mapped into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 boxes. Each box is a fuel assembly except that the  
2 yellow boxes represent regions of the reflector. And  
3 there is a whole bunch of stuff in those reflector  
4 regions; steel, water, and the same is true at the top  
5 and the bottom. You're going to have reflectors. So  
6 each of these boxes is a fuel assembly and the fuel  
7 assembly consists of many fuel rods. What we have in  
8 the PARCS representation is a homogenization of these  
9 fuel rods, so you no longer have this hetrogenious  
10 structure but rather the structure has somehow been  
11 homogenized and I'll explain that.

12 MEMBER RANSOM: So you have like a single  
13 rod but it's multiplied by the number of rods that you  
14 have in the system in terms of energy?

15 MR. DIAMOND: No, it's more complex than  
16 that because the bundle is not necessarily a repeating  
17 array of signal rods. It depends on what the bundle  
18 looks like and you can imagine VWR bundles are, of  
19 course, more complex than PWR bundles but even a PWR  
20 bundle has different things in there. It may have  
21 uniform enrichment across here but over here there may  
22 be a control rod and in the center there may be a  
23 guide to, just for an instrumentation tube, so it's  
24 not a repeating array. It's a complex hetrogenious  
25 assembly. Nevertheless, it goes through a process

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which allows you to describe it using uniform  
2 properties.

3 MEMBER SIEBER: Do you have the burn-up  
4 gradient built into that homogenized cell?

5 MR. DIAMOND: Yes, that burn-up gradient  
6 will be represented at this level but when you do the  
7 homogenization, it disappears because the properties  
8 are uniform everywhere in this homogenized fuel  
9 assembly and that's what goes into the PARCS  
10 calculation.

11 MEMBER SIEBER: So you actually can't find  
12 the hot rod. You find that average assembly power  
13 which is an under-estimate of whether you're going to  
14 get damage or not.

15 MR. DIAMOND: Actually, there is a  
16 dehomogenization process that you can get to go  
17 through and that's represented over here. This  
18 dehomogenization process allows you to reconstruct the  
19 detail power pin by pin --

20 MEMBER SIEBER: So I'm your straight man,  
21 right?

22 MR. DIAMOND: Yes. But --

23 MEMBER SIEBER: Why do they go to that  
24 trouble? Why don't they just carry it through like  
25 the old fashioned color --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DIAMOND: Oh, the old fashioned  
2 because there's a big savings here.

3 MEMBER SIEBER: You can do this on a PC I  
4 take it.

5 MR. DIAMOND: Yeah, instead of 17 by 17 is  
6 what 300 additional --

7 MEMBER SIEBER: Right.

8 MR. DIAMOND: -- pieces that you have to  
9 keep track of. It makes the computation difficult.  
10 One day it will be done that way, but we're not there  
11 yet.

12 MEMBER SIEBER: Okay.

13 MR. DIAMOND: And I'm talking about even  
14 for research tools, not just for production tools.

15 MEMBER SIEBER: Right. So there is -- how  
16 much accuracy do you lose through the  
17 homogenization/dehomogenization process because the  
18 reason why you do that is to run it on a PC.

19 MR. DIAMOND: Let's put it this way; you  
20 are not -- for the case of interest today, the boron  
21 dilution event, you're not sacrificing anything in  
22 here because we're not interested --

23 MEMBER SIEBER: It's all relative.

24 MR. DIAMOND: Yeah, we're not interested  
25 in such precision for this analysis that we need --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: You're actually looking  
2 for the delta in enthalpy as opposed to the absolute  
3 value.

4 MR. DIAMOND: Yeah.

5 MEMBER SIEBER: So you require less  
6 precision to find the delta than you do that absolute  
7 value, in my view because all these anomalies sort of  
8 cancel out.

9 MR. DIAMOND: Yeah. No, all I'm saying is  
10 though is that if the peaking factor across here is  
11 you know, plus or -- you know, it's 1.2 plus or minus  
12 .2, that's within the accuracy of this calculation, so  
13 I don't care.

14 MEMBER SIEBER: Okay, all right.

15 MEMBER RANSOM: David, what I was asking  
16 you earlier, I guess, how many rods are explicitly  
17 modeled in terms of conduction, energy generation, you  
18 know, in this homogenized model?

19 MR. DIAMOND: Okay, so there would be one  
20 in the RELAP model.

21 MEMBER RANSOM: One.

22 MR. DIAMOND: There would be one average  
23 rod modeled for this fuel assembly.

24 MEMBER RANSOM: Okay.

25 MR. DIAMOND: Okay, so now let me get into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the cross section modeling, which, as I said, is quite  
2 important. And first, I just want to give you an idea  
3 of the complexity. When we say we need cross section  
4 sigma, well, what do we mean by that? Actually, for  
5 the two-group equations there are nine cross section  
6 types that need to be supplied to solve those neutron  
7 balance equations. They need to be supplied at each  
8 mesh at which the diffusion equation is being solved,  
9 each mesh or each what we call fuel composition. So  
10 you need cross sections which represent the -- are  
11 related to the absorption rate. They're related to  
12 neutron transport and that's equivalent to thinking in  
13 terms of a diffusion coefficient.

14           You need things that tell you something  
15 about the rate at which neutrons are produced, that's  
16 Nu fission, the rate at which energy is generated,  
17 that's Kappa fission. Kappa is the energy for fission  
18 and you need information about the scattering from  
19 group 1, the fast group, down to group 2, the thermal  
20 group. So sigma must be known for each mesh and  
21 hence, it depends on the fuel type in that mesh and it  
22 depends on the effect of burn-up. Now this is  
23 important because what you have initially is you have  
24 a fuel rod that's got U-235, it's got U-238, it's got  
25 some oxygen, but bam, you put it in there and after a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 day, you've got a dozen actinides in there, you've got  
2 100 fission products and how do you keep track of  
3 that.

4 And the way in which we keep track of that  
5 is to characterize burn-up with very simple  
6 parameters. The most simple parameter is just the  
7 exposure in terms of gigawatt days per ton. That  
8 tells you how much energy has been generated, that  
9 tells you how many fissions there are, but that's not  
10 sufficient because if those -- if that energy has been  
11 generated in a neutron energy spectrum that is more  
12 towards thermal energies or more towards fast  
13 energies, that makes a difference. And so we  
14 introduce a second parameter to characterize the burn-  
15 up which has to do with the spectral history and for  
16 PWR that's convenient to choose that as moderator  
17 density history.

18 And that says, ah, the fuel is burned at  
19 the top of the core where the density is less than the  
20 fuel that was burned at the bottom of the core.

21 MEMBER RANSOM: David, I don't want to  
22 minimize this part of the analysis but I think this  
23 part was the part that was most understood, trusted  
24 and consequently there were not as many, I think  
25 doubts or questions about this, so you can probably go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a little bit quicker and --

2 MR. DIAMOND: Okay, sure.

3 MEMBER RANSOM: -- unless somebody really  
4 has a concern with this.

5 MR. DIAMOND: Okay, I didn't want to get  
6 up and lecture, but, you know, it was felt that this  
7 might be of interest, so let me skip the --

8 MEMBER RANSOM: I think the particular  
9 aspects that we'd like to know about is how is this  
10 patched into the rest of the analysis and are there --  
11 what are the concerns there.

12 MR. DIAMOND: Okay, and so even this might  
13 be a little bit peripheral so let me just continue.

14 MEMBER SIEBER: Well, the neutronics part  
15 is just one element of the whole problem.

16 MR. DIAMOND: Right, right. So okay, so  
17 let's pretend we've gotten a thorough understanding of  
18 this and I'll say a little bit more about the reactor  
19 model. I just wanted to show one graphic which would  
20 show you an application of this because it shows what  
21 PARCS is able to do and what I'm going to show you is  
22 a calculation of a steam line break and I'm going to  
23 show you the power as a function of radial position.  
24 So this is average radial power during a steam line  
25 break where first the primary circuit starts to cool

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Then you get control rods entering.

2 You get ECCS entering. The reactor starts  
3 to shut down but it's still being cooled by the broken  
4 steam line, so the power starts to come up again.  
5 It's assumed that the cold water is coming in, in one  
6 quadrant and in this case it's assumed that there's a  
7 stuck rod in that quadrant. But this just can give  
8 you an idea of the result of a calculation.

9 And, of course, this is a visual that's  
10 nice for --

11 MEMBER RANSOM: Well, this is over time as  
12 the action progresses.

13 MR. DIAMOND: Yes, it's over time. It  
14 gives you general information. Obviously, the  
15 information that you really want out of the code is  
16 something more specific like you know, how many  
17 calories per gram in that -- well, maybe not in this  
18 case, but you know, what's the fuel temperature here  
19 or the moderator temperature or whatever.

20 CHAIRMAN WALLIS: What's the scale  
21 vertically?

22 MR. DIAMOND: This is relative power where  
23 one is nominal power.

24 MEMBER SIEBER: That's 100 percent power.

25 MR. DIAMOND: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER RANSOM: Can you show us one of  
2 those for the boron dilution accident?

3                   MR. DIAMOND: No, I'm sorry, I don't have  
4 that. Jack eluded to the fact that PARCS has had a  
5 lot of validation. There's a list here of different  
6 benchmarks and these benchmarks have been done in the  
7 past. I will say that the validation process  
8 continues to this day with other benchmarks, both  
9 numerical and experimental.

10                   Okay, let's get to the scenario of  
11 interest. What we want to talk about is what happens  
12 when you have either restart of natural circulation or  
13 an operator mistake when he restarts the pump. Slug  
14 flows into the core. That's a reactivity insertion  
15 and the question is, do we get fuel damage. So here's  
16 our lowered loop B&W design and for the calculations  
17 that we're going to do, we're not modeling this entire  
18 system. We're going to model what goes on here in the  
19 core. And so the RELAP model has a series of  
20 parallel, one-dimensional models. These are -- excuse  
21 me, thermal hydraulic channels, these parallel thermal  
22 hydraulic channels, each one of them represents an  
23 assembly.

24                   And we also model the inlet plenum and the  
25 outlet plenum.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER RANSOM: How many parallel  
2 channels?

3 MR. DIAMOND: There are 29 in the core and  
4 one for a by-pass region and the reason that we can --  
5 we do take advantage of the one-eighth symmetry in the  
6 reactor. That's the reason there are 29 rather than  
7 177 thermal hydraulic channels.

8 MEMBER RANSOM: So you won't be -- this  
9 assumes that all the steam generators are behaving the  
10 same, I guess, right, in terms of boron?

11 MR. DIAMOND: No. One steam generator is  
12 initiating this event but we're assuming sufficient  
13 mixing so that the distribution across the --

14 MEMBER RANSOM: The core is uniform.

15 MR. DIAMOND: -- core inlet in uniform.

16 CHAIRMAN WALLIS: Isn't that a big  
17 assumption? If you have -- boron comes in one side of  
18 this, goes down a --

19 MR. DIAMOND: It is an assumption but --

20 CHAIRMAN WALLIS: It's supposed to mix  
21 uniformly right across the lower plenum?

22 MR. DIAMOND: Yeah, we're going to discuss  
23 this at length and I don't know whether Marino wants  
24 to say something now or later.

25 CHAIRMAN WALLIS: Well, the report seems

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to just assume it happens.

2 MEMBER SIEBER: That it mixes.

3 MR. DUDLEY: This is Noah Dudley from the  
4 Office of Research. That is something that Professor  
5 diMarzo will go into in his presentation of the slug  
6 formation.

7 CHAIRMAN WALLIS: Did this happen first  
8 because you wanted to have an eighth of a core and  
9 diMarzo was asked to justify it?

10 MEMBER SIEBER: Well, I think a lot of the  
11 mixing has to do with whether it's force pumping or  
12 natural circulation.

13 CHAIRMAN WALLIS: No, but did you assume  
14 mixing because that was the easiest way to analyze the  
15 core or because it was really the realistic assumption  
16 because --

17 MR. DIAMOND: The realistic assumption.

18 CHAIRMAN WALLIS: -- if you didn't mix the  
19 lower plenum you'd have to analyze the whole core  
20 presumably.

21 MR. DIAMOND: No, actually in the parts  
22 model, we actually model 177 fuel assemblies.

23 CHAIRMAN WALLIS: So there would be no  
24 problem for you to do that.

25 MR. DIAMOND: So we actually do an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 averaging of eight assemblies to get the input to the  
2 RELAP thermal hydraulic channel. So we could have --  
3 albeit it would certainly make it more computational  
4 intensive but that was not our intent.

5 CHAIRMAN WALLIS: So diMarzo has evidence  
6 that if you put cool water on one of the hot legs,  
7 uniform blue water would get into the core everywhere?

8 PROF. diMARZO: No, what we basically did  
9 is that the input boundary condition that we supply  
10 for code is bounding all the evidence that we have  
11 from CFD calculations.

12 CHAIRMAN WALLIS: The worst case is to put  
13 the slug right across the whole core.

14 PROF. diMARZO: No, you'll see what we  
15 put. I'll show you in detail when I come up.

16 CHAIRMAN WALLIS: You did the bounding.  
17 And you show what happened if the slug only came in  
18 one-half of the core?

19 PROF. diMARZO: No, I'll show you where  
20 the slug goes and how much you got and then what we  
21 did --

22 CHAIRMAN WALLIS: You said bounding. I  
23 just wondered if you --

24 PROF. diMARZO: You'll see what I mean,  
25 because we have a distribution of concentrations and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 you'll see where the curve that we feed on this.

2 MEMBER RANSOM: Well, Dave showed that  
3 steam line break which clearly showed an isometric  
4 behavior in terms of the cold water coming into the  
5 core.

6 MEMBER SIEBER: No, no, no. That was  
7 because of the stuck rod.

8 MEMBER RANSOM: Was it assumed that way or  
9 --

10 MEMBER SIEBER: Well, there was an assumed  
11 stuck rod which gave you the peak in one quadrant.

12 MR. DIAMOND: Yeah, the idea of that  
13 calculation was to show as severe an event as possible  
14 in order to demonstrate the capability --

15 MEMBER RANSOM: Okay, the isometric energy  
16 deposition was due to the stuck rod, not the --

17 MR. DIAMOND: No, it was due to both in  
18 that case, but as I say, the idea there was to show  
19 the capability of PARCS, not to discuss what the  
20 mixing was in the lower plenum.

21 MEMBER SIEBER: But that was a natural  
22 circulation context, where you don't get mixing.

23 MR. DIAMOND: Okay, so if we can come back  
24 to the mixing, let me go forward.

25 CHAIRMAN WALLIS: So again, what did you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just say.

2 MEMBER SIEBER: Well, in natural  
3 circulation you don't get the degree of mixing that  
4 you do with pump circulation.

5 CHAIRMAN WALLIS: He's going to still  
6 assume mixing in his natural circulation scenario,  
7 isn't he?

8 MR. DIAMOND: Yes.

9 CHAIRMAN WALLIS: So you've just said what  
10 you think happens was not in the model?

11 MEMBER SIEBER: I think there is less  
12 efficient mixing under natural circulation conditions  
13 than there is under pumped conditions, just because of  
14 the turbulence.

15 CHAIRMAN WALLIS: I would think so, too.

16 MEMBER SIEBER: Yeah.

17 MR. DIAMOND: For whatever it's worth,  
18 we've looked at steam line break from Apex and you see  
19 uniform temperature distributions around the downcomer  
20 despite the fact that, you know, the generator is  
21 broken so that indicates quite a bit of mixing.

22 CHAIRMAN WALLIS: If you actually draw a  
23 picture of the lower plenum, it's a little bit hard  
24 for me to imagine what comes in one side --

25 MEMBER SIEBER: Gets to the other side.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   CHAIRMAN WALLIS:  -- gets to the other  
2 side and mixes uniformly.  I would think when you  
3 first get that boron slug in one side, some of it is  
4 going to go into the core before any of it gets to the  
5 other side of the lower plenum.

6                   PROF. diMARZO:  I have something on that.  
7 I have a couple of slides on that.

8                   CHAIRMAN WALLIS:  Okay.

9                   PROF. diMARZO:  We'll address that in some  
10 detail in a few minutes.  So let me go through what  
11 our model is.  We modeled a B&W designed core, it  
12 happened to be TMI-1.  And this is at the beginning of  
13 cycle, because as was discussed, that's the most  
14 important time in terms of severity of the event.  We  
15 model -- actually each assembly is modeled as a two by  
16 two mesh, 28 axial meshes and the starting point for  
17 the boron dilution transient is that all banks are  
18 inserted, control is shut down.  The fuel in the  
19 moderator at 25 K, 2500 PPM of boron is assumed to  
20 come in as a result of the ECCS having turned on  
21 during this event.  So you're about 15 hours shut  
22 down.

23                   Three percent flow is -- well, that's  
24 where we start our calculation and then we assume  
25 certain boundary conditions.  We assume that the boron

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 concentration in the lower plenum has a certain time  
2 dependence and that's based on the model which  
3 Professor diMARZO will talk about. And then we assume  
4 the flow rate based on either natural circulation or  
5 one-pump restart. So here is the core layout. Again,  
6 the 177 assemblies. In this case I show the presence  
7 of control banks and these banks are all inserted at  
8 the time of the dilution event because you've had the  
9 reactor trip. And because of the symmetry, we only  
10 have to model one-eighth of a core in the RELAP  
11 analysis and --

12 CHAIRMAN WALLIS: It looks different.  
13 Does it relate to the core?

14 MR. DIAMOND: Yes.

15 MEMBER RANSOM: I'm kind of wondering why  
16 you didn't go ahead and model the steam generated and  
17 put it on this and then you would have had the entire  
18 loop model at once.

19 MR. DIAMOND: Well, then we'd have to  
20 worry about the mixing ability in the analysis. You  
21 mean to analyze starting -- starting from the boron  
22 transient or starting from the whole small break LOCA?

23 MEMBER RANSOM: Well, both actually, but  
24 right, you would have to incorporate the mixing model,  
25 whatever that is and into this calculation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DIAMOND: Yeah, that would be a much  
2 more ambitious calculation.

3 CHAIRMAN WALLIS: So it's more than an  
4 eighth of a core because the middle one is shared by  
5 all of these segments. The middle one is unique.

6 MR. DIAMOND: The center of the core is  
7 right here.

8 CHAIRMAN WALLIS: Yeah, and you're  
9 actually modeling more than an eighth because those  
10 ones that -- if you take your laser and move it  
11 horizontally --

12 MR. DIAMOND: Well, yes.

13 CHAIRMAN WALLIS: -- the plain of symmetry  
14 goes halfway through that.

15 MR. DIAMOND: Okay, you have one-eighth  
16 core symmetry. You have one-eighth core symmetry.

17 CHAIRMAN WALLIS: That's true. Right,  
18 that's true.

19 MR. DIAMOND: In order to model one-eighth  
20 core symmetry --

21 MEMBER SIEBER: You've got to model more.

22 MR. DIAMOND: -- you have to model more  
23 than one-eighth times 177.

24 CHAIRMAN WALLIS: Thank you, that explains  
25 it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DIAMOND: Okay, because you model the  
2 center assembly even though it is -- you don't model  
3 one-eighth of the center core assembly. Okay, but  
4 again, this is just in the thermal hydraulics. The  
5 PARCS neutronics actually is calculating the solution  
6 in 177 fuel assemblies. So this is -- it's convenient  
7 to think of this as our solution --

8 CHAIRMAN WALLIS: And PARCS gives you a  
9 symmetrical solution anyway so --

10 MEMBER SIEBER: Yeah.

11 MR. DIAMOND: Yes, it does and as a matter  
12 of fact, that's one of the things that you always look  
13 at to make sure that your PARCS neutronics is doing  
14 what it's supposed to because it damned well better be  
15 the same here as over there.

16 CHAIRMAN WALLIS: You hope there's no  
17 oscillation of this type.

18 MR. DIAMOND: Well, that's the case when  
19 you don't have a good code. That's the same way when  
20 you start up a reactor and you do a symmetric  
21 measurement because you want to make sure --

22 CHAIRMAN WALLIS: In this time scale you  
23 don't get any of those oscillations.

24 MR. DIAMOND: No, no. No, it's a stable  
25 type of calculation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   CHAIRMAN WALLIS:   And, of course, the  
2 thermal hydraulics is stable.

3                   MR. DIAMOND:   Of course.   The yellow  
4 assemblies here are where there are control rods  
5 present.  I've just written down here the burn-up for  
6 these particular assemblies and I just marked in --  
7 that's orangyish, brownish I don't know what color  
8 that is but there are no control rods here and as you  
9 can see, this is the -- these are the fresh fuel  
10 assemblies and this is where the peak power occurs  
11 when we do the transient and the peak power also  
12 occurs at the bottom of the reactor.  And here is the  
13 result where the flow is three percent of nominal and  
14 if we look at the blue curve first, the blue curve is  
15 the boron concentration input into the calculation and  
16 you see it starts at 2500 ppm and goes all the way  
17 down to zero and then comes back up.  We're talking  
18 about on the order of 100 seconds.

19                   MEMBER RANSOM:   Now, what is that input  
20 into the lower plenum?

21                   MR. DIAMOND:   Yes, uh-huh.

22                   MEMBER RANSOM:   And so level 5 is an idea  
23 mixing model so the lower plenum is going to be  
24 homogenous and the progress up the channel.

25                   PROF. diMARZO:   I'll address that in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 detail, too.

2 MR. DIAMOND: Yeah, we'll talk about that  
3 a little bit more.

4 CHAIRMAN WALLIS: This is three percent  
5 flow.

6 MR. DIAMOND: This is three percent flow,  
7 so the time scale is quite long.

8 CHAIRMAN WALLIS: It is compared with the  
9 fuel but if you have 100 percent flow, this would  
10 presumably look quite different because things happen  
11 very quickly in a few seconds.

12 MR. DIAMOND: Yeah.

13 MEMBER SIEBER: Three seconds, two, three  
14 seconds.

15 MR. DIAMOND: Yeah, let me show that in a  
16 moment. The corresponding curve of reactivity versus  
17 time in dollars is shown here and it goes from being  
18 quite shut down to -- actually to being prompt  
19 critical at this point, about 35 seconds. And then it  
20 goes through a bunch of oscillations as you have the  
21 struggle between the dilution that's occurring and the  
22 feedback from fuel temperature, feedback, Doppler  
23 feedback and moderator density.

24 CHAIRMAN WALLIS: Does the --

25 MEMBER SIEBER: Is that what stops the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 pump,

2 Doppler?

3 MR. DIAMOND: Yeah, what stops -- and --

4 MEMBER SIEBER: Well, there is a time  
5 constant associated with Doppler. It's short.

6 MR. DIAMOND: 10<sup>9</sup>. It's pretty small,  
7 yeah.

8 CHAIRMAN WALLIS: Does the border boil?

9 MR. DIAMOND: Yes, uh-huh.

10 CHAIRMAN WALLIS: So you have to consider  
11 voids and all that sort of stuff.

12 MR. DIAMOND: Yes. Power here is --

13 MEMBER SIEBER: That's helpful.

14 CHAIRMAN WALLIS: Does that also shut down  
15 the reaction, the nuclear --

16 MR. DIAMOND: Yes.

17 MEMBER SIEBER: Yeah.

18 MR. DIAMOND: Yes. Power is in red and  
19 that initial reactivity spike where it goes prompt  
20 critical causes the power really to jump up. This is  
21 a logarithmic scale here. So you're going from quite  
22 shut down to above nominal power, 100 percent, and in  
23 a very short time, so this is -- you know, this is  
24 like a rod ejection accident or something that's really  
25 like --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: This actually doesn't  
2 dump much fuel power, much enthalpy in this.

3 MR. DIAMOND: No, and then it goes through  
4 -- this is total power recognized and it goes through  
5 a series of oscillations to reflect that fact that,  
6 you know, you have this complex behavior in the core  
7 because of the boron dilution and the feedback  
8 effects. What I have in blue is the maximum fuel  
9 powered enthalpy in calories per gram. So this is a  
10 local quantity and you can see that the initial jump  
11 here is not very much. It's only about 20 calories  
12 per gram as a result of that real --

13 MEMBER SIEBER: Prompt.

14 MR. DIAMOND: -- that real hit.

15 CHAIRMAN WALLIS: It doesn't matter how  
16 rapidly it's put in.

17 MR. DIAMOND: Okay, if you're worried  
18 about how rapidly it's put in, this is your fuel  
19 enthalpy increase, but if you're interested in what  
20 the maximum is over time, you see that the maximum is  
21 about 90 calories per gram.

22 CHAIRMAN WALLIS: I worry about the rate  
23 it's put in if it's put in much faster than the sort  
24 of relaxation time for conduction in the fuel and so  
25 on. You're going to have to worry about peaks in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fuel.

2 MR. DIAMOND: Well, but this --

3 CHAIRMAN WALLIS: That's very slow.

4 MR. DIAMOND: This represents the fuel  
5 enthalpy in the fuel.

6 CHAIRMAN WALLIS: Average across the --

7 MR. DIAMOND: Across the pellet.

8 CHAIRMAN WALLIS: Because if it were a  
9 very, very rapid transient, you'd bits hotter than  
10 others.

11 MR. DIAMOND: Yeah, uh-huh.

12 MEMBER SIEBER: and that's the interval of  
13 the power.

14 MR. DIAMOND: That's right, that's right,  
15 but it's only about 90 calories per gram in this  
16 particular case.

17 CHAIRMAN WALLIS: No, it's not just  
18 interval of the power because you had some cooling.  
19 Otherwise you would continue to go on.

20 MR. DIAMOND: Yes, uh-huh, I'm sorry, of  
21 course. The conduction is important here.

22 CHAIRMAN WALLIS: Otherwise it would go up  
23 through this whole transient.

24 MR. DIAMOND: Absolutely.

25 MR. CARUSO: Is that the enthalpy for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 peak pellet over time or is that the composite maximum  
2 enthalpy of any pellet in the core? Did you follow  
3 one pellet through time?

4 MR. DIAMOND: No, no, no, no, we followed  
5 the maximum.

6 CHAIRMAN WALLIS: This is the worst  
7 pellet.

8 MR. CARUSO: So it changes -- the location  
9 changes at different times then.

10 MEMBER SIEBER: Yes.

11 MR. DIAMOND: Correct.

12 MR. CARUSO: That's what I was wondering.

13 MR. DIAMOND: The reality is that it's at  
14 the bottom of the core and generally in those high  
15 burn-up -- excuse me, low burn-up fuel assemblies.

16 CHAIRMAN WALLIS: So this is calories per  
17 gram in one of the fresh fuels.

18 MEMBER SIEBER: Right.

19 MR. DIAMOND: Yes.

20 CHAIRMAN WALLIS: What is the worst in  
21 terms of the oldest fuel. Presumably, that's -- you  
22 also worry about that. I mean, you couldn't -- 80  
23 calories per gram in an old fuel is much worse than 90  
24 calories per gram in a new fuel.

25 MEMBER SIEBER: It's not as reactive.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DIAMOND: Right, and --

2 CHAIRMAN WALLIS: Yeah, but I'd like to  
3 see what it is, though.

4 MEMBER SIEBER: Yes.

5 CHAIRMAN WALLIS: Did you check every fuel  
6 assembly for --

7 MR. DIAMOND: No, if we were looking at a  
8 criterion which was a function of burn-up then what  
9 you're saying would certainly be applicable. In this  
10 particular case, the burned fuel -- I have to look  
11 back at that diagram.

12 CHAIRMAN WALLIS: The criterion is not a  
13 function of --

14 MR. CARUSO: So you'd have really high  
15 burn-ups there.

16 MR. DIAMOND: Yeah, I think that all of  
17 the -- in this reactor all the high burn-ups have  
18 control rods in them, and therefore, they will be at  
19 the lower power level.

20 MR. BASSETTE: In this particular case  
21 these enthalpy increases are below the thresholds of  
22 -- or high thresholds.

23 CHAIRMAN WALLIS: But you've got some on  
24 the edge at 48. You don't have the control rods in.

25 MR. DIAMOND: Yeah, that's correct, but of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 course that's on the edge, so the power is a little  
2 bit lower because it's on the edge but you're  
3 absolutely right, in order to -- if your criterion was  
4 a function of burn-up, you would have to --

5 CHAIRMAN WALLIS: So these guy's criterion  
6 is not a function of burn-up?

7 MR. DIAMOND: The present criterion is not  
8 a function of burn-up.

9 CHAIRMAN WALLIS: Although Jack Rosenthal  
10 told us that the damage is a function of burn-up.

11 MR. DIAMOND: Yeah.

12 MR. BASSETTE: The proposed limits or  
13 threshold required in failure has some functions of  
14 burn-up in it and it goes down with burn-up but these  
15 -- the enthalpy increases you see here are below the  
16 threshold for high burn-up fuel.

17 MR. DIAMOND: So in this particular case  
18 it's safe to say that we don't expect --

19 MR. BASSETTE: Even though these are for  
20 low burn-up assemblies, even if it was for a high  
21 burn-up assembly.

22 CHAIRMAN WALLIS: So your criteria is how  
23 many calories per gram to make it acceptable?

24 MR. BASSETTE: It's for -- well, I'll go  
25 into that in my presentation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Well, is it about --

2 MR. DIAMOND: Let's put it this way, it's  
3 more than 77.

4 MR. BASSETTE: For hybrid or pure it  
5 increases about 80 calories per gram.

6 CHAIRMAN WALLIS: But what we saw in your  
7 figure was more like 90.

8 MR. DIAMOND: Yeah, I apologize, this is  
9 the increase in fuel enthalpy and the new criteria  
10 that people talk about now relate to the increase in  
11 fuel enthalpy rather than the absolute fuel enthalpy  
12 so you have to subtract off 17 calories per gram from  
13 your old thinking to get to the new think.

14 MEMBER SIEBER: Now, this number is  
15 probably subject to change as people continue to  
16 consider experimental data, right? That's not some  
17 firm -- that number there is sort of new, within the  
18 last two years.

19 MR. DIAMOND: Which number?

20 MEMBER SIEBER: Seventy-seven.

21 MR. DIAMOND: This is what we calculated.

22 MEMBER SIEBER: Oh, okay, I mean, the  
23 limit, the limit.

24 MR. DIAMOND: The new limit that's been  
25 proposed is, of course -- is a function of oxide

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thickness and so it's -- there isn't a one to one  
2 correlation to burn-up but it's in this range for very  
3 high.

4 MR. DUDLEY: This is Noah Dudley again.  
5 At this point, the NRC limits that you are familiar  
6 with are the same limits that are required of  
7 operating plants. The new limits that we're  
8 discussing come out -- are they in New Regs, the Reg  
9 guides?

10 MR. DIAMOND: Right now, they're in the  
11 form of a research information letter.

12 MR. DUDLEY: So the new limits we're  
13 talking about are simply in a discussion stage here  
14 and do not represent the requirements that the NRC is  
15 placing on licensees.

16 MEMBER SIEBER: Yeah, but if you were to  
17 place those requirements on licensees now, that would  
18 have an impact on the Appendix K calculations?

19 MR. BASSETTE: No. Not on Appendix K.  
20 These are reactivity insertion accident type limits.

21 MEMBER SIEBER: Okay.

22 MR. DIAMOND: Okay, so let me move onto a  
23 case --

24 CHAIRMAN WALLIS: So how much of the slug  
25 has got into the core by the time you've reached this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 peak? It's only a piece of the slug, isn't it?

2 MR. DIAMOND: Yes, because -- let's see.

3 CHAIRMAN WALLIS: So you don't need as big  
4 a slug as they have in order to cause this to happen  
5 because only a piece of it's gone in by the time you  
6 got to 45 seconds or something.

7 MR. DIAMOND: Yeah.

8 CHAIRMAN WALLIS: So the fact that it's a  
9 longer slug doesn't apparently make any difference as  
10 long as it's a certain size because the peak is early  
11 in this transient.

12 MR. DUDLEY: Can you go back a slide that  
13 has the boron concentration reactivity?

14 MR. DIAMOND: Sure.

15 CHAIRMAN WALLIS: Yeah, there, you see,  
16 where the slug is continuing to come on, decreases  
17 itself down to 80, but the peak is at 45 in terms of  
18 cal's per gram.

19 MR. DIAMOND: That's right, yeah. And  
20 again, you have -- this now is a long enough time  
21 frame where you do have conduction out of the fuel  
22 element.

23 CHAIRMAN WALLIS: But this indicates to me  
24 that if we had a slug that was half the length, it  
25 would be just about as effective because you don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have to wait for 80 seconds. You just get that 40-  
2 second slug. It does the job.

3 MR. DIAMOND: Yeah. Let me show --

4 MEMBER RANSOM: What you're saying is you  
5 can get it with a smaller slug, but it doesn't make it  
6 any worse.

7 CHAIRMAN WALLIS: It doesn't make it any  
8 worse, but I'm just saying you could get it with a  
9 smaller slug. So you could back off a bit on the  
10 amount of water that's stored in the steam generator  
11 and so on.

12 MR. DIAMOND: To a certain degree, but  
13 when you get down to an order of magnitude of a  
14 smaller slug --

15 CHAIRMAN WALLIS: Then it doesn't work,  
16 right.

17 MR. DIAMOND: -- it makes a difference.  
18 And here's a case now where the flow rate is 25  
19 percent of nominal and here is the -- the blue again  
20 is the boron over here, boron concentration and in  
21 this case the minimum value is only about 400 ppm of  
22 boron because there's more mixing as Professor diMARZO  
23 will explain.

24 CHAIRMAN WALLIS: Because you've turned  
25 the pump on, you've stirred things up at least in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pump.

2 MR. DIAMOND: Yeah. Well, it's more  
3 complicated than that, but -- and again, you have a  
4 similar reactivity signature in that it starts out and  
5 starts to climb up to prompt critical and then you get  
6 this balancing of feedback versus the forcing function  
7 and the result in terms of power, the red curve, is  
8 quite different because now you get a spike that goes  
9 up to about 2700 where --

10 CHAIRMAN WALLIS: Twenty-seven times  
11 nominal power?

12 MR. DIAMOND: Twenty-seven times nominal  
13 power, yes. Okay.

14 MEMBER SIEBER: For a short period of  
15 time.

16 MR. DIAMOND: Yes, for a very short period  
17 of time.

18 MR. CARUSO: Is that interval core power  
19 or is that the maximum in the --

20 MR. DIAMOND: Interval, this is interval,  
21 this is total.

22 CHAIRMAN WALLIS: Now, I've really noticed  
23 that when I read this, maybe this is naive but 27  
24 times nominal power even for a short time, sounds  
25 pretty exciting.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DIAMOND: Well, in term of calories  
2 per gram, that first rise is about 25.

3 CHAIRMAN WALLIS: Yeah, but it means  
4 you've got to shut it off pretty darn quick. You've  
5 got to shut that off pretty darn quick when you have  
6 the 27 times the --

7 MR. DIAMOND: Well, yeah.

8 MEMBER RANSOM: Doppler feedback is what  
9 shuts it down?

10 MR. DIAMOND: Doppler feedback, yeah.

11 MR. CARUSO: Did you have anyone look at  
12 the power behavior with those sort of peaks.

13 MR. DIAMOND: With those parameters.

14 MR. CARUSO: You're just assuming an  
15 average value.

16 MR. DIAMOND: That's right.

17 MEMBER SIEBER: The increase in stored  
18 energy is not very much, so that when --

19 MR. CARUSO: -- really high peaking  
20 factors inside the pellet and --

21 MEMBER SIEBER: Well, it won't have the  
22 same profile that it would under steady state  
23 conditions I would think.

24 MR. DIAMOND: But this is the bottom line  
25 here in terms of the peak pellet.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: I mean, in order to get the  
2 Doppler to turn it around that fast, it must be  
3 getting awfully hot very quickly, right?

4 PROF. diMARZO: Yeah, but don't --  
5 locally, this is the maximum that you're seeing. This  
6 is core-wide so there's -- you know --

7 MR. CARUSO: Is that a real number, is it  
8 real?

9 MR. DIAMOND: Yes, that is a real number,  
10 yeah.

11 MEMBER RANSOM: Well, you presumably can  
12 show the clad temperature for these situations. Has  
13 it changed appreciably?

14 MR. DIAMOND: I don't think the clad  
15 temperature would change appreciably here. It would  
16 certainly change out here.

17 MEMBER SIEBER: At around 12 seconds.

18 MR. DIAMOND: Yes.

19 CHAIRMAN WALLIS: How far has the slug  
20 gone in, in that time when you get the peak? Not very  
21 far presumably, because it's such a short -- well, I  
22 guess the slug has gone in but the concentration which  
23 is enough to do anything hasn't been achieved. It  
24 seems to me, you're already at the flat part here, are  
25 you?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DIAMOND: Yeah.

2 CHAIRMAN WALLIS: And yet it's enough to  
3 make this -- because you've got it in far enough.

4 MR. DIAMOND: That's right, you have to  
5 take into account the dynamics here. This is coming  
6 in much faster, so at this point here, you've pushed  
7 a lot more than you have when it's only three percent.

8 CHAIRMAN WALLIS: When you've got it how  
9 far up the core does it suddenly go critical?

10 MR. DIAMOND: Well, I mean, the entire  
11 core goes critical. It peaks at the bottom.

12 CHAIRMAN WALLIS: But the slug has come in  
13 maybe a core away or something up the core?

14 MR. DIAMOND: You mean where is the front?

15 CHAIRMAN WALLIS: Yeah, where is the  
16 front.

17 MR. DIAMOND: At this point in time --

18 MEMBER SIEBER: It's seven seconds.

19 MR. DIAMOND: Seven seconds in.

20 CHAIRMAN WALLIS: It's gone quite a long  
21 way, hasn't it?

22 MR. DIAMOND: I forget now how many --

23 MR. BASSETTE: The water is going about  
24 three feet a second.

25 CHAIRMAN WALLIS: So it's gone 20 feet.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It's gone all the way through the core? It's gone  
2 through the core?

3 MR. DIAMOND: Yeah.

4 CHAIRMAN WALLIS: That's why --

5 MR. CARUSO: That's nominal.

6 MR. BASSETTE: No, three feet a second is  
7 at 25 percent flow.

8 MR. CARUSO: Oh, okay.

9 CHAIRMAN WALLIS: So it's gone through the  
10 core.

11 MR. CARUSO: I know what my concern is.  
12 Go back to the other one. Doppler is a function of  
13 temperature. Enthalpy is also a function of  
14 temperature, right, or it's --

15 MR. DIAMOND: Enthalpy is temperature.

16 MR. CARUSO: Enthalpy is temperature. So  
17 why isn't the -- I guess what's disconcerting me is  
18 the enthalpy doesn't follow the temperature to my mind  
19 here because it seems like the --

20 CHAIRMAN WALLIS: It's the interval.

21 MR. CARUSO: -- turnover in Doppler  
22 because it's reached a high temperature which means  
23 high enthalpy. Is there something I've -- maybe I  
24 don't understand.

25 MR. DIAMOND: Well, how high is high

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 enough, I guess.

2 MEMBER RANSOM: David, explain, in  
3 neutronics, you have vibrations is what effects the --  
4 neutronic vibrations effects the Doppler and that's  
5 not necessarily sensible heat. I believe that's --

6 MR. CARUSO: Okay, that's what I'm asking.

7 MEMBER RANSOM: So the temperature is  
8 going up but the Doppler is not sensible heat. It  
9 doesn't have to get up to --

10 MR. DIAMOND: No, it is sensible heat.

11 MEMBER RANSOM: Well, that's true because  
12 it has the --

13 MR. DIAMOND: It is sensible heat.

14 CHAIRMAN WALLIS: It's the kinetic energy.

15 MR. DIAMOND: It's the kinetic energy.

16 MEMBER RANSOM: But you don't have to get  
17 up to 1,000 degrees -- a delta of 1,000 degrees aft to  
18 get it to turn over.

19 MR. DIAMOND: Yeah, I think that's the  
20 bottom line, is how much temperature rise do you need  
21 throughout the core in order to get it to come back.  
22 Doppler has a very strong effect.

23 CHAIRMAN WALLIS: Doppler is the  
24 temperature of the neutrons essentially.

25 MR. BASSETTE: Doppler is the temperature

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 of the U-02.

2 MR. DIAMOND: It's the temperature of the  
3 fuel, primarily U-238 actually.

4 CHAIRMAN WALLIS: Well, Ralph's point is  
5 it's hardly gone up.

6 MR. DIAMOND: But it has gone up  
7 sufficient to cause the feedback.

8 MR. BASSETTE: It's probably gone up from  
9 300 c to 1,000 c or something.

10 CHAIRMAN WALLIS: It's vibration of the  
11 fuel molecules that does this.

12 MR. DIAMOND: Yes, uh-huh, and that's  
13 instantaneous just about.

14 MEMBER RANSOM: The fact that the enthalpy  
15 went up to a lower level, at the same time the  
16 reactivity went up even higher, you know, 27 times as  
17 high, it still shut down.

18 MR. DIAMOND: Well, because what happens  
19 is, I mean, the higher this goes, the narrower the  
20 pulse. So you have to -- you're not looking at the  
21 same pulse here. It looks like the same pulse but  
22 this time scale, you know, we're talking about  
23 milliseconds here and we're talking about you know, a  
24 difference of, I'm going to guess, you know, a  
25 difference of 50 milliseconds between one pulse or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 another could be the difference between half the  
2 energy. So the time scale that we're talking about,  
3 you know, if you -- if the pulse width drops by so  
4 many milliseconds, that's a major difference in --

5 CHAIRMAN WALLIS: Isn't it so short, the  
6 one end of the core neutronicly doesn't know what  
7 the other end is doing. I mean, the neutrons don't  
8 actually effect the top because it takes awhile for  
9 the neutrons on the bottom to have some effect on the  
10 top of the core.

11 MR. CARUSO: Well, I'm looking at the  
12 other -- I also look at the other spikes there and the  
13 other power spikes and the enthalpy rises that are  
14 associated with them, I guess they're so broad so  
15 that's the important thing. So why don't they turn  
16 around the power -- there's more to it than just  
17 Doppler turning it around.

18 MR. DIAMOND: No, there's the density  
19 feedback as well.

20 MR. CARUSO: Okay.

21 MR. DIAMOND: But what happens is that the  
22 fuel enthalpy now goes up to quite large values. Now  
23 we're talking about getting into a range where you're  
24 certainly going to have central line melting. To what  
25 extent that melting progresses, you know, we really

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 don't know but the bottom line is we're up in a range  
2 here where we can assume or we should assume fuel  
3 damage as a result of the energy deposition into the  
4 pellet. This is what's bothersome here.

5 CHAIRMAN WALLIS: Can you show us  
6 something about the temperature and flux profiles  
7 axially in this thing? Is that --

8 MR. DIAMOND: I don't have those with me,  
9 but --

10 CHAIRMAN WALLIS: I mean, is there a big  
11 variation axially?

12 MR. DIAMOND: There is a variation  
13 axially.

14 MEMBER SIEBER: It's probably skewed.

15 MR. DIAMOND: Because -- I mean, the power  
16 starts to grow first in the bottom of the core. There  
17 also is another quirk with this reactor in that the  
18 control rods in this reactor don't go down to the end  
19 of the fuel region. There's another little quirk in  
20 this reactor but so yeah, certainly you're going to  
21 have a bottom -- you know, I'm just drawing a curve  
22 here, but --

23 CHAIRMAN WALLIS: So this max enthalpy  
24 occurs somewhere near the bottom of the core?

25 MR. DIAMOND: Yeah, uh-huh.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Wasn't that extremely short,  
2 David. I mean, it's only a few --

3 MR. DIAMOND: Yeah, it's at the bottom of  
4 the core.

5 MR. BASSETTE: I think the peaking actor  
6 is about 10 in this calculation, wasn't it, if I  
7 remember?

8 MR. DIAMOND: I honestly don't remember.  
9 You're probably right. I'd have to go look at the  
10 numbers. Yeah, I'm sorry, I just don't remember that  
11 number.

12 MR. BASSETTE: I guess the whole reason  
13 for presenting this is to say with 25 percent flow, we  
14 would expect fuel damage.

15 MR. DIAMOND: Exactly. This increase in  
16 fuel enthalpy at the peak value is bothersome. The --  
17 you know, appropo of our conversation about that  
18 peaking, you'll notice that the peak reactivity here  
19 is 1.44. Before it was like 1.14 calories and the  
20 increase here is only up to about 33 calories per  
21 gram. This is for the initial increase in enthalpy.  
22 And again, I want to point out that you just can't  
23 look at the top of that power spike. You've got to  
24 look at the width of the spike as well.

25 MEMBER SIEBER: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TRAIFOROS: You aren't very sensitive  
2 to velocity. Has any calculation been done on borated  
3 water going in to see what is the threshold on  
4 velocity that less than that you don't have any  
5 problem?

6 MR. DIAMOND: No, we never did that.

7 MR. TRAIFOROS: I would think that  
8 calculation would be useful, you know, what kind of  
9 velocity goes to the core that we don't have to worry  
10 about the slug.

11 PROF. diMARZO: Can I interject a thought  
12 here? If you have a maximum circulation, you have a  
13 maximum velocity which is what he's done. And then --

14 MR. TRAIFOROS: No, I want minimum  
15 velocity, not maximum velocity. If you have unborated  
16 water because another parameter here is concentration  
17 of boron, so if I want -- if I wanted to -- I mean,  
18 we'd better understand it if we know the lower  
19 velocity. I'm asking if your natural circulation  
20 fluid is over-estimated whether -- how much of low  
21 velocity -- if you have very low velocity no matter  
22 what concentration we have, we don't have a problem.

23 PROF. diMARZO: Right, I mean, if you have  
24 seen three percent velocity, you could go like to one  
25 percent velocity or even less, it would be even more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mild.

2 MR. TRAIFOROS: No, if you bring the  
3 concentration down. The reason if you -- you see this  
4 effect is that you put a time constant to mixing which  
5 is a Row V of lower plenum divided by flow rate. Now  
6 by decreasing the flow at the same time you are  
7 increasing your time constant of the dilution, so you  
8 have two effects. By lowering the flow you have less  
9 concentration of boron going to the core.

10 PROF. diMARZO: We went to zero down in  
11 the concentration. How can it be lower than zero?  
12 We're going from 2500 all the way down to zero, so we  
13 cannot have less than zero.

14 MR. TRAIFOROS: No, I'm talking about  
15 concentration. You are bringing -- you are not -- you  
16 are mixing whatever slug you have with the lower  
17 plenum, so you are not going to have to go to zero  
18 then.

19 CHAIRMAN WALLIS: Well, there must be some  
20 velocity because it doesn't mix very well, because  
21 it's going into --

22 MR. TRAIFOROS: That's exactly my point,  
23 at a certain velocity you may not have --

24 PROF. diMARZO: Right, yes, but if you  
25 want to --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER:    You're saying a sharp  
2 interface.

3                   PROF. diMARZO:    If we're not going to  
4 zero, you want a comment on that because you gave me  
5 a comment on that situation.  If we never reach those  
6 low concentration, what happens then?

7                   MR. DIAMOND:    Well, I mean, I was going to  
8 say something about this momentarily but the  
9 consequences of the event do depend on the minimum  
10 boron concentration.

11                  MR. TRAIFOROS:    Exactly, my concern is  
12 suppose if we don't have that much mixing on low  
13 velocity, what kind of minimum concentration you have  
14 that you don't -- minimum velocity?

15                  MR. DIAMOND:    But we saw that with --  
16 okay, we don't have a minimum but we spanned --

17                  MR. TRAIFOROS:    You spanned between 72  
18 kilogram per second to -- I mean, three percent to 25  
19 percent but initiation of natural collision may be  
20 lower and you may not have enough mixing.  Not that I  
21 am saying there's not enough mixing but your  
22 assumption that there is no mixing in the downcomer,  
23 no mixing in the ECCS.  Now, if you don't mix all of  
24 it and it comes from downcomer, the flow is low, it  
25 doesn't penetrate all the way to lower plenum, it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 comes to the core. That may be lower velocity but my  
2 question was kind of interesting to know what kind of  
3 -- at the same time, the argument is that lower  
4 velocity you don't have that much severity. But what  
5 is the relationship between the concentration velocity  
6 here, kind of -- suppose you have diluted completed  
7 unborated water. Is there any velocity that less  
8 than that you don't see any problem?

9 MR. DIAMOND: Well, we didn't do those  
10 analysis.

11 CHAIRMAN WALLIS: Remind me, the non-boron  
12 or the pure water --

13 MR. TRAIFOROS: Yes, pure water.

14 CHAIRMAN WALLIS: -- it's cold, is denser.

15 MR. TRAIFOROS: Not necessarily because --

16 CHAIRMAN WALLIS: It doesn't have boron,  
17 because it's colder. I think that's a bigger effect  
18 than the boron.

19 MR. TRAIFOROS: Yeah, but not necessarily  
20 because when you have condensate, the condensate are  
21 on saturation temperature. If you don't assume any  
22 mixing, a lot -- we are doing repeat phase of the  
23 small --

24 CHAIRMAN WALLIS: But since it --

25 MR. TRAIFOROS: -- we are doing a lot of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 injection has come to lower plenum. Now lower plenum  
2 and downcomer is colder than the slug.

3 CHAIRMAN WALLIS: Because of the injection  
4 flow.

5 MR. TRAIFOROS: Because of injection.  
6 That has been actually observed in PKL experiments.

7 MEMBER RANSOM: You're saying the  
8 condensate is hotter than the downcomer.

9 MR. TRAIFOROS: Exactly.

10 MEMBER RANSOM: So it would tend to stay  
11 --

12 CHAIRMAN WALLIS: Without mixing at all.

13 MR. TRAIFOROS: If you are consistent in  
14 your assumptions. If you don't assume any mixing in  
15 the core and downcomer, then the exact temperature --  
16 we follow the temperature, that would be hotter.

17 MEMBER RANSOM: I'm wondering, do they  
18 have any calculations of the accident to show what  
19 these temperatures are like or conditions where you  
20 could get that?

21 MR. DIAMOND: B&W did some calculations,  
22 RELAP calculations during the event to show what kind  
23 of temperatures and pressures would be expected and of  
24 course, the entire primary is at lower temperature and  
25 pressure due to the assumptions of the small break.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 But whether there are significant differences between  
2 the temperature in the vessel versus the temperature  
3 in the cold leg at that point in time, I don't know.

4 MEMBER RANSOM: I'm curious why you're  
5 saying PKL experiment actually saw this?

6 MR. TRAIFOROS: PKL has done -- what  
7 they're doing --

8 MEMBER RANSOM: What they're doing --

9 MR. TRAIFOROS: -- a lot of combination of  
10 equipment. I mean, they had one loop break and they  
11 -- on some tests they see this hot coming in and --

12 MEMBER RANSOM: Well, you're fairly  
13 boiling in the core.

14 MR. TRAIFOROS: Not -- I'm looking at  
15 condensing in the steam generator is usually is during  
16 refuel doesn't see that much of the injection. The  
17 injection goes to downcomer and lower plenum so that's  
18 cooler. When you restart -- re-establish natural  
19 circulation, so this would be hotter coming to the  
20 core.

21 MEMBER RANSOM: So it's mainly the  
22 downcomer temperature versus the condensate  
23 temperature that you have to worry about.

24 MR. TRAIFOROS: Yes.

25 CHAIRMAN WALLIS: The injection is still

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going on while this is taking place?

2 MR. TRAIFOROS: If you don't have  
3 injection, you don't have refuel to restart natural  
4 circulation. The level has come down.

5 CHAIRMAN WALLIS: The injection mixes with  
6 this boron.

7 MR. DIAMOND: That's right.

8 MR. TRAIFOROS: For Westinghouse, yes. It  
9 was the back-flow and --

10 CHAIRMAN WALLIS: -- really mitigate the  
11 whole thing.

12 MR. DIAMOND: Well, that's right. We  
13 didn't take credit for that --

14 MR. TRAIFOROS: But again --

15 CHAIRMAN WALLIS: Well, how does B&W  
16 inject?

17 PROF. diMARZO: B&W injects into the cold  
18 leg at a high velocity.

19 CHAIRMAN WALLIS: So this will help to  
20 stir everything up and mix up with the --

21 MR. TRAIFOROS: But B&W injection is on  
22 the slope side of the cold leg, so all the injection  
23 goes toward downcomer until you really bring the level  
24 up.

25 MR. DIAMOND: Yeah, but for natural

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 circulation --

2 MR. TRAIFOROS: So you don't see that  
3 much.

4 MR. DIAMOND: -- the HPI would mix with  
5 any flow from the loop seal.

6 CHAIRMAN WALLIS: I would think that would  
7 prevent any --

8 MEMBER RANSOM: Let me point out that PKL  
9 also has a lot -- I mean, doing the experiments, they  
10 have a lot of -- they have a hard time forming -- and  
11 then moving it. From a physics standpoint, the worse  
12 thing I could do is put in a lot of cold water, so  
13 you're talking about anything that's warmer it's more  
14 benign.

15 CHAIRMAN WALLIS: But don't you have to  
16 shut off the injection and start the pump to get the  
17 worst case?

18 MR. DIAMOND: That's right.

19 CHAIRMAN WALLIS: So they have to do two  
20 things. They have to shut off the inject and stop the  
21 pump to get the worst case?

22 MR. DIAMOND: Yeah, in fact, PKL, they  
23 couldn't maintain a diluted loop seal when they turned  
24 HPI on. The loop seal disappeared, the dilution  
25 disappeared.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: It helped pump the slug  
2 in to the core, but mix it on the way.

3 MR. TRAIFOROS: Yeah, we look at the PKL  
4 experience and to items came out of that.

5 CHAIRMAN WALLIS: I guess we're getting  
6 onto your part.

7 MR. DIAMOND: I have one other subject  
8 that I was going to discuss but I don't know in terms  
9 of time whether it's appropriate that I start or not  
10 and that's how the reactivity balance impacts this  
11 event and why this means that the event is only of  
12 interest in the first portion of the fuel cycle. Do  
13 I have time to, Jack?

14 DR. ROSENTHAL: If the staff it -- I'm  
15 sorry, if the ACRS is happy with that, we don't have  
16 to discuss it but it's their choice. Dr. Ransom, it's  
17 your choice.

18 MEMBER RANSOM: Go ahead, it looks like 10  
19 minutes.

20 MR. DIAMOND: I'm going to go to  
21 conclusions then. I'd be happy to come back and give  
22 a lecture on that some other time when you have more  
23 time.

24 MEMBER RANSOM: All right.

25 MR. DIAMOND: The conclusions are firstly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that RELAP via PARCS is a viable method of analysis  
2 for this particular problem. Secondly, fuel enthalpy  
3 increase only significant if the volume of the diluted  
4 water is large enough and that's based not just on  
5 what I showed today but on the fact that we did  
6 calculations of these events assuming the volume you  
7 would expect in a Westinghouse and combustion  
8 engineering plant. And also the fuel enthalpy  
9 increase is only significant if the rate of injection  
10 is large enough.

11 CHAIRMAN WALLIS: Now, wait a minute.  
12 Suppose that you took a huge volume of diluted water  
13 and injected it slowly forever, would there never be  
14 a problem?

15 MR. DIAMOND: Well, no.

16 CHAIRMAN WALLIS: There must eventually be  
17 a problem if you're injecting pure water. It just  
18 cures itself?

19 MR. DIAMOND: Wait a minute, if you  
20 totally -- yes, I mean, if you completely eliminated  
21 all the boron in your plant, you would have a problem.  
22 That's why you need soluble boron.

23 CHAIRMAN WALLIS: That's what --

24 MEMBER SIEBER: But you wouldn't get the  
25 prompt jump.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Taking yours to the  
2 limit here, if you injected slowly for a long time,  
3 you say the rate of injection is not large enough, so  
4 there's no problem.

5 MR. DIAMOND: Okay, let me put a proviso  
6 on --

7 CHAIRMAN WALLIS: But you can't go on  
8 forever --

9 MR. DIAMOND: Let me put a proviso here.

10 CHAIRMAN WALLIS: -- water in the core.

11 MEMBER SIEBER: You'd go to power.

12 MR. DIAMOND: For -- for the range of  
13 volumes that we're interested in.

14 DR. ROSENTHAL: You slowly dilute, you  
15 slowly warm up, you slowly turn on the negative  
16 moderator temperature coefficient, you slowly turn on  
17 Doppler, and you end up at some power, I think it's  
18 hot full power maybe in which it all balances out.

19 CHAIRMAN WALLIS: I think these two  
20 variables are not independent. If you have enough  
21 water and then you can inject slowly and you still get  
22 the effect, because if you had a huge reservoir of  
23 diluted water and just inject it slowly, eventually,  
24 you'd run into trouble.

25 PROF. diMARZO: No, but you go to power.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 You don't get into trouble.

2 MR. DIAMOND: I mean, eventually, if you  
3 wipe out all of the boron in the vessel, you will have  
4 a problem because --

5 MEMBER SIEBER: Well, your reactor will  
6 heat up to around 400, 425 degrees and level off  
7 there.

8 CHAIRMAN WALLIS: So you don't need this  
9 excess reactivity control from the boron at all?

10 MEMBER SIEBER: Well, it will climb to an  
11 equilibrium temperature where the reactor is just  
12 critical and that's something below normal TF.

13 MR. DIAMOND: The main reason they operate  
14 with the boron in the water is they can keep the rods  
15 out that way.

16 MEMBER SIEBER: Yeah.

17 MR. DIAMOND: And that takes the place of  
18 the rods for reactivity control during normal  
19 operation and you'd rather use soluble boron than burn  
20 out your control rods fast.

21 MR. BASSETTE: But you want to also have  
22 this with or without pumps on, you know, so that you  
23 can have cooling for, you know, what power level.

24 CHAIRMAN WALLIS: This is so that you can  
25 control at shut-down. That's what it's for. As long

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 as it's at power it's all right.

2 MR. DIAMOND: That's right and for making  
3 sure that you're in cold shut-down, you need soluble  
4 boron.

5 CHAIRMAN WALLIS: So you could have a huge  
6 slug and inject it forever and it wouldn't do any  
7 harm. It would just heat up the reactor to some sort  
8 of level.

9 MEMBER SIEBER: That would put the turbine  
10 on.

11 MR. DIAMOND: I would say the plant would  
12 be in trouble but not because it had experienced --

13 CHAIRMAN WALLIS: You couldn't shut it  
14 down.

15 MR. DIAMOND: Not because it experienced  
16 fuel damage as a result of energy deposition.

17 CHAIRMAN WALLIS: But you couldn't go to  
18 any kind of cold shut-down.

19 MR. DIAMOND: Right, exactly. Exactly.

20 MEMBER RANSOM: David, in your  
21 calculations, have you accounted for the increase in  
22 boron concentration due to the boiling off of the  
23 water in the core?

24 MR. DIAMOND: No, we haven't.

25 CHAIRMAN WALLIS: Isn't that the whole

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thing?

2 MEMBER RANSOM: Do you know how much  
3 margin that provides?

4 MEMBER SIEBER: That takes a long time.

5 MEMBER RANSOM: Well, if you can boil off  
6 enough water to get the slug build-up, all the boron  
7 that was in that water is going to be left in the  
8 core.

9 CHAIRMAN WALLIS: Well, I think the water  
10 displaces the borated water when it comes in, that's  
11 the whole idea.

12 MR. DIAMOND: Yeah, so you're absolutely  
13 right and had I shown the slides that I didn't, I  
14 would have made the point that it really is  
15 independent of where your ECCS is at. What's really  
16 most important is what PPM your reactor is critical at  
17 and in other words, most reactor cores now are  
18 designed with the initial boron concentration, you  
19 know, in the neighborhood of 1500, 1700 ppm. You can  
20 only go through this event down to about maybe 1200  
21 ppm. In other words, there's only this window of  
22 opportunity at the beginning of the cycle and I got  
23 off the track here as to what the point I was making.

24 CHAIRMAN WALLIS: Well, the point is that  
25 the deborated water pushes out the borated water so --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DIAMOND: Oh, that's right. So what  
2 you have there initially is less important than -- in  
3 other words, what you have there is a result of the  
4 ECCS system, is less important than two factors. One  
5 is your reactivity of the system or your initial boron  
6 concentration when you're at operating conditions and  
7 the other is what that slug comes in at. Does it come  
8 in at zero ppm or 400 ppm, that's also important?

9 MEMBER RANSOM: So this energy deposition  
10 is pretty much a local effect. It depends on the  
11 local concentration of the boron in the flow?

12 MEMBER SIEBER: No, huh-uh.

13 MR. DIAMOND: Well, we -- it's a local  
14 effect in that, yeah, I mean, the reactor is large and  
15 things happen with different rates and different  
16 positions.

17 MEMBER RANSOM: And I'm not sure I  
18 understand then, why the initial boron concentration  
19 in the core itself is not an important factor.

20 MR. DIAMOND: The initial reactivity of  
21 the core and hence, the hot operating powered boron  
22 concentration is important. The fact that you  
23 increase to some level during this even and then come  
24 back means that it doesn't matter what you increase  
25 to. So if you increase to 2500 but maybe your RWST is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really -- maybe the tech spec is at 2400, that's not  
2 important.

3 MEMBER RANSOM: The thing I was asking is  
4 you've been in this boiler condenser mode for some  
5 period of time. During that time, you're increasing  
6 the concentration of boron on the core itself.

7 MR. DIAMOND: Right.

8 MEMBER RANSOM: And then finally, the  
9 deborated slug is going to displace some of this  
10 borated water, but I believe you said that your  
11 calculations do not include the -- you know, the  
12 increase in global boron concentration in the core as  
13 a result of this boil-off.

14 MR. DIAMOND: Yeah, well, what I'm saying  
15 is that it doesn't matter, because you are that much  
16 more shut down as a result of -- say you're not at  
17 2500. Say the concentration went up to 2700. You're  
18 that much further shut down but then you come back up  
19 through that anyway because your slug is assumed to be  
20 at a much lower concentration. So it doesn't matter.

21 MEMBER RANSOM: Well, that's what I was  
22 asking, the reactivity is more a local effect, I  
23 guess. It doesn't matter what the boron concentration  
24 in most of the core is like.

25 MEMBER SIEBER: The whole reactor goes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 prompt critical as opposed to for example, a naval  
2 reactor where you have really high enriched fuel and  
3 they can go critical --

4 CHAIRMAN WALLIS: I think Vic is right,  
5 but you have to push out that borated water, don't  
6 you? The slug actually fills the core. The clean  
7 slug pretty well fills the core. So it flushes out  
8 your borated water.

9 MR. DIAMOND: Yeah.

10 CHAIRMAN WALLIS: But I think the reason  
11 you get the spike is because the Doppler thing is so  
12 core-wide and yet the local heating is intense in  
13 certain places.

14 MR. DIAMOND: Well, you get the spike  
15 because you reach a point where you're prompt  
16 critical.

17 CHAIRMAN WALLIS: Right.

18 MR. DIAMOND: And the neutron kinetics are  
19 such that once you reach that point, power just tends  
20 to take off and it's --

21 MEMBER SIEBER: It shuts you down.

22 MR. DIAMOND: Right, but you have --

23 CHAIRMAN WALLIS: You have to heat up the  
24 whole core to get the Doppler.

25 MEMBER SIEBER: Well, the heating of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 core is the integral of the power.

2 CHAIRMAN WALLIS: But the heating of the  
3 particular place you're worried about is the spike.

4 MEMBER SIEBER: Yeah, but the spike occurs  
5 throughout the core. The whole core pulses.

6 CHAIRMAN WALLIS: Yeah, but the hottest  
7 point goes off much more rapidly.

8 MEMBER SIEBER: You end up with a profile  
9 that's bottom skewed.

10 MR. DIAMOND: The highest power heats up  
11 the ferris, but most of the heating is the uranium  
12 daughter products, U-02 daughter products. Those are  
13 deposited over very localized area.

14 CHAIRMAN WALLIS: We hope.

15 MEMBER RANSOM: We'd better move on to the  
16 mixing. Why don't we get back at five after 3:00?  
17 We'll take a break.

18 (A brief recess was taken.)

19 MEMBER RANSOM: We're back in session.

20 PROF. diMARZO: I am Marino diMARZO from  
21 the Department of Research and I'm going to try to  
22 illustrate two things in this presentation. I'm going  
23 to try to figure out how RELAP, as presented by Dave  
24 Diamond actually represents the mixing in the vessel  
25 the way it has been described and then I'm going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 talk about how do we generate the boundary condition  
2 to that model, to the RELAP and then been coupled with  
3 PARCS. So these are the two things that I'm going to  
4 try to touch upon.

5 So I'm going to spend most of the time  
6 here in the first item because we need to get the  
7 sense from some experimental evidence that we have,  
8 some CFD calculation that have been performed and from  
9 some other evidence as to what's happening and how  
10 well are we representing that.

11 MEMBER RANSOM: By the RELAP model, I  
12 assume you're including the mixing considerations.

13 PROF. diMARZO: The RELAP model --

14 MEMBER RANSOM: I know RELAP and what it  
15 does.

16 PROF. diMARZO: No, no, but the RELAP file  
17 that David Diamond has just showed you, it's  
18 essentially a time dependent volume feeding --

19 MEMBER RANSOM: Right, right.

20 PROF. diMARZO: -- that represents lower  
21 head that feeds into a junction and that feeds in all  
22 these channels. That's basically what is there.

23 MEMBER RANSOM: Right. I hope you're  
24 going to tell us how you get those conditions to feed  
25 in.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           PROF. diMARZO: That's right. That's one  
2 part but the other part is we have to realize what  
3 that model does as coded because that's part, integral  
4 part of the deal. So I'm going to -- first of all,  
5 I'm going to follow a lot the comments that Vic, you  
6 made, and you'll see down here at the bottom of the  
7 slide all the references to the question that you  
8 raise.

9           But the first thing I'm going to do is  
10 review the mixing model which it's kind of a  
11 historical tool that enables us to simply understand  
12 what's going on in the different components of the  
13 system or in a way to interpret that. And then I'm  
14 going to talk about what happens inside the vessel,  
15 specifically what happens in a core channel, one of  
16 those vertical core channels, in the lower head and  
17 the most important in the combination of downcomer  
18 lower head in terms of mixing. And then I'm going to  
19 talk about what do we feed to the vessel through the  
20 cold leg from the outside. So this is the breakdown  
21 of what I'm trying to talk about. And you have seen  
22 this -- some of this in bits and pieces but I'm trying  
23 to give you something a little bit more organized  
24 here.

25           So this is the plant. Again, we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 looking at lower loop. This is the area where the  
2 steam generator tube, steam generator outer plenum,  
3 the cold leg suction to the pump is the region where  
4 the slug will be stored or formed, I should say, and  
5 placed. Then it could be moved somewhere and  
6 eventually it could be moved towards the core. But  
7 that's the volume where we're going.

8 So the first item is to review the mixing  
9 models. This is just historical because it's 1962  
10 which was some time ago. I'm going by Levenspiel,  
11 which is the guy I know -- I mean, was taught to me in  
12 school, so that's -- but I'm sure that there are other  
13 versions of this and other formulation. The man  
14 identified two extreme case, the plug flow situation  
15 where basically if you have a step function, you just  
16 translate that and then the back mix flow which is  
17 also known as the mixing cup, the perfect mixing  
18 reactor, anything you want. It's just an overflowing  
19 cup in which you feed. You know, so these are just  
20 two conceptual idea of the extreme possibilities.

21 CHAIRMAN WALLIS: Back mix flow applies if  
22 you have a volume in which you can mix things, if you  
23 have a plate, then you have some other --

24 PROF. diMARZO: If you have a pipe that is  
25 extremely well agitated by some mechanical means --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: You take that was a  
2 mixing --

3 PROF. diMARZO: That could be a well-mixed  
4 volume.

5 MEMBER RANSOM: One of the other terms is  
6 infinitely stirred reactor.

7 PROF. diMARZO: And infinitely -- yeah,  
8 there are --

9 MEMBER RANSOM: Homogeneous.

10 PROF. diMARZO: Yeah, it's just a little  
11 box with a little propeller inside. And so the  
12 formulation for the back mix flow is basically this.  
13 What you have is an initial concentration in the  
14 volume and then as time progresses you have a forcing  
15 function and you have a curve and you do a convolution  
16 of this thing and that gives you the concentration  
17 that trickles out of the cup. So that's basically  
18 what that is.

19 CHAIRMAN WALLIS: Thank you. I haven't  
20 seen an equation in some time.

21 PROF. diMARZO: Now, this goes to say  
22 because we were asked what do we do with this. The  
23 first thing we did was to define the transit time.  
24 That transit time is the volume of the slug divided by  
25 the flow metric flow rate. So essentially, it's the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 time it takes for the slug completely unmixed to go  
2 through a cross section. Okay? So that is basically  
3 the non-dimensional time.

4 CHAIRMAN WALLIS: It's related to the  
5 mixing transient time and the mixing volume.

6 PROF. diMARZO: Right, so in a sense if  
7 you let two and a half -- if you go back to this  
8 equation here, if you let two and a half transit time  
9 go by, you have swamped the volume. Once you have put  
10 two and a half times wine in a glass of water  
11 basically, it's all wine.

12 CHAIRMAN WALLIS: So in the slug it takes  
13 one time to sweep everything out and in the mixing  
14 thing it takes two or three times --

15 PROF. diMARZO: Two or three times, that's  
16 the area. So the transit time enables us to now non-  
17 dimensionalize, I mean, the time and the equation  
18 becomes this. The nice feature of this is the time  
19 has gone away in a sense and you have now the volume  
20 of the slug compared to the volume of the component as  
21 the term that you can call a time constant, a non-  
22 dimensional time constant and that essentially says  
23 that if the slug is far larger than the component into  
24 which mixing has occurred, you'll swamp it. On the  
25 other hand, if the slug is smaller than the component

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in which you are going in, you will never --

2 CHAIRMAN WALLIS: You'll just mix the ends  
3 of it.

4 PROF. diMARZO: That's correct. So that's  
5 very physical for me to understand what goes on. I  
6 mean, I can understand in this formulation the --

7 MEMBER RANSOM: Are you proposing like in  
8 the thermal hydraulic code framework, volume by  
9 volume?

10 PROF. diMARZO: You'll see. I cannot do  
11 that because that is -- that's in fact what B&W's  
12 owner's group did, Framatome did but there is -- in my  
13 opinion there is an intrinsic flow there because you  
14 decide how much you segment or whatever it is, and  
15 once you decide how much you segment or whatever it  
16 is, you are imposing the mixing, and so that is not an  
17 acceptable way of doing business.

18 MEMBER RANSOM: So your volume of slug is  
19 the entire --

20 PROF. diMARZO: Yeah, it's a component.  
21 It has to be a component.

22 MEMBER RANSOM: A component?

23 PROF. diMARZO: Yes, it could be the pump,  
24 it could be --

25 MEMBER RANSOM: V sub S, what is V sub S?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           PROF. diMARZO: V sub S is the volume of  
2 the slug the original slug.

3           MEMBER RANSOM: The entire slug.

4           PROF. diMARZO: Yes, the entire slug. And  
5 this is the volume of the component in which we  
6 arbitrarily decide there is full mixing. Again, this  
7 is an interpretation tool. It doesn't have to be a  
8 predictive tool at all. It's just a way to look at  
9 things and to define whether they're well mixed or not  
10 well mixed or in between. Now there was a question as  
11 to how do we implement this and obviously, it all  
12 depends on how simple this forcing function here is.  
13 If it's very simple, it's an analytical form you can  
14 just integrate. If it's not that simple, well,  
15 basically what you do is you take your slug and you  
16 divide it in say 100 little chunks and then it becomes  
17 a summation type of process where now each segment of  
18 the slug is sent through and the whole process.

19           CHAIRMAN WALLIS: Each one has a piece of  
20 influence on the other?

21           PROF. diMARZO: Right, a parcel, a little  
22 parcel and you parcel it all out, you know, and at  
23 this point you get your concentration this way. So  
24 when the slug is not simple, in other words, not as  
25 step, it's nothing simple, we use this formulation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which is a little code. So you're asking, are you  
2 using a code? Yes, I'm using a what 20-line quick  
3 basic code, yes, to do this.

4 MEMBER RANSOM: Okay.

5 CHAIRMAN WALLIS: So everything is going  
6 to be either types or volume of something. You're not  
7 going to have any sort of tailor mixing where you  
8 leave behind boundary layers and all that, nothing  
9 like that.

10 PROF. diMARZO: No, nothing like that.  
11 The pipe -- you'll see what the assumptions are. Now,  
12 go back to the formulation that David Diamond put  
13 forward. This is what is connected to PARCS. This is  
14 the RELAP 5 coding that is interfacing with PARCS.  
15 That's what happens there. There is not downcomer.  
16 There is just the lower plenum, that's it and this  
17 box, we'll have to figure out what it does, okay? And  
18 these things we'll have to figure it out what they do.

19 CHAIRMAN WALLIS: This lower plenum is --

20 MEMBER RANSOM: Well, it has a lower  
21 plenum and then the branch, too, that has some volume  
22 in there.

23 PROF. diMARZO: It has the branch and it's  
24 got this thing, and I'm trying to figure out what they  
25 do by just -- because I asked David to sending a step

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 function which is known as an F function in Levenspiel  
2 language and then I look at RELAP itself when this  
3 thing goes through and then based on that, I make an  
4 interpretation and say, this is what it looks like.

5 CHAIRMAN WALLIS: RELAP actually has a  
6 well mixed plenum so it puts the same concentration of  
7 boron into each channel.

8 PROF. diMARZO: Into each -- well, it  
9 depends then on flow, yes. At this point, yes.

10 CHAIRMAN WALLIS: Because there's no  
11 mechanism of doing anything else.

12 PROF. diMARZO: Yeah.

13 MEMBER SIEBER: Or any lateral.

14 PROF. diMARZO: There is no lateral here.  
15 This is a junction.

16 MEMBER RANSOM: But it is a mixing volume  
17 though.

18 PROF. diMARZO: This is the mixing volume,  
19 yes.

20 MEMBER RANSOM: Well, the other one is,  
21 too.

22 PROF. diMARZO: This?

23 MEMBER RANSOM: Yeah.

24 PROF. diMARZO: This is just junction.

25 MEMBER RANSOM: It's what?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PROF. diMARZO: A junction.

2 CHAIRMAN WALLIS: I junction with no  
3 volume.

4 MEMBER RANSOM: Oh, it's a junction.

5 PROF. diMARZO: It's a junction.

6 MEMBER RANSOM: Well, then actually, all  
7 of those pipes are connected to the mix volume down.

8 PROF. diMARZO: Yes, yeah. So, I mean,  
9 I'm trying to give you that because I want to now  
10 analyze what that does the same way I would analyze a  
11 chemical reactor by sending in a tracer. That's  
12 basically what we're doing here. So let's first of  
13 all look at these channels, okay. So Taylor is saying  
14 that if you put in a channel fluid B following a fluid  
15 A with a sharp interface, as this moves along and  
16 spreads and diffuses away, the distance between the  
17 plane in which you have Point 1 concentration and the  
18 plane where you have 99 percent concentration is S.

19 CHAIRMAN WALLIS: This is Taylor mixing.

20 PROF. diMARZO: This is Taylor mixing.

21 CHAIRMAN WALLIS: This is okay.

22 PROF. diMARZO: This is in the channel.

23 CHAIRMAN WALLIS: Yeah, this is in the  
24 pipe.

25 PROF. diMARZO: In the pipe, in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 turbulent pipe, so S is basically how much you have  
2 smeared this initial flow. Initial S is zero and as  
3 you move along.

4 MEMBER RANSOM: And that will depend on  
5 the run --

6 CHAIRMAN WALLIS: How much is it spread o  
7 out?

8 PROF. diMARZO: Exactly.

9 CHAIRMAN WALLIS: And you've got some  
10 numbers for this?

11 PROF. diMARZO: Yes, so, our number is --  
12 our -- once you put all the numbers that you know  
13 essentially the channel diameter, you put in your V  
14 start over -- your V start being some shear at the  
15 wall divided the density of the fluid, square root of  
16 that. You put all this in. This is what you are left  
17 with. S equals 0.57, square root of X for our case,  
18 X being how far you have gone into the channel.

19 CHAIRMAN WALLIS: It's almost universal  
20 because V star over U doesn't vary very much.

21 PROF. diMARZO: Right, so that's the idea.

22 MEMBER RANSOM: Now, what is the velocity  
23 assumed?

24 PROF. diMARZO: The velocity is the  
25 velocity that was given to me in the calculation that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I use this again, so I think it was one meter per  
2 second or 1.3 meter per --

3 MEMBER RANSOM: I mean is that  
4 representative of the reflux phase?

5 PROF. diMARZO: It's representative of the  
6 kind of velocity that we will see, the three feet per  
7 second that Dave was talking about. The start of the  
8 pump.

9 MEMBER RANSOM: Start of the pump?

10 PROF. diMARZO: Yeah, one pump.

11 CHAIRMAN WALLIS: So if you have one pump  
12 it's about --

13 PROF. diMARZO: So it's 1.3 meters per  
14 second, something like that, but the point is, I asked  
15 David Diamond to send me a step in concentration on  
16 top of this flow. And then I looked at the RELAP  
17 results to see what we were --

18 CHAIRMAN WALLIS: You're an SI unit.

19 PROF. diMARZO: I'm in SI unit.

20 CHAIRMAN WALLIS: Because you've got S  
21 equals square root of X. You've got to be some unit.  
22 It's SI unit.

23 PROF. diMARZO: SI unit. Now, another way  
24 to do this is along with Levenspiel which talks in  
25 terms of dispersion, dispersion being a parameter that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looks like D over U<sub>l</sub>, D being basically this molecular  
2 -- some sort of a dispersion term which he doesn't  
3 define very well but L and U the length --

4 CHAIRMAN WALLIS: A diffusing number.

5 PROF. diMARZO: Yeah, it would be some  
6 type of diffusing type of number. So I can use also  
7 that terms and I have a chart which I'll just show you  
8 that gives me this value and then nothing else is but  
9 diameter divided by length. The importance of this is  
10 we are over here. That's where we are in this  
11 particular situation in the chart and you can see that  
12 Taylor's theory is this line over here, right? So  
13 once you go a little bit beyond five ten to the fourth  
14 here, Taylor and the experimental data are the same.  
15 So what I'm trying to say here is that there is  
16 experimental evidence that what we are getting here  
17 from the filler side of things --

18 CHAIRMAN WALLIS: This is for the core?

19 PROF. diMARZO: This is for the channels  
20 in the core.

21 CHAIRMAN WALLIS: The channels have  
22 spacers.

23 PROF. diMARZO: No, this is just --

24 CHAIRMAN WALLIS: That screws everything  
25 up, it changes everything. Taylor's is for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 straight pipe.

2 PROF. diMARZO: This is for the straight  
3 pipe.

4 CHAIRMAN WALLIS: I'm sorry to introduce  
5 such complications but --

6 PROF. diMARZO: Yeah, but I just took --

7 CHAIRMAN WALLIS: The spacers actually mix  
8 everything up.

9 PROF. diMARZO: I know but I just took  
10 what RELAP does. That would be nice. You will see  
11 that's very nice what you're saying.

12 CHAIRMAN WALLIS: The spacers actually  
13 make it --

14 MEMBER SIEBER: The grids would even --

15 PROF. diMARZO: Which is good because it  
16 will bring RELAP closer to reality in a strange way  
17 but --

18 CHAIRMAN WALLIS: So you're taking a  
19 limiting analysis here --

20 PROF. diMARZO: Exactly.

21 CHAIRMAN WALLIS: -- as if there were not  
22 spacers.

23 PROF. diMARZO: Correct, but now the  
24 problem is, as you will see, RELAP has got this thing  
25 called numerical diffusion that we go the other way,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 so let me show you what we get. Now, you can do  
2 another thing. You can take the answer from RELAP  
3 too, right, and you can essentially calculate that  
4 there are two standard deviation between the sixteen  
5 and eighty-fourth percentile. This is, again, along  
6 with Levenspiel. So you can calculate what this  
7 standard deviation is and you can get the dispersion  
8 from the actual data coming out from RELAP.

9 So the theoretical number from Taylor is  
10 0.0011. The number that you get from RELAP, 0.0020.

11 CHAIRMAN WALLIS: Does this depend upon  
12 the node size and that sort of thing?

13 PROF. diMARZO: That depends on the node  
14 size, yeah, but that's what RELAP has done. And what  
15 RELAP has done is about twice what Taylor is saying  
16 for a pipe straight.

17 CHAIRMAN WALLIS: I think actually it's  
18 bigger than that because of the spacers.

19 PROF. diMARZO: Correct. So Taylor is not  
20 0011, it's probably higher, closer to this, but that's  
21 not really very important. The other thing you can do  
22 is go back and calculate the S according to Taylor,  
23 the distance of the smeared slug and again, here are  
24 two sets of numbers for aft core and end of core.

25 CHAIRMAN WALLIS: It smears out quite a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bit.

2 PROF. diMARZO: It smears out quite a bit.  
3 Now, the point of all this is that Levenspiel calls  
4 small dispersion anything that is less than 0.002.  
5 What he means is whatever is less than 0.002 is close  
6 to a plug flow.

7 CHAIRMAN WALLIS: With the spacers it  
8 might be 005 or something like that.

9 PROF. diMARZO: It would be more mixed,  
10 that's fine, but what I'm saying is that we are in the  
11 neighborhood of what is defined by Levenspiel as being  
12 a small amount of dispersion in this --

13 CHAIRMAN WALLIS: Actually it will be  
14 actually more but again the spacers have some  
15 influence.

16 PROF. diMARZO: The spacers have some  
17 influence, we didn't go there but what I'm saying is  
18 if these numbers are -- all I'm trying to say is tha  
19 the numerical diffusion in RELAP is not doing us a  
20 tremendous disservice.

21 CHAIRMAN WALLIS: They don't have any  
22 effect, since we're on this topic, that total  
23 dispersion is because the velocity of the middle of  
24 the --

25 PROF. diMARZO: Yeah, it will just diffuse

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one more and -- yeah, the representation of that will  
2 be a plug flow and then a little mix reactant.

3 CHAIRMAN WALLIS: A boundary layer which  
4 stays behind.

5 PROF. diMARZO: Right.

6 CHAIRMAN WALLIS: And the spacers may  
7 actually mix that up and prevent that.

8 PROF. diMARZO: Stir it up a little bit.  
9 Yeah, but the point is that we are in the real of what  
10 is defined as small dispersion. So we are in the real  
11 closer as you will see closer as you will see in a  
12 figure that I'll show you.

13 CHAIRMAN WALLIS: As long as the spacers  
14 don't make it --

15 PROF. diMARZO: Yeah, fairly close, as  
16 long as the spacers don't stir up everything, we are  
17 closer to a plug flow. So that's the first part. And  
18 that's what I mean. This is a small amount of  
19 dispersions, 0.002 is this curve here.

20 CHAIRMAN WALLIS: Is there experimental  
21 evidence of mixing, axial mixing in the core?

22 PROF. diMARZO: No.

23 CHAIRMAN WALLIS: There's no experimental  
24 evidence whatsoever?

25 PROF. diMARZO: Not that I know.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: That's sort of strange,  
2 because people have tested rod bundles ad nauseam for  
3 all kinds of purposes.

4 MEMBER RANSOM: Well, there's a little  
5 bit, I think on the heat transfer effects. You know,  
6 the spacers again, they've seen significant effects on  
7 the heat transfer of the rods but --

8 PROF. diMARZO: That would have been --

9 MR. BASSETTE: I think when people look at  
10 DMB in the core, you get some information as to spacer  
11 effect.

12 PROF. diMARZO: The net sense of all this  
13 is that the core channels are around here. So the  
14 representation of the flow in the channel by RELAP 5  
15 connector 2 parts is reasonable, that's my conclusion.

16 Now, let's talk about that node, that node  
17 that represents the lower head.

18 CHAIRMAN WALLIS: It's the other extreme.

19 PROF. diMARZO: Right, the node that  
20 represents the lower head I just take what comes out  
21 of RELAP again, going through that node, and this line  
22 here is on this plot what that node does to a step  
23 function. And this line here is the infinitely mixed  
24 volume or the back mixed volume, the one represented  
25 by those equations that I showed you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN WALLIS: But the RELAP is very,  
2 very, very close to the back mix flow.

3 PROF. diMARZO: Right, in the sense, look  
4 at --

5 CHAIRMAN WALLIS: The equations look just  
6 like the back mix fluid equation I would think that  
7 RELAP solves.

8 PROF. diMARZO: I'm not so sure because  
9 there are some options in there. I'm not so sure what  
10 the options have been exercised in that node.

11 CHAIRMAN WALLIS: Maybe it's this forward  
12 and backward differencing in the --

13 PROF. diMARZO: That's right but I didn't  
14 go into that. I took the result and I said, look, if  
15 it was an unknown reactor to me, this is what it does  
16 and I can say, well, if I make this assumption here of  
17 this volume, I am close in representing what it means.  
18 So all I'm saying is --

19 CHAIRMAN WALLIS: So it's reality.

20 PROF. diMARZO: Exactly.

21 CHAIRMAN WALLIS: Not just RELAP but  
22 reality.

23 PROF. diMARZO: Exactly, we'll get there.

24 MEMBER RANSOM: You're saying the RELAP 5  
25 is close to just a propagated --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PROF. diMARZO: The one single node --

2 MEMBER RANSOM: No, no, well-mixed.

3 PROF. diMARZO: That node that represents  
4 the lower head is very close to a weld steel reactor  
5 and the channel are very close to a plug flow.

6 MEMBER RANSOM: Right.

7 PROF. diMARZO: That's what that model --

8 CHAIRMAN WALLIS: It pretty well has to  
9 because that's the whole mathematical equation.

10 PROF. diMARZO: That's the deal, right.

11 So, I'm not sure that it applies, so I mean, that's my  
12 interpretation of that. Now, what is reality we have  
13 to figure out still.

14 MEMBER RANSOM: Mr. diMarzo, one thing you  
15 might say, you know, on the RELAP 5 it's a transient  
16 calculation. It goes time step to time step, so  
17 things tend to be propagated every time step somewhat  
18 which results in diffusion.

19 PROF. diMARZO: That's right.

20 MEMBER RANSOM: And I'm wondering if it  
21 runs at the material limit, then it's propagating only  
22 as the velocity and but theoretically, if you ran this  
23 thing a very small time step, you would see very rapid  
24 diffusion. How do you account for those differences?

25 PROF. diMARZO: That I don't know because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we didn't do and we didn't went into that level of  
2 detail from the calculation. David, do you have some  
3 idea of what --

4 CHAIRMAN WALLIS: It depends on node size  
5 and time step and all kinds of things.

6 PROF. diMARZO: Yes.

7 MEMBER RANSOM: Well, it would be  
8 interesting to know, I guess what time step these  
9 calculations were run at then, so that you would know  
10 whether this is --

11 PROF. diMARZO: I don't know that  
12 calculation. That's a very good point but what we  
13 took was the global outcome of that calculation. So  
14 that was to get the sense for what we are actually  
15 coupling with PARCS because that is something that we  
16 have to get conscious of. So now in the following,  
17 what are we trying to do now. We are trying to get  
18 some experimental evidence and some means to figure  
19 out what's reality which is exactly the question that  
20 Graham posed. And we don't have any mean to separate  
21 downcomer from lower head, per se, unless we could.

22 So we will look at the whole in vessel  
23 thing in the end, so let me progress step-wise and  
24 show you what experimental evidence we have.

25 CHAIRMAN WALLIS: So why is it a plug flow

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 model of the downcomer?

2 PROF. diMARZO: The downcomer is not  
3 existing.

4 CHAIRMAN WALLIS: Does RELAP not exist?  
5 I mean, RELAP has a model for the downcomer, doesn't  
6 it?

7 PROF. diMARZO: No.

8 CHAIRMAN WALLIS: No, RELAP doesn't say  
9 the downcomer exists?

10 PROF. diMARZO: No, there is no downcomer.  
11 We're feeding in the lower head.

12 CHAIRMAN WALLIS: How does RELAP get the  
13 flow into the lower plenum?

14 PROF. diMARZO: From a time dependent  
15 node.

16 CHAIRMAN WALLIS: It just appears  
17 magically from somewhere?

18 MEMBER RANSOM: I think one thing needs to  
19 be clarified. He's talking about RELAP 5 in the sense  
20 that the one that's used with the PARCS model.

21 CHAIRMAN WALLIS: Right.

22 MEMBER RANSOM: Now there could be a RELAP  
23 model of the entire system which --

24 PROF. diMARZO: There is no downcomer in  
25 that --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: I doesn't go that far  
2 back.

3 PROF. diMARZO: That's right, so the  
4 question now is, is that good enough or should I do  
5 something?

6 CHAIRMAN WALLIS: But it's not clear that  
7 it has a plug flow model of the downcomer. It accepts  
8 whatever you tell it comes in.

9 PROF. diMARZO: Correct.

10 CHAIRMAN WALLIS: So if I assumed that all  
11 that is modeled in the vessel is what was presented in  
12 the condition is essentially that I'm saying that the  
13 downcomer has to operate like a plug flow model. Do  
14 you see what I'm saying because it's just simply not  
15 there.

16 CHAIRMAN WALLIS: Are the inputs the same  
17 as the input from the --

18 PROF. diMARZO: Time shifted that's all.  
19 That's what we look like at this point, okay? And  
20 again I don't know whether that is true or not or  
21 whether that is real or not. I have to figure it out.

22 CHAIRMAN WALLIS: I can run with  
23 concentrations of stuff as well.

24 PROF. diMARZO: Sure, but what I'm saying  
25 is --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: What does RELAP do with  
2 the downcomer if you model a downcomer in RELAP?

3 PROF. diMARZO: A downcomer would be  
4 complicated because you'd have to have a three  
5 dimensional presentation of the downcomer and that is  
6 deemed problematic, highly problematic.

7 CHAIRMAN WALLIS: So RELAP thinks the  
8 downcomer is a pipe.

9 PROF. diMARZO: If you put down a pipe,  
10 then basically you don't have much to do with what's  
11 going on here, so I don't know exactly how you would  
12 handle that with RELAP but we can handle it with  
13 fluent in the CFD model.

14 CHAIRMAN WALLIS: It depends on how many  
15 nodes you have in a downcomer. If you have just one  
16 big node, then it's like a mixed vessel. If you --

17 PROF. diMARZO: You can have one stack on  
18 node and that's a representation and you could have a  
19 three dimensional representation but then there are  
20 other issues.

21 MEMBER KRESS:: The PTF program found it  
22 to be well mixed.

23 CHAIRMAN WALLIS: Yeah, but that's not  
24 saying it is.

25 PROF. diMARZO: Look, RELAP is not a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mixing tool for a three dimensional space.

2 CHAIRMAN WALLIS: We're talking about  
3 reality.

4 PROF. diMARZO: Right, exactly. So we  
5 don't want to go there. Finally it's now what do we  
6 have?

7 CHAIRMAN WALLIS: I think you'll probably  
8 say it's conservative to have no mixing in the  
9 downcomer.

10 PROF. diMARZO: Sure, sure. I mean,  
11 that's -- what we've seen better, what do we have. E  
12 have a CSNI experiment at Maryland, which I didn't  
13 run, so it's independent.

14 CHAIRMAN WALLIS: Where is this place,  
15 Maryland?

16 PROF. diMARZO: Somewhere in -- somewhere  
17 on the Beltway. And then we have a research CFD  
18 calculation of the same thing, okay, and that was  
19 performed within that CSNI operation, so we're going  
20 to tap into that. So the experiment wasn't done in  
21 concentration. It was done in temperature but since  
22 there was not much heat losses, basically there was an  
23 equivalence between the two and the idea was to send  
24 in a cold front of 12 degrees C in a 72 degree  
25 centigrade downcomer at seven liter per second, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 downcomer is around 100 liters, just to give you an  
2 idea.

3 CHAIRMAN WALLIS: You'd duplicating food  
4 number or something?

5 PROF. diMARZO: Yes, there is a whole  
6 report and details and whatnot. Then we have affluent  
7 calculation done by research of that space with about  
8 half a million node which where is that will give you  
9 a resolution in the latter part of the downcomer where  
10 the cold legs are inserted essentially around eight  
11 nodes across and then below the expansion, 14 nodes  
12 across three dimensional.

13 CHAIRMAN WALLIS: I hope that the  
14 transcript records affluent calculation, not effluent  
15 calculations the way these words sometimes get screwed  
16 up.

17 PROF. diMARZO: Yeah, CFD calculation,  
18 affluent is a commercialism, so CFD. Okay. And  
19 basically the pressure drop -- this is very important  
20 because we're going to go to that again later. In  
21 order to model the various sets that are between the  
22 lower head and the core a pulse meter was inserted  
23 there and you will see that in the future slides just  
24 to give you a better sense of that, to match the  
25 pressure drop that was observed in the --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER RANSOM: Are the same temperatures  
2 assumed for --

3 PROF. diMARZO: Same everything.

4 MEMBER RANSOM: -- the affluent  
5 calculations, though?

6 PROF. diMARZO: Right, that was basically  
7 an initial condition fairly well monitored in the cold  
8 leg which was given to affluent and then it's --

9 MEMBER RANSOM: So it's cold water going  
10 down into --

11 PROF. diMARZO: Cold water going down.

12 MEMBER RANSOM: -- hot water, right?

13 PROF. diMARZO: Experiments have been done  
14 to correct for the cold water by salting the hot  
15 water. I mean, all kinds of variation and gyration  
16 have been done there. I mean, we've got data.

17 MEMBER RANSOM: One thing we need to keep  
18 in mind, Dr. Norbush has brought up that maybe it's  
19 hot water.

20 PROF. diMARZO: It could be hot water and  
21 -- we have all the data on that kind of a thing but  
22 you'll see what kind of happens. So let's talk about  
23 what is in the lower head because that's a relevant  
24 problem here. In the lower head there is a free space  
25 and angular -- I don't say angular, but there's a gap

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 here in the hemisphere, a free-flowing gap with the  
2 exception of the measurement instrumentation here.  
3 Then there is a first distributor, a first perforated  
4 plate.

5 CHAIRMAN WALLIS: It's a colander.

6 PROF. diMARZO: A colander, yes. Above  
7 that there is a distributor plate, okay. Then above  
8 that there is basically a big spacer plate with  
9 perforation again. Then there is another distributor  
10 plate and then another perforated plate. That is the  
11 reason why this whole contraption here in the CFD  
12 calculation has been like a porous media looking like  
13 a hemisphere.

14 MR. TRAIFOROS: Basically a permeability  
15 tensile has been developed there?

16 PROF. diMARZO: Yes, and so that was the  
17 way it was represented because there was no way to do  
18 this thing.

19 MR. TRAIFOROS: So it's not isotropic type  
20 of porous media. There's tensile in there.

21 PROF. diMARZO: Yeah. So that's basically  
22 what has been done. And that explains also the kind  
23 of results that we're getting from Maryland where we  
24 do have a duplication of all of these things. We  
25 don't have all these porous sets but I mean, we have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some of them. So these are all the grids through  
2 which the flow should go through. Now, there were  
3 several tests run at Maryland, I'm told because again,  
4 I didn't do it, but basically they were done one after  
5 the other in similar conditions, okay. And then the  
6 results of these tests were averaged out, 16  
7 identical, quote unquote "identical" repeat tests  
8 averaged.

9 That explains why there is an error bar.  
10 An error bar, we shouldn't call it an error bar.  
11 There is a bar here because there are 16 experiments.  
12 This is the average value and those are the variation.

13 CHAIRMAN WALLIS: This is from the CF --

14 PROF. diMARZO: No, this is experiments.

15 CHAIRMAN WALLIS: One is --

16 MEMBER RANSOM: This is hot water, cold  
17 water?

18 PROF. diMARZO: These are the experiments,  
19 okay? Now, what can change? Well, the temperature  
20 might change slightly, the way it's injected may  
21 change slightly and so forth. The important part,  
22 which goes to the point, is that the maximum variation  
23 is not down here nor in the beginning but in this  
24 intermediate portion.

25 CHAIRMAN WALLIS: What do you mean by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 normalized temperature? Where is this temperature?

2 PROF. diMARZO: This is -- remember there  
3 is a temperature pre-existing in the vessel, which is  
4 one. And there is slug that has a temperature zero.

5 CHAIRMAN WALLIS: And this is the  
6 temperature as the --

7 PROF. diMARZO: As time goes by --

8 CHAIRMAN WALLIS: -- as the liquid goes  
9 into the vessel.

10 PROF. diMARZO: This is one downcomer  
11 worth of liquid.

12 CHAIRMAN WALLIS: As the liquid comes into  
13 the vessel.

14 PROF. diMARZO: Into the vessel and two  
15 downcomers --

16 CHAIRMAN WALLIS: But whereabouts across  
17 the cross section of the bottom of the vessel?

18 PROF. diMARZO: Okay, the liquid comes in  
19 in one cold leg. And this the averaged --

20 CHAIRMAN WALLIS: It's the average  
21 temperature going into the vessel.

22 PROF. diMARZO: No, not going into the  
23 vessel, at the bottom of the downcomer.

24 MEMBER RANSOM: It's at the --

25 PROF. diMARZO: There are a bunch of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thermal couples at the bottom of the downcomer and the  
2 average value of those.

3 CHAIRMAN WALLIS: So it's the average  
4 value. How much does it vary around the --

5 PROF. diMARZO: I'll get there. I have  
6 that. Now, I have that at the entrance of the core  
7 from the --

8 CHAIRMAN WALLIS: So this is expediential  
9 behavior, right?

10 PROF. diMARZO: Yeah, this is basically  
11 what you have. The variations here which are larger,  
12 are due to the fact that --

13 CHAIRMAN WALLIS: Your expediential mixing  
14 model would give something very similar.

15 PROF. diMARZO: No, it's more complicated.  
16 We did some more --

17 MR. TRAIFOROS: You're neglecting this  
18 mixing in your model.

19 PROF. diMARZO: Yeah, yeah, but let me  
20 rephrase. There are several possibilities depending  
21 on the density. When the flow enters the upper  
22 downcomer, it can go around and sink on the other side  
23 or it can just go down. That depends a little bit on  
24 the densities. Then there is another twisting factor.  
25 When -- remember that the lower head is empty. When

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the stream hits the lower head on the other side you  
2 basically get an upward. Since you're averaging in  
3 that plane, you're getting also the inflow --

4 CHAIRMAN WALLIS: Well, this looks as if  
5 the downcomer is behaving like a pretty good mixer.

6 PROF. diMARZO: Not really. In order to  
7 match this curve, it's very complicated.

8 CHAIRMAN WALLIS: But if there are no  
9 mixing, it would just be a step function.

10 PROF. diMARZO: Yes, but the point is  
11 this; there are two factors. You have to introduce  
12 two complications in the mixing formulation in order  
13 to get the curve that looks like this. You've got to  
14 introduce a dispersion now, which is not zero, not  
15 infinity, an intermediate dispersion and then you have  
16 to introduce the concept of participating volume  
17 because not 100 percent of the downcomer is  
18 participating in the mixing but the portion is so-  
19 called stagnant feature. So once you introduce these  
20 two variables into the process, then you can get the  
21 curve that matches this. So it becomes very  
22 complicated very quickly. We did that extensively but  
23 there is a whole different deal.

24 CHAIRMAN WALLIS: If it mixes in half the  
25 volume, then things will happen twice as fast.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   PROF. diMARZO: That's right but there are  
2 two extremes.

3                   CHAIRMAN WALLIS: So you --

4                   PROF. diMARZO: If the flow comes in and  
5 goes down like crazy like that, it mixes a lot but the  
6 participating volume is very small.

7                   CHAIRMAN WALLIS: Did you show these three  
8 theories superimposed on the data?

9                   PROF. diMARZO: Yes, we did that but the  
10 problem is this --

11                   CHAIRMAN WALLIS: Are you going to show  
12 that?

13                   PROF. diMARZO: No, no, because the point  
14 issue is this; this is a reduced scale experiment. So  
15 if I make a reduced scale experiment like this, and I  
16 want to demonstrate the scaleability of a reduced  
17 scale experiment like this to plant, at this stage of  
18 game, I have basically no hope. So I cannot go with  
19 an intermediate dispersion and a participating volume.

20                   CHAIRMAN WALLIS: Well, I'd rather have  
21 another figure where you show the MM as well as the --

22                   PROF. diMARZO: Exactly, hang in there.

23                   CHAIRMAN WALLIS: That's what we're going  
24 to get to.

25                   PROF. diMARZO: Exactly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER RANSOM: No, the CFD calculation is  
2 again, an average?

3 PROF. diMARZO: The CFD calculation is the  
4 average in the plane.

5 MEMBER RANSOM: And the error bars that  
6 you have there are --

7 PROF. diMARZO: Well, let me show you on  
8 the next slide, because I didn't want to put --

9 MEMBER RANSOM: All right.

10 PROF. DiMARZO: But what I'm trying to say  
11 here is the CFD calculation is a fairly good  
12 representation of that data at reduced scale. That's  
13 the point I'm driving at. So remember the CFD  
14 calculation is not just the downcomer. It includes  
15 also a lower head. It includes this porous portion  
16 that represents that. I will make use of that  
17 calculation exactly without touching anything to  
18 infer what's happening at the entrance of the core  
19 because it does very well the downcomer. I'll  
20 continue it and extract data at that plane.

21 So this is a question that I don't know  
22 how to answer completely but in a sense we have use  
23 the Maryland facility in a number of situations in a  
24 number of scenarios, I mean, there is ample literature  
25 on this since '82. So in terms of the representation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 of plant from the Maryland facility and the scaling  
2 and so forth, there's an ample amount of literature  
3 that in different situations in different transients  
4 can give you an idea of how representative that might  
5 be.

6 But let's go to the slide that Graham is  
7 talking about because this is important. So if I take  
8 -- make the assumption that the downcomer is totally  
9 unmixed, and that lower head is, as we said, a fully  
10 mixed node, this black line here is what that MM --  
11 that mixing model will give me. It's just a  
12 mathematical expression. It doesn't mean any more  
13 than that.

14 CHAIRMAN WALLIS: This is for the  
15 concentration going into the core or --

16 PROF. diMARZO: This is the concentration  
17 or temperature whichever --

18 CHAIRMAN WALLIS: In the lower plenum or  
19 where?

20 PROF. diMARZO: One is the pre-existing  
21 concentration. Okay, this is at the entrance of the  
22 core.

23 CHAIRMAN WALLIS: Entrance of the core,  
24 whereas the previous --

25 PROF. diMARZO: Was at the end of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 downcomer. Entrance of the core. This time I have  
2 plotted here -- what I've plotted -- in that plane,  
3 okay, there are a number of nodes, so I essentially  
4 took the 10 percent of those nodes that show the  
5 lowest temperature and I've seen at what temperature  
6 that is and I took 10 percent of the node at the  
7 highest temperature and I measured the temperature and  
8 these are these two points.

9 CHAIRMAN WALLIS: So actually, if you fit  
10 the curves with an expediential, your model is about  
11 twice the K rate of the CFD.

12 PROF. diMARZO: Yeah, but let's look at  
13 this first and then I'll get there, but this point is  
14 the average on the plane. These two points represent  
15 a 10 percentile discarded on the lowest temperature  
16 and the highest temperature. The first thing that  
17 jumps out is that it's skewed. What does it mean? It  
18 basically means that there are fingers of low  
19 concentration coming into the core, if you wish in  
20 this region here, at this concentration level. Then  
21 it narrows down again pretty uniform.

22 Now, go back to the presentation that  
23 David Diamond had before. What are the two  
24 fundamental problems? First is how sharp is the  
25 injection because that determines the initial pulse.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So at high concentration, concentration is not an  
2 issue. What's an issue is how fast you decrease the  
3 boron concentration. Okay, so in this region here,  
4 what matters is how sharp this thing comes down. In  
5 this region here, what matters is how low you go.  
6 Now, this mathematical representation here, very  
7 simplistic mathematical representation, essentially  
8 skirts the minimum values of the calculation.

9 CHAIRMAN WALLIS: I think in David  
10 Diamond's nothing much happened until the  
11 concentration got quite low.

12 PROF. diMARZO: Exactly. But remember  
13 that initially what's important is how fast you drop  
14 and that's giving you the spike. Remember that there  
15 was two sets of slides, one at three --

16 CHAIRMAN WALLIS: Three percent.

17 PROF. diMARZO: -- three percent and 25  
18 percent, so that addresses this part of the curve.  
19 And then the other part of the curve is how low you  
20 go. So essentially, this representation, which again,  
21 I don't claim any physical -- how can I say -- any  
22 physical direct truth to it, okay, but as the power of  
23 giving you a sharp variation at this point where  
24 sharpness is an issue and it gives you a low  
25 concentration on this portion where low concentration

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is an issue. So that is what we say conservative in  
2 a sense.

3 MR. TRAIFOROS: But the reason for your  
4 sharp because your boundary condition here is sharp.  
5 You did not put the values that out of the downcomer  
6 mixing coming out as an input. If you would have put  
7 it, it would not be --

8 MS. MUIR: No, no, if you put --

9 MR. TRAIFOROS: The boundary conditions --

10 PROF. diMARZO: -- if you get to this drop  
11 here, right?

12 MEMBER RANSOM: Well, if I understand it,  
13 you're mixing model is two volumes, right, the  
14 downcomer and the lower head.

15 PROF. diMARZO: That's absolutely correct.

16 MEMBER RANSOM: The downcomer is plug  
17 flow, meaning no mixing and then good mixing in the  
18 lower head.

19 PROF. diMARZO: That's right and by no  
20 means, this is not the physical representation of --

21 MEMBER RANSOM: I understand that.

22 MR. TRAIFOROS: But the data is mixing in  
23 the downcomer plus mixing in lower plenum.

24 PROF. diMARZO: Absolutely.

25 MR. TRAIFOROS: So in actuality, if you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 wanted to see the validity of well-mixed lower plenum,  
2 you have to put input to this model the output from  
3 the downcomer experiment.

4 MEMBER RANSOM: Well, the CFD is doing  
5 that.

6 MR. TRAIFOROS: No.

7 MEMBER RANSOM: Yes.

8 PROF. diMARZO: The whole thing. CFD is  
9 not -- CF is artificial where you break. It's a --

10 MR. TRAIFOROS: In a way you are trying to  
11 scale up some of the mixing in the downcomer giving  
12 credit to the lower plenum mixing.

13 PROF. diMARZO: That's correct.

14 MR. TRAIFOROS: But you mentioned that  
15 there is a question of a scalability of this.

16 PROF. diMARZO: No, I didn't scale  
17 anything. This is -- this is U scale is done by CFD  
18 under U scale and the models are the models, a  
19 mathematical expression so it doesn't have really  
20 scale.

21 CHAIRMAN WALLIS: But I think he has a  
22 point that if there isn't complete mixing in the lower  
23 plenum but you get some credit for mixing in the  
24 downcomer and then you attribute it all to --

25 MR. TRAIFOROS: To lower plenum.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: -- you may be over-  
2 estimating the lower plenum.

3 PROF. diMARZO: And underestimating the  
4 other one, yes. But the matter of fact of that is  
5 that the impact on PARCS is quite conservative because  
6 down here you are under-predicting essentially the  
7 average value but bounding the minimum and other hand,  
8 you are over-predicting the sharpness of the front  
9 which is crucial to get that initial reactivity  
10 insertion.

11 MR. TRAIFOROS: Isn't CFD -- not CFD,  
12 universal --

13 PROF. diMARZO: No.

14 MR. TRAIFOROS: -- because you assimilate  
15 it. You don't have measurement of those coring --

16 PROF. diMARZO: No, no, it's not  
17 accessible.

18 MR. TRAIFOROS: No temperature  
19 measurements in lower plenum.

20 PROF. diMARZO: There's too much stuff in  
21 there to get. If we had that it would have been very  
22 nice.

23 MEMBER RANSOM: Well, could it be argued  
24 this is a conservative model then because if you  
25 included mixing in the downcomer, it would spread out

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this effect even more than --

2 MR. TRAIFOROS: Yeah, I think extending  
3 the mixing in the downcomer of the model of University  
4 of Maryland to the full power, full power -- full  
5 plant basically.

6 PROF. diMARZO: No, wait a minute.

7 MR. TRAIFOROS: You are using CFD as a  
8 scaling way of --

9 PROF. diMARZO: No, no, this is all at  
10 reduced scale.

11 MR. TRAIFOROS: But you are validating the  
12 mixing in the lower plenum.

13 PROF. diMARZO: Reduced scale --

14 MR. TRAIFOROS: Your assumption is lower  
15 plenum is well mixed, okay?

16 PROF. diMARZO: Yes.

17 MR. TRAIFOROS: So if that's indeed the  
18 case, input to the lower plenum, the concentration  
19 that you have measurements from University of Maryland  
20 in the downcomer.

21 PROF. diMARZO: Yeah, the but the problem  
22 is this, I'm not claiming --

23 MR. TRAIFOROS: You would not have been  
24 conservative, so you don't have fully mixing in  
25 downcomer, in lower plenum.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           PROF. diMARZO: Yes, but I do have mixing  
2 in downcomer from which I don't take credit. So all  
3 I'm saying here is the combined effect of having a no-  
4 mix downcomer and a full mix which is a mathematical  
5 expression is not -- it doesn't have any per se  
6 modeling quality.

7           MR. TRAIFOROS: And this is independent of  
8 scale of the University of Maryland?

9           PROF. diMARZO: No, no, this is --

10          MEMBER RANSOM: These are high Reynolds  
11 number.

12          PROF. diMARZO: Yeah.

13          MR. TRAIFOROS: That's not my point, high  
14 Reynolds number.

15          MEMBER RANSOM: No, high Reynolds is  
16 similarity is easier, I guess.

17          PROF. diMARZO: All we are saying at this  
18 stage, all we are saying --

19          MEMBER RANSOM: So the only other one is  
20 geometric similarity.

21          PROF. diMARZO: Exactly, all we are saying  
22 is --

23          MEMBER RANSOM: So we have both of those.

24          PROF. diMARZO: All we have said so far is  
25 that these models -- models is not the right word,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 these mathematical expressions is probably the better  
2 word, they're fake of a reality which is much more  
3 complex and represented reduced scale by experiment  
4 and CFD. That's all we are saying at this stage.

5 MEMBER RANSOM: The one thing that would  
6 be worried though is your comment about stratified  
7 conditions would not be representative.

8 MR. TRAIFOROS: No, the high Reynolds  
9 number buoyancy is not of importance. I mean, these  
10 are very high fluid.

11 MEMBER RANSOM: Right, not in this case  
12 but if you look at the lower flow case.

13 MR. TRAIFOROS: Again, what we are arguing  
14 if CFD meet critique something at the downcomer, I can  
15 make the conclusion that it will predict other aspect  
16 of the problem the same accuracy.

17 PROF. diMARZO: Okay, yes. That's a well-  
18 taken point but the structure of the flow between the  
19 downcomer and the lower head, you're arguing is  
20 completely different and I don't know if CFD does a  
21 good job, is that what you're saying?

22 MR. TRAIFOROS: Exactly, that's one of my  
23 questions. I mean, you are -- a code has -- for  
24 example, the way you model the downcomer is quite  
25 different than you model the lower plenum.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   PROF. diMARZO: We don't model -- you mean  
2 the CFD.

3                   MR. TRAIFOROS: The CFD, yeah. So since  
4 you know how these --

5                   PROF. diMARZO: I don't think there is a  
6 difference in modeling. It's just the --

7                   MR. TRAIFOROS: You have a porous medium  
8 model for --

9                   PROF. diMARZO: For that portion, yes.

10                  MR. TRAIFOROS: Okay, so you are -- you  
11 may have a code, have two aspects of an experiment  
12 predict well and the --

13                  PROF. diMARZO: Yeah, but the reality is  
14 this. As it stands today, we collectively do not have  
15 a mixing code assessed within this regulatory space,  
16 if you wish that we can use to say if this is  
17 according to scale, I now am going to plant with it.  
18 There is no such a thing around here.

19                  MR. TRAIFOROS: But at the same time we  
20 are using the knowledge of the downcomer mixing to  
21 extrapolate it is a well-mixed lower plenum.

22                  PROF. diMARZO: No, the lower plenum is  
23 not --

24                  MR. TRAIFOROS: That is not the case.

25                  PROF. diMARZO: The lower plenum is not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 well-mixed, it's doing this.

2 MR. TRAIFOROS: Because your input -- so  
3 this is basically what you are saying that if I don't  
4 use mixing in the downcomer and well mix in lower  
5 plenum, effectively --

6 PROF. diMARZO: This is what you get.

7 MR. TRAIFOROS: So you are not --

8 MEMBER RANSOM: It's a conservative  
9 result.

10 PROF. diMARZO: Yes.

11 MR. TRAIFOROS: But at the same time, you  
12 are stating in your report you don't give any credit  
13 to downcomer mixing.

14 PROF. diMARZO: In this black line here,  
15 no. In the CFD calculation, sure, there is mixing in  
16 the downcomer and there is mixing in that lower head.  
17 All I'm saying is that this mathematical expression  
18 provides me with a representation of reality if you  
19 want to call it that, at reduced scale. Now the  
20 benefit of this is very simple. Once I have a  
21 representation and this is where the --

22 MEMBER RANSOM: Let me ask you one more  
23 question about this.

24 PROF. diMARZO: Sure.

25 MEMBER RANSOM: This is high fall, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know, with a pump on. What about restart of natural  
2 circulation?

3 PROF. diMARZO: We have no data yet on  
4 that. We have data but we don't have a CFD of that.

5 MEMBER RANSOM: So everything you're  
6 saying is addressing only the restart of a pump.

7 MR. TRAIFOROS: Your assumption is that --  
8 you have used the same assumption for the natural  
9 situation.

10 PROF. diMARZO: Yes, yes.

11 MEMBER SIEBER: It's the same thing.

12 PROF. diMARZO: Remember the --

13 MR. TRAIFOROS: Wouldn't natural --

14 PROF. diMARZO: Yes, but the problem is  
15 this; remember that the natural circulation which has  
16 less mixing has also a benign front because it comes  
17 in much slower. So the problem is that the natural  
18 circulation situation you have to keep in mind,  
19 although the slope could be coming in very slowly and  
20 everything, whatever, as far as fuel damage is  
21 concerned, not as far as restarting the reactor, I  
22 mean, you're going to go to full power. There's no  
23 question about it. If you don't do anything, you're  
24 going to go to full power but the point is that you're  
25 going to go there without damaging the fuel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: In reality, there is  
2 mixing in both the downcomer and the low plenum.

3 PROF. diMARZO: Right.

4 CHAIRMAN WALLIS: In order to have an  
5 input to PARCS, you have to have complete mixing in  
6 the lower plenum, otherwise you would be putting  
7 different --

8 MS. MORRIS: Absolutely.

9 CHAIRMAN WALLIS: -- in different parts of  
10 the reactor.

11 PROF. diMARZO: Absolutely, I have no  
12 choice.

13 CHAIRMAN WALLIS: And they can't handle  
14 that so you have no choice and you're trying to show  
15 that if you do it with the have no choice part and put  
16 all the mixing in the lower plenum, you get something  
17 which is conservative.

18 PROF. diMARZO: Right, that's exactly what  
19 I'm saying and the part that is --

20 CHAIRMAN WALLIS: You're not trying to  
21 represent the reality, you're trying to show that your  
22 representation is conservative.

23 PROF. diMARZO: Now, in terms of scale, I  
24 don't know what to add, because I cannot do anything  
25 to this thing, to the mixing models, to introduce

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 scale except through the volumes, through the actual  
2 volumes because --

3 CHAIRMAN WALLIS: The reality may be  
4 effected by scale.

5 PROF. diMARZO: That part there remains --

6 CHAIRMAN WALLIS: That's why you use  
7 things like food numbers and all that.

8 PROF. diMARZO: Yes, but those things are  
9 scaled and are reasonably well, so that's the only  
10 thing you have. So to summarize here, I got  
11 downcomer data in Maryland, and I got the CFD  
12 calculation of the same, so this has been there. I am  
13 extrapolating since this calculation though, includes  
14 the lower head and then comparing that with what comes  
15 from the top and what comes from the top is a  
16 representation to these mixing models that I showed  
17 you, the no-mix downcomer and the fully mixed lower  
18 head which is basically what this PARCS has in it.

19 CHAIRMAN WALLIS: That's as conservative  
20 as you could get because if you put some mixing in the  
21 downcomer, it would make it --

22 PROF. diMARZO: Right, remember that I  
23 cannot --

24 CHAIRMAN WALLIS: -- which you're  
25 constrained to do.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           PROF. diMARZO: Remember that this line  
2 here is a line of great uncertainty no matter what I  
3 do. Because if you come with a partially mixed volume  
4 across this line, I frankly don't know how to defend  
5 it, whatever numbers do I get or a partially  
6 participating volume across this line. It would be  
7 very hard to say that 30 percent of the downcomer is  
8 unparticipating in Maryland and then therefore 30  
9 percent of the real downcomer would be in the same  
10 situation. I have no way to make that argument, nor  
11 do I have an argument to make about the dispersion  
12 that they would be equivalent of something. You see  
13 my predicament here.

14           So that is basically the first part.

15           MEMBER RANSOM: Incidentally, your mixing  
16 model is just a simple code I guess.

17           PROF. diMARZO: Yes, it is a simple code.  
18 it is conservative and the intent is to eliminate the  
19 scaling morass which I don't want to go into because  
20 we have no tools to address that. so in the end what  
21 I'm saying is that the RELAP PARCS representation that  
22 we have and as far as the vessel is concerned, is a  
23 conservative representation but reasonable. That's  
24 all I'm concluding.

25           MEMBER RANSOM: There RELAP 5 meaning the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 RELAP 5 PARCS model.

2 PROF. diMARZO: Yes.

3 MEMBER RANSOM: Because the other model  
4 would have mixing in the downcomer.

5 PROF. diMARZO: Yes, but then again, how  
6 good is RELAP doing it, how do you go scaling, you  
7 know, whatever, how much do you want to believe that,  
8 all those --

9 MEMBER RANSOM: I assume eventually you  
10 want to extend this to include the cold leg and all  
11 the rest of --

12 PROF. diMARZO: Okay, so now we are at the  
13 vessel. Now we have to go and feed something from  
14 that cold leg into the vessel and that's the second  
15 part of my talk.

16 CHAIRMAN WALLIS: You have to go actually  
17 talk to us about mixing in the pump and all that.

18 PROF. diMARZO: Right, that's the second  
19 part.

20 CHAIRMAN WALLIS: That's going to take  
21 some time, isn't it?

22 PROF. diMARZO: No, no, I hope not.

23 CHAIRMAN WALLIS: Well, never get to Mr.  
24 Bassette.

25 PROF. diMARZO: It's a six-slide thing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 I hope you read the paper, what can I say? Now, I'm  
2 making again assumptions, assumptions as good as  
3 anything, okay? And the assumptions are that pipe  
4 don't mix and that the only two things that mix is the  
5 pump and the steam generator for outer plenum. Again,  
6 remember what I'm talking about here, a mathematical  
7 expression, so the only thing I'm saying that there is  
8 a volume which is well-mixed and that's okay because  
9 you haven't defined what that volume is, okay.

10 You can make it as big and as small until  
11 you fit the data. I'm saying that that volume is the  
12 whole steam generator for outer plenum and it's the  
13 pump volume. Now, obviously, one can say, well, wait  
14 a minute, the mixing generated by a pump happens  
15 downstream of pump because you've started the flow and  
16 the mixing happens down there. Yes, granted, there is  
17 a volume in which this mixing occurs that you can  
18 think of as a way mixed volume of a certain size. All  
19 I'm assuming is that volume of certain size is of the  
20 size of the pump. That's all I'm saying. Again, you  
21 can argue this is not right or this is right but --

22 MEMBER RANSOM: Are you including the cold  
23 leg in that as --

24 PROF. diMARZO: No, no, just the volume of  
25 the pump.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER RANSOM: Okay, fine.

2 PROF. diMARZO: Again, it's an assumption.  
3 It's good. Okay, but go back to what was done in the  
4 scaling of the steam generator. The idea was I'm  
5 going to try something on you and then I'm going to  
6 compare it with the data and as long as it works, what  
7 I'm doing is okay. The number I picked is okay.

8 CHAIRMAN WALLIS: So you have no mixing in  
9 the cold leg.

10 PROF. diMARZO: No mixing in the cold leg.

11 CHAIRMAN WALLIS: You have no injection in  
12 the cold leg?

13 PROF. diMARZO: No injection in the cold  
14 leg. No, there is no injection in this experiment.

15 CHAIRMAN WALLIS: And there's this uniform  
16 slug in the steam generator which it doesn't matter if  
17 it mixes or not because it's uniform.

18 PROF. diMARZO: Yes. So first of all, let  
19 me give you a sense, okay? The slug that I'm going to  
20 look to validate this assumption is of the order of  
21 470 liters. Okay, I'm sorry, the scale of the slug is  
22 470. The slug is 56 liters or so. In other words, if  
23 you take the volume where the slug sits in the plant  
24 and you take the volume where it sits in Maryland  
25 facility. The ratio is 470. The typical ratio of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 facility is around 500.

2           These are the component. The steam  
3 generator tubes are 48 liters in Maryland and 41 cubic  
4 meter in plant with a ratio of again, around 500. The  
5 steam generator outer plenum is smaller in plant.  
6 It's bigger in measurement because those are the  
7 pieces you can buy. The cold leg suction is about  
8 right. The pump is a little bigger in Maryland but  
9 then -- bigger in plant, I'm sorry. And then cold leg  
10 discharge is a little bit smaller. Okay, so these are  
11 the numbers just to give you a sense.

12           So let's look, this is something you were  
13 referring to at the beginning. The slug is a cold  
14 water slug which is represented by this white portion  
15 here, injected artificially from the bottom of a cold  
16 leg with a hose and it fills up the steam generator up  
17 to here and this up to here. And at that point it's  
18 closed and this pump is started.

19           CHAIRMAN WALLIS: So what's the black  
20 stuff?

21           PROF. diMARZO: The black stuff is what  
22 was there which is original water.

23           MEMBER SIEBER: Original water.

24           PROF. diMARZO: Original a warm water, so  
25 we inject a colder water under it and we push it up

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and then times zero we start the pump.

2 CHAIRMAN WALLIS: No, in reality there's  
3 nothing above this slug. This is --

4 PROF. diMARZO: No, no, this has nothing  
5 to do with bottom mixing. This is simply to say --

6 CHAIRMAN WALLIS: Nothing to do with --

7 PROF. diMARZO: Nothing to do with bottom  
8 mixing. It's just to try to think where there mixing  
9 only in those two volumes analytical.

10 CHAIRMAN WALLIS: It's to test out your  
11 theory --

12 PROF. diMARZO: It's to test out the  
13 theory.

14 CHAIRMAN WALLIS: -- with some kind of  
15 experiment which isn't --

16 PROF. diMARZO: Doesn't have anything to  
17 do with bottom mixing, okay. But the nice important  
18 thing about this experiment is that this part will be  
19 pumped only through the pump. The front of the slug  
20 will only go through the pump.

21 CHAIRMAN WALLIS: This is a kind of system  
22 effects demonstration of the model fitting some data.

23 PROF. diMARZO: Correct. But the point is  
24 that the front of the slug goes only through the pump.  
25 See? But as the tail has to go through the steam

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generator outer plenum and through the pump, so it has  
2 to do that two in series. So that is the test that I  
3 want to run.

4 CHAIRMAN WALLIS: This is just a test.  
5 There is no vessel, there is no --

6 PROF. diMARZO: There is no considering  
7 anything. Now, initially the slug is here. Okay,  
8 what you've got there are all the liters as where the  
9 slug is and as you start pumping, you're going to  
10 start moving the slug and at the very end, it's all in  
11 the vessel and we can go into the details, but I don't  
12 think we have the time nor interest. This describes  
13 what it is. When it's like this, it's a mixed thing,  
14 so I don't know how much of each is in that particular  
15 piece of equipment.

16 So the model is close form in this  
17 particular case and the expressions are very simple,  
18 so I don't want to bother you with that. but this is  
19 what you get. The front goes only through the front  
20 which is a very small volume, so it's almost a shell  
21 front. The tail goes through both, goes through a big  
22 mix volume and then the pump, so it's much more  
23 gradual because of the subsequent mixing. And that's  
24 basically the data on top of it that you measure at  
25 that location.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Now, the problem was that we wanted to do  
2 a blind of this using OSU and that unfortunately never  
3 happened.

4                   MEMBER RANSOM: One part of this scenario,  
5 this assumes that you've refilled the system before  
6 you start the pump, I guess, right?

7                   PROF. diMARZO: No, no, the pump pumps and  
8 then that's it.

9                   MEMBER RANSOM: But I thought you said  
10 there was borated water sitting on top of the de-  
11 borated water?

12                   PROF. diMARZO: Yes, you pump that through  
13 and then it will end.

14                   MEMBER RANSOM: Right, so the system is  
15 full.

16                   PROF. diMARZO: No, no, no, the system --

17                   MEMBER RANSOM: Full of water.

18                   PROF. diMARZO: No, no, not really.

19                   MEMBER RANSOM: You mean it's partially  
20 voided?

21                   PROF. diMARZO: Yeah, the system is full  
22 up to here. When you flush all this stuff out, there  
23 is nothing left.

24                   MEMBER SIEBER: Right.

25                   MEMBER RANSOM: Why is the borated water

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sitting on top of the de-borated --

2 PROF. diMARZO: It's not borated, it's  
3 warmer water.

4 MEMBER RANSOM: Huh?

5 PROF. diMARZO: It's just warmer water.  
6 Why do we have water there?

7 MEMBER RANSOM: Well, yes.

8 PROF. diMARZO: We have water there  
9 because we want to know how the tail mixes, how the  
10 back of the slug mixes and we need something above it  
11 to mix it with.

12 CHAIRMAN WALLIS: He's not modeling the  
13 reality of it.

14 PROF. diMARZO: It doesn't have anything  
15 to do with what I'm mixing. It's attempt to validate  
16 the assumptions made, that's all.

17 MEMBER RANSOM: Well does the tail have  
18 any significance as far as the accident is concerned?

19 PROF. diMARZO: None whatsoever. It's  
20 just as --

21 MEMBER RANSOM: So it doesn't matter then.

22 PROF. diMARZO: But it's a tool to show  
23 that if you pass it through these two volumes, you get  
24 the right results.

25 MEMBER RANSOM: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   PROF. diMARZO: That is the only purpose  
2 of this.

3                   CHAIRMAN WALLIS: Did you do any tests  
4 where you went on from this to put it through the  
5 vessel --

6                   PROF. diMARZO: No.

7                   CHAIRMAN WALLIS: You didn't couple this  
8 piece of it with the vessel part?

9                   PROF. diMARZO: No.

10                  CHAIRMAN WALLIS: That would be a nice  
11 test. You didn't do that. The guys didn't give you  
12 enough money or something?

13                  PROF. diMARZO: The reason I'm behind is  
14 at the time --

15                  CHAIRMAN WALLIS: It wasn't big enough,  
16 maybe this part wasn't big enough.

17                  PROF. diMARZO: Right, at the time it was  
18 not big enough.

19                  MEMBER SIEBER: Maybe they bid it and  
20 didn't come out.

21                  PROF. diMARZO: So the problem is this,  
22 the simple idea of considering those mixing volume and  
23 the other on-mix provides you with results that at  
24 that scale, at least, work. And so that is the  
25 rationale for then using this in general for that. we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 do realize that this partial.

2 CHAIRMAN WALLIS: You're showing that  
3 having some mixing volumes and some pipes connected  
4 together sort of duplicating your model, can work out  
5 in terms of the experimental theory.

6 PROF. diMARZO: And the point again --

7 CHAIRMAN WALLIS: Really, as long as your  
8 model is true enough to reality, I think we'll believe  
9 it. We probably would have believed it before as  
10 long as it's true enough to reality.

11 MEMBER SIEBER: I think one of the key  
12 assumptions there is that the mixing volume is the  
13 component volume.

14 PROF. diMARZO: That's right, that's  
15 right.

16 MEMBER SIEBER: And if that wasn't a valid  
17 assumption, these curves would not match the --

18 PROF. diMARZO: Right, but now the  
19 component volume has the distinct advantage that there  
20 is a component here and there is a component at the  
21 proper typical scale. But as you first start saying,  
22 oh, gee 72 percent of the pump volume, we're going to  
23 start laughing here first, so that isn't going to go  
24 anywhere in a sense. Do you see what I'm saying?  
25 It's clearly a -- it's clearly a simple representation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of the process but at this level, now, what are the  
2 alternative to that? Well, first of all, we could  
3 have done some more data to assume blind and see  
4 whether we were getting that. We were trying but we  
5 didn't succeed in that at that time.

6 Other options, there are not because RELAP  
7 is not in a position of giving us information on this  
8 because again, it depends on generalization so we  
9 can't go anywhere. CFD there is no question that you  
10 cannot do this thing for the level of detail, so  
11 that's that in a sense. And so that's what's been  
12 used to feed into the RELAP PARCS.

13 CHAIRMAN WALLIS: This is an interesting  
14 and probably useful model. Is there some way you can  
15 do some sensitivities or something? Well, you can't  
16 really because you've got to have perfect mixing here  
17 and no mixing there. You can't do partial things to  
18 do sensitivity studies.

19 PROF. diMARZO: We have done a lot of  
20 partial mixing, okay?

21 CHAIRMAN WALLIS: You have?

22 PROF. diMARZO: We have but my problem to  
23 you is the scaling issue. So I can play with it and  
24 we did and we did experiment in pipes and things like  
25 that but again, I cannot come here and say, okay,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 guys, this is going to scale, because it's not going  
2 to happen.

3 MEMBER RANSOM: In the report there was a  
4 lot of information on this international standard  
5 problem which was related to the same thing. Are you  
6 going to say anything about how that data was --  
7 information is useful or --

8 PROF. diMARZO: The information concerning  
9 that was used here to validate the CFD calculation.  
10 The only purpose of that piece of information there  
11 was to show that the CFD calculation was representing  
12 well the reality that it was trying to model. That's  
13 the purpose of that data. There is no real other  
14 purpose of that.

15 DR. ROSENTHAL: Marino, let me just review  
16 this to make sure that I understand it. I take the  
17 maximum volume of slug that I can form by the geometry  
18 of the real player. I assume --

19 PROF. diMARZO: With any other volume,  
20 whatever you want, yes.

21 DR. ROSENTHAL: Okay, but I'm taking a max  
22 slug.

23 PROF. diMARZO: Yes.

24 DR. ROSENTHAL: I then mix that slug in a  
25 component --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PROF. diMARZO: In two components.

2 DR. ROSENTHAL: I don't mix it in the cold  
3 leg. I don't mix it in the downcomer, both of which  
4 would be conservative. I solely mix it in the lower  
5 plenum.

6 PROF. diMARZO: No, at that time you're  
7 done. You feed it to pipes and it's fully mixed, yes.

8 DR. ROSENTHAL: And then I mean,  
9 logically, and I fully mix it in the downcomer  
10 equivalent and so I'm conservative, conservative until  
11 the -- until the lower plenum.

12 PROF. diMARZO: Yes, no, the combination  
13 of --

14 DR. ROSENTHAL: But everybody here is  
15 saying, but hey for a high Reynolds number, we would  
16 expect --

17 PROF. diMARZO: No, downcomer to lower  
18 head I showed you what it does.

19 DR. ROSENTHAL: Everybody, I mean  
20 intuitively or whatever is saying we would expect it  
21 to be rather well mixed. I just can't quantify --

22 PROF. diMARZO: Right, I mean, if you want  
23 to go more --

24 DR. ROSENTHAL: That's my pump flow case.  
25 So that the argument is that overall it seems like

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it's a reasonable or reasonably conservative, total --

2 PROF. diMARZO: That's the bottom line.

3 And so now, with this tool combined with PARCS RELAP,

4 Dave is going to come in and essentially run you

5 through the results, the so-called consequence. Now,

6 there is one part which Jack alluded to which hasn't

7 been told about which is how big is the slug. And

8 that is what you are referring to are you doing some

9 sort of a best estimates calculation and that's the

10 part which I think is very relevant in all this and --

11 CHAIRMAN WALLIS: In this mixed lower

12 plenum, you may have a collander and you may have

13 perforated plates, but so if you see how the stream

14 lines come from a downcomer, they're coming from all

15 around the downcomer and --

16 PROF. diMARZO: No.

17 CHAIRMAN WALLIS: Just one side of the

18 downcomer?

19 PROF. diMARZO: Yes.

20 CHAIRMAN WALLIS: One side of the

21 downcomer?

22 PROF. diMARZO: Yes.

23 CHAIRMAN WALLIS: It's still difficult for

24 me to see how stuff coming in one side mixes with

25 stuff way on the far side.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   PROF. diMARZO:           There    might    be  
2   distribution.

3                   CHAIRMAN WALLIS:   Okay, but you know, if  
4   it just follows stream lines it's going to be very  
5   difficult for stuff flowing in here to go around the  
6   other side.

7                   PROF. diMARZO:    Sure, absolutely, but  
8   remember from the data it shows that there are fingers  
9   at different concentration.  It's not that there are  
10  major streams at different concentrations.  So when  
11  you go through all this colanders with something that  
12  is not really very large you get LOCA mixing.

13                  CHAIRMAN WALLIS:  Is this spread here --  
14  I'm not sure, is it the fingers as a result cause  
15  this spread here?

16                  PROF. diMARZO:  No, this spread here, the  
17  spread you're talking about this one.

18                  CHAIRMAN WALLIS:  Is that because some of  
19  these are fingers on one side of the downcomer and  
20  some on the other?

21                  PROF. diMARZO:  Yeah, the -- I got data on  
22  that.  When the slug comes in, the downcomer is low  
23  flow resistance in that angular part, in that open  
24  part.  So when you're coming from this side, it would  
25  show up on the other side if we go all the way

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 through. Remember that there is a very strong  
2 resistance to going to the core.

3 MS. NEWMAN: It doesn't all go through but  
4 there's a lot of it peels off on the way.

5 PROF. diMARZO: Fine, but the problem is  
6 there is very little resistance in that region  
7 compared to how much resistance is here.

8 CHAIRMAN WALLIS: It still peels off on  
9 the way, so this --

10 PROF. diMARZO: It does peel off on the  
11 way but it's like having a manifold with extremely  
12 large resistance on each --

13 CHAIRMAN WALLIS: You're saying it's a  
14 really good distributor.

15 PROF. diMARZO: Correct, it's a big  
16 manifold with very strong resistance at each outlet,  
17 that's what it is.

18 MEMBER RANSOM: Maybe one way to answer  
19 that question would be just say what happens if it  
20 does not well mix?

21 CHAIRMAN WALLIS: Well, then you're going  
22 to have trouble --

23 MEMBER RANSOM: Most of the cold water  
24 going up one portion of the core --

25 PROF. diMARZO: Right, if the cold water

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 goes down, it immediately gets sucked into the core in  
2 one location, yes, but the problem is that --

3 MEMBER RANSOM: What would the neutronics  
4 say about that situation? Is that worse or --

5 MEMBER SIEBER: Well, non-mixing case it  
6 the conservative case.

7 PROF. diMARZO: But remember that you're  
8 feeding into him the minimum of the minimum, not the  
9 average. If we were fitting into --

10 MEMBER SIEBER: -- cold water or the  
11 deborated water --

12 PROF. diMARZO: Yeah, but Vic, we are --  
13 we can --

14 DR. ROSENTHAL: For the transcript, why  
15 don't we --

16 MEMBER SIEBER: One at a time.

17 DR. ROSENTHAL: -- one at a time. Your  
18 turn first.

19 PROF. diMARZO: Okay, we understand that  
20 there is a variation at the entrance to the core, but  
21 we are feeding the lowest concentration. We're not  
22 feeding the average. This curve is not here, it's on  
23 the minimum. So now it's as if you are feeding the  
24 minimum concentration everywhere.

25 MEMBER RANSOM: Right, right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN WALLIS: Which is conservative.

2 PROF. diMARZO: Which is conservative.

3 CHAIRMAN WALLIS: I like your argument  
4 about the distributor plate but if the resistance  
5 through the colander is governing everything compared  
6 with the resistance on the outside --

7 PROF. diMARZO: There are five colanders.

8 CHAIRMAN WALLIS: -- then you would expect  
9 it to be a pretty uniform -- once you've got all these  
10 little jets squirting into the space, things are going  
11 to mix up pretty well, a bit like the steam generator.

12 PROF. diMARZO: I would imagine it's very  
13 close to -- my vision of it is a manifold with very  
14 strong resistances on each --

15 CHAIRMAN WALLIS: I think that's a very  
16 good argument and I think if you -- are we going to go  
17 to the full committee with this? I think you ought to  
18 make that argument there and explain very clearly,  
19 this stuff flows in and squirts in there pretty  
20 uniformly through all those holes.

21 MEMBER SIEBER: You can't say that in the  
22 natural circulation case. That's only the pump case.

23 PROF. diMARZO: Yes, because the pressure  
24 drop isn't there.

25 CHAIRMAN WALLIS: Yeah, and that's the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 circulation, maybe the buoyancy effects will be  
2 important.

3 MEMBER SIEBER: Yeah, and the Reynolds  
4 number is low and --

5 CHAIRMAN WALLIS: But then there's also  
6 the Richardson number.

7 PROF. diMARZO: But the natural  
8 circulation is a power up. Remember the issue is fuel  
9 damage. Natural circulation is a power up, it's not  
10 the --

11 CHAIRMAN WALLIS: It's not the problem.

12 PROF. diMARZO: It's not the problem.

13 CHAIRMAN WALLIS: Well, I think we're  
14 going to get to that.

15 MR. TRAIFOROS: The mixing in lower plenum  
16 is the problem?

17 PROF. diMARZO: No, no, because if you go  
18 slowly as you would go in natural circulation, you  
19 essentially don't have that initial spiking in  
20 reactivity.

21 MR. TRAIFOROS: But the minimum  
22 concentration was important, too.

23 PROF. diMARZO: Absolutely, but that's a  
24 power up --

25 MR. TRAIFOROS: It's not only the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 velocity.

2 PROF. diMARZO: We are not saying that you  
3 are not going to power up. We're just simply saying  
4 that you're not going to master the fuel.

5 MR. TRAIFOROS: But if you have natural  
6 circulation, you expect lower concentration than what  
7 you are calculating now because this is validation.  
8 It's for the pump case or a lot of --

9 PROF. diMARZO: Not necessarily, I don't  
10 know. I really don't have any idea.

11 MR. TRAIFOROS: No, you don't know but I'm  
12 saying that --

13 PROF. diMARZO: I would imagine it would  
14 be not too different from this.

15 MR. TRAIFOROS: Can we extrapolate your  
16 result of mixing to lower flow?

17 PROF. diMARZO: My result of mixing are  
18 not based on velocity because, again, its model --

19 MR. TRAIFOROS: It's run -- you validated  
20 -- University of Maryland has high velocity tests.

21 PROF. diMARZO: Yes, but the problem is  
22 the mathematical expression, the velocity is gone.

23 MR. TRAIFOROS: Yes, but the reality  
24 natural circulation, I understand, you're not looking  
25 at LOCA effects, but in reality when you have lower

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 flow, your validation of your simplified model may be  
2 questionable.

3 PROF. diMARZO: That's correct.

4 MR. BASSETTE: Under natural circulation  
5 the Reynolds number is still up around 100,000 in the  
6 downcomer.

7 PROF. diMARZO: Yes, it's still very high  
8 in Reynolds.

9 MR. BASSETTE: The Maryland experiment  
10 with the pump had Reynolds numbers in the downcomer  
11 similar to what the plant has in the natural  
12 circulation.

13 CHAIRMAN WALLIS: I don't think it's a  
14 Reynolds number problem.

15 PROF. diMARZO: No.

16 CHAIRMAN WALLIS: It has to do with  
17 buoyancy, buoyancy versus --

18 PROF. diMARZO: Be sure buoyancy has been  
19 explored and that's a relevant issue but there are --  
20 we have experiment on very buoyant slug and very mixed  
21 slug and so forth but --

22 CHAIRMAN WALLIS: You do?

23 PROF. diMARZO: -- yes, but in terms of  
24 overall results, it's not that different.

25 CHAIRMAN WALLIS: Because if you did have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a very buoyant slug it would certainly squirt through  
2 on one side of the core.

3 PROF. diMARZO: But you see a difference.

4 CHAIRMAN WALLIS: If you blew a bubble  
5 down the downcomer, very big density, it's not going  
6 to distribute itself uniformly across the core.

7 PROF. diMARZO: Absolutely.

8 CHAIRMAN WALLIS: It will squirt in on one  
9 side and --

10 PROF. diMARZO: No, it would come out --  
11 a very buoyant slug would tend to come in from all  
12 sides. A very buoyant slug floats down all together.

13 CHAIRMAN WALLIS: Oh, because it's  
14 stratification. So that limit is okay, too.

15 PROF. diMARZO: It would be okay. I mean,  
16 I don't see -- we don't see much of a different in the  
17 two cases.

18 CHAIRMAN WALLIS: Okay.

19 DR. ROSENTHAL: Dr. Ransom, Dave had about  
20 an hour's worth of presentation. So -- and I assume  
21 he can talk fast.

22 CHAIRMAN WALLIS: I think he might take  
23 longer with questions.

24 DR. ROSENTHAL: I mean, it's your -- I  
25 mean including some questions and then I think it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would be really good if we could just take five  
2 minutes at that end to just decide what to do with all  
3 this, so -- I mean, we're your servants.

4 CHAIRMAN WALLIS: I think we're so far  
5 along that we're pretty well committed to going to the  
6 full committee; isn't that the case?

7 MEMBER KRESS:: I think so. Don't you  
8 think so?

9 CHAIRMAN WALLIS: We can't sent it back  
10 again.

11 MEMBER RANSOM: I have very little  
12 experience in this so I'm going to depend on you two.

13 MEMBER KRESS:: We'll have to see things  
14 that are far enough along that they're -- we can say  
15 yes or no on them and I think this one is.

16 MEMBER RANSOM: You're pretty happy with  
17 this then?

18 MEMBER KRESS:: Oh, I like what I've seen  
19 so far.

20 CHAIRMAN WALLIS: It's far enough along we  
21 can say yes.

22 MEMBER KRESS:: Yes.

23 MEMBER RANSOM: It's unfortunate the  
24 report didn't convey a lot of this.

25 MEMBER KRESS:: I know, but this clarified

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a lot of it.

2 MEMBER RANSOM: But there still seems to  
3 be some open issues, I guess, natural circulation.

4 MEMBER KRESS:: Well, I think what diMarzo  
5 said about the natural circulation is fairly well --

6 MEMBER RANSOM: In other words, the  
7 Reynolds number being high?

8 MEMBER KRESS:: Yeah, and the buoyancy  
9 effects that are accounted for and the way it comes  
10 down to the downcomer. I'm pretty happy with the  
11 thing.

12 CHAIRMAN WALLIS: All right, if you're  
13 happy with it. Now, let's see if you're happy with  
14 what Dave has to say.

15 MEMBER KRESS:: Yeah, let's hear what Dave  
16 has to say.

17 MEMBER RANSOM: I don't have any problem  
18 with staying late tonight because I'm staying over.

19 MEMBER KRESS:: Me too.

20 CHAIRMAN WALLIS: We have to move on.

21 DR. ROSENTHAL: We can discuss the  
22 documentation issue at the end.

23 MR. BASSETTE: So I'm going to talk about  
24 consequences and probability to foreign dilution  
25 events. I'll start off with what's on the books right

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 now in terms of regulatory basis for this kind of a  
2 reactivity insertion accident. The general design  
3 criteria 20 through 29 concern themselves with various  
4 aspects of radioactivity control and the one most  
5 relevant of these is GDC 28 which says, "Reactivity  
6 control systems shall be designed with appropriate  
7 limits, potential amount of rate, and so on, to assure  
8 that such events don't result in damage to the reactor  
9 coolant system pressure boundary greater than limited  
10 local yielding", that's pretty severe.

11 And "Nor should the sufficiently disturb  
12 the core, its support structures or other reactor  
13 vessel internals to impair core coolability". Aside  
14 from there is no direct regulatory guidance for boron  
15 dilution accidents but we do have regulatory guide  
16 1.77 which was written with rod ejection accidents in  
17 mind. And this reg guide 1.77 identifies a limit for  
18 a peak fuel enthalpy, that's average enthalpy of 280  
19 calories per gram. And this limit was determined from  
20 experimental data that existed in 1974 and basically  
21 it corresponded to the point at which we start to get  
22 significant LOCA U-02 melting and cladding failure  
23 basically by melting and plastic floating cladding.  
24 This 280 calories per gram was based on the way they  
25 measured enthalpy in these experiments where they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 actually measured total energy deposition and rather  
2 than a peak.

3           They didn't measure fuel pellet enthalpy.  
4 They measured total enthalpy deposition through  
5 coolant temperature measurements. And when you use  
6 like some sort of a fuel code to back out from that  
7 280 calorie per gram what the peak fuel enthalpy was,  
8 you get a number like 230 calories per gram. So  
9 basically at 280 calories per gram when identified in  
10 reg guide 1.77 should really be interpreted as a peak  
11 fuel pellet enthalpy of 230 calories per gram. That's  
12 what's on the books.

13           So what are the basic probability  
14 considerations for boron dilution event you have to  
15 start off with a small break LOCA and we're talking  
16 about a break size of about 1.4 to 2 inches and the  
17 frequency for that type of event is about  $2E-4$  per  
18 year.

19           MEMBER KRESS:: Where does that number  
20 come from?

21           MR. BASSETTE: This is the -- you see this  
22 kind of number in different places over the years.  
23 this  $2E-4$  I'm quoting from the SECY 04-60 I think it  
24 is, the SECY that was issued earlier this year --

25           MEMBER SIEBER: For LOCAs.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BASSETTE: -- for LOCAs, yeah, it  
2 talks about the frequency of LOCAs for different  
3 categories of break size from very small breaks up  
4 through very large breaks.

5 MEMBER KRESS:: That was in the expert  
6 opinion.

7 MR. BASSETTE: That was in the expert  
8 opinion which is still going on and still being  
9 finalized so this is the numbers in the SECY that was  
10 issued this year.

11 CHAIRMAN WALLIS: It seems like a pretty  
12 low number.

13 MEMBER SIEBER: It's a pretty small part.

14 CHAIRMAN WALLIS: Just for the event  
15 itself with no mitigation or anything.

16 MR. BASSETTE: Yeah, that's exactly so.  
17 You're starting off with a low number. You also have  
18 to include this category of events which is --

19 CHAIRMAN WALLIS: That's also a small LOCA  
20 really.

21 MR. BASSETTE: -- which is also a small  
22 LOCA, exactly the same right size the you're looking  
23 for.

24 CHAIRMAN WALLIS: That's the frequency?  
25 I mean at the time of TMI it seemed to be happening

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 every few months.

2 MR. BASSETTE: Well, you might have had  
3 valve --

4 CHAIRMAN WALLIS: We had lots of problems  
5 with torbs in those days, that's all been fixed now so  
6 it doesn't happen any more?

7 MEMBER KRESS:: That's per plant.

8 CHAIRMAN WALLIS: Oh, that's per plant,  
9 okay.

10 MR. BASSETTE: Per ECY year, so it's like  
11 one --

12 CHAIRMAN WALLIS: There's 100 plants.

13 MR. BASSETTE: -- one every five years.

14 CHAIRMAN WALLIS: Oh, so things have  
15 improved since --

16 MR. BASSETTE: Yeah, things have improved  
17 since the TMI. So the other thing is the initiating  
18 event itself is not alone to cause -- by itself does  
19 not cause substantial dilution of loop seals. The  
20 reason is there is insufficient time spend in a  
21 dilution mode and there must be additional failures or  
22 operator errors. So from these numbers you have a  
23 subset of what we call boron dilution small break  
24 LOCAs of a lower probability and for example, one of  
25 the things you'd probably need to do is completely

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fail HPI and to do that, you're talking about a factor  
2 of  $10^{-2}$  to  $10^{-3}$ .

3 CHAIRMAN WALLIS: By blocking the sun, for  
4 instance?

5 MEMBER SIEBER: No for high pressure.

6 CHAIRMAN WALLIS: So dilution comes from  
7 somewhere else.

8 MEMBER SIEBER: Not for high pressure.

9 MR. BASSETTE: It's basically like a  
10 station blackout or something.

11 CHAIRMAN WALLIS: HPI does not come from  
12 the sump.

13 MR. BASSETTE: It comes -- your first --

14 MEMBER SIEBER: RWST.

15 MR. BASSETTE: Your first hour of HPI is  
16 not coming from the sump, it's coming from the storage  
17 tank.

18 MEMBER KRESS:: So it's  $10^{-6}$  or  $10^{-7}$ .

19 CHAIRMAN WALLIS: Before you've even  
20 started to analyze it.

21 MR. BASSETTE: So, yeah, before you've  
22 gone too far, you're down to  $10^{-6}$  or thereabouts.

23 CHAIRMAN WALLIS: Also it's only at  
24 certain times in the fuel cycle.

25 MR. BASSETTE: Yes, yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: We're going to make  
2 this thing go away before you've even done  
3 anything.

4 MR. BASSETTE: Yes.

5 MEMBER SIEBER: That was the plan.

6 MR. BASSETTE: So this was where we  
7 started off with a couple years ago when we did a  
8 prioritization study when it's first -- this GSI  
9 was first proposed and in that study these are  
10 the numbers that were used,  $10^{-3}$  for the  
11 initiating event, this is early in the fuel  
12 cycle.

13 CHAIRMAN WALLIS: That should be  
14 higher than that, shouldn't it? It's not just a  
15 few days. It's actually quite a long time.

16 MR. BASSETTE: In their study, it was  
17 about -- looking at an 18-month cycle, it was  
18 about two weeks or so?

19 CHAIRMAN WALLIS: That's all?

20 MR. BASSETTE: Yes.

21 CHAIRMAN WALLIS: That's amazing. I  
22 thought there was a lot more reactivity in the  
23 boron.

24 DR. ROSENTHAL: It's okay, it's okay,  
25 because that's the number that was used in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 prioritization, five percent that we heard from  
2 Dave Diamond that a better number might be 20  
3 percent.

4 CHAIRMAN WALLIS: That's more like it.

5 DR. ROSENTHAL: So let's bump it up on  
6 order of magnitude, you know, in our mind, and  
7 continue on.

8 MR. BASSETTE: Well, we can put a  
9 multiplier of four on there if we want to.

10 CHAIRMAN WALLIS: That's more  
11 reasonable.

12 DR. ROSENTHAL: Okay, make it 5E-1  
13 instead of 5E-2. Continue on.

14 MR. BASSETTE: The probability of slug  
15 formation the initial study assumed it was one and we  
16 are giving it a probability of about 10 --

17 CHAIRMAN WALLIS: That's because the  
18 operators wouldn't do the right thing to make it  
19 happen?

20 MR. BASSETTE: Yeah, because you have to  
21 fail HPI or something like that.

22 CHAIRMAN WALLIS: All sorts of stuff,  
23 yeah. And the operators have to do things, too,  
24 right?

25 MR. BASSETTE: Yeah, and then when you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looking at their pump restart, this was given a  
2 probability of .1 and we did some actual human factors  
3 analysis at Brookhaven and at Sandia and they both  
4 came up with a number like .01 probability that the  
5 operator would turn on the reactor coolant pump when  
6 he was totally not supposed to.

7 MEMBER KRESS:: So this is a drop priority  
8 then.

9 MR. BASSETTE: The initial prioritization  
10 it was kind of a marginal event to begin with. It's  
11 5E-6 and we see it more like E-8.

12 MEMBER SIEBER: Which after our  
13 adjustments, E-7.

14 CHAIRMAN WALLIS: And that doesn't take  
15 account of the -- that accounts for all the  
16 probabilities of a pump start and all those things  
17 which might damage the fuel? The pumps were all self-  
18 analyzing and everything on top of this.

19 MR. BASSETTE: Well, pump restart is here.

20 CHAIRMAN WALLIS: Okay, so it accounts for  
21 everything he's done, too.

22 DR. ROSENTHAL: And let me remind you that  
23 the -- this is the estimate of an event that may  
24 damage some fuel and we're normally in terms of -5, -6  
25 for damage.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: That's based on these 19  
2 calories per gram or something like that?

3 MR. BASSETTE: Yeah, I'll get into that.

4 CHAIRMAN WALLIS: You will get into that.

5 DR. ROSENTHAL: Okay, moving on.

6 MR. BASSETTE: So in the consequences, we  
7 did some sensitivity studies on the -- we're focused  
8 now already on the -- from here we can see we start to  
9 focus on B&W because we did some sensitivity studies  
10 on different slug sizes and below about 11 or so cubic  
11 meters, we don't go recritical. And with CE and  
12 Westinghouse plants we're dealing with maximum loop  
13 seal volumes three and a half cubic meters, so we're  
14 well below the possibility of going recritical.

15 At 14 cubic meter slug, this is all with  
16 restart of the reactor coolant pump, we start to go  
17 recritical. The peak centerline temperatures are at  
18 about 2,000 degrees C which is normal operating  
19 conditions. Increased it some more to 18 cubic meters  
20 is when we start to see consequences. So you can see  
21 where the dividing line is on the slug size. We start  
22 to see peak enthalpies of about 175 calories per gram.  
23 We start to expect centerline melting. We're still  
24 below the reg guide 1.77 limit.

25 But -- and we're still below our cladding

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 failure threshold that we've put in the research  
2 information letter earlier this year. And these are  
3 for increases of 170 calories per gram for basically  
4 low burn-up or nearly fresh fuel and it is a decrease  
5 in two steps down to 100 calories per gram for  
6 intermediate burn-up and 75 calories per gram for high  
7 burn-up. And this burn-up basically is a surrogate  
8 for prior oxidation of the cladding, how much cladding  
9 is oxidized before you start this event.

10 MEMBER KRESS:: These are acceptance  
11 criterias.

12 MR. BASSETTE: Excuse me?

13 MEMBER KRESS:: These are acceptance  
14 criteria?

15 MR. BASSETTE: These are threshold -- you  
16 might say these are threshold criteria for when you  
17 might start to see clad cracks.

18 MEMBER KRESS:: So there's not been  
19 acceptance criteria for --

20 DR. ROSENTHAL: Yeah, we have to be  
21 regulatorily careful here. The reg guide 1.7 are the  
22 regulatory limits. Research wrote a research  
23 information letter from Research to NRR which they are  
24 acting on, which says that we believe that lower  
25 numbers for incremental enthalpy rise are more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 appropriate to avoid what we called cladding failure  
2 threshold limits. Some time in the future the  
3 regulatory numbers ought to get straightened out.  
4 There's also an EPRI document before the staff for  
5 review. But for the point of this presentation, we  
6 just would like you to compare those numbers to the  
7 50.

8 MR. BASSETTE: Yeah, these lower limits  
9 are associated with the cracking of the cladding.

10 CHAIRMAN WALLIS: Why are we comparing it  
11 with 50 and not 175? The step is 50.

12 MR. BASSETTE: The step. Well, see --

13 DR. ROSENTHAL: We talk about ductility  
14 and --

15 MR. BASSETTE: Yeah, that's another thing.  
16 These failure thresholds are associated with step  
17 increases in enthalpy because that's the way these  
18 reactivity insertion accidents are run. They have a  
19 power pulse. They have a single step --

20 CHAIRMAN WALLIS: In fact, the melting has  
21 nothing to do with the step. It has to do with the  
22 absolute enthalpy.

23 MR. BASSETTE: Yeah, these limits are  
24 basically a high stress, low ductility failure of the  
25 cladding, cracking of the cladding. If you allow time

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for the cladding to heat up and become ductile, you  
2 won't get -- you won't see these kind of failures.  
3 You'll see failures from melting of entire enthalpies.

4 CHAIRMAN WALLIS: Now, when you go to  
5 faulting why does the peak enthalpy step go down?

6 MR. DIAMOND: Excuse me, I think there  
7 might be a typographical error on that slide and the  
8 30 applied to the 18 cubic meter slug and the 50 to  
9 the 40 cubic meter slug.

10 CHAIRMAN WALLIS: That would make more  
11 sense but is that true?

12 MR. BASSETTE: I'd have to look again to  
13 make sure --

14 CHAIRMAN WALLIS: Staff never makes  
15 typographical critical errors like that.

16 MR. BASSETTE: This is what I recall from  
17 when I last saw this.

18 CHAIRMAN WALLIS: Does it make sense  
19 though? You've got more slug and you've got less  
20 effect.

21 MR. DIAMOND: If we look at the --

22 MR. BASSETTE: No, it's a coupled thing.

23 MR. DIAMOND: As a matter of fact, it's in  
24 your slides here. It looks like it goes up to 50.

25 CHAIRMAN WALLIS: Wasn't there a 90 that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 came from what we heard earlier? Where did that come  
2 from?

3 MR. BASSETTE: That's the restart of  
4 natural circulation. These are all restart reactor  
5 coolant pump cases. We ran restart reactor coolant  
6 pump feeding these different slugs.

7 DR. ROSENTHAL: So this is not the natural  
8 circulation case.

9 CHAIRMAN WALLIS: Diamond had both of  
10 them, didn't he, earlier on today?

11 MR. BASSETTE: Yeah, he had showed -- but  
12 he didn't show this. He showed this bottom one.

13 CHAIRMAN WALLIS: He showed 90 for a  
14 natural circulation.

15 MR. BASSETTE: Yeah, and he showed this  
16 one for --

17 CHAIRMAN WALLIS: Well, we had 180 or  
18 something.

19 PROF. diMARZO: 180 is the other, total.

20 MR. BASSETTE: Yeah, this is the one he  
21 showed.

22 CHAIRMAN WALLIS: It's changed from 10 to  
23 180 so the change is 170?

24 PROF. diMARZO: No, it's the 190.

25 CHAIRMAN WALLIS: Well, what's this peak

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 enthalpy step got to do with things? I mean, it goes  
2 up in steps but what you care about is how far it gets  
3 to, don't we?

4 MR. BASSETTE: Well, you care about both.  
5 you care about both because a step -- your first step  
6 especially, determines whether you get these -- you  
7 have to worry about these failure thresholds for the  
8 cladding. So basically you start to look at the peak  
9 enthalpy and --

10 CHAIRMAN WALLIS: Well, there must be a  
11 limit, some exceptions for the peak enthalpy. You're  
12 still going with 290 for the peak?

13 MEMBER SIEBER: 230.

14 MR. BASSETTE: This says 230.

15 DR. ROSENTHAL: If you melt the fuel, I  
16 believe you get a volumetric expansion of about 130  
17 percent or some number like that.

18 MR. BASSETTE: It's not that much.

19 DR. ROSENTHAL: It's smaller, and that  
20 fails the clad, so that is just done. Now, these  
21 activity insertion events, you're talking about a very  
22 fast time scale in which the fuel is heating up and  
23 the clad can't heat up fast enough to grow to get out  
24 of the way of that clad and that's why the increments  
25 are --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: That's the step.

2 DR. ROSENTHAL: That's the step.

3 CHAIRMAN WALLIS: We talked about that  
4 earlier, yeah, the step must have some role in all of  
5 this.

6 MR. BASSETTE: Yeah, because these  
7 thresholds are associated with step increase and it's  
8 because you're dealing with a different failure  
9 mechanism here than you are here. This is -- this  
10 kind of failure mechanism is basically --

11 CHAIRMAN WALLIS: Well, is this problem  
12 going away because the probability is  $10^{-8}$  or because  
13 together with these somewhat uncertain consequences of  
14 190 not being too far away from 230 is acceptable?

15 MEMBER KRESS:: No, it's a regulation on  
16 the book and it --

17 CHAIRMAN WALLIS: It's a combination of  
18 the two.

19 MEMBER KRESS:: No, you go -- it goes away  
20 on a generic issue because they drop it because of the  
21 low probability but it's still on the books as a  
22 regulation.

23 MR. BASSETTE: Yeah.

24 MR. DUDLEY: This is Noah Dudley.

25 MR. BASSETTE: The thing you're still

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 worried about is core coolability that was GBC 28. So  
2 and how do you measure core coolability? Well, you  
3 start to say, let's to a failure --

4 MR. DUDLEY: Yeah, this is Noah Dudley and  
5 I suggest that the staff is approaching the  
6 justification for closing the GSI based on  
7 consequences being low and based on --

8 MEMBER SIEBER: Probability being low.

9 MR. DUDLEY: -- the probability being low  
10 and then taking a look at the consequences and what  
11 we're looking at here is the consequences and we find  
12 those low or negligible for Westinghouse and CE and we  
13 do find there are consequences of fuel damage failure,  
14 probable damage for B&W with a pump start.

15 MEMBER KRESS:: But they meet the criteria  
16 that are in the regulations right now.

17 MR. DUDLEY: That's correct.

18 MR. BASSETTE: And this slide says we have  
19 all this criteria and for the natural circulation  
20 restart for B&W their below these limits so the  
21 consequences are negligible.

22 CHAIRMAN WALLIS: So even if the  
23 probability were 8-4 you'd still say it was okay  
24 because the consequences are okay.

25 MR. BASSETTE: Yeah, so you might worry if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it was low probability, high consequence but if it's  
2 low probability, low consequence then it's a --

3 CHAIRMAN WALLIS: It's just the low  
4 consequence part seems wishy washy that we talk about  
5 there isn't really a regulatory position and this  
6 comes from somewhere else from reactivity insertion  
7 accidents and in fact, there's certain kinds of old  
8 fuel which might be damaged at lower peak enthalpies  
9 and all that. So it's a little bit uncertain.

10 MR. BASSETTE: Well, I don't know if it's  
11 wishy washy but it's complicated.

12 CHAIRMAN WALLIS: Well, it's not clear  
13 what the limit should be. If you had old fuel with  
14 this being zapped with 190 calories per gram, it might  
15 well leak.

16 MR. BASSETTE: But then old fuel doesn't  
17 get to 190 either.

18 MEMBER KRESS:: It can't get there.

19 CHAIRMAN WALLIS: Because it's in a  
20 certain place in the --

21 MEMBER KRESS:: Because it's old.

22 MR. BASSETTE: It's low reactivity.

23 CHAIRMAN WALLIS: Low reactivity so it  
24 doesn't produce so much heat.

25 MR. BASSETTE: That's right. This color

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 doesn't show up so well.

2 CHAIRMAN WALLIS: It would be good,  
3 perhaps, if you could show some results for the old  
4 and new fuel in the same table there instead of just  
5 having one number. Wouldn't that help?

6 MR. BASSETTE: I'll have Dave Diamond send  
7 me that. This is basically the loop seal volume.  
8 It's kind of highlighted here. It's the lower third  
9 of the generator along with the cold leg piping up to  
10 the level of the pump.

11 CHAIRMAN WALLIS: That's the 40 cubic  
12 meters.

13 MR. BASSETTE: That's the 40 cubic meters.

14 CHAIRMAN WALLIS: And the volume of the  
15 reactor is -- the volume of the core is --

16 MR. BASSETTE: The volume of the core is  
17 about 40 cubic meters.

18 CHAIRMAN WALLIS: About the same.

19 MR. BASSETTE: And the downcomer and lower  
20 plenum are together about 40 as well.

21 MEMBER RANSOM: What is the inventory  
22 fraction? I guess I could figure it out but do you  
23 know? About 65 percent or less?

24 MEMBER RANSOM: For this inventory?

25 MEMBER RANSOM: The inventory that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 were -- when it's filled to the cold leg?

2 MR. BASSETTE: Oh, it's about 60 percent.

3 MEMBER RANSOM: Okay, and the natural  
4 circulation cessation is around 65 percent I guess.

5 MR. BASSETTE: It's complicated in the B&W  
6 plant. For a Westinghouse CE design, you lose two-  
7 phase natural circulation at about 60 percent. In B&W  
8 because of the elevations and all that. It's a little  
9 more complicated. It depends. The secondary site  
10 level only goes to about 20 feet but then at times  
11 they'll have the auxiliary spray on, auxiliary  
12 feedwater on and if feedwater is on, this comes in  
13 through spray nozzles out here. So it really depends  
14 if feedwater is on or off as to where your tendencies  
15 for natural circulation but basically you lose liquid  
16 continuous natural circulation once the level drops  
17 below the top of the candy cane, so that's about 90  
18 percent or so. And then you regain circulation when  
19 your level drops here which is about 85 percent but  
20 you're in a boiler condenser mode. Your natural  
21 circulation is by producing vapor and condensing  
22 vapor.

23 CHAIRMAN WALLIS: And it restarts when you  
24 fill the system up enough so that you can get up over  
25 the top again?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BASSETTE: Yeah, so eventually when  
2 you turn HPI on, you're going to get the level up to  
3 where it's up here again.

4 MEMBER SIEBER: There is no vent up there,  
5 though, so it's hard to do.

6 CHAIRMAN WALLIS: Well, when that starts,  
7 doesn't it begin to dilute the back end of the slug?

8 MR. BASSETTE: Yes.

9 CHAIRMAN WALLIS: Well, is that in  
10 diMarzo's model?

11 MR. BASSETTE: We don't take credit for  
12 that.

13 CHAIRMAN WALLIS: Well, it takes quite  
14 awhile to get that slug out.

15 MR. BASSETTE: Chances are it's going to  
16 destroy the slug before you start up a natural  
17 circulation.

18 MEMBER RANSOM: It looks to me that you go  
19 through some cycles of HPI injection, you know, loss  
20 of natural circulation and HPI injection which puts in  
21 a lot of borated water well ahead of ever getting down  
22 to this 40 cubic meters of deborated slug.

23 PROF. diMARZO: Just if I can comment on  
24 natural circulation, you have two possibilities in  
25 natural circulation. If you refuel very fast, that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 means you have a lot of subcooling going on in the  
2 system. In that situation, our experience has been  
3 the natural circulation starts intermittently because  
4 you got the warm up and then moves a little bit and  
5 stops and goes. If you start moving and stopping that  
6 slug, you're not going to find much of it left by the  
7 time it gets down there. The other option is to  
8 restart natural circulation refuel slowly in which  
9 case you can start natural circulation at once and go.

10 But in that case, as soon as you start  
11 putting water on top of the slug, because you're doing  
12 it slowly, you're going to mix it and so that's like,  
13 Graham said, you're going to chew the tail of the  
14 slug. So it's kind of a compromise but the end  
15 results say for example in PKL 2 is extremely  
16 difficult to get this thing together and go into  
17 natural circulation.

18 MEMBER RANSOM: Yeah, what I'm wondering  
19 is if there are other degrees of conservatism that  
20 haven't been considered.

21 MR. BASSETTE: Yes, there has been serious  
22 doubt about whether you'd even have these slugs to  
23 begin with. These are the boron concentration  
24 boundary conditions we fed to the RELAP PARCS  
25 analysis for the four basic sets of scenarios we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looked at, Westinghouse, CE and --

2 CHAIRMAN WALLIS: This non-dimensional  
3 slug transit time overemphasizes the Westinghouse  
4 effect. The Westinghouse slug is very much smaller  
5 but it looks sort of comparable here because of the  
6 way it's non-dimensionalized, isn't it?

7 MR. BASSETTE: That's right, yeah. Yeah,  
8 it makes these plants look similar when, in fact,  
9 they're much different. I think Dave Diamond showed  
10 this one or something quite similar.

11 CHAIRMAN WALLIS: This one, he showed this  
12 one.

13 MR. BASSETTE: This is the boron  
14 concentration. This is for a restart of natural  
15 circulation in B&W. The boron concentration drops to  
16 zero and this is in terms of the boundary condition  
17 we feed to RELAP PARCS and then we feed the power  
18 history here, basically introducing power for about 40  
19 seconds or so while the slug is being transported to  
20 the core. This is the maximum fuel pellet enthalpy  
21 from that trace. Now, this is the 90 calory per gram  
22 you're remembering. This is formed the natural  
23 circulation case. You see this step increase of about  
24 25 calories per gram and another increase up to about  
25 90 and then so on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This is the -- that was the natural  
2           circulation restart. This is for the pump restart.

3           CHAIRMAN WALLIS: And the log scale  
4           enables you to capture the peak power.

5           MR. BASSETTE: Yes, where you'll notice  
6           it's up at 2500. So this is the boron concentration  
7           in the power. You can see this very high first peak  
8           and then it's -- it stays roughly around 100 percent,  
9           50 percent and 200 percent. And this is the peak  
10          pellet enthalpy for the pump restart case. You see it  
11          goes up. The first increase is about 20 calories per  
12          gram and then of course, in about four seconds it goes  
13          up to about 185 and then goes down again. And so  
14          basically the slug transit time here is about six  
15          seconds through the core from beginning to end.

16          To give you some reference points, for  
17          these enthalpy numbers, at standby conditions let's  
18          say for everything is at 550 F, about 15 calories per  
19          gram. At full power, core average enthalpy is 50.  
20          Again at full power to peak pellet radial average is  
21          about 100. And the peak pellet radial average for  
22          onset of central line melting is about 150.

23          CHAIRMAN WALLIS: You get that in some  
24          operational transients, don't you? You get actually  
25          up to that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BASSETTE: There are centerline  
2 melting, I think that's one of the design limit  
3 criteria --

4 MEMBER SIEBER: You aren't supposed to.

5 MR. BASSETTE: -- is to avoid centerline  
6 melting. It's one of the basic design criteria. And  
7 here's the reg guide 1.77. The limit is 230 and this  
8 is --

9 CHAIRMAN WALLIS: Is that a very old reg  
10 guide? That's one of these that hasn't been revised.

11 MR. BASSETTE: Since 1974.

12 CHAIRMAN WALLIS: Yeah.

13 MEMBER KRESS:: What is that number?

14 MR. BASSETTE: This is the actual U-02  
15 melting point, it's 267.

16 MEMBER KRESS:: 267 what?

17 MR. BASSETTE: Calories per gram.

18 MEMBER SIEBER: That's an enthalpy, right?

19 MR. BASSETTE: Enthalpy, yes. So that's  
20 like 5000 F at that point.

21 CHAIRMAN WALLIS: That's distributed  
22 uniformly across the whole thing?

23 MR. BASSETTE: Well, wherever it is.

24 MEMBER SIEBER: Wherever it is.

25 CHAIRMAN WALLIS: What happens to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cladding by then?

2 MR. BASSETTE: So basically this old reg  
3 guide 1.77 limit you can see that for these  
4 experiments quit a bit of the fuel has probably gone  
5 -- had reached melting.

6 MEMBER SIEBER: In these pulse type  
7 transients, however, the clad is probably not much  
8 different after the transient than before because it's  
9 so short.

10 MEMBER KRESS:: Yeah, it doesn't have time  
11 to transfer the heat.

12 MEMBER SIEBER: In fact, these pulses, if  
13 you look at the plutonium particle size data where you  
14 put a pulse into a plutonium fuel rod and it can burst  
15 through the clad, these pulses are 100 times shorter  
16 than the required pulse width, pulse length, to cause  
17 a clad perforation by that mechanism. So these are  
18 really, really short pulses.

19 CHAIRMAN WALLIS: Now, you might get some  
20 fuel damage but there's really no --

21 MEMBER SIEBER: It's going to be in the  
22 pellet though, as opposed to the clad.

23 CHAIRMAN WALLIS: -- there's no --

24 MEMBER SIEBER: Well --

25 CHAIRMAN WALLIS: -- so there's no real

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 risk to the public. There's a risk to the owner of  
2 the reactor, you'd want to clean things up a bit and  
3 fix things.

4 MEMBER KRESS:: The regulatory guide 1.77  
5 limit at 230. Above that, you start getting fuel  
6 coolant interactions. You might blow something.

7 MR. BASSETTE: Yeah, that's how the limit  
8 was established because above those enthalpies, you  
9 started to see pressure pulses in the coolant in these  
10 experiments. Below there was no pressure pulses.

11 CHAIRMAN WALLIS: This is all based on  
12 what happens to the uranium, not what happens to the  
13 cladding?

14 MR. BASSETTE: Well, it's both, it's both.

15 CHAIRMAN WALLIS: When you talk about  
16 centerline temperature and so on, what's happening to  
17 the cladding? I'm presumed it's still being cooled by  
18 the water without going through DMB?

19 MR. BASSETTE: Well, I'll show you.  
20 That's on this --

21 MEMBER SIEBER: It depends on where you  
22 started that.

23 MR. BASSETTE: It's right here. So we're  
24 looking basically now at B&W with the maximum slug of  
25 40 cubic meters. Here's the consequences for restart

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of natural circulation and restart of the pump. The  
2 maximum enthalpy at 90 calories per gram here. That's  
3 definitely -- that should be 185 calories per gram.

4 CHAIRMAN WALLIS: You've got to clean  
5 things up here. You've got to fill in that blank  
6 space, too.

7 MR. BASSETTE: Yeah, I asked Dave Diamond  
8 to get me that. I haven't got it yet. I think that's  
9 2500.

10 MEMBER SIEBER: Yes.

11 MR. DIAMOND: Yes, it's 2700.

12 MEMBER SIEBER: That's the big one.

13 MR. DIAMOND: And the 85 calories should  
14 be about 185.

15 MR. BASSETTE: Yeah, it should be 185,  
16 that's right. Fuel centerline temperature of 2000  
17 degrees C here which is basically normal operating  
18 conditions and here you've got -- you're definitely  
19 getting melting and the cladding, the minimum DMBR  
20 here's 1.3 so you haven't entered dry-out and here,  
21 obviously, you're in dry-out.

22 MEMBER SIEBER: It's already happened.

23 MEMBER RANSOM: I have one concern. How  
24 confident, I guess are you in the 40 cubic meters per  
25 slug and based on your previous discussion of where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 natural circulation ceases and, you know, boils down  
2 to this cold leg level, why can't you get a situation  
3 where you fill up the steam generator and there would  
4 be some flow back into the core too, but as high as  
5 the candy cane, which presumably would give you a much  
6 larger slug of water and --

7 PROF. diMARZO: I can address that.

8 MEMBER RANSOM: Is that impossible?

9 PROF. diMARZO: It's impossible because in  
10 order have BCM, you need to have virtually -- you need  
11 to be at mid-level of the steam generator roughly in  
12 terms --

13 MEMBER RANSOM: You need what?

14 PROF. diMARZO: The collapse liquid level  
15 in the primary should be around the mid-level of the  
16 steam generator or so. If you exceed that, you're  
17 going to start getting carry-over on top of the candy  
18 cane and you're going to mix what you're generating.  
19 So in order to have a clean slug --

20 MEMBER RANSOM: Why do you get carry-over?

21 PROF. diMARZO: Because it is a two-phase  
22 flow off that cold leg -- off that hot leg.

23 MEMBER RANSOM: Hot leg?

24 PROF. diMARZO: Yes, so basically, you  
25 start spilling over. And so then you deborate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 essentially. So in order to keep --

2 MEMBER RANSOM: Okay, you've got to keep  
3 the hot leg clear.

4 PROF. diMARZO: You've got to be very low.

5 MEMBER RANSOM: Yeah, I remember that now.

6 MR. BASSETTE: There's also, you get a lot  
7 of in-vessel circulation in B&W because you have about  
8 eight square feet of bed valve area and the RELAP for  
9 these small braces are about 200 kilograms a second  
10 flow going through these vent valves.

11 MEMBER RANSOM: Those are in the downcomer  
12 areas, right?

13 MR. BASSETTE: Yes, to that you get a lot  
14 of in-vessel circulation.

15 MEMBER RANSOM: Okay.

16 CHAIRMAN WALLIS: Does this help dilute  
17 the slug, too?

18 MR. BASSETTE: It would.

19 CHAIRMAN WALLIS: Yeah.

20 MR. BASSETTE: We didn't take into account  
21 HPI in-vessel circulation and so on.

22 CHAIRMAN WALLIS: So your 40 cubic feet is  
23 based on the worst possible case where the level is  
24 somewhere up the steam generator? It's half way up.  
25 I thought it was just --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BASSETTE: It's one-third of the way  
2 up the steam generator.

3 CHAIRMAN WALLIS: Actually one-third of  
4 the way up.

5 MR. BASSETTE: Yeah, to the level of the  
6 cold leg.

7 MEMBER SIEBER: The cold leg.

8 CHAIRMAN WALLIS: So it's a dropped steam  
9 generator. It's down.

10 MR. BASSETTE: That's right. So we took  
11 that as our maximum volume and said we can't be any  
12 worse than this.

13 MEMBER RANSOM: I think, isn't there some  
14 discussion, too, about the length of time it would  
15 take to actually achieve this and --

16 MR. BASSETTE: Yes, I'll get to that.

17 MEMBER SIEBER: It's in the --

18 CHAIRMAN WALLIS: Maybe you start the  
19 pumps before this has ever happened.

20 MR. BASSETTE: So what do we need to form  
21 a -- dilute a loop seal? We have to have small break  
22 LOCA, welling in the core. The steam generator has to  
23 be the heat sink and the liquid level on the primary  
24 side has to have declined sufficiently to prepare the  
25 vapor phase condensation path to get the dilution

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 effect.

2 CHAIRMAN WALLIS: And this has never  
3 happened before?

4 MR. BASSETTE: Not too much. Oddly enough  
5 TMI had these idea conditions and in fact, there was  
6 some dilution seen at TMI.

7 MEMBER SIEBER: Well, they tried to start  
8 the coolant pump a number of times and eventually was  
9 successful and that got the core average temperature  
10 down but not the peak.

11 MR. BASSETTE: But it is interesting that  
12 TMI did achieve these conditions for awhile. But even  
13 if you achieve them, it's difficult to maintain them  
14 because they're a function of decay heat, break flow,  
15 HPI flow, all of which are varying with time. So what  
16 do you need --

17 MEMBER RANSOM: Well, did TMI achieve this  
18 partly as a result of shutting off the HPI?

19 MR. BASSETTE: They shut of the HPI. They  
20 had a break that they had open and then closed and  
21 they had intermittent feeding of the generators while  
22 they -- with a low level.

23 MEMBER SIEBER: And they had a level in  
24 the cooling system at right about the right place.

25 MR. BASSETTE: So they had the necessary

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conditions. Now if they had fed the generator more  
2 than they did, they wouldn't have had the accident.  
3 they would have had enough decay heat removal.

4 CHAIRMAN WALLIS: If they hadn't left the  
5 trellis closed --

6 MR. BASSETTE: Yeah, could have, should  
7 have, would have.

8 MEMBER SIEBER: But they still would have  
9 depressurized the cooling system which was --

10 CHAIRMAN WALLIS: Eventually.

11 MR. BASSETTE: So decay heat must exceed  
12 the energy removal from the break and for break sizes,  
13 what we are dealing with. If the break is open, it's  
14 sufficient to remove decay heat. And in addition,  
15 HPI, if it's on -- it's actually a little surprising,  
16 it's the best sensible heat capacity, HPI flow to  
17 remove decay heat. And as I said, primary level must  
18 be below secondary level to have a condensing surface  
19 and contrary to TMI, the level must be above the top  
20 of the core or else you have other things to worry  
21 about. So the best way to get these conditions is  
22 open a small break, keep HPI or at least degrade it  
23 until the inventory drops into the hot leg which is  
24 about 60 percent as I mentioned in initial. Then  
25 close the break where gain, you force the generators

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to act as a heat sink.

2 CHAIRMAN WALLIS: How do you close the  
3 break if it's a broken pipe?

4 MEMBER RANSOM: Close the valve.

5 MR. BASSETTE: Well, the best process is  
6 a stuck open valve that you close. But that's why  
7 simply having a smaller break LOCA is not going to do  
8 it for you. You have to have some LOCA that you  
9 isolate.

10 MEMBER SIEBER: Well, you don't get the  
11 separation phenomena.

12 MR. BASSETTE: Yeah, you have the break in  
13 order to lose the inventory. You have to keep the HPI  
14 off and then you've got to close the break still  
15 keeping HPI off. And then you operate in boiler  
16 condenser mode for approximately one hour and the  
17 experiments at PKL, it took them one hour to dilute  
18 the loop seals from the initial value of 1,000 ppm  
19 down to 50 ppm. The University of Maryland they did  
20 the same -- they used boron in these experiments,  
21 soluble boron. The Maryland experiments used salt.  
22 It took them 70 to 90 minutes to dilute the loop  
23 seals.

24 CHAIRMAN WALLIS: Well, the best prospect  
25 is a stuck open pressurizer or would they actually

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 close the block valve and then they get nervous about  
2 something else and turn off the HPR and it just gets  
3 -- at TMI they succeeded -- they didn't close the  
4 block valve, see doing a lot of things which you  
5 wouldn't have expected.

6 MR. BASSETTE: Yes. Yeah, at TMI they  
7 closed the block valve at 140 minutes.

8 CHAIRMAN WALLIS: Too late.

9 MR. BASSETTE: At HPI lost all the time.  
10 They had a line partially where a block valve was open  
11 but anyway they did get some dilution at TMI.

12 CHAIRMAN WALLIS: The level was too low by  
13 then to --

14 MR. BASSETTE: Yeah, the level was already  
15 below the top of the core by then.

16 MEMBER SIEBER: Well, and they weren't too  
17 fast in closing the block valve because it was in the  
18 next shift.

19 MR. BASSETTE: That's right.

20 CHAIRMAN WALLIS: Until the next shift  
21 arrived.

22 MEMBER SIEBER: They had to go through a  
23 shift change.

24 MR. BASSETTE: So break size, of course is  
25 a factor. Very small breaks HPI is sufficient to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       compensate for break flow to maintain control of  
2       things, keep -- the pumps aren't tripped. This is the  
3       breaks range that you're interested in. It's big  
4       enough to lose sub-cooling which the operators trip  
5       the pumps. With an ordinary short break you may have  
6       a short period of time where you have natural  
7       circulation. The duration depends on the size of the  
8       break. And this will continue as long as the primary  
9       system temperature is above the secondary system  
10      temperature.

11                   MEMBER SIEBER:   And the RCS is full.

12                   MR. BASSETTE:   And the RCS is pretty full,  
13       yeah. Anyway there's a limited time in this ordinary  
14       sequence to maintain quality condenser mode or reflux  
15       condensation. You get to breaks much larger than two  
16       inches, and the inventory and pressure decrease so  
17       rapidly that you just won't have any substantial rate  
18       of natural circulation. We looked at -- we had relap  
19       calculations available for all three vendors for break  
20       spectrum. So for a 1.4 inch break, we didn't lose  
21       inventory control. We don't lose force circulation.  
22       If you double the break size to two inch, now this is  
23       break diameter. So you double the break area to a  
24       two-inch break. If you're just -- all your decay heat  
25       was going into boiling, this is the kind of vapor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generation rate you get.

2 In the RELAP calculations, it's difficult  
3 to say exactly but you're in BCM for about 1,000  
4 seconds and the reason you're in BCM at all basically  
5 is you get a lot of -- you're dealing -- most of your  
6 energy source is not the decay heat as much as it is  
7 the initial system energy that you're still trying to  
8 get rid of. And we see --

9 CHAIRMAN WALLIS: Well, you're still on  
10 your small proportion there at the 35 kilogram per  
11 second ends up as condensate in 1,000 seconds, it's  
12 only one kilogram per second that condensate?

13 MR. BASSETTE: Yeah, well, some of it is  
14 going out the break.

15 CHAIRMAN WALLIS: Yeah, but that still  
16 seems a small amount.

17 MR. BASSETTE: Well, let's see, assuming  
18 you're getting let's say -- I mean, potentially you  
19 could have 3,500 kilograms, no 35,000.

20 CHAIRMAN WALLIS: Thirty-five thousand,  
21 that's a lot more than one.

22 MR. BASSETTE: So most of it's going out  
23 the break or -- but -- all right, so this is what we  
24 get from RELAP. But this time in BCM, you've got to  
25 realize most of the energy producing is going out the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 break.

2 CHAIRMAN WALLIS: It's funny because with  
3 the bigger break, 22.8 inches, you apparently build up  
4 more condensation, so you have less going out the  
5 break. It doesn't seem to make sense somehow.

6 MR. BASSETTE: It's doesn't which --

7 CHAIRMAN WALLIS: I wonder if that 1400 is  
8 a different typo.

9 MR. BASSETTE: It's difficult to get this  
10 out of RELAP. I don't trust the -- I got this from  
11 looking at the vapor generation but I don't  
12 particularly trust these numbers. But I think --

13 DR. ROSENTHAL: Let's rip that slide out  
14 and move on.

15 MR. BASSETTE: So at any rate, for a B&W  
16 steam generator with decay heat levels and so on,  
17 you're looking at roughly 60 minutes or so boiler  
18 condenser mode to dilute the loop seal and that's  
19 apparently on the same order of what we've seen in the  
20 experiments.

21 CHAIRMAN WALLIS: What do you have on the  
22 previous slide, the one you're going to rip out? You  
23 had --

24 MR. BASSETTE: Oh, the previous slide it  
25 said -- the previous slide as best as I can tell from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 RELAP, which I'm not quite -- I don't quite trust, we  
2 saw dilutions of about three to five percent.

3 MEMBER RANSOM: Are those dilutions, that  
4 column?

5 MR. BASSETTE: Well, what I should say,  
6 the condensate as a percent of the volume.

7 MEMBER RANSOM: It's three percent of the  
8 volume of the loop seal?

9 MR. BASSETTE: Yeah.

10 CHAIRMAN WALLIS: So the volume when you  
11 get the 40 cubic foot slug, how much mass is that?

12 MR. BASSETTE: That's 35,000 kilograms.

13 CHAIRMAN WALLIS: So that's the worst case  
14 and you need to get to the worse case to have any  
15 consequences.

16 MR. BASSETTE: Yes.

17 CHAIRMAN WALLIS: So your message here  
18 would be that you never get to the worst case?

19 MR. BASSETTE: That's right. If you  
20 remember earlier in the slide I --

21 CHAIRMAN WALLIS: If the number is right  
22 for two-inch -- the number for two-inch may be 4100  
23 and not 2200 -- 14, it's not a typo.

24 MR. BASSETTE: In one of the earlier  
25 slides I said that you don't start seeing significant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recriticality until you get to about a 14,000 kilogram  
2 slug and then the maximum is 40,000 or 35,000,  
3 whatever.

4 CHAIRMAN WALLIS: And you never get a  
5 vapor generation with a very small break, repeat why  
6 that is.

7 MR. BASSETTE: Because you don't lose sub-  
8 cooling. HPI is sufficient --

9 CHAIRMAN WALLIS: Well, but your HPI is  
10 lost in order to get this to happen.

11 MR. BASSETTE: Yeah, I was just looking at  
12 it. These are strictly vanilla LOCA calculations.

13 CHAIRMAN WALLIS: But if you turned off  
14 the HPI, couldn't you get this happening with a  
15 smaller break?

16 MR. BASSETTE: You could.

17 CHAIRMAN WALLIS: So this is a bit  
18 misleading because that's the condition for it to  
19 happen anyway, isn't it?

20 MR. BASSETTE: Well, you know, then you  
21 have to start postulating how long you keep HPI off  
22 and so on. This was simply a break structure that we  
23 did. Now, this is the procedure that's in place. We  
24 talked about the possibility of pump restart. This is  
25 the procedure that's in place at the B&W plants. If

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you have a small break LOCA and you're thinking about  
2 pump restart, this is what the plants will do.

3 They must have stable sub-cooled natural  
4 circulation.

5 CHAIRMAN WALLIS: And how do they know  
6 they've got that?

7 MR. BASSETTE: They have a -- well, of  
8 course, they know they're sub-cooling because they've  
9 got the meter in the control room now instead of, you  
10 know, the time at TMI.

11 MEMBER SIEBER: And you can look at TH and  
12 TC to determine whether you've got natural circulation  
13 or not.

14 MR. BASSETTE: Yeah and --

15 CHAIRMAN WALLIS: How do you know the flow  
16 rate?

17 MEMBER SIEBER: You don't.

18 MR. BASSETTE: You don't.

19 MEMBER SIEBER: You don't care either.  
20 You can calculate the flow rate from the temperature  
21 difference.

22 MR. BASSETTE: You can see how much water  
23 you have in the feed --

24 CHAIRMAN WALLIS: As long as the core  
25 isn't heating up, yeah. So they can pretty well be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sure that they understand when they have achieved this  
2 state?

3 MR. BASSETTE: Yes.

4 CHAIRMAN WALLIS: Because the one problem  
5 at TMI was they didn't know it was going off.

6 MR. BASSETTE: Yeah, they had no notion of  
7 sub-cooling and so on.

8 DR. ROSENTHAL: I think that the point  
9 about it being, you know, typically an hour or more to  
10 get into this condition. By that time the TSC is  
11 there, so now you have procedures for the operators,  
12 you have instrumentation for the operators and the  
13 operators have all the help in the world and that's  
14 why we gave it a minus twoish probability that they  
15 still mess up.

16 CHAIRMAN WALLIS: You only get this  
17 natural circulation if you have the HPI off.

18 MR. BASSETTE: You've got to refill the  
19 system.

20 CHAIRMAN WALLIS: You've got to refill the  
21 system.

22 MR. BASSETTE: You've got to refill the  
23 system.

24 CHAIRMAN WALLIS: Otherwise you've got  
25 another problem. You've got to have the HPI off for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       awhile and then you've got to put it on or something.  
2       You've got to do an awful lot of things.

3               MR. BASSETTE:     That's right.     So the  
4       objective is, of course, to prevent pump restart until  
5       well after any possible --

6               CHAIRMAN WALLIS:   You said there's a 99  
7       percent chance that will happen.

8               MR. BASSETTE:     Yes.

9               CHAIRMAN WALLIS:   They have to know what  
10      their break size is in order to make this decision?

11              MR. BASSETTE:   No. No, there's nothing --  
12      that's the other thing the operator has no way of  
13      knowing is how big the break is, so this is -- I mean,  
14      that's the good thing about using sub-cooling and --

15              CHAIRMAN WALLIS:   I think you've got to  
16      have very good procedures, well-thought out, probably  
17      not misinterpreted and so on.

18              MR. BASSETTE:     Yeah.

19              MEMBER RANSOM:    Could you go back one more  
20      slide? I didn't understand what you had on that one.  
21      What are those -- once your steam generator slug  
22      volume and then you've got the times. Do you mean the  
23      time to form a slug?

24              MR. BASSETTE:     Yeah, basically the time to  
25      form a complete slug volume, you know, 40 cubic feet

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of slug volume.

2 MEMBER RANSOM: And what's the other one  
3 that's about three or six cubic meters for the U-2?

4 MR. BASSETTE: U-2, yeah. You're dealing  
5 with, of course, much smaller times.

6 MEMBER RANSOM: What were the volumes,  
7 though?

8 MR. BASSETTE: It's three and a half  
9 meters. It's about one-tenth the volume of a B&W.

10 MEMBER RANSOM: Okay, I understand it.

11 CHAIRMAN WALLIS: This is a relevant  
12 slide, really? I think you've got an awful lot -- to  
13 much information here for the full committee.

14 DR. ROSENTHAL: Oh, way, way too much.

15 MR. BASSETTE: So this is just repeating  
16 human error probably for pump restart. You have  
17 estimates done by BNL and Sandia. So conclusions --

18 CHAIRMAN WALLIS: So you have very little  
19 experience that verifies any of these predictions for  
20 what operators would do in the event of an accident.

21 MR. BASSETTE: Yeah, of course, I think  
22 like Jack says at this point there would be emergency  
23 response center activated and so on and so forth.

24 MEMBER SIEBER: Yeah, let's hope that's  
25 helpful.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BASSETTE: So basically we're dealing  
2 with a probability of something around  $10^{-8}$  for this  
3 pump restart.

4 MEMBER RANSOM: On your first probability,  
5 does that include the fact that it has to be only  
6 within a certain range?

7 MR. BASSETTE: The first one is simply the  
8 occurrence of the event, the stuck open valve or the  
9 broken pipe. The second is the fact that it happened  
10 in the first two weeks or so --

11 MEMBER RANSOM: I was asking though, did  
12 you consider the fact that not all small break LOCAs  
13 --

14 MR. BASSETTE: Yeah, the third is not all  
15 small break LOCAs end up with a large loop seal  
16 dilution and then the fourth is that the operator  
17 doesn't follow procedures and starts his pump --

18 CHAIRMAN WALLIS: And then you could put  
19 in a fifth which is relative fuel damage even when  
20 this happens.

21 MR. BASSETTE: Yeah. Well, that's the --

22 CHAIRMAN WALLIS: That might be something  
23 you'd want to do instead of being so wishy washy about  
24 all these calories per gram and stuff.

25 MR. BASSETTE: Well, here's consequences.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER KRESS:: The probability in the  
2 first two weeks, you've got that by taking the yearly  
3 probability and multiplying it by the ratio and the  
4 time.

5                   CHAIRMAN WALLIS: The easiest calculation.

6                   MR. BASSETTE: Yeah, it's a simple this  
7 amount of time over a total fuel cycle. These are  
8 consequences, no recriticality, B&W divided up into  
9 restart, natural circulation in the pump. So this  
10 maximum slug now, you've got recriticality but fuel  
11 enthalpy within normal full power operation, DNB not  
12 reached, no fuel damage. Restart of the pump, core  
13 coolability, there's no impact based on being below  
14 the 230 calories per gram.

15                   Cladding damage, you can't rule out that  
16 some fuel might get cladding cracks. This is, again,  
17 for maximum slug size. Some fuel centerline melting,  
18 as well in the high power rods.

19                   DR. ROSENTHAL: Done.

20                   MR. BASSETTE: Done and then these were  
21 the assumptions. This is the last slide. The  
22 following value for slug size, zero concentration in  
23 the loop seal of boron, no boron left in the loop  
24 seal. Marino talked about --

25                   CHAIRMAN WALLIS: The Marino magic, yeah.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BASSETTE: -- talked about  
2 RELAP/PARCS. We used the up to date estimates of  
3 small break LOCAs and stuck open valves. Initial  
4 probability that you'll get a large scale seal  
5 dilution, took into account early cycle life and we  
6 included current estimates for fuel damage thresholds  
7 from reactor --

8 CHAIRMAN WALLIS: So this could probably  
9 be summarized in about five slides? I think we could  
10 summarize your stuff in five slides. Marino, I'm not  
11 sure how much of that we need to have presented to the  
12 full committee. It's a long story, really, to get  
13 through and if you get through a little bit of it, you  
14 end up with all sorts of questions.

15 DR. ROSENTHAL: Well, I mean, it truly is  
16 a multi-disciplinary thing. I wanted to introduce the  
17 fuel damage limits at least here. I think we  
18 belabored them. Just to make the point that you know,  
19 for those who know about Cabri, yes, there's emerging  
20 evidence and we thought about it and even so, and  
21 stopped there and then --

22 MEMBER SIEBER: We're going to bring it  
23 up.

24 DR. ROSENTHAL: Well, that's why I'm going  
25 to nudge, yes, and even so and then stop there and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 then when Dana has his fuel meeting, we're going to be  
2 discussing that in detail. So --

3 MEMBER SIEBER: Dana won't let you stop  
4 there. Dana will not let you stop there.

5 DR. ROSENTHAL: He won't let me.

6 MEMBER SIEBER: He will dig in.

7 DR. ROSENTHAL: So even using more  
8 pessimistic limits, we think that the story is  
9 reasonable, period.

10 MEMBER SIEBER: Yeah, well, that's what  
11 he's been pushing for because there is data out there  
12 that justifies a lower limit and you've got it.

13 DR. ROSENTHAL: Yeah.

14 MEMBER SIEBER: It's taken a long time.

15 MEMBER KRESS:: I think you have a good  
16 story, Jack.

17 MEMBER SIEBER: Yeah, it's good enough.

18 DR. ROSENTHAL: Okay, now how much --  
19 thank you. How much time do you think we have with  
20 the committee? I want to get some of the  
21 documentation. Half hour?

22 MEMBER KRESS:: What's on the agenda?

23 MEMBER RANSOM: I have to go look at the  
24 agenda.

25 MEMBER KRESS:: Yeah, we probably already

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have it set up.

2 MEMBER SIEBER: Yeah, the agenda is in the  
3 Federal Register notice.

4 MEMBER KRESS:: You've got an hour and a  
5 half.

6 DR. ROSENTHAL: And you're saying Dave  
7 gets condensed down to five slides, Marino to --

8 CHAIRMAN WALLIS: Five.

9 MEMBER SIEBER: One equation per slide.

10 DR. ROSENTHAL: That's good.

11 CHAIRMAN WALLIS: Two minutes, and then  
12 the ACRS ask questions for half an hour.

13 DR. ROSENTHAL: And Diamond, do you want  
14 to hear from him?

15 CHAIRMAN WALLIS: That needs to be cut  
16 back.

17 MEMBER SIEBER: We ought to be not in the  
18 editorial mode.

19 MR. CARUSO: Fifteen slides, all together.

20 MEMBER SIEBER: For the full committee we  
21 should not be in the tutorial mode. This should be  
22 information transfer.

23 DR. ROSENTHAL: Right.

24 MEMBER KRESS:: And I think you ought to  
25 make Dudley give the whole talk.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: What's he doing here  
2 anyway?

3 DR. ROSENTHAL: Now, in fairness, on the  
4 report, you know, and these slides refer to specific  
5 pages in the report, the fact that it took us this  
6 much time to explain is proof positive that Dr. Ransom  
7 was right, that we had not been as clear as we should  
8 have been. One way to do it is to just -- is to  
9 staple the slides onto the draft report as further  
10 explanation.

11 MEMBER SIEBER: No, I wouldn't do that.

12 CHAIRMAN WALLIS: Maybe have some backup  
13 slides.

14 DR. ROSENTHAL: At some point, without --  
15 I would like at some point to go into the public  
16 docket that a year from now that there should be a  
17 better report than I have now. Okay? And I would like  
18 to take the report that you have --

19 MR. CARUSO: We have a report. You don't  
20 want to revise that report at all?

21 DR. ROSENTHAL: Yeah, I want to revise the  
22 report but I want to go to the full committee. I  
23 don't think it's -- I want to go to the full committee  
24 as quickly as we can clear some PTS out of the way to  
25 free up Dave, we want to take Dr. Ransom's comments.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 We want to editorially revise that report.

2 CHAIRMAN WALLIS: Bring it back to the  
3 subcommittee and we can --

4 DR. ROSENTHAL: No.

5 CHAIRMAN WALLIS: -- make a report to the  
6 full committee that you've fulfilled your obligations?

7 DR. ROSENTHAL: No, no, no.

8 CHAIRMAN WALLIS: I don't think we want to  
9 go to the full committee with a revised report where  
10 there's not much substantive difference than there was  
11 before.

12 DR. ROSENTHAL: No.

13 CHAIRMAN WALLIS: It's not worth it.

14 DR. ROSENTHAL: Right.

15 CHAIRMAN WALLIS: But you might want to go  
16 to this subcommittee for maybe just send it to us.

17 DR. ROSENTHAL: Send it to you for  
18 courtesy.

19 CHAIRMAN WALLIS: We can look at it and  
20 say --

21 MEMBER KRESS:: That would be the thing.

22 CHAIRMAN WALLIS: -- whatever we want to  
23 say.

24 DR. ROSENTHAL: But I think we can get on  
25 in regulatory space with the draft report and these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 slides are all public information.

2 MEMBER KRESS:: Yeah, I think you can.

3 MEMBER SIEBER: We can't write a report if  
4 the full committee doesn't hear the presentation.

5 MEMBER RANSOM: I think it would behoove  
6 you to clean up that report. It had a lot of problems  
7 in it and certainly your message could be made much  
8 more crisp and I think, then, this issue would go  
9 away. so I guess we're all in agreement. The session  
10 is closed then.

11 (Whereupon, at 5:21 p.m. the above  
12 entitled matter concluded.)

13

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701