

21087

**OFFICIAL TRANSCRIPT OF PROCEEDINGS**

DOCKETED  
12/21/99

**UNITED STATES OF AMERICA** '99 DEC 21 A10 :45

**NUCLEAR REGULATORY COMMISSION**

OFFICE OF  
GENERAL INVESTIGATIONS  
ADJUDICATION

**Title: PRE-HEARING CONFERENCE  
NORTHEAST NUCLEAR POWER  
STATION, UNIT NO. 3**

**Case No.: 50-423-LA-3**

**Work Order No.: ASB-300-1063**

**LOCATION: New London, CT**

**DATE: Monday, December 13, 1999**

**PAGES: 1 - 224**

**ANN RILEY & ASSOCIATES, LTD.  
1025 Connecticut Avenue, NW, Suite 1014  
Washington, D.C. 20036  
(202) 842-0034**

DS02

PDR ADOCK 05000423

BEFORE:

CHARLES BECHHOEFER, Chairman, ASLB  
DR. CHARLES N. KELBER, ASLB  
DR. RICHARD COLE, ASLB

APPEARANCES:

ON BEHALF OF NORTHEAST NUCLEAR ENERGY COMPANY:

DAVID A. REPKA, Esq.  
Winston & Strawn  
1400 L Street, NW  
Washington, D.C. 20005-3502

ON BEHALF OF CONNECTICUT COALITION AGAINST MILLSTONE  
and THE LONG ISLAND COALITION AGAINST MILLSTONE

NANCY BURTON, Esq.  
147 Cross Highway  
Redding Ridge, CT 06876

ALSO PRESENT:

ANN P. HODGDON, Esq., NRC Staff  
ROBERT WEISMAN, NRC Staff  
DAVID DODSON, Millstone Unit 3  
DAVID LOCHBAUM, Union of Concerned Scientists  
DR. GORDON THOMPSON, Institute for Resource &  
Security Studies  
JOHN NAKOSKI, Project Manager  
VICTOR NERSES, Future Project Manager

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

----- X  
In the Matter of: :  
NORTHEAST NUCLEAR ENERGY COMPANY : Docket No. 50-423-LA3  
(Millstone Nuclear Power Station, :  
Unit No. 3 :  
----- X

Radisson Motel  
35 Govenor Winthrop Blvd.  
Ballroom 3  
New London, Connecticut  
Monday, December 13, 1999

The above-entitled matter came on for pre-hearing  
conference, pursuant to notice, at 9:00 a.m.

## P R O C E E D I N G S

[9:00 a.m.]

1  
2  
3 CHAIRMAN BECHHOEFER: Good morning, ladies and  
4 gentlemen. This is a pre-hearing conference in the matter  
5 of the proposed amendment to the license of -- license for  
6 the Millstone Unit 3 reactor, to expand the capacity of the  
7 spent fuel, short and long view of that.

8 This proceeding is being heard by the Atomic  
9 Safety and Licensing Board. I'll introduce the members. On  
10 my left is Dr. Charles Kelber. He's a nuclear physicist.  
11 And on my right is Dr. Richard Cole. He's an environmental  
12 engineer. And my name is Charles Bechhoefer and I'm  
13 Chairman of the Board and I'm an attorney. Before we start,  
14 I would like to have the parties and other petitioners,  
15 etc., introduce themselves for the benefit of the court  
16 reporter. I'll go from my left to right.

17 MR. REPKA: Yes. I'm David Repka with the law  
18 firm of Winston & Strawn and I'm counsel to Northeast  
19 Nuclear Energy Company. And on my right is David Dodson,  
20 who is a supervisor for Millstone Unit 3 licensing for  
21 Northeast Nuclear.

22 MS. BURTON: Good morning. I'm Attorney Nancy  
23 Burton and I'm here today representing the Connecticut  
24 Coalition Against Millstone and the Long Island Coalition  
25 Against Millstone. On my right is David Lochbaum, a nuclear

1 safety engineer with the Union of Concerned Scientists; and  
2 on my left is Dr. Gordon Thompson, who is Executive Director  
3 of the Institute for Resource and Security Studies.

4 MR. KELBER: Ms. Burton, check the microphones,  
5 because that's the court reporter's microphone. I can't --  
6 I couldn't hear you too well.

7 MS. BURTON: Okay.

8 MR. KELBER: It's not that microphone. That's for  
9 the court reporter.

10 MS. BURTON: Oh, it's this; I see. Okay, this is  
11 for the reporter; this is for me to be heard.

12 MR. KELBER: That's much better.

13 MS. BURTON: Shall I start again?

14 MR. KELBER: No, that's fine. Thank you.

15 MS. BURTON: Thank you.

16 MS. HODGDON: I'm Ann Hodgdon from the NRC staff  
17 and with me on my right is Robert Weisman, also from the NRC  
18 staff. And I have with me today John Nakoski, sitting  
19 directly behind me. He is the project manager. And to his  
20 right is Victor Nerses, who will take Mr. Nakoski's place as  
21 project manager, after the first of the year.

22 CHAIRMAN BECHHOEFER: Before we get on the way, on  
23 Friday, a fax came in and it was initially -- it was  
24 directed to the Commission -- the Chairman of the  
25 Commission, Mr. Meserve, and it is from one of the local

1       Congressmen. And I was asked by the Chairman's office, to  
2       read the letter into the record. I had informed -- well, we  
3       had informed him that we weren't taking limited appearance  
4       statements at this session and we would receive them in  
5       writing and this is what this sent in for. But, the  
6       Chairman's office asked me to read this into the record.  
7       Does anybody have any problem with that? It's just a one-  
8       page letter from a Congressman, Michael Forbes.

9               MR. REPKA: We have no objection.

10              CHAIRMAN BECHHOEFER: It's not going to take very  
11      long. It says, "Dear Chairman Meserve: A Nuclear  
12      Regulatory Commission (NRC) Atomic Safety and Licensing  
13      Board," that's us, "pre-hearing conference in New London,  
14      Connecticut on Monday, December 13, will determine the  
15      standing of two important citizen groups opposed to an  
16      application by the Northeast Utilities to double its spent  
17      fuel capacity at Millstone 3 station. I oppose such  
18      expansion plans and, as you know, several years ago asked  
19      the NRC to close down the reactors after a checkered history  
20      and the absence of an evacuation plan for the people of Long  
21      Island."

22              "I write to urge approval of the Long Island  
23      Coalition Against Millstone and the Connecticut Coalition  
24      Against Millstone petitions for legal standing in all  
25      matters related to the Millstone Plants."

1            "As you know, I have long been in opposition, to  
2 continued operation of the reactors at Millstone. The  
3 continued operation -- much less the expansion -- of the  
4 Millstone facility should be opposed for a variety of  
5 reasons. First, Millstone has incurred the largest single  
6 fine in the history of the United States nuclear power  
7 industry signifying a pattern of serious operational  
8 problems and a weak safety record. Second, in the event of  
9 a catastrophe, there is not an emergency management and  
10 evacuation plan for Suffolk County (NY) residents. Third,  
11 Millstone is clearly in close proximity to Long Island and  
12 any event involving the reactors there could likely affect  
13 this region."

14            "Due to its proximity, weak safety record and lack  
15 of an evacuation plan, the people of Long Island have a  
16 concrete and cognizable interest in the outcome of any  
17 proceedings involving the operation and/or expansion of  
18 Millstone and must be formally recognized for inclusion in  
19 all NRC proceedings regarding this facility."

20            "Almost two years ago, I was the first public  
21 official to initiate greater involvement by Long Islanders  
22 in the Millstone issue. You were most kind to grant my  
23 request that the NRC hold forums on Long Island on two  
24 occasions to listen to our concerns."

25            "I respectfully urge approval of the Long Island

1 and Connecticut Coalitions' petitions for legal standing to  
2 give voice to the concerns of our community."

3 "Sincerely, Michael Forbes, Member of Congress."

4 I might say, this is no more than a limited  
5 appearance statement. It doesn't have any evidentiary  
6 value. We know it exists. I don't have copies; but if  
7 somebody wants to make copies, they're welcome to have  
8 them." So, I might say this same letter came in earlier,  
9 but it was addressed to the wrong chairman -- it was to the  
10 former chairman, Chairman Janson -- so then it was sent  
11 again.

12 Well, with that -- with that, I'll get to the  
13 substantive matter. I believe that we should consider first  
14 the standing of the two petitioners and then move on to each  
15 of the proposed contentions -- so in that order. On  
16 standing, one of the briefs, there's no opposition to. We  
17 agree to the facts, we've had standing. But the other  
18 brief, the Long Island group, I read my papers as saying a  
19 little bit different from what they've been characterized as  
20 by the people opposing the Long Island group. I see in the  
21 affidavit that the representative says she lives part time  
22 on the site in question and that doesn't seem to have been  
23 recognized. And I inquire first, is that accurate? Am I  
24 reading it accurately? It may not be her major residence,  
25 but I read her affidavit as saying she lives there part



1 time.

2 MS. BURTON: May I respond?

3 CHAIRMAN BECHHOEFER: Yes, please.

4 MS. BURTON: With us today are Jacqueline  
5 Williamson. She's here to avail the Board and the parties  
6 with the opportunity to inquire further, if you wish.  
7 Perhaps if I could ask her to come forward?

8 CHAIRMAN BECHHOEFER: Well, it's this paragraph  
9 two of her declaration. It says, "I don't reside during  
10 much of the year," and that seemed to be a little at odds  
11 with what the other parties have said. This is not  
12 evidence, as such, but we sort of take it into account, as  
13 clarifying what's already in the affidavit -- or the  
14 declaration, I should say.

15 MS. WILLIAMSON: I have been going to Fischer's  
16 Island since 1960. I bought property on the island in about  
17 1965 and I built a house there in the 1980s. My husband is  
18 buried on the island and I expect to be buried there, too;  
19 not too soon, I hope. I live in an area, which is on the  
20 shore and I am there generally between early April and about  
21 Thanksgiving. It depends upon various obligations whether I  
22 am there all the time or whether I am there part time. I am  
23 not a legal resident of Fischer's Island, but I am a New  
24 York State resident. I pay taxes to Suffolk County, to the  
25 receiver of taxes in Southhold. And I am -- I am on the

1 island, which has -- since it has an evacuation official and  
2 an emergency escape plan, I feel very definitely that I am  
3 affected by this and if anything happened and there were a  
4 safety glitch at Millstone, that I would have to be  
5 evacuated and that I would be evacuated through New London,  
6 through Windham, Connecticut, which is not something that  
7 I'd want like to consider.

8 CHAIRMAN BECHHOEFER: Is your property -- I  
9 understand it is within 10 miles of the facility?

10 MS. WILLIAMSON: To the best of my knowledge, it  
11 is. I'm not an engineer, so I can't, you know, pinpoint and  
12 everything. But, I am within an arc and from the -- my best  
13 look at the various maps, it looks as though I am within the  
14 10 miles; I think so.

15 CHAIRMAN BECHHOEFER: Okay.

16 MS. BURTON: May I respond further?

17 CHAIRMAN BECHHOEFER: Yes.

18 MS. BURTON: As Ms. Williamson was saying, as a  
19 resident of Fischer's Island, she is -- even if she were  
20 beyond 10 miles, if she were located anywhere on Fischer's  
21 Island, she would be subject to the emergency evacuation  
22 plan, which dictates that in the event of evacuation, the  
23 residents go to the west, toward Millstone, board the ferry,  
24 and head to New London, where we are presently, and come  
25 within a very short distance of the Millstone Station. So,

1 certainly, in an emergency, she would be more likely to be  
2 adversely affected than most of us, by having to follow  
3 that route and having to suffer the perils of trying to  
4 evacuate under that particular plan.

5 I may offer into evidence the public emergency  
6 notification for residents and visitors in these  
7 communities, which has been prepared and distributed by  
8 Northeast Utilities, in conjunction with the Connecticut  
9 Office of Emergency Management, the Connecticut Department  
10 of Environmental Protection.

11 CHAIRMAN BECHHOEFER: I would think, by the way,  
12 that that is pretty general. It wouldn't apply to like an  
13 accident emanating from the spent fuel pool. So, I'm not  
14 sure that it would be relevant to this particular issue.  
15 This is whether you can be injured by something that might  
16 occur in this proceeding, which is the spent fuel pool. So,  
17 I'm not sure that that's relevant. If you are residential,  
18 if you -- the time that you occupy substantial periods of  
19 time is within 10 miles, that means that you can possibly be  
20 affected by an accident emanating from the spent fuel pool,  
21 and that's how I interpret it.

22 But, I'm going to ask the other parties for  
23 comments on that, because they have made a point that  
24 residents, who are at Staten Island or something like that,  
25 is too far. And I think, under precedent, it probably is

1 for spent fuel pool expansion. And -- but 10 miles is, --  
2 I've held 10 miles is okay in a case of my own earlier, in  
3 this kind of proceeding, and there's a recent one down in  
4 the Carolinas, which went out as far as 17 miles. And so,  
5 I'm just relying on precedent. But, I'd like other parties  
6 comments. Mr. Repka?

7 MR. REPKA: Yes, Judge Bechhoefer. A couple of  
8 points: first, I'd like to start by saying that the issues  
9 raised in the Congressman's letter related to emergency  
10 preparedness on Long Island really are not at all within the  
11 scope of this particular proceeding --

12 CHAIRMAN BECHHOEFER: That's correct.

13 MR. REPKA: -- nor is there any regulatory or  
14 safety basis for those kinds of issues. Beyond that, with  
15 respect to the Long Island Coalition in this proceeding, we  
16 don't have any disagreement as to the factual premises, the  
17 residence of Ms. Williamson. We would assume that she has  
18 residence on Fischer's Island and that's at approximately 10  
19 miles.

20 Our position is based upon the law of standing, as  
21 it's been applied in NRC proceedings in the past, and,  
22 essentially, the Commission has applied a three-part test  
23 for standing: first, there has to be an alleged injury;  
24 second, that injury has to be traceable to the action, the  
25 amendment that's at issue; and third, that that injury has

1 to be one that could be redressed in the proceeding. Our  
2 view is that with respect to residents, even at 10 miles,  
3 the only allegations of offsite consequences, offsite  
4 injuries, really relate to beyond design basis scenarios,  
5 scenarios that have not been determined to be credible; that  
6 Northeast Nuclear is not required to address; that those  
7 scenarios exist independent of the proposed action here. So  
8 those harms are not -- those alleged harms are not harms  
9 that are really traceable to this particular proposed  
10 licensing action, nor would they be redressed by even a  
11 favorable decision in this proceeding. So that's the basis  
12 for our objection to the Long Island Group standing.

13 Beyond that, a couple of other factual points I  
14 want to make that are just -- just to be very clear. One,  
15 the proposal at issue here does not involve, in any way,  
16 expanding Millstone. It doesn't involve expanding the  
17 Millstone spent fuel pool. The existing pool is a very  
18 large spent fuel pool and the proposal involves putting new  
19 racks in open spaces in the pool. And third, does not --

20 CHAIRMAN BECHHOEFER: By the way, if I used  
21 expansion in the introduction, I -- it really --

22 MR. REPKA: I think the way you said it was  
23 probably fine. I think it's just -- it's an increase in the  
24 capacity --

25 CHAIRMAN BECHHOEFER: Yes, that's correct.

1 MR. REPKA: -- but not an increase in the size of  
2 the pool.

3 CHAIRMAN BECHHOEFER: That's correct.

4 MR. REPKA: And lastly, the pool cooling design  
5 basis has been for a significant number of assemblies.  
6 Really since Millstone was licensed in the mid-1980s,  
7 actually, the design basis, from a cooling perspective, was  
8 for more assemblies than the company is actually proposing  
9 in this amendment package.

10 So with that, I think the point on standing is  
11 that we don't think -- beyond design basis, harms are not -  
12 - they're remote and speculative, number one; they're not  
13 traceable to this proposal. This proposal doesn't change  
14 those -- doesn't create those harms, doesn't change them in  
15 any way, nor are they likely to be redressed in this  
16 proceeding.

17 CHAIRMAN BECHHOEFER: Do you see any difference  
18 between this proposal and say the other cases, where there  
19 have been 10 miles, 17 miles?

20 MR. REPKA: Well, I think we've cited to some of  
21 the cases in our paper.

22 CHAIRMAN BECHHOEFER: No, you didn't cite those -  
23 - well, you may have cited Vermont Yankee, which is 10.

24 MR. REPKA: Right. And the standard was close  
25 proximity. I recognized the Sharon Harris case, which you

1 alluded to --

2 CHAIRMAN BECHHOEFER: Yes.

3 MR. REPKA: -- which I believe the intervenor  
4 group is at 17 miles. That's non-binding precedent on this  
5 Board and, you know, I don't necessarily want to concede  
6 that that was correctly decided.

7 CHAIRMAN BECHHOEFER: Ms. Hodgdon, do you have --

8  
9 MS. HODGDON: Yes. In order to avoid repeating a  
10 number of things that Mr. Repka has said, I would say that  
11 generally the staff agrees with him. The case that he  
12 relied on, on which the staff relied on as well, was North  
13 Anna, a Virginia Electric and Power Company, North Anna  
14 Nuclear Power Station Units 1 and 2, of A lab. That is an  
15 Appeal Board Decision, which may be offered as precedent,  
16 No. 522 NRC 54.

17 The distinction there is one, some of the member  
18 groups lived at close proximity. It doesn't say -- it's  
19 like on the shores of Lake Anna; whereas the group that was  
20 further away did canoe, etc., in the North Anna River --  
21 dangerously canoe on the North Anna River. I think the  
22 distinction here is that nothing is shown in Ms.  
23 Williamson's declaration regarding her being closer than 10  
24 miles and there's nothing in the Appeal Board cases or in  
25 the Commission cases that would establish that distance as

1 being sufficient in a spent fuel pool expansion case. ,And -

2 -

3 CHAIRMAN BECHHOEFER: So, you are, in effect,  
4 saying that we shouldn't be following -- well, what about  
5 Vermont Yankee, which was formed by the Appeal Board? It  
6 was my case. I remember it was --

7 MS. HODGDON: The -- these cases -- as I say, it's  
8 foolish to rely on this old case only, because it's -- and  
9 the Vermont Yankee case -- at such time, actually there were  
10 two. I'm not quite sure that you want me to debate that.  
11 It was out to 10 miles.

12 Here, I think there have been -- well, we do set  
13 spent fuel pools apart, because this -- it's nothing that  
14 has anything to do with the reactor. And so the obvious  
15 potential for offsite consequences, which the Commission has  
16 held in a case involving Northeast Nuclear Energy Company,  
17 and that's 48 NRC 183, COI 9820, the Commission held where  
18 there was no obvious -- they upheld a licensee or finding -  
19 - not finding standing for a person, who was with the same  
20 declarant, but different group. It was Mr. Besade, if  
21 that's the proper pronunciation of his name. But, Mr.  
22 Besade -- the group was -- Citizens Regulatory Commission  
23 was the petitioner there and they held that there was no  
24 obvious potential for offsite consequences where it involved  
25 a new sump pump subsystem, even though it was within two



1 miles.

2 So, I'm saying that these cases are sort of --  
3 they go on facts and nobody contests that there might  
4 possibly -- well, I suppose someone would like to contest,  
5 actually, that there can be any offsite consequences of this  
6 spent fuel pool expansion -- obvious potential for offsite  
7 consequences, I should say. And so, these findings beyond  
8 10 miles -- the problem is that we're right at 10 miles here  
9 and you're citing Vermont Yankee as a precedent for 10  
10 miles.

11 CHAIRMAN BECHHOEFER: Yeah.

12 MS. HODGDON: So, in any event, I'm saying that  
13 there are other factors. I have -- I can't remember what  
14 the distinction is there, but the -- normally, in those  
15 cases, the declarant has some claim as to being closer or  
16 for some purposes, and that's my understanding and because  
17 there is distinction there between the one, who was within a  
18 stone's throw, and the other group, who came in -- or the  
19 other petitioner, I suppose, who came in by virtue of close  
20 association by use of something closer than that. So,  
21 anyway, I was saying whether cases are not really in  
22 agreement, it's hard to say when you're putting somebody  
23 right at 10 miles, which seems to be the distance that's in  
24 dispute here.

25 CHAIRMAN BECHHOEFER: How about 17?

1 MS. HODGDON: Well, 17 was a case that was not  
2 appealed and the -- so, there's no -- there's no Appeal  
3 Board, of course, that the Commission does not take the  
4 position -- the Commission does not speak to that. Also --

5  
6 CHAIRMAN BECHHOEFER: Excuse me. The Commission  
7 could not speak to that, because --

8 MS. HODGDON: No, I said, did not, did not.

9 CHAIRMAN BECHHOEFER: Oh, did not, okay.

10 MS. HODGDON: It did not.

11 CHAIRMAN BECHHOEFER: I thought you said "could  
12 not."

13 MS. HODGDON: No, I did not say "could not;" I  
14 said "did not," the Commission did not speak to that. It  
15 was not appealed. There seems to be something in that case  
16 that suggests that because it was a county that was -- that  
17 there were a great number of people, I wouldn't know that  
18 that makes any difference, because they certainly would have  
19 had 2.715 intervention. Had anyone else petitioned under  
20 2.714 -- but, nobody did, so I don't know how -- what the  
21 Commission -- that they haven't had an opportunity to  
22 address it and actually I don't know if they ever will.

23 CHAIRMAN BECHHOEFER: The Board might just give a  
24 little more deference to a county.

25 MS. HODGDON: It appears that they did. It's -- I

1 have it with me. I read it several times.

2 CHAIRMAN BECHHOEFER: I have it with me, too.

3 MS. HODGDON: It appears that -- it appears that  
4 they were impressed with the fact that there were a lot  
5 people and even though they were at 17 miles -- well, it's a  
6 different case, as well. I mean, this is not Sharon Harris  
7 -- that was not Sharon Harris. But, it's not your ordinary  
8 spent fuel pool case, because, here, they wanted to  
9 commission two pools. They didn't want merely to expand the  
10 -- add racks to the existing pool. So, that may, also, make  
11 a difference. It's -- as I say, it's not your ordinary  
12 case. It may not have been found on any case.

13 I suppose, then, that's all we have to say. I  
14 mean, the reason I'm having so much trouble with this is  
15 that it seems the precedent, the Commission cases and the  
16 Appeal Board cases, most of it is very old and the  
17 technology has vastly improved. So, there's no way to weigh  
18 that. I have nothing else to say.

19 JUDGE COLE: Both the applicant and the staff  
20 indicated that Mr. Joseph Besade, they concede -- they  
21 indicate that they would accept his standing, but not the  
22 case with Ms. Williamson. I would like them to explain to  
23 me what they consider to be the rule of difference between  
24 these two.

25 MR. REPKA: Okay, I can attempt to do that, Judge

1 Cole. I think that some of the difficulty that Ms. Hodgdon  
2 is having and I think that probably the Board is having and  
3 we're having on this is if you look at this in terms of  
4 mileage, that doesn't necessarily square with the case law.  
5 The case law on standing, in a judicial sense, focuses on  
6 can there be an injury in fact that's within the scope of  
7 the proceeding and is redressable. And I think in our  
8 argument, with respect to 10 miles, is that that hasn't been  
9 shown; in fact, that doesn't exist. You can make a similar  
10 argument at two miles.

11 We have not chosen to do that. We believe the  
12 Commission's case law is fairly clear, that close proximity  
13 or within a stone's throw I believe are some of the words  
14 that are used in the Commission's cases. We would defer to  
15 that precedent, in the case of two miles. And I think that  
16 it's well within the Commission's discretion to grant  
17 standing within a couple of miles, even though -- for the  
18 same reasons that there would be no injury, as a result of  
19 the amendment at 10 miles, there would be no injury at two  
20 miles either. But, we would defer to the Commission's  
21 discretion for those short distances to allow standing to an  
22 intervenor. At 10 miles or 17 miles or 25 miles, I don't  
23 think that the basis for that discretion exists and,  
24 certainly, the judicial precedence on standing don't suggest  
25 that there would be standing in this case.

1 But, I don't think that -- I think that some of  
2 the discussion has focused on 10 miles, as if 10 miles is a  
3 dividing line, and there's nothing in the case law that  
4 suggests that there is any magic in this context to 10  
5 miles.

6 JUDGE COLE: Would you like to address that?

7 MS. HODGDON: I thought I already did.

8 JUDGE COLE: Okay; that's fine.

9 MS. HODGDON: I would repeat what I said.

10 JUDGE COLE: No, you don't have to repeat  
11 anything. If you think you've said everything you wanted to  
12 say about that, you --

13 MS. HODGDON: No. To the extent that -- I'm  
14 sorry, I interrupted.

15 JUDGE COLE: That's all right.

16 MS. HODGDON: To the extent that I was  
17 misunderstood, I would like to clarify what I said. The  
18 case that I was construing, North Anna, did -- people who  
19 lived at a greater distance than a stone's throw, that case  
20 found standing where they had an association -- where they  
21 had activities closer to the plant than 10 miles; in fact,  
22 within a stone's throw. And so, it's not a matter of  
23 residence; it's a matter of whether somebody might possibly  
24 be affected. And although I might agree with Mr. Repka,  
25 there is no obvious potential for offsite consequences. The

1 Commission has decided that if you're very close, then  
2 that's fine; but, I don't think there's been any decision  
3 that they, after 10 miles, without more, is sufficient to  
4 show standing in a spent fuel pool expansion, like this  
5 sort.

6 JUDGE COLE: Thank you. Ms. Burton, you'd like to  
7 comment, I'm sure.

8 MS. BURTON: Yes, if I may. I have a few  
9 comments. One is a pretty good point was well taken, Dr.  
10 Cole, as to where to draw the line: if two miles is okay,  
11 how many miles is not okay; at what point does it become too  
12 far? And, of course, we do rely on the Vermont Yankee case,  
13 decided by the Chairman, as well as the recent Sharon Harris  
14 case.

15 But, there are several other things I wanted to  
16 bring to your attention. One was the -- there was some  
17 error in the Northeast Utilities reply in the statement, I  
18 think, that Ms. Williamson resides at Riverhead, some 36  
19 miles. I want to be sure that's corrected, because she does  
20 not. She maintains another address, but not there.

21 I will make reference to the Brookhaven National  
22 Laboratory study that was undertaken in 1997 on an accident  
23 in the spent fuel pool. And in that analysis, which we  
24 cited on page seven of our supplemental petition, for the  
25 least serious case analyzed, Brookhaven reported 1,500

1 additional cancer deaths to the population living within 50  
2 miles of the plant. That was the least serious case. We  
3 have, also, pointed out that according to our expert's  
4 search of the public document room, there has, to date, been  
5 no evaluation of criticality accidents in spent fuel pools.

6 In several of our contentions, we are addressing  
7 the issue of criticality. This is something that has not  
8 been litigated, hasn't been determined, but we are making  
9 the case that both with respect to criticality and severe  
10 accidents, that certainly an individual residing in property  
11 within about 10 miles of this plant is, in fact, in a  
12 position to assert, as we do here, injury in fact. We are  
13 asserting in our petition here that a severe pool accident  
14 is an almost certain outcome of a severe reactor accident  
15 and that the emergency plans, which have been devised for  
16 severe reactor accident, including evacuation within a 10-  
17 mile zone, necessarily apply here; and, if anything, more  
18 so. Because if there is this severe reactor accident with  
19 the almost certain outcome of consequences to the spent fuel  
20 pool, we recognize the spent fuel pool has no containment,  
21 is manually operated, and is designed with materials, which  
22 are not required to meet standards that are required in the  
23 reactor. So, if anything, we would suggest more significant  
24 from spent fuel severe accident than we do with reactor, for  
25 which Ms. Williamson is required to evacuate her home within

1 10 miles, in the event of that kind of an emergency. .

2 Our asserted nexus has never been litigated. We  
3 are presenting contentions and we may be raising issues here  
4 for the first time. But, I believe the Board should take  
5 note of that.

6 And I wanted to, also, on the point of remote and  
7 speculative, it has been suggested that our contentions  
8 concerning severe accidents are remote and speculative.

9 CHAIRMAN BECHHOEFER: We'll get to them when we  
10 get to your contentions.

11 MS. BURTON: I just wanted to respond.

12 CHAIRMAN BECHHOEFER: Oh, okay.

13 MS. BURTON: But -- well, then let me conclude by  
14 saying that I believe we have met the test of standing. The  
15 standing that we have presented does come within the case  
16 law. Ms. Williamson has demonstrated injury in fact. And I  
17 will refer to her affidavit, paragraph 18, where she is  
18 saying that the present licensing amendment, if granted,  
19 would significantly increase the risk of serious accidental  
20 release of radioactivity into the environment. At paragraph  
21 22, she asserts that that the potential of the application  
22 is to expose the public to a significant increase in the  
23 probability and offsite consequences of serious accident.  
24 Again, she is in the unique and unenviable position of  
25 owning property, which is subject to an evacuation, which



1 will take her closer to, shall we say, the mouth of the  
2 dragon, than the other direction, to a zone of safety.

3 She has adequately and sufficiently demonstrated  
4 injury in fact, which is traceable to this application that  
5 has been set forth in this affidavit. She asserts that the  
6 safety risk is compounded. There is a greater risk of  
7 significant injury because of this application, if granted,  
8 and her injury can be redressed in this proceeding, mainly  
9 by a consideration of all the issues presented. And we  
10 request a denial of the application to expand the density of  
11 the spent fuel pool, in the configuration and in accordance  
12 with the proposal, which has been presented.

13 So, I believe we have very adequately met the  
14 standing criteria, which have been set out in the  
15 regulations and have been implemented by case law.

16 MR. REPKA: Judge Bechhoefer, I'd like to respond  
17 to that briefly.

18 CHAIRMAN BECHHOEFER: Okay.

19 MR. REPKA: I think we will get into the issue of  
20 the Brookhaven report and some of the alleged scenarios, but  
21 these are precisely the kinds of scenarios that are being  
22 postulated that I referred to earlier as really being beyond  
23 the scope of this proceeding. There are issues that would  
24 apply to the current pool, that would apply to wet storage  
25 throughout the nuclear industry. They would represent a

1 challenge to the existing design basis of Millstone Unit 3.  
2 They would exist -- they would represent a challenge to the  
3 NRC's regulatory structure, which are issues not unique to  
4 this proceeding. This proposal doesn't change those alleged  
5 risks. Those are risks that have been determined by the  
6 Commission previously, not to warrant being addressed. And  
7 they are, quite frankly, matters outside the scope of this  
8 proceeding and a challenge to the NRC's regulations.

9 CHAIRMAN BECHHOEFER: I have only one question. I  
10 -- in a sense, we seem to be asked to be applying the  
11 standards for contentions to the standards for determining  
12 whether we have standing, and I'm not sure that that's  
13 comparable. The standing rule requires much less of a  
14 showing than does, for instance, proposed contention.

15 MR. REPKA: I don't think that observation is  
16 really true. I think the standard for contention requires a  
17 much greater evidentiary --

18 CHAIRMAN BECHHOEFER: Well, there is precedent to  
19 that, by the way.

20 MR. REPKA: But, I don't think that's what we're  
21 asking.

22 CHAIRMAN BECHHOEFER: Pardon?

23 MR. REPKA: I don't think that's what we're  
24 asking. The evidentiary standard for the basis for  
25 contention is very clear. The Commission has spoken to

1 that. You need an evidentiary basis for the allegation that  
2 a -- that there is a real issue, that there could be an  
3 accident of this type, and we'll get to that.

4 In the context of standing, I think what we're  
5 asking is you apply the existing judicial case law that says  
6 that there has to be a plausible injury in fact, traceable  
7 to this amendment and redressable in this proceeding. And I  
8 think that the kinds of issues that have been raised, it's  
9 not so much a lack of an evidentiary basis, although that  
10 certainly exists, that the plausibility is not there, the  
11 traceability to this proceeding is not there, and the  
12 redressibility in this proceeding is not there. So, those  
13 are legal requirements related to standing that we maintain  
14 have not been addressed, have not been met.

15 CHAIRMAN BECHHOEFER: We're not going to rule --  
16 well, we're ruling that the Connecticut group has standing  
17 and there's no opposition to that. But, we'll hold for a  
18 while on ruling on the Long Island group.

19 MS. HODGDON: Judge Bechhoefer?

20 CHAIRMAN BECHHOEFER: Pardon?

21 MS. HODGDON: May I speak to this issue --

22 CHAIRMAN BECHHOEFER: Oh, yes.

23 MS. HODGDON: -- before you --

24 CHAIRMAN BECHHOEFER: I don't think we have to  
25 rule before you --

1 MS. HODGDON: -- before you finish?

2 CHAIRMAN BECHHOEFER: Yes. I'm sorry.

3 MS. HODGDON: I hate to interrupt, but --

4 CHAIRMAN BECHHOEFER: I understand.

5 MS. HODGDON: I just wanted to address several  
6 things that were addressed by Mr. Repka. I'm not sure that  
7 I entirely understood whether it's even appropriate to talk  
8 about -- to discuss various things that Ms. Burton brought  
9 up here, with regard to criticality, for example, to the  
10 extent that Ms. Williamson feels that she's going to be --  
11 that there's a possibility of some criticality accident  
12 that's related to this amendment request. Dr. Kelber will  
13 recall that criticality has been adjudicated here, with  
14 respect to another one of the Millstone reactors at  
15 Millstone 2. I have the cite for that somewhere, but I will  
16 look it up and give it to you. But, actually, the statement  
17 is just not absolutely accurate, that criticality has not  
18 been addressed in NRC proceedings.

19 SPEAKER: Judge, it's very hard to hear. Could  
20 anything be done? It's very hard to hear, I'm sorry.

21 CHAIRMAN BECHHOEFER: Well, everybody has a  
22 microphone. Is your microphone on?

23 JUDGE COLE: Is your microphone on?

24 MS. HODGDON: Well, I don't know.

25 JUDGE COLE: You can move it closer.

1 MS. HODGDON: All right. Somebody fix it for me.

2 CHAIRMAN BECHHOEFER: We don't want to be accused  
3 of shouting at each other.

4 MS. HODGDON: Is that better; is that better?

5 SPEAKER: Yes.

6 MS. HODGDON: I'm getting feedback now. The other  
7 thing, in regards to the Brookhaven study, that Brookhaven  
8 study of August 1997, addressed in our filing, we said that  
9 that was done with relation to the pollution. There is --  
10 the decommissioning -- people are trying to make a rule  
11 regarding when certain operating license requirements are  
12 not applicable for decommissioning plants, because they  
13 operate in the exemption field, which they feel that they  
14 ought to get out of that because it's so labor intensive.  
15 So, I think that really that that labor determinant rule  
16 there and -- so that's what that is for. And actually, that  
17 study is not highly regarded by the staff. I mean, there's  
18 a lot of more recent information that I'm not even going to  
19 address it, because -- except in relation to the -- to the --  
20 - when we get to that contention.

21 In any rate, I'm not going to address it, not very  
22 much, because it really just doesn't come in here. I mean,  
23 it's a whole different thing. I mean, it's -- because it's  
24 different. And so -- I mean, there's an assumption of the  
25 loss of all water. Here, as we said, intervenors will be

1 required to -- the contention -- to the contention, to just  
2 show how that could happen, because they will have to show  
3 us a scenario affect.

4 In any event, the other thing that I would address  
5 is that Ms. --

6 CHAIRMAN BECHHOEFER: Well, for standing purposes

7 --

8 MS. HODGDON: No, I'm just addressing --

9 CHAIRMAN BECHHOEFER: -- don't they have to --  
10 don't we have to more or less accept what they say?

11 MS. HODGDON: No. No, we don't have to accept it.

12 CHAIRMAN BECHHOEFER: The old Georgia Tech case  
13 with the Commission --

14 MS. HODGDON: No, at least in --

15 CHAIRMAN BECHHOEFER: You don't know about that  
16 one?

17 MS. HODGDON: Yes, I do. I'm aware of the Georgia  
18 Tech case. The reason that the Board does not have to  
19 accept what the intervenor is saying is that to the extent  
20 that their show of injury is based on facts, which it  
21 determines, because facts are not obviously mistaken. For  
22 example, they say that they're doubling the density of  
23 storage. And when we look at their plan, we show you that  
24 that's not what they're doing. And, also, there's an  
25 allegation that they go to the high density racks. Well,

1 that the Connecticut citizens against Millstone will be  
2 given standing. The factual basis alleged for their injury  
3 in fact is the same as the factual basis alleged for the  
4 Long Island citizens. There's no precedent then being set  
5 if one were deny standing to the Long Island citizens and no  
6 precedent if you admit them. There's no consequence, one  
7 way or the other, of a decision on standing for the Long  
8 Island citizens against Millstone.

9 MS. HODGDON: If that question is being addressed  
10 to me, I would say that the question is based on not -- not  
11 on precedent and the precedent is not logical, which I am  
12 ready to argue. The -- if within a stone's throw, they're -  
13 - there seems to be a feeling that this injury in fact  
14 either doesn't have to be shown or that the showing is not -  
15 - that mere proximity might be enough and further than that,  
16 it's not the case. But, they're has to be a showing. So,  
17 that is why there will be a distinction between Mr. Besade's  
18 showing of standing and Ms. Williamson's showing of  
19 standing. That is based on the -- the question seems to be  
20 a question of logic and, as I said, that doesn't seem to be  
21 in real agreement with the standing. I'm not criticizing  
22 the standing, I'm just saying that they occur over a long  
23 period of time. They all go on the facts and it's very hard  
24 to draw the line, and the argument I was making is that a  
25 line isn't drawn within 10 miles. It's not easy; it's

1 MR. REPKA: With respect to Judge Bechhoefer's  
2 comment earlier, that the Commission case law requires the  
3 Board to be blind to the facts in the standing context, I  
4 don't think that that's true. And, in fact, I would just  
5 point out that the Commission, through its Office of the  
6 Solicitor, just in the last several weeks filed a brief in  
7 the D.C. Circuit on a standing matter and very firmly took  
8 the position that Boards and the Commission do not have to  
9 accept the facts. They need to make an inquiry into the  
10 facts, as alleged by a potential intervenor.

11 CHAIRMAN BECHHOEFER: Okay. I guess we'll move on  
12 to the contentions. We'll do those in order. Ms. Burton,  
13 do you want to leave off on your first contention?

14 MS. BURTON: Yes, sir.

15 CHAIRMAN BECHHOEFER: And I presume you've seen  
16 the comments of various -- of the other parties on that.

17 SPEAKER: Judge, I'm sorry, could you bring the  
18 mic a little closer, also, please?

19 CHAIRMAN BECHHOEFER: Okay. I was just saying  
20 that I presume that Ms. Burton has read the comments of the  
21 other parties on each of the contentions.

22 MS. BURTON: Yes, I have had an opportunity to  
23 review the responses from the other parties. Our first  
24 contention concerns channel blockage and more particularly,  
25 the failure of the applicant to consider credible scenarios



1 of three blocked flow channels. In essence, we have been  
2 presented in the application with an analysis -- or summary  
3 of an analysis -- we don't have the actual calculations that  
4 were employed -- that take certain -- make certain  
5 assumptions, which we do not believe are necessarily  
6 conservative assumptions and which do not give adequate  
7 consideration to credible scenarios that could cause  
8 blockage of an entire flow channel or a multiple flow  
9 channel to become completely blocked.

10 We have set forth credible scenarios in our  
11 petition, for instance, that includes plastic or cloth into  
12 the spent fuel pool water sink, to allow the coolant to be  
13 drawn into the storage racks by the circulating pool water.  
14 The material could then plug the entry to one or more flow  
15 channels. The analysis presented has not demonstrated that  
16 this scenario has been considered and, furthermore, be able  
17 to recognize that in the industry, there have been scenarios  
18 of blockage of flow channels at reactors, just as one  
19 example at Millstone 1.

20 Fairly recently, it was reported by Northeast  
21 Utilities that debris had been discovered at the floor of  
22 the expansion pool, which they saw debris -- parts at the  
23 Brown's Ferry reactor in 1980 was a rather noteworthy  
24 example that some 86 fuel tags found their way to the --  
25 became disconnected from the base of the base of the reactor

1 and was subject to -- because they were just the right size,  
2 subject to blocking the flow to the reactor. That's another  
3 example. And certainly, in the case of Fermi, back in the  
4 late 1960s, where there was -- pardon me, could I just go  
5 back to Brown's Ferry. I think I made an error. That is  
6 all fuel tags that were placed on fuel assemblies before  
7 1996 -- '66, involved metals, which came on its placement  
8 and actually didn't want to feed it through the reactor.

9 So, there are credible scenarios. And we assert  
10 that analysis, which has been undertaken by the applicant,  
11 is non-conservative and that it is, therefore, defective.

12 JUDGE COLE: Ms. Burton?

13 MS. BURTON: Excuse me.

14 JUDGE COLE: We might have misheard you, with  
15 respect to the Fermi accident -- or Fermi incident. I  
16 thought the first date you gave was 1960 and then you said  
17 1966. Which is it?

18 MS. BURTON: Yes, I'm sorry, I was corrected, it's  
19 1966.

20 JUDGE COLE: Okay.

21 CHAIRMAN BECHHOEFER: The licensee has mentioned a  
22 -- the assumptions set forth in the study by Holtech  
23 International, are you aware of that study, in terms of  
24 drawing assertions?

25 MS. BURTON: Yes, we are and we believe that that

1 study was inadequate, because it did not adequately bound  
2 the analysis. There were credible scenarios, which were not  
3 take into consideration. And, furthermore, the note at page  
4 10, of the applicant's reply, there is an admission that  
5 there are administrative controls to limit the potential for  
6 foreign material falling into the spent fuel pool. However,  
7 it's not asserted that the administrative controls, in fact,  
8 eliminate the possibility that foreign material will fall  
9 and block the channels. Therefore, the analysis is not  
10 conservative and it is -- it does not lead to legal  
11 standards.

12 MR. REPKA: May I respond, Judge Bechhoefer?

13 CHAIRMAN BECHHOEFER: Yeah. Okay, are you  
14 finished now with contention one. I'll let the other  
15 parties have a chance.

16 MS. BURTON: Yes, I have.

17 CHAIRMAN BECHHOEFER: Mr. Repka?

18 MR. REPKA: Okay. Several points: first, Ms.  
19 Burton presented here this morning some additional bases for  
20 the theory that debris could fall into the spent fuel pool.  
21 None of that information was presented in the pleading; so,  
22 in that sense, it's not timely.

23 But beyond that, that provides -- what Ms. Burton  
24 is providing is basis for the proposition that debris could  
25 fall into the spent fuel pool. And, yes, there are

1 administrative controls that limit the potential for that  
2 happening. But, even accepting that it could happen, what  
3 Ms. Burton has not presented is any basis for the  
4 proposition that the existing thermohydraulic analysis is  
5 non-conservative or not bounding of those kinds of  
6 scenarios.

7           What we pointed out in our response was that the -  
8 - and that the analysis makes some very conservative  
9 assumptions regarding -- for example, it assumes placing the  
10 hottest fuel in four contiguous -- in four contiguous  
11 locations, which would not normally occur, and that 100  
12 percent of the inlet flow would be blocked -- so all of  
13 those things that she's referring to, the tags and whatnot,  
14 if they fell to the bottom of the pool. Holtech's analysis,  
15 Northeast Nuclear's analysis already assumes 100 percent  
16 blockage of the flow inlets and, in addition, assumes 50  
17 percent blockage of the flow outlets at the top.

18           So, those are very, very conservative assumptions.  
19 And what the petitioners have not at all presented is any  
20 evidence to back up and support the proposition that that  
21 analysis is not conservative and is not bound. We simply  
22 hear the assertion that it isn't bound and that is isn't  
23 conservative; but why not, how not, there's absolutely  
24 nothing that's been presented on that point and nothing that  
25 could be presented.

1 JUDGE COLE: Mr. Repka, I don't know whether you  
2 would be prepared to answer this and it might not be fair to  
3 ask you, but in your response on page 10 and it was quoted,  
4 "The administrative controls to limit the potential for  
5 foreign material falling into the spent fuel pool that would  
6 reduce the likelihood of the allegedly credible scenarios,"  
7 could you give me some example of the types of  
8 administrative controls you're talking about that would  
9 reduce the potential for material falling into the pool?

10 MR. REPKA: One example are foreign material  
11 exclusion administrative controls, which require that any  
12 foreign materials that enter certain areas be tracked and  
13 controlled upon entry and upon exit, to assure that whatever  
14 goes into that area is inventoried, that it comes out of  
15 that area. So, that's one example. There's not -- it's not  
16 an administrative control that says thou shalt not drop this  
17 into the spent fuel pool; but it is a control that if you  
18 take something in, it will come out. That's one example.

19 JUDGE COLE: All right, sir, thank you.

20 CHAIRMAN BECHHOEFER: Are those controls now in  
21 existence or are you changing something?

22 MR. REPKA: There's nothing in the foreign  
23 material exclusion control program or any of the other  
24 administrative controls that are being altered, as a result  
25 of this amendment.

1 CHAIRMAN BECHHOEFER: So, you would follow  
2 whatever your current -- the currently applicable program  
3 would be followed?

4 MR. REPKA: That's exactly correct.

5 CHAIRMAN BECHHOEFER: Mr. Repka, are you finished?

6 MR. REPKA: Yes, I am.

7 CHAIRMAN BECHHOEFER: Ms. Hodgdon?

8 MS. HODGDON: The staff agrees with the licensee's  
9 counsel, that these additional basis are --

10 SPEAKER: I'm sorry, could you please speak up?

11 MS. HODGDON: I'm trying to speak up. In fact,  
12 I've just --

13 SPEAKER: Well, get closer -- come closer to the  
14 microphone there.

15 JUDGE COLE: We appreciate the needs of the  
16 audience, but it's our needs that really have to be met.  
17 And please don't interrupt the proceedings anymore than is  
18 necessary.

19 CHAIRMAN BECHHOEFER: But speak as loud as you  
20 can, I guess.

21 MS. HODGDON: It's -- I can be heard without --  
22 it's -- I'm trying to accommodate the reporter, as well.  
23 So, anyway --

24 CHAIRMAN BECHHOEFER: He's got a different  
25 microphone.

1 MS. HODGDON: Yes, I know that system here, which  
2 is very powerful apparently. The additional bases is -- we  
3 agree with the licensee that they're late filed and the  
4 regulation regarding this matter is that petitioners may  
5 supplement up to 15 days before the pre-hearing conference  
6 and after that, the contentions are considered to be late  
7 filed and must meet the standards for late filing.

8 Beyond that, they didn't offer us anything with  
9 regard to those, what the consequences were and so forth. I  
10 notice that those are all fairly old and, for example, a  
11 blockage of flow channels, they spoke to something being on  
12 the floor in Millstone 1. As you know, that is a  
13 decommissioned -- decommissioning plant. It's, also, a BWR  
14 and GW -- a GNR 1. It naturally gets racks -- not like  
15 these racks, because BWRs don't use the same racks as PWRs.

16 And I've seen those racks and it's hard to see --  
17 well, in any event, these are new model racks that are  
18 being put in here. And nobody has tried to show that  
19 anything that might be relevant here, with regard to  
20 blockage at Millstone 1, being racks of different design, is  
21 even applicable here, where these racks have -- as in the  
22 application -- I can't point to it right now -- I think the  
23 licensee addresses that these racks have three-quarter inch  
24 blow holes that allow for flow. Even if there's partial  
25 blockage of the bottom hole, the worst possible channel for

1 flow, and even if there's partial blockage, the flow up to  
2 the top -- I'm not sure about the Millstone 1 racks, but  
3 I'm, also, sure that neither is the -- it's true, they  
4 haven't offered anything to that.

5 As regards to Brown's Ferry, they say that that  
6 report relates to something that happened in 1980. I would  
7 say which of the three units relates to it. And so, we  
8 don't know. I think those are -- I'm not going to speculate  
9 about that.

10 I just looked at Fermi and a report from 1966.  
11 Fermi is listed here as an SCF, which is sodium cool --  
12 anyway, it's not a plant that's not a specific design and,  
13 therefore, we would -- it's racks were of the same design as  
14 these racks that are being put in at Millstone. And in  
15 addition to that, we would say that nothing is being  
16 changed, with regard to the propensity for such an accident.  
17 I'm sure that you have looked at this part of the  
18 application. It's Attachment IV, page six, which is --  
19 which shows you what they do in here. I mean, it's just  
20 kind of a shortcut for showing what they do in here. It  
21 shows the casket. It shows the old racks, which are grey;  
22 the new ones, which are shown as black and white. And so  
23 that's the dimension of what's being proposed here. That's  
24 Figure 1, not drawn to scale.

25 But, in any event, it -- and then, also, pictures



1 what's the rack design. And so, it's clear that what's  
2 being done here is just adding racks. And so -- and the  
3 procedures, as I just said, would not change. So, it would  
4 be hard to say that anything that isn't -- anything  
5 concerning this contention is related to this proposed  
6 amendment. Thank you.

7 CHAIRMAN BECHHOEFER: With the new racks, might  
8 there be a plausible basis for saying that there's an  
9 increase likelihood of degree or whatever would be blocked?  
10 Could there be anything from the installation of the new  
11 racks, plus use of the new racks, that could result in  
12 greater debris, or whatever you want to call it, that might  
13 be -- that might -- the system might affect?

14 MS. HODGDON: I don't see how it can happen and my  
15 experts don't see how it can happen. And, actually, nothing  
16 has been changed here, because they off-load fuel. The  
17 outages are -- the same ones for outages, same propensity.  
18 I've never seen a rack, and I've seen lots the racks, but  
19 I've never seen one wrapped in paper or socks or anything.  
20 And so, I'm just -- I'm at a lost to explain what they're  
21 talking about here.

22 CHAIRMAN BECHHOEFER: Yeah, and --

23 MS. HODGDON: And they are talking about fuel  
24 tags, fuel tags exist. And so, I'm aware of fuel tanks, but  
25 they weren't talking about fuel tanks before; they were

1 talking about rags and paper. And I've done since 1980 --

2 CHAIRMAN BECHHOEFER: How about beer cans, they're  
3 not allowed either?

4 MS. HODGDON: Beer cans is not an allegation here.  
5 It's rags and paper.

6 CHAIRMAN BECHHOEFER: I know. Another question:  
7 would the staff -- or does the staff agree that the same  
8 administrative controls that are currently now in effect  
9 will continue and will be adequate? Haven't you agreed to  
10 that?

11 MS. HODGDON: Well, the staff agrees generally --  
12 I mean, they're saying that these controls are applicable  
13 here. The staff has not --

14 CHAIRMAN BECHHOEFER: Has not existed --

15 MS. HODGDON: -- issued this -- has not issued  
16 this amendment yet and, therefore, they have not yet made -  
17 - that this amendment is okay. But since there's no change  
18 in regard to that, the -- well, that's not something that  
19 the staff would ordinarily review. But, there's no proposal  
20 regarding changing anything regarding foreign material.

21 CHAIRMAN BECHHOEFER: Right; thank you.

22 JUDGE KELBER: You were right in referring to the  
23 Fermi case as being extremely old. Let's speak a little bit  
24 of crystal knowledge, so as to reassure some people, whose  
25 history doesn't go back as far as mine. It wasn't really a

1 foreign object that fell in the case of the Fermi 1 Reactor,  
2 with sodium cool fast reactor. It was a -- believe it or  
3 not, an anticriticality plate of zircloid, placed in the  
4 bottom, quasi-chronicle arrangement, so that in case there  
5 was a meltdown of the plant, the fuel would spread out into  
6 a non-critical configuration.

7 One of the plates came loose. It was really a  
8 formed object. It was designed to be there; it just wasn't  
9 designed to flow up into the inlet -- the -- of the fuel  
10 assembly. Since that time, fuel assemblies, both for sodium  
11 cooled plants, which are no longer being built, and for  
12 water cooled plants, have had alternate paths for the  
13 coolant to flow into the assembly. That was the lesson  
14 learned from that particular accident. And I think it's --  
15 I think every plant design that I know of has such  
16 alternative plants.

17 MS. HODGDON: If I may, may I make a comment on  
18 that? The staff has just told me that Dr. Kelber has just  
19 confirmed that this relates to a reactor and not to the  
20 coolant, as to all three of these -- what they are referring  
21 to. I don't know if they had -- does anybody have --  
22 whatever they are.

23 And, also, if I may ask a question -- I'm just  
24 curious, is this -- is this -- nobody has lost -- or is this  
25 --

1 CHAIRMAN BECHHOEFER: I'm not sure what all the  
2 scenarios are, but I think -- I think that was part of it,  
3 yeah. It didn't come close, of course, but it was --

4 MS. HODGDON: I thought there was a --

5 CHAIRMAN BECHHOEFER: Yes; yes.

6 MS. HODGDON: I have it; I'm not sure about that.

7 JUDGE KELBER: I think that was the basis of it.

8 MS. HODGDON: So, in any event, I was on the wrong  
9 track there, when I said, well, Chris -- I mean, I was just  
10 assuming that these were about racks in the spent fuel pool.  
11 It's not true. They're about reactor incidents -- nothing  
12 else to add.

13 JUDGE KELBER: I just wanted to relate that, so  
14 that the people would know whose history -- that was my --  
15 would know that people do learn lessons from accidents.

16 MS. HODGDON: That was very helpful.

17 MR. REPKA: Just a quick clarifying point, I think  
18 there was a reference to a Millstone One circumstance and  
19 that was in the spent fuel pool of Millstone one, but it's -  
20 - that doesn't lead to the conclusion that these racks are  
21 not -- in the heat -- the analysis of thermo effects is not  
22 bounded.

23 MS. BURTON: May I respond?

24 CHAIRMAN BECHHOEFER: Yes. I was just going to  
25 ask you to.

1 MS. BURTON: To clarify on Brown's Ferry, that,  
2 also, was a spent fuel pool case and it developed in Unit 2.  
3 I understand all three units are identical, in terms of  
4 their design. And I wanted to, also, point out that since  
5 we have just seen a summary for this information, we really  
6 do not have a basis, at this time, to know and understand  
7 and be sure that the 50 percent assumption, taken by the  
8 applicant, is correct and is appropriately conservative.  
9 What we do need, is the same calculation,, so that we can  
10 confirm or view that information, because it appears to us  
11 to be simply arbitrary. And that is not appropriate to the  
12 standard core analysis.

13 I, also, wanted to point out further, with  
14 reference to Attachment IV at page six, that is the diagram  
15 showing the spent fuel pool, and the question was put to the  
16 NRC staff whether or not -- I think it was by Chairman  
17 Bechhoefer, there would be any difference in the potential  
18 for blockage of the channels with this application, if it  
19 were granted, and we dispute the response given by the  
20 staff, for this reason: the re-racking, which is proposed,  
21 will have the affect of providing for a scenario that will  
22 provide for increased rate of flow through the coolant,  
23 simply because the open space will be occupied, and that  
24 will have the likelihood of sucking down any debris that  
25 might be into the pool down toward the bottom of the pool.

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1025 Connecticut Avenue, NW, Suite 1014  
Washington, D.C. 20036  
(202) 842-0034

1 That would be a different scenario than the current one.

2 MR. REPKA: I would like to respond to the first  
3 part of that comment by Ms. Burton. One thing -- and that  
4 was the reference to the fact that petitioners have not seen  
5 the analysis. They certainly have seen the assumptions.  
6 The assumptions have been in the licensing report, which  
7 were part of the application. And what Ms. Burton suggested  
8 that they need to do is to see the calcs and decide whether  
9 or not those assumptions are bounding.

10 Well, my response to that is one thing could not  
11 be more crystal, and the reason Commission guidance on the  
12 admission of contentions, and that's that there has to be an  
13 evidentiary basis for a challenge. There has to be a basis  
14 to go forward and to proceed with discovery. One can't  
15 admit a contention to say we're going to now look at the  
16 calcs and say that -- figure out whether or not it was  
17 appropriate.

18 The assumptions, and I wouldn't call them  
19 arbitrary, but I certainly would call them conservative  
20 assumption and they have been a known commodity. And if the  
21 petitioners had a basis to challenge those assumptions, they  
22 needed to come forward with that basis, as part of their  
23 contention, and they simply haven't done that. And I think  
24 the Commission precedent and the recent guidance to the  
25 licensing boards is very, very clear on that point.

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1025 Connecticut Avenue, NW, Suite 1014  
Washington, D.C. 20036  
(202) 842-0034

1 MS. BURTON: My I respond?

2 CHAIRMAN BECHHOEFER: Yes.

3 MS. BURTON: What we are suggesting in our first  
4 contention is that the applicant has failed to consider  
5 credible scenarios and it hasn't, so far today, established  
6 that that is not correct. We have no question in our  
7 contention, but that we are raising a valid issue. We don't  
8 have the factual background, in terms of the actual  
9 calculations. That is a matter that will be appropriate for  
10 discovery, as this proceeding progresses. But, the  
11 information that has been submitted does suggest a simple  
12 adoption of an arbitrary standard and the applicant has not  
13 demonstrated how that is a standard of being conservative.

14 CHAIRMAN BECHHOEFER: Ms. Burton, why don't we go  
15 on to the second one? And my question here is: have you  
16 considered both of the responses to this contention, that  
17 potentially say that there won't be any movement of the  
18 racks over the fuel, because it's precluded by the tech  
19 spec? I guess it's either technical specification or some  
20 other sort of rule?

21 JUDGE KELBER: Technical specification 3.9.7.

22 CHAIRMAN BECHHOEFER: Yeah.

23 MS. BURTON: Yes.

24 CHAIRMAN BECHHOEFER: If that's so, is this a  
25 viable contention for the particular proceeding now?

1 MS. BURTON: Yes. Clearly, contention number two  
2 --

3 CHAIRMAN BECHHOEFER: Yes.

4 MS. BURTON: -- is the failure of the application  
5 to consider dropping an empty rack onto the irradiated fuel.  
6 The applicant neglected and failed to perform that analysis.  
7 It has --

8 CHAIRMAN BECHHOEFER: Well, given their technical  
9 specification, do they have to? It's barred, is it not?

10 MS. BURTON: Well, therefore, we would suggest  
11 that the amendment permitting rack 15 should be disallowed,  
12 if it cannot be placed in further compliance with the  
13 technical specifications.

14 CHAIRMAN BECHHOEFER: Yeah, but it's my  
15 understanding now, and the other parties will have to  
16 correct me if I'm wrong, would there not have to be another  
17 license amendment applied for, before you ask for --

18 MR. REPKA: It all depends --

19 CHAIRMAN BECHHOEFER: -- moved and installed?

20 MR. REPKA: Judge Bechhoefer, it all depends upon  
21 timing. If the racks were installed immediately -- the 15th  
22 rack were installed immediately, there would be a load path  
23 to install that rack without moving it over spent fuel. If  
24 it were installed many years down the road, in which no load  
25 path could be established such that it could be installed



1 without moving over irradiated fuel, then another technical  
2 specification would be required. But, it's all a matter of  
3 timing. It's all a matter of establishing a safe load path.  
4 And there is no reason to preclude, in this amendment  
5 application, installing the 15th rack. The tech spec is  
6 very clear, that restriction applies. And the discretion on  
7 when and if to install the 15th rack is one that would, in  
8 fact, like any of the racks, reside with Northeast Nuclear.

9 JUDGE KELBER: Excuse me, in your discussion, I  
10 think you misspoke. You said if the 15th rack were to be  
11 installed after some while, another technical specification  
12 -- you mean a license amendment would be required.

13 MR. REPKA: A technical specification change,  
14 which would be a license amendment, and the point there  
15 being if it were installed at a point when the contiguous  
16 racks had been filled with spent fuel.

17 JUDGE KELBER: Okay.

18 MS. BURTON: However, apart from the issue of rack  
19 15, the contention is still valid, because the applicant  
20 only analyzed an inter rack falling in an empty spot within  
21 the pool. They did not consider the scenario of an empty  
22 rack falling elsewhere in the pool; for instance, in such a  
23 position that it could jostle or affect the positioning, in  
24 some way, of some -- of another rack within the pool. And  
25 without having considered that scenario, the application has

1 not submitted an appropriately conservative analysis.

2 MR. REPKA: I believe that's a new contention.  
3 Contention two is consider dropping an empty rack onto  
4 irradiated fuel. But, in any event, there is no basis  
5 offered for that proposition, that dropping an empty rack  
6 into an empty pool or onto an empty rack would cause  
7 problems elsewhere in the pool.

8 MS. BURTON: Well if I may, I think reference to  
9 the exhibit, Attachment IV, page six, does establish that  
10 this is going to be a crowded facility and that should there  
11 be an over rack, there is reasonable likelihood that there  
12 would be jostling at a certain point in the evolution of  
13 this pool, such that it may affect an irradiated rack and,  
14 therefore, have consequences, which have not been analyzed  
15 in this application.

16 JUDGE KELBER: I suspect that this is a new  
17 contention and it has to meet the -- but let me ask you:  
18 I'm considering the contention as originally written, what  
19 relief could we give you? Supposing it were admitted, what  
20 relief would there be?

21 MS. BURTON: There would be several ways where  
22 that could be addressed. One, of course, is denial of the  
23 application; another would be a modification, whereby there  
24 could be a condition attached that would require the  
25 contemporaneous installation of 14 racks and the elimination

1 of the 15th rack. That would seem to potentially address  
2 the issue.

3 JUDGE KELBER: You give no weight, then, to  
4 technical specification 3.9.7?

5 MS. BURTON: We've been misunderstood, if that is  
6 the impression that we've left, because we give very great  
7 consideration to the -- to rack 15 and the potential  
8 violation of that technical specification. The tech spec  
9 could be -- the problem could be avoided, if there were to  
10 be -- if the rack were to be placed in a different location  
11 in the pool, namely in the corner --

12 JUDGE KELBER: Okay.

13 MS. BURTON: -- not right in the center, where  
14 there's no other way to install it, other than by going over  
15 presumably irradiated fuel.

16 JUDGE KELBER: Violating their own tech spec in  
17 the process?

18 MS. BURTON: Right.

19 CHAIRMAN BECHHOEFER: Can we assume a violation of  
20 the tech spec? I don't know that we can. Because if they  
21 violated a tech spec, they would be for one thing subject to  
22 other penalties, perhaps.

23 MS. BURTON: That is correct. I would draw your  
24 attention, a study by the NRC, that was done in April 1997,  
25 that determined that there -- the frequency of violations of

1 this particular technical specification, in fact, were,  
2 relatively frequent. So, this would not be the first. It  
3 would not make it an incredible less scenario and this Board  
4 should be aware that that's done.

5 JUDGE KELBER: It seems to me this is a legal  
6 question, can we, in admitting that contention, admit it on  
7 the basis that the applicant -- the licensee will violate a  
8 contention -- a technical specification?

9 MR. REPKA: And I believe we cited from legal  
10 precedent for the proposition that it cannot.

11 JUDGE KELBER: It seems to be convicting you  
12 before the fact, wouldn't it?

13 MR. REPKA: I agree with that.

14 JUDGE KELBER: Not a bad thing to do.

15 [Laughter.]

16 MS. BURTON: If I'm not mistaken, that appears as  
17 NUREG 1402.

18 MS. HODGDON: It's 1275.

19 MR. REPKA: And that certainly is a new basis,  
20 which we have not heard of before.

21 CHAIRMAN BECHHOEFER: I guess Ms. Hodgdon, we  
22 haven't heard from you.

23 MS. HODGDON: Well, yes, you didn't hear from me.  
24 The last time --

25 CHAIRMAN BECHHOEFER: Pardon?

1 MS. HODGDON: You didn't hear from me last time  
2 either, so --

3 CHAIRMAN BECHHOEFER: We try to be --

4 MS. HODGDON: I missed my turn. Yes, I reserve  
5 the right to return to contention one, to the extent that I  
6 -- we have time to do that. In the meantime, I'll talk  
7 about contention two. I believe the NUREG that was cited  
8 here is 1275. It's a ASLB study that may be the last word  
9 on what's called the Susquehanna problem, if you know that,  
10 which was a matter that was introduced by Mr. Lochbaum and  
11 Mr. Cravat. It's a part 21 that they filed. Does anybody  
12 know about that? Well, in any event, the ASLB issued the  
13 document that's quoted. I don't have it with me. I'm not  
14 sure that that's exactly what it says. It says that it has  
15 happened, that the tech specs have, but they don't say  
16 frequently. I think, actually, they ran through notices of  
17 violations and LERs, related to a lot of matters, and that's  
18 what -- that's what they completed.

19 But, in any event, I -- for one thing, I don't  
20 think you allowed an assumption that the licensee is going  
21 to violate the tech spec. For another thing, they haven't  
22 really encountered when they put this rack in and,  
23 certainly, they haven't said that there's going to be fuel  
24 in those contiguous racks when they do put them in. And so,  
25 they could put them in at any time after they put the other

1 14 in. And if they do that, then it's -- all they have to  
2 do is now put in other racks; and if they can do that, they  
3 need a tech spec change. And it's as simple as that, and  
4 that would be a license amendment, at which time these  
5 petitioners will be able to potentially intervene, because  
6 then it will be timely. It's not now.

7 CHAIRMAN BECHHOEFER: Well, let me ask you one  
8 thing. I know there is some precedent saying that you could  
9 assume a tech spec violation, based on a particularized  
10 showing, that there is some likelihood that the spec would  
11 be violated. That's the way I understand that and that's  
12 Sharon Harris, actually, the recent one.

13 MS. HODGDON: I'm sorry, I don't understand the  
14 analogy. The recent Sharon Harris --

15 CHAIRMAN BECHHOEFER: Well, actually, the licensee  
16 cites that case. The Sharon Harris, the rule that you can't  
17 challenge a tech spec, unless you have a particularized  
18 showing, I think it's going to be valid. My question to you  
19 is: do you think what we've heard thus far amounts to a  
20 particularized showing, with respect to this proceeding?

21 MS. HODGDON: No.

22 CHAIRMAN BECHHOEFER: What kind of a showing would  
23 you think a particularized showing might be? I'm just  
24 trying to see what that Board meant.

25 MS. HODGDON: Well, I don't agree with that and

1 somebody can tell me what the Board meant.

2 CHAIRMAN BECHHOEFER: Okay.

3 JUDGE COLE: Ms. Hodgdon?

4 MS. HODGDON: Yes.

5 JUDGE COLE: You mentioned NUREG and then said  
6 1275. Is that the date of the NUREG?

7 MS. HODGDON: No, that's the number of the NUREG.

8 JUDGE COLE: Okay, you said NUREG 1452, 1275.

9 Which is it?

10 MS. HODGDON: No, that's what she said. I believe  
11 it's 1275. I have a copy of that, but it's a review copy  
12 and it was not a NUREG at the time. And so, I saw it in  
13 somebody else's office and my recollection is that it is  
14 1275.

15 JUDGE COLE: Do we know what the date of that  
16 NUREG is?

17 MS. HODGDON: Yes, it's whatever she said it was.  
18 It's 1997, April -- is it April? August? I can't remember.  
19 It's a 1997 amendment.

20 JUDGE COLE: Thank you.

21 MS. HODGDON: It's what's being cited as this  
22 requirement, deliberate violation of a tech spec, which -- a  
23 violation, particularly in view of the fact that -- well,  
24 just without the identity being addressed here, it was the  
25 tech spec, itself, not the further requirement that they not

1 move racks over the pool. So, in any event, there's a long  
2 time between now and the time that it's continued, and I'm  
3 sure that somebody that's qualified, one, they'll have to  
4 apply for this. And so, it's just a question of timing,  
5 what they will need in a tech spec change. So, sometimes in  
6 these -- in a request to change, judges no doubt know you've  
7 got sort of a choreography and they tell you how they're  
8 going to do it, but we don't have one here. But,  
9 nevertheless, as the tech spec for these have to be in;  
10 therefore, we're entitled to believe that there will be no -  
11 - that they would respond to the tech spec.

12 MR. REPKA: Judge Bechhoefer, I would add that  
13 additional observation, following up on Ms. Hodgdon, that in  
14 answer to your question as to what a particularized showing  
15 might be, I have no idea what it might be; but, I can say  
16 with extreme confidence that there was nothing in the  
17 petition that would constitute a particularized showing.

18 MS. BURTON: May I comment?

19 CHAIRMAN BECHHOEFER: Yes.

20 MS. BURTON: Several points: one is, of course,  
21 we're raising a significant safety issue here, in terms of  
22 potential damage to fuel assemblies and potential  
23 criticality problems. And we would suggest that if this  
24 application does call for rack number 15, at some point,  
25 that now is the time to address this issue, not to approve



1 the configuration and think that at some future time, the  
2 issues will be properly addressed.

3 The second point I wanted to make is that --

4 CHAIRMAN BECHHOEFER: Well, you know, if they have  
5 to apply for an amendment -- a tech spec amendment, then, at  
6 that time, it would be addressed and, if it were improper,  
7 it wouldn't be allowed.

8 MS. BURTON: That may well be the case. But, let  
9 me point out that there is some significant history at the  
10 Millstone station for violation of tech specs. And one in  
11 particular that I'll briefly mention, where everybody must  
12 be aware of, is the practice of some 20 years at Millstone  
13 1, to routinely violate these simple to understand, you  
14 know, for somebody like me, that requires the operators to  
15 wait a certain finite period of time before they conduct off  
16 loading. That tech spec was routinely violated. We may  
17 have a semantical debate here as to what is routine and what  
18 is deliberate. There may be some connection between those  
19 two. And that particular tech spec went on until the  
20 Northeast Utilities suffered one of the highest civil  
21 penalties ever of \$2.1 million imposed, when it came to  
22 light that there had been this routine violation of the tech  
23 spec. So, that is one of a number of examples that we would  
24 cite to today, to show you how it is not at all farfetched  
25 to suggest that we have presented a case, where it is

1 appropriate to consider this issue, as we have presented it  
2 in the petition.

3 MR. REPKA: I would like to respond to that.  
4 First, that's an extreme oversimplification of the facts of  
5 the Unit 1 spent fuel pool situation. But, number two, and  
6 most importantly, there was no technical specification  
7 related to full core off loads, there was no technical  
8 specification related to wait times before moving the fuel,  
9 and there was no technical specification violation there.  
10 There were other violations, but there was no technical  
11 specification.

12 MS. BURTON: I'd like to respond to that. Our  
13 understanding is that, in fact, it was subject to an  
14 operation condition, which was part of the technical  
15 specifications.

16 MR. REPKA: It's simply untrue.

17 JUDGE KELBER: Well, whether it's true or not --

18 MS. BURTON: It is true.

19 JUDGE KELBER: -- I think the fact is the  
20 Commission -- the Commission, itself, agonized for a long  
21 time over the conditions at the Millstone plant. They have  
22 a very considerable staff investigation and it took a lot of  
23 work to convince the Commission that Millstone should resume  
24 operation. They did so after a painstaking inquiry. And I  
25 don't think that we can visit the sins of the past upon the

1 present. The Commission is convinced that Millstone is now  
2 in shape to operate and for this Board to say the Commission  
3 was wrong is taking a little too much on us. We believe in  
4 the power of retention.

5 MS. BURTON: May I respond, briefly? We believe  
6 in the Easter Bunny, too, and we understand that although  
7 there has recently been a record setting cleanup penalty  
8 imposed on Northeast Utilities for willful falsifying of  
9 records to the NRC, we understand that that criminal  
10 investigation is continuing and that there are individuals  
11 known to prosecutors, who are responsible for the commission  
12 of felonies under the Atomic Energy Act. So, although it  
13 may be that the NRC did devote significant time to Millstone  
14 issues, we believe that we are here today because things  
15 haven't significantly changed at Millstone and the  
16 application before us proposes to do something, which is  
17 unsafe, to save money. So, I simply wanted that comment to  
18 be in the record. Thank you.

19 MR. REPKA: Well, there certainly is no nexus  
20 established between those past issues and the future conduct  
21 -- the much more narrow issues we have before us here today  
22 and I think that the discussion is getting way beyond the  
23 scope of the proposal.

24 CHAIRMAN BECHHOEFER: Well, we were going to say  
25 that at least on this contention, we've heard enough at the

1 moment. I think before we go to the next one, we should  
2 take a short break of 15 minutes and then come back.

3 [Recess.]

4 CHAIRMAN BECHHOEFER: Back on the record. I guess  
5 we'll turn to contention three, the cask contention. Ms.  
6 Burton?

7 MS. BURTON: Yes. Contention number three is that  
8 the application failed to evaluate a cask drop; that the  
9 applicant has not properly evaluated the potential to count  
10 the loads under accident conditions, because it did not  
11 consider the drop of a shipping cask into the cask pit or  
12 fuel pool. We maintain that a cask drop could potentially  
13 cause a criticality accident, release radioactive material  
14 from irradiated fuel into the pool water, the pool building  
15 atmosphere, and the environment outside the building, or  
16 cause loss of water in the pool.

17 We, also, maintain that the argument offered by  
18 the applicant for not considering a cask drop is frivolous.  
19 That argument is that the applicant sole justification for  
20 its admission to undertake this evaluation is that Millstone  
21 Unit 3 is not currently licensed to transport a cask into  
22 its spent fuel building.

23 The applicant wishes to present this application  
24 and if the application is granted without this evaluation  
25 being done, what it essentially amounts to will be a de

1     facto approval of a permanent high-level waste disposal at  
2     Unit 3 spent fuel pool, and let me explain how that will be.  
3     The application proposes to fill the spent fuel pool  
4     according to a configuration, which appears in the  
5     application; but, it does not present any information or  
6     evaluation as to how any of the highly irradiated spent fuel  
7     assemblies are eventually to be removed.

8             Now, we know that in time, they must be removed,  
9     because they must be put into a repository where they will  
10    be safe and secure for at least 10,000 years, and that is  
11    under federal law. Therefore, this application must include  
12    an evaluation of the potential for a cask drop and all of  
13    the issues that we just raised.

14            We point out that many analyses have shown a  
15    potential at U.S. nuclear power plants for significant  
16    consequences from a cask drop within a spent fuel building.  
17    Potential consequences include criticality, release of  
18    radioactive material, and loss of water from the pool.  
19    Administrative and other measures have been introduced at  
20    U.S. nuclear power plants to reduce the probability of a  
21    cask drop or to limit the areas where a drop could occur.  
22    Measures of those kind may not have been developed for  
23    Millstone Unit 3. In that event, it should be assumed that  
24    a cask drop could occur at any point within the spent fuel  
25    building and under the crane rails.

1           The consequences of such a drop should have been  
2 evaluated.  Alternatively, the applicant seeks to take  
3 credit for administrative or other measures and, thereby,  
4 limit the evaluation of a cask drop and the opportunity to  
5 specify those measures and obtain NRC approval.  And that,  
6 in essence, is our contention.

7           CHAIRMAN BECHHOEFER:  Well, what about the so  
8 called ban on moving loads like casks that present --

9           MS. BURTON:  Pardon me?

10          CHAIRMAN BECHHOEFER:  Is there not a current tech  
11 spec, which bans such movement?  Wouldn't that say that  
12 they'd have to get a tech spec change, in order to lead to  
13 the transport that might cause the problem?  And if so,  
14 there would be a chance later on to do that -- to contest  
15 that, I'm sorry.

16          MS. BURTON:  Our position is that in this  
17 evaluation, all possible scenarios should be considered,  
18 including the potential for a cask drop, which could --  
19 which has the potential to impact the irradiated fuel in the  
20 pool.  I believe that there is a presently in other plants  
21 for walls to be constructed, in order to avoid these kind of  
22 potential impacts from leading to a situation where  
23 irradiated fuel assemblies are -- and subject to damage and  
24 potential criticality accidents.

25          CHAIRMAN BECHHOEFER:  Before we even get there

1     though, if they are barred from -- by their tech spec from  
2     transporting the cask over the fuel, why does not that  
3     perforce -- say that it's not relevant to this proceeding,  
4     because it couldn't happen?

5             MS. BURTON: Well, we're saying that this  
6     proceeding --

7             CHAIRMAN BECHHOEFER: And this is not considered  
8     in the consequences, which you might have to consider, if  
9     you considered -- if there was a situation to authorize the  
10    transport. So, if we can't even consider it -- if it's not  
11    pertinent to the particular application, my question is the  
12    alleged consequences don't make any difference, because they  
13    wouldn't occur without further license amendment.

14            MS. BURTON: Well, I think we need to recognize  
15    that this facility, this pool building, in practical fact, a  
16    high-level waste dump, and that would violate federal law.  
17    And it has not been down graded and there has not been an  
18    environmental impact statement assessing this site as a  
19    permanent high-level waste depository. That needs to be  
20    considered, as part of this application. It cannot be  
21    divorced. That is divorcing reality from the truth of the  
22    facts of the matter. So, that is why we believe that the  
23    applicant is compelled to consider and analyze all  
24    scenarios, including this cask scenario we have interposed  
25    in contention three.

1 JUDGE KELBER: Let me see if I can summarize your  
2 case succinctly. You're saying the fuel either must be  
3 removed or this is a high-level waste repository?

4 MS. BURTON: At some point.

5 JUDGE KELBER: Yes, I understand that. If the  
6 fuel is to be moved, it must be moved in a cask -- a heavy  
7 cask. It has -- we must consider the cask drop. That, I  
8 think, is what you're saying in a nutshell.

9 MS. BURTON: Well --

10 JUDGE KELBER: Now, what I'm going to ask you is  
11 this: is it unreasonable to expect someone to take two  
12 bites at a problem? The problem is, of course, what to do  
13 with the spent fuel. And is it unreasonable to say to that  
14 -- to say we'll take two bites at it and the first bite will  
15 decide where we're going to start and the second bite we're  
16 going to decide how we're going to move it from the start  
17 and ship it to the National Waste Repository? In other  
18 words, why do we have to deal with the second bite along  
19 with the first bite?

20 MS. BURTON: There's a very easy answer to that  
21 and that is that if we never get to the second bite, we will  
22 all have to live with the first bite, on time and very  
23 unsafe conditions. And I'll point out that the first bite  
24 does include, in Attachment IV of page six, that is the  
25 chart that shows the configuration of the pool and there is



1 -- shown in that configuration, in the right -- far right  
2 upper corner, the cask pit, and that is because. apparently,  
3 the applicant believes that that is part of the information,  
4 which is pertinent to this proceeding. There is cask pit.  
5 That is the location where a cask, at some point, will have  
6 to be put, in order to remove this highly irradiated  
7 material from this pool.

8 It is our contention that the -- all the credible  
9 potential scenarios need to be fully analyzed and evaluated  
10 at this stage. The application can't amount to a de facto  
11 pool of a low amount, high radioactive repository, which  
12 violates federal law, and that is the waste disposal  
13 regulations.

14 CHAIRMAN BECHHOEFER: Uh --

15 JUDGE KELBER: Before you ask that --

16 CHAIRMAN BECHHOEFER: Okay.

17 JUDGE KELBER: In other words, what you're saying  
18 is that depicting the cask opens the door to the  
19 consideration of a cask, itself; is that correct?

20 MS. BURTON: Uh-huh.

21 JUDGE KELBER: Is that your point, that mentioning  
22 -- that is depicting the cask, it opens the door to  
23 discussion now of movement of a cask?

24 MS. BURTON: I think it could be better stated  
25 that --

1 JUDGE KELBER: Please do.

2 MS. BURTON: -- that this instance -- an  
3 application to increase the storage capacity of the fuel  
4 without a way to get out, and the way to get out is  
5 something that has to be considered before you allow it to  
6 go in, at least that's what we believe.

7 CHAIRMAN BECHHOEFER: All right. Well, perhaps I  
8 should ask the other parties, but I believe there's a time  
9 limit as to the amount of time that the pool can even  
10 operate currently. That would have to be, I guess,  
11 extended, if you wanted to keep fuel there forever. My  
12 guess is it doesn't go beyond the term of the license, which  
13 is not more than 20 or 30 years from now, whatever that is.  
14 I may be wrong, though, so maybe the other parties could --  
15 know something more about that. Ms. Hodgdon?

16 MS. HODGDON: I do, but it's not my turn.

17 [Laughter.]

18 CHAIRMAN BECHHOEFER: I know that.

19 MS. HODGDON: I would be happy to.

20 CHAIRMAN BECHHOEFER: Well, when we get to you --

21

22 MS. HODGDON: I can speak to that first or I would  
23 be happy to speak to it --

24 MR. REPKA: I would be happy to, as well,

25 CHAIRMAN BECHHOEFER: When we get to you. Let's

1 go to Mr. Repka first.

2 MR. REPKA: Well, let me start by just making a  
3 couple of points. Ms. Burton characterized our position on  
4 this issue as frivolous and I would say our position is  
5 simple, but it's not frivolous. Our position is that the  
6 kinds of issues being raised are outside the scope of this  
7 proceeding.

8 The argument that because we are putting fuel in  
9 the pool, we one day have to -- we will have to remove it,  
10 therefore, in this proceeding, we have to address all  
11 aspects of removing it, that argument is simply illogical  
12 and that argument is frivolous. I mean, by extension, that  
13 would mean, in this proceeding, we would have to address the  
14 cask design. We would have to address transportation of the  
15 cask to Yucca Mountain. In fact, we'd probably have to  
16 address the licensing of Yucca Mountain right here.

17 CHAIRMAN BECHHOEFER: And maybe that's not so bad.

18

19 MR. REPKA: I assure that would be very --

20 [Applause.]

21 MR. REPKA: But the argument simply doesn't stand  
22 up to logic. Beyond that, with respect to -- with respect  
23 to movements of the cask around the spent fuel pool, there  
24 is a tech spec that would eliminate movement anywhere near  
25 the irradiated assemblies in the spent fuel pool.

1           With respect to the design of a cask pit area,  
2           itself, that was an issue actually that was addressed during  
3           initial licensing of Millstone. So, it's not -- that's not  
4           necessarily an issue we're saying we'll put that off until  
5           the future. The design of the cask pit area and the use of  
6           heavy loads were, in fact, addressed during the design  
7           licensing of Unit 3. Now, what would need to be addressed  
8           in the future is -- with respect to movements around the  
9           cask pit area of the cask, would be specific procedures for  
10          doing that, based upon specific cask designs or whatever  
11          that's determined to be utilized. And, clearly, those  
12          issues are not within the scope of this proceeding right  
13          here.

14                 So, the argument is very simple. The kinds of  
15          issues we're talking about are outside the scope and some  
16          have, in fact, already been addressed and some will be  
17          addressed in the future, when it is appropriate to do that.

18                 CHAIRMAN BECHHOEFER: Ms. Hodgdon?

19                 MS. HODGDON: Yes, I will point out, first of all,  
20          that this appears to be a new contention. In response to  
21          the contention that's filed, the staff gave a very simple  
22          and I think appropriate answer, which was that the licensee  
23          had not applied to move the cask. The application before  
24          this Board does not involve moving a cask, therefore, we  
25          think they don't have to consider dropping it; and that it

1 seems to be not an idea of the plant, except so many others  
2 are being brought up and the Board has asked so many  
3 questions, I admit that I don't know about, and so I'm going  
4 to have to refresh my recollection.

5 CHAIRMAN BECHHOEFER: Well --

6 MS. HODGDON: But, if you will allow me, I'll say  
7 what I have to say, and then we can --

8 CHAIRMAN BECHHOEFER: Well, just one thing related  
9 to what you just said, I assume that if you wanted to move  
10 the cask, you'd have to apply for a tech spec change to do  
11 that.

12 MS. HODGDON: In this particular case, you would.

13 CHAIRMAN BECHHOEFER: Yes.

14 MS. HODGDON: As you probably know, the  
15 Commission's regulations in Part 50 allow for a general  
16 license to be given for cask storage under -- a general  
17 license under Part 50, for cask storage under Part 72, and,  
18 therefore, unless you had a tech spec that precluded you  
19 moving the cask, you might be able to do -- to move a cask  
20 and so forth without there being a penalty whatsoever on dry  
21 cask storage. Here, that's not the case, because they --  
22 their tech specs preclude their moving the cask into the  
23 pool area. And they would need such an amendment and they  
24 will apply for such an amendment, I presume, at a time where  
25 it seemed to be appropriate.

1 She said "shipping cask." Well, all right, that's  
2 fine, shipping cask, I'm corrected, to that extent. But,  
3 she meant the shipping cask -- I'm not going to go into cask  
4 beyond that. If it's presumed that the stuff is going to be  
5 sent directly, then it's going to have to be there for a  
6 while anyway, because there are limitations on the use of  
7 those casks regarding the age of the fuel.

8 I just want to address the other points that she  
9 made. She said that it violated federal law and, in fact,  
10 it would not, because she referred to the Waste Policy Act  
11 of 1982, which specifically allows for storage and, in fact,  
12 allows in Subpart K -- I'm sure you remember it -- allows  
13 for consideration, on an accelerated basis, of storage, both  
14 dry and wet.

15 And beyond that, I wasn't going to bring this up,  
16 but the new contention that was put forth this morning seems  
17 to invite this notation that the Commission's regulations in  
18 10 CFR 51.23, temporary storage of spent fuel after  
19 cessation of nuclear reactor operation generic determination  
20 with no significant environmental impact. And so, the  
21 Commission has made a generic determination that, if  
22 necessary, spent fuel generated in a reactor can be stored  
23 safely and without significant environmental impacts, or at  
24 least the years beyond the license for operation, which  
25 include the term of a revised or renewed license, that

1 reactor, the spent fuel storage, basically, for either, on-  
2 site or off-site independent spent fuel storage  
3 installations.

4 And I'm not going to read the rest of that. I  
5 just call everybody's attention to the fact that the  
6 Commission's ruling of this generic finding. I wouldn't  
7 have brought it up, because this doesn't seem to be  
8 applicable, except in -- with respect to what's being raised  
9 here this morning.

10 CHAIRMAN BECHHOEFER: That was the question I  
11 really was alluding to earlier, is there not some Commission  
12 established time limit, because it doesn't become a  
13 potential risk, in other words.

14 MS. HODGDON: The Commission --

15 CHAIRMAN BECHHOEFER: And you just read out what -  
16 -

17 MS. HODGDON: The answer to your question, except  
18 that I would like to add a footnote.

19 CHAIRMAN BECHHOEFER: Okay.

20 MS. HODGDON: And that is there -- for the  
21 Commission makes this finding -- they first made this  
22 determination on August 31, 1984, amended September 18,  
23 1990, and that's because they said that they would look at  
24 this again every five years. They looked at it again just  
25 the other day -- and I saw the notice in the Federal

1 Register; I don't have it with me, but I assume the  
2 Committee has seen it -- and they determined that that  
3 determination is still okay and they still feel that way.  
4 And I think they say, the Commission believes, with  
5 reasonable assurance, that these one-time geologic  
6 depositories will be available within the first quarter of  
7 the 21st century. The Commission, in its Federal Register  
8 notes the other day, still believes that.

9 So, I think that we're -- it seems that the  
10 licensee's planning with regard to this, their order of  
11 this, as well -- but, there's no reason to talk about moving  
12 the shipping cask, at this time.

13 MR. REPKA: ON that point, just to be clear, the  
14 reference to the waste confidence decision and review that  
15 Ms. Hodgdon is referring to was published in the Federal  
16 Register on December 6, and it's 64 Fed.Reg. 68005.

17 MS. HODGDON: Thank you.

18 MR. REPKA: Beyond that, I just want to respond to  
19 something Ms. Hodgdon just said. In talking about whether a  
20 tech spec amendment would be required, I think just to be  
21 clear, a tech spec amendment would be required to move a  
22 cask anywhere around irradiated fuel over the fuel, if, in  
23 fact, the tracks would permit you to do that, which cannot.  
24 But, beyond that, a license amendment would definitely be in  
25 order, with respect to -- or a general license, with respect



1 to ultimate storage, either on-site or shipments. With  
2 respect to movements in the cask pit area, those would  
3 require specific procedures to be developed that don't  
4 currently exist and they would be evaluated under  
5 appropriate regulations, such as 10 CFR 50.59, to determine  
6 what, if any, approval would be required.

7 But the fact of the matter is the design of the  
8 cask pit area was an issue. The movement of heavy loads  
9 around the cask pit area was addressed as part of initial  
10 licensing; in particular, in response to NUREG 0612, which  
11 was the control of heavy loads issue of the mid-'80s.

12 MS. BURTON: May I briefly respond?

13 CHAIRMAN BECHHOEFER: Yes.

14 MS. BURTON: We understand from what we have heard  
15 that the applicant has admitted that it has not adopted  
16 procedures to avoid the potential problems, which we have  
17 postulated in contention three, and that certainly  
18 underscores the validity of our contention.

19 Also, I'd like to point out that 10 CFR 51.23,  
20 referred to by the staff, actually has application to  
21 plants, which have ceased operations. I must inquire if the  
22 applicant believes it is one of those, if it today would  
23 meet that standard, because it has intentions of possibly  
24 ceasing operation.

25 MR. REPKA: I'd like to respond to that, because

1 what I said, that there are not specific procedures, I meant  
2 literally that, there are not specific procedures adopted.  
3 That's not the concerns haven't been addressed. In fact,  
4 just to be very clear, the issue of movements of casks  
5 around the cask pit area was addressed in a letter, March  
6 14, 1985, from Northeast Nuclear to the NRC, docket number  
7 50-423-B-11406, and it specifically addresses the use of  
8 energy absorption devices to preclude the possibility of  
9 cask tumble accidents from damaging the spent fuel pool and  
10 other similar issues. Those issues have been addressed.

11 To respond to that, Judge Bechhoefer, they were  
12 subject to a hearing, in that the operating license  
13 amendment was subject to a hearing. There was no hearing on  
14 the issues. The fact of the matter is they are outside of  
15 this proceeding, because this proposal involves no changes  
16 whatsoever in that area.

17 MS. BURTON: May I respond?

18 CHAIRMAN BECHHOEFER: Yes.

19 MS. BURTON: I understand that the letter from  
20 1985 may be outdated, because, at this time, the casks are  
21 much heavier than they were then.

22 CHAIRMAN BECHHOEFER: Well, it's my understanding  
23 that before they can move them, they may need some sort of a  
24 license amendment, a tech spec change.

25 MR. REPKA: We would need appropriate review.

1 CHAIRMAN BECHHOEFER: Yeah. So, let's move on to  
2 contention four.

3 MS. BURTON: May I just say that that really leads  
4 us to the point of emphasizing why we believe that these  
5 issues need to be considered now before the storage facility  
6 is filled with more radioactive waste, rather than later.

7 MS. HODGDON: If I may address that? It might be  
8 appropriate for these petitioners to file a petition with  
9 the Commission under 2.206, if they believe that these  
10 issues need to be considered now. This is clearly not  
11 within the scope of this license amendment and the Board  
12 should not waste its time.

13 JUDGE KELBER: I think Ms. Hodgdon's suggestion  
14 should be taken well. And there's a limit under the rules  
15 and regulations set forth by the Commission to what we can  
16 do. But, certainly, considerations such as you've raised  
17 are appropriate to be addressed in a 2.206 petition and I  
18 think her advice is a good one, regardless of what we do  
19 with the subject.

20 Did you want to move on to contention four?

21 CHAIRMAN BECHHOEFER: Yes, yes, yes.

22 JUDGE KELBER: In addressing contention four,  
23 please define for me what you mean when you use the term  
24 "criticality" here, because there are limits to High-level  
25 that -- one thing, I always understood criticality to be K

1 effective equals one. If you don't mean that, please say  
2 so.

3 [Pause.]

4 CHAIRMAN BECHHOEFER: You may proceed.

5 MS. BURTON: Thank you. Contention four, undue  
6 and unnecessary risk to worker and public health and safety,  
7 the existing spent fuel storage racks at Millstone Unit 3  
8 rely on physical separation, to ensure that irradiated fuel  
9 assemblies are maintained in a subcritical configuration.  
10 Dry storage method, also, rely on the physical protection to  
11 guard against criticality accidents. The application seeks  
12 to maximize the irradiated fuel assembly capacity in the  
13 Millstone Unit 3 spent fuel pool by trading physical  
14 protection against criticality for a complex array of  
15 administrative controls. This tradeoff increases the  
16 likelihood of a criticality accident.

17 Responding to Judge Kelber, it is our position  
18 here that there are two issues will be thresholds of  
19 criticality. One is the regulatory threshold of .95, with a  
20 safety factor of .05 to be adhered to. It is our contention  
21 that the application does involve the potential of not  
22 meeting that standard and, thereby, leading to potential  
23 criticality. In addition, we recognize the value one of  
24 criticality, whereby critical accident conditions may occur.  
25 We allege that both conditions are presented potentially by

1 this application.

2           Specifically with reference to the administrative  
3 controls, the application proposes to contain three distinct  
4 administratively controlled storage regions, as shown in the  
5 applicant's figure, page one of Attachment III of the  
6 application. Further, Region 2 racks would be licensed to  
7 store 754 assemblies. This storage area in Region 2 will  
8 have more restrictive burn up and enrichment restrictions  
9 than Region 1 racks and use a poor out of core storage  
10 configuration.

11           Further, the 1.40 storage pattern refers to the  
12 blocked location in the Region 1 fuel storage rack, and  
13 while adjacent and diagonal, Region 1 or Region 2 locations  
14 surrounding the blocked location, the blocked location is  
15 poor criticality control. And further, a jump ahead here in  
16 the materials, Region 3 racks can store 756 assemblies. The  
17 storage in Region 3 racks will have more restrictive burn up  
18 enrichment restriction than Region 2 racks. Region 3 racks  
19 will allow credit for decay of fissile plutonium and buildup  
20 of americium, which reduce reactivity, as a function of  
21 decay time credit. Therefore, we contend that the new  
22 administrative controls, which are presently not needed to  
23 protect plant workers and the public of irradiated fuel  
24 assemblies stored at Millstone Unit 3, rely on complicated  
25 array of factors, such as burn up, enrichment, and decay

1 time.

2 As the September 1999 criticality accident in  
3 Japan tragically demonstrated, administrative controls are  
4 not foolproof. As the September 1999 loss of a U.S.  
5 spacecraft, due to a mathematical error dramatically  
6 demonstrated, even highly trained and experienced rocket  
7 scientists can make mistakes. As the March 1996 issue of  
8 Time Magazine and the December 1997 civil penalty imposed on  
9 the applicant demonstrated, workers at the Millstone,  
10 through conversation, have failed in the past to adhere to  
11 far simpler administrative controls governing spent fuel  
12 pool activities. Therefore, the proposed activity  
13 represents an undue and unnecessary risk, because of all the  
14 additional administrative controls.

15 Finally, we point out that the first and third  
16 violations listed by the NRC in the December 1997 notice of  
17 violation, which the applicant did not contest and paid on  
18 December 19, 1997, involved spent fuel pool problems at  
19 Millstone. The third violation specifically involved the  
20 applicant's failure to maintain the plant's spent fuel pool  
21 configuration, in conformance with design and accident  
22 analyses performed by Holtech International. Thus, this  
23 licensee has failed in the past to effectively invoke  
24 administrative controls. This failure clearly demonstrates  
25 that trading physical protection for administrative controls

1 represents an undue and unnecessary risk. The applicant  
2 could provide sufficient onsite spent fuel storage capacity  
3 to satisfy its needs without this increased reliance on  
4 administrative controls.

5 And that sets forth our contention number four.

6 CHAIRMAN BECHHOEFER: Okay. Ms. Burton, I have  
7 one question first. The new proposal -- the current  
8 proposal doesn't seem to necessarily trade physical  
9 protection for administrative controls, because -- at least  
10 my understanding from what the other parties have said,  
11 there are existing administrative controls and, in the  
12 future, there will be -- there will be still physical  
13 protection and physical separation in certain areas. So,  
14 it's not a complete trade. Am I misunderstanding your  
15 statement a little bit?

16 MS. BURTON: Well, we recognize that there  
17 presently are administrative controls that are applied at  
18 the spent fuel pool. But what we are setting forth in this  
19 contention is that the application proposes to add  
20 additional administrative controls, which we maintain here  
21 are not a substitute for adequate configuration of the spent  
22 fuel pool and do increase the significant risk of a  
23 criticality accident.

24 CHAIRMAN BECHHOEFER: So, you're not asserting, in  
25 any way, that the existing physical protection would somehow

1 not be there anymore? It may not be adequate, but you're  
2 not saying it won't be there, I take it?

3 MS. BURTON: That's not exactly what we're saying.  
4 What we're saying is that this application proposes new  
5 administrative controls, which are not there today. In  
6 particular, the allowance of credit for decay, the fissile  
7 plutonium and buildup of americium, that is a new factor  
8 here at the spent fuel pool, which has not previously been  
9 dealt with through administrative controls and it carries  
10 with it the potential of a human error. And that is  
11 something that, as we've mentioned in another contention,  
12 really fundamentally violates the federal law through the  
13 general design criteria. But, I'll -- we'll be getting to  
14 that later.

15 CHAIRMAN BECHHOEFER: Okay. Mr. Repka?

16 MR. REPKA: First, in response to the contention  
17 as read, we responded to this in writing and I don't think  
18 that there's been anything new of significance added that  
19 our written response doesn't already address.

20 But beyond that, just to be clear, the current  
21 proposal doesn't -- does not involve trading physical  
22 controls for administrative controls and it doesn't even add  
23 new administrative controls. The current racks utilize  
24 geometry, boron neutron absorbers, spacing, administrative  
25 controls, physical process controls, such as burn up and



1 enrichment restrictions. The current proposal would use  
2 exactly the same range of controls. There is no tradeoff.  
3 There is no new type of administrative controls offered.

4 CHAIRMAN BECHHOEFER: Would the administrative  
5 controls be any different?

6 MR. REPKA: There would be differences in the  
7 controls. Obviously, the restrictions in burn up  
8 limitations for different regions will have changed to meet  
9 the profile of the new racks. But, there -- what the  
10 Commission -- if this is a challenge to those specific  
11 controls, as opposed to the general use of burn up and  
12 enrichment controls -- well, let me back up. There's two  
13 ways of reading the concern. One is this is a challenge for  
14 use of burn up and decay time and enrichment restrictions,  
15 and, clearly, there's no basis for that, because the current  
16 pool already uses that and almost every wet storage facility  
17 in the United States uses that as a conceptual matter.

18 But, if this were a specific challenge to specific  
19 changes in the curves related to burn up, enrichment, and  
20 decay time, they would -- what the Commission would expect  
21 in a contention is some specificity with respect to what the  
22 challenge is and some basis for that, and neither of which  
23 has been provided here. We have a general broad assault on  
24 administrative controls, which is without basis, without  
25 foundation, and simply ignores reality. Again, if this is a

1 change -- if this is an attack on specific proposed curves  
2 that would go into the tech specs, we haven't heard it, we  
3 haven't seen, and we don't know what the basis for that  
4 would be.

5 JUDGE COLE: I get the impression that Ms. Burton  
6 is saying that with these three different pools, different  
7 technical specifications, and the changes in operating  
8 procedures, and the use of burn up enrichment, decay time in  
9 each of these pools, by administrative controls, it's just  
10 getting to be so complicated that the probability of making  
11 a mistake is increased by these changes that were made. Do  
12 you agree with that or you disagree with that?

13 MR. REPKA: Do I agree that that's what she  
14 maintains or do I agree with that assertion? I think she  
15 does maintain that and I disagree with that assertion.  
16 Again, there's no basis to conclude that. There's reference  
17 to other human error situations, in which there's no nexus  
18 drawn between those situations, for example involving a  
19 spacecraft, and what's going to happen at the Millstone  
20 spent fuel pool. Obviously, human errors do occur. The  
21 pool is designed that way. The operation of the pool is  
22 designed with the recognition that human errors do occur.  
23 There is defense in depth; for example, the boron in the  
24 spent fuel pool to prevent criticality.

25 So, I think if the assertion is that it's too

1 complicated, there is no basis for that assertion. Just  
2 drawing and pointing to unrelated human errors is  
3 insufficient nexus.

4 JUDGE KELBER: In that regard, as a nuclear  
5 physicist, I wish people would stop regarding rocket  
6 scientists as the epitome of all science.

7 [Laughter.]

8 JUDGE KELBER: They are very fine people. Many of  
9 them are very fine engineers.

10 MR. REPKA: I suggest nuclear physicists, we could

11 --

12 CHAIRMAN BECHHOEFER: Mr. Hodgdon?

13 MS. HODGDON: Mr. Weisman will address the next  
14 three contentions.

15 MR. WEISMAN: I think that the answer that we gave  
16 in our brief is sufficient. I will -- I'll say in a little  
17 bit different words, there are basically two problems with  
18 contention four. The first one is the petitioners have  
19 assumed the adequate basis and the second one is that the  
20 contention, as proposed, appears to be out of the scope of  
21 this proceeding.

22 The first, with respect to there being a basis, as  
23 Mr. Repka was saying, petitioners simply haven't shown how  
24 there is any deficiency in the proposed administrative  
25 controls or how there might be any other physical measure

1 that needed to be taken. With respect to your question,  
2 Judge Cole, about the probability, the petitioners didn't  
3 show in their supplement that there was an increase in  
4 probability. There's just simply no basis for that. To the  
5 extent that the petitioners are challenging the use of the  
6 administrative controls together with physical measures,  
7 that's already approved and it's already in use at Millstone  
8 3, the spent fuel pool. So, it simply is out of scope.

9 CHAIRMAN BECHHOEFER: If the allegation is that  
10 there's a greater emphasis on administrative controls that  
11 there will be in future rather than in the past, that is a  
12 change. They recognize that there have been controls in the  
13 past. The claim now is that they are so complex and they  
14 mention past errors by Millstone personnel. Why isn't that  
15 good enough?

16 MR. WEISMAN: I think, Judge Bechhoefer, the  
17 reason it's not good enough is that there is simply no  
18 discussion of what is wrong with that -- what is the  
19 additional complexity? What's the -- what will that lead  
20 to?

21 CHAIRMAN BECHHOEFER: I think we have that spelled  
22 out in this.

23 MR. WEISMAN: But, Judge, I think that today,  
24 whenever there is a full core off-load, whenever there is a  
25 refueling, whenever spent fuel is removed and stored, each

1 one of those fuel assemblies has to be moved, it has to be  
2 moved according to administrative procedures that are in  
3 place. I don't -- there isn't -- in the future, each one of  
4 those fuel assemblies will, also, have to be moved. There  
5 will be an administrative procedure that governs the -- how  
6 each fuel assembly gets moved. Whether there are different  
7 restrictions in the tech specs and the fact the tech specs  
8 will have restrictions for where the different fuel  
9 assemblies may be moved, there has just simply been no  
10 showing that those are inadequate. Does that answer your  
11 question?

12 CHAIRMAN BECHHOEFER: No. Is that -- are the  
13 proposed procedures available and subject to examination?

14 MR. WEISMAN: Well, the proposed -- they are in  
15 the tech spec. The initial is in 4.9 through 13.1, and it's  
16 a requirement for administrative control for each region --  
17 each of the proposed regions, 1, 2 and 3, in the -- as  
18 proposed by the amendment. So, the petitioner simply hasn't  
19 shown why those tech specs are inadequate.

20 MR. REPKA: Judge Bechhoefer?

21 CHAIRMAN BECHHOEFER: Yes.

22 MR. REPKA: May I just -- in response to, I guess,  
23 your question to Mr. Weisman, you made the -- you started by  
24 saying there was increased emphasis on administrative  
25 controls and they would add complexity. And I think what

1 Mr. Weisman is getting at and certainly what I believe, to be  
2 the case is that there is no increased emphasis or added  
3 complexity. The administrative controls -- if you call the  
4 use of a region in the spent fuel pool an administrative  
5 control, which is something we can debate, but if you assume  
6 that, there is no increased emphasis or added complexity.  
7 It's exactly the same as before, only three regions instead  
8 of two; but the controls are the same. They're the same  
9 character, the same type, the same complexity. The  
10 procedures involved in putting fuel in their region are  
11 exactly what's being done now.

12 So, you can refer to human error events and other  
13 things and first-of-a-kind evolutions or space probes going  
14 to Mars, but the fact of the matter is the kinds of  
15 evolutions we're talking about here are things that have  
16 been done for years and we're not changing those types of  
17 procedures. The only change would be that it's three  
18 regions instead of two.

19 MS. BURTON: I have some comments.

20 CHAIRMAN BECHHOEFER: Yes.

21 MS. BURTON: We can't lose sight of the  
22 enforcement legacy at Northeast Utilities, where there has  
23 been a pronounced -- very pronounced problem, whereby  
24 administrative controls and proper use of those controls at  
25 that site over a decade of operation.

1           What we'd like to try to make clear is how very  
2 different these new administrative controls are from what is  
3 in place now. For instance, today, there is no need for  
4 calculations for delay -- excuse me -- decay of fissile  
5 plutonium, that isn't done at this time; nor is there an  
6 administrative procedure for -- that governs the buildup of  
7 americium. Moreover, presently, there is no administrative  
8 control that governs aging rates of the material; nor today  
9 is there a different standard applied to the different  
10 regions. Altogether, and I'm sorry I didn't make this  
11 clear, Dr. Cole, a step to my aid in clarifying what our  
12 position was here, but we believe it all adds up to a very  
13 much different atmosphere, placing a much greater burden on  
14 the workforce to protect the public health and safety.

15           Whereas, there are other ways that the applicant  
16 could achieve the same goal, or attempt to. Perhaps, they  
17 might cost a little bit more. Perhaps, if the applicant  
18 were to, for instance, consider employing another kind of  
19 rack device in the pool, that might involve some greater  
20 cost, that would make it possible for there to be more  
21 reliance on the physical configuration, so that there would  
22 necessarily be less reliance on the administrative controls.  
23 In other words, if there were -- I understand on the market  
24 there are more extensive racks than the ones that Northeast  
25 Utilities have selected. They have -- they are made so that

1 the boron chemistry -- there doesn't need to be so much  
2 administrative attention to the conditions of the fuel.  
3 This applicant did not opt to do that and has simply  
4 apparently chosen to take a more cost-effective course, but  
5 at the sacrifice of the public health and safety.

6 If the original replacement of the racks meets the  
7 standards, then we don't need to rely on administrative  
8 controls and shouldn't. That is -- that's a defect in this  
9 application and the public does not accept it.

10 CHAIRMAN BECHHOEFER: Well, don't they rely on  
11 administrative controls now? They exist?

12 MS. BURTON: We recognize that. But, again, we  
13 recognize the enforcement legacy and we would be introducing  
14 some historical materials later that suggests that it is a  
15 problem, that there are failures through administrative  
16 controls throughout the nuclear industry. Therefore, should  
17 most of them be proceeding to a point of greater reliance on  
18 more complex in lieu of all kinds of administrative  
19 controls? And we put that question forward here and we  
20 don't believe that the application appropriately addresses  
21 the safety risks from this emphasis -- on their emphasis on  
22 new administrative controls at greater complexities.

23 JUDGE KELBER: You introduced three items you  
24 listed as adding to the complexity: one is accounting for  
25 plutonium decay; two is accounting for americium buildup;



1 and three was accounting for aging of the fuel. But, aren't  
2 those all the same thing? I mean, let's not exaggerate the  
3 degree of complexity. We agree that it is a problem to be  
4 handled, but aren't those all three the same thing?

5 MS. BURTON: In a certain sense, it is probably -

6 -  
7 JUDGE KELBER: I think in absolutely a sense. I  
8 think as a physics calculation, that's the way I would do  
9 it. I would calculate the age -- the decay by a well-known  
10 equation and I would get automatically the facility of that  
11 decay, the americium buildup, as a function of the age of  
12 the fuel. I don't see how you would do it any other way.  
13 You have to do that as part of managing the effect.

14 MS. BURTON: May I just --

15 CHAIRMAN BECHHOEFER: Yes.

16 MS. BURTON: Just to further clarify and actually  
17 make this clearer, what we are saying is really here, in  
18 this application, is the introduction of the aging factor  
19 the first time, as well as the business of the three regions  
20 in the pool, each of which has to apply to its own unique  
21 set of standards. That's very new, because, today, there's  
22 only one region and it has one set of standards. So, when  
23 the pool is broken down into three different regions with  
24 different sets of rules, that introduces all kinds of  
25 grounds for possible error that doesn't appear today.

1 MR. WEISMAN: Judge Bechhoefer, may I address  
2 that?

3 CHAIRMAN BECHHOEFER: Yes; yes, I'm sorry.

4 MR. WEISMAN: Oh, I'm sorry, it's not our turn.

5 MR. REPKA: I just want to say --

6 CHAIRMAN BECHHOEFER: Well, if Mr. Repka had any  
7 further comments --

8 MR. REPKA: Well, the only further comments I have  
9 is, again, you know, my comment was that with respect to  
10 trading physical controls for administrative controls and  
11 we're increasing our emphasis, I don't think the addition -  
12 - of going from two regions to three regions, there's any  
13 reason -- any basis for the concern that that's a new  
14 emphasis or a new type of administrative control. It's not.

15 We've heard here this morning some things about  
16 accounting for plutonium and americium and decay times and  
17 aging factors, that is the first we've seen that, in  
18 connection with this contention. And although there may be  
19 specific changes in procedures at Millstone relating to  
20 those factors, those are new concerns identified here for  
21 the first time and I don't believe necessarily a basis has  
22 been set forth for the proposition that that can't be done.

23 MS. BURTON: May I respond?

24 CHAIRMAN BECHHOEFER: Well, I don't think the  
25 claim is that it can't be done. I think the claim is that

1 will it be done properly, given the past history at the  
2 plant.

3 MR. REPKA: Well, I think that that's a -- to draw  
4 that inference from past history I think is an extreme  
5 stretch. I think that that would be inappropriate to do  
6 here. I think with respect -- if there's a challenge that  
7 says that the proposal in the tech specs, the fact that the  
8 numbers used for decay, if those are inaccurate or  
9 inappropriate or whatever, we would still need further  
10 specificity for this to be a valid contention, as to what  
11 exactly is wrong with those proposed restrictions and what  
12 the basis for that is. And we still haven't seen that.

13 CHAIRMAN BECHHOEFER: Well, I think the claim is a  
14 little bit different. The claim is that there --

15 MR. REPKA: I'm not sure what the claim is, at  
16 this point. The contention --

17 CHAIRMAN BECHHOEFER: Well, it seems to me --

18 MR. REPKA: -- as written was that administrative  
19 controls, i.e., regions, was unwarranted.

20 CHAIRMAN BECHHOEFER: The way I read it, I'm not  
21 sure which, maybe both, there are more calculations that  
22 have to be done, more administrative controls will have to  
23 be put into effect, and is -- there's, hence, a greater  
24 likelihood of human error, and there are some examples of  
25 human error.

1 JUDGE KELBER: As long as we're --

2 CHAIRMAN BECHHOEFER: And that's how I interrupt  
3 the claim.

4 JUDGE KELBER: As long as we're sticking what is  
5 written, as I read it, the two paragraphs of the contention,  
6 that says -- the second paragraphs says, "Northeast  
7 Utilities -- the application seeks to maximize the fuel  
8 assembly capacity in the Millstone Unit 3 spent fuel pool by  
9 trading physical protection against criticality for a  
10 complex array of administrative controls. This tradeoff  
11 increases the likelihood of a criticality accident."

12 Now, let me ask: if these administrative controls  
13 are breached for whatever reason, will the plant be in  
14 violation of the limits set forth in 50.68? Will the fuel  
15 pool ever go critical, that is to say have a K effective of  
16 one, if anyone of these administrative controls were  
17 breached?

18 MR. REPKA: For the design basis events, including  
19 the fuel handling accident and the misloading accident, the  
20 answer is no.

21 JUDGE KELBER: Okay.

22 CHAIRMAN BECHHOEFER: Mr. Weisman?

23 MR. WEISMAN: I just wanted to correct a  
24 misstatement the petitioners said, that there was now one  
25 region and one standard. Well, there's only one kind of

1 rack in the pool right now, but there are two different  
2 standards for loading the two different regions in the  
3 current racks. So, they are certainly going to be adding,  
4 by adding another region, and they happen to be doing it for  
5 different kinds of racks. So, it was, in fact, misstated;  
6 there are two different regions in the current plant.

7 JUDGE KELBER: Administratively, there are two  
8 regions.

9 MR. WEISMAN: Administratively controlled regions,  
10 based on burn up, based on the condition of the pool -- I  
11 mean, the fuel.

12 JUDGE KELBER: Thank you.

13 MR. CAMPER: So, you'll go from two to three --

14 MR. WEISMAN: Yes.

15 CHAIRMAN BECHHOEFER: -- essentially, correct?

16 MR. WEISMAN: Yes.

17 CHAIRMAN BECHHOEFER: Ms. Burton?

18 MS. BURTON: The question that Dr. Kelber put to  
19 the applicant, as far as if there were a breach in these  
20 administrative controls, would a fuel pool have the  
21 potential to go critical, we don't agree with the answer  
22 that you heard from the applicant, because it would not hold  
23 in the case where boron would not maintain at the  
24 appropriate level within the fuel pool. And as we mention  
25 elsewhere, the contention we are arguing -- we have an issue

1 concerning the boron that has been enumerated. And, in  
2 fact, the boron is not sufficient in the pool, under our  
3 critical scenarios that we present that could lead to that  
4 situation, then we do believe that this has a potential, the  
5 breach of administrative controls to the different counties.

6 CHAIRMAN BECHHOEFER: Okay. We're getting into  
7 the next contention, as we do this. But, is that based on  
8 calculations of some sort? Or these are -- let's just  
9 address it very briefly, these are calculations based on  
10 validated codes?

11 MR. REPKA: I assume these are -- these are codes  
12 for calculations.

13 CHAIRMAN BECHHOEFER: But, they said it wouldn't  
14 go critical.

15 MR. REPKA: The boron was to prevent that from  
16 occurring.

17 DR. KELBER: Well, I asked -- excuse me, I asked  
18 carefully, if a breach of administrative controls would  
19 result in a breach of regulation 10 CFR 50.68. 10 CFR 50.68  
20 states that if -- in the absence of sizable boron, they  
21 cannot exceed for -- I believe it's a design basis accident  
22 -- it cannot exceed 0.98.

23 Okay, I'll read the appropriate phrase. It's  
24 subparagraph B(3), under 50.68: "If optimum moderation of  
25 fresh fuel in the fresh storage fuel -- fresh fuel storage

1 racks occurs, then the racks are assumed to be fuel of, the  
2 maximum fuel reactivity and build at a low density  
3 hydrogenous fluid. The K effective corresponding to the  
4 optimum moderation must not exceed 0.98 at a 95 percent  
5 probability, 95 percent confidence level. This evaluation  
6 need not be performed if administrative controls and/or  
7 design features prevent such moderation or fresh fuel  
8 storage racks are not used." That was the limit I was  
9 referring to.

10 MR. REPKA: Judge Kelber, I don't think for the  
11 fresh fuel and the 0.98 number precisely -- we can't verify  
12 that, that the number is 0.98. With respect to the spent  
13 fuel pool in B(4), it talks about .95 and then with credit  
14 for boron. They are slightly different parameters  
15 maintaining subcritical. And my answer to your question was  
16 that under those conditions, we would -- the fuel would  
17 remain subcritical.

18 MS. BURTON: There may be an inconsistency. I  
19 would refer the Board to page 4.9 of Attachment V of the  
20 application, where the applicant took credit for boron in  
21 its analysis.

22 MR. REPKA: I don't think there's any  
23 inconsistency. The analysis credits boron for the accident  
24 evaluations. It does not credit boron for normal  
25 conditions.

1 MR. WEISMAN: I think that we're getting into  
2 contention five.

3 JUDGE KELBER: Yes. Well, the two are tied  
4 together, because the outcome of the complaint about  
5 contention four -- yes, we have gotten into contention five.  
6 The complaint on contention four specifically is that by  
7 trading physical protection against criticality for complex  
8 administrative controls, this tradeoff increases the  
9 likelihood of a criticality accident. What we're asking now  
10 is what is the basis for asserting that there is an  
11 increased likelihood of a criticality accident and, yes,  
12 that is at the basis of contention five, as well.

13 MR. WEISMAN: Okay. I guess I would point out  
14 that the petitioners have control over how they draft their  
15 contentions. They're separating one -- contention four --

16 JUDGE KELBER: Yeah --

17 MR. WEISMAN: -- and one in contention five.

18 JUDGE KELBER: -- I understand. I find it very  
19 difficult to understand the reason for separation, myself.  
20 Be that as it may, we've got to deal with them. All right,  
21 let's finish up whatever we have in four and then take five  
22 right after lunch.

23 MS. BURTON: May I? At this time, one of our  
24 consulting experts, Dr. Thompson, would like to specifically  
25 address this point -- this technical point. I think it



1 would be of aid.

2 MR. REPKA: I would object to that, because I  
3 don't believe this is an evidentiary hearing.

4 CHAIRMAN BECHHOEFER: Well, we're not --

5 JUDGE KELBER: No.

6 CHAIRMAN BECHHOEFER: -- accepting it as evidence,  
7 but as an explanation for the contention. This is not  
8 evidence, as such; but, if it's material, I think we can  
9 take it into account. Pardon?

10 MR. WEISMAN: I'm sorry. Dr. Thompson's response  
11 would be -- is there any question that Mr. Lochbaum  
12 sponsored contention four. But, perhaps --

13 CHAIRMAN BECHHOEFER: Well, just to explain what  
14 it means, I think we can hear from him. This is not -- no,  
15 this is not something for voir dire, at this stage; so,  
16 we'll listen to your explanation.

17 DR. THOMPSON: Okay. This is a brief response to  
18 Judge Kelber and criticality occur in the pool or not. And,  
19 effective, particularly, one pool per -- is what I find is  
20 criticality.

21 It's very difficult to get plant licensees or the  
22 NRC staff to address this question in a straightforward  
23 technical manner. There is a lot of discussion about what  
24 combinations of events are credible or incredible in a pool.  
25 Recently, we -- the NRC staff performed a calculation, in

1 connection with the Sharon Harris grant, where they  
2 postulated fresh fuel in one of the racks related to Harris,  
3 in the absence of boron, and determined that that was  
4 approximately 1.2, which is currently around the criticality  
5 accident. So, that instance demonstrates the combinations  
6 of circumstances and we postulated that would cause a  
7 criticality accident.

8 There's a lot of legal and regulatory debate that  
9 would be part of an evidentiary hearing about those  
10 combinations are credible for regulatory purposes.

11 JUDGE KELBER: That's not answering my question.  
12 My question is: do you have a basis, such as calculations  
13 using validated codes, for asserting that under a violation  
14 of the administrative controls, this pool -- not Sharon  
15 Harris, but this pool would go critical? And the answer was  
16 you're going to rely on evidence supplied by the applicant.  
17 Fine, the staff can speak to that, as well as anybody.

18 DR. THOMPSON: That is -- to respond, I think it's  
19 unreasonable to expect, in a case like this, to run  
20 criticality --

21 JUDGE KELBER: It may --

22 DR. THOMPSON: There's a very strong basis --  
23 inference -- scientific inference to demonstrate that  
24 credible conditions of criticality --

25 JUDGE KELBER: I don't want to get into an

1 argument about what is an evidentiary matter here. The sole  
2 question we're asking is: is there a basis for the  
3 complaint that the complexity of the administrative controls  
4 will lead to the possibility of a criticality accident?  
5 That's all we're addressing.

6 MR. WEISMAN: Well, Your Honor, I understated here  
7 my -- it doesn't appear to me that there's any suggestion in  
8 the bases set forth by the petitioner that there could be a  
9 criticality resulting from these administrative controls.

10 MR. REPKA: And I agree with that and the answer  
11 is provided in the report included with the Northeast  
12 Nuclear application. Table 4.2.8, for example, presents the  
13 results of the criticality evaluations. Under all normal  
14 conditions, with no boron credit, for example, the K  
15 effective is maintained less than 0.95. Under design basis  
16 accident conditions, with boron credit, the K effective is  
17 maintained less than 0.95. Under design basis accident  
18 conditions, with boron credit, K effective is less than  
19 0.95. There's been no basis presented that suggests  
20 otherwise; certainly no basis as can be provided by us that  
21 suggests otherwise.

22 And then a lot of this, as with contention five,  
23 is premised upon -- somehow premised upon the concern of the  
24 missing boron, which we'll get to. But, there's absolutely  
25 no basis for that issue, that there will be no boron in the

1 spent fuel pool. In fact, there will be, there has been,  
2 there always will be. It's -- the boron concentration is  
3 much, much higher than what's credited in any of these  
4 evaluations. There are just a lot of conservatisms built in  
5 here and there's no basis to assume it's going to be a  
6 criticality event.

7 JUDGE KELBER: Don't follow the Osmidian trap and  
8 claim that there will always be.

9 MR. REPKA: Good point.

10 JUDGE KELBER: For the duration of the license  
11 perhaps, but not for always -- not forever.

12 MR. REPKA: Good point, but boron is maintained in  
13 the spent fuel pool at all times.

14 CHAIRMAN BECHHOEFER: Well, that gets into the  
15 next contention. We're going to do it after lunch,  
16 actually.

17 MR. REPKA: Right. Let me assure you before  
18 lunch, the boron is not going anywhere.

19 MS. BURTON: May I respond briefly --

20 CHAIRMAN BECHHOEFER: Yes.

21 MS. BURTON: -- to this point, to note that it  
22 wasn't long ago, I've alluded to that, boron did go  
23 somewhere, because there was a leakage in the spent fuel  
24 pool that went undetected for something like 12 hours and,  
25 presumably, the water that leaked out did contain boron and

1 that meant that there was some change that occurred to, the  
2 fluid in the pool. We're concerned that that represents an  
3 example of a misuse of an administrative control at  
4 Millstone. We have made a nexus here.

5 Where our concern is that -- well, basically, our  
6 response here is -- that Thomas Jefferson once asserted, we  
7 find this truth to be self evident. The administrative  
8 controls are the utilities physical -- the utilities barrier  
9 to criticality, to the seriousness of accident. And if they  
10 are not a part -- if they're misused, that is the ultimate  
11 inevitable obvious potential consequence. And that is why  
12 we have set forth this contention and was asserted  
13 separately from the following one, which is more directed  
14 specifically to judicial authority.

15 JUDGE KELBER: Okay.

16 CHAIRMAN BECHHOEFER: I think we'll break for  
17 lunch. Is an hour enough for everybody to -- or does it  
18 take longer to order -- if we all go to the restaurant here,  
19 it probably will take longer.

20 MS. HODGDON: Excuse me, Judge Bechhoefer.

21 CHAIRMAN BECHHOEFER: Yes.

22 MS. HODGDON: We have an hour -- we're willing to  
23 go a few minutes later in the --

24 CHAIRMAN BECHHOEFER: Yes.

25 MS. HODGDON: A tradeoff --

1 JUDGE KELBER: One fifteen rather than 1:30?  
2 We'll meet back at 1:30.

3 CHAIRMAN BECHHOEFER: Let's resume at 1:30.

4 [Whereupon, the interview was recessed, to  
5 reconvene at 1:30 p.m., this same day.]

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## A F T E R N O O N   S E S S I O N

[1:30 p.m.]

CHAIRMAN BECHHOEFER: Back on the record. Before we get into contention five, any preliminary matters anybody wants to raise?

[No response.]

CHAIRMAN BECHHOEFER: If not, let's proceed to contention five. Ms. Burton?

MS. BURTON: Good afternoon. Contention five: significant increase in probability of criticality accident. The applicant proposed to eliminate an existing barrier against inadvertent criticality and the spent fuel pool at Millstone Unit 3. The present technical specifications require soluble boron to be maintained in spent fuel pool water at all times. The applicant proposes to change the requirement for soluble boron in the spent fuel pool as follows: the proposed technical specifications will require a minimum concentration of 800 parts per million of soluble boron in its pool water during fuel movement, to assure K effective will remain less than or equal to 0.95, assuming a drop or misloaded fuel assembly. The surveillance interval for this soluble boron concentration in the proposed technical specifications is consistent with Westinghouse improved STS, standard technical specifications 3.7.16. The petitioners contend that the application represents a

1 significant increase in the probability of a criticality  
2 accident.

3 And if I -- I think it would be helpful if I read  
4 on for the enlightenment of those who are attending, who  
5 haven't seen these materials. If I may?

6 CHAIRMAN BECHHOEFER: Go ahead.

7 MS. BURTON: The present technical specifications  
8 for Millstone Unit 3 require soluble boron to be maintained  
9 with the spent fuel pool water anytime irradiated fuel  
10 assemblies are stored in the pool. The proposed change  
11 would require soluble boron to be maintained only during  
12 fuel movements, not at times between fuel movements, while  
13 irradiated fuel assemblies are stored in the pool. The  
14 evaluations presented by the applicant clearly stated that a  
15 single fuel movement error, which is a credible event within  
16 the plant's design and licensing basis, can result in the  
17 required criticality margin being violated, unless there is  
18 soluble boron in the spent fuel pool water.

19 As the application states, the inadvertent  
20 misplacement of fresh fuel activity has the potential for  
21 exceeding the limiting activities should there be a  
22 concurrent and independent accident condition resulting in  
23 the loss of all soluble poison. Assuring the presence of  
24 soluble poison during fuel handling operations will preclude  
25 the possibility of the simultaneous occurrence of the two



1 independent accident conditions. The largest reactivity  
2 increase would occur, if a fresh fuel assembly of 5.0 -- is  
3 its weight percent, 235 U enrichment were to be inadvertently  
4 loaded into an empty cell in Region 3, with the remainder of  
5 the rack fully loaded, with fuel of the highest permissible  
6 reactivity. Under this accident condition, credit for the  
7 presence of soluble poison is permitted by the NRC  
8 guidelines. Calculations indicate that 800 parts per  
9 million soluble boron, that is to be required by the  
10 technical specifications during fuel handling operations, is  
11 more than adequate to assure that the limiting K effective  
12 of 0.945 is not exceeded.

13 And the application continues, with the assumption  
14 that boraflex panels are replaced by water, the moderator  
15 temperature coefficient of reactivity in Region 3 is  
16 positive. Therefore, an increase in spent fuel pool  
17 temperature above the normal operating conditions, in other  
18 words, above 160 degrees Fahrenheit, has the potential for  
19 exceeding the limiting reactivity in Region 3, should there  
20 be a concurrent and independent accident condition resulting  
21 in the loss of all soluble poison. Calculations indicate  
22 that 100 parts per million soluble boron is more than  
23 adequate to assure that the limiting K effective of 0.945 is  
24 not exceeded for temperatures greater than 160 degrees  
25 Fahrenheit and boiling.

1           Now, we maintain that if the technical  
2 specifications for Millstone Unit 3 are changed, as  
3 requested by the applicant, it is credible that a human  
4 error could result in the wrong fuel assembly being loaded  
5 into a Region 3 rack; that such an error is credible is  
6 implicitly conceded by the applicant's evaluation for such  
7 an event. With the soluble boron concentrations required by  
8 the revised technical specifications during fuel movements,  
9 this loading error would not cause a criticality. But, once  
10 the fuel movements are stopped, the revised technical  
11 specifications no longer require soluble boron to be  
12 maintained in the spent fuel pool water. If the misloaded  
13 fuel assembly remains undetected and the soluble boron  
14 concentration drops, a criticality could occur. The NRC's  
15 records include reports of misloaded fuel assemblies  
16 remaining undetected for long periods of time. Thus, the  
17 proposed activity significantly increases the probability of  
18 a criticality accident in the spent fuel pool, because it  
19 removes the present requirement to always maintain soluble  
20 boron in the pool's water.

21           The surveillance requirement that the applicant  
22 proposes, with respect to the soluble boron concentration in  
23 the spent fuel pool water is as follows: 4.9.1.2 verify  
24 that the soluble boron concentration is greater than or  
25 equal to 800 parts per million prior to any movement of a

1 fuel assembly into or within the spent fuel pool and every  
2 seven days thereafter during fuel movement. The application  
3 posits that a misloading error may be made in the Millstone  
4 Unit 3 spent fuel pool. The applicant's evaluation of such  
5 a misloading error determined that a configuration, which  
6 could yield criticality if it were not for the soluble boron  
7 in the water, yet the applicant proposes to remove the  
8 soluble boron technical specification without at least  
9 providing a surveillance requirement to check for misloaded  
10 fuel assemblies at the termination of fuel movements.

11 When I mentioned before that there is some history  
12 before the NRC, I particularly refer to one instance  
13 involving Oyster Creek, New Jersey, where between February  
14 and August of 1986, there were some 184 mispositions of  
15 fresh assemblies of spent fuel assemblies noted. They were  
16 not noted until January 1987, some six months later. The  
17 NRC records have documents of many other mispositionings of  
18 fuel assemblies in these pools, which have gone undetected.

19 We have concern that -- well, we have several  
20 concerns that we raise in this contention. One is the  
21 absence of surveillance, other than during fuel movements,  
22 and the very fact that that application proposes to use  
23 soluble boron at all suggest to us that it is a recognition  
24 that the margin of the K effective cannot otherwise be  
25 maintained. If that is the case, then, we would suggest to

1 you that there would be a need to have regular surveillance  
2 of the boron concentration in the pool. That is eliminated  
3 in this technical specification and that raises a safety  
4 risk.

5 We can, also, conclude from the rather dismal  
6 history of the frequency of mispositioning of fresh  
7 assemblies in the spent fuel pools that the mispositioning  
8 of fuel assemblies is not only a credible scenario, but a  
9 rather likely event and, therefore, that is an issue that  
10 bears heavily on this contention. And that is what we have  
11 to say for contention five.

12 CHAIRMAN BECHHOEFER: Mr. Repka?

13 MR. REPKA: Okay. Several things I would like to.  
14 First, the proposal does not eliminate a barrier to  
15 criticality, as is contended. The proposal does not  
16 eliminate boron in a spent fuel pool. Boron is maintained  
17 in the spent fuel pool and will be maintained in the spent  
18 fuel pool. What the proposal does is it credits boron only  
19 for accident conditions and for all normal conditions, boron  
20 is not needed to prevent criticality. It's a barrier that's  
21 not required, which is different from saying it won't be  
22 there, because it will be there. But, it's not required  
23 under normal conditions to be credit in the criticality  
24 evaluation.

25 With respect to the design basis accidents, the

1 fuel handling accident and the misloading assembly, boron in  
2 the pool is credited at 800 parts per million and does meet  
3 with the boron -- the K effectiveness is maintained at less  
4 than 0.95, which does provide a .05 margin to criticality.  
5 So, there is no elimination of boron. There is no eliminate  
6 of a barrier.

7 On a second level, this contention seems to be --

8  
9 CHAIRMAN BECHHOEFER: Well, is there not an  
10 elimination of a requirement?

11 MR. REPKA: I was going to get to that. The  
12 second level of this contention is that the tech spec, as  
13 proposed, would require a tech spec surveillance of the  
14 boron concentration only prior to fuel movements. However,  
15 there's -- and that somehow this would lead to no  
16 surveillance of boron or no boron at times after the fuel  
17 movement; if, for example, a misloaded assembly is left and  
18 is not discovered for some time. But, there's no basis to  
19 maintain that that tech spec surveillance is required, at  
20 that point, for several reasons.

21 First, the tech specs, as they existed for this  
22 unit prior to amendment 1.58, called for a tech spec  
23 surveillance on the boron only prior to fuel movements.  
24 This proposal simply restores the tech specs to their  
25 preexisting formation. They were changed, at that point, as

1 a conservative measure to address the potential for  
2 degradation of K boraflex. We are not longer taking credit  
3 for K effective boraflex, as a conservative measure, and,  
4 therefore, now we can restore the tech specs to their  
5 preexisting configuration.

6 Beyond that, there --

7 CHAIRMAN BECHHOEFER: When you add a surveillance  
8 requirement for boraflex, what did your proposal -- what did  
9 it say -- what was the reason given for adding it?

10 MR. REPKA: Well, the concern, at that point, was  
11 that if the boraflex was degraded, the way some industry  
12 experience suggests it is -- if you had an earthquake, for  
13 example, you could postulate that all of the boraflex would  
14 become brittle and tumble to the bottom of the pool. So, at  
15 that point, there was -- the need for boron -- boron needed  
16 to be credited at all times; and, therefore, as a  
17 conservative measure, it was surveilled at all times.

18 In reality, after the fuel movement is completed  
19 and the tech is -- surveillance is completed, the boron  
20 doesn't go anywhere between fuel movements. If there's any  
21 evaporation from the pool, the boron is left behind. If  
22 there is any -- there is no dilution of the boron, because  
23 the pool is -- leakage from the pool is addressed by makeup  
24 capability and the boron is not diluted, at that point. So,  
25 there's no basis to say that this surveillance on the boron

1 concentration needs to be a tech spec surveillance.

2 CHAIRMAN BECHHOEFER: Well, but if you've got it  
3 now, why shouldn't you just keep it?

4 MR. REPKA: Because, the situation now is  
5 different. We're not crediting the boron for normal  
6 operating conditions. We're not crediting -- we're not --  
7 and in addition to that, the boraflex, in certain regions of  
8 the pool, still exists. We have boral boxes in the pool  
9 that the earthquake will not -- even a postulated earthquake  
10 would not affect the boral boxes and the proposed new racks.  
11 So, there's no necessity to verify by tech spec the boron  
12 concentration.

13 JUDGE COLE: Sir, how difficult is it to measure  
14 boron in the fuel pool?

15 MR. REPKA: It's not. In fact, it's done with  
16 relative frequency. I want to say 72 hours -- I can't say.  
17 And, in fact, I don't think there is any proposal to alter  
18 that actual real world surveillance. It just would not be a  
19 tech spec surveillance. It's my understanding that that  
20 particular chemistry sampling is not addressed just to  
21 boron; it's addressed to a number of things in the pool.

22 JUDGE COLE: Do you think that this proposed  
23 contention would go away, if you went back to what you were  
24 doing with respect to measurement of boron?

25 MR. REPKA: Well, I -- if there were sufficient

1 basis to say this had to be a tech spec and we went back to  
2 it, I would certainly assume that this contention would go  
3 away.

4 JUDGE COLE: Particularly if it's not too much  
5 trouble to measure.

6 MR. REPKA: Right.

7 JUDGE COLE: And it isn't at its safety feature,  
8 which is relatively cheap.

9 MR. REPKA: The surveillance?

10 JUDGE COLE: Yes.

11 MR. REPKA: Yeah, I believe that's something they  
12 would be doing anyway.

13 JUDGE COLE: All right.

14 JUDGE KELBER: How much of reactivity is held on  
15 by the boron?

16 MR. REPKA: That's a question I couldn't presume  
17 to answer. Again, it depends on what conditions you're --  
18 you're not crediting the boron at all for normal conditions.

19 JUDGE KELBER: I understand under normal  
20 conditions, you have reactivity of .945 and Region 3 uses  
21 the highest reactivity of any of the regions.

22 MR. REPKA: Right.

23 JUDGE KELBER: Multiplication of roughly a little  
24 over 20.

25 MR. REPKA: Actually, let me try to answer it this



1 way. There's no credit for boron under normal conditions.  
2 The accident analysis is a new fuel -- take a new fuel  
3 assembly and put it in the middle of a Region 3 rack, the  
4 most reactive fuel. And if you take no credit for the  
5 boron, no credit for boraflex that's there, and there's no  
6 boral in that region, my understanding it the criticality  
7 numbers would be something on the order of .995. So --

8 JUDGE KELBER: 995?

9 MR. REPKA: Right. So, it would be subcritical  
10 with all those assumptions.

11 JUDGE KELBER: So, the boron, then, is holding  
12 down something on the order of four-and-a-half to five  
13 percent?

14 MR. REPKA: Right, although we can say -- I note  
15 that it's less than .95 for the other assumptions. I don't  
16 know how much less than .95.

17 JUDGE COLE: So, your worst case scenario would  
18 result in .995?

19 MR. REPKA: If you assume no boron in the pool.

20 JUDGE COLE: Right. And no credit for boraflex?

21 MR. REPKA: No credit for boraflex, no credit for  
22 boral in that region, new fuel going -- being misloaded into  
23 the most reactive position. And, again, there's no reason  
24 to assume the boron is going anywhere.

25 JUDGE KELBER: Okay. Are we ready to hear from

1 the staff?

2 CHAIRMAN BECHHOEFER: Yeah.

3 MR. WEISMAN: Ready? I guess the staff has a  
4 couple of things --

5 JUDGE COLE: Could you speak up a little bit, sir?

6 MR. WEISMAN: The staff has a couple of things to  
7 say. The first is that the standard in Vermont Yankee sets  
8 forth what the petitioner has to do for -- to set out a  
9 contention that says when a postulated accident scenario  
10 forms the basis of a contention, a causative mechanism for  
11 the accident must be described and some credible basis for  
12 it must be provided. As stated in our brief, what the  
13 petitioner has failed to do is give us a causative mechanism  
14 for this scenario and, therefore, the contention lacks a  
15 basis.

16 I think the second point I would like to make is  
17 the petitioners cite to some events at Oyster Creek, but  
18 that's not mentioned in the supplement. That's a late filed  
19 basis. I would point out that at least two of the events  
20 that are mentioned in the supplement have to do with fuel  
21 assemblies being placed in the reactor -- we mention this in  
22 our response to the supplement -- and they're  
23 misorientations. They don't indicate that fuel assemblies  
24 were placed in the wrong position, but that they were  
25 rotated in the correct position. We don't -- in the

1 reactor, and not in the spent fuel pool. When they're citing  
2 to Oyster Creek, we don't know, is this in the reactor, is  
3 it in the spent fuel pool? It shows the wisdom of the  
4 Commission's regulations in 2.714, that you have to specify  
5 the basis in your supplement. So, this late filed -- this  
6 late basis regarding Oyster Creek does not represent a good  
7 basis for this contention either.

8 And Dr. Cole even asked a question about if --  
9 regarding whether the surveillance could be reasserted into  
10 the tech specs -- or whether it could be maintained rather,  
11 and I think that the question would be, does that  
12 surveillance meet any of the criteria in 5036(c)(2)(ii), the  
13 last two being Roman -- little ii. If it meets those  
14 criteria, then that would be necessary for an LCO. But, in  
15 this case, there isn't any showing that -- that's what the  
16 Board would have to determine to require that surveillance  
17 to stay in the tech specs.

18 CHAIRMAN BECHHOEFER: What's the number you cited  
19 again?

20 MR. WEISMAN: It's 5036(c)(2)(ii). You will see  
21 there are four criteria listed there. In order to -- so for  
22 the Board to require that that tech spec stay in the tech  
23 specs, there would have to be some finding that it satisfied  
24 one of those criteria.

25 JUDGE KELBER: It's a little "c?"

1 MR. WEISMAN: Right. It is -- I'm not sure --  
2 it's 5036(c)(2) -- two, the title in two is limiting  
3 conditions for operation.

4 JUDGE KELBER: Okay.

5 MR. WEISMAN: And then the little ii -- and there  
6 are four criteria: 2(a), 2(b) --

7 JUDGE KELBER: Oh, yes; okay.

8 MR. WEISMAN: -- 2(c), and 2(d).

9 JUDGE KELBER: And you're looking to the criteria,  
10 which says "a process variable design feature operating  
11 restriction?"

12 MR. WEISMAN: Well, I think I was -- I just meant  
13 to point out to the Board that just because it's a low cost  
14 surveillance is not -- that's not -- the regulations don't  
15 require it for that reason.

16 JUDGE COLE: It just seems to me --

17 MR. WEISMAN: There wouldn't have to --

18 JUDGE COLE: -- to be a logical way for a problem  
19 to go away.

20 MR. WEISMAN: The point is that it's not a  
21 problem. So, it doesn't meet any of those criteria. It's  
22 not a problem. It's not required to be in tech specs.

23 MR. REPKA: I will add that in the context of tech  
24 spec improvement, there has been a lot of emphasis on  
25 removing --

1 JUDGE KELBER: Yeah.

2 MR. REPKA: -- operational administrative  
3 surveillance.

4 JUDGE COLE: But, you indicated that you would  
5 probably continue to maintain surveillance over boron  
6 concentration, even though you're not required to do that.

7 MR. REPKA: It's my understanding that that  
8 surveillance is a routine chemistry surveillance; that's  
9 correct.

10 JUDGE COLE: And how often do you do that now?

11 MR. REPKA: I think I said before it's on the  
12 order of 72 hours. I have to verify that, but about at  
13 least that.

14 JUDGE COLE: It's your representation that there's  
15 probably no reason why they wouldn't continue that?

16 MR. REPKA: None that I know of.

17 JUDGE COLE: Except that there is no absolute  
18 requirement that you do continue that?

19 MR. REPKA: It just wouldn't be in tech specs,  
20 which is not to say it won't be in an operating procedure or  
21 surveillance procedure.

22 JUDGE KELBER: Go on to contention six.

23 MS. BURTON: May I have a moment for a few  
24 comments here? We don't accept a representation that if  
25 surveillance, which is not required, will necessarily be

1 undertaken according to a regular schedule. We are, also,  
2 aware that this applicant is about to go through a process  
3 of divesting itself with these plants and there may be a new  
4 owner, which, if it's not bound by a requirement, can't be  
5 expected necessarily to do something.

6 I want to point out that the technical -- present  
7 technical specifications require that soluble boron be  
8 maintained at that particular concentration all the time. I  
9 believe that the submission by the applicant suggests that  
10 that technical specification somehow may be violated, if, in  
11 fact, it has to surveill the level of boron at any time, and  
12 it has not submitted scenarios that would support how boron  
13 comes in or comes out of the pool and out of the solution.

14 I'll, also, point out that the -- although there  
15 is a requested requirement for surveillance during fuel  
16 movements, I'm not aware that there is any requirement for  
17 the surveillance that would determine whether or not the  
18 assemblies have been properly placed. And, therefore, it is  
19 somewhat nonsensical to permit this very irregular -- not  
20 irregular, but very infrequent surveillance without, also,  
21 monitoring the placement of the fuel rods, particularly  
22 where there seems to be a history in the industry of  
23 misplacement, and that certainly reduces -- increases the  
24 risk of -- criticality reduces the margin.

25 We do not accept the applicant's worse case

1 assessment, which it presented a few moments ago, because  
2 its worse case assessment is based on only a one -- a single  
3 mispositioned assembly, and we do not accept that that is a  
4 worse case. And, certainly, the history of the industry  
5 does support that there is, as I've said, a likelihood of a  
6 misplacement of more than one fuel assembly, further  
7 reducing the margin, further increasing the risk of  
8 criticality.

9 It appears, again, that this component of the  
10 application is presented to cut costs and there is a comment  
11 to reduction in safety protection for the public. We find  
12 this unacceptable. And -- excuse me -- also, I want to  
13 point out that it has been pointed out that in our filings,  
14 we have made reference to misoriented fuel assemblies in the  
15 reactor. But, what we need to point out about that is that  
16 the standards are very much different in the reactor than  
17 they are in the spent fuel pool. The standards are more  
18 stricter and more -- much more precise. And, therefore, I  
19 think that we can assume that if the strict standards are  
20 not complied with, there is diminished expectation that  
21 diminished -- lesser standards will be complied with in the  
22 spent fuel pool.

23 And I would, also, like to point out, the  
24 footnote, which appears, continued on page 19, has a  
25 reference to a licensed event report at the Tennessee Valley

1 Authority. I'd like to point out that that involved two  
2 incidents going on at the same time of misoriented fuel  
3 assemblies in the reactor.

4 CHAIRMAN BECHHOEFER: Ms. Burton, if I understand  
5 your contention, you would think, as an alternative, they  
6 might provide a surveillance requirement to check for  
7 misloaded fuels at the determination of fuel movement; is  
8 that correct?

9 MS. BURTON: That would seem to be logical and  
10 necessary.

11 CHAIRMAN BECHHOEFER: Yeah, I'd like to have some  
12 comments on that, which is an alternative. Mr. Repka?

13 MR. REPKA: I'm sorry, I missed your question.

14 CHAIRMAN BECHHOEFER: I was saying, their proposed  
15 contention five, at the end of it, suggests that an  
16 alternative to the surveillance that they request would be a  
17 check -- a surveillance to check for misloaded fuel  
18 assemblies at the determination of fuel movements, and I'd  
19 like to get your comments on that. That's from page 18 and  
20 19. What I'm quoting from is on page 19 of the supplement.

21 MR. REPKA: Well, first, the procedures related to  
22 moving fuel do require verifying the fuel movements and the  
23 locations of the movement. So, that's already in the  
24 procedures, which are adopted pursuant to 10 CFR 74.31,  
25 which are -- which require surveillance requirements related



1 to special nuclear material inventory. So, there are those  
2 procedures in place.

3 Second, I think that there's a lot of talk about a  
4 history in the nuclear industry of misloading and  
5 misplacing. I don't think the cases cited really establish  
6 that that's a true statement. I mean, when you -- two of  
7 the three cases are -- involve the reactor vessel and the  
8 only case involving a spent fuel facility is not really a  
9 misloading case, it's a case of a fuel assembly being left  
10 on the hoist, hanging slightly above its location. There  
11 isn't really a basis for that assertion that there's a  
12 history in the nuclear industry of misplacing fuel.

13 The third thing is this speculation that somehow a  
14 future owner of these facilities might not stand by the same  
15 requirements. I mean, that's completely speculative and I  
16 think inappropriate here.

17 And the fourth thing is, as we've already talked,  
18 the criticality analysis already assumes a misplaced,  
19 misloaded assembly and subcriticality is maintained. So, if  
20 you assume the very event that is being talked about, that's  
21 been specifically analyzed and addressed.

22 CHAIRMAN BECHHOEFER: But, you're specifically  
23 stating that there is a requirement for checking misloaded  
24 fuel assemblies at the conclusion of a movement?

25 MR. REPKA: There are operating procedures that

1 require verification of the fuel movement in the location.

2 CHAIRMAN BECHHOEFER: Well, but do they have the  
3 status of a tech spec, for instance?

4 MR. REPKA: No, it's an operating procedure. It  
5 does not, but --

6 CHAIRMAN BECHHOEFER: These things you can change  
7 at will, could you not?

8 MR. REPKA: "Will" would probably not be the right  
9 term. Operating procedures are subject to control under 10  
10 CFR 5059.

11 CHAIRMAN BECHHOEFER: Yeah, well, that's  
12 essentially subject to much later review, if at all. So --

13  
14 MR. REPKA: As are many things at the power plant.

15 CHAIRMAN BECHHOEFER: Oh, I realize that. Is  
16 there any further -- Mr. Weisman, do you have any further -  
17 -

18 MR. WEISMAN: I would just add, Your Honor, that  
19 the argument that -- it's an fortiori argument, that the  
20 controls and the reactor are stricter than those in the  
21 spent fuel pool and, therefore, an error in loading in the  
22 reactor shows that there could be errors in loading in the  
23 spent fuel. That is not a good argument, because the events  
24 that are cited in the supplement have to do with rotation of  
25 a fuel assembly in the proper location and it's a far cry

1 from saying that a fuel assembly was loaded into an  
2 incorrect location. So, that is just simply not a good  
3 argument.

4 And I would, also --

5 CHAIRMAN BECHHOEFER: Well, is that not more or  
6 less an evidentiary matter, rather than --

7 MR. WEISMAN: Pardon me?

8 CHAIRMAN BECHHOEFER: Is that not an evidentiary  
9 matter, rather than a basis?

10 MR. WEISMAN: Well -- but the basis -- the basis  
11 has to be a good factual basis. I mean, the basis -- if the  
12 basis is incorrect, you don't have to accept it at face  
13 value, as we spoke this morning. So, that's not a merits  
14 issue. It's not an evidentiary matter.

15 MS. BURTON: May I just add one point? Sorry?

16 CHAIRMAN BECHHOEFER: Well, I had one further  
17 question. Mr. Weisman?

18 MR. WEISMAN: Yes.

19 CHAIRMAN BECHHOEFER: What about the statement  
20 that there should be a surveillance requirement to check for  
21 misloaded fuel assemblies at the determination of fuel  
22 movement? Now, we've heard that there's going to be an  
23 operational requirement. Does that assume the same status,  
24 in the eyes of the staff, as a tech spec?

25 MR. WEISMAN: The operational requirement is not

1 the same as a tech spec. As I stated earlier, the -- this  
2 kind of surveillance requirement would have to meet one of  
3 the criteria in 5036(c)(2)(ii), in order to be included, and  
4 we don't think that it does. However, the licensee has  
5 proposed procedures to comply with -- I believe with 7231,  
6 for control, and the staff has probably -- I have not seen  
7 any safety evaluation on that; but to the extent that they  
8 submitted that to us, it's going to be in their FSAR and it  
9 will be controlled by 5059. So, it is a different method of  
10 control, but it's not the same status as a tech spec.

11 CHAIRMAN BECHHOEFER: When this was being proposed  
12 as a substitute for an existing tech spec, which is being  
13 removed, does not that at least create an issue? That's  
14 what I'm trying to say. It's not saying who is right or  
15 wrong --

16 MR. WEISMAN: If there were a good contention in  
17 the first place, that might be an appropriate remedy for the  
18 petitioners to request. But, since there isn't any basis  
19 for the tech spec to begin with, we never get to the  
20 question of the relief. I --

21 CHAIRMAN BECHHOEFER: Well, the basis for the tech  
22 spec is it's there now. Isn't it an adequate basis for the  
23 tech spec --

24 JUDGE KELBER: Wait a minute, I didn't quite  
25 understand that last sentence.

1 MR. WEISMAN: All right. If I might, let me try  
2 and explain. When I first addressed contention five, I  
3 quoted from Vermont Yankee, to say there has to be some  
4 causative mechanism.

5 CHAIRMAN BECHHOEFER: Yes.

6 MR. WEISMAN: Petitioners haven't given us a  
7 causative mechanism to show that this is a good contention.  
8 The request that there be a surveillance would -- might be  
9 an appropriate ending for a good contention. But, we don't  
10 have a good contention. We don't have the causative  
11 mechanism in the first place to ever get there.

12 JUDGE KELBER: As I understand it, and Ms. Burton  
13 will correct me, I'm sure, if I'm wrong, but they're saying  
14 that the frequency of misloaded errors, regardless of  
15 whether they're right about the frequency, that's a  
16 different matter, but the frequency of misloaded errors  
17 leads them to think that there might be two such sequence  
18 and if the boron then were not in the proper amount, you  
19 would have a criticality accident. Now, is that a causative  
20 mechanism?

21 MR. WEISMAN: Let me address the second part, and  
22 that is the boron in the pool. We know that there is going  
23 to be boron in the pool during the loading, but the  
24 contention doesn't say, in any way, how the boron  
25 concentration would go down. That's the simple answer. So,

1 there's no causative mechanism for lowering the  
2 concentration of the boron in the pool.

3 JUDGE KELBER: Thank you, very much.

4 MS. BURTON: Pardon me, may I make two brief  
5 comments?

6 CHAIRMAN BECHHOEFER: Sure.

7 MS. BURTON: Just simply in support of the -- of  
8 something that was previously said by one of the panel  
9 members, and that is that in response to the question about  
10 the -- about causation, that is in -- we provided a basis  
11 for that in the existing technical specification and that  
12 does suffice.

13 Also, my second point is that I believe it's been  
14 conceded by the staff that is considering implementing a  
15 requirement that would require the surveillance check after  
16 loading of the fuel assemblies and that that would be set  
17 forth in the safety evaluation report. That would seem to  
18 suggest that it wouldn't be necessary -- the staff wouldn't  
19 deem it to be necessary, unless at the same time it accepted  
20 that there was merit to our contention being presented.

21 MR. WEISMAN: Perhaps I misspoke or perhaps Ms.  
22 Burton misunderstood me. What I intended to say was that  
23 this surveillance requirement does not meet the criteria in  
24 5036(c)(2)(ii) and, therefore, does not need to be in tech  
25 specs. So, the staff is not considering putting it into the

1 tech specs.

2 CHAIRMAN BECHHOEFER: I see.

3 MS. BURTON: I think the point is that what we're  
4 addressing are the current technical specifications, not the  
5 proposed.

6 MR. REPKA: I have an observation that I find is a  
7 little troubling, because I think, in a sense, it's already  
8 there in tech specs. If you have a tech spec that says you  
9 have three regions and they are subject to certain  
10 restrictions and limitations on burn up and decay time and  
11 all of that, it's there. I mean, the requirement is there  
12 that that fuel be where it is supposed to be. It's within  
13 tech specs. Now, whether the company goes back and verifies  
14 that once, twice, or five times, it's already in tech specs  
15 and the thing that we have to meet is already there. If we  
16 fail to do that, we fail to meet the tech spec.

17 MR. WEISMAN: The staff would -- Your Honor, the  
18 staff would agree that there is a surveillance requirement  
19 to verify that a fuel assembly will be loaded into the  
20 correct location. That's prior to the fuel movement. What  
21 there is not --

22 CHAIRMAN BECHHOEFER: Prior or after?

23 MR. WEISMAN: Prior -- prior to the fuel movement,  
24 and that's 4 -- I have it written down here -- it's  
25 4.9.13.1. That's where those tech specs are. What we are

1 saying is that there does not need to be a second  
2 surveillance after the fuel movements are complete. That  
3 does not need to be in tech specs. Now, certainly, we've  
4 heard from the licensee that there is, in fact, an  
5 administrative procedure afterwards to verify, but it's not  
6 required by tech specs.

7 MR. REPKA: There are administrative procedures  
8 that control movement of fuel and everything, of course, is  
9 subject to stop, think, act, review procedures and  
10 procedures of that nature. So, you know, the fact that  
11 there's no tech spec that says now that you've moved it and  
12 you've followed your procedures, you need to go back and you  
13 have one more time to meet this tech spec, surveill that  
14 it's in the right location, there is not that and I would  
15 agree with the staff, there is not need for that.

16 MS. BURTON: May we offer a brief point of  
17 clarification by David Lochbaum, my expert to the right?

18 CHAIRMAN BECHHOEFER: Yes.

19 MS. BURTON: Thank you.

20 MR. LOCHBAUM: Thank you, very much. There is  
21 some discussion of causation and I worked on this contention  
22 and I can tell you what was going through my mind, as point  
23 of clarification. We didn't provide a real explicit  
24 causation, because the existing technical specification  
25 required the applicant to check the boron concentration



1 periodically. We'll accept 72 hours, whatever it is, but  
2 periodically while they move the fuel, they have to go out  
3 and check boron concentration at all times. They wanted to  
4 retain that in the new one only when they're moving fuel.  
5 We didn't provide causation, because whatever provided the  
6 basis for this periodic check is the causation. We didn't  
7 develop it, we just questioned it. Whatever mechanism that  
8 the staff, when they approve that tech spec, and the  
9 applicant, when they proposed it, that could cause the boron  
10 concentration to drop within that period, since it needs to  
11 be checked periodically, is the issue we're raising.

12 CHAIRMAN BECHHOEFER: Thank you. Anything else on  
13 five?

14 MS. BURTON: We do have one comment, if I may?

15 CHAIRMAN BECHHOEFER: Yes.

16 MS. BURTON: And that is that we gave only two  
17 illustrations of mishandling fuel assemblies, but what we  
18 would further say on that is that that would be a matter  
19 that would be subject to discovery in the hearing process  
20 and we would certainly endeavor to compile a complete record  
21 and history of mishandling of the fuel assemblies.

22 CHAIRMAN BECHHOEFER: Okay. Let's go on to six.

23 MR. WEISMAN: If I may, Your Honor, just one brief  
24 comment?

25 CHAIRMAN BECHHOEFER: Oh, I'm sorry.

1 MR. WEISMAN: I just wanted to remind the Board of  
2 something that Mr. Repka had mentioned before, which is the  
3 reason why that boron concentration was there in the first  
4 place and that had to do with the possibility of boraflex  
5 not being effective, and that's the whole reason for  
6 amendment 158, which was issued in response to the  
7 application that's dated November 11, 1997 and the amendment  
8 was issued April 9, 1998. So, these kinds of amendments are  
9 really only intended to be a temporary kind of fix, until  
10 the licensee comes up with a more permanent way of dealing  
11 with the problem of boraflex, which the staff identified in  
12 their generic letter. And that's really all I have to say.

13 JUDGE COLE: And the problem of boraflex was  
14 resolved by the use of boral or some other means?

15 MR. WEISMAN: In that amendment, it was resolved  
16 by raising the boron to require boron concentration in the  
17 spent fuel pool water temporarily. In here, in this  
18 amendment, the new racks will indeed have boral and that's  
19 how they will solve that problem.

20 CHAIRMAN BECHHOEFER: Let's move on to six, then,  
21 I guess.

22 MS. BURTON: Contention six: proposed criticality  
23 control measures would violate NRC regulations. The  
24 criticality control measures proposed by the applicant would  
25 violate criterion 62 of the general design criteria GDC set

1 forth in Part 50, Appendix A. GDC 62 requires that,  
2 "criticality in the fuel storage in handling system shall be  
3 presented by physical systems or processes, preferably by  
4 use of geometrically safe configurations." In violation of  
5 this requirement, the applicant proposes to seek to prevent  
6 criticality at Millstone Unit 3 by the use of ongoing  
7 administrative measure. Our basis for the contention is GDC  
8 62 is the sole regulatory foundation for criticality control  
9 in fuel pools.

10 The NRC staff has employed other documents in its  
11 consideration of criticality, but these documents are not  
12 regulations. For example, the NRC has repeatedly referred  
13 to the draft component of proposed revision two to the  
14 regulatory guide 1.13, dated December 1981, titled "Spent  
15 Fuel Storage Facility Design Basis." That document, in  
16 addition to being a draft, is not a regulation. The NRC  
17 staff has, on various occasions, allowed nuclear power plant  
18 licensees to rely upon administrative measures for  
19 criticality control, as the applicant proposes in this  
20 application. Such reliance violates GDC 62 and, therefore,  
21 violates NRC regulations.

22 The applicant proposes to rely upon the following  
23 administrative measures for criticality control at Millstone  
24 Unit 3: (1) maintenance of a given content of soluble boron  
25 in the pool; (2) limits on fuel enrichment and fuel burn up

1 in Region 1, four out of four racks, and Region 2 racks; and  
2 (3) limits on fuel enrichment, fuel burn up or fuel decay  
3 time in Region 3 racks. GDC 62 requires reliance on  
4 physical systems or processes, rather than administrative  
5 measures, under both normal conditions and accident  
6 conditions. For practical application of GDC 62, a credible  
7 range of accident conditions must be defined. The NRC has  
8 not formally provided such a definition.

9 A potentially useful definition of credible  
10 accident conditions is provided by implication through the  
11 draft regulatory guide 1.13, cited above. Paragraph 1.4 of  
12 Appendix A of draft regulatory guide 1.13 states, "At all  
13 locations in the LWR spent fuel storage facility, where  
14 spent fuel is handled or stored, the nuclear criticality  
15 safety analysis should demonstrate that criticality could  
16 not occur without at least two unlikely independent and  
17 concurrent failures for operator violations." This  
18 statement could be interpreted as saying that the set of  
19 noncredible accident scenarios for the purposes of  
20 criticality control encompasses scenarios involving at least  
21 two unlikely independent and concurrent failures or  
22 violations. All other accident scenarios would then be  
23 regarded as credible.

24 Experience at U.S. nuclear power plants shows that  
25 failure of administrative measures that seek to limit fuel

1 enrichment, fuel burn up, or fuel decay time is a likely  
2 occurrence. Moreover, it is likely that these  
3 administrative measures would fail in such a manner that  
4 more than one fuel assembly out of compliance would specify  
5 limits. Also, failure of administrative measures that seek  
6 to limit fuel enrichment, fuel burn up, or fuel decay time  
7 can proceed or follow, rather than being confronted with  
8 failure of administrative measures that seek to maintain a  
9 given content soluble boron in pool water. As a result, if  
10 the Millstone Unit 3 fuel pool were to operate as proposed  
11 in this application, a variety of accident scenarios of  
12 other criticality could occur and are credible according to  
13 the definition of criticality, which is implied by paragraph  
14 1.4 of Appendix A of draft regulatory guide 1.13; thus, GDC  
15 62 would be violated under accident conditions.

16 To this I wish to add a few points. First, I will  
17 call to the Board's attention to the recent decision in the  
18 matter of Carolina Power and Light Company, docket number  
19 50-400-LA; that's the Sharon Harris. And in that matter,  
20 which, also, involves licensing of a spent fuel pool  
21 facility, one of the technical contentions presented, which  
22 is substantially the same as the -- as our contention six,  
23 has been accepted by the Board and paneled in that matter by  
24 memorandum and order, dated July 12, 1999.

25 JUDGE COLE: Do you have a reference more specific

1 than that, because I have that decision with me?

2 MS. BURTON: This would be page 17.

3 JUDGE COLE: Contention TC-2?

4 MS. BURTON: Yes; correct.

5 JUDGE COLE: Okay.

6 [Pause.]

7 JUDGE KELBER: Why don't you go on.

8 MS. BURTON: Yes. I wanted, also, to say that we  
9 are aware that a historical analysis of GDC 62 reveals that  
10 administrative measure were excluded by the NRC and that was  
11 with the -- with industry support. We are prepared at  
12 hearing to present a complete historical analysis that will  
13 show that GDC renders -- GDC 62 renders much of what has  
14 been allowed at nuclear reactors in their spent fuel pools  
15 since the 1980s; and more particularly what we assert in  
16 this proceeding is that credits for administrative measures,  
17 including aging, burn up, and the boron issues, do qualify  
18 as administrative measures, which are not deemed to qualify  
19 under GDC 62 for criticality protection.

20 Thank you.

21 CHAIRMAN BECHHOEFER: Mr. Repka?

22 MR. REPKA: Judge Bechhoefer, this contention  
23 asserts that -- it's very simple, that the proposal doesn't  
24 comply with GDC 62. GDC 62 specifically requires that  
25 "criticality in the fuel storage and handling system shall

1 be prevented by physical systems or processes, preferably by  
2 use of geometrically safe configurations." And then as  
3 we've cited in our papers, the NRC Appeal Board has  
4 previously held that GDCs are engineering goals, rather than  
5 precise tests or methodologies, by which reactor safety can  
6 be fully or satisfactorily gauged; that more specific  
7 acceptance criteria would be developed in NRC staff  
8 documents, such as reg guides, standard review plans, branch  
9 technical positions, and the type.

10 Be that as it may, if you look at the words of GDC  
11 62, it's really very simple. Criticality is prevented by  
12 physical systems or processes, preferably geometrically safe  
13 configurations. The current racks at Millstone Unit 2 use  
14 racks in geometrically safe configurations, in conjunction  
15 with other physical means, such as -- such as boraflex,  
16 boron in the water, and fuel burn up and enrichment  
17 restrictions, which is indeed a physical process. The  
18 proposal would, also, use physical -- geometrically safe  
19 configurations in the racks, including in appropriate places  
20 boral, cell blockers, spacing of course throughout the  
21 racks; physical components, such as boral, boron; and  
22 physical processes, such as burn up and enrichment limits.

23 There is simply no change in this regard, in  
24 regard to the things GDC 62 looks for, as between the  
25 current racks and the proposed racks, and we find the

1 contention to be without basis. I recognize that a similar  
2 contention on the narrow legal issue of compliance with GDC  
3 62 was admitted in the Sharon Harris case by the licensing  
4 board. I believe that's non-binding precedent and I believe  
5 that given the simple words of GDC 62, that there really is  
6 no basis for a legal contention asserting noncompliance with  
7 GDC 62.

8           With respect to a second basis admitted at Sharon  
9 Harris, the Board seemed to rely, to some degree, upon the  
10 fact -- in fact, the only real basis offered was that the  
11 staff had an outstanding request for additional information  
12 on the fuel misplacement event, which, as we've discussed  
13 earlier today, has been analyzed for Millstone. There is no  
14 request for additional information outstanding. And in  
15 addition, there is very strong precedent in a recent  
16 decision involving the Duke Energy at Conee facility, dated  
17 April 15, 1999, that suggests that a request for additional  
18 information, which we don't have here, can't really be a  
19 basis for a contention without some independent analysis or  
20 independent basis.

21           So having said all that, I think that the decision  
22 in Sharon Harris is non-binding here and there's no basis  
23 for the conclusion that the proposal doesn't comply with GDC  
24 62.

25           MR. WEISMAN: I would second what the licensee has



1 said about -- regarding that you have to look at the whole  
2 application and all the measures that are employed to  
3 control criticality, including spacing and the separation  
4 requirements, so that there are certainly physical means  
5 used to prevent criticality proposed in this amendment.

6 Second, the petitioners state that GDC 62 is the  
7 sole regulatory foundation for criticality control in spent  
8 fuel pools, but they ignore 5068, which, also, applies to  
9 criticality control in spent fuel pools and 5068 explicitly  
10 allows for administrative controls. GDC 62 does not  
11 necessarily require only physical means; and, indeed, there  
12 has to be some administrative controls employed, in order to  
13 control the movement of the fuel. The fuel has to be moved  
14 in and out of the reactor, in and out of the spent fuel  
15 pool.

16 Finally, in Sharon Harris, I would offer that  
17 Sharon Harris is distinguishable from this amendment,  
18 because in Sharon Harris, they are dealing with new unused  
19 pools, new requirements. They have two pools that have not  
20 previously been used and had no requirements applicable to  
21 them and are now being placed -- the Sharon Harris wish is  
22 to place them into service, and that's a different situation  
23 than we have here. And second, my understanding is from the  
24 staff that Sharon Harris did not rely on administrative  
25 controls.

1           Finally, I would say that, as Mr. Repka said,  
2 Sharon Harris, the licensing board's decision there is not  
3 precedent. If the petitioners are trying to make a  
4 collateral estoppel argument, they haven't laid out the  
5 factors that are necessary for collateral estoppel and I  
6 would think that --

7           CHAIRMAN BECHHOEFER: I don't think they're trying  
8 to do that.

9           MR. WEISMAN: It wouldn't apply here.

10          CHAIRMAN BECHHOEFER: But, I don't think they're  
11 even trying to do that.

12          MR. WEISMAN: Okay.

13          CHAIRMAN BECHHOEFER: I think they're just trying  
14 to use it as an example of how this type of contention was  
15 admitted.

16          MR. WEISMAN: Well, that's fine.

17          JUDGE KELBER: Are you done now?

18          MR. WEISMAN: I am done; thank you.

19          JUDGE KELBER: I am somewhat puzzled by your very  
20 strict interpretation of GDC 62, because I can easily design  
21 a fuel element surrounded by boral on all sides that is  
22 critical all by itself; with or without water, I can do  
23 that. I have to know the enrichment. I don't -- if you  
24 don't put any limits on the enrichment or that composition,  
25 I assure you I can design such a fuel level. So, I think

1 you have to have at least one administrative control and  
2 that is enrichment. And, in fact, you have to know the burn  
3 up. There are designs, in which, in fact, the uranium will  
4 be placed by substantial portions of plutonium. That  
5 affects it, as well. So, I don't really understand the  
6 strict construction that you have placed on GDC 62.

7 MS. BURTON: May it please the Chairman, I would  
8 like to, at this time, refer a clarification to Dr.  
9 Thompson. It would be helpful.

10 JUDGE KELBER: Okay.

11 DR. THOMPSON: We'd say that there are two classes  
12 of administrative measures: those that are made over a  
13 finite time and after having been made are no longer  
14 necessary; and in the second class, administrative measures  
15 that are required on an ongoing basis. The design and  
16 construction of a rack with fixed spacing between fuel  
17 assemblies requires actions of an administrative type to  
18 perform correctly. Once the rack is installed, no further  
19 ongoing administrative action of any kind is required to  
20 exploit the physical phenomena of separation of fuel  
21 assemblies. Similarly, the placement of boral plates around  
22 the cells in the rack requires administrative and quality  
23 control measures, up to the point when the rack is completed  
24 and installed. No further ongoing action is required.

25 In distinction to this category of administrative

1 actions are those that are required on an ongoing basis.  
2 Taking credit for burn up and enrichment, the soluble boron  
3 and for decay time, all require ongoing administrative  
4 measures. Our research of the development of GDC 62 under  
5 the Atomic Energy Commission shows that -- very clearly that  
6 in the early versions of this criterion, there was a  
7 possibility for ongoing administrative actions and that this  
8 possibility was removed as the criterion involved and came  
9 to its present form. During that period of evolution of the  
10 criterion, there was extensive comment from the nuclear  
11 industry, from the advisory committee on reactor, and from  
12 the staff of the Atomic Energy Commission. All of them  
13 accepted the evolution of this criterion into its present  
14 form, which excludes administrative measures or an ongoing  
15 type.

16 JUDGE KELBER: Where does fuel enrichment come in  
17 this? What type of administrative control is that? Is it  
18 one type when the rack is designed and another type when the  
19 --

20 DR. THOMPSON: The enrichment is something that's  
21 required to be maintained on an ongoing basis, that's  
22 correct, because the assemblies -

23 JUDGE KELBER: But, isn't it not --

24 DR. THOMPSON: -- the assemblies come in and out  
25 of the -- come into the plant and out of the reactor.

1 JUDGE KELBER: But when I design the rack, I can  
2 ignore enrichment, is that what you're telling me?

3 DR. THOMPSON: No, not at all.

4 JUDGE KELBER: I see.

5 DR. THOMPSON: The enrichment is something that's  
6 fixed at the fuel enrichment facility and every plant has as  
7 one of the key technical specifications, a limit on the  
8 enrichment of fuel that comes into the plant.

9 JUDGE KELBER: But that can change from time to  
10 time with the plant. Let's talk about the fuel racks,  
11 themselves. I design a fuel rack. I design it to  
12 accommodate fuel of a certain enrichment -- maximum  
13 enrichment, perhaps. By enrichment, I mean the amount of  
14 fissile isotopes in the fuel. Now, when I design it, that's  
15 one type of administrative control. Are you telling me now  
16 that that changes to a different type of administrative  
17 control after the rack is built?

18 DR. THOMPSON: The design of the rack will be  
19 predicated upon the assumption of some upper level of  
20 enrichment of fuel that might be asserted into that rack.  
21 The -- to ensure that fuel never enters this licensed  
22 facility with an enrichment level above this level that was  
23 specified in the rack design does require ongoing  
24 administrative actions. These are quite different in nature  
25 from the types of administrative actions that are needed to

1 keep track of the burn up, enrichment combination that, is  
2 used to take credit for burn up.

3 JUDGE KELBER: Why are they different?

4 DR. THOMPSON: Because the -- enrichment is a  
5 parameter that is specified for fuel assembly -- the maximum  
6 enrichment is specified at the time of manufacture of the  
7 fuel or more specifically, at the time of enrichment of the  
8 uranium that goes into making the fuel. And that is -- the  
9 maximum enrichment entering the plant is in this category of  
10 one time actions, although it's not one time in quite the  
11 same sense, because it's one time in the life of the  
12 assembly. Each assembly has a maximum enrichment at one  
13 point in its life, which is set at the time of manufacture.  
14 The specifications of the rack are, also, set one time, at  
15 the time of its manufacture, but each rack over its life  
16 history will have a number of assemblies coming into and out  
17 of it.

18 JUDGE KELBER: Now, if I have fuel elements loaded  
19 into -- into one of the new high power density lattices,  
20 there are locations where, in fact, the conversion ratio may  
21 be very close to one or even slightly higher and, in which  
22 case, for every U235 that's burned up, may make at least --  
23 may make close to one plutonium 239. And unless times have  
24 changed greatly, the plutonium 239 is worth somewhat more in  
25 reactivity than the 235 that it's replacing. So, in fact,

1 the reactivity worth of that element would -- in the rack,  
2 would be somewhat greater -- that unless your claim is that  
3 that's not important.

4 DR. THOMPSON: That's something that you would  
5 take account of with a factor of safety in the rack design.

6 JUDGE KELBER: I see. In the rack --

7 DR. THOMPSON: Again, as a one-time action.

8 JUDGE KELBER: You're saying that in the rack  
9 design, we should allow credit for burn up?

10 DR. THOMPSON: No, I'm talking about one time  
11 actions, as opposed to ongoing actions.

12 JUDGE KELBER: I'm finding it very difficult to  
13 understand how --

14 DR. THOMPSON: The point you mentioned is a point  
15 that would be taken into account, at the time of rack  
16 design. If there is a condition, in which plutonium in  
17 growth gives you higher reactivity than a fresh assembly,  
18 then you would simply account for that, as a factor in rack  
19 design, as a one-time action.

20 JUDGE KELBER: Well, certainly, it must make a  
21 difference where you put that element.

22 DR. THOMPSON: The -- I would argue that a correct  
23 and literal reading of GDC 62 would require the racks to be  
24 so designed that the most reactive possible assembly that  
25 met the overall -- met the heat tech specs for this reactor,

1 including its core configuration and its incoming  
2 enrichment, that that most reactive assembly or a rack full  
3 of such assemblies should be subcritical --

4 JUDGE KELBER: Okay.

5 DR. THOMPSON: -- without boron or any other  
6 ongoing administrative --

7 JUDGE KELBER: Okay, I understand what you mean  
8 now.

9 MR. REPKA: May I respond to that briefly?

10 JUDGE KELBER: Please do.

11 MR. REPKA: I find that argument to be an  
12 amazingly semantic argument. It doesn't really have much  
13 support in the language of the GDC, which, again, the GDC is  
14 not intended as a precise requirement. It's intended as a  
15 goal. But, the GDC speaks to physical systems or processes  
16 --

17 CHAIRMAN BECHHOEFER: Mr. Repka, the GDC 62 was  
18 subject to notice and comment was it not?

19 MR. REPKA: It certainly was, to establish an  
20 engineering goal, rather than a specific set of acceptance  
21 criteria. But my point is that GDC 62 speaks to physical  
22 systems or processes. It doesn't mention administrative  
23 controls, either up or down. It doesn't say anything about  
24 one time actions versus ongoing administrative measures one  
25 way or the other. The fact of the matter is the petitioners



1 are taking a discrete set of components of this application  
2 and calling them administrative measures. They could call  
3 the apples or bananas just as well and saying that the GDC  
4 doesn't allow for apples or bananas, and that's simply --  
5 that's simply word games. It's semantics.

6 In reality, rack configurations, boraflex, boron,  
7 they're all physical systems. Spacing is a physical system.  
8 Burn up is a physical process. Enrichment limits are  
9 physical. Those are all things that are certainly  
10 contemplated by the GDC and to label them as administrative  
11 controls and say that they're not contemplated, I think, is  
12 simply wrong.

13 MR. WEISMAN: We would just simply add that  
14 there's no basis in GDC 62 or in 5068 to make the  
15 distinction between the two kinds of administrative  
16 controls, as the petitioners seek to do.

17 MR. REPKA: I would further add, with your  
18 indulgence, there was a reference to history related to the  
19 AEC and what they intended. But the fact of the matter is  
20 that there has been an awful lot of NRC precedent long since  
21 the AEC came and went, with respect to wet storage rack  
22 designs, and I'm not just talking about staff precedent, I'm  
23 talking about agency precedent, as to how it addresses what  
24 storage facilities and, you know, what -- any inference that  
25 can be drawn from what the AEC thought about GDC 62 and, you

1 know, in the 1960s, is really irrelevant, in light of all  
2 the precedent and the agency practice and the engineering  
3 work that has been done since.

4 MS. BURTON: May I respond?

5 CHAIRMAN BECHHOEFER: Yes.

6 MS. BURTON: Of course agency practice does not  
7 the law make and I'd like to point out several further  
8 points. As a matter of law, it is our contention that GDC  
9 62 is controlling as a legal matter, in terms of the pool  
10 design. That is one of our legal contentions here.

11 And responding to the NRC staff, which has cited  
12 Section 50.68, we dispute their interpretation. We do not  
13 believe that that section permits administrative controls  
14 and, furthermore, that section is concerned with monitoring,  
15 whereas GDC 62 is exclusively concerned with and sets the  
16 standard in the law for design of the pool components.

17 CHAIRMAN BECHHOEFER: Is there anything further on  
18 contention six? I might add that if we should admit  
19 contention six or some part of contention six, I think we  
20 would want further extended legal discussion, as the Board  
21 in Sharon Harris really was appropriate on the -- really how  
22 GDC 62 should be interpreted and whether the use of  
23 administrative limits on burn up and enrichment properly  
24 conforms to GDC 62. That, as a legal issue at least, seems  
25 to have some merit and some differences of opinion. And we

1 may well, if we should admit this contention, at least, admit  
2 that legal aspect of it for further argument. So, we  
3 haven't finally decided yet, but it appears that the issue  
4 permitted in Sharon Harris may have some validity here, as  
5 well.

6 MR. REPKA: And Judge Bechhoefer, I would say in  
7 that scenario, that that's an issue that could precede prior  
8 to any discovery on that issue.

9 CHAIRMAN BECHHOEFER: Well, I won't say yes or no,  
10 but I will tend to agree with that. All right, go on to  
11 number seven now, I guess.

12 MS. HODGDON: Could we take a break before we move  
13 onto seven?

14 CHAIRMAN BECHHOEFER: Yes. That's what we were  
15 just discussing.

16 MS. HODGDON: All right.

17 CHAIRMAN BECHHOEFER: We were discussing whether  
18 people could wait for -- but, let's do it now.

19 MS. HODGDON: Yes; yes. Could we have -- well, do  
20 we have any idea of what time we're going to finish today?

21 JUDGE COLE: It depends on how fast you move along  
22 and I thought you'd finish seven very quickly and then we'd  
23 take a break.

24 MS. HODGDON: Well, I thought that because we were  
25 -- we were super critical here, that we may be finished with

1 criticality. But, before we move on to something else, we  
2 can take our break. It seems a reasonable, logical time to  
3 take the break. And besides that, it's the middle of the  
4 afternoon. It's almost 3:00.

5 CHAIRMAN BECHHOEFER: All right. Let's take 15  
6 minutes; 10 after 3:00 we'll be back.

7 [Break.]

8 CHAIRMAN BECHHOEFER: Back on the record. I've  
9 been handed a few documents, which I consider as limited  
10 appearance statements, and I will send these to the  
11 secretary for docketing. One is from the Coalition of  
12 Neighborhoods for the Preservation of SAG or SAGE Harbor --  
13 I'm not sure --

14 MS. BURTON: SAG Harbor.

15 CHAIRMAN BECHHOEFER: The other is from the  
16 Acrobonic Protection Committee and the third one is from the  
17 South Fork Groundwater Task Force. We will send these to  
18 the secretary and they will be entered into the record as  
19 limited appearance statements. They are not evidence, but  
20 they will be put into the record.

21 Okay, contention seven.

22 MS. BURTON: Yes, contention seven: significant  
23 increase in probability and consequences of overheating  
24 accidents. The application proposes to significantly  
25 increase both the irradiated fuel assembly inventory and the

1 associated decay heat levels in Millstone Unit 3 spent fuel  
2 pool. The decay heat mode increase has the inherent  
3 consequence of reducing the time available to respond to a  
4 loss of spent fuel pool cooling event. Reduced coping time  
5 correspondents to greater probability of failure to restore  
6 cooling in time to prevent overheating damage.

7 The inventory increase has the inherent  
8 consequence of increasing the amount of radioactive  
9 material, in other words source terms, in the spent fuel  
10 pool. Greater source term inventory corresponds to greater  
11 consequences in event of fuel damage, because more  
12 radioactive material is released.

13 Our basis is that the applicant proposes to more  
14 than double the amount of spent fuel stored in the Millstone  
15 Unit 3 spent fuel pool. Quoting from the application, "The  
16 pool presently contains 756 storage cells, which were  
17 installed during original plant construction. This license  
18 application addresses installation of 15 high density rack  
19 in the Millstone Point 3 pool. These 15 high density racks  
20 have a maximum capacity of 1,104 storage cells." The  
21 applicant concedes that the proposed activity will increase  
22 the decay heat load in the spent fuel pool. "With the  
23 expanded capacity, the spent fuel pool cooling system will  
24 be required to remove an increased heat load, while  
25 maintaining the pool water temperature within the design

1 limit."

2 If this proposed activity is implemented, there  
3 will be significantly less water available in the spent fuel  
4 pool. The 15 large storage racks and the 1,104 additional  
5 fuel assemblies will displace a considerable amount of water  
6 that would otherwise be in the pool. Higher heat loads with  
7 reduced water inventory inevitably means that there will be  
8 less time to cope with a loss of spent fuel cooling than is  
9 available at the present time.

10 The applicant has not demonstrated in its  
11 application that sufficient time remains, if the proposed  
12 activity is allowed. For example, the application states,  
13 "Piping penetrations are at least 11 feet above the top of  
14 the spent fuel, so that failure of inlets, outlets, or  
15 accident piping leaks cannot reduce the water below this  
16 level." Thus, the spent fuel pool at Millstone Unit 3 can  
17 be drained down to approximately 11 feet above the top of  
18 the irradiated fuel following a postulated design and  
19 licensing basis event. The spent fuel pool cooling system  
20 is disabled in that condition, so the spent fuel pool water  
21 will begin to heat up. The application states, "The bulk  
22 peak temperature of the spent fuel pool is limited to 200F  
23 of restructural qualification of the spent fuel pool."  
24 Therefore, the proposed activity significantly increases the  
25 probability that the spent fuel pool water temperature will

1 exceed the structural qualification temperature and, also,  
2 reach the boiling point.

3 That is contention seven.

4 CHAIRMAN BECHHOEFER: Ms. Burton, did you -- when  
5 you submitted this contention, had you reviewed the  
6 thermohydraulic analysis that the licensee refers to in  
7 footnote 13 of its response?

8 MS. BURTON: Yes, indeed.

9 CHAIRMAN BECHHOEFER: And how do you reconcile  
10 that?

11 MS. BURTON: I'd like to make a correction. We  
12 have had an opportunity to see the non-proprietary version,  
13 but not the proprietary thermohydraulic analysis.

14 CHAIRMAN BECHHOEFER: Mr. Repka?

15 MR. REPKA: Yes, Judge Bechhoefer. This  
16 contention fails for lack of specificity and a basis. It  
17 challenges the ability of the spent fuel pool cooling system  
18 to remove the extra decay heat and the allegation is that  
19 it's extra decay heat of the increased storage capacity.  
20 However, the contention never identifies any aspect of the  
21 spent fuel pool cooling system that is inadequate. It  
22 doesn't recognize it from a sizing and design and capacity  
23 perspective. The spent fuel pool cooling system has been  
24 licensed for heat loads of -- I think the current heat load  
25 it's licensed for is 2,160 assemblies. It's been that way

1 since amendment 60 in March 1991, so that it's already, from  
2 a cooling standpoint sized to address these kinds of heat  
3 loads.

4 There's no defect pointed out in the cooling  
5 system. There's the additional thermohydraulic analysis  
6 that's been submitted in connection with this and other  
7 licensed amendment applications. There's no specific  
8 challenge or no specific basis provided with respect to that  
9 analysis, to why is that analysis inadequate.

10 And with respect to the assertion that there would  
11 be reduced coping time, it's not clear as to what exactly  
12 that's referring to. But, in any event, there is  
13 substantial coping time with this -- given the spent fuel  
14 pool cooling system, as well as the ability to provide  
15 makeup to the spent fuel pool. None of that is even  
16 acknowledged. And so what the specific issue is, we can  
17 only speculate; what the basis for that is, we know there is  
18 none.

19 MS. HODGDON: I would point to one correction in  
20 the staff's brief. Apparently, in the last line on page 20,  
21 where it reads, "regarding the additional cause by the  
22 storage of additional fuel," that should say "heat load --  
23 additional heat load." Somehow or other, that happens to  
24 have been omitted.

25 CHAIRMAN BECHHOEFER: Which page?



1 MS. HODGDON: Page 20, last line on the page.  
2 Aside from that, since the petitioners have not introduced  
3 anything new, we would -- in this contention, we would just  
4 stand on our brief, that they -- it totally lacks basis.  
5 They don't take any account of the fact that the design  
6 basis heat load is well beyond what's being proposed here.  
7 And it just -- there's just no basis for the disconnected  
8 statements that they offer regarding the consequences of  
9 loss of spent fuel cooling, because they don't have anything  
10 on how that's going to happen or -- well, that's all. We  
11 just stand on what we said in the brief and I won't add  
12 anything further. Thank you.

13 JUDGE COLE: Ms. Hodgdon, on page 20 of your  
14 brief, the last line on that page, are there some words  
15 missing there?

16 MS. HODGDON: Yeah, I just said that one should  
17 write "heat load" after the first word, "additional heat  
18 load." I'm sorry, can't you hear me? Additional heat load,  
19 yes.

20 JUDGE COLE: Okay.

21 MS. HODGDON: That's it.

22 JUDGE COLE: Sorry.

23 MS. BURTON: May I briefly reply?

24 CHAIRMAN BECHHOEFER: Yes.

25 MS. BURTON: The criticisms from both the

1 applicant and the staff are misplaced, in that they are  
2 assuming a fully operable system. And our contention is  
3 that with the spent fuel pool drained down to the extent set  
4 forth, the system will be inoperable, it will not work, and,  
5 therefore, there is -- there shouldn't be any requirement  
6 for an analysis, as is thought by both the applicant and the  
7 staff.

8 MR. REPKA: I'll respond briefly to that. I think  
9 there's a reference there in the basis, they're talking  
10 about draining down to 11 feet. I think that sentence is  
11 taken out of context. That 11 foot was intended as a -- in  
12 a different context, as there would be at least 11 feet  
13 above the top. In fact, in loss of some sort of pipe  
14 rupture related to the spent fuel pool, there would be more  
15 than -- much more than 11 feet above the fuel assemblies.  
16 But, in any event, there's no explanation here as to how  
17 that is going to cause a problem. Why would there be no  
18 makeup capability in the spent fuel pool? And there are  
19 numerous sources of makeup water to the spent fuel pool.

20 What type of accident is that going to cause?  
21 What problems are with the thermohydraulic analysis related  
22 to loss of spent fuel pool cooling? There's no indication  
23 at all as to what the scenario of concern is or what the  
24 basis is, in which to challenge the analysis of record.

25 MS. BURTON: Two points, if I may?

1 CHAIRMAN BECHHOEFER: Yeah.

2 MS. BURTON: I believe that the applicant has  
3 conceded that a seismic event could cause a rupture in the  
4 pipes that provide water, which could lead to the -- and  
5 would, necessarily, to the inoperability of the maintenance  
6 of the system. And I would, also, like to point out that I  
7 don't believe that the application adequately analyzes the  
8 loss time necessarily attributable to the decrease in water  
9 through displacement in the spent fuel pool. Necessarily,  
10 there will be a decrease in the response time to such an  
11 event. And although there may be makeup systems that would,  
12 in the alternative, provide for flow into the pool, I don't  
13 believe the application analyzes whether there is sufficient  
14 time to perform such makeup.

15 MR. REPKA: The spent fuel pool cooling system is  
16 seismically qualified. The analysis -- the thermohydraulic  
17 analysis for the pool does mechanistically take certain  
18 breaks that it's required to take under the reg guide,  
19 regardless of the fact that it is seismically qualified, and  
20 that's why you get the scenarios that are analyzed for loss  
21 of spent fuel pool cooling.

22 There are curves in the FSAR related to time after  
23 maximum temperatures reached and other such things that are  
24 simply not even mentioned or addressed; nor is there any  
25 indication that there's any change, as a result of the

1 amendment. So, you know, the fact that there is an analysis  
2 specifically postulating the loss of spent fuel pool cooling  
3 belies the concern in the contention.

4 CHAIRMAN BECHHOEFER: Well, I think the contention  
5 indicates that the greater -- more heat.

6 MR. REPKA: But, that contention, as we said right  
7 at the outset, lacks basis, because: (1) the current spent  
8 fuel pool analysis of record already assumes the heat load  
9 from 2,160 assemblies; and (2) there's a thermohydraulic  
10 analysis that's included as -- referenced as part of this  
11 application that specifically deals with the heat load that  
12 would be involved with this set of racks and it, also,  
13 includes the issue of the reduced water inventory. All of  
14 those are specifically addressed in the analysis. And,  
15 again, there is no direct challenge. It's simply an  
16 allegation. It is inadequate, it's not enough, but we don't  
17 know why; we don't know what the basis is for that. It's  
18 precisely the kind of contention that the Commission has  
19 spoken to in its rules and in its guidance, its statement of  
20 policy on licensing proceedings. It's a contention without  
21 a basis.

22 MS. BURTON: May I respond or am I out of turn?

23 CHAIRMAN BECHHOEFER: Well, Mr. Weisman, you are -  
24 -

25 MR. WEISMAN: You assuaged my statement of

1 contention.

2 MS. HODGDON: I think I'll skip this round; if I  
3 may be allowed to speak next time maybe or --

4 JUDGE COLE: On the next contention or the --

5 MS. HODGDON: No, on a case-by-case basis. We've  
6 already addressed this point in our brief and so I -- we  
7 have nothing further to say on that, because the elaboration  
8 of this doesn't seem to me to be going anywhere.

9 CHAIRMAN BECHHOEFER: Okay.

10 MS. BURTON: Just briefly, we take issue with the  
11 statement of the applicant that the analysis adequately  
12 takes into consideration added heat loads with lowered  
13 water. We don't believe that the application includes an  
14 analysis for drain down due to seismic events and,  
15 therefore, they haven't been -- they have not been  
16 appropriately updated.

17 JUDGE COLE: Ms. Burton, so, you are theorizing  
18 that we get an above design basis seismic event to cause  
19 this situation?

20 MS. BURTON: On this point, may I defer, please,  
21 to Mr. Lochbaum?

22 JUDGE COLE: Sure.

23 MS. BURTON: Thank you.

24 MR. LOCHBAUM: Looking at page 5.3 of Attachment  
25 V, the applicant, in their submittal, stated --

1 JUDGE COLE: Let me see if I can get to that.

2 MR. LOCHBAUM: It's, also, on page -- we repeated  
3 it on page 23 of our contentions -- or filing. At the top  
4 of the page 23, the sentence I'm going to read is -- states,  
5 "Piping penetrations are at least 11 feet above the top of  
6 the spent fuel" --

7 JUDGE COLE: Right.

8 MR. LOCHBAUM: -- "so that" -- and I want to  
9 emphasize the following -- "failure of inlets, outlets, or  
10 accident piping leaks," end emphasis, "cannot reduce the  
11 water level below this level. It's not clear from our  
12 reading of this that they're referring to beyond seismic  
13 event, because they very carefully scolded us not to go  
14 beyond reactor -- severe accident reactor. So, I assume  
15 they're applying normal seismic events, normal failures,  
16 everything within the design analysis basis, when they make  
17 this statement.

18 MR. REPKA: What this statement is referring to is  
19 the non-mechanistic failures that the reg guide requires to  
20 be analyzed. And in that scenario, the piping penetrations  
21 are at least 11 feet above, so you're going to have at least  
22 11 feet and, in fact, much more water above the spent fuel.  
23 It will remain covered with that water volume. The  
24 thermohydraulic analysis then goes on to address that. So,  
25 any other failure of the piping system would require beyond

1 -- or the spent fuel pool inventory would require a beyond  
2 design basis earthquake. In fact, this would require a  
3 beyond design basis earthquake.

4 JUDGE COLE: All right, sir. Anything further on  
5 that?

6 MS. HODGDON: No, we've already addressed that.

7 CHAIRMAN BECHHOEFER: Okay.

8 MS. HODGDON: I keep referring to our paper.

9 CHAIRMAN BECHHOEFER: Contention eight?

10 MS. BURTON: Shall we continue to contention  
11 eight?

12 CHAIRMAN BECHHOEFER: Sure.

13 MS. BURTON: Increased probability and  
14 consequences of severe accidents. The application proposes  
15 to modify the Millstone Unit 3 pool in a manner that would  
16 significantly increase the probability and offsite  
17 consequences of severe accidents, defined here as accidents  
18 which involve partial or total uncovering of fuel assemblies  
19 and exothermic reaction of fuel cladding. A severe accident  
20 could release to the environment an amount of long-lived  
21 radioactive material, especially cesium 137, which exceeds  
22 the release from the 1986 Chernobel reactor accident.

23 Our basis is as follows: installation of high  
24 density racks in fuel pools introduces the potential for  
25 exothermic reaction of fuel cladding, if fuel assemblies are

1 partially or totally uncovered. This potential does not  
2 exist with low density racks. The technical factors  
3 underlying this potential are described in the February 1999  
4 report by petitioners' expert, Dr. Gordon Thompson, which  
5 appears here as Exhibit 1. Although the report focuses on  
6 the Sharon Harris plant, it, also, provides generic  
7 information, which applies to Millstone Unit 3.

8           Exiting conditions at Millstone Unit 3 provide  
9 baseline levels of probability and consequences of severe  
10 accidents. The actions proposed by the applicant will  
11 increase both the probability and the consequences. The  
12 probability of severe accidents will increase above the  
13 baseline level, because: (1) center, center distances in  
14 the fuel racks will decrease from the present 10.35 inches  
15 in the Region 3 racks to 9.017 inches in the new Region 2  
16 rack; (2) convective circulation of water, air, or steam  
17 will be further suppressed by the presence of additional  
18 racks in the pool; and (3) the greater heat load and reduced  
19 water mass in the pool will reduce the time scale of an  
20 accident, in which interruption of cooling leads to  
21 evaporation of water and the uncovering of fuel assemblies.

22           A reduction in center, center distance will have  
23 the effect of increasing the number of fuel uncovering  
24 scenarios that will proceed to a point where exothermic  
25 reaction of fuel cladding is initiated. Thus, a reduction



1 in center, center distance will cause an increase in the  
2 probability of a severe accident. The same effect will  
3 arise from the installation of additional racks in the pool.  
4 In this instance, the effect will arise, because convective  
5 circulation of water, air, or steam would be further  
6 suppressed by the presence of additional racks in the pool.  
7 A greater heat load and reduced water mass in the pool will  
8 have the effect of increasing the number of accident  
9 scenarios, wherein water loss proceeds to a point where fuel  
10 is partially or totally uncovered. Thus, a greater heat  
11 load and reduced water mass will cause an increase in the  
12 probability of severe accidents. The offsite consequences  
13 of severe accidents will increase above the baseline level,  
14 because more long-lived radioactive material, especial  
15 cesium 137, will be present in the pool and available for  
16 release to the environment.

17 I'll save my further comments to respond to what  
18 I'm anticipating to hear from the applicant and the staff.

19 CHAIRMAN BECHHOEFER: Okay, Mr. Repka?

20 MR. REPKA: We have addressed this proposed  
21 contention I think fairly thoroughly in our papers, and I'm  
22 not sure there's a whole lot to add to that. But just to  
23 seal our objection, I think that there's two major points:  
24 one, this contention is, by its very terms, focused on the  
25 potential for reactions and consequences that would result

1 from the fuel assemblies and the pool being partially or  
2 totally uncovered. That very scenario, by its -- by  
3 definition, is beyond the design basis. It's -- there is no  
4 basis provided in the contention or elsewhere to assume or  
5 to -- that that event is more probable than it is presently.  
6 It's made more probable by the proposal and, in fact, the  
7 proposal does not change that in any way.

8           And then with respect to the assertion that the  
9 greater heat load and reduced water mass in the pool will  
10 have the result of increasing the number of accident  
11 scenarios, when water loss proceeds to the point where fuel  
12 is partially or totally uncovered, again, there's simply no  
13 basis for that. We've talked about the thermohydraulic  
14 analysis that's been submitted. It specifically  
15 contemplates the reduced water mass and the heat loads that  
16 are involved. And there's no showing as to how the  
17 probability of one of these severe beyond design basis  
18 accidents would be increased by the proposal. In fact, that  
19 -- the probability of those kinds of events really  
20 represents a generic issue that would apply to any high  
21 density wet storage facility anywhere in the country. It  
22 would apply to the current proposal. It would apply to the  
23 existing racks and really represents another generic  
24 challenge to the NRC's regulatory structure.

25           CHAIRMAN BECHHOEFER: Ms. Hodgdon?

1 MS. HODGDON: The staff would agree with all of  
2 those things. We've briefed this, also, and have set forth  
3 all the reasons that a contention like this should not be  
4 admitted. It is, of course, beyond design basis accident.

5 I would point to just one thing that I left out in  
6 talking about contention seven, and maybe it would help to  
7 answer one of the questions, and that is there's a super  
8 heading there on page 21 that says, "accidents potentially  
9 involving exothermic reaction of cladding," and seven is  
10 included there, too. So, it would seem that in some sense,  
11 seven is sort of a subset of eight, in that it, also, is  
12 some sort of an accident that doesn't have -- Mr. Weisman  
13 cited this case, and doesn't have an initiator. It doesn't  
14 start anywhere. All it has is increased consequences. And  
15 so -- but, we have already --

16 CHAIRMAN BECHHOEFER: Does that mean that if we  
17 admit seven, we have to admit eight?

18 MS. HODGDON: No. I thought that it might help,  
19 because neither of these accidents has any basis. It might  
20 help to understand that they are apparently proceeding  
21 backwards from the same consequences, but they never get to  
22 the cause of these accidents. Apparently, somebody  
23 suggested beyond design basis seismic, with regard to seven,  
24 it's not at all clear what is causing the accident in A. So  
25 -- but, in any event, it's quite clear that it's beyond

1 design basis and for all the reasons that we set forth in  
2 our response, the Board should not admit the contention.

3 CHAIRMAN BECHHOEFER: Ms. Burton?

4 MS. BURTON: I'll respond. We do vigorously  
5 dispute these arguments of both the staff and the applicant,  
6 because we do believe that severe accidents are within the  
7 design basis. And more than that, it is our position that a  
8 severe accident at the spent fuel pool is a virtually  
9 automatic end result of a severe accident in the reactor and  
10 almost certainly will lead to very terrible conditions.  
11 And, in fact, the emergency planning, under the Atomic  
12 Energy Act, is predicated on this event. Backfits have been  
13 required, based on analysis of this event. And, in fact,  
14 the individual plant examinations, the IPE, have identified  
15 the susceptibility -- or studied or asked the licensees to  
16 identify their susceptibility to severe accidents.

17 Therefore --

18 JUDGE KELBER: I have to interrupt, but I don't  
19 believe that that statement is correct about the IPE,  
20 because severe accidents come under a level three PRA. The  
21 IPEs were not quite level one PRAs.

22 MS. BURTON: Well, I apologize, if I'm in error.

23 JUDGE KELBER: You're drawing conclusions, which  
24 simply cannot be drawn.

25 MS. BURTON: Well, I apologize, if I'm mistaken,

1 and I stand corrected. At this point, I stood corrected,  
2 but perhaps at this point, I would ask that Dr. Thompson be  
3 permitted to offer further clarification here.

4 JUDGE KELBER: I'm sorry to have interrupted you,  
5 but it was -- but, I don't want anybody to leave here with  
6 the impression that the IPEs are the same as the level three  
7 PRA. They simply are not.

8 MS. BURTON: May Dr. Thompson put in a brief word,  
9 at this point?

10 DR. THOMPSON: The IPEs are specifically required  
11 to address accidents that are beyond what used to be called  
12 the design basis, that is prior to the TMI accident, and it  
13 involves severe core damage. And some licensees choose to  
14 submit PRAs, in response to the requirement for IPEs. It is  
15 true that the IPE requirement is less demanding than that  
16 for a full PRA.

17 JUDGE KELBER: And severe accidents require an  
18 examination that go beyond the approach to core melt. The  
19 level one PRA and the IPE are designed to look at  
20 vulnerabilities in the plants that might be subject to  
21 either maintenance or backfit, to prevent core melt; but,  
22 they don't certainly go to the question of anything that  
23 threatens to go beyond the containment. That's a different  
24 type -- set of affairs altogether.

25 DR. THOMPSON: I will repeat that many licensees

1 choose to submit --

2 JUDGE KELBER: That's their choice.

3 DR. THOMPSON: Right.

4 MR. REPKA: And certainly nothing has been pointed  
5 to about the Millstone response -- Millstone Unit 3 response  
6 to the IPE. Nothing has been specified, nothing has been  
7 presented that show that that would be a basis for a  
8 Millstone specific contention. And then even more  
9 specifically, none of that is related to this particular  
10 proposal. There's no showing as to how that's impacted by  
11 this proposal. In fact, even if we're jumping -- there's a  
12 statement that a severe spent fuel pool accident is almost a  
13 certain result of a reactor accident, and I don't think  
14 there's any basis at all for Millstone Unit 3 to say that.  
15 Certainly, nothing has been presented from the IPE or  
16 elsewhere that would validate that point or provide an  
17 evidentiary basis for that point.

18 Some of the things referred to in the basis  
19 statement in the petition may go to the consequences of a  
20 postulated severe accident. But even there, there's been no  
21 showing to say that this particular proposal would alter the  
22 consequences of one of the severe accidents, given that the  
23 consequences are, to a large degree, driven by the most  
24 recent offloads. That would exist independent of this  
25 particular proposal. So, again, we just basically have a

1 contention without a basis.

2 MS. BURTON: May we offer a further point from Dr.  
3 Thompson on that issue?

4 MS. HODGDON: I'd like to speak.

5 MS. BURTON: Oh, I'm sorry.

6 CHAIRMAN BECHHOEFER: Ms. Hodgdon?

7 MS. HODGDON: I believe it might have been my  
8 turn. Without going to the further point, I wanted to  
9 address the two points. The reactor accident, changes are  
10 being proposed with regard to the operation of the reactor  
11 here, as I'm sure you're aware. I believe I heard Ms.  
12 Burton say that severe accidents are within the design  
13 basis. I would refer Ms. Burton to 50.2 of the Commission's  
14 regulations, regarding design basis, where it says design  
15 basis means that information, which identifies the specific  
16 functions to be performed by a structure system of  
17 components. So, the specific values or ranges of values  
18 chosen for controlling parameters is referenced to designs.  
19 I think that's enough. You can read it for yourself. In  
20 any event, clearly, severe accidents are not within the  
21 design basis.

22 Further, she said that backfits have been  
23 required. I'm not aware that any backfits have been  
24 required. With regard to the specific subject matter that  
25 seems to be debating, which petitioners are trying to bring

1 up here, the generic issue 82, that was investigated a long  
2 time ago, 1989. That investigated severe -- in the time  
3 frame, it was resolved on the regulatory basis by a  
4 document, NUREG 1353, which found that -- the question was:  
5 can we go to high density storage; is it -- should we  
6 require high density storage. And it was found to be a  
7 backfit and not a cost effective backfit. And as far as I'm  
8 aware, that NUREG is still considered -- is still followed  
9 by the Commission, although -- well, without more, that is  
10 the statement of affairs regarding that. This has been  
11 hashed over many times, but no contention on the subject  
12 matter, as far as I know, has ever been admitted. And this  
13 reactor accident with concurrent or consequence or whatever  
14 spent fuel pool accident, has been specifically rejected, as  
15 we point out in our brief.

16 That's all I had to say on those points that were  
17 raised previously.

18 MS. BURTON: In reply I'm -- I believe we're aware  
19 of at least two backfits that were required in reactors  
20 following the accident at Three Mile Island, including  
21 requirements for hydrogen control and containment, as well  
22 as that equipment be treated for high -- for -- to meet high  
23 radiation level situations. Also, I'd like to point out  
24 that this business of the nexus between a severe accident  
25 and a reactor leading to severe accident consequences in the



1 spent fuel pool is an issue, which has never been litigated  
2 and may present itself here, as a fresh issue for further  
3 consideration.

4 Also, I'd like to point out that in the scenario,  
5 all the severe reactor accident leading to a serious -- a  
6 severe accident in a spent fuel pool, certainly, the large  
7 radioactive release that would follow from a severe accident  
8 in the -- potentially in the containment would prevent  
9 operations -- as I was saying, the large radioactive  
10 releases, which are potential in a severe accident at the  
11 reactor necessarily would render operation of the spent fuel  
12 pool inoperable, because it is manually operated. It would  
13 not be possible for operators to have access to the fuel.  
14 And further, equipment at the spent fuel pool is not  
15 designed to withstand high radiation. So, therefore, we do  
16 believe that it is not remote, it is not speculative, and it  
17 necessarily follows that there would be severe accident  
18 consequences to the spent fuel pool from severe accidents in  
19 a reactor. And, again, I'll refer to the Brookhaven study,  
20 which appears earlier in our papers, page seven, with  
21 respect to consequences for an accident at a spent fuel  
22 pool, itself.

23 MS. HODGDON: Decommissioned plants, is that the  
24 one you're referring to?

25 MS. BURTON: Pardon me?

1 MS. HODGDON: Decommissioned plants, is that, --  
2 there are several Brookhaven reports.

3 MS. BURTON: It wouldn't matter if they were  
4 decommissioned or not. I think the same standard and  
5 analysis would hold, as well, for operating plants, if not  
6 more so.

7 JUDGE KELBER: Let me see if I can put a  
8 construction on this. You're saying that if there --  
9 potentially what you've told us is that if there is a severe  
10 accident at a reactor, then there is a strong likelihood --  
11 we won't quantify it, but there's a strong likelihood that  
12 maintenance of the fuel pool cooling would be, at best,  
13 difficult, probably impossible. Is that your -- is that  
14 basically what you've been telling us?

15 MS. BURTON: Essentially that's it, yes.

16 JUDGE KELBER: And so, you want us to consider the  
17 case, that because of the enlargement of the pool -- spent  
18 fuel pool, this would add significantly to the overall  
19 radioactive release burden?

20 MS. BURTON: I respectfully ask to defer on this  
21 point to Dr. Thompson.

22 DR. THOMPSON: Yes to that question. But, there's  
23 another point, namely, that it's not just a matter of the  
24 increased inventory of radioactivity in the pool after this  
25 application is approved; it's, also that the flow paths

1 would be more constricted in the event of a partial of, total  
2 water loss.

3 JUDGE KELBER: Excuse me, what --

4 DR. THOMPSON: The flow parts within the pool  
5 would be further constricted than at present, in the event  
6 of a partial or total water loss, thereby increasing the  
7 probability of a -- involving exothermic reaction of the  
8 cladding. So, it's both -- the application will have --  
9 effect both the consequences on the probability of the  
10 severe pool accident, which could have a variety of  
11 initiating mechanisms, of which one is a severe reactor  
12 accident involving containment failure or bypass; to assert  
13 that a severe reactor accident involving containment failure  
14 or bypass will almost certainly lead to uncontrolled  
15 evaporation of the pool water and thereby to a severe pool  
16 accident.

17 JUDGE KELBER: Okay. I wanted to understand where  
18 you're coming from, thank you.

19 CHAIRMAN BECHHOEFER: Ms. Burton, did you, by any  
20 chance, analyze the -- sometime ago, there was an Appeal  
21 Board decision in Vermont Yankee, ALAB 919, and -- which  
22 projected what I would call a fairly well founded contention  
23 of this type, and it was reversed by the Appeal Board. Do  
24 you have any way of -- are you able to distinguish that?

25 MS. BURTON: My response there is, yes, I am. Our

1 response there is that yes, we are familiar with that  
2 decision. However, I'm not aware that the matter preceded  
3 further in the litigation -- the course of litigation and we  
4 respectfully differ.

5 CHAIRMAN BECHHOEFER: Okay. I don't think it did  
6 go any further.

7 MS. BURTON: And I do believe that the technical  
8 assertion that we're making in this contention has never  
9 been litigated in that case or in any other case to date.

10 CHAIRMAN BECHHOEFER: Anything further on  
11 contention eight?

12 MS. HODGDON: I'm not totally aware of what is  
13 being talked about here with regard to backfits, but if it  
14 was the after Three Mile Island things, which I think is  
15 what's talked about, that backfits are subject to the  
16 backfit rule, and I think those were not considered backfits  
17 under the definition of backfits. But, where it's required  
18 for -- where it's necessary to bring into compliance with  
19 the license and so forth, then there -- but, anyway, the  
20 backfit rule, I believe -- I mean, I think the word  
21 "backfit" was used rather loosely there and so I would --  
22 that was just a caveat. Even though it's rather far removed  
23 from what we're talking about here, I couldn't understand  
24 the basis anyway for anybody saying the plants -- in order  
25 to be backfit with anything that has anything whatsoever to

1 do with the subject matter.

2 CHAIRMAN BECHHOEFER: Now, we're at contention  
3 nine.

4 MS. BURTON: Consideration of alternatives,  
5 contention nine. Failure to conduct a sound and prudent  
6 evaluation of alternatives to high density storage racks.  
7 In the background and safety summary provided with its  
8 license amendment request, Attachment III, page one, the  
9 applicant stated, "The plant Millstone must increase onsite  
10 fuel storage capacity." Additionally, it was stated, "The  
11 applicant has evaluated spent fuel storage alternatives that  
12 have been licensed by the NRC and could be feasible for use  
13 at Millstone Unit 3. The result of the evaluation is that  
14 reracking the Millstone Unit 3 spent fuel pool is currently  
15 the most cost effective alternative."

16 The petitioners contend that the applicant's  
17 evaluation was defective, because it was conducted by a  
18 subcontractor with a conflict of interest and because it  
19 relied on outdated information. The basis for the conflict  
20 of interest contention is as follows: the evaluation of  
21 spent fuel storage alternatives is contained in Section  
22 12.0, environmental cost benefit assessment of Attachment V  
23 to the application. The following conclusion was stated in  
24 the evaluation: "Dry storage could be a technically  
25 feasible alternative to wet storage. However, the least

1 expensive type of dry storage has been evaluated to entail a  
2 capital expenditure that is approximately 3.5 times as large  
3 as that associated with wet storage."

4           This evaluation was prepared by Holtech  
5 International, a company, which specializes in wet pool  
6 storage options. Holtech's financial interest in the wet  
7 pool storage option is illustrated by these statements:  
8 "The new high density racks proposed for Millstone Unit 3  
9 have been designed by Holtech International of Malton, New  
10 Jersey" and "The manufacturing of the racks will be carried  
11 out by Holtech's designated manufacturer, U.S. Tool and Die,  
12 Inc." None of the dry storage options currently certified  
13 or licensed by the NRC is manufactured by Holtech  
14 International. It is a clear conflict of interest for a  
15 company with a financial interest in wet pool storage to  
16 evaluate the cost benefit options of dry storage  
17 technologies. The applicant may have established the  
18 conditions for a self-fulfilling prophecy, by determining  
19 that it wanted wet pool storage and then awarding the work  
20 to Holtech. In any case, the application failed to  
21 demonstrate that the evaluation of spent fuel storage  
22 alternatives was free from conflict.

23           The fact that power plant owners are currently  
24 buying dry casks and using them to store spent fuel on site  
25 is prima facie evidence that this option is not prohibitably

1 expensive. Thus, the application is defective, because the  
2 evaluation of alternatives to the proposed spent fuel  
3 storage method relied exclusively on outdated obsolete  
4 information.

5 I would like to note that it has been brought to  
6 our attention that I believe subsequent to the filing of the  
7 application at issue here, there have been various actions  
8 taken by the NRC concerning licensing of certain dry storage  
9 components by Holtech. However, that information did come  
10 in, I think, after the application was submitted. We note  
11 that, but that certainly does not in way affect our argument  
12 in this contention.

13 CHAIRMAN BECHHOEFER: Okay. Do you know whether  
14 the interest in dry cask storage was acquired after the  
15 advice given in this case or the analysis in this case or  
16 previously?

17 MS. BURTON: WE have --

18 CHAIRMAN BECHHOEFER: Not when you became aware of  
19 it, but the actual interest.

20 MS. BURTON: I don't believe we have that  
21 information.

22 CHAIRMAN BECHHOEFER: I see. Well, it could make  
23 a difference in that particular claim. Because if they had  
24 it when they made the --

25 MS. BURTON: It would be a matter for discovery.

1 CHAIRMAN BECHHOEFER: Pardon?

2 MS. BURTON: It could be a matter for discovery.

3 MR. REPKA: We respond to this contention by  
4 making five or six points. First, did Holtech have a  
5 conflict of interest? For the reasons we discussed in our  
6 response, the answer is no, of course not. They have been  
7 marketing dry cask options for some time. They, also,  
8 market wet storage solutions. They clearly have no conflict  
9 of interest.

10 CHAIRMAN BECHHOEFER: At the time they did the  
11 analysis --

12 MR. REPKA: I think it's fair to say, they have  
13 been marketing their dry cask systems for some time, long  
14 before receiving --

15 CHAIRMAN BECHHOEFER: Long before that?

16 MR. REPKA: -- their certificate of compliance.  
17 My second point is, would it matter if they had a conflict  
18 of interest? And the answer is no. Certainly, this is  
19 Northeast Nuclear's evaluation of alternatives, Northeast  
20 Nuclear's choice of alternatives, and Northeast Nuclear that  
21 submitted this application, and certainly would be in a  
22 position to identify and address any conflict that Holtech  
23 might have.

24 The third thing is did Holtech or Northeast  
25 Nuclear rely on outdated information? If they did, there is



1 certainly nothing that Northeast Nuclear knows about.  
2 There's certainly nothing that's been pointed out in this  
3 contention that suggests outdated information.

4 Fourth, there is mention of what other licensees  
5 are doing with respect to dry cask storage and as prima  
6 facie evidence that, in fact, these things aren't  
7 prohibitably expensive. That, quite frankly, is completely  
8 irrelevant, what other licensees are doing. The reasons  
9 they make the choices they make are something that they  
10 would need to address. They really speak nothing to the  
11 Millstone situation and what the right choice is here, given  
12 not only cost considerations, but operational  
13 considerations. We can say that Millstone Unit 3 has a very  
14 large spent fuel storage pool, for example, that has room to  
15 accommodate increased -- a number of racks. Other licensees  
16 may simply not have that option.

17 And last and finally, to the extent that, again,  
18 that that choice is somehow called into question, that's  
19 clearly outside the scope of this proceeding. That choice  
20 is Northeast Nuclear's choice to make. The only evaluation  
21 -- you know, that's a matter between Northeast Nuclear and  
22 its own regulatory bodies. The only obligation here is that  
23 the NRC staff perform some sort of environmental review. As  
24 I think we pointed out in our papers, it was the company's  
25 position that this was actually a category of amendment that

1 did not require any environmental review, because it falls  
2 into the category called exclusions. We continue to believe  
3 that that's true. But be that as it may --

4 CHAIRMAN BECHHOEFER: Is it printed in the rule  
5 there, Part 51, that it's excluded?

6 MR. REPKA: No.

7 MS. HODGDON: Yes.

8 CHAIRMAN BECHHOEFER: No. It is?

9 MR. REPKA: I defer to Ms. Hodgdon on that.

10 CHAIRMAN BECHHOEFER: Because, I didn't find that.

11 MS. HODGDON: I'm sorry to interrupt.

12 MR. REPKA: Our conclusion was that it qualified  
13 for a categorical exclusion. I defer to Ms. Hodgdon.

14 MS. HODGDON: I didn't mean to interrupt. I will  
15 decline until Mr. Repka finishes. I have nothing to say  
16 about that until Mr. Repka finishes, except yes.

17 MR. REPKA: The bottom line is that there is no  
18 contention here and I really have nothing further to say.

19 MS. HODGDON: Okay.

20 MR. REPKA: Excuse me, yeah, we had cited to  
21 51.21(c) (9).

22 MS. HODGDON: (c) (9).

23 MR. REPKA: Right.

24 MS. HODGDON: It's -- that's correct. It's  
25 51.22(c) (9).

1 MR. REPKA: Right, and that provides --

2 MS. HODGDON: Categorical exclusions.

3 MR. REPKA: -- a cask for increased environment -  
4 - or doesn't involve an increase in consequences. And for  
5 the reasons we address in the application, the answer is no.

6 CHAIRMAN BECHHOEFER: Yes. My earlier question  
7 was whether it is -- spent fuel pool expansion is  
8 exclusively listed under the -- there's a list of  
9 categorical exclusions. I don't have the rules in front of  
10 me, but is it included in that list?

11 MS. HODGDON: Judge Bechhoefer may recall that  
12 this matter was discussed at Vermont Yankee a number of  
13 years ago.

14 CHAIRMAN BECHHOEFER: Yes.

15 MS. HODGDON: Ten years ago, where the staff and  
16 the licensee both took the position that spent fuel pool  
17 expansion qualified for categorical exclusion. The staff  
18 has, as we've said in our brief, prepared environmental  
19 assessments on spent fuel pool expansions. And a long time  
20 ago --

21 CHAIRMAN BECHHOEFER: If it were a categorical  
22 exclusion, you would not have to do so.

23 MS. HODGDON: Well, they put -- no, they don't  
24 have to. They could avail themselves of the categorical  
25 exclusion. Previously, they were looking into dose to

1 workers. That dose is way down. And considering that dry  
2 cask storage is not even a licensing action and the dose is  
3 at least as large, it would seem that that's not a very good  
4 reason for doing an environmental assessment. And then  
5 there used to be a lot of concern about cleaning up and  
6 cutting up racks and shipping them offsite. In other words,  
7 the technology has really overcome a lot of the staff's  
8 interest in this. But, the staff does continue to prepare  
9 environmental assessment in some, at least, spent fuel pool  
10 expansions by re-racking.

11 And so, the question -- I'm not quite sure what  
12 the question is, if it's does the staff think that a  
13 categorical exclusion is available? Yes, the staff does.  
14 Do they prepare them? Yes, but in reading the rule, you'll  
15 see that the rule only provides for pairing environmental  
16 assessments, where categorical exclusion is available, only  
17 -- it says "whether special circumstances." And so, nobody  
18 says there's any special circumstances with regard. So, the  
19 short answer -- it sounds long, but anyway, getting back to  
20 it, the categorical exclusion is available in that area.  
21 Where you've done the shally so called notice and no  
22 significant hazards consideration, you can -- provided you  
23 find those other things in that section, no offsite -- no  
24 significant increase in offsite consequences, whatever, you  
25 can -- or occupational dose, I believe, you can go ahead and

1 take the categorical exclusion.

2 So, I wanted, also, to point out, if it's my turn,  
3 I'm not sure --

4 CHAIRMAN BECHHOEFER: Yes, it is.

5 MS. HODGDON: -- with regard to Ms. Burton's  
6 argument, that they didn't know about -- at the time that -  
7 - at the time they filed, they didn't know. And I think  
8 they should have known, because it had already been in the  
9 Federal Register. At the time the application is filed,  
10 that's what it goes to. The fact is that Private Fuel  
11 Storage is proposing to use a Holtech system and that  
12 application has been in-house for quite some time. I can't  
13 give you a date, but it goes back to early '98 maybe or  
14 earlier than that.

15 And then the other thing is that they relied for  
16 their information on this -- on previous -- a 1997 version  
17 of this document. I think these are prepared at the end of  
18 the year and this one is '98. So, when it gets to be 2000,  
19 they'll do a '99. It's not in here either, but if you want  
20 that information currently, you have to look in the Federal  
21 Register. And so, that's -- that's all I have for that.

22 MS. BURTON: May I point out -- pardon, if you  
23 were about to engage in a discussion.

24 CHAIRMAN BECHHOEFER: No, we were about to come  
25 back to you.

1 MS. BURTON: Thank you. May I point out that by  
2 oversight, certain information that appeared in Mr.  
3 Lochbaum's declaration didn't for some reason make it into  
4 the supplemental petition on this point; and more  
5 particularly, I refer to page three of Mr. Lochbaum's  
6 declaration, executed October 4, 1999, in support of the  
7 assertion that the information used to develop the cost  
8 benefit evaluation is obsolete and immaterial.  
9 Particularly, Mr. Lochbaum cited to Section 12.7 of  
10 Attachment V, as providing three references used in the  
11 development of the environmental cost benefit assessment.  
12 These documents are dated April 1978, May 1984, and November  
13 1990. The validity of cost comparisons using data that is  
14 at least nine years old is at best questionable. Many dry  
15 casks have been certified by the Nuclear Regulatory  
16 Commission since November 1990.

17 May we be permitted just one further brief note on  
18 this issue? I think it is the significant fact that at the  
19 time of the evaluation by Holtech, it was not, at that time,  
20 licensed to handle or sell or deal in dry storage components  
21 and, therefore, the conflict of interest is clear, as we  
22 have asserted.

23 MR. REPKA: Let me make just a couple of  
24 responses. One, Holtech has been authorized to sell dry  
25 casks since presumably they first invented dry cask. I

1 mean, a dry cask could have been sold and licensed under the  
2 NRC's plant specific licensing process for independent spent  
3 fuel storage installations for as long as that has been on  
4 the books. They have not had a certificate of compliance  
5 for licensing by a general license approach until this year,  
6 but that did not preclude them from marketing, making,  
7 selling dry cask storage systems. But, in any event, I  
8 think that whole issue of the conflict of interest is  
9 completely frivolous.

10 Some of these additional things that are pointed  
11 to in Mr. Lochbaum's earlier affidavit related to Holtech's  
12 evaluation of costs and benefits and allegedly outdated  
13 information, I think this is not referred to in the  
14 contention or the basis statement; so, therefore, it's a  
15 very questionable status. But beyond that, it doesn't make  
16 any mention of the staff's environmental assessment, which  
17 has come out since this was done, or allege in any way that  
18 the staff's environmental assessment relies on the same  
19 documents or that the staff's environmental assessment is  
20 inadequate.

21 And third, again, you know, we reiterate our  
22 position and the company's position in the application was  
23 that no EA was required at all.

24 CHAIRMAN BECHHOEFER: Ms. Hodgdon, do you know  
25 what the date of the staff's environmental assessment was?

1 MS. HODGDON: Yes, it's --

2 CHAIRMAN BECHHOEFER: It doesn't have to be  
3 precise.

4 MS. HODGDON: It's September 6, 1999.

5 CHAIRMAN BECHHOEFER: Oh, okay.

6 MS. HODGDON: Or the 7th, I believe -- is it the  
7 6th or 7th? It's either the 6th or the 7th.

8 CHAIRMAN BECHHOEFER: Well, I don't care --

9 MS. HODGDON: No, I will look it up.

10 CHAIRMAN BECHHOEFER: I want the time -- general  
11 time frame.

12 ERICKSON: September the 7th.

13 MS. HODGDON: 1999, yes. It's September 7th --  
14 September 7, 1999.

15 CHAIRMAN BECHHOEFER: Okay. Anything further on  
16 nine? If not --

17 MS. BURTON: Just quickly on that point of the  
18 staff's environmental assessment.

19 CHAIRMAN BECHHOEFER: Pardon?

20 MS. BURTON: Just quickly on the point of the  
21 staff's environmental assessment.

22 CHAIRMAN BECHHOEFER: Oh, okay.

23 MS. BURTON: That the staff undertook to do an  
24 environmental assessment doesn't cure the conflict of  
25 interest. What it does is it puts into question the



1 validity of the environmental assessment, as it was  
2 necessarily based upon the submission of the applicant. And  
3 what we're saying is that this conflict of interest affects  
4 the entire application process, including up to and --  
5 including these proceedings today. And that is a serious  
6 matter and it should not be tolerated and it certainly not  
7 frivolous.

8 CHAIRMAN BECHHOEFER: We're on to contention 10, I  
9 guess.

10 MS. BURTON: Yes. Contention 10: failure to  
11 consider the severe accident implications of alternative  
12 options. The application has not properly evaluated the  
13 alternative options available for managing spent fuel at  
14 Millstone Unit 3 and the implications of those options for  
15 the probability and consequences of severe accidents. A  
16 severe accident is defined here as an accident, which  
17 involves partial or total uncovering of fuel assemblies and  
18 exothermic reaction of fuel cladding. Severe accidents are  
19 not remote and speculative events. Moreover, they can have  
20 very large long-term offsite consequences. Finally, severe  
21 accidents can be avoided by adoption of dry storage of spent  
22 fuel using technology already approved by the NRC.

23 Our basis for this contention is a severe accident  
24 could occur in the manner and with the consequences  
25 described in the February 1999 Thompson report, Exhibit 1.

1 A severe accident is not remote -- it is not a remote and  
2 speculative event, because among other reasons, it is an  
3 almost certain outcome of a severe reactor accident, which  
4 involves substantial containment failure or bypass. The  
5 occurrence of such a reactor accident is assumed for  
6 purposes of emergency response planning and for other  
7 regulatory purposes. Dry storage technology is available;  
8 see for example Exhibit 1.

9 That concludes my presentation of that contention.

10 CHAIRMAN BECHHOEFER: Okay.

11 MR. REPKA: This contention essentially revisits  
12 some of the issues raised in contention eight and is  
13 redundant to that contention and it must fail for the same  
14 reasons. The severe accident implications of alternative  
15 designs -- backing up, first things first, is the design  
16 basis accidents for this facility in the spent fuel pool are  
17 the fuel handling accident and the misloading accident.  
18 Those are the only accidents with the design basis. Any  
19 other further -- as we've discussed before, any further  
20 accidents would be backfits and on the Atomic Energy Act  
21 side of the regulatory structure. And so, there's no basis  
22 to require evaluations of severe accidents on that basis.

23 Now, the contention doesn't cite NEPA, the  
24 National Environmental Policy Act. But since it is focusing  
25 on the evaluation of alternatives, that's the one place

1 where you would say an evaluation of alternatives may be  
2 required. But with respect to that, it's redundant in a lot  
3 of ways to contention eight and, again, relies upon the  
4 Thompson report. However, that report has no nexus  
5 established to Millstone, number one. It was Sharon Harris  
6 report. Number two, it does not establish -- contrary to  
7 the claims being made, it does not establish the probability  
8 for severe accidents. It certainly doesn't establish, in  
9 any way, how that probability would be increased by the  
10 proposal at issue here. And finally, with respect to those  
11 kinds of arguments and those kinds of concerns, that it  
12 needs to be addressed in a NEPA evaluation. They were  
13 addressed very directly in the Yankee Atomic, ALAB 919 that  
14 you referred to earlier.

15 So, I think this contention is really -- it's a  
16 combination of lacking in specificity, lacking in basis.  
17 It's redundant and it raises outside scope issues.

18 CHAIRMAN BECHHOEFER: Ms. Hodgdon?

19 MS. HODGDON: The staff has already expressed a  
20 similar opinion in its filing. And the only point that  
21 perhaps we would have made that wasn't made by the licensee  
22 is that, in addition to all those things, the petitioners  
23 have not offered any basis in fact for the statement and,  
24 instead, they have offered Dr. Thompson's opinion; but his  
25 opinion must be substantiated. It, also, needs to have a

1 basis in fact.

2 Staff read Exhibit 1 and couldn't see anything in  
3 Exhibit 1 that had anything to do with Millstone; couldn't  
4 see any reason that it should be offered in support for this  
5 contention on Millstone 3. However, since it obviously has  
6 not applicability to Millstone 3, it just -- even if one  
7 took it into consideration, one would come to the same  
8 bottom line, which is this is an inadmissible contention.

9 MS. BURTON: And may I reply?

10 CHAIRMAN BECHHOEFER: Yes.

11 MS. BURTON: It appears we have a factual dispute  
12 here. One side says that -- here is one set of facts and  
13 the other presents another set of facts and we are in clear  
14 disagreement here. We have adequately set forth the  
15 criteria that are required for the admissibility of a  
16 contention. What we are setting forth in contention 10, in  
17 particular, is our contention that this application presents  
18 circumstances presenting potential for an avoidable accident  
19 and that the alternative options available should be  
20 considered, in order to avoid the accident, and that such  
21 options do protect the public health and safety, do very  
22 significantly reduce risk of serious accident, and should  
23 have been considered and should dictate really denial of  
24 this application. And as far as this contention is  
25 concerned, I would incorporate our previous discussion that

1 does relate to this contention in contention eight.

2 And finally on the point of what we are raising  
3 here, again, this -- we are presenting new safety  
4 information, in the sense that these issues have never been  
5 litigated. And there may have been determinations made  
6 before administrative boards; but, to date, I'm not aware  
7 that there has been litigation of the specific issues we're  
8 raising in this contention.

9 CHAIRMAN BECHHOEFER: I have a question, which is  
10 really directed at Dr. Thompson, rather -- and that is, we -  
11 - or I, personally, at least, have the same reaction that  
12 Ms. Hodgdon had, I think, that she couldn't find anything in  
13 the North Carolina report that would be relevant to our  
14 consideration here. And what we'd like to do is get some  
15 examples, at least -- maybe not everything, but some idea of  
16 anything in that report that would be applicable to  
17 Millstone, as well. And I might say, we are sort of  
18 prepared to take a break, so you can have a few minutes to  
19 look through it and then when we come back, we can consider  
20 that. You have a better chance to reply.

21 JUDGE COLE: Now, this is Exhibit 1 to --

22 CHAIRMAN BECHHOEFER: Yes.

23 JUDGE COLE: -- the supplemental petition?

24 CHAIRMAN BECHHOEFER: Yes. We've all looked  
25 through that and we're not sure how you say it would affect

1 our consideration here. And as I say, the staff seemed to  
2 have the same reaction. I would like you to just point that  
3 out, if you could. And I thought we would take a break  
4 anyway, so --

5 JUDGE COLE: Ten minutes.

6 CHAIRMAN BECHHOEFER: Yeah, 10 minutes. At least  
7 -- like a 10 minute break maybe. If you need a little more  
8 time --

9 JUDGE KELBER: Four-thirty-five.

10 [Recess.]

11 CHAIRMAN BECHHOEFER: Back on the record. Dr.  
12 Thompson, did you -- were you able to find some areas that  
13 we ought to specifically focus on, in looking at your  
14 report?

15 DR. THOMPSON: Yes, I was. I thank the Board for  
16 the opportunity to explain the connection between this  
17 Sharon Harris report and the Millstone situation. And a  
18 report such as this could be prepared for Millstone. It  
19 would require time and money and neither were available,  
20 which is why such a report doesn't exist. I'd like the  
21 Board to turn to Appendix B of the report.

22 CHAIRMAN BECHHOEFER: "B" as in boy?

23 DR. THOMPSON: "B," yes; "B" for boy.

24 CHAIRMAN BECHHOEFER: Okay.

25 DR. THOMPSON: And this appendix addresses the

1 matter of severe reactor accidents, summarizes very briefly  
2 the state of knowledge about such accidents in a generic  
3 matter, and mentions the findings of individual plant  
4 examinations for Westinghouse plants. Both the Sharon and  
5 Millstone 3 plants have that in common. They are  
6 Westinghouse PWRs.

7 This appendix then summarizes the findings of the  
8 Harris RPE, which was performed as a level two PRA, and that  
9 being a level 2 PRA estimated the probability and magnitude  
10 of potential releases involving containment failure or  
11 bypass.

12 I have no knowledge of what analogous findings  
13 have been made for Millstone 3. However, the existence of a  
14 set of emergency response plans for Millstone 3 is  
15 predicated upon the assumption of some degree of containment  
16 failure or bypass. That's the extent of my specific  
17 knowledge on Millstone. So, this appendix is a combination  
18 of generic discussion and Harris specific discussion and  
19 could be repeated for Millstone 3, subject to access to the  
20 right documentation.

21 Turning now to Appendix C, this addresses the  
22 potential of loss of water from a pool and talks about  
23 various possible scenarios, including earthquake and cask  
24 drop. For present purposes, I'd like to focus on Section 5  
25 of Appendix C, titled "a pool accident induced by a reactor

1 accident." This, again, is a combination of a generic,  
2 discussion and a Harris specific discussion. I'll wait to  
3 the Board members have that -- okay.

4 The specific discussion in Appendix C, Section 5,  
5 has to do with the time required for water to boil away from  
6 the Harris pool. The generic discussion has to do with the  
7 ranges of dose level that would be experienced in the  
8 immediate vicinity of a reactor containment, in the event of  
9 a severe accident with containment failure or bypass. This  
10 shows that the dose levels are such as to preclude access  
11 for many days; thereby rendering it almost certain that the  
12 reactor accident would be followed by drying out of the  
13 pool, aggressive drying out due to evaporation.

14 Turning now to Appendix D, and I'm following the  
15 logical sequence here. Appendix D is entirely generic and  
16 not -- with the exception of the release magnitude, which  
17 appears right at the end of Appendix D, and some discussion  
18 about the dimensions of the pool and the racks. But the  
19 bulk of Appendix D is generic and has to do with the  
20 induction of -- or the causation of exothermic reactions by  
21 partial or total loss of water from a pool.

22 So, these three appendices, B, C, and D, have  
23 followed the scenario through from a reactor accident, to  
24 preclusion of access, to drying out, and to exothermic  
25 reaction, which causes a large release. Appendix D is a



1 brief summary of the kind of offsite consequences that would  
2 be experienced. Again, this is partly a generic discussion  
3 and partly a Harris specific discussion -- Appendix E, E is  
4 the consequence. So, we're following B, C, D, E, the four  
5 appendices, which I draw your attention in this exhibit.

6 And in order to perform -- to write an equivalent  
7 set of appendices for Millstone 3, it would be necessary to  
8 have access to the IPE for Millstone 3 and/or to any PRA  
9 that were available and to a few other items of information.  
10 But the generic discussions about precluding access and  
11 about heat up experienced in the pool, a water loss, would  
12 be pretty much identical. And the bottom line here is that  
13 a severe reactor accident involvement containment failure or  
14 bypass would almost certainly lead to a severe pool accident  
15 involving a large release of radioactivity, principally  
16 cesium.

17 JUDGE KELBER: Thank you. That's very useful.

18 JUDGE COLE: Dr. Thompson, just to -- one or two  
19 questions. In Appendix E, paragraph number two,  
20 characteristics of postulated releases, the last part of  
21 that you say, "Note that all of the cesium 137 and the  
22 effected fuel is assumed to reach the atmosphere, an  
23 assumption which is explained in Appendix D." Where in  
24 Appendix D is that explained?

25 DR. THOMPSON: Bear with me one moment. If you

1 turn to Appendix D, for dog, page D-9, Section 7 --

2 JUDGE COLE: Okay.

3 DR. THOMPSON: -- first full paragraph in Section  
4 7 addresses the matter of the magnitude of the release from  
5 the fuel handling building, given an exothermic reaction.  
6 And I simply adopt the same assumption used by Brookhaven  
7 study, namely on attenuation of the release, and I cite  
8 footnote 12 -- I'm sorry, footnote 13 as the Brookhaven  
9 assumption.

10 JUDGE COLE: Do you think that's a reasonable  
11 assumption?

12 DR. THOMPSON: In the event of -- if the scenario  
13 is a partial drainage scenario, the exothermic reaction will  
14 be between steam and zirconium, which will yield liberal  
15 amounts of hydrogen and I would anticipate ignition of the  
16 hydrogen creating a breach in the building. If the scenario  
17 is one of complete full dry out, then the reaction is now  
18 between air and zirconium; similar heat release -- similar  
19 magnitude of release from the fuel, but, in that case, the  
20 fuel building could be assumed to remain intact and the  
21 release pathway would be through the ventilation ducts and  
22 they would undoubtedly be some attenuation in that scenario.  
23 So, for simplicity, I just took the --

24 JUDGE COLE: Yeah.

25 DR. THOMPSON: -- one assumption.

1 JUDGE COLE: I would be recalling this  
2 incorrectly, but I thought in the Brookhaven report, they  
3 took the total amount of the isotope and distributed it  
4 uniformly over a certain land section. Do you recall that,  
5 sir?

6 DR. THOMPSON: In terms of consequence?

7 JUDGE COLE: In terms of distribution of the  
8 radioisotopes.

9 DR. THOMPSON: Offsite?

10 JUDGE COLE: They assumed -- yes, they assumed  
11 uniformed distribution over a certain land area.

12 DR. THOMPSON: Yeah, I don't recall that.

13 JUDGE COLE: It seems to me to be a pretty  
14 unrealistic scenario.

15 DR. THOMPSON: Yeah, and in Appendix E, I use  
16 something slightly more sophisticated, which is an average  
17 of a set of Gaussian distributions over a typical range of  
18 weather.

19 JUDGE COLE: All right, sir, thank you.

20 CHAIRMAN BECHHOEFER: Mr. Repka, any comments?

21 MR. REPKA: A couple of comments. First, I think  
22 that was a good walk through of Exhibit 1 and I think the  
23 contents does really no more than describe what we already  
24 knew was in Exhibit 1. And I believe we responded to those  
25 types of arguments in our responses to contentions eight,

1 nine, ten, and eleven on the papers, and nothing that I  
2 heard here today would alter our positions or conclusions we  
3 reached there.

4 I think the basic points are that, one, none of  
5 this raises issues that are cognizable, given the current  
6 regulatory structure; and, two, given this -- the limit and  
7 scope of this proceeding. There is no link made in any of  
8 these discussions of the consequences of the accidents, the  
9 types of accidents, to the specific proposal we have here.  
10 There's no indication of what it is in the proposal that's  
11 changing any and all of these concerns.

12 CHAIRMAN BECHHOEFER: Is that different from  
13 Harris or don't you know?

14 MR. REPKA: Is what different from Harris?

15 CHAIRMAN BECHHOEFER: The alleged connection.  
16 Harris, too, involved --

17 MR. REPKA: These are related to -- they're  
18 related to Harris. They're related to the current spent  
19 fuel pool, to the extent there's high density storage. And  
20 as Dr. Thompson said, they're generic. They could be  
21 applied to any spent fuel pool in the country. And my point  
22 is there is -- they are generic. They're not the kinds of  
23 issues that are tied in any way to the specific proposal at  
24 issue here.

25 For example, there is -- you know, we're talking

1 about a spent fuel pool accident induced by a reactor ,  
2 accident. Well, there's nothing unique raised here, as to  
3 why that's probable, why that's made more probable or even  
4 credible by the proposed increase in the capacity of spent  
5 fuel pool. The pool dry out scenario, the drain down  
6 scenario, all of those things are things that, for example,  
7 in the Brookhaven report, are just postulated to occur and  
8 then the consequences are analyzed. There's no showing  
9 anywhere as to why those are likely or why those are made  
10 more likely by the proposed amendment that's at issue.

11 One example of that is, again, we talked earlier  
12 about the thermohydraulic analysis and the analysis of  
13 record in the FSAR example talks about certain loss of spent  
14 fuel pool cooling scenarios, the most limiting being a full  
15 core off-load with a loss of cooling at the end of plant  
16 life, and talks about -- provides curves as to increases in  
17 the temperature in the pool. There's no discussion in  
18 Exhibit 1 or anywhere as to how that's changing, how the  
19 likelihood of all of these consequences are -- they're  
20 alleged to occur and are analyzed, how the likelihood of  
21 that is increased.

22 So, we really don't have a tie to the current  
23 regulatory structure that would allow consideration of these  
24 events in this proceeding, number one; and number, two,  
25 there's no tie to this specific proposal, to say why it is

1 it should be litigated in this proceeding.

2 CHAIRMAN BECHHOEFER: Do you know whether this  
3 report has been accepted as a basis for a contention in  
4 Sharon Harris or hasn't there been a ruling on that?

5 MR. REPKA: I don't know the answer to that  
6 question.

7 MS. HODGDON: I do.

8 CHAIRMAN BECHHOEFER: I'm not sure offhand.

9 MS. HODGDON: I do.

10 CHAIRMAN BECHHOEFER: Well, you're next. You can  
11 answer the question.

12 MS. HODGDON: All right. I just wanted you know  
13 that I know the answer to the question --

14 CHAIRMAN BECHHOEFER: Okay, good.

15 MS. HODGDON: -- in case Mr. Repka doesn't know  
16 it.

17 CHAIRMAN BECHHOEFER: Well, why don't you --

18 MR. REPKA: I'd be glad for Ms. Hodgdon to answer  
19 the question.

20 MS. HODGDON: No, I'm not -- I interrupted Mr.  
21 Repka.

22 MR. REPKA: No, I'm done. I really feel like  
23 there's --

24 JUDGE COLE: Well, I think you should tell us.

25 MS. HODGDON: I should say that I know the answer

1 to this.

2 CHAIRMAN BECHHOEFER: Okay.

3 MS. HODGDON: The staff, when it responded to the  
4 initial intervention petition in Harris last May -- in May  
5 of this year, stated that they were going to prepare an  
6 environmental assessment. This contention would be  
7 addressed to the -- any contention based on this report  
8 would be addressed to the that environmental assessment. I  
9 don't know whether that is published or not. If it's not,  
10 it's to be published. Therefore, there has not been an  
11 opportunity for the intervenors in Harris to file  
12 environmental contentions, and so it has not -- this has not  
13 been offered as the basis of any environmental. The time is  
14 not ripe for that. Did you understand my answer --

15 CHAIRMAN BECHHOEFER: Yes.

16 MS. HODGDON: -- or should I --

17 CHAIRMAN BECHHOEFER: Yes, yes.

18 MS. HODGDON: We're not there yet. In Harris,  
19 they're ahead of us in some respects and they're behind us  
20 in others.

21 CHAIRMAN BECHHOEFER: Okay. I just wanted to have  
22 it as a gauge. If they had been a ruling on it, I would  
23 like to know about it. So, I guess there hasn't been.

24 Anything else on 10, I guess?

25 MS. BURTON: I'd like to take the liberty of

1 pointing to just one example, if it would be helpful, from  
2 Exhibit 1, which does show a nexus between Dr. Thompson's  
3 report and Millstone, and that is something that appears at  
4 page three under the subheading "capacity and configuration  
5 of pools C and D." And it would be in the second paragraph  
6 of that section, where there is a reference to how there are  
7 to be -- there is to be, under the proposal, a smaller  
8 center, center distance than racks in pools A and B, nine  
9 inches instead of 10.5 inches. Now, those numbers are not  
10 far off from the numbers, which appear in our supplemental  
11 petition at page 24, where we are addressing a decrease in  
12 center, center distance from the present 10.35 inches to  
13 9.017 inches. And in Dr. Thompson's report, he does make  
14 the statement that this highly compact arrangement allows  
15 more PR fuel -- excuse me, PRW fuel to be placed in a given  
16 pool are, but, also, has adverse implications for safety.  
17 That would be just one very tiny example of how the  
18 information that is set forth in Dr. Thompson's Exhibit No.  
19 1 has application to our contentions here.

20 JUDGE KELBER: The illusion is made both here and  
21 earlier to the thermodynamic problems posed by decreasing  
22 the center to center distance. If this contention is  
23 accepted, are you prepared to support it with independent  
24 thermohydraulic calculations?

25 MS. BURTON: I guess our response is that the



1 coalitions do have access to qualified independent  
2 consultants, who would be able to perform that service.

3 JUDGE KELBER: But the current contention is not  
4 based on such calculations. We're trying to get at the  
5 basis for admitting it.

6 MS. BURTON: That independent analysis --

7 DR. THOMPSON: May I speak, please?

8 MS. BURTON: May I defer to Dr. Thompson, please?

9 JUDGE KELBER: Before you -- earlier, when we  
10 talked about reactivity, you just said you dependent on  
11 Holtech's calculations. Now, on the thermohydraulics, is it  
12 a similar situation?

13 MS. HODGDON: Could in interrupt for a second?  
14 Are there two questions here: have you done any  
15 calculations on your own and do you plan to --

16 JUDGE KELBER: I want to know if --

17 MS. HODGDON: -- do you plan to, if it's admitted?

18 JUDGE KELBER: -- if it's admitted, is there any  
19 calculational basis to support it?

20 MS. HODGDON: So, we had already established that  
21 they have not done it up to this point?

22 JUDGE KELBER: Have we established that?

23 MS. HODGDON: I don't know, that was my question.

24 DR. THOMPSON: I'm happy to answer both questions.  
25 Firstly, the Sharon Harris report that I just went through

1 critiques a variety of studies of this problem that have  
2 been done by consultants to the NRC, and this is a very  
3 spotty record, one of incomplete studies and recommendations  
4 for further studies that were never followed up. And in  
5 short, it's a very spotty record of analysis. And I would  
6 be quite happy to do a simple modeling exercise on this  
7 myself and I might seek assistance to do so. The main  
8 problem would be getting someone to pay for it.

9 MR. REPKA: I would like to react to that, just a  
10 little bit. I think contention 10, I think we need to  
11 recalibrate just a little bit and go back to what contention  
12 10 is really all about. And it started out as a statement  
13 that a severe accident is defined here as an accident, which  
14 involves partial or total uncovering of fuel assemblies and  
15 exothermic reaction of fuel cladding. Severe accidents are  
16 not remote and speculative events. And then it goes on and  
17 it relies on the Thompson report.

18 That is a contention that really lacks any  
19 regulatory, much less technical basis, and I think that  
20 really is the simple answer to this question. I mean on the  
21 NEPA side, ALAB 919 addresses it directly. On the technical  
22 side, the design basis of the plant is what it is, in that  
23 the severe accident scenarios are beyond design basis. But  
24 beyond that, just like in ALAB 919, there's no basis to  
25 address the -- to establish the probability -- the realistic

1 probability of these total -- partial or total uncovering of  
2 fuel assemblies. We're talking about center to center  
3 spacing and that may have some affect on criticality, but  
4 that's not that contention here and that's not shown. That  
5 may have some effect on consequences of an accident of this  
6 postulated uncovering of fuel assemblies, but there's  
7 nothing in the record to establish that that uncovering  
8 could occur.

9 So, I just think we've got very far afield from  
10 what this contention was really all about.

11 JUDGE KELBER: No, I was reacting more to some of  
12 the particulars in discussion of his report, rather than  
13 this particular contention.

14 CHAIRMAN BECHHOEFER: Okay. Is there anything  
15 more on 10 that anyone wishes to add, before we go on to 11?

16 [No response.]

17 CHAIRMAN BECHHOEFER: If not, we'll go on to 11.

18 MS. BURTON: Contention 11: an environmental  
19 impact statement is required. The NRC published an  
20 environmental assessment and finding of no significant  
21 impact in the Federal Register on September 7, 1999.  
22 Insofar as the environmental assessment is significantly  
23 flawed and incomplete and the proposed activity will  
24 significantly increase the probability and offsite  
25 radiological consequences of accident and, thus, have a

1 significant effect on the quality of the human environment,  
2 an environmental impact statement is required.

3 Our basis is as follows: this contention  
4 incorporates by reference contentions number one through ten  
5 and adopts by reference the expert opinion rendered by Mr.  
6 Lochbaum and Dr. Thompson, that is set forth in our amended  
7 supplemental petition. More particularly, in its  
8 environmental assessment, the NRC staff reached an incorrect  
9 conclusion, in that its analysis failed to consider: (1)  
10 credible scenarios of fully blocked flow channels; (2) the  
11 drop of an empty fuel storage rack during installation; (3)  
12 the drop of a cask during cask movement; (4) enhanced risk  
13 of a criticality accident due to the improper implementation  
14 of new administrative controls; (5) significant increase in  
15 the probability of a criticality accident, as a consequence  
16 of removal of an existing barrier against inadvertent  
17 criticality in the spent fuel pool; (6) the fact that the  
18 proposed criticality control measures violate NRC  
19 regulations and, hence, are impermissible; (7) significant  
20 increase in the probability and consequences of an  
21 overheating accident; (8) significant increase in  
22 probability and offsite consequences of accidents involving  
23 partial or total uncovering of fuel assemblies and  
24 exothermic reaction of fuel cladding of severe accidents;  
25 (9) failure to conduct a sound and prudent evaluation of the

1 alternatives to the proposed use of high density storage  
2 racks; and (10) the severe accident implications of  
3 alternative options.

4           The proposed license amendment is not supported by  
5 an environmental impact statement, in violate of NEPA and  
6 NRC's implementing regulations. And EIS should examine the  
7 effects of the proposed license amendment on the probability  
8 and consequences of accidents at the Millstone Unit 3 spent  
9 fuel pool. Further, as required by NEPA and the NRC policy,  
10 the EIS should, also, examine the costs and benefits of the  
11 proposed action, in comparison with alternatives, including  
12 the alternative of dry storage. NEPA requires federal  
13 agencies to prepare an EIS before undertaking any major  
14 federal action, which may significantly affect the quality  
15 of the human environment. The NRC's implementing  
16 regulations at 10 CFR 5120(a), also, require the NRC to  
17 prepare an EIS for any licensing or regulatory action, which  
18 is a major federal action significantly affecting the  
19 quality of the human environment.

20           As previously discussed, Brookhaven National  
21 Laboratory (BNL) evaluated the consequences from a  
22 postulated accident in the spent fuel pool examining four  
23 cases. For the least serious case, BNL reported 1,500  
24 additional cancer deaths to the population living within 50  
25 miles of the plant. With respect to criticality accidents

1 in the spent fuel pool, a search of publicly available,  
2 records in the NRC's public document room by petitioners'  
3 expert, David Lochbaum, failed to identify any previous  
4 evaluation.

5 The petitioners contend that the proposed activity  
6 will significantly increase the risk of criticality at the  
7 Millstone Unit 3 spent fuel pool. The petitioners contend  
8 that the proposed activity involves a heightened risk of  
9 partial or total uncovering of fuel assemblies and  
10 exothermic reaction of fuel cladding for which no accident  
11 evaluation has been conducted and, hence, no environmental  
12 evaluation performed. In proposing to implement new  
13 administrative controls, which are not permissible under NRC  
14 regulation, and to eliminate an existing barrier against  
15 inadvertent criticality, as the license amendment proposes,  
16 the activity significantly increases the probability of a  
17 criticality accident with significant environmental and  
18 radiological consequences, which have not been evaluated.

19 The environmental and radiological consequences of  
20 a severe accident at a spent fuel pool are discussed in  
21 Exhibit 1, the support submitted by petitioner's expert, Dr.  
22 Gordon Thompson, in proceedings involving the Sharon Harris  
23 nuclear power plant, see particularly discussion in our  
24 supplemental petition to pages five to 14. The  
25 environmental assessment and finding of no significant

1 concludes that quote, "the results of the previously  
2 analyzed and NRC accepted design basis accident have bound  
3 the radiological consequences of accidents analyzed for the  
4 spent fuel pool re-rack." However, since there has been no  
5 previous evaluation of criticality accidents in the spent  
6 fuel pool and the environmental assessment is seriously  
7 flawed and incomplete for the reasons stated, the finding of  
8 no significant impact is unsupported and incorrect.

9 An EIS must, also, examine the costs and benefits  
10 of the proposed action and compare them to other reasonable  
11 alternatives. Dry cask storage is one such reasonably  
12 available alternative. In addition, the EIS must consider  
13 severe accident design mitigation alternatives, such as dry  
14 cask storage, low density pool storage, and installation of  
15 safety grade equipment for restoring cooling and water  
16 makeup to the spent fuel pool, in the event of a severe  
17 reactor accident that prevents access to the pool.  
18 Consideration of severe accident design mitigation  
19 alternatives is required in a NEPA analysis for an initial  
20 licensing decision, citing Lemark Ecology Action v. NRC, 869  
21 F2d. 719, 736 to 741, 3d. Circuit 1989. Similarly, a --  
22 must be required in any EIS prepared for the present license  
23 amendment. Even if the licensing board determines that an  
24 EIS is not required under NEPA and 10 CFR 5120(a), the Board  
25 should nevertheless require an EIS as an exercise of its

1 discretion, as permitted by 10 CFR 5120(b)(14) and 5122(b).  
2 NRC regulations in 10 CFR 5120(b)(14) and 5122(b)  
3 provide for the preparation of an EIS, where, upon its  
4 initiative or request from any party the Commission finds  
5 that "special circumstances" exist. Special circumstances  
6 "include the circumstances where the proposed action  
7 involves unresolved conflicts concerning alternative uses of  
8 available resources within the meaning of Section 102(2)(e)  
9 of NEPA." The petitioners respectfully submit that the  
10 application does prevent -- present such special  
11 circumstance. The petitioners accept the NRC's statement in  
12 its environmental statement that "loss of full core off  
13 loading capability will occur, as a result of refueling  
14 outage six, RFO 6, that started on May 1, 1999."

15 During a community breakfast sponsored by the  
16 applicant on November 16, 1999, Leon J. Olivia, chief  
17 nuclear officer of the Millstone nuclear power station  
18 stated that RFO 6 was completed in June 1999. In  
19 consequence, the petitioners recognize that during the  
20 intervening five months and for the foreseeable future,  
21 Millstone Unit 3 has suffered and will continue to suffer  
22 loss of capability to conduct a full core off-load, should  
23 such event be required for safety or maintenance purposes.  
24 The petitioners well recall the issues regarding full core  
25 off loading at Millstone Unit 1. The petitioners were



1 informed by the Time Magazine cover story, which appeared in  
2 March 1996.

3 The petitioners are very concerned that very  
4 serious environmental consequences of an unevaluated  
5 criticality or other accident event at the Millstone Unit 3  
6 spent fuel pool have not been subjected to scrutiny. The  
7 petitioners include families with young children, who live  
8 within two miles of the Millstone station and, hence, are  
9 vulnerable to serious injury in the event of such  
10 unevaluated accident.

11 On September 27, 1999, the applicant pleaded  
12 guilty to felonies under the Atomic Energy Act, which  
13 involved a course of conduct of willfully providing false  
14 information to the NRC. According to newspaper accounts in  
15 this instance, the applicant once again set industry records  
16 for its conduct in operations at Millstone. Public records  
17 maintained by the State of Connecticut show heightened  
18 levels of cancer incidents, including childhood Leukemia,  
19 malignant melanoma, breast cancer, prostate cancer in New  
20 London County, in the vicinity of Millstone, above levels  
21 elsewhere in the state.

22 The petitioners believe that the present  
23 application to more than double the density of spent fuel  
24 assemblies at Millstone Unit 3, an application remarkable  
25 for its insufficiencies and disregard for NRC regulations,

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1025 Connecticut Avenue, NW, Suite 1014  
Washington, D.C. 20036  
(202) 842-0034

1 which require physical barriers to protect the public health  
2 and safety, presents a special circumstance, calling for the  
3 exercise of the Board's discretion to require an  
4 environmental impact statement.

5 Now, I have read from our submission, which  
6 requires one or two qualifications. We have been informed  
7 by the -- both the applicant and the staff that a notice  
8 appeared in the Federal Register in error, regarding the  
9 loss of capacity -- time of loss of capacity for a full --  
10 for full core off-load. We understand that that is being  
11 corrected by additional notice, yet to appear in the Federal  
12 Register. We're a little bit concerned that the proceedings  
13 and the record of the proceedings made their way to the  
14 Federal Register with such a significant mistake and wonder  
15 what that bodes for other aspects of this application.

16 And I would like to add one or two points.  
17 Further, on the issue of under NEPA, the requirement that  
18 there be a major federal action involved, and, here, we  
19 contend that the major federal action involved here is the  
20 de facto creation of permanent high level radioactive waste  
21 facility at Millstone Unit 3 and there has been absolutely  
22 no environmental review of that -- of the proposal in this  
23 application. We know that this application proposes to fill  
24 the space available at the pool with spent fuel. We know  
25 that the pool has a position for a cask for ultimate

1 transport of some of that fuel elsewhere. But, we, also,  
2 know that there is no information in this application  
3 concerning the removal of any of the high level waste being  
4 stored at the site, at this time; merely, that the amount is  
5 being added to, it's being more than doubled, and it has not  
6 been evaluated under NEPA. This is a serious oversight.

7 And this community is entitled to the benefit of  
8 the provisions of the federal environmental protection laws  
9 and that is a point that we wish to emphasize here. I'm  
10 anticipating, having read the submissions of the applicant  
11 and the staff, that there will be references to other  
12 proceedings and determinations before other bodies that have  
13 addressed issues that are somewhat similar to those that we  
14 raise here. But, again, we are not aware that these issues  
15 have been litigated and, therefore, we do present that our  
16 contention raises legal and factual issues.

17 Also, on this point, I would like to reference the  
18 contentions that we make under NEPA, also, are made  
19 elsewhere, but separately, and there's been a little of  
20 confusion about that in our contentions. We are contended  
21 these issues are pertinent and properly addressed both under  
22 NEPA and under the Atomic Energy Act. So, we're not saying  
23 that we should be precluded from consideration as to one  
24 area of the law, in favor of another. I think that's all I  
25 have to say, at this time.

1           CHAIRMAN BECHHOEFER: Ms. Burton, I'm a little bit  
2 troubled about your -- at least your expressed reason why  
3 this particular action may constitute a major federal  
4 action. I was always under -- first, I'm sure -- I haven't  
5 found it listed in the 5122, I think, as one of the -- 22  
6 may not be right; I don't have it in front of me. It's one  
7 of the actions where the Commission has explicitly said it's  
8 a major federal action. There are certain types of actions  
9 listed. I had always understood that this was subject to an  
10 environmental assessment. I had always thought that this  
11 would be subject an environmental assessment. From what I  
12 hear from the other parties, it may not even be subject to  
13 an environmental assessment. But, if it were subject to an  
14 environmental assessment, of course, there could be a  
15 determination made that it was important enough and invoked  
16 significant enough changes to warrant an environmental  
17 statement. But, I'm not sure and I thought that  
18 traditionally, in these expansion cases, re-racking cases,  
19 that possibility had been explored and never been found to  
20 create an impact sufficient to require an impact statement.

21           That's my understanding of what the assessment  
22 say, and I haven't looked at all of them, I must say. But,  
23 I wondered why there's anything different here. I might say  
24 the possibility of a permanent water storage is pretty  
25 speculative, because the proposal in front of us involves

1 approval of additional capacity. It doesn't say anything  
2 about permanence. There's a limit to the license of a  
3 certain number of years, which were read out -- I guess the  
4 license term plus some years, somebody had mentioned it, so  
5 that it's not a permanent disposal site. It's  
6 conservatively, I guess, oh, under 100 anyway. So, that's  
7 why I don't know that it's a realistic possibility, at least  
8 to use the basis you propose, as a basis for acquiring a new  
9 impact statement.

10 It possibly could be, if you add some of the  
11 asserted injuries or consequences, that the environmental  
12 assessment could be expanded and made into an environmental  
13 impact statement, on a case specific basis. But, I just  
14 wanted to track what you're saying. So, do you have any  
15 further explanation of how you get to federal -- major  
16 federal action?

17 MS. BURTON: Well, let me try to explain a bit.  
18 We have previously looked at the business of future removal  
19 of the waste from the storage area and it is very clear that  
20 there's nothing in this application that addresses that  
21 issue. And so, in terms of that, to the two coalitions that  
22 I'm representing here, it is entirely speculative that there  
23 will ever be removal of any of the fuel from that location.  
24 There certainly is no --

25 CHAIRMAN BECHHOEFER: Well, would not there have

1 to be a further application for extensions of time to ,  
2 operate the spent fuel pool?

3 MS. BURTON: That may well be --

4 CHAIRMAN BECHHOEFER: You don't allow it forever.  
5 You allow it for whatever the license term is and there  
6 would have to be another application later that possibly  
7 could be opposed.

8 MR. BRUNO: Well, I understand that this  
9 waste does pose potential to injure people for some 240,000  
10 years, so we may be anticipating very many license renewal  
11 applications. Most of us won't be around for most of that  
12 time. But, I think it's --

13 CHAIRMAN BECHHOEFER: Clearly -- clearly, yes, but  
14 --

15 MS. BURTON: -- pure speculation to guess if it's  
16 going to happen before that time.

17 JUDGE KELBER: Wait a minute, are you asking us to  
18 tell the Commission they're wrong to have confidence in the  
19 waste -- eventual existence of a waste repository?

20 CHAIRMAN BECHHOEFER: Yeah, I mean, I think we're  
21 bound by it, at some point in time. We can't assume it  
22 won't exist.

23 JUDGE KELBER: I think we are bound by that.

24 CHAIRMAN BECHHOEFER: I think we are; I think we  
25 are.

1 MS. BURTON: If that's the impression, Dr. Kelber,  
2 that we've left, that's not the one we intended to, because  
3 we've tried to focus here on the business of the cask and  
4 that it is not being addressed with respect to that cask,  
5 how, if, when, or where the fuel will ever be moved from  
6 that site.

7 So, to address further, Judge Bechhoefer, the  
8 issue of environmental assessment reports, I'd like to  
9 express, on behalf of the coalitions I represent, our  
10 disappointment, frankly, that the staff of the NRC at least  
11 hasn't seen fit to support, in any way, apparently any of  
12 our contentions here; but most particularly this one, on the  
13 environmental consequences of this action, which we maintain  
14 will, because of the expansion of the pool, the errors, and  
15 the application, and the various factors that you have  
16 heard, perhaps ad nauseam all day today, and we're  
17 disappointed that our own agency, that we look to to protect  
18 us, hasn't taken a position that is sympathetic to ours.

19 We have become aware that there never has been  
20 apparently an environmental impact statement prepared with  
21 reference to expansion of a spent fuel facility, but that  
22 doesn't mean that those were correct decisions that were  
23 made all along the way. And we stand here today appealing  
24 to this Board to correct mistakes of the past that have led  
25 us to this point, where maybe by error, it was reported that

1 at Millstone 3, things were allowed to go so far for so long  
2 that the prospect is that they have run out of space to put  
3 their -- to do a full core off-load, at this time.

4 We haven't seen documentation that assures us that  
5 the information initially provided was correct, because we  
6 have, at a certain point, tended to suspend our disbelief in  
7 some areas. But, we assert here that we have set forth  
8 legal and factual grounds sufficient to compel an  
9 environmental impact statement to be done on this issue  
10 before there is any decision to allow an increase in the  
11 spent fuel at Millstone Unit 3.

12 CHAIRMAN BECHHOEFER: Mr. Repka?

13 MR. REPKA: We have already discussed many of the  
14 issues raised in this contention here earlier today and I  
15 don't want to revisit all of that discussion. In addition,  
16 we've responded again in our paper to what Ms. Burton just  
17 read, so I would defer to what we said there.

18 I would just like to -- make highlight again a few  
19 particularly important points, without repeating everything.  
20 First is that -- and perhaps most fundamentally, there is no  
21 basis in law and fact for the contention that an EIS is  
22 required in this case. As Judge Bechhoefer, I think you  
23 were alluding to, it's 10 CFR 51.20(b), lists those actions  
24 in the NRC regulations, which, of course, do bind the NRC,  
25 for which an environmental impact statement is required.



1 CHAIRMAN BECHHOEFER: Yeah, I was referring to  
2 that. I guess I got the number wrong. I don't have it in  
3 front of me.

4 MR. REPKA: I'm confident you were referring to  
5 that.

6 CHAIRMAN BECHHOEFER: I was.

7 MR. REPKA: And that does not include a license  
8 amendment of this type. With respect, 51.20(b) does talk  
9 about the Commission exercising special circumstances in  
10 certain cases and the contention makes the argument that  
11 these are -- that there are special circumstances here. I  
12 would respond to that twofold: one is I believe that's a  
13 matter for Commission discretion and not necessarily a  
14 matter for this licensing board. But be that as it may,  
15 even if it were within the jurisdiction of the licensing  
16 board, there is no basis for special circumstances or  
17 showing of special circumstances here. We've already talked  
18 about the severe accidents as being -- that have been  
19 postulated as being beyond the design basis for the  
20 Millstone Unit 3 spent fuel pool. We've talked about the  
21 various bases and how they don't provide any indication or  
22 any basis for concluding that the amendment makes these  
23 severe accidents any more probable than they are presently  
24 or probable at all against an objective standard.

25 In our papers, we certainly refer to the legal

1 precedent, the St. Louis Abyss for Mothers for Peace, which  
2 talks about the NEPA rule of reason. In fact, in that case,  
3 there is some discussion at 751 F2d. 1303, about special  
4 circumstances, some of the cases -- the very few cases where  
5 the Commission has decided that special circumstances exist  
6 and there are cases such as the Clinch River Breeder Reactor  
7 Plant, the Offshore Power Systems application for a floating  
8 nuclear plant, proposals that are clearly of a different  
9 kind than what the Commission had faced prior to those  
10 applications. There is nothing on that order in the present  
11 application here.

12 We've talked previously about the assertions of -  
13 - with respect to alternate storage. We do refer in our  
14 filings to a footnote to the Waste Confidence decision and  
15 we do believe that reflects the Commission's determination  
16 generically, that for environmental impact statement  
17 purposes, or whatever purposes really, the Commission has  
18 confidence that storage capacity in either wet or dry  
19 storage is a safe and reliable way to store fuel. We  
20 mention the generic environmental impact statement for  
21 license renewal that make similar conclusions about the  
22 environmental consequences of continued storage and existing  
23 in the spent fuel storage facilities of the very type that  
24 we're talking about here. So, there really is no basis for  
25 the conclusion that this is different or special.

1           And, finally, we have previously talked about the  
2 enforcement legacy and really do not believe that's a  
3 relevant consideration in this particular proceeding.

4           CHAIRMAN BECHHOEFER: Ms. Hodgdon? Let me ask you  
5 one question, first. Has not the Commission, either now or  
6 -- I think it's effective already, but I'm not sure,  
7 reaffirmed its waste confidence decision?

8           MS. HODGDON: I believe we said earlier that the  
9 Commission just recently reaffirmed that the waste  
10 confidence rule, itself, calls for it to be reaffirmed  
11 periodically. I think it used to be every five years; now,  
12 it's every 10, maybe. I'm not sure, but in any event, Mr.  
13 Repka had the Federal Register cite for the Commission's  
14 reaffirmation of that waste confidence and it was quite  
15 recently. It was December 6 --

16           JUDGE KELBER: Last week, if I recall.

17           MR. REPKA: You made me find it once. I'm not  
18 sure I can produce it again.

19           MS. HODGDON: December -- I believe you said  
20 December 6th, but I could be mistaken. That's about right.  
21 I have it here someplace myself, but I think it's buried  
22 under here and I'll never find it.

23           MR. REPKA: It really was last week, I believe.  
24 The date that's sticking in my mind is December 4th.

25           MS. HODGDON: Fourth? I thought it was --

1 MR. REPKA: Six, I'm sorry. I gave the citation  
2 anyway.

3 MS. HODGDON: -- 6th. I got it right, it's the  
4 6th.

5 CHAIRMAN BECHHOEFER: Anyway, quite recently.

6 MR. REPKA: December 6th, 64 Fed.Reg. 68005.

7 CHAIRMAN BECHHOEFER: Now, you can proceed with  
8 whatever other response.

9 MS. HODGDON: I believe that we've addressed most  
10 of the points that are brought out in support of  
11 petitioners' contention that an environmental impact  
12 statement must be filed, with regard to this application. I  
13 won't go back and repeat any of that, except where some  
14 things that have been offered that's a little bit different  
15 from what was said, which caused the staff to respond as it  
16 did.

17 Ms. Burton has expressed disappointment in the  
18 staff for not having supported this intervention, given that  
19 these petitioners have shown errors in the application.  
20 Well, the staff did look at all those allegations and  
21 reading the staff's filing, one can see that the staff paid  
22 very serious attention to these allegations of errors in the  
23 application and the staff looked at them closely, looked at  
24 the application closely, and --

25 CHAIRMAN BECHHOEFER: I thought Ms. Burton was

1 just disappointed that the staff didn't support the  
2 environmental impact statement.

3 MS. HODGDON: Well, I think she --

4 CHAIRMAN BECHHOEFER: I thought it was limited to  
5 that, but I may be wrong.

6 MS. HODGDON: No, she said errors in the  
7 application.

8 CHAIRMAN BECHHOEFER: Oh, okay.

9 MS. HODGDON: And so, we looked at all these  
10 allegations closely and we simply couldn't substantiate any  
11 of them, even with looking only to the documents that were  
12 filed, not going to anything else. And so, because there  
13 was no basis provided for any of these allegations, I find  
14 it strange that Ms. Burton would think that it would be in  
15 the public interest for the NRC staff to support  
16 unsubstantiated allegations. The staff didn't do that, it's  
17 true, but that's -- we did look very closely at them and we  
18 did determine that they were baseless. And for that reason,  
19 to the extent that all of these contentions are re-recited  
20 here in support of the contention that we must file an  
21 environmental statement, there's just nothing shown here  
22 that would indicate that we would need to file an  
23 environmental statement, with regard to this action.

24 JUDGE KELBER: You know, I would like to point out  
25 that regardless of what we do with this particular case, you

1 have raised a serious issue with respect to the connection  
2 between a severe accident and operating reactor and its  
3 associated fuel storage pool. Mr. Lochbaum, in particular,  
4 but perhaps, on occasion, have frequent meetings with the  
5 Commission and I think that that's the appropriate level to  
6 take this up.

7 The Commission thinks that this has merit. I'm  
8 not going to say yes or no, in placement of the Commission.  
9 But the Commission is convinced that this is a serious  
10 matter. I think that they will take the steps to -- to  
11 undertake the steps to investigate it, not just for this  
12 application, but for all similar applications. I think  
13 that's the level, regardless of what we do, that you want to  
14 pursue.

15 MR. LOCHBAUM: May I respond to that?

16 JUDGE KELBER: Is a response indicated?

17 MR. LOCHBAUM: No, but I'd like to volunteer one  
18 anyway.

19 JUDGE KELBER: Yes.

20 MR. LOCHBAUM: Earlier today, you suggested that  
21 we use a 2.2.06 process to bring some of these generic  
22 issues out there and I read more than my share of 2.2.06  
23 petitions; I'm sure that others will agree. But, that  
24 process really isn't a viable process. I'll be making --  
25 I'll be meeting with the NRC staff on Wednesday afternoon to

1 talk about the 2.2.06 process. And the biggest problem we  
2 have is the NRC doesn't follow the rules that are on the  
3 books, and to the disadvantage of the petitioner. And more  
4 fully, there's not appeal process like there is in license  
5 amendments and everything else.

6 In license renewal space, the NRC has set up a  
7 five layered appeal process for the applicant, to make sure  
8 they get the final answer they like, rather than the initial  
9 no that we get in our petitions. So, the 2.2.06 process is  
10 on the books, but the way the NRC staff implements it  
11 doesn't leave much room for the public to really get a  
12 safety issue for consideration. I realize that's outside  
13 the scope of this, but I did -- that's why we don't --  
14 haven't done that so far.

15 JUDGE KELBER: I was not suggesting -- I was  
16 suggesting it directly to the Commission about this in one  
17 of your frequent meetings with them.

18 MR. LOCHBAUM: The next one is January 10th and  
19 I'll try to put it in.

20 CHAIRMAN BECHHOEFER: Is there anything else  
21 further on the last contention 11?

22 [No response.]

23 CHAIRMAN BECHHOEFER: We have been finished with  
24 all of our contentions and I guess we won't have to come  
25 back tomorrow for further hearing. I would like -- before

1 we adjourn, I would like to mention that we have decided  
2 that the Long Island coalition has standing.

3 [Applause.]

4 CHAIRMAN BECHHOEFER: We will take note and this  
5 will be discussed in the paper we write. We'll issue a  
6 decision. We will not be prepared to rule on any  
7 contentions for probably several months and the decision I  
8 just referred to will be in that document. But, we will,  
9 also, explore whether any of the other -- any of the  
10 contentions get in. And so, I guess -- is there anything  
11 further before we adjourn that anyone would --

12 JUDGE KELBER: No, I would like to thank all  
13 parties for being concise and to the point, being very  
14 helpful.

15 CHAIRMAN BECHHOEFER: Yeah. So, we thank you for  
16 being here and we will issue a decision, as soon as we can.  
17 And we are adjourned.

18 [Whereupon, the pre-hearing conference was  
19 concluded.]

20  
21  
22  
23  
24  
25



REPORTER'S CERTIFICATE


This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

NAME OF PROCEEDING: PRE-HEARING CONFERENCE  
NORTHEAST NUCLEAR POWER  
STATION, UNIT NO. 3

CASE NO: 50-423-LA-3

PLACE OF PROCEEDING: New London, CT

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



Pete Holland

Official Reporter

Ann Riley & Associates, Ltd.