

ORIGINAL ACRST-3109

OFFICIAL TRANSCRIPT OF PROCEEDINGS
NUCLEAR REGULATORY COMMISSION
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

Title: MEETING: 470TH ADVISORY
COMMITTEE ON REACTOR
SAFEGUARDS (ACRS)

TRO4 (ACRS)
RETURN ORIGINAL
TO BJWHITE *BJW*
M/S T-2E26
415-7130
THANKS!

Docket No.:

Work Order No.: ASB-300-1167

LOCATION: Rockville, MD

DATE: Friday, March 3, 2000

PAGES: 269 - 346

ANN RILEY & ASSOCIATES, LTD.

1025 Connecticut Ave., NW, Suite 1014

Washington, D.C. 20036

(202) 842-0034

ACRS Office Copy - Retain
for the Life of the Committee

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

MARCH 3, 2000

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, taken on March 3, 2000, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

This transcript had not been reviewed, corrected and edited and it may contain inaccuracies.

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION
3 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

4 ***

5 470TH ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

6
7 U.S. Nuclear Regulatory Commission
8 11545 Rockville Pike
9 Room T-2B3
10 White Flint Building 2
11 Rockville, Maryland
12 Friday, March 3, 2000

13 The committee met, pursuant to notice, at 8:30

14 a.m.

15 MEMBERS PRESENT:

16 DANA A. POWERS, ACRS Chairman
17 GEORGE APOSTOLAKIS, ACRS Vice-Chairman
18 THOMAS S. KRESS, ACRS Member
19 MARIO V. BONACA, ACRS Member
20 JOHN J. BARTON, ACRS Member
21 ROBERT E. UHRIG, ACRS Member
22 WILLIAM J. SHACK, ACRS Member
23 JOHN D. SIEBER, ACRS Member
24 ROBERT L. SEALE, ACRS Member
25 GRAHAM B. WALLIS, ACRS Member

ANN RILEY & ASSOCIATES, LTD.
Court Reporters
1025 Connecticut Avenue, NW, Suite 1014
Washington, D.C. 20036
(202) 842-0034

P R O C E E D I N G S

[8:30 a.m.]

CHAIRMAN POWERS: The meeting will now come to order.

The is the third day of the 470th meeting of the Advisory Committee on Reactor Safeguards.

During today's meeting the committee will consider the following: phenomenon identification and ranking table for the high burnup fuel; proposed resolution of Generic Safety Issue B-17, criteria for safety-related operator actions; report of the Planning and Procedures Subcommittee; future ACRS activities; reconciliation of ACRS comments and recommendations; proposed ACRS reports.

A portion of today's meeting may be closed to discuss organizational and personnel matters that relate solely to the internal personnel rules and practices of this advisory committee and matters the release of which would constitute a clearly unwarranted invasion of personal privacy.

The meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Sam Duraiswamy is the Designated Federal Official for the initial portion of the meeting.

We have received no written statement or requests for time to make oral statements from members of the public

1 regarding today's session.

2 A transcript of portions of the meeting is being
3 kept and it is requested that speakers use one of the
4 microphones, identify themselves, and speak with sufficient
5 clarity and volume so that you can be readily heard.

6 Do any members have opening statements that they
7 want to make for this session?

8 I have been informed that Karen Faircloth will be
9 leaving us for a promotion in the Chief Financial Officers'
10 Office. Karen, you only got here.

11 [Laughter.]

12 CHAIRMAN POWERS: What, is it something we said?

13 [Laughter.]

14 CHAIRMAN POWERS: Well, congratulations, Karen.

15 MS. FAIRCLOTH: Thank you very much.

16 DR. SEALE: It's nice to know someone who works
17 where they keep all the money.

18 CHAIRMAN POWERS: Well, in that case we will move
19 to our first presentation. I will remind members that the
20 issues of high burnup fuel, the last time we heard about
21 them I think was about a year ago, wasn't it, Ralph?

22 This is this very interesting change in phenomena
23 that occurs as fuel gets up to very high burnup that the
24 trend in the industry is try to use fuel to ever higher
25 burnups.

1 The Staff has established a limit on how high a
2 burnup they are willing to go pending additional
3 information. They did this based on an engineering
4 judgment, an examination of relevant phenomena, the results
5 of tests that have been conducted in France and Japan, then
6 they instituted a confirmatory research program with the
7 Office of Research.

8 In the course of discussing that research program
9 it became obvious to us that the industry has every
10 intention of trying to push to ever higher burnups, perhaps
11 going beyond the current limit of 62 gigawatt days per ton
12 to as high as 75 gigawatt days per ton, and the questions
13 come up what kind of information do we have to present to
14 show that using fuel to those very high levels of burnup are
15 in fact safe, that it would be safe to do so.

16 At the same time, the Office of Research is
17 interested in what kinds of investigations it needs to carry
18 out as part of its confirmatory work and Dr. Meyer has been
19 busy designing a research program and a process for helping
20 him direct that research work and so, Ralph, I will turn the
21 floor over to you at this point.

22 MR. MEYER: Okay.

23 CHAIRMAN POWERS: I will interject that this is a
24 presentation for information to the committee that we are
25 not anticipating writing anything on this particular

1 presentation, but pay close attention because this
2 presentation constitutes background for subsequent
3 presentations on this subject where there may well be a need
4 to write.

5 MR. MEYER: This morning I'll just briefly go over
6 what the PIRT is and why we are doing it, because we had a
7 lengthy discussion on this a year ago, and then spend a
8 little time talking about the organization and the status of
9 the PIRT because there have been some changes along the way
10 and we are nearly finished with the first PIRT that we are
11 going to do, the one on the rod ejection accident for the
12 PWR, so I will give you some results from that and then
13 comment on our application of the PIRT results.

14 The application is going to be the key to solving
15 the problems, and the application itself is not part of the
16 PIRT process and I think this will unfold as we go through
17 here.

18 Just to refresh your memory, you will recall that
19 the PIRT that we are doing is a structured way to get some
20 technical information from a bunch of experts and PIRTS by
21 their nature address a specific scenario and they identify
22 phenomena that occur during that scenario and then you rank
23 the importance of those phenomena with regard to some
24 criteria that you define at the outset of all this.

25 The scenarios that we have picked are listed

1 herein the first bullet. The PWR rod ejection accident
2 is --

3 DR. WALLIS: I'm sorry, I can't see because you
4 are standing in front of the screen.

5 MR. MEYER: I am in the way? Okay. Let me --

6 CHAIRMAN POWERS: I think if you just moved back
7 to the screen --

8 DR. WALLIS: Or to the side or something.

9 MR. MEYER: If I move back to the screen then I
10 can't see my notes.

11 [Laughter.]

12 DR. WALLIS: Then you can speak the truth.

13 MR. MEYER: But I want to say what is in my notes.

14 [Laughter.]

15 MR. MEYER: Okay. This one is a rod ejection
16 accident in TMI-1. The second one is a BWR event which
17 involves ATWS related power oscillations in the LaSalle
18 plant. The loss of coolant accident PIRT will be a
19 combination of the PWR and the BWR scenarios in the same
20 PIRT meetings and we haven't yet defined the specific PWR
21 and BWR scenario that we will be following, but that will be
22 done.

23 At a later time, not scheduled in the current
24 round of PIRTs, we will come back and address the source
25 term.

1 Now what I want you to notice here is these three
2 scenarios that we have picked are scenarios that have
3 regulatory criteria associated with them, fuel damage limits
4 in each case. The fuel damage limits are intended to ensure
5 that core coolability is maintained and that damaging
6 pressure pulses aren't generated during the event, so these
7 are the events for which we have speed limits, so to speak,
8 that keep us from getting into severe accident trouble, and
9 so these are the design basis accidents which we are
10 focusing on in the PIRT.

11 DR. KRESS: Did you have a description of the
12 scenario from previous work somewhere, you know, like the
13 progression of the accident in time --

14 MR. MEYER: Yes.

15 DR. KRESS: Did you take that out of what, some
16 previous work?

17 MR. MEYER: It's done largely from previous work
18 and for example the first one that is the most complete,
19 during the past two years we have been doing a lot of plant
20 transient calculations on the TMI-1 rod ejection accident.

21 We had a deck from an international standard
22 problem and jointly with the French IPSN and the Russian
23 Kurchatov Institute we have gone through a very extensive
24 sort of round-robin calculation exercise, and we know a lot
25 about that particular transient.

1 DR. KRESS: That makes me feel a lot better. I
2 was afraid you got it out of the FSAR.

3 MR. MEYER: No, no, not at all.

4 Okay, phenomena -- what did I want to say about
5 phenomena? Nothing in particular.

6 In the exercise you simply identify the phenomena
7 and you try to rank them as high, medium or low importance.
8 We are not trying to find out which is the most important
9 phenomenon and what is the second and list them in that way.
10 We just want to know which ones are really important and
11 which ones don't matter so much, and you do that with regard
12 to something that you have in mind.

13 The something that we have in mind is that you
14 don't go over this cliff and get into a severe accident.
15 That is characterized by this long-term coolability and
16 avoiding the pressure pulses that threaten structures, so at
17 the outset we had this statement that the ranking criteria
18 were going to be related to fuel integrity, fuel dispersal,
19 long term coolability, and pressure pulses that threaten
20 structures.

21 DR. KRESS: Those don't seem to include anything
22 about the source term.

23 MR. MEYER: Not yet, no.

24 DR. KRESS: That is for later? You'll have
25 another criteria later.

1 MR. MEYER: That's correct.

2 DR. APOSTOLAKIS: So let me understand --

3 MR. MEYER: These events, these four events,
4 really don't invoke challenges, big challenges to offsite
5 doses. That is not really the thrust of analyzing these
6 events.

7 DR. KRESS: You are assuming ECCS works in these?

8 MR. MEYER: Yes, right. The source term itself
9 will be considered as a separate issue, because even when
10 the source term is applied to the loss of coolant accident
11 it is this hybrid analysis where you are analyzing an event
12 that is successfully terminated and using a source term for
13 a core melt to test the containment integrity and things
14 like that.

15 These three or four events, however you want to
16 count them, we are going to look at them just from the point
17 of view of the severity of the behavior of the fuel with
18 regard to its long-term cooling and pressure pulse
19 generation.

20 DR. APOSTOLAKIS: Now let me understand a little
21 bit the criteria there. You have a number of phenomena.

22 MR. MEYER: Yes.

23 DR. APOSTOLAKIS: Typically what number are we
24 talking about? I mean it's not a fixed number or is it two
25 or three --

1 MR. MEYER: No.

2 DR. APOSTOLAKIS: No?

3 MR. MADISON: The number of phenomena that we have
4 considered is on the order of 100 and I can see where you
5 are going with this question and I am going there.

6 DR. APOSTOLAKIS: I don't know where I am going
7 with it.

8 [Laughter.]

9 MR. MEYER: Well, then I think you are going to go
10 with me.

11 DR. APOSTOLAKIS: Okay.

12 [Laughter.]

13 MR. MEYER: And if you can bear with me a
14 minute --

15 DR. APOSTOLAKIS: Sure.

16 MR. MEYER: -- I believe I am going to come back
17 in more detail to this area that you want to discuss.

18 DR. APOSTOLAKIS: Okay.

19 DR. WALLIS: The only thing that is different now
20 is that the fuel has been in there a long time.

21 MR. MEYER: Correct.

22 DR. WALLIS: All the other phenomena are the same
23 as when the fuel is young.

24 MR. MEYER: They are not all the same.

25 DR. WALLIS: They are not all the same. But they

1 haven't changed much, have they? It's really the fuel
2 that's changed.

3 MR. MEYER: That is really the nub of the issue, I
4 guess. Some of them have changed sufficiently that, for
5 example, in the rod ejection accident we found rather early
6 on -- early being in 1994 and -95 -- that the mechanism of
7 failure is quite different from the one that we studied with
8 fresh fuel. It is a brittle, cracking pellet cladding
9 mechanical pushing interaction mechanism rather than a high
10 temperature heatup oxidation.

11 DR. WALLIS: It is the fuel that is different, but
12 the actual sort of pressure temperature history and
13 everything is still the same?

14 MR. MEYER: Yes, yes.

15 This is a list of the kinds of questions that we
16 want to address with the PIRT. You are going to see as I go
17 through here that the PIRT itself is not going to answer
18 these questions directly but we believe that going through
19 the exercise will put us in a lot better position to answer
20 them.

21 For example, we have now several different
22 cladding alloys that are being used. We used to use only
23 zircalloy, which is alloy principally of zirconium and tin,
24 with some tin in it. Now Zirlo and M5 have niobium in them.
25 M5 doesn't have any tin, so the question is do the criteria

1 which were originally developed from experimental work done
2 on zircalloy still apply to these other alloys. That is a
3 big question.

4 Can we perform expensive tests with one type of
5 cladding and extrapolate the results to the other type with
6 perhaps some information from less expensive tests?

7 Some more detail questions that come up along the
8 way -- pulse width, is it a critical parameter or not? We
9 have seen some evidence of that, and what do we do for the
10 BWR power oscillations. This is an event that we know very
11 little about in terms of the fuel response at this point.

12 I just want to emphasize as you look at these
13 questions the fact that we view PIRT as just a tool. It is
14 not going to answer them directly.

15 CHAIRMAN POWERS: It seems to me when I look at
16 this list of questions that there must be some background
17 assumptions of things that don't need to be looked at. What
18 I am thinking of, for example, there do not seem to be
19 questions that relate to the propagation or damage from
20 assembly to assembly or rod to rod?

21 MR. MEYER: Well, those questions just aren't on
22 this list.

23 CHAIRMAN POWERS: Okay.a

24 MR. MEYER: But I can assure you that those
25 questions are discussed in PIRT panel.

1 CHAIRMAN POWERS: And recriticality?

2 MR. MEYER: Recriticality -- I can't recall that
3 that has come up yet.

4 Okay, let me go on now and talk about the
5 organization and status of the PIRT and begin with a list of
6 participants here.

7 We have literally two dozen of the world's best
8 experts in fuel behavior.

9 DR. KRESS: Give or take one or two.

10 MR. MEYER: Give or take one or two. You will
11 recognize some of the names on the list, like Carl
12 Alexander, who -- I have given him an extra A in his name;
13 I'm sorry, Carl.

14 But I want to talk just a minute about some of
15 these. I have put in bold letters, four of them. These
16 four resulted from the ACRS quadripartite interaction.

17 So you had the Japanese, German, and French
18 partners in your quadripartite group, and with your
19 encouragement, we worked through those, and these are the
20 people that we got back from Japan, Germany, and France.

21 Now, I think most of you know by now that Franz
22 Schmitz, who really was the dean of the group, and was
23 responsible for a lot of progress in this area, passed away
24 last November.

25 And so, he has been replaced by Joell Papin from

1 the same laboratory in Caderache, so she is working with us
2 now regularly.

3 DR. APOSTOLAKIS: These people are in one room and
4 are doing this?

5 MR. MEYER: Yes, yes.

6 DR. APOSTOLAKIS: Wow.

7 MR. MEYER: In fact, I will tell you that we do
8 occasionally use two rooms.

9 DR. APOSTOLAKIS: Scheduling those meetings must
10 be a nightmare.

11 MR. MEYER: Okay, we have done a little dedication
12 of the report to Schmitz and put an inside-the-cover page to
13 him, which I think was appropriate. Everybody was happy
14 with that arrangement.

15 Okay, a few more comments about the list. Half of
16 the names on the list came from EPRI suggestions. So we
17 have three names that came from NRC, ACRS-related; half of
18 them that came from industry suggestions, and the rest of
19 them, we also made arrangements for.

20 Now, almost everyone on this list who
21 participates, pays their own way; the companies pay their
22 own way. There are a few exceptions, a couple of college
23 professors and a retired guy, and we've got contracts to
24 support those. But by and large, the industry people who
25 come pay their own ways.

1 There are no NRC contractors on this list. That
2 was intentional. We thought there could be some appearance
3 of conflict if we put NRC contractors on this list. I'm not
4 sure how that thinks through clearly, but --

5 DR. WALLIS: Well, I know Hochreiter has a
6 contract. I hate to -- that doesn't seem to be a true
7 statement.

8 MR. MEYER: Hochreiter? He does --

9 DR. WALLIS: He has a large project, yes.

10 MR. MEYER: He doesn't have a contract from the
11 high-burnup fuels project.

12 DR. WALLIS: No, but he's still an NRC contractor.

13 MR. MEYER: Okay. We tried to avoid putting the
14 people that we worked directly with on this, but we used
15 them -- we do use them as resource people.

16 DR. KRESS: Did you try to get Dick Hobbins on
17 this at all?

18 MR. MEYER: no.

19 DR. KRESS: Is he retired?

20 MR. MEYER: Yes.

21 DR. KRESS: Okay.

22 MR. MEYER: And resource people, we've reached out
23 to our own contractors plus some others. Typically, the way
24 we use a resource person is, at the beginning of the
25 activity, they will come in and make a large presentation

1 about the scenario that we're talking about.

2 So there's rod ejection accident, David Diamond
3 from Brookhaven came in and made a big presentation about
4 the analysis that had been done in the past couple of years.

5 Phil McDonald from INEL came in and made a
6 presentation and stayed with us through one of the sessions.
7 Phil McDonald was the principal investigator on the PBF work
8 and some of the SPIRT work in the other days. So he's the
9 principal author on the classic paper on this subject in the
10 early 80s.

11 And more recently, when we switched to the BWR
12 subject and had our first meeting on the BWR subject, we
13 invited a fellow named Martin Zimmerman from the Paul
14 Scherer Institute who had done some work on the BWR power
15 oscillations, to come over.

16 So, we've reached out everywhere that we thought
17 we could benefit, and asked people to come in and provide
18 information to this group. And that's worked out well for
19 us.

20 DR. POWERS: I think the Committee should really
21 be excited about what they've done here, because this was
22 our recommendation in this area, that they should reach out
23 broadly. It just looks to me like they've gone a mile
24 farther than we even anticipated they would, to reach out to
25 get the breadth of opinion.

1 MR. MEYER: Yes, it's hard to imagine reaching any
2 further. I mean, we've got all the U.S. fuel manufacturers
3 represented, universities, laboratories, foreign
4 governments.

5 DR. SHACK: Don't challenge us, Ralph.

6 DR. POWERS: Come on, the astronomers are
7 discovering these new planets all the time. You just really
8 have a narrow focus here.

9 [Laughter.]

10 MR. MEYER: Okay, leave it alone.

11 [Laughter.]

12 DR. SEALE: And you have a fertile imagination.

13 MR. MEYER: I think when we talked to you last
14 Spring, we were committed to this, and we were beginning to
15 make our plans, but we hadn't scheduled meetings, and
16 certainly hadn't held any meetings.

17 The first meeting was held at the end of August.
18 And then two more meetings on the PWR were held in the Fall
19 of the year, in October and December.

20 We have a number of people who travel from
21 overseas, and so we're trying real hard to schedule some of
22 these meetings close to other events that they'll be
23 traveling for anyway.

24 And we've also reduced the number of meets per
25 PIRT to two in our ambition to try and reduce the amount of

1 travel. So the work activity is pretty intense, and you'll
2 see that this is a four-day meeting. So they prefer to work
3 hard for four days, rather than have to come back at another
4 time.

5 Now, that is a large group, and we found that it
6 was difficult to work with everybody in the room at the same
7 time.

8 You're going to see in the organization of the
9 work in just a minute, that we broke it into two types of
10 technical activities, the experimental work and the
11 analytical work.

12 So we, in fact, have divided it into two groups
13 that meet in parallel. This just kind of happened
14 spontaneously in the PIRT effort.

15 And the two group leaders, who, again, arose
16 spontaneously, are Arthur Motta from Penn State in the
17 Experimental Group, and Lee Peddicord from Texas A&M, in the
18 Analytical Group.

19 So now this is kind of a semipermanent, unofficial
20 arrangement, that we break into these breakout groups and
21 these guys take over and lead the group through its paces.

22 Now, we have mentioned the fact that we have a
23 website and there is the address for the website. On the
24 website are several documents.

25 The concept of the website originally was to hold

1 the transcripts from the meetings. Because we had a large
2 group, and we thought it would be difficult for the PIRT
3 facilitator to keep detailed notes, we hired these court
4 reporters to come in and keep a verbal transcript of the
5 meetings.

6 So they do that and we get them electronically and
7 put them up on the Web. We also have background
8 information, general background, the kind of thing that was
9 on my one of my first slides, the list of participants, the
10 agendas, and the schedules are put up there as soon as we
11 have that information.

12 And then we've also found a need to provide some
13 more specific background information, almost guidance for
14 the PIRT participants, prior to the meetings in the various
15 areas. So there have been two of these background
16 information papers put on the Web, one pertaining to the rod
17 ejection accident and one for the BWR.

18 DR. POWERS: Ralph, the concept of PIRT is heavily
19 exercised in the thermal hydraulics field, and probably
20 pretty well known by thermal hydraulics types.

21 MR. MEYER: Yes.

22 DR. POWERS: But you're really taking this in a
23 very creative move and applying it to fuel behavior and
24 perhaps even the source term issue. People are not so
25 familiar with the ideas behind PIRT.

1 Do you find that transition difficult?

2 MR. MEYER: Yes.

3 DR. POWERS: Are there lessons that you've learned
4 out of that process?

5 MR. MEYER: Yes. Let me just go ahead to the very
6 next slide which addresses that, because it was difficult.
7 It cost us one session.

8 The August/September meeting, the three-day
9 meeting that we had, I would describe as wandering in the
10 desert. We were trying to work with these high-level
11 criteria, and trying to list the phenomena that would occur.

12 And we couldn't quite put it all together. How
13 were we going to get anywhere with this monster?

14 And we had to make some practical adjustments,
15 which probably, for PIRT purists, makes some substantial
16 changes to a PIRT activity.

17 One of the first things that we had to do was to
18 change the definition of phenomena, to broaden it. You
19 could almost just put in the word, "stuff," and it would
20 work. But we have phenomena processes, processes,
21 conditions, properties, anything that's related to the
22 subject that we're going to discuss, becomes a phenomenon
23 for the purpose of the PIRT.

24 DR. WALLIS: It's very interesting, the analysis
25 not as a phenomenon.

1 MR. MEYER: What?

2 DR. WALLIS: Analysis may be a phenomenon. That
3 puts it in a new category.

4 MR. MEYER: Well, then in the category area, we
5 had to break this down into some practical elements. We
6 were struggling with these four areas, with the plant
7 transient analysis, integral testing in big machines that
8 cost a lot of money.

9 Transient fuel rod codes were being used in this.
10 Also, we're trying to measure mechanical properties to
11 facilitate the use of transient codes to allow us to
12 understand the experimental results to see how these fit
13 with the plant transient.

14 So at that point, after the first meeting, we
15 regrouped, we decided that we would list this generalized
16 definition of phenomena in these four categories, and we
17 made one other major change. That was, we backed down a
18 notch on our criteria.

19 After discussing -- trying to discuss coolability
20 and pressure pulse generation, we realized that we really
21 didn't have a database, and didn't want to get into those
22 areas with design basis accidents.

23 So nobody wants to try and talk about debris
24 coolability or the efficiency of a fuel/coolant interaction
25 in a design basis accident. So we decided, as a practical

1 matter, that we would roll this back to the fuel dispersal
2 and flow blockage, where flow blockage here, in our minds,
3 is like in a loca, ballooning and reduction of the flow
4 channel area.

5 So, these became the criteria. Now you look at
6 the plant transient analysis and the experiments, and you
7 rank the phenomena with regard to the outcome of the
8 analysis or the experiment in relation to dispersing fuel or
9 ballooning fuel rods.

10 DR. KRESS: I think that was a good move, Ralph.
11 That probably focused a whole lot of attention on that.

12 DR. POWERS: I think the whole enterprise of
13 taking this technology that's been so useful in one field
14 and applying it in another is, Ralph deserves all the credit
15 in the world for making that, and he also deserves credit
16 for recognizing that a direct transfer is just never going
17 to be possible. You have to make some accommodations to the
18 vicissitudes of the field.

19 So I'm not surprised at all, and I think you made
20 some good changes.

21 MR. MEYER: It became very apparent after the
22 first meeting. The first meeting was uncomfortable. I
23 mean, you're trying for three days to get somewhere, and
24 you're frustrated, and you wander off into these deep areas
25 that you can't handle.

1 So, we made these adjustments, we wrote the first
2 background paper prior to the second meeting. We put it out
3 on the Web, we communicated with e-mail and we came back and
4 engaged the group in this revised way of treating a, quote,
5 PIRT.

6 DR. WALLIS: Are you going to cover all
7 eventualities about the fuel result without blocking and
8 still be awkward to deal with, without necessarily
9 dispersing?

10 MR. MEYER: Could you say that again? I just
11 didn't hear it.

12 DR. WALLIS: Well, if it distorts efficiency, it
13 may be hard to handle, or it may prevent some mechanical
14 motion of self or rods or whatever. But it won't
15 necessarily disperse or block flow; it just changes its
16 geometry sufficiently so that it would be awkward to deal
17 with.

18 MR. MEYER: That's considered, swelling, in
19 particular, but also bending, getting in the way of control
20 rods.

21 DR. WALLIS: That's included.

22 MR. MEYER: Yes. Now, let me give you just a few
23 sample results. I don't want to go into a lot of detail on
24 this. In the plant transient analysis category, there were
25 probably 25 phenomenon that were ranked.

1 I just looked through the table and picked out a
2 half dozen that had really, you know, like -- we voted. Let
3 me digress here a second:

4 With a smaller group, you might come to a
5 consensus rather quickly on high, medium, or low. But in a
6 huge group like this, we decided that we would vote and
7 record the tally of votes on high, medium, and low.

8 And we asked the PIRT members only to vote if they
9 felt that they really had some knowledge and opinion on this
10 subject, so that we expected that the plant transient
11 analysis experts might not vote when you came to a question
12 about the experimental measurement of a mechanical property.

13 And so you don't have total votes that total up to
14 24. And, in fact, after doing this for awhile, it became
15 clear that half of the room would vote on the analysis
16 activities, and half of the room would vote on the
17 experimental activities, and so we just got another room for
18 them and did the work in parallel.

19 But what I did then was to look through the table
20 with the final vote tally, and pick out the lopsided votes
21 for high-ranked phenomena. And here are six of them that I
22 have on the screen here.

23 They're not too surprising, in themselves, but you
24 try and get from this, as much as you can. These last
25 three, fuel temperature feedback; delayed neutron fraction;

1 and heat capacities of the fuel and cladding, are basic
2 properties.

3 You can't do much about those, except get them
4 right in your codes. But the first three, the control rod
5 worth, the fuel cycle design, and the pin-peaking factors,
6 you can actually change those in the core design.

7 So I think of these three together as core design.
8 Now, this has some practical implications. Now I'm
9 wandering into the application part of this.

10 So after this is done, we're sitting back and
11 we're looking at this and saying, if you get some limiting
12 value that is a little difficult to live with, you can alter
13 the control rod worths and bring the deposited energy down.

14 Or, conversely, if you have some target fuel
15 enthalpy that you want to stay below, we began to see in the
16 presentations, that you couldn't get up to that value if the
17 control rod worth was not greater than such a value.

18 It then suggested that somehow we can use control
19 rod worth in combination with some other factors about the
20 core design, and perhaps make some equivalence to the peak
21 fuel enthalpy and thereby avoid doing a 3-D plant
22 calculation for each and every core, and simply look at the
23 core design and the control rod worths that you're going to
24 have, and reach some judgment about whether or not this is
25 going to exceed the fuel design criteria.

1 DR. UHRIG: So your fuel cycle design is -- you're
2 talking about 24 months, 18 months, or are you talking about
3 the leakage configuration, of all of the above?

4 MR. MEYER: All of the above. So, here is an
5 idea, a new idea that has come out of these discussions,
6 which we haven't completely ironed out yet. And this is one
7 of the reasons that we're not quite ready to present the
8 application.

9 But this is one result of this PIRT activity that
10 I think is going to be valuable.

11 DR. POWERS: It looks like it's crucial, because
12 this is the kind of information that line organizations
13 would want to have when somebody proposed to go to high
14 burnup.

15 MR. MEYER: Yes. And I also want to mention that
16 the insights that we're going to get from the PIRT activity
17 are not all going to come from just looking at the ranking
18 scores. But you've got two dozen people engaging in
19 discussions for three-day periods, and during those
20 discussions, a lot happens, and you sit there and you get
21 ideas.

22 So, the activity itself is part of the equation.

23 DR. KRESS: Ralph, the delayed neutron fraction,
24 it strikes me as a strange one to be in here, because I
25 would have thought, number one, it has a one-to-one

1 relationship with burnup. And it seems to me, like there is
2 very little uncertainty in what you know about it.

3 So that even though it may have a real impact on
4 what you do with the transient, how the transient goes, it
5 seems like you know enough about it, and it's only related
6 to burnup itself, that I don't know where I'm going, but I
7 was surprised to see it ranked as high.

8 I guess --

9 MR. MEYER: Which one was that?

10 DR. KRESS: The delayed neutron fraction.

11 MR. MEYER: Oh, the delayed neutron fraction, yes.

12 DR. WALLIS: I'm really surprised that cooling of
13 the cladding doesn't come into it.

14 DR. KRESS: Well, I think that fuel temperature
15 feedback implies something about how you calculate the
16 temperature, too. But these things go so fast, that --

17 DR. WALLIS: But it's still pretty rapid cooling
18 as well.

19 DR. KRESS: I know, but I think these things are
20 almost adiabatic, aren't they?

21 MR. MEYER: It is nearly adiabatic. The transient
22 is -- the pulse has a half width of about 30-50
23 milliseconds. And the fuel has a time constant of three to
24 five seconds. So, you don't get a lot of heat transfer but
25 you do get some.

1 DR. WALLIS: If you heat up the cladding, then you
2 probably heat up some water as well.

3 MR. MEYER: Yes.

4 DR. POWERS: I think that on the delayed neutron
5 fraction, I think you're right that if you ask me about a
6 specific piece of fuel, that I probably can calculate the
7 delayed neutron fraction with a fair degree of accuracy.

8 When I use these codes, I don't use that number; I
9 use a fudge factor to give me an average. And at least one
10 of the NRC contractors has written on this subject, saying
11 that we need to look at it.

12 And my recollection is that Dave Diamond was doing
13 some uncertainty analyses on that aspect of the calculation.

14 MR. MEYER: Yes. I think it was his presentation
15 that led to this ranking.

16 There are also some interesting things that don't
17 make the high list, and one of them was rate of reactivity
18 insertion.

19 I think a lot of us who weren't specialists in
20 that area thought at the outset that rate of reactivity
21 insertion was going to be a big actor. And it wasn't.

22 As long as you can get the reactivity inserted in
23 about a couple hundred milliseconds, it doesn't matter.

24 DR. POWERS: I recall lots of questions in this
25 room, exactly about transients in the experiments being too

1 short. And people complained that the experiment were
2 prototypic.

3 I think what you're saying is that as long as
4 they're about right, it doesn't make a lot of difference.

5 MR. MEYER: Yes. Now, the next group of phenomena
6 are the integral experiments. These are the experiments
7 like at Cabris or at NSRR.

8 And, you know, at first, these don't look very
9 surprising, but burnup of the test rod, there was a lot of
10 discussion about burnup of the test rod. After you
11 understand a little bit about the failure mechanism for
12 these high burnup rods, and realize that the hydrogen
13 embrittlement of the cladding is a major factor, you can
14 begin thinking that, well, the actual burnup of the test rod
15 may not be so important, as long as I've got the right
16 amount of hydrogen in the test rod.

17 And you might get that in -- you know there may
18 not be a one-to-one coupling between burnup and oxidation,
19 which leads to the hydrogen, because the oxidation is also
20 affected by how high the temperature is in the plant, and
21 the water chemistry.

22 But n further probings the group realized that the
23 burnup itself is going to lead to fission gas distributions
24 on the grain boundaries in the pellet, and these are going
25 to perhaps have a big effect on the implied loading on the

1 cladding.

2 DR. KRESS: I was going to ask you about that
3 particular thing. Now that you are on it, I will. I would
4 have thought somewhere in there you might have been -- the
5 amount of time the fuel sits around after burnup, before you
6 put it in, would be an important consideration just because
7 you change that distribution of fission gases on the grain
8 boundaries and you age the grains themselves and change that
9 grain structure a little bit. Was that one of the
10 considerations? Usually you don't just have the fuel right
11 there after burnup -- it sits around.

12 MR. MEYER: I don't think we talked about the time
13 that it would sit around at room temperature, but we talked
14 about the preconditioning that might take place in the test
15 reactor when you are warming up and getting ready for the
16 test.

17 DR. KRESS: Yes.

18 MR. MEYER: There the discussion focused more on
19 what you might do to the distribution and orientation of
20 hydrides in the cladding rather than on the fission
21 products, but nevertheless the fission product issue
22 promoted the burnup of the test rod to a high ranking and
23 what this means in a practical way in our interpretation is
24 that if you are going to go from 62 to 75 gigawatt days per
25 ton burnup that you need to test rods with burnups up to 75

1 gigawatt days per ton and not just stop with rods that have
2 62 gigawatt days per ton but a lot of oxide on them, which
3 we have in our test programs.

4 DR. KRESS: I think that is a real good insight
5 there.

6 MR. MEYER: The coolant heat transfer conditions
7 during the tests obviously have implications with regard to
8 whether you can be satisfied with tests in a sodium loop or
9 whether you need to test in a water environment. That one
10 is pretty transparent. Pulse width during the test was also
11 discussed a lot and thought to be important.

12 There are, however, two aspects of the pulse that
13 were not high ranked. They were only medium ranked and
14 maybe one of them was low. I have forgotten, but there have
15 been two concerns expressed about the pulse and the power
16 histories.

17 One was about the shape of the pulse. In Cabri we
18 had one test with a big double humped pulse. They were
19 trying to get a broad pulse and it is very difficult to
20 operate the valves in the Helium 3 system fast, and they
21 didn't get a good operation of the valves and they got two
22 pulses sort of merged together with a clear dip in the
23 middle. I thought that that was bad news, but I was
24 probably the only one who thought that was bad news.
25 Everybody who discussed it thought no, it doesn't matter so

1 much as long as you get the enthalpy in the fuel, right, is
2 the integral of that thing more than the shape of it that
3 matters.

4 The other related parameter that was discussed was
5 the power history during burnup accumulation in the power
6 plant before the rod is tested.

7 DR. KRESS: I would have thought on the pulse
8 width that you were right. If it is broad pulse width or
9 humped like that you have a problem, but I would have
10 thought that as you come down in the pulse width you will
11 reach a place, a width, beyond which it doesn't matter
12 anymore, and that would have been -- so as long as you stay
13 within the given pulse width that you'll be all right. Did
14 that come out?

15 MR. MEYER: Well, there is a feeling that for the
16 very narrow pulses that there is some -- I don't know if I
17 am going to get this right -- coherency in the expansion of
18 the gas on the grain boundaries and pushing out fragments,
19 grain size fragments of the pellet, into the cladding, which
20 might if given a little more time to spread out not
21 contribute so significantly to the mechanical --

22 DR. KRESS: That's why I thought it would be
23 maximum pulse width beyond which you wouldn't want to go,
24 but if you are within that narrow range, it doesn't matter.

25 MR. MEYER: Well, but the thinking is the other

1 way around. If you get too small you get an extra kick from
2 the fission gas and as long as you get above a certain
3 amount you don't get that kick and then it's just the
4 thermal expansion of the pellet which is related to the
5 enthalpy that you get into the UO2.

6 DR. WALLIS: Well, if it is rapid enough, you have
7 to worry about sort of wave-like transient propagation of
8 things. It's more like an explosion than the swelling --
9 very short transients.

10 MR. SIEBER: I presume that when you are talking
11 about agglomerates in the test run you are talking about
12 plutonium particle size?

13 MR. MEYER: Yes.

14 MR. SIEBER: Did you go to the extent to figure
15 the effect of the particle being hot enough to burst through
16 the cladding during the pulse?

17 MR. MEYER: What we had presented to us was some
18 metallagraphic examination from the Cabri test with mixed
19 oxide fuel. Now these have the minus MOX fabrication route,
20 which does result in plutonium-rich agglomerates. I think
21 it's 50 percent UPU mixed oxide in those agglomerates. It's
22 not pure PUO2, and from those results they did not see
23 melting or gross microstructure change in the vicinity of
24 the particles so there was the feeling that the extreme high
25 temperature wasn't the main actor in the MOX effect which

1 was seen prominently in these Cabri tests but rather that
2 the MOX effect was related to a high burnup rim around each
3 particulate.

4 Sort of like the rim that we talk about around the
5 outside of a UO2 fuel pellet at high burnup, you have these
6 ultrahigh burnup islands with their own rim around them, so
7 this is the current thinking on this, and it is not the high
8 temperature part, so I think the melt-through of the
9 cladding would not be thought to be an important process at
10 the moment based on what they have seen.

11 MR. SIEBER: There were a number of experiments in
12 a test program called the Plutonium Utilization Program in
13 the '70s.

14 MR. MEYER: Yes.

15 MR. SIEBER: Done by the Battelle at Hanford. Are
16 you familiar with that?

17 MR. MEYER: Yes.

18 MR. SIEBER: Okay. They did get clad perforation
19 on those tests.

20 MR. MEYER: Yes. Well, when we looked at the
21 transient fuel rod codes, and for us the transient fuel rod
22 code is FRAPTRAN, you find some conclusions, some high
23 ranked phenomena that seem pretty obvious, but they may have
24 some not so obvious implications.

25 For example, the gap size is obviously going to be

1 a high ranked thing because you have the pellet expanding
2 and pushing on the cladding to generate the stress that
3 leads to the fracture. If there is a gap between the pellet
4 and the cladding, the pellet has some free movement before
5 it starts applying the stress, so getting the gap size is
6 obviously going to be important.

7 It strikes me from just sitting and listening to
8 the discussions and putting two and two together that in our
9 code the gap size is based largely on temperature validation
10 of the code rather than the mechanical part. Now we do have
11 some, because we do look at axial elongation of the
12 cladding, which is a result of gap closure and lockup, so we
13 have some indirect ways of measuring the interaction between
14 the pellet and the cladding which then gives you information
15 about the gap closure, but I would want to look back at our
16 code and to see if there is any need to tune up the gap size
17 modeling such that it not only hits the temperatures right
18 but it also hits the mechanical interactions right.

19 Now I am not sure that it doesn't do that, but I
20 am just saying when you go through this you get these kinds
21 of implications that cause you to go back and look at some
22 of your models.

23 DR. KRESS: Did you say your code was FRAPTRAN?

24 MR. MEYER: FRAPTRAN is the new incarnation of
25 FRAP-T.

1 DR. KRESS: FRAP-T, okay. I hadn't heard of
2 FRAPTRAN. Are we going to see that code sometime?

3 MR. MEYER: Yes. FRAPTRAN is going through its
4 validation assessment now, and we are planning a peer review
5 this summer and so we will have the assessment and the
6 documentation, the peer review, then revisions and then the
7 publication of the documentation. That is taking place this
8 year.

9 DR. WALLIS: Does this code assume things like
10 cylindrical symmetry to make things simple but maybe miss
11 some real phenomena that way?

12 MR. MEYER: Yes. It does.

13 One other thing -- here is one that was not ranked
14 high and that was the mechanical properties of the pellet,
15 because in the equations you have got a pellet that can give
16 and the cladding that can give, and you have got the model
17 on both. Well, pellets are a lot stiffer than the cladding
18 is and so getting the pellet model accurately is not as
19 important as getting the cladding model accurately.

20 We currently have a rigid pellet model in our code
21 and we are not sure yet that that is not sufficient.

22 DR. WALLIS: As long as it is intact.

23 MR. MEYER: As long as what?

24 DR. WALLIS: As long as it is intact.

25 MR. MEYER: Yes.

1 And then finally we looked at things important in
2 making mechanical property measurements. There is really
3 not a whole lot that jumps out here that would be of
4 interest to talk about.

5 We were looking at such things as the way you
6 select specimens and design specimens, and it was clear to
7 everyone that the detailed shape of these ring tensile
8 specimens, for example, is extremely important.

9 And we have been working on this for a couple of
10 years now, and this work has spread around to other
11 laboratories. We've been working with cooperating with
12 them.

13 So it's really not a surprise when you reach out
14 and get the experts, and you've been working with them
15 already on this subject, that you find out that you're on
16 the right track and you really need to do those things.

17 DR. WALLIS: The thing that concerns me about
18 PIRTs is when there is a lot of extrapolation of experience.
19 It seems to me that the actual base of knowledge for really
20 high burnups is very skimpy.

21 MR. MEYER: Yes.

22 DR. WALLIS: So all of these experts are
23 extrapolating their experience.

24 MR. MEYER: Yes.

25 DR. WALLIS: And it becomes more and more

1 guesswork, the further out they get.

2 MR. MEYER: Yes. But we don't have an empty
3 slate. We do have a lot of data for the reactivity
4 transient, but much of that was obtained under conditions
5 that weren't ideal.

6 But you still learn from those things. And also
7 in the loca transient, there is preliminary information in
8 France, and we're on the verge of getting these data
9 ourselves now in our program at Argonne.

10 So the one where we really have the least to go on
11 is the BWR transient.

12 DR. POWERS: I noticed that on your previous
13 slide, you had a MOX callout on that. How much is MOX
14 figuring into these PIRT activities?

15 MR. MEYER: Not a lot, but let me tell you the way
16 that we do this, and you can see exactly how it's done.

17 We look at the specific sequence, and it's
18 specific right down to the fuel type. So, in the case of
19 TMI-1, it's a 15 x 15; it's zircalloy four; it's UO2
20 pellets. And it's got a certain enrichment and oxide
21 thickness, and everything is assumed.

22 And then we go through the exercise. At the end
23 of the exercise, we ask ourselves several extra questions.
24 And we go back through each phenomenon, and the question is,
25 would the ranking, high, medium and low, change if you now

1 went from a UO2 fuel to a mixed oxide fuel?

2 And you can go through large lists of phenomena
3 and say, no change; and then you find one that would change.
4 And we do the same -- if you change the cladding type from
5 zircalloy to zirlo or M-5, would the high, medium, and low
6 ranking change?

7 Was there another one that we did, Harold?

8 MR. SCOTT: Burnup.

9 MR. MEYER: Yes, burnup. We did this for 62
10 gigawatt days per ton, because 62 gigawatt days per ton is
11 the burnup limit for which the NRC has said we will provide
12 the confirmatory work. Going from 62 to 75 is the
13 industry's responsibility.

14 So we did the basic exercise at 62, and then we
15 asked the question, if you went from 62 to 75, would the
16 ranking change. And you go through each and every one of
17 them. And those are tabulated in the report.

18 This is what the report looks like in paper. The
19 report is on the website in its entirety, and it's kept up
20 to date. We use it as a working draft, and it's in a
21 near-final condition, but there will be some more changes on
22 this one, even though we've moved on now to the ATWS PIRT.

23 DR. POWERS: So by the time you're done with this
24 particular item, you'll have a pretty good idea? I mean,
25 somebody could look at this and have a pretty good idea that

1 it says if I want to go to 75 gigawatt days per ton, the
2 kind of information I need to have available for the NRC
3 with respect to rod ejection accidents is here. I mean,
4 it's listed down for you.

5 I would really like to just say, yes, to your
6 question, but I think there is an interpretive step in
7 between.

8 DR. POWERS: Okay.

9 MR. MEYER: I can't tell you for sure that our
10 conclusions and our applications of the PIRT will match up
11 with what the industry does with it. I hope so, but --

12 DR. POWERS: I wouldn't presume to say that the
13 industry would follow it blindly, but with the purposes -- a
14 hypothetical industry guy comes in and asks, what do I need
15 to bring, that you're happy with my arguments on 75 and has
16 something to point to.

17 MR. MEYER: Yes, yes.

18 DR. POWERS: What he actually brings may be up to
19 him.

20 MR. MEYER: Yes. Okay, this is my last slide and
21 there's not much on it. It just say that we're now working
22 on an application for the PWR rod ejection case. I think we
23 cannot only see light at the end of the tunnel; I think we
24 can see the tunnel clearly enough that we can get out
25 without bruising ourselves too much.

1 There will be some additional work required, in my
2 opinion, to get there, but it's not endless; it's finite.
3 And we have a draft document with this written down. It
4 simply hasn't been reviewed. It will be changed and
5 adjusted, and that's the document that I would have really
6 liked to have discussed with the Committee, but it was
7 clearly not ready for discussion.

8 But I do want to leave the impression that we
9 think we know what to do with this, with regard to the first
10 event type, the PWR rod ejection accident. And when we work
11 out the details of our plan for resolution, then we'll be
12 able to discuss that with you.

13 MR. SIEBER: When do you think the report will be
14 ready in paper form as a final, not necessarily approved?

15 MR. MEYER: Well, we're probably not going to make
16 a large paper distribution of this report. The whole agency
17 is moving towards a paperless existence.

18 DR. SEALE: Well, will it be on the Web?

19 MR. MEYER: It's no the Web right now; it's there
20 right now.

21 MR. SIEBER: Reading a couple hundred pages off
22 the screen is tough.

23 MR. MEYER: Well, you need to get Matt to print it
24 for you. He's got a good printer.

25 DR. POWERS: We've got at least a draft of the

1 document.

2 MR. EL-ZEFTAWY: Yes, I'll print it from the Web
3 and distribute it to all the members.

4 MR. MEYER: We have made one decision relevant to
5 this question, though, and that is, we're not going to
6 finalize the first PIRT report until we finish all of them.

7 DR. POWERS: All right.

8 MR. MEYER: As we move into the subject of the BWR
9 ATWS, we remember, oh, we forgot something on the PWR. And
10 we have to go back and make that adjustment.

11 They're all sitting on the Web. They're available
12 to anyone. I don't expect the changes to be major, but
13 we're not going to issue them with publication dates until
14 we're finished with the last one.

15 DR. POWERS: Okay.

16 MR. MEYER: That's all.

17 DR. KRESS: Ralph, what I heard so far and see so
18 far just validates my original impression that this was a
19 stroke of genius to go this route for this particular issue.
20 I think you're on the right track, and it looks very
21 exciting.

22 MR. SIEBER: Yes, it is.

23 MR. MEYER: I really have to give credit for
24 Farouk Eltawila for the idea of pushing us into the PIRT
25 activity.

1 DR. KRESS: It certainly is an application that
2 has a lot of excitement.

3 DR. POWERS: I think it makes us seriously think
4 about lessons learned.

5 DR. KRESS: Yes. I agree, that that might be a
6 really good addition to this, lessons learned from applying
7 a PIRT to this particular application. It might be a real
8 good little thing to put out, some sort of document on that.

9 DR. POWERS: For your brethren who are going to
10 have similar problems of reaching out. When the Committee
11 has written before that we think especially in these areas
12 where you're going into something new, it's useful to reach
13 out and try to find out what the world knows about these
14 things.

15 But it would stun and appall me if we could take
16 what the thermal hydraulicists have said is and use it
17 exactly.

18 MR. MEYER: Yes.

19 DR. POWERS: I think what you found is, no, you
20 can't do that.

21 MR. MEYER: It's just very different. I mean,
22 with a thermal hydraulic code, you're modeling the
23 phenomenon, so you go down the phenomena one-by-one, but
24 here we're trying to resolve a regulatory issue.

25 And it involves more than just a code with

1 phenomena.

2 DR. BONACA: I have a question regarding the
3 scenario where you discuss the PWR for the ejection
4 accident. You're looking at a classic reactivity insertion
5 resulting from the ejection.

6 MR. MEYER: Yes.

7 DR. BONACA: And are looking at how likely the
8 event is going to happen. I mean, one issue that was
9 debated for a long time was, typically what you postulated
10 is the extreme event, which is rod ejection at zero power
11 with all the rods inserted, et cetera.

12 MR. MEYER: Yes.

13 DR. BONACA: It's an extremely unlikely event
14 because of what you have to assume, I mean, including the
15 rupture of a nozzle and the ejection. And then you have, of
16 course, hardware up there that will prevent the ejection.

17 MR. MEYER: Right.

18 DR. BONACA: So you're not looking at all to the
19 risk-informed credibility?

20 MR. MEYER: No. I would say, to the contrary. We
21 did, and you have to go back two years to the time when we
22 were developing the agency's high burnup program plan.

23 At that time, we did an explicit, albeit very
24 simple, risk assessment of each of the issues in the program
25 plan.

1 And there was no question that all of the design
2 basis accidents have low frequencies of occurrence. But
3 when you're talking risk, you obviously have to have
4 consequence, so you can't just hone in on a higher
5 probability even that can't lead to a consequence.

6 And consequence means essentially melting fuel and
7 getting big fission product releases. So, the PWR rod
8 ejection accident that had been the traditional design basis
9 accident, stayed on the plate after that little examination.

10 But the corresponding rod-drop accident for the
11 boiling water reactor didn't, because what we found is that
12 there is this other reactivity-related event, the power
13 oscillations related to an ATWS, that are higher probability
14 and probably -- although we're unable to do a real risk
15 analysis, we can see that the type of damage to the fuel
16 could be serious enough to lead you into consequences.

17 And so our conclusion was that the power
18 oscillation for the BWR was a higher risk event than the
19 rod-drop for the BWR, and so we have turned our attention to
20 that.

21 DR. BONACA: Okay.

22 DR. KRESS: There is in the plans, you said, some
23 time to repeat this exercise for the source term?

24 MR. MEYER: Yes. We don't have it schedule.

25 DR. KRESS: That's down the road some time?

1 MR. MEYER: The reactivity-related events and the
2 loss of coolant accidents will be finished up this year.
3 And I would expect that we would try and schedule the source
4 term one in 2001, but it is not scheduled at this time.

5 DR. KRESS: It will probably concentrate on locas
6 for that?

7 MR. MEYER: I would think you would have to take
8 several severe accident sequences.

9 DR. KRESS: Okay, you may want to take some.

10 MR. MEYER: For the source term, you're probably
11 going to have to take three or four sequences.

12 DR. KRESS: It's probably sufficient to just take
13 a low-pressure accident these days.

14 MR. MEYER: Okay, it might be.

15 DR. KRESS: You can look into it.

16 DR. POWERS: Well, good. Do members have any
17 further questions?

18 [No response.]

19 DR. POWERS: Dr. Meyer, that was just an excellent
20 background briefing. That was very helpful to the
21 Committee.

22 DR. SEALE: Yes, super.

23 DR. POWERS: And we look forward to a presentation
24 on final interpretations and whatnot. Just keep us informed
25 on your progress.

1 MR. MEYER: Okay.

2 DR. POWERS: Thank you a lot. I am going to
3 recess till 10:30.

4 [Recess.]

5 CHAIRMAN POWERS: Okay, let's come back into
6 session. We turn now to the topic of the proposed
7 resolution of Generic Safety Issue B-17, criteria for
8 safely-related operator actions. I think this is a subject
9 that has been before this committee a couple times in the
10 past.

11 Professor Seale, I think you will lead us on this
12 process.

13 DR. SEALE: Okay. As you all know, we have been
14 trying to encourage our way through the resolution,
15 disposition of all the -- as many of the generic issues as
16 possible. We have two of them here, closely related --
17 B-17, which is old enough to drink --

18 [Laughter.]

19 DR. SEALE: -- and B-27, which is old enough to
20 vote.

21 [Laughter.]

22 DR. SEALE: And hopefully we will hear from the
23 Staff to dispose of these.

24 Now there is a record of prior committee
25 consideration of these two issues. Back in November of '95

1 we had a proposal from the Staff to close this issue out on
2 the basis of the endorsement of an proposed ANSI ANS
3 Standard 58-8, 1994, time response design criteria for
4 safety-related operator actions.

5 The committee reviewed this proposal and took
6 sharp exception to it on the basis primarily that the times
7 that were identified for operator action in the standard
8 were based on information which was not readily available to
9 either the -- well, to the public -- and that there were
10 proprietary restrictions on the availability of that data
11 that made it inappropriate for a standard of this type.

12 So as a result of that, why that proposal was
13 withdrawn and now the Staff is coming forward with an
14 alternative approach to this, a different tack. We also
15 understand that there is a possibility of reconsideration
16 action on the standard, and basically what we want to do
17 today is to, first of all, look at the proposal from the
18 Staff as to how they propose to resolve these issues, and
19 then secondly to hear a little bit about any plans they have
20 for this standard to see whether or not there is going to be
21 any effort to address the concerns we had earlier when we
22 looked at that.

23 Jay Persensky is going to be giving us our
24 presentation and you have a couple of your colleagues, Rossi
25 and --

1 MR. ROSSI: I am Ernie Rossi. I am the Director
2 of the Division of Systems Analysis and Regulatory
3 Effectiveness and we have Jack Rosenthal, who is the Branch
4 Chief of the Regulatory Effectiveness and Human Factors
5 Branch here with us, and we have Harold Vandermolen, who is
6 the person who is basically in charging of closing out and
7 prioritizing and all the other actions associated with
8 generic safety issues in the Office of Research, but Jay
9 Persensky is going to be the person who gives the
10 presentation today and --

11 DR. SEALE: -- the guy in the barrel.

12 MR. ROSSI: -- and Harold Vandermolen will pull
13 him out of the barrel if necessary, and I'll watch, okay?

14 DR. SEALE: Very good.

15 MR. ROSSI: Thank you.

16 DR. SEALE: All right, well, Jay, why don't you go
17 ahead?

18 MR. PERSENSKY: Good morning. Actually Bob stole
19 a lot of the first couple of slides here by going over a
20 very detailed history of where we were a while ago. As
21 indicated, I will be making the bulk of the presentation.
22 Harold is here particularly to answer any questions on the
23 cost benefit issue, and Paul Lewis is also here, who helped
24 to develop this approach and gather the information for it.

25 We did send a memo on February 17th with our

ANN RILEY & ASSOCIATES, LTD.
Court Reporters
1025 Connecticut Avenue, NW, Suite 1014
Washington, D.C. 20036
(202) 842-0034

1 approach described in that, which would close out both
2 Generic Issue B-17 and GI-27 with no new or revised
3 regulatory activities.

4 As Bob indicated, there is a long history -- B-17
5 was first identified, the best we can make out, in about
6 1978, which is pre-TMI, which is an important element in our
7 approach to closing this out.

8 B-17 basically says that in some cases plants
9 required operator action and that in fact operators may not
10 be able to take the appropriate action in time, therefore
11 they have to do a study and determine whether or not it
12 should be automated. That was the basic intent -- should we
13 automate something or should we leave it as an operator
14 action, and they have to take credit in their FSAR for that.

15 GI-27 is very similar. It came up later on, but I
16 will get into that in a minute. The proposed solution was
17 set up some time in the mid-'80s and we are not even sure
18 who came up with the issue or the idea of closing it out
19 using 58.8. It just seemed because of the title and
20 everything else that it would be an appropriate way of
21 closing out this issue, since it was to set up criteria for
22 operator action.

23 We monitored the development of that standard. We
24 had either contractors whom we were involved with actually
25 in the development of that standard through about 1994, when

1 it was published. In 1995 the Staff proposed to endorse it
2 with Reg Guide 1.164 and at that point we felt that we could
3 close out the issue. ACRS did not support the endorsement
4 and they had very strong words and very strong opinions with
5 regard to the use of the information in 58.8. I won't go
6 into that again.

7 So we were sent back to the drawing boards and it
8 probably was a good thing.

9 DR. WALLIS: I'd like to ask that the emphasis
10 seems to be here on time rather than the operator's taking
11 the wrong action.

12 MR. PERSENSKY: The emphasis was that it could be
13 done correctly in the amount of time available. That was
14 assumed and that was the basis of a lot of the data
15 collection.

16 DR. WALLIS: After TMI was there a concern with
17 inappropriate action?

18 MR. PERSENSKY: There was concern with
19 inappropriate action all the way along as far as I know. I
20 mean that was always there was time to do it correctly.

21 CHAIRMAN POWERS: I think it is fair to say that
22 the standard in the Staff thinking was a pretty disciplined
23 examination of the kinds of things that you take into
24 account on operator action -- does the operator diagnose the
25 problem, does it accurately diagnose it --

1 MR. PERSENSKY: Yes, and there were, if you go
2 back to 58.8 there was essentially a timeline formula that
3 would get into questions of diagnosis action time. The
4 action time was important. There was the whole series of
5 things within that and it was based on collection of
6 simulator data.

7 In any event, after your clear statements, we went
8 back and took off our blinders. We said we have been
9 following this one path for a long time but we took off our
10 blinders and said, okay, what other ways can we look at
11 this? How can we look at this differently?

12 Again, remember this was written pre-TMI, the GI.

13 After TMI there were a lot of things that
14 happened, particularly with regard to operators. There was
15 improved training. Simulators were now -- well, every plant
16 has its own simulator now a site-specific simulator. EOPs
17 were changed. In fact, that was part of the problem with
18 the original data for ANS 58.8 was that there was a change
19 in procedures during that time, so there were a lot of other
20 activities that were going on that we feel now actually meet
21 the intent of B-17 and that is why we think we don't need
22 anything else to do the same thing that is already been
23 done.

24 We feel it can be closed with no new or revised
25 regulatory activities.

1 MR. ROSSI: Let me just follow up with what he
2 just said about closing it with no new or revised regulatory
3 activities. I think as we go through this we need to keep
4 in mind that the major purpose of the effort on this Generic
5 Safety Issue is to make a decision on whether we need to
6 impose new actions on the part of licensees as a result of
7 this issue and in order to close it out.

8 In order to impose new requirements on licensees
9 we have to have a disciplined and good reason for doing
10 that, and so we have to keep that in mind as we are doing
11 it. That is the real question. Do we have a basis and need
12 for imposing new criteria on licensees or do we have a need
13 to ask the Staff to do additional things in this area to
14 ensure that where manual actions are required by the
15 operators that there is a reasonable assurance that they
16 will perform them within the time limits allowed and they
17 are available and that they will do it accurately, so I just
18 want to have you keep that in mind.

19 MR. PERSENSKY: Okay. As I said, B-17 was based
20 on the fact that plants did require certain actions. In
21 some cases they could be done manually. If they could not
22 be done accurately in the time, then the plant was to make a
23 decision to automate that action.

24 In 0933, which the Generic Issue Management
25 System, there was some work done -- again this would have

1 been in the mid-'80s -- indicating that it would include
2 requiring plants to perform task analysis, simulator
3 studies, analysis and evaluation of operational data, and it
4 was the approach that proposed and because 58.8 has some of
5 that already built into it, that was one of the reasons they
6 suggested at that time to move in that direction.

7 Around 1993 Issue 27 came up, and that was just
8 titled manual versus automated actions. It was based on the
9 fact that they had been doing some reviews of plant design
10 and emergency procedure reviews and said maybe we should
11 look at this again. In that issue, though, it was said to
12 be subsumed under B-17 -- if we dealt with B-17, we dealt
13 then with Generic Issue 27 as well.

14 I think formerly if it is stated to be subsumed,
15 it's already closed or listed on the closed list, but we put
16 it in here just so you are clear that we are addressing it
17 as well.

18 DR. WALLIS: But it's not closed until B-17 is
19 closed.

20 MR. PERSENSKY: Right -- well, no. It is listed
21 on our list of things as closed. Once it is subsumed under
22 something else we count it in terms of our bean count, but
23 the scope is still covered. The intent of it is not covered
24 until B-17 is closed.

25 The justification that we are proposing for the

1 closeout again is really a series of other regulatory
2 actions that have taken place since B-17 was identified and
3 primarily those things that happened after TMI.

4 There are a number of requirements, training,
5 simulators, operator licensing, EOPs, increased staff that
6 are all basically thing things that have changed. As you
7 might remember, I just mentioned that they talked about task
8 analysis, simulator studies, review of operational
9 experience.

10 If you look at the training rule which is in 10
11 CFR 51.20 and for the operators in Part 55 they both
12 indicate that training programs are supposed to be based on
13 systems approach to training.

14 Well, a systems approach to training specifically
15 talks about doing task analyses to identify what are
16 learning objectives and performance objectives. From those
17 then developing tests to make sure that people have
18 accommodated through the training to be able to do the tasks
19 that are called for in task analysis. So here is part of it
20 that has already been identified through that process and if
21 they can't perform the objectives then there is a problem.

22 If they can't perform it because there just isn't
23 enough time, then the plant would have already made the
24 decision to go ahead and automate --

25 DR. APOSTOLAKIS: Yes. I had a question on this,

1 as I looked at the slide. This, if I just read the slide
2 without listening to you, it looks like the emphasis is on
3 how to make sure the operators will actually be able to
4 perform a function within a given amount of time -- training
5 and so on -- but this amount of time comes from physics,
6 thermal hydraulic calculations and so on. I mean this is
7 the timed window you have, right --

8 MR. PERSENSKY: Correct.

9 DR. APOSTOLAKIS: -- on the system. So my
10 question was, and I guess you answered it partly, is there
11 may be some situations where it is nearly impossible for the
12 operators to actually or with reasonable assurance to
13 perform that function because the time is simply too short.
14 I mean you can't train people to do the impossible, but you
15 just said that if that's the case we take care of it
16 somewhere else?

17 MR. PERSENSKY: Yes -- well, it would have to be
18 taken -- if they cannot meet the performance objectives, and
19 this is also true if we take the issue of operator
20 licensing, that is where we really get into the picture,
21 because with operator action operator licensing we have them
22 using plant-specific simulators that have all those physics
23 in them and thermal hydraulics in them. If they can't pass
24 their operator licensing examination, so they can't perform
25 the operations necessary to pass a licensing examination,

1 then there is evidence there that something has to be fixed
2 and it can't be trained in, it can't proceduralized in, then
3 we have a reasonable assurance that they can do it, that the
4 plant would have done something else in order for us to
5 license their operators.

6 It's sort of an indirect approach to it, but
7 nonetheless it's what we consider a performance based
8 approach, because we are looking at it in terms of the
9 performance of the operators -- can they perform the tasks
10 within the time required based on the simulator examinations
11 and that builds in those thermal hydraulics and physics.

12 DR. APOSTOLAKIS: There is a mechanism, formal
13 mechanism, for handling these things, these situations?

14 MR. PERSENSKY: Yes.

15 DR. WALLIS: Now if I applied defense-in-depth, I
16 would say, well, I have to look at the contingency that the
17 operator doesn't do the right thing and therefore I put in
18 some other thing to back up in case the operator screws up.

19 MR. PERSENSKY: Correct.

20 DR. WALLIS: And you are saying we don't need
21 anything like that?

22 MR. PERSENSKY: That is part of the analysis that
23 they have to do in their FSAR in terms of do they have
24 defense-in-depth. That is all part of building up --

25 DR. WALLIS: Yes, but this wonderful

1 defense-in-depth that we invoke is there because you are
2 uncertain whether something will really happen the way you
3 thought it would.

4 DR. APOSTOLAKIS: Well, if you are a
5 structuralist, you don't need any analysis.

6 DR. WALLIS: I am not an anything. I am just an
7 independent thinker on defense-in-depth. I have been told
8 it's a good thing to think about.

9 DR. BONACA: Many of these transients are --

10 DR. WALLIS: So you are going to tell us that you
11 have enough assurance that the operators will do the right
12 thing, you don't need a backup system of any sort?

13 MR. PERSENSKY: No. This is not addressing a
14 backup system. This is addressing the system that would
15 replace operator action.

16 DR. WALLIS: Well, you could have a backup --

17 MR. PERSENSKY: And in the backup systems --

18 DR. WALLIS: -- if they haven't done it by a
19 certain time it happens by itself, sort of.

20 MR. ROSSI: Let me just try something here and see
21 if this helps. The nuclear power plant is designed and in
22 the design they automate some things and they make some
23 things require operator action when they do the initial
24 design, so the design is done and then they have to do a
25 series of analyses of that design to show what happens

1 during various transients and accidents.

2 We have a deterministic way now which we are going
3 to change to a risk informed way of doing that, but we go
4 through the analyses and we take single failures and we
5 assume various things and we assume that the operator will
6 do the actions that are required to be done by operators in
7 the analyses and we show that given all of that the plant is
8 safe.

9 The next thing that happens is the plant gets
10 built. They build a simulator that is very, very similar
11 and there are requirements on how similar and good the
12 simulator has to be that simulates the actual operation of
13 the plant, and then we have the operators who are going to
14 run this plant and they get run through the simulator, they
15 get run through the testing program. Well, first they get
16 trained on what they are supposed to do, and then they get
17 tested on the simulator and they have to pass that test in
18 order to get their license.

19 As a matter of fact, I guess we take other actions
20 if we find that a large number of the operators can't pass
21 the test during a period of time -- then the utility is on
22 the spot for looking at their training program, so the point
23 is that they get tested and then they get retested and
24 retrained from time to time.

25 MR. PERSENSKY: It is a continuous process.

1 MR. ROSSI: Right.

2 MR. PERSENSKY: The requalification process,
3 especially for the operators, requires that they go through
4 certain testing -- training and testing continuously, most
5 of them on a six week basis, and each one of those includes
6 some time in the simulator, and at each -- they may not get
7 tested on every one of the scenarios every time, but there
8 is a sample of scenarios that they go through so that there
9 is -- again, what we are looking at is are we confident,
10 reasonably assured, that the operators can handle the tasks.

11 That, the plant requires of them. And if they
12 can't, if none of the operators can, the we're going to shut
13 down the plant until they can make that happen.

14 MR. ROSSI: Or even a large percentage or a
15 moderate percentage. If they are having difficulty getting
16 their --

17 MR. PERSENSKY: If they don't have enough people
18 to staff the plant because they can't accomplish the task.
19 Let's face it, this happened in 1978, and we have yet to
20 shut down plants because of that.

21 DR. WALLIS: I understand all of that. It just
22 seems to me that one could still realize that human mistakes
23 are one of the major causes of a screwup at a plant. Do you
24 have any backup system if they do this?

25 And that would be the idea of defense-in-depth.

1 You're saying that they're so well trained, nothing is going
2 to go wrong.

3 MR. PERSENSKY: No, there are things, and I'm not
4 saying that.

5 MR. ROSSI: I was going to say one other thing,
6 and that is that along the road, the emergency operating
7 procedures have been designed. We've got a philosophy on
8 how they ought to be designed, and that philosophy is
9 basically symptom-based emergency operating procedures.

10 And they have a lot of the things that you're
11 talking about, built into them. The operators are supposed
12 to look for the symptoms, and they're supposed to do certain
13 things.

14 And those are basically built into the emergency
15 operating procedures, including, I believe, the use of
16 backup systems where something doesn't work.

17 And they get trained on those, again, and they get
18 tested on them.

19 MR. SIEBER: I think it's important to think a
20 little bit about what happens during an accident scenario in
21 the control room, you know. The plant is designed to
22 respond automatically to the Chapter 15 design basis
23 accidents.

24 And the operator does very little except verify
25 that all these functions have taken place. And if they

1 don't, then they try to restore that function.

2 And the backup systems, however, come into play in
3 a PWR, all the way down to the switch from ejection to
4 recirc, which should -- at times can take an hour or so.

5 And so the job of the operator is to monitor
6 what's going on by looking at his control board, analyze and
7 diagnose the accidents and know which branch he is on,
8 depending on what his instruments tell us.

9 So, if everything works in the plant, the
10 operator's job is little more than reading instruments,
11 verifying settings, flows, temperatures, pressures, and so
12 forth.

13 If you try to go beyond that and automate the
14 backups when a failure occurs, that process becomes very
15 complex. And somebody would have to be knowledgeable, be
16 there to intervene in case the actuation of some backup
17 would interfere with the primary recovery of the plant.

18 So I don't think that automation to a second,
19 third, or fourth level is totally advisable, given the kind
20 of training and the way the plants are automated now.
21 Perhaps you can comment on that, but that's my experience,
22 anyway.

23 MR. PERSENSKY: Well, generally that's the case,
24 and that's where we get into some things that are happening
25 now, though, in a sense, that some automated systems are

1 being turned off.

2 MR. SIEBER: Okay.

3 MR. PERSENSKY: That's just not the purpose of
4 this generic issue. It's another step.

5 MR. SIEBER: Okay.

6 MR. PERSENSKY: But, again, the whole purpose of
7 this generic issue was for the plant in the design process,
8 to make a decision as to whether or not something should be
9 automated.

10 MR. SIEBER: Right.

11 MR. PERSENSKY: And a basis for it was time, but
12 it was time to do the work correctly.

13 MR. SIEBER: Right.

14 MR. PERSENSKY: And all we're trying to say here
15 is that we have regulations or regulatory actions in place
16 that allow us to know whether or not the plant and the
17 operators are doing that, performing the job properly. It's
18 really, like I said, a performance-based approach.

19 DR. WALLIS: And you have a measure of those? All
20 you've said so far is qualitative, but you have a measure
21 which is through some PRA technique that the system now in
22 place --

23 MR. PERSENSKY: Can I get to that? We're going to
24 look at that in a minute.

25 DR. WALLIS: You need some quantitative criteria,

1 I think, eventually.

2 MR. PERSENSKY: Well, we have a quantitative
3 criterion in the sense, as we said, that operators have to
4 be able to accomplish the tasks that come out of the task
5 analysis. It's a one or a zero from that standpoint.

6 And that task analysis is a function-based, based
7 on the functions of the entire system.

8 DR. WALLIS: But will they do it? That's the real
9 question.

10 MR. PERSENSKY: That's the basis of HRA, you know,
11 what people will do when they're faced with different
12 situations. And that may be -- that's a topic, I think, of
13 some other discussions where you have coming up next month.

14 DR. BONACA: But I am interested, however, in this
15 criteria, in part because, although a lot of things have
16 happened since TMI -- and I totally agree with your point
17 here -- still at other plants, you have conditions
18 occasionally where you have a new situation, and you're
19 evaluating whether or not you can dedicate an operator to go
20 somewhere, do something in 20 minutes, and would it be
21 enough?

22 Decisions are being made and criteria being used
23 for licensing those, so I would be interested in hearing how
24 you go about doing that.

25 MR. PERSENSKY: I think we covered a lot of things

1 already. What I've got on here is operator licensing, the
2 licensing program, plant-specific simulators. These are all
3 things that have happened, again, since TMI, since this
4 thing was initiated.

5 Before B-17 was initiated, there may have been
6 four or five simulators in the country, if that. Now, every
7 plant has its own simulator, people are trained on it,
8 people are examined on it.

9 It includes the functions that the operators have
10 to deal with. And we are involved with that process. If
11 they don't have enough people to do the exams or to carry
12 out operations after exams, they may not operate.

13 Ernie mentioned emergency operating procedures.
14 Prior to TMI, we did not have the symptom-based emergency
15 operating procedures; the symptom-based operating procedures
16 were put into place after TMI.

17 Back in the late 80s and early 90s, the agency
18 actually went through and did a detailed inspection of
19 emergency operating procedures at every plant. I know in
20 some cases, not all of them, this included -- well, it
21 always included actions outside the control room, not just
22 actions inside the control room. So it's not just the
23 things that are in the simulator.

24 But we walked-down the procedures with them to
25 make sure that, again, those actions could be accomplished

1 in accordance with the procedures. The procedures, again,
2 are based on task and function analysis.

3 These are the same kinds of things that we've
4 talked about before: The function task analysis, operating
5 experience; these are all things that are built into the
6 development of those procedures.

7 And the staffing rule was put into effect in the
8 early 80s, which, in fact increased the number of people in
9 the control room so that you have more people to do the
10 task, so that it increased the minimum requirements of
11 people, if necessary.

12 With regard to the PRA aspect of it, the IPE
13 program, part of the IPE program was to go out and to
14 identify vulnerabilities through the use of PRA techniques.
15 Are there vulnerabilities out there that have to be dealt
16 with?

17 Licensees did identify and considered the
18 time-critical safety-related operator actions as part of
19 that process. If, in that process, they found that there
20 were problems, again, they were to go out and fix those
21 problems. And they could fix it with automation or some
22 other way that would satisfy the Agency.

23 There's a list of important human actions in NUREG
24 1560, which is the lessons-learned report, so those are
25 things that we are particularly concerned with.

1 The primary scenarios are the switchover, which
2 was mentioned in B-17; feed and bleed, and depressurization
3 and cooldown. These are the more important of the human
4 actions with regard to the PWRs.

5 DR. POWERS: There is a lot of controversy about
6 switchover of suction from the flow into the core.

7 MR. PERSENSKY: Yes.

8 DR. POWERS: Some of them are automatic and some
9 of them are --

10 MR. PERSENSKY: Yes, in fact, I think all the CE
11 plants are automated. And there's a certain amount of other
12 plants that are. The issue -- and if we can step on to the
13 next slide, really -- as you know, the burden is on the
14 staff to demonstrate that the implementation of the generic
15 issue meets the requirements of the backfit rule.

16 We feel that, in fact, through this deterministic
17 or performance-based process, we already have done that by
18 saying we've got things in place; we don't need new
19 regulations to deal with it.

20 So we did not initially do our own cost/benefit
21 analysis for B-17, and this was one that was specific to
22 B-17. But we did find that there was a cost/benefit
23 analysis done for automatic ECCS switchover to
24 recirculation, which was Generic Issue 24.

25 DR. POWERS: ACRS signed off on it.

1 MR. PERSENSKY: ACRS reviewed and signed of on
2 that document, and it essentially said that backfitting from
3 manual to semiautomatic system or fully automatic system is
4 not justified under cost/benefit basis.

5 So we're using that, since -- in fact, it's
6 probably the most risk-significant of the scenarios that we
7 talked about. Now, Harold is here if you have any questions
8 on that particular issue.

9 Finally, on our conclusion slide, we find that
10 there is both a technical and regulatory basis, because
11 these are already regulations or requirements in place that
12 we can close the issue.

13 Most of these things have taken place since the
14 promulgation of -- all of them have taken place since the
15 promulgation of the GIs. Plant-specific vulnerabilities
16 have been identified in the IPEs, and part of that whole
17 program was to then, based on those PRAs and IPEs, to
18 address those vulnerabilities.

19 I think this is a more performance-based approach
20 rather than a deterministic approach to closing the issue
21 and therefore we request a letter from the ACRS supporting
22 closure of B-17. Questions?

23 DR. WALLIS: You sounded to me pretty persuasive.
24 The thing that gives me a little uncertainty is the human
25 error part of it, of course. Human error has been assessed.

1 I just don't know with what sort of certainty it can really
2 be assessed in a quantitative way.

3 DR. UHRIG: But isn't there some evidence that
4 training has sort of reached a saturation point where the
5 error rate doesn't go down any further?

6 MR. PERSENSKY: There is some evidence of that. I
7 think there is also a question of what to focus on in the
8 training. I mean we have been looking at that through the
9 accreditation program with the industry, but there is some
10 baseline human error probability. What that is --

11 DR. UHRIG: So you may be getting there with your
12 training.

13 MR. PERSENSKY: The contribution of training to
14 that. There may be other ways of reducing error or reducing
15 the probability of error that aren't covered, depending on
16 how effective is the --

17 DR. UHRIG: That is the question, yes.

18 MR. PERSENSKY: Yes, how effective are they, but
19 human error is considered as part of the IPES. It was
20 considered in the cost benefit analysis that was done for
21 Generic Issue 24. There are techniques out there that we
22 are looking as an agency at improving techniques, coming up
23 with better techniques -- as well as the industry as a
24 whole, both internationally and here in the U.S. as to how
25 to address that kind of problem.

1 DR. BONACA: I'm sorry, go ahead.

2 MR. SIEBER: That's specifically why the STA was
3 put on shift.

4 MR. PERSENSKY: I forgot to add that one. STA
5 isn't on there.

6 MR. SIEBER: The shift supervisor or the SRO in
7 charge is telling operators what to do following EOPs and
8 the STA is supposed to be standing back to say is the
9 diagnosis right, did they fail to do something that they
10 should have done, or did they do something that they
11 shouldn't have done, and so that becomes the second view or
12 the defense-in-depth or the human error portion of the
13 operating curve and, you know, what else can you do?

14 DR. BONACA: My question was to do with
15 irrespective of the GSI and the closure, and I personally
16 believe that the situation has changed today and you have a
17 good position there, but there are still circumstances where
18 people are dealing with having to make a decision on whether
19 or not an operator action is adequate.

20 If I can think about it, a recent example
21 concerned with inadvertent actuation of safety-injection on
22 PWRs where people have tried to resolve the issue of
23 bleeding PORVs by isolating block valves, and now the issue
24 is how do you deal with inadvertent actuation. Do you have
25 enough time to deal with it should you resolve the issue

1 that way, and I know some utilities have proposed, in fact,
2 that you have -- you can keep your block valve closed and
3 with inadvertent actuation they are trying to demonstrate
4 they have enough time.

5 You are talking about maybe eight minutes or five
6 minutes or whatever, and there is an issue of what
7 information do the licensees and the Staff use to propose in
8 fact a solution of that type and to accept on the part of
9 the Staff a solution of that type.

10 I would like to know what kind of information and
11 I will tell you where I am going. In absence of other
12 information, they are going to still rely on this ANSI
13 standard irrespective of the GSI closure, okay? I just am
14 interested in knowing what do they rely on, because they
15 have to make these tough decisions.

16 MR. PERSENSKY: There are some NRR Staff here that
17 may be able to address it more fully than I can at this
18 point. There is a Generic Letter 97-78 that went out that
19 talked about just that kind of issue --

20 MR. GALLETTI: Information Notice.

21 MR. PERSENSKY: I'm sorry, Information Notice --
22 the author is here, Greg Galletti -- and in that there were
23 options, ways of doing it, in terms of describing it and in
24 that document they in fact refer to ANS 58.8.

25 What we are doing in addition to that -- this is

1 the backup slide -- is that since we do have to review
2 license amendments for this type of issue -- we have the
3 Information Notice. NRR has also asked RES to develop risk
4 informed guidance for review of these license amendments.

5 We have a draft inhouse. It is under review at
6 this point for that guidance, and it addresses a number of
7 ways to approach it. It essentially requires a
8 site-specific as opposed to a generic analysis.

9 MR. BOEHNERT: Jay, can you move the slide over a
10 little bit? We can't see the whole thing. Thank you.

11 MR. PERSENSKY: I'm sorry -- what are the actions,
12 what is it that has to be done and it goes into various
13 steps of how you would make a presentation or make a
14 decision on that and how we would make a decision.

15 For your information, because I know there's some
16 concern about 58.8, at this point it cites 58.8 as a source
17 for checking your plant-specific information, that you have
18 to go through a process of determining the appropriate
19 times. The appropriate actions and to test them out on the
20 simulator -- 58.8 is in this document, only as a way of
21 looking at it as a sanity check or something like that or
22 possible check, so that is the current status. Again, this
23 is still in review. We have not necessarily agreed with
24 that guidance. When it comes to the point where I think it
25 is ready for review we would be glad to bring it down to the

1 ACRS for you review, but that is where we are on it.

2 CHAIRMAN POWERS: Okay. I think it is unavoidable
3 to not be interested in this because the history of ANS
4 58.8, I mean in 1995 the database, the proprietary database
5 that underlay 58.8 was old then --

6 DR. SEALE: Yes.

7 CHAIRMAN POWERS: -- has not gotten younger since.
8 It was developed with older simulators. It was developed
9 with older sets -- I wonder how useful it is, though I guess
10 I agree with you, Jay, it provides a pretty good framework
11 for looking and saying how I did it and how other people did
12 it, did I do it -- is there any validity.

13 MR. PERSENSKY: Well, it's how you do it and as
14 far as the actual numbers -- I think the important part of
15 58.8 was the formula or that timeline type of formula they
16 established in there. Here are the different parts of
17 the --

18 CHAIRMAN POWERS: Breaking it down into cognition
19 and action and things like that.

20 DR. SEALE: Yes, there is the question of the
21 specifics of 58.8 and then there is also the question of
22 what pedigree do we expect of something that has the status
23 of a standard.

24 CHAIRMAN POWERS: They are two different things.

25 DR. SEALE: Yes, they are two different issues and

1 we are interested in both.

2 MR. PERSENSKY: And it may be that ANS needs to go
3 back and look at --

4 CHAIRMAN POWERS: Yes, ANS definition needs to go
5 back.

6 MR. PERSENSKY: -- at anything new that has come
7 up that we can use and improve the actual criteria that are
8 in that standard.

9 DR. SEALE: Well, the thing before us now is even
10 a third issue, and that is the resolution of B-17.

11 You have given us your presentation.

12 CHAIRMAN POWERS: In summary, it seems to me what
13 they have said is it's taken care of by all the other things
14 that have gone on and if there is a plant out there that has
15 some deficiencies in it, it is a plant-specific issue now
16 and not a generic issue.

17 DR. SEALE: More than that, I think it is
18 noteworthy that we have here an example of an issue that is
19 now resolved on the basis of a legitimately made claim.

20 That it's a performance-based resolution, and it's
21 interesting, really, interesting, as opposed to a formula
22 like AMS 58.8 suggested.

23 Are there any other questions from any of the
24 members of the Committee?

25 DR. POWERS: I guess the question that comes up

1 immediately mind, though it doesn't have anything to do with
2 this question, but it does have to do with operator action
3 times and databases for those: I assume those things still
4 exist, and the issues still exist and questions and things
5 like the ATHEANA code and like that.

6 Are we doing anything to gather data in that area,
7 or is that still a troublesome point?

8 MR. PERSENSKY: Well, we don't have a dedicated
9 program to go out and gather that data. We have been
10 talking, for instance, with Halden about a lot of the data
11 that they have from their simulator studies, and that they
12 will be collecting in the future from their simulator
13 studies, as to how we can best mine that data.

14 DR. POWERS: Yes.

15 MR. PERSENSKY: So that is one place. As we get
16 submittals for changes, if people are providing simulator
17 data in those submittals that we can review, that can start
18 building up further information.

19 DR. POWERS: I have always wondered, especially on
20 the identification of a problem, how transferable data are
21 from one culture to another. The actual physical act of
22 carrying something out, I bet is very transferable.

23 But the problem diagnostic process, cognitive part
24 of the process, it's not obvious to me that information from
25 Finland is transferable to Japan.

1 MR. PERSENSKY: I think some of that data is.
2 Whether it's all or not, we have not done a study in that
3 way.

4 With the -- you mentioned bringing up Halden is
5 the fact that they have been doing everything in the past on
6 the Finnish simulator with the Finnish operators, but they
7 now have a PWR that's based on the Fessenheim plant in
8 France, and they have access to French operators. They will
9 soon have a BWR simulator that will be based on the -- I
10 think it's Barsebeck. It's one of the --

11 DR. UHRIG: Forsmarc.

12 MR. PERSENSKY: Forsmarc, yes, in Sweden, which is
13 very similar to a lot of other BWRs in Sweden. They would
14 have a lot of access then to Swedish operators.

15 We have been making a concentrated effort to get
16 more involvement of our U.S. utilities. In that last EPRI
17 meeting in Charlotte, the Halden people came to make some
18 presentations, and there was a lot of interest in more
19 participation from the utilities in that effort.

20 But that is, again, one source of data. It's one
21 that we have probably more control over or more access to
22 than the utility simulators.

23 DR. UHRIG: There have been some attempts to make
24 this type of thing independent of cultures. Specifically
25 there is the EPRI work with the BWR in Formosa.

1 The essence of what they did was to put in an
2 expert system. They found that the use of that really
3 didn't help their best operators very much, but it did take
4 the new operators and the average operators and bring their
5 performance up to the best level.

6 So, I think that type of thing is almost
7 independent of a culture.

8 MR. PERSENSKY: The other aspect of it is that
9 there are certain things that we can look at in other
10 applications. If we got data from FAA, though it may be a
11 different situation, that there are still some things in
12 terms of time to do something, whatever that action might
13 be.

14 And we are looking at cooperation with other
15 agencies in those areas.

16 DR. POWERS: I would think that issues of
17 complexity and things like that might have some
18 transferability there.

19 MR. PERSENSKY: Yes, and it's interesting.

20 DR. SEALE: Okay, any other comments or questions?

21 [No response.]

22 DR. SEALE: Does staff have anything else they'd
23 like to ask?

24 MR. ROSSI: I don't think so, thank you.

25 DR. SEALE: Well, thank you. I guess we'll have a

1 draft of a letter here for folks to comment on shortly.

2 MR. BORCHERT: Jay, I need that last slide for the
3 record, if you could give me a copy. Thank you.

4 MR. PERSENSKY: Yes.

5 DR. SEALE: Mr. Chairman, I give it back to you.

6 DR. POWERS: We will recess till 11:30, and we can
7 dispense with the transcript.

8 [Whereupon, at 11:18, the recorded portion of the
9 meeting was concluded.]

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

REPORTER'S CERTIFICATE


This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

NAME OF PROCEEDING: MEETING: 470TH ADVISORY
COMMITTEE ON REACTOR
SAFEGUARDS (ACRS)

CASE NUMBER:

PLACE OF PROCEEDING: Rockville, MD

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



Mark Mahoney

Official Reporter

Ann Riley & Associates, Ltd.



UNITED STATES
NUCLEAR REGULATORY COMMISSION
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
WASHINGTON, D. C. 20555

February 11, 2000

**SCHEDULE AND OUTLINE FOR DISCUSSION
470TH ACRS MEETING
MARCH 1-4, 2000**

**WEDNESDAY, MARCH 1, 2000, CONFERENCE ROOM 2B3, TWO WHITE FLINT NORTH,
ROCKVILLE, MARYLAND**

- 1) 1:00 - 1:15 P.M. Opening Remarks by the ACRS Chairman (Open)
 - 1.1) Opening statement (DAP/JTL/SD)
 - 1.2) Items of current interest (DAP/NFD/SD)
 - 1.3) Priorities for preparation of ACRS reports (DAP/JTL/SD)

- 2) 1:15 - 3:15 P.M. Development of Risk-Informed Revisions to 10 CFR Part 50, "Domestic Licensing of Production and Utilization Facilities" (Open) (GA/MTM)
 - 2.1) Remarks by the Subcommittee Chairman
 - 2.2) Briefing by and discussions with representatives of the NRC staff regarding the status of developing risk-informed revisions to 10 CFR Part 50 and related matters.

Representatives of the nuclear industry will provide their views, as appropriate.

- 3:15 - 3:30 P.M. *****BREAK*****

- 3) 3:30 - 6:00 P.M. Discussion of Proposed ACRS Reports (Open)

Discussion of proposed ACRS reports on:

 - 3.1) Low-power and Shutdown Operations Risk Insights Report (GA/MTM)
 - 3.2) Proposed Revision of the Commission's Safety Goal Policy Statement for Reactors (TSK/GA/PAB)

- 6:00 - 6:15 P.M. *****BREAK*****

- 4) 6:15 - 7:15 P.M. Discussion of Topics for Meeting with the NRC Commissioners (Open)

Discussion of issues associated with risk-informed regulation, including:

 - 4.1) Impediments to the increased use of risk-informed regulation (TSK/MTM)
 - 4.2) Use of importance measures in regulatory applications, impact of the scope and quality of the PRA on importance measures, and threshold values for importance measures (GA/AS)
 - 4.3) Technical Adequacy of Performance Indicators (JJB/NFD)

**THURSDAY, MARCH 2, 2000, CONFERENCE ROOM 2B3, TWO WHITE FLINT NORTH,
ROCKVILLE, MARYLAND**

- 5) 8:30 - 8:35 A.M. Opening Remarks by the ACRS Chairman (Open) (DAP/SD)
- 6) 8:35 - 9:15 A.M. Discussion of Topics for Meeting with the NRC Commissioners (Open)
Discussion of topics listed under Item 4.
- 9:15 - 9:30 A.M. *****BREAK*****
- 7) 9:30 - 11:30 A.M. Meeting with the NRC Commissioners (Open) (DAP, et al./JTL, et al.)
Meeting with the NRC Commissioners, Commissioners' Conference Room, One White Flint North, to discuss topics listed under Item 4 and other items of mutual interest.
- 11:30 - 1:00 P.M. *****LUNCH*****
- 8) 1:00 - 2:30 P.M. Technical Components Associated with the Revised Reactor Oversight Process (Open) (JJB/MTM)
8.1) Remarks by the Subcommittee Chairman
8.2) Briefing by and discussions with representatives of the NRC staff regarding the technical components associated with the revised reactor oversight process, including the updated significant determination process, technical adequacy of the current and proposed plant performance indicators, and related matters.
- 2:30 - 2:45 P.M. *****BREAK*****
- 9) 2:45 - 4:00 P.M. Oconee Nuclear Power Plant License Renewal Application (Open) (MVB/RLS/NFD)
9.1) Remarks by the Subcommittee Chairman
9.2) Briefing by and discussions with representatives of the NRC staff and Duke Energy Corporation regarding the license renewal application for the Oconee Nuclear Power Station and the associated NRC staff's Safety Evaluation Report.
- 4:00 - 4:15 P.M. *****BREAK*****
- 10) 4:15 - 4:45 P.M. Proposed Final Amendment to 10 CFR 50.72 and 50.73 (Open) (MVB/NFD)
10.1) Remarks by the Subcommittee Chairman
10.2) Discussions with representatives of the NRC staff regarding issues raised by the ACRS members during the February ACRS meeting, including the intent of the 10 CFR 50.73 requirement for reporting degraded components.

Representatives of the nuclear industry will provide their views, as appropriate.

- 11) 4:45 - 5:15 P.M. Proposed Final Revision 3 to Regulatory Guide 1.160, "Assessing and Managing Risk Before Maintenance Activities at Nuclear Power Plants" (Open) (JJB/JDS/AS)
 11.1) Remarks by the Subcommittee Chairman
 11.2) Discussions with representatives of the NRC staff, as needed, regarding the proposed final revision 3 to Regulatory Guide 1.160.

Representatives of the nuclear industry will provide their views, as appropriate.

- 12) 5:15 - 6:15 P.M. Break and Preparation of Draft ACRS Reports
 Cognizant ACRS members will prepare draft reports for consideration by the full Committee.
- 13) 6:15 - 7:15 P.M. Discussion of Proposed ACRS Reports (Open)
 Discussion of proposed ACRS reports on:
 13.1) Technical Components Associated with the Revised Reactor Oversight Process/Technical Adequacy of the Current and Proposed Performance Indicators (JJB/MVB/MTM)
 13.2) Proposed Final Amendment to 10 CFR 50.72 and 50.73 (MVB/NFD)
 13.3) Proposed Final Revision 3 to Regulatory Guide 1.160 (JJB/JDS/AS)
 13.4) Oconee License Renewal Application (MVB/RLS/NFD)

FRIDAY, MARCH 3, 2000, CONFERENCE ROOM 2B3, TWO WHITE FLINT NORTH, ROCKVILLE, MARYLAND

- 14) 8:30 - 8:35 A.M. Opening Remarks by the ACRS Chairman (Open) (DAP/SD)
- 15) 8:35 - 10:15 A.M. Phenomena Identification and Ranking Table (PIRT) for High Burnup Fuel (Open) (DAP/MME)
 15.1) Remarks by the Subcommittee Chairman
 15.2) Briefing by and discussions with representatives of the NRC staff regarding the use of PIRT process for high burnup fuel.

Representatives of the nuclear industry will provide their views, as appropriate.

10:15 - 10:30 A.M. *BREAK*****

- 16) 10:30 - 11:30 A.M. Proposed Resolution of Generic Safety Issue B-17. "Criteria for Safety Related Operator Actions" (Open) (RLS/PAB)
 16.1) Remarks by the Subcommittee Chairman
 16.2) Briefing by and discussions with representatives of the NRC staff regarding the proposed resolution of Generic Safety Issue B-17.
- Representatives of the nuclear industry will provide their views, as appropriate.
- 17) 11:30 - 12:00 Noon Report of the Planning and Procedures Subcommittee (Open) (DAP/JTL)
 Report of the Planning and Procedures Subcommittee on matters related to the conduct of ACRS business.
- 12:00 - 1:00 P.M. ***LUNCH*****
- 18) 1:00 - 1:15 P.M. Future ACRS Activities (Open) (DAP/JTL/SD)
 Discussion of the recommendations of the Planning and Procedures Subcommittee regarding items proposed for consideration by the full Committee.
- 19) 1:15 - 1:30 P.M. Reconciliation of ACRS Comments and Recommendations (Open) (DAP, et al./SD, et al.)
 Discussion of the responses from the NRC Executive Director for Operations to comments and recommendations included in recent ACRS reports and letters.
- 20) 1:30 - 2:30 P.M. Break and Preparation of Draft ACRS Reports
 Cognizant ACRS members will prepare draft reports for consideration by the full Committee.
- 21) 2:30 - 7:00 P.M. Discussion of Proposed ACRS Reports (Open)
 Discussion of proposed ACRS reports on:
 21.1) Oconee License Renewal Application (MVB/RLS/NFD)
 21.2) Proposed Resolution of Generic Safety Issue B-17 (RLS/PAB)
 21.3) Low-power and Shutdown Operations Risk Insights Report (GA/MTM)
 21.4) Proposed Revision of the Commission's Safety Goal Policy Statement for Reactors (TSK/GA/PAB)
 21.5) Technical Components Associated with the Revised Reactor Oversight Process/Technical Adequacy of the Current and Proposed Performance Indicators (JJB/MVB/MTM)
 21.6) Proposed Final Amendment to 10 CFR 50.72 and 50.73 (MVB/NFD)
 21.7) Proposed Final Revision 3 to Regulatory Guide 1.160 (JJB/JDS/AS)

**SATURDAY, MARCH 4, 2000, CONFERENCE ROOM 2B3, TWO WHITE FLINT NORTH,
ROCKVILLE, MARYLAND**

- 22) 8:30 - 1:30 P.M. Discussion of Proposed ACRS Reports (Open)
(12:00-1:00 P.M. - LUNCH) Continue discussion of proposed ACRS reports listed under Item 21.
- 23) 1:30 - 2:00 P.M. Miscellaneous (Open) (DAP/JTL)
Discussion of matters related to the conduct of Committee activities and matters and specific issues that were not completed during previous meetings, as time and availability of information permit.

NOTE:

- **Presentation time should not exceed 50 percent of the total time allocated for a specific item. The remaining 50 percent of the time is reserved for discussion.**
- **Number of copies of the presentation materials to be provided to the ACRS - 35.**



**Resolution of Generic Issues B-17,
“Criteria for Safety-Related Operator Actions” and
GI-27, “Manual vs. Automatic Actions”**

ACRS

March 3, 2000

**J. Persensky
Harold J. Vandermolen
Paul Lewis
RES/DSARE/REAHFB**

History

- **B-17 identified in 1978**

- **Proposed solution was endorsement of ANSI/ANS 58.8 -“Time Response Design Criteria for Safety-Related Operator Actions”**
 - **Staff monitored development of the standard until 1995**
 - **In 1995 staff proposed to endorse ANSI/ANS 58.8 (1994) with RG 1.164**
 - **ACRS did not support endorsement of ANSI/ANS 58.8 by RG 1.164**
 - **Staff agreed to consider alternatives**

- **Review of post-TMI regulatory actions**
 - **Intent of B-17 addressed by several regulatory actions**
 - **B-17 should be closed with no new or revised requirements**

Description of B-17

- **Current plant designs are such that reliance on the operator to take action in response to certain transients is necessary. NRC was to develop a time criterion for safety-related operator actions.**
- **GI B-17 states that NRC should determine whether certain safety-related operator actions (SROAs) must be automated.**
- **Issue 27 - Manual vs. Automated Actions**
 - **Identified in 1983**
 - **Subsumed in B-17**

Justification for Close-Out

- **NRC has requirements in place to assure that operator actions can be performed in time.**
 - **Training program (10CFR50.120 and 10CFR55.4,55.31,55.59)**
 - **Operator licensing program (10CFR55)**
 - **Plant specific simulators (10CFR55.45)**
- **EOP inspection program (NUREG- 1358)**
- **The Staffing Rule (10 CFR 55.54) sets minimum staffing levels.**
- **IPE program (Gen. Let. 88-12)**
 - **Identify vulnerabilities using PRA techniques**
 - **Licensees identified and considered time-critical SROAs.**
 - **Important human actions identified in NUREG-1560**

Cost/Benefit Analysis

- **Maximum benefit expected for automating ECCS switchover.**
- **Costs and benefits were already investigated in Generic Issue 24, “Automatic ECCS Switchover to Recirculation.”**
- **Analysis can be found in NUREG/CR-6432, “Estimated Net Value and Uncertainty for Automating ECCS Switchover at PWRs.”**
- **Conclusion “...backfitting from manual to a semiautomatic system (automatic LPSI switch-over) or a fully automatic system (both LPSI and HPSI automatic switchover) is not justified on a cost/benefit basis.” (Memorandum Morrison to Taylor, Oct. 31, 1995)**
- **ACRS concurred on September 12, 1995.**

Conclusion

- **There is a technical and regulatory basis for closure of GI B-17 and Issue-27.**
- **Regulatory actions promulgated since the GIs were identified satisfy the intent of the GIs**
- **Plant-specific vulnerabilities associated with human error were addressed by the IPE Program**
- **A related Cost/Benefit analysis concluded that new requirements are not justified**
- **Performance-Based approach used to close-out the GIs**
- **Staff requests a letter of agreement from the ACRS**

Status of Endorsement of ANS 58.8

- **NRR is reviewing license amendments for plants that are reverting to manual actions from automated actions either temporarily or permanently.**
- **NRR issued IN 97-78 - Crediting of operator action in place of automatic actions and modification of operator actions, including response times**
- **NRR has asked RES to develop risk-informed guidance for the review of these license amendments.**
- **Draft guidance is in staff review**
 - **Requires that site-specific analyses be performed**
 - **Cites ANS 58.8 as a source for checking site-specific data**



United States Nuclear Regulatory Commission

STATUS OF RES ACTIVITIES ON PHENOMENA IDENTIFICATION AND RANKING TABLES (*PIRTs*) FOR HIGH BURNUP FUEL

**Ralph Meyer
Office of Nuclear Regulatory Research**

**ACRS Presentation
March 3, 2000**

OUTLINE

1. What is a PIRT and Why are We doing this?
2. Organization and Status of PIRT Activities
3. Some Results from the PWR-RIA PIRT
4. Comments on Application of the PIRT Results

PART 1. WHAT IS A PIRT AND WHY ARE WE DOING THIS?

WHAT IS A *PIRT*?

“Phenomenon Identification and Ranking Table”

PIRTs provide a structured way to get a technical understanding from elicitation of technical opinions from experts. In the present case, the issue is “What are the phenomena and the processes that are important to assess fuel behavior; are the existing data suitable to assess or modify regulatory fuel damage limits and evaluation models (codes) for application to high-burnup fuel?”

- **SCENARIOS**

PWR-RIA, BWR-ATWS, LOCA (PWR & BWR), and Source Term (later)

- **PHENOMENA**

For each event, identify main “phenomena” that affect fuel behavior and rank their importance as high, medium, or low

- **RANKING CRITERIA**

Phenomena will be ranked according to their impact on fuel integrity, fuel dispersal, long-term coolability, and pressure pulses that threaten structures

INTENDED *PIRT* USAGE BY NRC

- Is there Enough Information to Assess High-Burnup Fuel Behavior?
- Do we need Different Fuel Damage Criteria for Different Cladding Alloys (Zirc-4, Zirlo, M5, Zirc-2, Zirc-liner)?
- Can you do Integral Tests with One Cladding Alloy and Calculate the Behavior of Others Using Measured Mechanical Properties?
- Do Transient Tests in a Sodium Loop or a Stagnant Water Capsule represent enough of the Important Phenomena to be Satisfactory?
- Is Pulse Width a Critical Parameter for Transient Testing?
- Are Hot-Cell Test Conditions Adequate for representing LOCA Phenomena?
- If Mechanistic Codes are used to predict Fuel Behavior, do they describe the Important Phenomena?
- What Kind of Testing is needed for BWR Power Oscillations?

PART 2. ORGANIZATION AND STATUS OF PIRT ACTIVITIES

LIST OF *PIRT* PARTICIPANTS

Brent Boyack (Panel Facilitator), Los Alamos National Laboratory
Carl Aalexander, Battelle
Jens Andersen, General Electric Company
Richard Deveney, Framatome Cogema Fuels
Bert Dunn, Framatome Technologies
Toyoshi Fuketa, Japan Atomic Energy Research Institute
Keith Higar, Northern States Power
Lawrence Hochreiter, Pennsylvania State University
Gene Jensen, Siemens Nuclear Power
Siegfried Langenbuch, Gesellschaft fuer Anlagen und Reaktorsicherheit
Fred Moody, Consultant
Arthur Motta, Pennsylvania State University
Mitchell Nissley, Westinghouse Electric
Joelle Papin, Caderache Research Center
Kenneth Peddicord, Texas A&M University
Gerald Potts, General Electric
Douglas Pruitt, Siemens Nuclear Power
Y. (Joe) Rashid, Anatech International
Daniel Risher, Westinghouse Electric
Richard Rohrer, Northern States Power
Franz Schmitz (deceased), Caderache Research Center
James Tulenko, University of Florida
Keijo Valtonen, Finnish Center for Radiation and Nuclear Safety
Nicolas Waeckel, Electricite de France
Wolfgang Wiesenack, Halden Reactor Project

SCHEDULE OF MEETINGS

PWR Rod-Ejection Accident

August 31-September 2, 1999

October 27-29, 1999 (after NRC's WRSM)

December 7-9, 1999

BWR ATWS-Related Power Oscillations

February 8-10, 2000

April 4-7, 2000 (before Park City ANS meeting)

LOCA (PWR and BWR)

May 31-June 2, 2000

To be determined

www.nrc.gov/RES/PIRT

“This web site will be maintained for the duration of PIRT activities and will be updated frequently. The main purpose of the web site is to provide access to the verbatim transcripts that are being kept of the PIRT meetings. PIRT meetings are conducted by NRC’s Office of Nuclear Regulatory Research and are open for public attendance. At the end of the PIRT activities, NUREG reports will be published with the results of the PIRTs.”

- What is a PIRT?
- List of PIRT Participants
- Schedule and Agenda for PIRT Meetings
- Background Information for Forthcoming Meetings
- Transcripts of PIRT Meetings
- Working Drafts of NUREG Reports

Part 3. SOME RESULTS FROM THE PWR-RIA PIRT

PRACTICAL ADJUSTMENTS

Ranking Criteria

“Phenomena will be ranked according to their impact on fuel integrity, fuel dispersal, long-term coolability, and pressure pulses that threaten structures”

Changed to: An Outcome Related to Substantial Fuel Dispersal or Substantial Flow Blockage

Definition of Phenomena

Phenomena, Processes, Conditions, and Properties

Grouping of Phenomena

- A. Plant Transient Analysis
- B. Experimental Testing
- C. Transient Fuel Rod Analysis
- D. Mechanical Properties Measurement

A. Plant Transient Analysis

Phenomena in this category were ranked in relation to the question “Is the code-calculated outcome sensitive to this input parameter or model?” in relation to substantial fuel dispersal or flow blockage. The following stand out as having high importance.

- Ejected control rod worth
- Fuel cycle design
- Pin peaking factors
- Fuel temperature feedback
- Delayed neutron fraction
- Heat capacities of fuel and cladding

B. Experimental Testing

Phenomena in this category were ranked in relation to their effect on the outcome of pulse reactor tests with regard to substantial fuel dispersal or flow blockage. The list of phenomena was long and only those of high importance that have major implications are shown below. Others address more specific aspects of selecting test rods and performing the tests, and they will be valuable to the experimenter.

- Burnup of test rod
- Hydrogen distribution in cladding of test rod
- Agglomerates in test rod (MOX only)
- Coolant heat transfer conditions during the test
- Pulse width during the test

C. Transient Fuel Rod Analysis

As with plant transient analysis, phenomena in this category were ranked in relation to the question “Is the code-calculated outcome sensitive to this input parameter or model?” in relation to substantial fuel dispersal or flow blockage. This category of phenomena addresses fuel rod code improvement and validation. High ranked input phenomena such as gap size, power distribution, and condition of oxidation (spalling) seem rather obvious. Some of the rankings for the analytical models were not so obvious, however.

- Pellet-cladding contact (gap closure) models are clearly important, yet current models may have been derived to optimize temperature predictions rather than the mechanical loading.
- The stress-strain response of the cladding was found to be of high importance, but strain rate effects, anisotropy, and biaxiality were found to be of medium to low importance.
- The mechanical properties of fuel pellets were found to be of only moderate importance in relation to the loading applied to the cladding.

D. Mechanical Properties Measurement

Phenomena in this category were ranked for specimen selection and test conditions, and the rankings did not contain surprises. For specimen selection, the rankings again emphasize the condition of the cladding oxide (spalling or delamination) and the hydrogen distribution rather than just the amount of oxygen or hydrogen. For test conditions, the rankings emphasize stress state imposed on the specimen, tensile specimen design, and burst specimen design.

PART 4. COMMENTS ON APPLICATION OF THE PIRT RESULTS

A method to resolve the high-burnup issues related to postulated PWR rod-ejection accidents has been drafted. It is supported by findings of this PIRT, and several new ideas resulted from discussions with the PIRT panel. This draft has had only limited review within RES and will be discussed with ACRS after it has been given sufficient review and internal approval.