

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION  
3

4 \*\*\*

5 PUBLIC SCOPING MEETING ON INTENT TO PREPARE  
6 DRAFT SUPPLEMENT TO GENERIC ENVIRONMENTAL IMPACT  
7 STATEMENT ON DECOMMISSIONING OF NUCLEAR FACILITIES  
8  
9

10 Ramada Inn

11 San Francisco, CA

12 Wednesday, June 21, 2000  
13

14 The above-entitled meeting commenced, pursuant to  
15 notice, at 7:00 p.m.  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## P R O C E E D I N G S

[7:03 p.m.]

1  
2  
3 MR. RICHARDS: Okay. I'd like to thank everybody  
4 for coming tonight. My name is Stu Richards. I work for  
5 the Nuclear Regulatory Commission in Rockville, Maryland,  
6 and I'm a substitute moderator tonight. Chip Burton -- or  
7 Chip Cameron, rather, was scheduled to be our moderator.  
8 He's an attorney with our Office of the General Counsel.  
9 But, he fell ill and wasn't able to make it tonight, so I'm  
10 a substitute.

11 The purpose of tonight's meeting is the generic  
12 environmental impact statement for permanently shutdown  
13 plants. The NRC is presently working on performing an  
14 update to that document and the details of that will be part  
15 of the presentation to follow shortly. The purpose of the  
16 meeting is to inform the public about this process and,  
17 also, to seek the public's comments and input into the  
18 process.

19 The agenda for tonight, we plan to have two  
20 presentations: one by Dino Scaletti, with the Nuclear  
21 Regulatory Commission staff; and one by Eva Hickey, with  
22 Pacific Northwest National Labs, a contractor working with  
23 us on the generic environmental impact statement. Between  
24 those two presentations, we will take questions on the first  
25 presentation and then again after the second presentation

1 and we'll open the floor up for comments and questions.

2           We have a table out here to my right, where  
3 everybody came in. Etoy Hilton, with our staff, is at that  
4 table, to help anybody out that may need some help. We have  
5 handouts there from the meeting. We, also, have a couple of  
6 sign-up lists. We have one sign-up list for anybody who  
7 wishes to speak. We will have questions and answers, but if  
8 you want to be on the front end of the discussion, please  
9 sign up with Etoy. I believe we, also, have a sign-up list,  
10 if you want to get a transcript of tonight's meeting. The  
11 meeting is being transcribed, so I would ask that when you  
12 get up to speak, that you state your full name and spell  
13 your last name, so we can make sure we get that straight for  
14 the record.

15           For people, who may have a number of comments and  
16 questions, I would prefer that we break those up into  
17 segments, in the interest of allowing everybody to have a  
18 chance to speak at kind of the front end of the comment  
19 period. If anyone here has something that they want to read  
20 into the record, I would like to keep those to the end of  
21 the session, again, in the interest of allowing people, who  
22 have brief comments or questions to ask, to kind of get in  
23 on the front end, so that they don't have to stay to the  
24 end.

25           That's all I have. Dino, have I covered the main

1 topics here?

2 MR. SCALETTI: Yes.

3 MR. RICHARDS: And Eva, anything I missed?

4 MS. HICKEY: No.

5 MR. RICHARDS: Okay. With that, we'll start with  
6 Mr. Dino Scaletti.

7 MR. SCALETTI: Thank you, Stu. As stated, my name  
8 is Dino Scaletti. I'm with the U.S. Nuclear Regulatory  
9 Commission, Nuclear Reactor Regulation. I'd like to welcome  
10 you here tonight and, also, take a moment to introduce a  
11 couple of people, who are here, who will answer questions  
12 for us, for you, and that is, at our table, we have from the  
13 Office of General Counsel, a Mr. Steven Lewis, who is the  
14 legal contact on the generic environmental impact statement.  
15 We, also, have Mr. Carl Feldman, next to Steve. Carl was  
16 instrumental in the development of NUREG 0586, which is the  
17 1988 generic environmental impact statement for  
18 decommissioning facilities and Carl is helping us with the  
19 update of this document -- or this supplement to 0586.

20 Given that, I'd just like to tell you that the  
21 U.S. Nuclear Regulatory Commission was formed as a result of  
22 the Atomic Energy Act of 1953 and the Energy Reorganization  
23 Act of 1974. The NRC's mission is to regulate the nation's  
24 civilian use of nuclear energy, to ensure adequate  
25 protection of the health and safety of the public and

1 workers, and to protect the environment and provide a common  
2 defense and security. The NRC accomplishes its mission  
3 through regulation, licensing, inspection, and enforcement.  
4 The NRC regulations are issued under Title 10 of the United  
5 States Code of Federal Regulations for commercial nuclear  
6 power reactors.

7           The NRC regulatory function includes licensing and  
8 inspection of these facilities, and nuclear plant license is  
9 based on a set of established regulatory requirements that  
10 ensure the design and proposed operation are performed based  
11 on radiological safety standards. The NRC conducts routine  
12 inspections, to ensure that the plant design and operations  
13 conform to the license requirements and enforcement actions  
14 are taken, in the event that we find that the license  
15 requirements are not being met.

16           The NRC's responsibility for a nuclear power  
17 reactor are for the entire life cycle of the facility, from  
18 construction through licensing -- license termination. The  
19 NRC maintains the license and continues to regulate the  
20 safety of the facility through the decommissioning process  
21 until the license is terminated.

22           The NRC is concerned with nuclear power plant  
23 safety. As a result, the NRC requires that licensees  
24 maintain technical specifications and a safety analysis  
25 report, known as a defuel safety analysis report, a DSAR,

1 through the decommissioning process; but, we are, also,  
2 concerned with the protection of the environment. It is the  
3 environmental protection associated with decommissioning  
4 process that is the focus of this meeting tonight.

5           The purpose of this meeting is to discuss the  
6 generic environmental impact statement, or GEIS, on the  
7 decommission of permanently shutdown nuclear power reactors  
8 that the NRC proposes to write. We'll explain what the GEIS  
9 is, how it is to be used, and when it is used. We are,  
10 also, going to provide you with some background information  
11 on nuclear reactor decommissioning. But, first, we will  
12 describe the process set forth by the National Environmental  
13 Policy Act, or NEPA, for developing this GEIS. However,  
14 most importantly, we are here to listen to your comments,  
15 statements regarding the development of the GEIS.

16           Today's meeting is not a formal hearing, but an  
17 opportunity for the NRC to gather information about you, the  
18 public's potential concern about the environmental impacts  
19 from decommissioning. Today's meeting, also, provides us  
20 with an opportunity to describe to you the steps that occur  
21 during the preparation of a generic environmental impact  
22 statement and to indicate to you the schedule that will be  
23 used in the development of this document.

24           Next, I want to talk about the NEPA process. The  
25 National Environmental Policy Act was enacted in 1969. NEPA

1 places the responsibility upon federal agencies to consider  
2 significant aspects of the environmental impact of a  
3 proposed action. It requires that all federal agencies use  
4 a systematic approach to consider environmental impacts  
5 during their decision making. The NEPA process, also, is  
6 structured to ensure that the federal agency will inform the  
7 public that it has indeed considered environmental concerns  
8 in its decision-making process and invite public participate  
9 to evaluate the process. This meeting is part of this  
10 process. This meeting is, also, required by 10 CFR Part 51  
11 of our regulations.

12           What is NEPA? NEPA requires an environmental  
13 impact statement or assessment be prepared for all major  
14 federal actions. Supplement to draft or final EISs are  
15 required when there are significant new circumstances or  
16 information relevant to the environmental review --  
17 concerns. This is a situation we're in now. With new  
18 regulations and the additional experiences from  
19 decommissioning facilities, it is appropriate at this time  
20 to supplement or revise the original GEIS on  
21 decommissioning. Generic EISs are allowed in cases where  
22 there is a need to address generic impacts that are common  
23 to a number of similar proposed actions or similar  
24 facilities. The actions we are looking at, as I mentioned  
25 previously, is the environmental impact related to

1 decommissioning of commercial nuclear power facilities.

2           What exactly is a generic environmental impact  
3 statement for decommissioning? A generic environmental  
4 impact statement identifies the environmental impacts that  
5 may be considered generic for all nuclear reactor  
6 facilities. It, also, identifies the environmental impacts  
7 that need to be considered in more detail as site-specific  
8 issues for each facility. The generic environmental impact  
9 statement will take into account the range of environmental  
10 impacts from different nuclear facility designs,  
11 decommissioning methods, and difference in location for the  
12 facilities.

13           The GEIS is used to focus the analysis of  
14 environmental impacts. It helps us determine which of the  
15 impacts are site specific and need to be considered  
16 separately for each nuclear power facility, this -- that is  
17 decommissioning, and which impacts are generic and can be  
18 evaluated as part of the GEIS and then not be reevaluated  
19 every time a plant undergoes decommissioning. This allows  
20 us to spend the time and resources that are required to  
21 focus on the impacts that are necessary for a -- at a  
22 particular site.

23           The GEIS does not preclude a site specific look at  
24 each facility. Some issues, like those related to the  
25 presence of endangered and threatened species, will always



1 be site specific and will need to be addressed separately  
2 from the GEIS. The GEIS just allows us more time to focus  
3 and focus better on the site-specific issues.

4 The GEIS, also, is used as a basis for determining  
5 if additional rulemaking is required, related to the  
6 environmental impacts of decommission -- of the  
7 decommissioning process. If it is determined that the  
8 additional rulemaking is required, the GEIS will serve as  
9 the basis for that rulemaking.

10 The GEIS is used throughout the entire  
11 decommissioning process. The NRC regulations require that  
12 no decommissioning activities be performed that would result  
13 in significant environmental impacts that have not been  
14 previously reviewed. This means that every time the  
15 licensee starts a new activity, they must determine if it  
16 would be -- if it would result in an environmental impact  
17 that was not reviewed in the GEIS or in the final  
18 environmental impact statement that was written at the start  
19 of operation for that facility, or any subsequent  
20 environmental analysis that were reviewed and approved by  
21 the NRC.

22 In addition, a hard look is taken at the  
23 environmental impacts at the stage that the post-shutdown  
24 decommissioning activities report is submitted, that is two  
25 years prior -- after the shutdown and before any major

1 decommissioning activities can occur, and at the license  
2 termination planned stage, which occurs two years before the  
3 end of decommissioning. Eva will talk more on this issue in  
4 her presentation.

5           Why are we supplementing the existing generic  
6 environmental impact statement on decommissioning? The  
7 original document for decommissioning was published in 1988;  
8 therefore, it is over 12 years old. Much of the data in  
9 that document is more than 12 years old. Since the original  
10 document was published, there has been new regulations  
11 related to decommissioning that were issued; for example,  
12 the regulation requiring submittal of a post-shutdown  
13 decommissioning activities report and a license termination  
14 plan. In addition, there have been regulations, such as the  
15 Environmental Justice, which relates to whether federal  
16 agencies -- federal actions disproportionately impact low  
17 income and minority populations. This regulation was not in  
18 place in 1988.

19           In addition, there has been an increase in the  
20 amount of decommissioning experience in the U.S. Currently,  
21 21 commercial nuclear facilities have permanently ceased  
22 operation. As a result, there is over 300 years of  
23 decommissioning -- worth of decommissioning experience,  
24 resulting in a lot of new information available regarding  
25 the environmental impacts of decommissioning of commercial

1 nuclear power plants.

2           And, finally, there have several new issues that  
3 were considered -- that were not considered in the 1988  
4 generic environmental impact statement. These include  
5 rubblization, which entails completing the decontamination  
6 and leaving the concrete structures rubblized and buried  
7 below grade at the site; partial site release, which  
8 involves releasing the cleaned portion of the site before  
9 decommissioning activities are complete. This is an issue  
10 that was brought up at a couple of previous meetings and we  
11 want to acknowledge it here tonight. And, finally,  
12 entombment, which, although was considered in the 1988  
13 generic environmental impact statement, may need to be  
14 reconsidered in a somewhat different form in the supplement  
15 that we are preparing.

16           We are unaware of any other decommissioning  
17 methodology or techniques that may be -- maybe being  
18 considered by the industry that should be included in the  
19 GEIS. However, as part of the scoping process, we're hoping  
20 that there is -- there are additional -- hoping that if  
21 there are additional decommissioning methods and techniques,  
22 that people in the industry will acknowledge that at these  
23 scoping meetings.

24           The original generic environmental impact  
25 statement, as I said before, was published in 1988 as NUREG

1 0586. It looked at decommissioning at all sorts of  
2 facilities that hold licenses with the NRC. The revised  
3 GEIS, however, will only address permanently shutdown  
4 reactors and will not include decommissioning at fuel  
5 fabrication facilities or independent spent storage  
6 facilities. That will be published as a supplement to NUREG  
7 0586, so that the information related to decommissioning of  
8 the other facilities will still be in the original document.  
9 The new information that we learned related to power reactor  
10 decommissioning will be in supplement one to NUREG 0586.

11 The NEPA process follows certain steps and the NRC  
12 is required to follow those steps, which provides  
13 consistency for all environmental impact statements prepared  
14 by all federal agencies. The first step in this process is  
15 a notice of intent, which is published in the Federal  
16 Register. The notice of intent for this public meeting was  
17 published in -- on March 14th and there was a public meeting  
18 published on May 1st, in addition to this meeting. The  
19 public meeting was held in ~~lyles~~Lisle, Illinois, on April  
20 27, 2000; in Boston, Massachusetts on May 17th of this year;  
21 and in Atlanta, Georgia on April 13th -- excuse me, June  
22 13th of this year.

23 Scoping meetings are used early in the NEPA  
24 process, to help federal agencies describe what issues  
25 should be discussed in the environmental impact statement.

1 It helps us define the proposed action and determine any  
2 peripheral issues that may be associated with the proposed  
3 action.

4 The next step is the scoping process. Scoping is  
5 used early in the NEPA process to determine what issues  
6 should be discussed in the environmental impact statement or  
7 generic environmental impact statement. It helps us define  
8 the proposed action. Scoping, also, helps us determine any  
9 peripheral action issues associated with the proposed  
10 action, but are considered outside of the scope of the  
11 proposed actions realm. Scoping identifies other related  
12 actions, such as the environmental impacts or other EISs  
13 that are being performed by other state or federal agencies,  
14 or that may impact the decommissioning activities, which  
15 then allows us to coordinate with other state or federal  
16 agencies early in the process. Public comment on the scope  
17 of this GEIS must be submitted by July 15, 2000.

18 Once scoping is complete, NRC will perform an  
19 evaluation of the environmental impact associated with the  
20 reactor decommissioning. The environmental evaluation will  
21 address the impacts of the proposed action, which is  
22 decommissioning, in a generic manner; that is, impacts that  
23 may occur at all or most of decommissioning nuclear power  
24 plants. The alternative to the proposed action and the  
25 impacts that could result from those alternatives will,

1 also, be evaluated. Finally, we'll look at the mitigating  
2 measures, those measures that can be taken to decrease the  
3 environmental impact of a proposed action.

4 After the NRC has completed the environmental  
5 evaluation, we'll issue a draft environmental impact  
6 statement for public comment. In this case, it will be a  
7 draft GEIS and is scheduled to be published early in 2001.  
8 All federal agencies issue draft EISs for public comment.  
9 At that time, there will be more public meetings to gather  
10 comments. After we gather the comments and evaluate them,  
11 we will issue a final environmental impact statement, which  
12 is scheduled to be published in late 2001.

13 The NRC has previously published other  
14 environmental impact statements that are related to or have  
15 impacts on other aspects of the decommissioning process. We  
16 will look at the contents of these EISs, as part of the  
17 decision regarding the scope of decommissioning. If impacts  
18 are considered in other previously published GEISs, they  
19 will likely not be reconsidered in a decommissioning generic  
20 environmental impact statement.

21 A generic environmental impact statement completed  
22 in July of 1997 looked at the radiological criteria that we  
23 used in the rulemaking for the very small amount of  
24 radioactive material that can remain onsite when a license  
25 is terminated. As a result of this GEIS, the criteria of 25

1 millirem per year total effective dose equivalent was  
2 adopted. The GEIS provided the basis for what the impact to  
3 the public are after the license has been terminated. A  
4 final generic environmental impact statement completed in  
5 1982 looked at the impacts of low-level radioactive waste in  
6 license disposal sites. The impacts of the waste that came  
7 from decommissioning plants was, also, considered in this  
8 generic environmental impact statement. Finally, a draft  
9 EIS has been written on the geological repository for spent  
10 nuclear fuel in Yucca Mountain in Nevada. We highlight  
11 these EISs, because these areas will not be considered in  
12 the decommissioning GEIS, since they were covered in other  
13 environmental impact statements.

14 Now, that concludes my portion of the  
15 presentation, and if we have any questions --

16 MR. RICHARDS: All right. Thank you, very much,  
17 Dino. We next have a presentation by Eva Hickey. But  
18 before we move on to that, if there are any questions or  
19 comments specifically about Dino's presentation, we can take  
20 some of those now. Would anyone like to ask any questions  
21 of Mr. Dino Scaletti?

22 [No response.]

23 MR. RICHARDS: Seeing no volunteers, we'll move  
24 on. Eva?

25 MS. HICKEY: Thank you. I'd like to say thank you

1 to all of you for coming tonight. We look forward to  
2 hearing your comments and questions on our supplement to the  
3 generic environmental impact statement. My name is Eva  
4 Eckert Hickey. I'm the task leader for the Pacific  
5 Northwest National Laboratory multidisciplinarymulti  
6 disciplinary team that is supporting the development of this  
7 supplement to the generic environmental impact statement. I  
8 have one of our team leaders here tonight, Kathleen Rhoads.  
9 She will be doing the radiological environmental impact  
10 assessment for us.

11 For the next few minutes, I will be discussing  
12 decommissioning. First, I'll talk a little bit about --  
13 I'll give you some background on decommissioning. Then,  
14 I'll discuss the process of decommissioning, how some of the  
15 NRC regulations are related to the decommissioning process.  
16 I will talk very briefly about the methods of  
17 decommissioning; the activities that occur during  
18 decommissioning; and, finally, just briefly, I want to  
19 discuss some of the environmental impacts that we currently  
20 are looking at and that are historically considered in  
21 environmental impact statements.

22 But, first, before I get into that, let me give  
23 you the definition, as in the NRC requirements, of  
24 decommissioning, and it's simply the process of safely  
25 removing a facility from service, followed by reducing



1 residual radioactivity to a level that permits termination  
2 of the NRC license. I'd like you to keep that definition in  
3 mind, as we discuss decommissioning tonight, because it is  
4 what is the basis for our scoping of this environmental  
5 impact statement. Just as an example, we're looking at  
6 removal of radioactivity or any activities that are required  
7 for that removal. So, if a licensee has to remove a piece  
8 of equipment that has asbestos and they have to do the  
9 removal of the asbestos to take out a radiologically  
10 contaminated piece of equipment, then we will be looking at  
11 those impacts from that asbestos removal, also.

12           Okay. A little bit of background on  
13 decommissioning. When the -- the regulations that were in  
14 place in 1988, when the original GEIS was published,  
15 required that at the end of the life cycle of a nuclear  
16 reactor, the licensee had to submit a decommissioning plan.  
17 This plan was fairly prescriptive and very comprehensive.  
18 By the mid 1990s, when NRC was beginning to have more  
19 experience with decommissioning, they felt that the detailed  
20 decommissioning plan was not necessarily the best tool and  
21 with some changing regulations, they no longer required the  
22 decommissioning plan. Part of the reason was it was  
23 considered that the activities that occurred during  
24 decommissioning could be accomplished in a similar manner  
25 that happens during operations. For example, if you remove

1 a pipe or replace a pump, that's done in the same manner,  
2 whether it's for a plant that is still operating or a plant  
3 that is going through decommissioning.

4 Commercial nuclear reactors have a set of  
5 technical specifications that they must follow when they're  
6 operating and these technical specifications, although they  
7 may change after the plant ceases operations, there are  
8 still a set of specifications that the licensee must follow.  
9 These are part of the safety checks that are used and  
10 extended into the decommissioning process. If a licensee  
11 looks -- has an activity that is outside of the technical  
12 specifications, then they must go through a license  
13 amendment that must be followed and that calls for a  
14 detailed NRC review. That's not to say that NRC doesn't  
15 provide an overview related to environmental impacts that  
16 may occur during the decommissioning process. They do  
17 provide a significant review, but the major up-front type of  
18 review efforts for the environmental aspects of  
19 decommissioning occur at two stages, and I'm going to talk  
20 about those in a little more detail.

21 At the start of decommissioning, where there are  
22 concerns related to the safe storage of spent fuel and  
23 concerns that the licensee has appropriately thought through  
24 the decommissioning process, and at the end of  
25 decommissioning when there are concerns related to ensuring

1 that the radiological hazards have been removed, these are  
2 some of the important times when we're looking at the  
3 environmental impacts. I'll talk about these two stages in  
4 just a few minutes.

5           So, in the -- with the requirements changing,  
6 there is two specific things that happen early in the  
7 process of decommissioning. First, the licensee is required  
8 to make two certifications. The first certification is that  
9 operations have permanently ceased at a facility, and this  
10 means that the licensee does not plan to ever operate the  
11 reactor again. The second certification occurs after the  
12 licensee has removed the fuel from the reactor vessel.  
13 After this certification is made, the plant's license does  
14 not allow for either old or new fuel to be put back into the  
15 reactor vessel. Following these two certifications, within  
16 two years, the licensee must submit a post-shutdown  
17 decommissioning activities report, and I'm going to call  
18 that a PSDAR.

19           Before I go on discussing the process for  
20 decommissioning, I'd like to talk about the PSDAR a little  
21 bit. The PSDAR has several parts of it. It first has a  
22 general description of the planned decommissioning  
23 activities. Secondly, it provides a schedule for the  
24 accomplishment of the significant milestones that the  
25 licensee has identified. It provides an estimate of the

1 expected costs for decommissioning and this estimate is used  
2 to compare against the amount of funds that the licensee has  
3 in its special account for decommissioning. And, finally,  
4 the PSDAR has a discussion of the environmental impacts and,  
5 specifically, it contains the reasons that the licensee  
6 concludes that the environmental impacts are bounded by the  
7 previously issued environmental impacts for that statement  
8 -- for that licensee and that site, or that the  
9 environmental impacts are within the original GEIS.

10           As Dino mentioned earlier, the generic  
11 environmental impact statement will be used by the NRC and  
12 the licensee throughout the entire decommissioning process  
13 and it will be used to ensure that the environmental impacts  
14 that may result during the activities that are performed  
15 during the decommissioning process are -- have been  
16 previously considered. A specific hard look is given at the  
17 time the ~~PSAR~~ PSDAR is developed. The details are not  
18 provided in this report; however, the licensee must maintain  
19 records of what they have done, to make sure that the  
20 environmental impacts have been considered, and the NRC will  
21 look and make sure that there's no new and significant  
22 information related to the site that would invalidate the  
23 generic -- considerations for the generic environmental  
24 impact statement. The PSDAR is a summary document and the  
25 NRC does not require an extensive analysis of the

1 environmental impacts in the PSDAR.

2           So what is the purpose of the PSDAR? Well, first  
3 and foremost, it provides a general overview of the facility  
4 decommissioning to the public and to the NRC. It allows for  
5 the NRC to appropriately plan for its safety inspections  
6 prior to and perhaps during major decommissioning  
7 activities, and it allows the NRC to allocate the  
8 appropriate resources to conduct the safety inspections.  
9 The PSDAR requires -- gives the licensee the opportunity to  
10 examine their financial resources prior to starting any  
11 major decommissioning activities and it ensures that  
12 decommissioning does not result in environmental impacts  
13 that are not previously considered.

14           A meeting is held with the public soon after the  
15 PSDAR is submitted. This is not an opportunity for a  
16 hearing at this stage, since the submittal of the PSDAR is  
17 not considered a major federal action that results in change  
18 to the facility's license. However, questions may be asked  
19 and comments given at the public meetings that are held by  
20 the NRC near the location of the plant. For example, last  
21 night, there was a PSDAR meeting for the Rancho Seco plant.

22           If a licensee does not plan an activity that is  
23 outside the parameters of the environmental impacts  
24 previously considered or if they request a change to the  
25 license, then there is an additional review process. It may

1 result in a license amendment and, at that point in time, it  
2 would provide an opportunity for public intervention.

3           Okay. Let's go back and talk a little more about  
4 the decommissioning process. At the same time that the  
5 PSDAR must be submitted, there must, also, be a submittal of  
6 a specific -- site-specific cost estimate. This provides a  
7 more detailed look at the costs than as required in the  
8 PSDAR. Once again, it's used to compare against the amount  
9 of funds that the licensee has been required to save for the  
10 decommissioning process and it provides a mechanism to  
11 determine if adequate funding is available to complete the  
12 decommissioning process; and if it's determined that it is  
13 not, then the licensee must take appropriate actions to make  
14 sure that their decommissioning funds are increased.

15           Following the submittal of the PSDAR, the licensee  
16 is then able to begin major decommissioning activities, and  
17 this could include immediate decontamination and  
18 dismantlement or, perhaps, placing the facility in long-term  
19 storage with dismantlement to be completed later. And I'll  
20 talk a little more about these methods for decommissioning  
21 just a little bit.

22           Now, within two years of reaching the completion  
23 of decommissioning, the licensee must submit another  
24 document, and this is called the license termination plan.  
25 This license termination plan provides a characterization of

1 the site and of the residual amounts of decontamination that  
2 are in the site. It identifies the final activities that  
3 the licensee will be conducting to complete decontamination  
4 and dismantlement activities. It describes plans for site  
5 remediation; and it describes the detailed plans for the  
6 final survey of residual contamination that must be  
7 completed. And, finally, it, also, has a description of the  
8 end use of the site and a final site-specific cost estimate.  
9 After the NRC reviews the license termination plan and after  
10 the final survey of residual contamination has been  
11 completed, then the licensee will -- the license will be  
12 terminated and the site will no longer be under NRC purview.

13           Next, let me talk a little bit about the methods  
14 of decommissioning and there are four of them. Originally,  
15 NRC had envisioned three distinct methods: DECON, SAFSTOR,  
16 and ENTOMB. But over the years, it has been recognized that  
17 actually several sites have been using a combination of  
18 SAFSTOR and DECON.

19           First, I'd like to talk about ENTOMB for just a  
20 minute. ENTOMB is a method where the radioactive  
21 structures, systems, and components are encased in a  
22 structurally long-live substance, such as concrete. The  
23 ENTOMB structure is appropriately maintained and there's  
24 continued surveillance, which is carried out until the  
25 radioactivity decays to levels that permit termination of

1 the license. Currently, the NRC's regulations allow for a  
2 60-year period for completing the decommissioning process.  
3 So, in the 1988 GEIS, it was concluded that ENTOMB probably  
4 was not a viable option for decommissioning. We will be  
5 reconsidering the ENTOMB method in our supplement to the  
6 GEIS.

7 Yes?

8 MS. PORTER: Was it because of -- are you going to  
9 talk about why --

10 MR. RICHARDS: Before -- let me get a microphone  
11 to you for a minute. Could you identify yourself for the  
12 transcript, please?

13 MS. PORTER: Sure. Rebecca Porter and I'm here  
14 with Green Action. My question was just why entombing has  
15 been set aside as something that probably isn't viable? Is  
16 it just because of the amount of time that it takes and why  
17 the license would have to be held for 60 years? Or what is  
18 the other -- what's the reason?

19 MS. HICKEY: That was the -- the primary reason  
20 that the GEIS that was published in 1988 did not look at  
21 ENTOMB, because the license would not be able to be  
22 terminated within 60 years. The amount of radioactivity  
23 that would still remain in the plant would not allow for --  
24 it would not meet the criteria for release.

25 MR. RICHARDS: Just a minute, please. Because



1 we're being transcribed, we'd like to make sure that we get  
2 your name on the record.

3 MR. YOUNG: My name is Ward Young and from the Bay  
4 Area Nuclear Waste Coalition. And I'm curious why the NRC  
5 would have conceived of entombment, if they knew from the  
6 beginning that the residual levels of radioactivity would be  
7 such that entombment wasn't a viable way of going about it.

8 MS. HICKEY: Okay. I'm going to let NRC answer  
9 that question.

10 MR. FELDMAN: Yeah. Carl Feldman, NRC.  
11 Basically, we wanted to give an objective type of evaluation  
12 to the various ways -- alternatives for decommissioning and,  
13 obviously, there's prompt dismantlement, there is deferred  
14 dismantlement, and there's entombment. We, also, looked at  
15 cost --

16 MR. YOUNG: Are you speaking in the microphone?

17 MR. FELDMAN: Probably not.

18 MR. RICHARDS: Is it on?

19 MR. FELDMAN: Yeah, it's on. Is that better? So,  
20 we, also, looked at the cost benefits. And at the time we  
21 were doing the EIS evaluations, we had data -- we started  
22 doing the evaluations in 1976 and we probably finished the  
23 data in about 1981, and then we played some little bits of  
24 updates and so on. So by 1988, we really didn't update to  
25 any great degree, other than some inflationary aspects.

1           When we first started doing it, it didn't seem to  
2 be much of a problem with waste disposal. And so, if you  
3 look at the alternatives for decommissioning, the only  
4 people that get dosed and insignificantly -- relatively  
5 insignificantly for prompt dismantlement or deferred  
6 dismantlement were the occupational workers. There was  
7 insignificant dose to the public. When you deal with  
8 entombment, you have some potential for dosing the public.

9           So, we -- rather than have each time an  
10 alternative was brought up, a cost benefit analysis done to  
11 look at it in a generic way, we picked the 60 years on the  
12 basis of the decay of the dominant radioactivity, which was  
13 cobalt 60. And it turned out that roughly in 30 years, most  
14 of the dose would have dropped from decay, to about a third  
15 of what it was, if you started a prompt dismantlement. And  
16 the waste volumes that were generated at that time decayed  
17 to about a factor of 10 in about 50 years. So, there was  
18 still further decay, but it was very slow.

19           And so, we, basically, said, all right, we didn't  
20 want to rule out entombment, because we recognized it can be  
21 instances where somebody might seriously consider that.  
22 But, we, basically, said, okay, it takes 50 years to get the  
23 maximum benefit out of that thing and it takes about 10  
24 years, give or take a little bit, to complete the actual  
25 decommissioning, so if they can do it in 60 years, fine, let

1    them ENTOMB.  If not, if they need a longer period of time  
2    for a lot of different reasons, even a delayed  
3    dismantlement, then they can still get it, if they come in  
4    and get a case specific exception from the Commission, but  
5    only for reasons of significant health and safety.  And so  
6    that's what we put in our rule.  And since that time, we  
7    have been reevaluating what we had done in the past, and so  
8    that's why entombment is now being reconsidered.

9                   MR. LEWIS:  Steve Lewis with the Office of General  
10   Counsel.  Let me sort of put my spin on it, in addition to  
11   the things you've heard, which are, you know, much more  
12   knowledgeable in many areas than I -- what I can tell you.  
13   There are a lot of things happening in the world that are  
14   impacted licensees, that are impacting the nuclear business,  
15   that are impacting the ways in which the NRC may have to  
16   regulate.  And so, I think that one of the reasons that the  
17   GEIS, in this case and other GEISs that we're undertaking,  
18   are so important is because we need to be up to date with  
19   things that are changing.

20                   Now, one of the things that have changed, and this  
21   was in the slides, is that we now have a performance-based  
22   rule for license termination, and that's in Part 20, subpart  
23   (e).  And so, we have to now go back and think, rethink some  
24   of the premises of the 1988 GEIS, in light of the changed  
25   regulations.  Now, certainly when we do that, we're, also,

1 going to consider other things that may have changed, such  
2 as anything that might affect the cost benefit of doing  
3 different types of decommissioning. And as everyone here  
4 I'm sure knows, the situation and the assumptions regarding  
5 availability of low-level waste sites around the country,  
6 basically through compacts, is not necessarily the same  
7 assumption that existed in 1988. So, I mean, we want to be  
8 real world about what we do and I think ~~that~~ that's an  
9 important concept you should keep in mind as to what's  
10 driving this.

11 MS. HICKEY: Okay. Wait a minute, we need --

12 MR. RICHARDS: Again, please, before you make a  
13 comment, give me a chance -- get my attention and I'll bring  
14 you the microphone. We need your name for the transcript,  
15 you know, just so we get it all down.

16 MS. GEORGE: My name is Barbara George and I'd  
17 like a more clear definition of the performance-based rule  
18 that you mentioned and what do you mean by that.

19 MR. FELDMAN: What we did in the Part 20 license  
20 termination rule is we developed a dose, which we felt was a  
21 safe dose for unrestricted release, based on international  
22 standards, and considerations of multiple types of sites  
23 that would generate those. In addition, we talk about as  
24 low as is reasonably achievable to lower that amount when  
25 possible for leaving something, which needs to be

1 decommissioned, to leave it at a -- with some radioactivity  
2 that is -- has insignificant impact, in terms of health and  
3 safety. And so the standard is based in terms of dose.  
4 But, in order to evaluate something, you have to look -- you  
5 have to measure it, and you don't directly measure dose.  
6 What you need to measure is radioactive contamination, which  
7 then gives you a dose. And so what you do is you do  
8 modeling and all sorts of things to get that type of number.

9           Prior to that -- this rule, we had a reg guide  
10 that gave radioactive concentrations, but it wasn't dose  
11 specific. And we feel that this a much better way to do it,  
12 because it's directly health and safety related.

13           MR. LEWIS: Steve Lewis again. You'll find that,  
14 as a lawyer, I always will find something additional to add  
15 to whatever one of my technical colleagues says. I guess  
16 it's just part of my training.

17           Performance-based, in my mind, means that we are  
18 not prescribing a methodology, a technique of  
19 decommissioning that has to be undertaken. We are  
20 specifying a resulting dose to the average member of what we  
21 call the critical group, which is a whole methodology we've  
22 developed for assuring ourselves that we can end NRC's  
23 regulation of the site. So, that's what I mean by  
24 performance based.

25           The Commission has a definition, which I don't

1 have in front of me, which has about four things in it. I  
2 can't remember what they are. But, I think just to be  
3 responsive to what you are asking, the point I'm making is  
4 that now that we have a rule that says that the NRC will  
5 terminate its license and, hence, will no longer regulate  
6 the facility and the site, that is based upon a dose we  
7 derived from calculations we do; it puts a different spin on  
8 what types of activities a licensee -- and techniques a  
9 licensee may use. It really de-emphasizes the specific  
10 activity and focuses more on assuring that the method that's  
11 going to be used will not exceed that dose.

12 MR. RICHARDS: Barbara, did that answer your  
13 question?

14 MS. GEORGE: Yes.

15 MR. RICHARDS: All right, thank you. Eva?

16 MS. HICKEY: Okay.

17 MR. RICHARDS: One more question.

18 MS. MEINDL: Thank you. My name is Irmi Meindl,  
19 I-R-M-I, Meindl, and I had a question. Is there anybody  
20 overseeing these sites after the termination of the -- after  
21 the overseeing is completed?

22 MS. HICKEY: Once the license is terminated, then  
23 NRC has no more oversight on that facility. It's released  
24 for unrestricted use.

25 MR. RICHARDS: To make sure we're clear on the

1 question, that's once they are done decommissioning the  
2 facility?

3 MS. HICKEY: Right. Once the decommissioning  
4 process is complete, once the license termination plan has  
5 been submitted, the radiological survey has been completed,  
6 and NRC verifies that they meet the criteria for  
7 unrestricted release, the license is terminated and NRC no  
8 longer has any oversight of that facility. The licensee is  
9 free to use that facility for whatever they have planned.

10 MR. RICHARDS: All right. Other questions before  
11 we move on?

12 [No response.]

13 MR. RICHARDS: All right, Eva?

14 MS. HICKEY: Okay. I'm going to try to get  
15 through the rest of the slides quickly, so we can get into  
16 hearing your questions and comments. The next method of  
17 decommissioning is called DECON and that's when the facility  
18 goes through the decontamination, where they remove  
19 contaminations from systems and structures, and they may  
20 remove large radioactive components, like the steam  
21 generators and the reactor vessels. And then the next part  
22 is dismantlement, where they remove pipes and components  
23 and, in some cases, they may actually remove buildings; but,  
24 it depends on the approach that the licensee has. And,  
25 also, part of dismantlement is considered the transportation

1 of waste to a storage facility.

2           Okay. And then the next method I want to talk  
3 about is SAFSTOR. And SAFSTOR is a decommissioning method,  
4 where the facility is put in a safe and stable condition and  
5 it's maintained in that state until the facility is  
6 subsequently decontaminated and dismantled. To get the  
7 facility into SAFSTOR, there's a preparation stage, where  
8 there's deactivation of systems, draining of -- and flushing  
9 plant systems and some radiological assessments are usually  
10 performed before the plant goes into safe storage.

11           And then it -- when the plant is in SAFSTOR, the  
12 licensee conducts preventive and corrective maintenance and  
13 maintains that the structural integrity of the facility is  
14 adequate. After the SAFSTOR period, then that's followed by  
15 the decontamination and dismantlement of the facility. An  
16 example of the combination of SAFSTOR and DECON is the  
17 Rancho Seco plant. They have recently come out of the  
18 SAFSTOR phase and they are entering the DECON or the  
19 decontamination and dismantlement stage of decommissioning.

20           Okay. To finish the license --

21           MR. RICHARDS: Eva, I think we have one question  
22 on that.

23           MS. HICKEY: Oh, I'm sorry.

24           MS. CABASSO: I'm Jackie Cabasso from Western  
25 State Foundation. I just want to be -- I just want to be



1 completely clear that this SAFSTOR period at present cannot  
2 exceed 60 years. Is that right?

3 MS. HICKEY: That's correct. Well, okay, and let  
4 me further add, not only can SAFSTOR not exceed 60 years,  
5 but the decommissioning process has to have concluded.

6 MR. LEWIS: Could I add something? Steve Lewis.  
7 The regulation actually provides that 5082 -- 10 CFR 5082,  
8 that if there's a public health and safety reason, the  
9 Commission can authorize a period of decommissioning -- for  
10 the completion of decommissioning longer than 60 years. So,  
11 a plant could conceivably be in SAFSTOR more than 60 years.  
12 This is looking down the road a lot, so I don't know exactly  
13 what's going to play out in this regard. But, just to be  
14 totally accurate, that showing could be made to the  
15 Commission.

16 MR. FELDMAN: Could I just -- I would just like to  
17 add a little bit. In the rule, itself, we cite two examples  
18 or two situations to illustrate that and one is if there's  
19 no place to put the spent fuel, that would be a reason to  
20 allow for delay, because you could maintain the spent fuel  
21 within the reactor fuel pool. Another case is if you had  
22 interconnecting reactor systems, where you want to wait and  
23 do them both together, because there's some possibility of  
24 dosing people when you're doing one and running the other  
25 one. So, those are some kinds of examples where that type

1 of delayed storage or deferred dismantlement could occur.

2 MR. RICHARDS: Just to be clear on that second  
3 example, Carl, you're saying that in some cases, there's  
4 more than one operating reactor at the site --

5 MR. FELDMAN: Yes.

6 MR. RICHARDS: -- they're willing to defer the  
7 first one shutdown until the second one shuts down, do it  
8 all at once?

9 MR. FELDMAN: Yes.

10 MR. RICHARDS: Eva?

11 MS. HICKEY: Okay. To finish up on the  
12 decommissioning process, I'll talk about the end of the  
13 process, license termination. And I mentioned earlier that,  
14 at this point in time, a license termination plan will be  
15 submitted and, at that time -- this is a time when the site  
16 will provide a site-specific environmental report. And  
17 there is an opportunity for a hearing, at this point,  
18 because this is considered a major federal action.

19 Okay, Dino, I'm going to try to move on. Next.

20 As we mentioned earlier, one of the reasons that we are  
21 revising or supplementing the generic environmental impact  
22 statement is because we do have a lot of information now.  
23 There are 21 reactors that have shut down between the years  
24 of 1963 and 1998; two of those have actually completed DECON  
25 and dismantlement and six are currently undergoing DECON and

1 dismantlement. There are nine plants that are in long-term  
2 storage and there are four plants that are planning a  
3 combination of long-term storage and DECON and  
4 dismantlement.

5           A quick look at the types of reactors that are  
6 going through decommissioning. There are eight boiling  
7 water reactors, 10 pressurized water reactors, three of the  
8 smaller plants that are other designs, and these are all  
9 from 23 megawatts to 3,111 megawatt thermal. The two plants  
10 that have completed decommissioning and their licenses have  
11 been terminated are Ft. St. Vrain in Colorado and  
12 ~~Shorum~~Shoreham in New York.

13           Okay. Well, all of that discussion, so that we  
14 can talk about what we're planning to do for revising this  
15 environmental impact statement. I'm not going to read all  
16 of these to you, but this is the list of environmental  
17 impacts that we will assess; as examples: land use;  
18 socioeconomic impacts; environmental justice, which is new  
19 from the previous GEIS. And what we're asking you tonight  
20 is if you have any comments to offer on the scope of this  
21 GEIS, other impacts that we need to be looking at. I'd like  
22 you recognize that we have not assessed these impacts yet.  
23 They are just the ones that we will be looking at.

24           Okay. There's a copy of the slides; if you don't  
25 have them, you can -- okay. I think you can go ahead, Dino.

1           Okay. To end my presentation, I'd just like to go  
2 over again what the schedule is to scoping. We're looking  
3 for comments and they'll be accepted until July 15th.  
4 Comments can be provided by mail, in person. They can sent  
5 to e-mail, to the address given above. And the NRC point of  
6 contact is Dino Scaletti and his phone number is here. And  
7 with that, I'd like to end my presentation, because we would  
8 like to hear what you have to say.

9           MR. RICHARDS: All right. Thank you, very much,  
10 Eva. We are here for, as I said before, a number of  
11 reasons. One is to provide these presentations, to try to  
12 inform and education the public about what the NRC is doing  
13 on the update of the generic environmental impact statement;  
14 but, secondly, we're here to receive your comments and  
15 questions. We have seven people from the audience, who have  
16 signed up to speak, so I'd like to go to those people. For  
17 anyone here who is not comfortable speaking, as Eva  
18 mentioned, we'll take e-mail comments; you can send us a  
19 letter; or the NRC staff has agreed to stay after the  
20 meeting tonight and we'll circle around and talk to people  
21 privately, one-on-one, until we can answer your questions.

22           So, with that, I'd like to go to Rebecca Porter,  
23 and we'll start.

24           MS. PORTER: Hi. My name is Rebecca Porter. I'm  
25 here representing Green Action. We're an environmental

1 justice organization, based in San Francisco, but we work  
2 all over the west coast and the western area of the U.S.  
3 And we'd just like to start off by saying the priority  
4 should be not the speeding of the decommission sites or to  
5 accommodate the nuclear industry at all, but explicitly to  
6 protect public health and the environment.

7           We've seen Midway Village, which is right in our  
8 city, and that's a government housing project that was built  
9 just on a former electrical power plant and the results are  
10 unbelievable -- the cancers, all things like that -- and  
11 that was 50 years ago. I'd hate to think about a government  
12 housing project or any project built on top of a nuclear  
13 waste facility or a former nuclear waste facility.

14           It's our sense that out of most environmental and  
15 health organizations in this area, that the waste be kept  
16 onsite and above ground, because in no case should it ever  
17 be buried on the reckless practice of burying waste in an  
18 offsite dump. An offsite dump has been disastrous. Until  
19 the NRC rules for the waste and site treatment, it should  
20 remain in this facility and former sites. I don't care if  
21 it takes 300 years, I don't think 60 years is long enough  
22 for it to be unmonitored adequately. I, personally, feel  
23 and I feel that a lot of people should feel that no matter  
24 how long it takes, I wouldn't urge to build anything on top  
25 of it. And we know, as an environmental justice

1 organization, that is it primarily lower income people,  
2 people of color, who end up living in the areas of these  
3 kind of facilities and through the industry and things like  
4 that. And we don't want to -- we can't continue that trend.

5 Also -- let's see what else -- so, we do -- we do  
6 implore the NRC to uphold its proclamation in its mission to  
7 protect the health and safety of people and the environment.  
8 And -- let's see -- we feel that there is no acceptable  
9 dose, as you put it, and no effect -- and because there is  
10 no effective means of treatment of disposal, we would like  
11 to see the waste remain onsite at the nuclear facility and  
12 make sure that it is not shipped or buried anywhere, because  
13 we put people's health and humanity far above redistributing  
14 and reducing this land for public use, that is unrestricted  
15 by the NRC or by any other regulatory agency. Thank you.

16 MR. RICHARDS: All right, thank you, Rebecca. I  
17 read that to mean that you would support the entombment  
18 option that was discussed. That's basically --

19 MS. PORTER: Yes, as long as it did not harm any  
20 human being or anything like that. I'm not completely  
21 familiar with it and the results of it and how it does  
22 expose people in any way. But, as far as being a viable  
23 option, I think we should keep it in mind. If it is onsite  
24 and it doesn't involve sending the waste off, I would  
25 probably support that; I'm not sure.

1           MR. RICHARDS: All right. I just mentioned that,  
2 because it's an issue that the NRC is considering, at this  
3 time. And there have been a number of public meetings and  
4 there is information available. You might want to talk to  
5 Dr. Feldman afterwards, because he's been very much involved  
6 in that option.

7           I'd like to go next to Eric Goldin. Eric?

8           MR. GOLDIN: No comment.

9           MR. RICHARDS: Okay. Thank you, Eric. Ward  
10 Young?

11          MR. YOUNG: Thank you for your presentation today.  
12 First of all, I'd really like to object to putting words in  
13 the mouth of the first speaker, which, I'm sorry, I don't  
14 know your name -- Stu, you just did, and I don't think it's  
15 fair to imply that she was referring to entombment. She  
16 never used the word "entombment," so I think that is kind of  
17 tricky, to be trying -- you know, to be suggesting that that  
18 was the substance of her comments. I'd just like to make  
19 that comment right away.

20          We believe -- I am with the Bay Area Nuclear Waste  
21 Coalition. We work with a large coalition of groups and  
22 Native American tribes and have a proposed dump site at Ward  
23 Valley in California in the desert. And we oppose the  
24 shallow land burial of radioactive waste and think that the  
25 NRC should look at an addition option, which is a SAFSTOR

1 with an extended -- a potential for extending that period of  
2 time, to maintain flexibility, to look at other options in  
3 the future, such as continued storage, such as geological  
4 disposal for some of these wastes, such as mine rock  
5 repositories for some of these wastes. We oppose shallow  
6 land burial for these wastes.

7 I'd, also, like to suggest that NEPA should now  
8 require an environmental justice impact analysis for this  
9 process. An environmental justice impact analysis is a  
10 thorough going looking at all of the environmental justice  
11 -- potential environmental justice impacts and should have  
12 the same type of thoroughness that an environmental impact  
13 statement would have.

14 We are very concerned about the residual levels of  
15 radioactivity left at these sites and the allowable doses,  
16 up as high as 500 millirem per year. We are very opposed to  
17 allowing that type of exposure to occur. And we're not --  
18 we don't completely trust all of the modeling that the NRC  
19 does. We believe, also, that it's important to adopt the  
20 precautionary principle when looking at these options and  
21 this whole process of decommissioning. And that can be --  
22 it has been defined as not reducing risk, but eliminating  
23 risk in activities as much as possible.

24 We are, also, concerned that the entire dose of  
25 radiation needs to be examined under each of these



1 alternatives, in addition to our proposed alternative, which  
2 is extended SAFSTOR. We believe that that should include  
3 the type of dose that workers in the metal recycling  
4 industry receive from this type of decommissioning. We  
5 believe that SAFSTOR has advantages, in terms of exposures  
6 to workers and the public. And the immediate  
7 decommissioning, as stated in the documents that you handed  
8 out, the disadvantages of that are higher dose than SAFSTOR  
9 to the occupational force and higher doses to the general  
10 public through transportation of all of these materials to  
11 dump sites.

12           We, also, believe that it's important at the same  
13 time to recognize that although costs are one element in the  
14 equation, that total dose and reducing that as low as it --  
15 as reasonably achievable; and, in fact, reducing it should  
16 be the -- should be a very high -- very, very highly placed  
17 value on the type of process that is chosen.

18           And I am aware -- another -- I think another thing  
19 that would be excellent information for this type of process  
20 to bring out to the public would be successes and failures  
21 in the decommissioning that has happened so far. I am aware  
22 that 41 facial contaminations and the release of high  
23 particles occurred during the cutting up of the Yankee Row  
24 reactor vessel and that concerns me greatly. That does not  
25 seem like the type of success, but is rather a failure that

1 has occurred already in this effort.

2           We, also, think that it is not a reasonable  
3 assumption to make that Yucca Mountain will be open or any  
4 other geologic repository within the next 10, 20, 30 years.  
5 We think that allowances should be made for the continued  
6 use of these sites -- nuclear power plant sites for extended  
7 spent fuel storage, as well as extended storage in the  
8 containment of -- as much of the equipment in the  
9 containment that can be left there as possible.  
10 Containments, we believe, are excellent resources to be used  
11 for extended storage of nuclear power plants.

12           Also, we believe that the idea that the cost of  
13 the immediate decommissioning and the availability of waste  
14 sites -- low-level waste sites should be looked at and to  
15 the extent that -- by using -- setting aside a fund for  
16 deferring decommissioning for SAFSTOR, setting aside a fund,  
17 which can gather compound interest, may allow the ability to  
18 overcome any type of increase in costs that has been  
19 experienced at low-level waste sites.

20           Now, I'd like to say, also, that at the B~~u~~arnwell  
21 site, we have charges for -- charges that are actually  
22 probably going to be greater than the next site that it  
23 seems to be ramping up, which is the Envirocare site. Costs  
24 actually seem to be going down to some extent, in that case.  
25 So, we really need to look at the costs variables very

1 carefully and not assume that we know what's going to  
2 happen. We should look at all the various possibilities.  
3 Btarnwell is ramping down for the next eight years and -- so  
4 there will be availability. And, again, Envirocare seems to  
5 be ramping up, but what if -- what if Envirocare is, also,  
6 shut off. We think that's another reason why SAFSTOR is --  
7 has advantages.

8 I'm going to stop there. I can continue, but I'm  
9 going to submit some written comments, as well.

10 MR. RICHARDS: All right. Thank you, Ward. If we  
11 run out of questions, we'll come back to you, if you'd like.  
12 And I'd like to respond to what you said originally. You  
13 know, if I put you on the spot or put words in your mouth, I  
14 apologize. My intent was to question whether you were  
15 talking about entombment. So, you know, if it's  
16 inappropriate --

17 MS. PORTER: Now that you've spoken about SAFSTOR,  
18 I think that's actually what I was referring to. I don't  
19 really know the actual -- I'm not very familiar with the  
20 actual specifics of it, but he seems to have hit on more of  
21 what I was talking about than entombment.

22 MR. RICHARDS: All right. Well, again, thank you,  
23 Ward. For the panel members, I think there was quite a  
24 number of issues that were brought up there, a lot of it in  
25 the form of a statement. Is there anyone who wants to

1 respond or ask questions about any of the comments by Ward  
2 Young?

3 MR. FELDMAN: One of the comments you made was  
4 there is a fund over that 60-year period; that is, they have  
5 to reassess their actual decommissioning fund at various  
6 times during the process of operating and closing down. And  
7 there is some allotment now, I think it's two or three  
8 percent, or something, to allow them to collect some kind of  
9 interest. So, there are some provisions like that going on.

10 Just to clarify this difference between entombment  
11 and safe storage. Entombment is kind of like a hardened  
12 safe storage, where you put the contaminants in something  
13 like a concrete type of containment and you assure yourself  
14 that they're isolated from the environment for such a period  
15 of time that they can adequately decay down to a level  
16 that's acceptable to release it. So, for instance, if 25  
17 millirem was the level, then you would have to wait a  
18 certain number of years. If cobalt 60, for instance, was  
19 the type of dose, it might be 100, 130 years typically, as a  
20 conservative estimate of how long you would have to wait.  
21 But, there are other things in reactors besides cobalt.  
22 There's cesium and that takes longer; then there are some  
23 very long lived types of materials.

24 But, nevertheless, the definition of entombment is  
25 that once you isolate, then solely through the process of

1 decay -- you don't want to go back in and rip up the thing,  
2 because you've hardened it; you made it difficult to take  
3 apart -- so solely through the process of decay would the  
4 dose go down and it be released at that point in time.

5 MR. RICHARDS: All right. Any other questions or  
6 comments we need to clarify from the NRC staff? Again,  
7 Ward, for some of your comments, if you want, we'll come  
8 back to you and we'll, also, stick around after the meeting.  
9 You made comments about not trusting the modeling. We have  
10 members of our Nuclear Materials Safety and Safeguards  
11 office here tonight. Bob Nelson in the back, you may want  
12 to talk with him separately after the meeting.

13 You talked about the 500 millirem per year. I'm  
14 assuming that's at waste sites, because that's far above the  
15 criteria that -- Carl?

16 MR. FELDMAN: Well, legal counsel here wanted me  
17 to mention restricted release, which I didn't mention  
18 earlier. There is -- there are two types of releases that  
19 are allowed in 20 -- Part 20, subpart (e). One is  
20 unrestricted release, which is 25 millirem; and the other  
21 one is restricted release, where, again, we terminate the  
22 license in both cases. In all cases, the individuals, who  
23 are at the site, are not supposed to get more than 25  
24 millirem ALARA. However, in the case of restricted release,  
25 one of the conditions is that if the restrictions ever

1    should fail, it cannot exceed 100 millirem plus ALARA and in  
2    some rare instances or special instances, it could go to 500  
3    millirem ALARA. But, in those cases, there would have to be  
4    periodic relooking, capital relooking, by whoever had the  
5    obligation to do that every five years, something like that.

6               Well, there's structure set up in the rule for  
7    that. For the various degrees of restricted release, there  
8    are more complex, more difficult criteria to satisfy. So,  
9    it's a tiered type of rule for those situations.

10              MR. RICHARDS: Any other questions or comments  
11    before we move on to our next listed speaker? Yes, ma'am?

12              MS. KOSSEFF: Hi. My name is Robin Kosseff. I'm  
13    with the Western States Legal Foundation and I actually --  
14    I'm, also, going to speak; but, I, actually, also, want to  
15    make a comment about the modeling. So, if our modeler is  
16    here and could respond to what Ward said in public now, I  
17    would appreciate that.

18              MR. RICHARDS: I think it depends on the question.  
19    I don't think we want to get into a long dialogue about  
20    modeling, because it can be complex. But, if it's a  
21    straightforward question, perhaps Bob Nelson could respond.  
22    So, what is the question about modeling?

23              MS. KOSSEFF: Ward, do you want to repeat what you  
24    said?

25              MR. RICHARDS: I think what Ward said is that he

1     didn't -- his organization didn't trust the modeling that  
2     the NRC was using. I don't remember him going beyond that  
3     and describing that. So my comment to Ward was, you know,  
4     we'll be glad to talk with him after the meeting to get the  
5     details.

6             MS. KOSSEFF: Well, I think what I'm asking is if  
7     we can have a response to that now, I would appreciate that.

8             MR. RICHARDS: I think we need more of a comment  
9     than -- well, do you understand what I'm asking? I mean,  
10    the question so far is we don't trust the modeling. It's  
11    hard to respond to that kind of question without some  
12    detail.

13            MS. KOSSEFF: I'm going to ask a question that's  
14    more specific --

15            MR. RICHARDS: All right. Why don't we move on to  
16    Barbara George.

17            MS. GEORGE: Hi. My name is Barbara George. I'm  
18    the director of the Women's Energy Matters and I'd like to  
19    first thank you for coming out and giving your presentation.  
20    And I just wanted to tell you that I'm celebrating with  
21    solstice today and so I greet you with the utmost concern  
22    for mother Earth, because I would hardly ever choose to be  
23    indoors on the night of the solstice in the summer when it's  
24    beautiful outside. But, I am really happy that we're  
25    talking about nuclear power plants being shut down. That's

1 the good news. Oh, we have light in here, too; great.

2 I think that we're on the right track to be  
3 talking about closing nuclear power plants. It's been a  
4 pretty sad story up to now and my major concern is that it  
5 doesn't become a truly horrendous disaster story from here  
6 on out. And I've always been amazed that people can speak  
7 about closing down and dismantling nuclear power plants when  
8 we know that the things inside them are so incredibly lethal  
9 for so many, many, many generations long, long after we're  
10 gone. And, you know, we're talking about the 60 years, that  
11 is the maximum of time that you want to allow the process to  
12 take. And I realize that that's about, you know, a person's  
13 life time, if they're not fortunate enough to live a little  
14 couple of more decades.

15 And it seems like there's this sense of hurry to  
16 everything about nuclear issues. I work a lot with people  
17 over in Berkeley, dealing with Lawrence Berkeley National  
18 Lab, which is a place where a lot of this materials were  
19 developed along with medical materials, so there's a lot of  
20 rational that it somehow is healthy and good for us. But,  
21 it's really not very good for us, in general, a lot of it.  
22 You know, in the large power plants, there is such an  
23 incredible amount of danger involved with them.

24 And I recognize that you folks have a tremendous  
25 responsibility to make day-to-day decisions about how these



1 things are operating and I could imagine that that's wearing  
2 after a while, to be so responsible for such incredibly  
3 dangerous things. And it must be very difficult to have  
4 that be your job, and to be able to go home and leave it. I  
5 can't imagine what that is like, except that it's become my  
6 job over the last 20 years, to look at this from another  
7 side.

8           And I recognize that we, in the anti-nuclear  
9 movement, have a lot of friendships and feelings for each  
10 other involved in the work we do. And I recognize that you  
11 have a lot of the same things going on, that you have  
12 colleagues that you've been working with for many, many  
13 years and you have a long history of knowing each other and,  
14 you know, the families and issues like that. And I think  
15 that's something that I try to remember when I get angry and  
16 when I feel like you're not doing enough or you're not doing  
17 what I want you to do.

18           And I hope that you can see your way to thinking  
19 about our -- you know, our point of view, also, and the fact  
20 that we have -- you know, we're trying to be responsible in  
21 our way for what is left out of this process oftentimes.  
22 And I know over the years that there have been many -- many  
23 things that were brought to your attention by the, you know,  
24 folks on this side of the table that probably didn't feel so  
25 good at the time and, you know, probably improved things

1 overall. I don't know how we're all going to get through,  
2 you know, the next hundred generations or however many  
3 thousand generations until that stuff is really less  
4 dangerous.

5           Anyway, I have specific comments. I don't have  
6 them very well laid out, because I only found out about this  
7 on Monday. And I don't know whether there was a lack of  
8 notice to the groups or whether we just sort of dropped the  
9 ball on our end, but I hope that there's better notice next  
10 time.

11           I'm extremely concerned about the financial  
12 liability of the organizations that are undertaking the  
13 decommissioning. First of all, I want to say,  
14 decommissioning seems like a military term. I just -- you  
15 know, there is something that bothers me about that. In any  
16 case, the financial issues in the nuclear power business are  
17 becoming really major and I know that there's been an  
18 incredible issue. Do you folks read the Nuclear Information  
19 and Research Service Monitor by any chance? It's a  
20 wonderful publication and I know you do talk to them.  
21 They're in Washington.

22           In any case, they have run a number of articles on  
23 the changing ownership of nuclear power plants. And in one  
24 case, the Oyster Creek nuclear reactor, which is almost at  
25 the end of its license, was recently sold for only \$10

1 million, although it had \$100 million worth of fuel on hand.  
2 In other words, the sale price was minus \$90 million. And  
3 the issue comes up, well, why would anybody want to buy an  
4 old nuclear power plant anyway? And the answer, I believe,  
5 is emerging that there's a great big pot of gold in the  
6 utility office and that's -- the name on that pot of gold is  
7 decommissioning. They've had to collect money over the  
8 years from rate payers for this process that we're  
9 discussing here and the companies, which have been buying up  
10 reactors -- apparently, they've bought 10 in the U.S. and a  
11 number of reactors in Canada -- it's a partnership between a  
12 British company that owns the reactors there and one of our  
13 sleaziest reactor owners in the U.S., the Philadelphia  
14 Electric Company, and their partnership is called AMERGIN.  
15               So, anyway, they're out there buying up reactors  
16 and it appears that what they're looking for is this pot of  
17 gold. They're planning to run the reactors into the ground.  
18 They're, you know, hiring temp workers instead of -- and  
19 laying off their regular staffs. And they're, basically,  
20 taking a chance that the decommissioning process will cost a  
21 whole lot less than they had initially believed. And my  
22 understanding is that this process that we're here  
23 discussing is partly involved in smoothing the path for  
24 industry to make it cheaper to close down nuclear facilities  
25 and clean them up.

1           And I just want to say that, you know, we're  
2 talking, you know, to save a few bucks for some  
3 carpetbagging British company and leave a tremendous amount  
4 of radioactive damage, I find that really horrifying. And I  
5 just want to say on the record that if there is anything in  
6 this process, which is doing that, I'd like you to think  
7 about it twice. And I would, also, like to say that as part  
8 of this supplemental environmental impact statement, I would  
9 like to see you put a clause in whatever it needs to be in,  
10 that the decommissioning funds, whatever is unused of the  
11 decommissioning funds will not ever, ever be part -- be --  
12 that the companies will have no access to those monies and  
13 whatever is left over will go into a fund, some kind of a  
14 nationally owned federal fund for cleaning up stuff that  
15 doesn't get cleaned up, because I know there are so many  
16 places that are -- that need to be cleaned up now and  
17 there's nobody out there, who is responsible for cleaning  
18 them up, and so the taxpayers end up footing that bill. So,  
19 I know that this money will be used very well.

20           And I think that removing the incentive for  
21 companies to buy nuclear power plants in order to get this  
22 money would be the most important thing that you could do  
23 with the supplemental environmental impact statement; and  
24 that the issue has -- you know, it's not looking good, based  
25 on the Sequoia fuels decommissioning, which is not a nuclear

1 power plant, but it is a facility and apparently they put  
2 that facility under a shell ownership, which had no assets,  
3 and so there's no money now to clean up the mess that they  
4 left behind.

5 And I have another major concern that I'd like to  
6 go into and I'm sorry if I'm going on too long. I'm hoping  
7 that the meeting is small enough, so that we can do this.

8 MR. RICHARDS: We've only got seven people lined  
9 up.

10 MS. GEORGE: Okay, great.

11 MR. RICHARDS: If you're going to go on for much  
12 longer, I'd like to make sure we get to the other speakers;  
13 then, we can come back to you, if that's all right.

14 MS. GEORGE: That would be all right.

15 MR. RICHARDS: All right. So, okay, do we want to  
16 respond? Is there anybody on the panel that wants to  
17 discuss the decommissioning fund issue?

18 MR. SCALETTI: While Steve is collecting his  
19 thoughts on decommissioning funds, I'd like to just stress  
20 the notice of this meeting. You said you only heard about  
21 it Monday. We put out the first notice of this meeting  
22 March 14th. It identified the meeting would be held in San  
23 Francisco on the 21st. We issued a subsequent notice  
24 specifically for this meeting and the Atlanta meeting  
25 earlier this month, either towards the end of May or early

1 June it went out. It was published in the Federal Register.

2 We are opening to -- perhaps maybe -- to  
3 facilitate information disbursal, we are opening a Website,  
4 which will be specifically dedicated to this development of  
5 the decommissioning generic environmental impact statement.  
6 And as soon as that gets done, and it should be relatively  
7 soon, I will send out a notice to all the people that have  
8 signed up of what the Website is, so that you can get the  
9 information there. Transcripts will be included. Some of  
10 the older documentation related to -- at least portions of  
11 NUREG 0586, which relate to power reactors, will be put on  
12 this Website. So, this information will be there. And,  
13 hopefully, when we get to developing the -- once we've  
14 developed the draft of this document, it will be there and  
15 notices will be there when meetings are. So, it will be a  
16 better coordination.

17 MR. RICHARDS: On the topic of the decommissioning  
18 fund, Steve, do you think you could speak to the access of  
19 that fund and then perhaps, Dino, if you could talk to  
20 actions the NRC takes, to ensure that the site meets the  
21 cleanup criteria before we terminate the license?

22 MR. LEWIS: Just give me one moment.

23 (Pause.)

24 MR. LEWIS: I'm going to say something and then  
25 Carl will say something more knowledgeable than me. The

1 regulations, and I don't have them right in front of me, do  
2 not contemplate that if, in fact, the amounts of money that  
3 have been set aside, basically from rate payers, if they  
4 prove to be in excess of what is needed, my understanding is  
5 that it would be returned -- it would revert, basically, to  
6 the public utility commission or the public service  
7 commission, to basically oversee the disposition of that.

8           What we are basically doing and our regulation is  
9 focused on assuring, to the best of our current  
10 understanding, that there will be adequate amounts of money  
11 in there. But, since many of these things overlap very,  
12 very strongly with continuing regulation by state public  
13 utility or state public service commissions and since these  
14 types of charges are basically coming from the rate payer,  
15 the more pervasive long-term oversight and actions with  
16 respect to that money are going to be by the appropriate  
17 state regulators, particularly since we'll no longer have a  
18 license and the NRC will be out of the picture. So, that's  
19 the best I can tell you from my general understanding on it.

20           MR. FELDMAN: I think one of the things we have to  
21 explain is the role of the NRC and our mandate. We're not  
22 in the business of collecting funds for decommissioning  
23 directly. Our purpose is health and safety and the intent  
24 is that a sufficient or bulk of funds be there in situations  
25 where health and safety is a problem. That's why we have

1 initial requirements for collection of funds. There -- and  
2 mainly we try to stay out of it, because we don't want to  
3 get into equity problems and all sorts of other problems  
4 that go on with rate collectors and so on in the states and  
5 the PUCs. And so the way we approach is we have a minimum  
6 amount that has to be set aside, because that's what our  
7 consideration for health and safety is. And they can  
8 collect more than that; they can't collect less.

9           However, there are other factors that come into  
10 this and one of them has to do with the tax of the monies.  
11 And Internal Revenue Service has made some rulings way back,  
12 if it's an external reserve fund for utilities, they don't  
13 have to pay taxes on it. They do some kind of thing called  
14 net negative salvage and it's a complicated thing and I'm  
15 not quite familiar with it, because that's not my area.  
16 There are people here, who are not here today, who do that  
17 kind of stuff. But, basically, the types of things they do  
18 where they don't pay taxes, they have to somehow deal with  
19 those monies, because they're saying that money is for  
20 decommissioning purpose. That collection was done  
21 specifically for -- through a federal regulation for health  
22 and safety, so I don't know what happens if they collect  
23 more than that. My feeling is they would have an obligation  
24 to return that portion of the money.

25           MR. RICHARDS: Thank you, Carl. I've been



1 reminded to let people know that we are taking written  
2 comments, if you need more time to think through these  
3 issues, until July 15th. Is that right, Dino?

4 MR. SCALETTI: Right.

5 MR. RICHARDS: Okay. And, you know, part of the  
6 comment I heard from Ms. George was that these utilities may  
7 desire not to properly clean up the site. I think it was  
8 covered in part of -- one of the bullets on the slide, but  
9 the topic of the confirmatory surveys by the NRC and I'd  
10 like to have somebody speak to that, if you could.

11 MR. SCALETTI: Well, I'll speak to it briefly.  
12 The comment -- one comment I'd like to address is the intent  
13 of these companies buying these sites up and going to run  
14 them into the ground. I'd like to just say that we -- you  
15 know, we still have regulations. These sites are constantly  
16 inspected. Dr. Blair Spitzberg is here; he can address this  
17 in more detail. Even for the decommissioning process, our  
18 regional inspectors are onsite; not constantly, but when a  
19 major activity goes on, they are there to watch, to observe,  
20 to inspect, and this goes on through the process of  
21 decommissioning. Surveys are constantly done. And so,  
22 there is a great deal of scrutiny with regard to a nuclear  
23 power plant. It is ongoing from issuance of a license, to  
24 license termination.

25 And we do have, obviously, the criteria of 25

1 millirem per year that must be met before the license can be  
2 terminated. The licensee is required to perform a site  
3 survey, which -- first, they have to do a site  
4 characterization, which identifies -- where there are any  
5 problem areas, they have to do a site survey. The NRC will  
6 do a confirmatory survey, to ensure that they are within the  
7 25 millirem criteria. Now, that's -- it was discussed  
8 previously. If Dr. Spitzberg has anything he'd like to add  
9 with regard to the inspection process and the oversight that  
10 goes on --

11 MR. RICHARDS: Why don't we take one quick comment  
12 from Dr. Spitzberg, from our regional office, then we'll  
13 move on.

14 DR. SPITZBERG: Thank you. Yes, I think to echo  
15 what Dino said, we do conduct active routine and reactive  
16 inspections throughout the operating life of all facilities  
17 and once they're in a shutdown and decommissioning mode, we,  
18 also, continue that process until license termination. Part  
19 of that inspection is to ensure that they are complying the  
20 all of the safety requirements, the technical  
21 specifications. Part of the decommissioning inspections  
22 that we perform are confirmatory measurements, to make sure  
23 that the measurements that the licensees are taking to  
24 establish the final status of the site are, in fact, valid  
25 and that we confirm that.

1           The other comment I would make, in terms of change  
2 of ownership, is that when licensees do change ownership,  
3 they are required to notify the NRC of that and we do a  
4 review of that change. And it's not -- a change of  
5 ownership does not equate to a reduction in the safe  
6 operation of the facility and we verify that through our  
7 inspection program.

8           MR. RICHARDS: Okay, thank you, Blair. Why don't  
9 we now go to Irmi Meindl. Is that correct?

10          MS. MEINDL: Thank you. I'm very concerned that  
11 there is no independent oversight over the decommissioning  
12 process that is going on. And there should be some kind of  
13 regulation about after the 60 years, what will happen to the  
14 site, because there could be somebody coming by and just  
15 finding a way to make a lot of money just by buying the site  
16 in a cheaper way than you usually get sites like that. So,  
17 I don't think it should be just left by itself, because  
18 there is still some radioactivity going on, even if it's  
19 very minute.

20          But, you know, not to underestimate, how many  
21 reactors are considered to be decommissioned and, also, if  
22 there are a maximum per year? I mainly have a lot of  
23 questions. Are there any plans for new nuclear reactors or  
24 is the trend to go away from nuclear power and go more into  
25 alternative energy, like solar and wind and so forth? What

1 do you do with the radioactive materials in the process of  
2 decommissioning, as well as after?

3 And those for you to say the decommission process  
4 is completed and, you know, termination is finished, meaning  
5 -- it sounded a little vague, you know. It was like kind of  
6 a worldwide standard of what is considered safe radioactive  
7 level, to leave it by itself and have no oversight, so it  
8 would be great if there could be some kind of more specific  
9 number for -- the differences in the reactors, maybe you  
10 need the numbers; but, in general, have a more specific  
11 number for when the decommissioned process is completed.

12 And I was wondering if you could explain drain and  
13 flush plant systems. It was under the SAFSTOR. There was  
14 this one part, the preparation for SAFSTOR, drain and flush  
15 plant system, if you could just explain that a little bit  
16 more, if water gets flushed, too, and how that goes. Thank  
17 you, very much.

18 ~~MS. HICKEY: SAFSTOR drain and flush plant~~  
19 ~~systems, if you could explain that a little bit more, where~~  
20 ~~it gets flushed to, and, you know, how that goes. Thank you~~  
21 ~~very much.~~

22 MR. RICHARDS: All right. Thank you. That last  
23 one was slide 23, Eva. If you could take a look at that.  
24 As far as new nuclear power plants, you know, that is a  
25 decision made by utilities. I don't think we have any

1 applications in for new nuclear power plants. But, on the  
2 other hand, I don't think anybody here can speak to what  
3 utilities across the country intend.

4 Would somebody on our panel like to speak to, in  
5 kind of general terms, what happens to the radioactive  
6 material?

7 Carl, make sure you get the microphone there so we  
8 get a transcript.

9 MR. FELDMAN: The -- well, you mentioned the  
10 standards we have, this license termination standard of 25  
11 millirem ALARA. Those are basically, when you talk about  
12 the ALARA aspect of it, we look at cost benefit, or how much  
13 dose are you saving, and what are you spend for it. Because  
14 there are alternatives to spend money where, you know, you  
15 might want to put a traffic light in or something else, or  
16 there are other -- you have to do a total balance. There is  
17 lots of ways of saving lives, not just through nuclear. So  
18 we do that type of thing.

19 There are numbers floating around for doing cost  
20 estimates. Typical numbers are something like \$3 million  
21 per fatality averted is an example of some of these numbers  
22 that the government uses to look at cost benefits.

23 But, in any rate, we look at those things. But  
24 you can't do an ALARA unless you are safe, you have to start  
25 at a safe level, and then you do ALARA to adjust down. So

1     that is why the 25 millirem is picked as a number that is  
2     considered safe.

3             Now, the ALARA, an example of that would be if you  
4     had something where you had a concrete structure and you  
5     were decontaminating it, you could down further in how much  
6     you removed because of costing. The way the radioactivity  
7     gets on to the concrete, et cetera, when you remove it and  
8     it is sent to, let's say, a low level waste facility, or is  
9     removed from the site, that is a certain costing involved in  
10    that, and that is not as expensive as removing soil from a  
11    site. So when the soil gets contaminated, it is much more  
12    difficult to remove because you have to remove lots of it,  
13    and it is heavy and it is very low concentrations of  
14    activity.

15            And so normally you would, in an ALARA concept,  
16    you would go down lower in concentration on a structure than  
17    you would on soil, but you would still have to go down below  
18    25 millirem. So that is -- and the ambiguity comes about  
19    because there is a translation that is involved and there is  
20    no way to avoid it. When you look at radioactivity, you  
21    have some kind of activity per unit volume, per unit area,  
22    that has to be translated to an exposure to individuals, and  
23    you need to do modeling, there is no other way to get there.  
24    And so there are some assumptions made and, generally, we  
25    try to make them realistic but somewhat conservative.

1           MR. RICHARDS: Well, why don't we go to Eva Hickey  
2 on the question about the drain and flush and then you got  
3 the slide up was referred to.

4           MS. HICKEY: Right. In the reactor, there is a  
5 lot of systems, piping and components that have liquids in  
6 them. And to prepare for SAFSTOR, what they will do is  
7 drain those liquids out of the systems and pipes, so -- and  
8 because a lot of times those have radioactive materials in  
9 them, and that way those materials will no longer be in the  
10 reactor, or in the plant.

11          SPEAKER: Where do they go?

12          MS. HICKEY: Okay. I was --

13          MR. MEINDL: The question for the record is, where  
14 do they go? And I think that is a question, Carl, you  
15 didn't answer. Where does the radioactive material go?

16          MS. HICKEY: Right. Okay. There is -- for the  
17 liquids, they go through a process to try to remove the  
18 radioactive materials from the liquid, and then the liquid  
19 that does not have the materials in it can be released, or  
20 is dealt with. There is a variety of ways that that is  
21 done.

22                 But all of the radioactive materials that leave  
23 the site will go to some sort of a licensed storage  
24 facility. Before they get there, they may be further  
25 compacted. They may go to another, to a facility in between

1    which will reduce the volume before they go to a storage  
2    site, but all the materials, one way or another, will go to  
3    a licensed facility for storage.

4               MR. RICHARDS:  And just to be clear, and I think  
5    Ward Young touched on this, but for most low level waste, it  
6    goes to a waste burial site, I mean it is buried in the  
7    ground.

8               The high level waste, the nuclear fuel is  
9    presently under discussion.  I think most people here have  
10   heard Yucca Mountain mentioned.  But the federal government,  
11   the Department of Energy is still looking for, you know, how  
12   we are going to proceed as far as the disposal of high level  
13   waste, which is primarily the spent nuclear fuel.

14              Am I correct on that?  Is there anyone here who  
15   wants to add to that?

16              [No response.]

17              MR. RICHARDS:  Okay.  A quick question from  
18   Barbara George.

19              MS. GEORGE:  Well, it isn't a very quick question.  
20   It kind of leads into what I wanted to talk about later, but  
21   I will make it as quick as I can right now.  There is a  
22   project going on right now in Tennessee to grind off the  
23   surface contamination of machinery at Oak Ridge fuel  
24   facilities, but they are also planning to take a reactor  
25   vessel, I believe it is, from Michigan and do the same thing



1 with it, grind off the surface radioactive contamination,  
2 leaving a certain amount, an unknown certain amount of  
3 contamination behind, and then chop it up and send it out to  
4 the scrap metal industry. So that says to me that it does  
5 not go to a low level storage facility. And I think this is  
6 the future that we are heading into with our eyes tightly  
7 shut.

8           And I understand that the NRC is waiting for the  
9 BEIR dose. I mean this whole question of the dose is  
10 another issue, because a dose is a calculated hypothetical  
11 number, rather than an actual description of the radiation  
12 in a particular piece of machinery, what elements it is,  
13 what kind of -- you know, what exactly is there, what the  
14 hot spots are, et cetera. You get into dose-based modeling  
15 and you average everything out and it basically becomes not,  
16 you know, not a real world tangible thing anymore. It  
17 becomes a hypothetical, theoretical discussion without the  
18 realities of hot spots and bad calibration equipment.

19           I think this is a very big issue. My  
20 understanding is it is very hard to measure down to very  
21 small numbers of millirems. And so the question of how they  
22 are actually going to determine whether they are below that,  
23 and what, you know, what goes into the scrap metal business,  
24 I think the steel industry is very up in arms because they  
25 have all these expensive monitors that they have put in

1    which basically say if there is any radioactivity, and now  
2    they are going to be getting a whole lot of stuff which has  
3    a very low level supposedly, most of it, and their -- so  
4    their equipment will be useless.

5               And I think this is an incredibly important issue  
6    because what is going on in Tennessee, thanks partly with  
7    the blessing of our possible future President, it is really  
8    alarming, that they are -- everything, you know, your slide  
9    projector could be radioactive, these chairs could be  
10   radioactive, you know, my ring, my glasses, my belt buckle,  
11   IUD, my teeth fillings. I mean this is what the future  
12   holds, and this is where -- I mean the whole question that I  
13   really appreciate Irmi raising of, where do these  
14   radioactive materials go? I mean this is the question.

15              And I think what Ward was saying about how what we  
16   would like to see is to store those things on site while  
17   they are cooling down, keep the companies responsible, keep  
18   the NRC involved for hundreds of years, however long it  
19   takes. But what is going on instead of that is the Yankee  
20   Rowe reactor was dismantled immediately. It was trucked  
21   down to Barnwell radiating everybody along the way. And now  
22   in Tennessee, they are -- you know, this is this pilot  
23   project, and I understand that the NRC is looking at the  
24   possibility of legalizing this type of dismantling and  
25   recycling of radioactive materials.

1           And I think that, you know, whatever you are doing  
2   in this process here, if you are making it easier to make  
3   that our future, I think we can just kiss this earth  
4   good-bye. There won't be very many more generations. So, I  
5   just really want that question addressed very carefully.

6           MR. RICHARDS: All right. Thank you, Barbara.

7           Blair Spitzberg is going to have a comment on some  
8   of your statements, and then I would like to move. We have  
9   two more speakers who have signed up tonight and I would  
10  like to get to them, and then we can come back to others who  
11  have spoken and, you know, continue the dialogue.

12          Blair.

13          DR. SPITZBERG: First of all, let me -- I know  
14  there has been a lot of news stories that you may be  
15  referring to concerning the recycling of metals from DOE  
16  facilities, but I am not aware of any proposal to recycle  
17  reactor vessel materials. For one thing, the reactor  
18  vessels have more than just surface contamination, they have  
19  contamination throughout the metal matrix because of the  
20  activation products in the metal. So there would be no  
21  practical way that you could purify that metal and recycle  
22  it. So I would be interested if you have any specific  
23  information concerning that. Please pass that along so that  
24  we could look at that, because I am unfamiliar with it.

25          Let me address the modeling, and Bob Nelson back

1   there, his group is involved in a lot of the dose modeling  
2   that we do for decommissioning purposes. But let me see if  
3   I can demystify some of that a little bit. It is not  
4   correct to say that we don't know what the activity levels  
5   are within a facility that is being decommissioned. In  
6   fact, one of the activities that licensees have to perform  
7   is what is called a characterization survey, which is a vast  
8   series of sometimes tens of thousands of independent -- of  
9   individual measurements throughout the facility for the  
10   purpose of characterizing the amount radioactivity in  
11   systems and components, and on materials and inside of  
12   materials. And we do a detailed review of that and we also  
13   do some independent measurements along those same lines to  
14   verify that that information is accurate.

15           Once that information is obtained and the  
16   licensees and the NRC does modeling of that activity to  
17   determine the doses that would be incurred by population  
18   groups likely to incur any dose from that, based on all  
19   pathways, in other words, if there is contamination in  
20   groundwater, for example, we have to make assumptions on how  
21   much water from the ground would come in contact in the  
22   biosphere and be drunk, drank, or how much would get into  
23   any vegetation and ingested, or how much would be breathed.

24           Those kind of model parameters are part of the  
25   modeling that we do. We have very good information on that.

1 And as Carl said, it is generally considered to be  
2 conservative.

3 But we welcome any comments that you have  
4 concerning our modeling methodology. This is -- models  
5 continue to be refined, but we think our models are very  
6 conservative and they are based on actual measured kinetic  
7 data.

8 Let me ~~method~~ mention something about your concern  
9 about belt buckles and teeth and other radioactive  
10 materials. You are quite correct that there is radioactive  
11 material in virtually everything that we come in contact  
12 with. There is naturally occurring radioisotopes. There is  
13 -- if you ate vegetables today, you probably ingested some  
14 potassium-40. If you breathe the air, you are inhaling  
15 radioactive materials that are produced in the atmosphere by  
16 cosmic ray interactions with the chemicals that are in the  
17 atmosphere.

18 So, you are quite correct that we live in a  
19 radioactive environment. What we are trying to do is not  
20 add to that as a result of the decommissioning activities.  
21 We are trying to reduce the level of radioactivity at these  
22 facilities very close to background levels. In fact, in  
23 many cases what we are trying to avoid is having licensees  
24 incur the added expenses of trying to clean up background  
25 radiation. And so, what we are trying to do is regulate

1    them down to an all pathways dose-based level that is very  
2    close to background, and at levels of which there is no  
3    scientific evidence that there are any health impacts as a  
4    result of those doses.

5               MR. RICHARDS:   Okay.   Thank you, Blair.

6               I would like to go to Robin Kosseff, is that  
7    correct?   And then to Jackie Cabasso, if we could.   Good.  
8    Robin.

9               MS. KOSSEFF:   Hello again, my name is Robin  
10   Kosseff, I am with the Board of Western States Legal  
11   Foundation, although I am not speaking on behalf of Western  
12   States today.

13              I last winter had the privilege of being in  
14   Hungary at a seminar in which Lothar Han, your counterpart  
15   in Germany, the chairman of the Nuclear Regulatory --  
16   Nuclear Safety Board in Germany, participated.   And somebody  
17   asked him, you know, if he could name in Europe, Eastern or  
18   Western Europe, any reactor has been dealt with safely, and  
19   he said Swittendorf, which was a plant that Austria built  
20   and then was shut down by referendum before it ever went  
21   critical.

22              And so, the point I am trying to make is that I  
23   understand the NRC is concerned about health and human  
24   safety, but, unfortunately, we have already blown it because  
25   we are already here with many, many, many nuclear reactors,

1 both for civilian power and in the nuclear weapons industry  
2 and so forth.

3           So, what I think is happening here, unfortunately,  
4 I was not able to get NUREG-0586, although I have been aware  
5 of this hearing for about two months and have tried to get  
6 the document, so this was a problem. So, I didn't come as  
7 prepared as you all were able to come, because you have been  
8 able to read your documents. But I did pick up some other  
9 things off of your web site. And I really feel that you are  
10 going about this the wrong way. I mean I think that -- I  
11 think that what you are doing is saying, we are going to  
12 decommission and this is your charge as the Nuclear  
13 Regulatory Commission, to come up with your regulatory  
14 requirements of how decommissioning will proceed.

15           But how decommissioning can proceed is based is  
16 based on how we are going to handle nuclear waste. But the  
17 NRC is not really taking on nuclear waste, and even in your  
18 GEIS here make it very clear that you are not even going to  
19 talk about decommissioning of the nuclear waste facilities.

20           So, I think what our waste options are very, very  
21 much impact what the decommissioning processes are going to  
22 be. Okay. So that is the first point that I really want to  
23 make very strongly.

24           I think that you need to take charge of the  
25 situation here. I understand, historically, that what the

1 NRC has done its work with the utilities to make it possible  
2 for them to build and operate nuclear power plants. And I  
3 think now we are at the point where dealing with the waste  
4 from these plants is extraordinarily expensive, incredibly  
5 dangerous to us and to the environment.

6           And not just us, I mean even we are talking 60  
7 years, that is not us, you know. To a certain extent we can  
8 say, you know, who cares, 60 years? We are not going to be  
9 here, right? But I know there is somewhat of a moral  
10 imperative which I personally, you know, feel in this. And  
11 I think that what you have to do is be responsible and take  
12 charge of what we are doing with these materials instead of  
13 how you are going to regulate the industry, the power  
14 companies at these individual plants to help them  
15 decommission in a way that they think suits their needs the  
16 best. Okay.

17           For example, in this document, it has a very nice,  
18 fancy name, this is NUREG-1628, I am reading here, what  
19 activities can take place prior to submitting the PSDAR?  
20 And so, we have examples of major activities which have to  
21 approved by the NRC and minor decommissioning activities,  
22 such as the shipment of reactor fuel off site. And this is  
23 a classic, this is high level waste, and this is considered  
24 a minor activity. Well, it might be minor for a utility  
25 that is having -- that has their fuel rods reracked and



1 reracked and reracked, and if they put any more fuel rods in  
2 there, they are going to be really in jeopardy, at risk of a  
3 criticality accident, so they are going to move them some  
4 night to some other place, this does not have to be -- this  
5 is, you know, considered a minor decommissioning activity?

6 I mean I think that you really need to reevaluate  
7 what it is that you are trying to achieve here. Because  
8 human health and safety, if that is your goal, that is not  
9 what these kinds of allowables are going to achieve. And,  
10 certainly, there is a degree of opacity, as opposed to  
11 transparency. You know, spent fuel, spent fuel rods, in  
12 Germany, again, you know, this is not a minor activity. We  
13 saw at Goerlaben, you know, this is not a minor activity.  
14 The casks that these materials have to be moved in are, I  
15 think they cost like \$2 million apiece or something like  
16 this. They are enormous, they have to move them with, you  
17 know, military guard.

18 So does the NRC not want to make sure that there  
19 is some regulatory approval involved in that from their  
20 perspective? I mean I don't understand why you would want  
21 to disempower yourselves from being able to regulate  
22 something that is so crucial as that.

23 I want to say, also, regarding the modeling, that  
24 I don't really want to -- I am not a health toxicologist, I  
25 am an environmental toxicologists, so I am not going to talk

1 about dose, respond to dose-based models, although I would  
2 echo what Barbara said about this. And it is interesting  
3 that although you are saying that the NRC is trying to  
4 follow international standards, we are still using millirems  
5 here when the rest of the world has moved on to sieverts.

6 But in your environmental impacts, what impacts  
7 will be assessed in the revised GEIS, I see land use, water  
8 use, air quality, ecology. Now, I am a plant physiologist,  
9 environmental plant physiologist, and I have looked at a  
10 number of environmental impact models dealing with  
11 radioactive materials, and what you see is that the people  
12 who are doing the aquatic study have one set of guidelines,  
13 they are using one set of measurements, one kind of thing  
14 that they are using, and then the plant studies, the plant  
15 and animal studies use a whole different kind of modeling,  
16 and everything is done in this very, very segmented way that  
17 does not really tell you how these materials are moving  
18 through the environment, which is really the question that  
19 your report needs -- that your study needs to answer, you  
20 know. Because if they are in the air and they are  
21 precipitating in the rain, you know, and you are not  
22 following the pattern there, it doesn't really matter when  
23 you look at these things in a segmented way, are using  
24 models that are not integratable with each other, looking at  
25 different parts of the environment.

1           So, really, if you are going to assess the  
2   environmental impacts of ecology, that needs to include land  
3   use, water use, air quality, animal life, human life. Okay.

4           And I want to echo what Ward said, also, about the  
5   precautionary principle, because I have seen nothing that  
6   even -- no mention of it, no inkling, inclination towards  
7   precautionary principle in any of the documents that I have  
8   been able to read in preparation for this hearing, and I  
9   think that is a real mistake. I think it is a real mistake.  
10   I think that I would doubt very much if there is anybody in  
11   this room, with all due respect to your experience with the  
12   Nuclear Regulatory Commission, who really feels that you  
13   could say absolutely you can control what is going to happen  
14   with these materials and guarantee everybody's safety.

15           I mean accidents so happen. Here in California we  
16   live in a major earthquake zone. So, you know, it is not  
17   even -- there is force majeure at work here, and I think  
18   that the precautionary principle is really mandated in  
19   looking at your EIS and evaluating how you are going to  
20   handle this. So, I think I have rattled on a lot now and I  
21   will talk, and thank you again for coming here.

22           MR. RICHARDS: Right. Thank you, Robin.

23           I think there is a number of points that Robin  
24   made that we may want to respond to. The first one has to  
25   do within the NRC involvement in, I guess, the regulation of

1 waste. Is that a fair way to characterize your comment?

2 MS. KOSSEFF: In addressing how we are going to  
3 deal with the waste? Because if you don't know what you are  
4 going to deal with the waste, how can you say, let's go for  
5 the DECON and encourage any utility to use the DECON  
6 decommissioning process, as opposed to a SAFSTOR process.  
7 And particularly in respect to the spent fuel, you know, I  
8 think that -- as well as the low level waste, which is also  
9 going to be a huge volume of material if it is shipped off  
10 to someplace. And where is that place going to be? And  
11 most of those places are now SuperFundsuperfund sites.

12 So, you know, I think that the NRC really needs to  
13 think about and get very, very actively involved in nuclear  
14 waste and nuclear waste management questions. Thank you.

15 MR. RICHARDS: Blair or Bob, would you like to  
16 speak to our involvement in, you know, defining the waste  
17 options? And I think we ought to also discuss what our  
18 involvement is as far as the shipment of fuel off-site.  
19 And, finally, I would invite, Eva, if you would like to make  
20 a comment about the aquatic and plant study modeling. I  
21 don't know if that is something you want to address or not.  
22 But if we could take it in that order.

23 This is Bob Nelson, he is with our Office of  
24 Nuclear Materials Safety and Safeguards.

25 MR. NELSON: I am going to try to address your

1 questions regarding our involvement with radioactive waste.  
2 And, first of all, I will address low level waste. We do  
3 have a regulation for disposal of low level waste. We have  
4 found shallow land burial to be a safe alternative for  
5 disposal of low level waste. We have regulations governing  
6 disposal of low level waste. Low level waste is being  
7 disposed safely today, and we feel it can continue to do so.

8           The currently operating sites, Barnwell,  
9 Envirocare, and the Hanford site are receiving waste today,  
10 and are doing so in a safe manner. I can get into a lot  
11 more detail on low level waste disposal if you would like,  
12 but we believe that low level waste is being handled  
13 properly and being disposed of safely.

14           Regarding high level waste, the spent fuel is  
15 currently either stored in spent fuel pools at reactor  
16 sites, or is stored in dry storage pending a permanent  
17 disposal option. Those activities are closely regulated by  
18 NRC and will continue to be closely regulated by NRC, even  
19 after a Part 50 license may be terminated.

20           Regarding transportation of nuclear waste, that is  
21 not my specialty, so I am not going to try to address that.  
22 But I will be glad to answer any specific questions you have  
23 regarding high or low level waste, but, generally speaking,  
24 it is --

25           MR. RICHARDS: I would like to ask Blair Spitzberg

1 to respond, because I know that, for instance, we were up at  
2 Rancho Seco yesterday. Rancho Seco is preparing to move  
3 spent fuel from their pool just to something a half a mile  
4 away, and he can speak to our involvement in that activity.

5 DR. SPITZBERG: I understand there is a lot of  
6 public concern about the transportation of radioactive  
7 materials and spent nuclear fuel, however, it is not true to  
8 suggest that it is unregulated. We regulate it very  
9 stringently. We and the Department of Transportation, for  
10 spent nuclear fuel, we review and approve the transportation  
11 packages which have to be designed to withstand accident  
12 conditions. They have to be tested and analyzed against  
13 accident conditions.

14 We have a very good record in this country, safety  
15 record as far as transportation of radioactive materials is  
16 concerned. There is literally hundreds of thousands of  
17 shipments of radioactive material in this country. Most of  
18 them are lower activity packages, ~~radiopharmaceuticals~~radio  
19 ~~pharmaceuticals~~, small amounts of radioactive material that  
20 are transported that are used in industry. But the overall  
21 safety record of the transportation of radioactive material  
22 is a very good record.

23 We do inspect that. We inspect the companies that  
24 fabricate and manufacture the transportation packages. We  
25 inspect the licensees at the time that they are preparing

1 the transportation packages. Sometimes we accompany the  
2 shipments. If it is a high activity spent fuel shipment, we  
3 have actually accompanied those shipments to the states that  
4 the spent fuel are transported in. The Governors' offices  
5 are notified of those shipments. The transportation routes  
6 for those shipments are reviewed, inspected and controlled.

7           So it is unfair to suggest that it is unregulated.  
8 I understand it is unpopular with some people, but it is  
9 regulated very stringently, and the overall safety record of  
10 transportation of radioactive materials is a very good one.

11           MR. SCALETTI: May I make a comment here, please?

12           MR. RICHARDS: Sure, go ahead, Dino.

13           MR. SCALETTI: Regarding -- there are three things  
14 that need to be filed within two years after a licensee  
15 determines whether or not -- that he is going to  
16 decommission his facility. One is a PSDAR, one is a  
17 site-specific cost estimate, and the third thing that needs  
18 to be filed is a fuel management plan, knowing full well  
19 that the reactor fuel, the spent fuel is not going anywhere  
20 until the Department of Energy has provided a repository for  
21 this fuel. So, the fuel will stay on-site either in the  
22 form of an independent spent fuel -- an ISFISI, or it will  
23 be maintained in the spent fuel pool.

24           Now, this is -- either way they do it, certainly,  
25 it is the determination of the licensee how he wants to

1 handle his fuel, but he must file with us a fuel management  
2 plan. And so, the fuel, there are -- there could be  
3 shipments of fuel between sites, I suppose, but not unless  
4 the NRC knew about it and agreed to shipment of spent fuel.

5 Now, NUREG-1628, the way it is written, and it  
6 does not say spent fuel, I am sure it means unactivated  
7 fuel, because many utilities, when they shut down, still  
8 have new fuel on-site. And they can sell this fuel, and  
9 they do sell it, and they can ship it, because it is not  
10 activated and there is no concern of shipping it. I mean  
11 they receive it at the site, it can go out the same way.  
12 So, it is not spent fuel that is considered a minor  
13 decommissioning activity. We do not consider the fuel  
14 management as part of decommissioning because we know that  
15 it is going to stay on-site until the Department of Energy  
16 has taken this -- or does take this fuel.

17 MR. RICHARDS: Let's go briefly to Eva Hickey.  
18 There was a comment about the aquatic and plant study  
19 modeling, if you could. And then I would like to move on to  
20 Jackie Cabasso, please.

21 MS. HICKEY: Okay. I guess I would just like to  
22 say that I appreciate your comment and what we will be doing  
23 is looking at, to the best of our ability, an integrated  
24 approach to looking at the environmental impacts. I won't  
25 say that every one will be measured against one another, but



1 that is going to be part of our assessment, part of our  
2 process.

3 MR. RICHARDS: I would like to move on now to  
4 Jackie Cabasso.

5 MS. CABASSO: Thank you. My name is Jackie  
6 Cabasso, I am the executive director of the Western States  
7 Legal Foundation in Oakland. Western States is a nonprofit,  
8 public interest organization which advocates nuclear  
9 disarmament, responsible management of nuclear waste and  
10 democratization of science, meaning public participation in  
11 decision-making that directly affects people in their lives.  
12 That is really the core of environmental justice.

13 I want to make several types of comments. First,  
14 I want to talk about the process here, and then I will make  
15 some substantive comments. And I should also mention that  
16 our colleague organization, Tri-Valley Citizen --  
17 Communities Against a Radioactive Environment in Livermore  
18 was unable to be here tonight, but they wanted to express  
19 their concurrence in the comments that I am going to make.

20 First of all, the public notice for this meeting  
21 was completely inadequate. It was not sufficient to post  
22 notices in the Federal Register. Even my legal foundation  
23 does not regularly peruse the Federal Register.  
24 Furthermore, we have, in the case of my organization, which  
25 was not ever directly notified about this hearing, we have a

1 long history with the Nuclear Regulatory Commission, going  
2 back in recent history only, at least nine or 10 years to  
3 the public meetings that were held in San Francisco on the  
4 question of -- How clean is clean?

5 As result of that, we had a representative on the  
6 Environmental Protection Agency Federal Advisory Committee  
7 which was involved in studying in that process until it came  
8 to a dead end. More recently, we were involved in the  
9 radioactive metal recycling question at the national level.  
10 At the local level, very involved in the GE

11 ValicotosVallecitos public meetings that have been going on.

12 So, it is just not acceptable that we didn't get a  
13 notice. When we did hear about this meeting, we took it  
14 upon ourselves to notify several of the other organizations  
15 that are here tonight. But that is not our job, that is  
16 your job, and that goes to the very heart of the National  
17 Environmental Policy Act, whose purpose is to provide an  
18 opportunity for public comment at any early stage, before  
19 there has been any unretrievable commitment of resources to  
20 an action that will have potentially significant  
21 environmental impacts.

22 Secondly, having learned about the meeting, we  
23 were unable to find the underlying GEIS on the NRC website.  
24 And not only did we search the website, but several other  
25 organizations that we work with also searched the website

1 and were unable to find the document. So, therefore, the  
2 substantive comments that I am going to make are very  
3 preliminary and initial because we didn't have the  
4 underlying information.

5 Now, you made a reference to the establishment of  
6 a website to deal with this GEIS process in the future, and  
7 that is great. But, again, that is not sufficient in terms  
8 of providing access to the public and public participation,  
9 and that is an environmental justice issue, because a lot of  
10 the directly affected folks do not have computers and do not  
11 have regular access to websites.

12 At a minimum, there is no reason why the NRC  
13 cannot put together a mailing list, mail out notices of  
14 public meetings in this region in a timely manner, as well  
15 as putting together an electronic mail notice list to  
16 provide informal notice.

17 Finally, I want to revisit something that happened  
18 at the very beginning of the meeting, and I want to  
19 underscore Ward's objection to the intervention of the  
20 facilitator and the first commenter, I felt that that was  
21 approaching entrapment and is just not acceptable. And I  
22 feel so strongly about that that I felt I wanted to bring it  
23 up again so that it doesn't happen again.

24 Moving on to the substantive comments. Again,  
25 these are initial comments and we are hoping to submit

1 written comments. First of all, something that came up in  
2 the question -- the comments and answers was the question of  
3 background levels of radiation. And so, I think it is  
4 fundamentally important to include, as a baseline, a  
5 definition of what NRC means by background levels of  
6 radiation. Let's be clear whether we are talking about  
7 background before or after 1945. I always find it difficult  
8 to listen to officials from nuclear agencies talk about  
9 naturally occurring radiation without mentioning nuclear  
10 testing.

11           Now, the supplement to the final GEIS should  
12 include the following, and this is not going to be an  
13 exhaustive list:

14           A description and analysis of all waste streams  
15 that will be generated by decommissioning activities of all  
16 the various kinds that are being considered.

17           A description and analysis of what types of  
18 facilities will be needed for management and disposition of  
19 each waste stream. And I stress that I am using the word  
20 "disposition" rather than "disposal," because there is at  
21 present no way to dispose of many of these radionuclides  
22 that we are talking about.

23           A description and analysis of what specific  
24 facilities nationwide are envisioned for all of these  
25 decommissioning waste management and disposition activities.

1           A description and analysis of the cumulative  
2 impacts of each waste stream in the community of origin,  
3 along the transportation routes, in combination with other  
4 radioactive shipments, both NRC and DOE, at the proposed  
5 sites for waste management and at the proposed sites for  
6 waste storage and disposition.

7           This analysis should include cumulative routine  
8 operating impacts and cumulative accident risk analysis.  
9 And in all risk analysis, care should be taken to reevaluate  
10 software and risk assumptions underlying impact and risk  
11 analysis. This is required to ensure that neither risk  
12 analysis methods and software, nor assumptions about  
13 facility containment, either at power plants or waste  
14 management sites, rely on assumptions about containment  
15 software or analysis methods similar to those called into  
16 question in recent Defense facility Nuclear Safety Board  
17 critiques of Department of Energy practices.

18           And if anybody here has a specific comment on that  
19 point, I would like to hear about it.

20           Finally, we have -- a lot of terminology has been  
21 used tonight. We talk about acceptable dose, acceptable  
22 risk, residual radiation risks. The concept of As Low As  
23 Reasonably Achievable, cost benefit analysis, transportation  
24 safety. I want to underscore the importance of bringing the  
25 precautionary principle into this process.

1           Regarding acceptable dose, I think it is generally  
2   agreed that there has been a constant downward trend in  
3   defining what supposedly safe levels of exposure to  
4   radiation are. The precautionary principle does not require  
5   scientific certainty in terms of determining cause and  
6   effect. It shifts the burden of proof to the generator, in  
7   this case the licensee, rather than to the public, and it is  
8   a principle which is becoming increasingly accepted in the  
9   other arenas of environmental regulation. In Europe and in  
10  the United States it has been embedded in a number of  
11  environmental treaties over the last five years, and it is  
12  an idea whose time has come. So I will stop there. Thank  
13  you.

14           MR. RICHARDS: All right. Thank you very much,  
15  Jackie. I particularly appreciate your list of comments  
16  having to do with what we should consider in the GEIS. That  
17  is particularly why we are here tonight.

18           At this point we have had a chance for everybody  
19  who has signed up on the list to speak. So, let me ask, is  
20  there anyone here who has not spoken yet, who wishes to do  
21  so before we go back for a second round?

22           [No response.]

23           MR. RICHARDS: Not seeing --

24           MR. FELDMAN: Can I make a comment?

25           MR. RICHARDS: Sure.

1           MR. FELDMAN: Just a reference, NUREG-1496 is the  
2   GEIS on the license termination rule. And the supplementary  
3   information to the rule of Part 20, subpart E, have many of  
4   the topics and discussions, and explanations of what  
5   background radiation is and what residual radioactivity is,  
6   and what types of international dose methodologies are being  
7   used, and national dose methodologies. And associated with  
8   those are comments and responses to the whole rulemaking  
9   action which have lots of information into how we do things  
10  or how we try to resolve some of the comments.

11           So, I think that would be a worthwhile piece of  
12  information to get and look at. And that is incorporated  
13  indirectly into the GEIS that we are using now because we  
14  are using the license termination rule aspects to do our  
15  impacts.

16           MR. RICHARDS: Unless there is other people here  
17  who have not yet spoken, who wish to, going once, twice?

18           [No response.]

19           MR. RICHARDS: I would like to go back to, or at  
20  least offer the opportunity to go back to Ward Young. Ward,  
21  would you like to speak again?

22           MR. YOUNG: Yeah, I will speak. Thank you. We  
23  believe that in addition to the problem of not notifying  
24  this meeting adequately is perhaps a somewhat larger focused  
25  view on the whole issue of this process that the NRC

1 conducts with the utilities in decommissioning. And it is  
2 echoed by one of the comments by one of your spokespersons  
3 earlier, that there is a lot of new information in the world  
4 and we need to keep up-to-date. There is a lot of new  
5 things that are happening to the nuclear industry.

6 Well, that is the fundamental problem here is that  
7 we are the citizens and you are working on behalf of the  
8 industry. And, I am sorry, but that is exactly the way you  
9 put it, and that is exactly the way that citizens feel about  
10 this. It is completely objectionable and unacceptable to  
11 the environmental community that, in the process of  
12 decommissioning, the NRC is required to hold two public  
13 meetings. That is completely inadequate. There should be  
14 public hearings at every reactor site that is going to  
15 undergo this.

16 Now, we are talking about independent citizen  
17 oversight and monitoring with funds for independent  
18 monitoring and independent oversight by communities living  
19 around these facilities. We are talking about reaching  
20 agreements together between communities, the industry and  
21 the regulators. That is fundamentally different than  
22 holding a few informational meetings, which is simply  
23 unacceptable.

24 To put this into some perspective, the requirement  
25 that I am talking about for a true involvement of the



1 citizenry, I believe and it is my understanding that the  
2 single largest episode, if you can call it that, in the  
3 generation of low level radioactive waste is the  
4 decommissioning, both by volume and by radioactivity. This  
5 is a very significant activity. It is not just a  
6 continuation of operating, you know, operational mode. It  
7 is a completely separate and distinct history and procedure,  
8 and we think it should be treated that way.

9           Finally, a couple of other comments. You know,  
10 which model predicted that plutonium would migrate at Maxi  
11 Flats? Which model predicted that tritium would -- I'm  
12 sorry, plutonium at Maxi Flats and tritium at Beatty,  
13 Nevada? Until you can show me a model that predicted these  
14 types of migration of radioactive materials, then I am  
15 really doubtful about your commitment to shallow land  
16 burial, which has failed at every single site that it has  
17 been attempted.

18           The only reason that exposures have not been high  
19 at these sites is because of the millions of dollars that  
20 have been spent by, generally, by states, not by the  
21 responsible parties, the generators, but by the states  
22 particularly. They are spending millions of dollars per  
23 year at some of these facilities.

24           We are also concerned that there is a very large  
25 contribution to the waste stream from military reactors,

1 especially here in California. We want to know why it is  
2 that decommissioning of military reactors is not included in  
3 this review. I see nothing about it. And we do know that  
4 waste streams from these military reactors do go to the  
5 commercial low level waste sites.

6           Again, I will reiterate, the NRC should be looking  
7 at deep geologic disposal for some of these wastes, as well  
8 as a deep mine repository as a method of reducing potential  
9 exposures over the long-term.

10           We know that the Nuclear Regulatory Commission has  
11 allowed the Trojan operators, as well as some of the other  
12 reactors, I believe, specifically, I know about Trojan, to  
13 ship the entire reactor vessel, intact, to a low level waste  
14 dump, and the NRC itself admits that several rem per hour  
15 from the reactor vessel could be the exposure rate from  
16 particularly niobium-94, which has a very long half-life.

17           Another comment and whole area that needs to be  
18 reviewed again, there are at least three issues that should  
19 require the reopening of the EIS, and that is environmental  
20 justice, the history of decommissioning, and, also, since  
21 1988, the clear indication from scientific studies that  
22 radiation is more harmful to human health than thought in  
23 1988.

24           We know that in the United States, low level waste  
25 has been allowed to defined by what it is not. It is

1 unacceptable, other countries do not accept this waste for  
2 burial in shallow landfill. And under the NRC regulations,  
3 nickel-63, with a 100 year half-life, is considered  
4 short-lived. That is unacceptable. A 100 year half-life  
5 should never be considered short-lived.

6           Every single radionuclide allowed in high level  
7 waste -- there is no -- is allowed in low level waste level.  
8 There is no restrictions. You can tell me concentrations  
9 until you are blue in the face, but you allow greater than  
10 Class C waste into shallow land burial. So, there comes the  
11 trust issue again. Greater than Class C waste under the NRC  
12 regulations is considered not suitable for shallow land,  
13 near-surface disposal, and yet it is going in.

14           So, all of these things raise tremendous questions  
15 for us and we are just not convinced that the process is off  
16 to a good start. We hope to add some more comments in  
17 written comments. Thank you.

18           MR. RICHARDS: All right. Thank you, Ward.

19           A number of issues that were brought up, a couple  
20 I wrote down that I invite a response to. One was the  
21 comment that there should be hearings at each site. I think  
22 we talked briefly about the process before, but, Steve  
23 Lewis, would you like to speak to that?

24           MR. LEWIS: Yeah, I think that -- I mean I  
25 appreciate very much the comment. I think, Ward, that you

1     probably are aware what the regulation provides in that  
2     regard, which we promulgated in 1996. And, you know, after  
3     going through the rulemaking process and, so, the specific  
4     decommissioning process at a particular plant, under our  
5     regulations, can commence after the PSDAR, which we have  
6     described, has been submitted, 90 days after the PSDAR has  
7     been submitted.

8             And the NRC, when it promulgated its regulation in  
9     1996, was motivated by a view that, from our regulatory  
10    perspective, as having the responsibility for, you know,  
11    regulating the safety of nuclear materials, the point that  
12    we felt was a federal action of great significance was the  
13    license termination stage, because, as a regulatory agency,  
14    the idea of determining when we can relinquish all  
15    regulatory authority over something is a very significant  
16    step. So that was where we decided, in our view, the formal  
17    hearing process should be provided.

18            So, I really -- I mean I appreciate your comment,  
19    I understand what you are saying, and the answer is the  
20    regulations that we did adopt did not follow that model.

21            MR. RICHARDS: One other legal question that I  
22    think Ward Young brought up, if you could probably respond  
23    to, Steve, is this issue of why we don't regulate military  
24    reactors and the waste they produce.

25            MR. LEWIS: Well, --

1 MR. RICHARDS: Is that --

2 MR. YOUNG: You have military, some 30 or 40  
3 percent of all the low level radioactive waste that is  
4 shipped over the last five years from California is military  
5 in origin.

6 MR. RICHARDS: I am not disputing that, but I  
7 think the question you asked was, why is the NRC not  
8 involved in waste coming from military reactors? Did I  
9 mischaracterize that question?

10 MR. YOUNG: Are you involved in overseeing or  
11 reviewing licenses for Envirocare and Barnwell?

12 MR. LEWIS: I didn't get -- what was the last?

13 MR. YOUNG: Are you -- is the NRC involved in  
14 Envirocare and Barnwell in any way, shape or form?

15 MR. LEWIS: Yes. Yes, we are.

16 MR. YOUNG: Yes. And the military waste is going  
17 to Envirocare and Barnwell and being buried in shallow land  
18 burial now. And so you are involved in the issue of burial  
19 of military waste.

20 MR. RICHARDS: Just a minute, Blair, let's get the  
21 microphone here.

22 DR. SPITZBERG: I believe most radioactive waste  
23 from the military operations goes to the Department of  
24 Energy. If any goes to Envirocare, it does not go to the  
25 NRC license under Envirocare, which is only for source

1 material, 11(e).2 byproduct material.

2           Envirocare has two licenses and to my knowledge, I  
3 am not aware of any --

4           MR. YOUNG: There is a reactor out at one of the  
5 bases near Sacramento that has just shipped waste for  
6 disposal. But I have studied this issue --

7           MR. RICHARDS: We need to make sure you are on the  
8 record here.

9           MR. YOUNG: The NRC may not be aware of the  
10 contribution of military waste to the commercial low level  
11 waste stream. That doesn't surprise me. You know, probably  
12 someone within the NRC is aware of this.

13           I just was part of -- I was a consultant to the  
14 Atkinson Scientific Panel which Governor Davis appointed to  
15 look at alternatives to Ward Valley for low level  
16 radioactive waste disposal. We did a search -- research of  
17 the waste stream going to Envirocare and Barnwell from  
18 California. I can get you that information. Slightly over  
19 50 percent of the curies over a five year recent period, to  
20 1999, was from the commercial nuclear power plants.  
21 Somewhere around, I am forgetting, I don't have the figures  
22 right at the tip of my fingertip, but somewhere around I  
23 believe 35 percent or so came from military reactors,  
24 propulsion system waste, and also a reactor on a military  
25 base near Sacramento was also part of that picture.

1           So we want to know, although I understand it is  
2   claimed that decommissioned propulsion system nuclear  
3   reactors from the military, they will be decommissioned at  
4   the DOE sites, we know that operational waste from these  
5   facilities is now going to the commercial sites. And I  
6   would like to know why, if the operational waste and its  
7   characterization is allowed into the commercial sites, how  
8   we can be assured that the decommissioning waste as well  
9   will not also be allowed into the commercial sites. Thank  
10  you.

11           MR. RICHARDS: All right. Thank you.

12           I would like to go back to Barbara George.  
13  Barbara, do you still have additional comments?

14           MR. SCALETTI: Stu, may I make one quick comment?

15           MR. RICHARDS: Sure, go ahead.

16           MR. SCALETTI: This relates to -- everybody is  
17  opening up with -- I am being severely beaten about the head  
18  and shoulders about the notice of this meeting. And I just  
19  would like to state one brief thing. We issued two Federal  
20  Register Notices, one in March 14 and another one in late  
21  May. It has been on the NRC's electronic bulletin board  
22  since shortly after the second Federal Register Notice was  
23  issued.

24           There had been a press release issued by the  
25  Public Relations Office in headquarters. Chip Cameron has

1     contacted a number of people on the West Coast here  
2     regarding this meeting.

3             However, I will commit to you, if you sign your  
4     name to the sign-up list, when we have the next public  
5     meeting out here regarding the Draft Environmental Impact  
6     Statement, you will get notice in the mail ahead of time.  
7     Thank you.

8             MR. RICHARDS:  Barbara George.  Well, I think  
9     Jackie wants to respond to that.

10            MS. CABASSO:  Thank you.  I appreciate that offer,  
11     but this is not about me and my organization.  It is a  
12     larger point.  For the second time in history, I am going to  
13     say something positive about the Department of Energy.  The  
14     Department of Energy manages, on a regular basis, to compile  
15     lists of interested organizations and to send notices in  
16     advance.

17            I get notices for Department of Energy hearings  
18     from all over the country.  Whenever there is any kind of a  
19     public meeting at Livermore, there is some kind of an  
20     advance notice.  It is usually inadequate.  I am not going  
21     to go so far as to say they do a good job.  But, by  
22     comparison, they do a good job.  It is not -- it is a  
23     systematic change that has to happen within NRC to do better  
24     public notice so that the public is here.  The public is not  
25     here tonight.  There are a few selected people who are



1 working full-time or nearly full-time on nuclear related  
2 issues.

3           You need to get to a broader public, you need to  
4 develop a good outreach list which includes all the  
5 environmental organizations in the region and through them,  
6 other contacts that are developed over time. So, I  
7 appreciate being put on a list, but NRC can and must do  
8 better, that is my point.

9           MR. RICHARDS: All right. Thank you, Jackie.

10          Barbara George, do you have additional comments or  
11 questions?

12          MS. GEORGE: No.

13          MR. RICHARDS: No. All right. Are there others  
14 who have additional comments or questions?

15          [No response.]

16          MR. RICHARDS: Seeing no responses, again, we will  
17 take written comments until July the 15th. I think in the  
18 handout packet, there are e-mails and addresses that you  
19 contact us through.

20          I would like to again thank everybody for coming  
21 out tonight. We appreciate your comments, and we will stick  
22 around and talk one-on-one with anyone who feels they would  
23 like to talk over any issue with us. Thank you, again.  
24 Good-night.

25          [Whereupon, at 9:45 p.m., the meeting was

1     concluded.]

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25