

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
OFFICE OF THE SECRETARY

MEETING OF THE ADVISORY COMMITTEE
ON REACTOR SAFEGUARDS WITH THE
U.S. NUCLEAR REGULATORY COMMISSION

PUBLIC MEETING

Nuclear Regulatory Commission
One White Flint North
Commissioner's Conference Room
11555 Rockville Pike
Rockville, Maryland
Friday, October 6, 2000

The Commission met in open session, pursuant to
notice, at 9:30 a.m., the Honorable RICHARD A. MESERVE,
Chairman of the Commission, presiding.

COMMISSIONERS PRESENT:

RICHARD A. MESERVE, Chairman of the Commission
GRETA J. DICUS, Member of the Commission
NILS J. DIAZ, Member of the Commission
EDWARD MCGAFFIGAN, JR., Member of the Commission
JEFFREY S. MERRIFIELD, Member of the Commission

1 STAFF AND PRESENTERS SEATED AT THE COMMISSION TABLE:

2 DR. POWERS, Chairman of the ACRS

3 DR. APOSTOLAKIS, ACRS

4 DR. SHACK, ACRS

5 DR. BONACA, ACRS

6 DR. KRESS, ACRS

7 DR. WALLIS, ACRS

8 MR. GRAHAM LEITCH, ACRS

9 MS. ANNETTE VIETTI-COOK, SECY

10 MS. KAREN CYR, OGC

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

P R O C E E D I N G S

[9:30 a.m.]

CHAIRMAN MESERVE: Good morning.

On behalf of the Commission, I would like to welcome you to today's meeting with the Advisory Committee on Reactor Safeguards.

When we last met with the ACRS, which I think was in March, we discussed a number of issues related to the NRC's initiatives in risk-informing our approach to nuclear regulation.

After the meeting, the Commission requested the ACRS to address the process of selecting the regulations to be risk-informed.

In addition, I understand, over the past several months, the committee has considered a number of other issues, including the assessment of the quality of probabilistic risk assessments, issues related to spent fuel pool safety, and issues relating to more realistic thermal hydraulic analytical procedures.

I'm pleased to welcome Dr. Dana Powers, the Chairman of the ACRS, and other members, who will address the ACRS perspectives on these issues.

Before we get started, however, I am pleased to announce the appointment of Mr. Graham Leitch as the newest member of the Advisory Committee on Reactor Safeguards.

1 Mr. Leitch brings to the committee a wide array of
2 executive management and technical experiences in all phases
3 of commercial power plant operations.

4 Mr. Leitch has more than 40 years of experience in
5 power generation, of which 25 have been involved with
6 nuclear power.

7 His education includes a Master of Science in
8 mechanical engineering, with an emphasis on nuclear
9 engineering, and he's held a Senior Reactor Operator's
10 License at both the Dresden and Limerick plants.

11 Mr. Leitch was, in part, responsible for the
12 development of the Limerick PRA and its application to the
13 design and, later, to the operation and maintenance of that
14 plant.

15 Mr. Leitch's experience will certainly be an asset
16 to the committee, and on behalf of the Commission, I very
17 much welcome him.

18 I understand that there is a certain protocol
19 associated with these events that include the presentation
20 of a certificate to a new member.

21 DR. POWERS: This is the well-known first
22 engineering test we apply to our members, to find a way to
23 get this home without breaking it.

24 [Laughter.]

25 CHAIRMAN MESERVE: Mr. Leitch, allow me to present

1 this certificate to you.

2 We have a photographer who wants to take a
3 picture, and I'm not sure how he's going to do that.

4 Welcome, and congratulations.

5 Before I turn this over to Dr. Powers to get us
6 started, let me see if my colleagues have any opening
7 statements.

8 [No response.]

9 CHAIRMAN MESERVE: If not, Dr. Powers, you may
10 proceed.

11 What I'd suggest is that we go through the two
12 presentations on risk-informing Part 50 and on PRA quality
13 and then have questions and then proceed on from there.

14 DR. POWERS: Thank you, Chairman Meserve.

15 We will be continuing our discussions from March,
16 beginning with two discussions in the area of risk-informing
17 the regulations.

18 Dr. Shack will discuss risk-informing 10 CFR Part
19 50 and a first application to the hydrogen control.

20 Professor Apostolakis will discuss quality of
21 PRAs, which I think is an essential feature if we're going
22 to have any practical application of risk information in the
23 regulatory process.

24 At that point, we will switch to looking at some
25 deterministic analysis, because deterministic analyses are,

1 indeed, the heart of any PRA.

2 It is essential to have a good understanding of
3 the phenomenology in order to do risk analysis.

4 One of the areas that it looks like it is feasible
5 to do risk-informed regulation is in the area of
6 decommissioning.

7 Dr. Kress will discuss the spent fuel pool fire
8 safety, which seems to be the area of greatest risk posed
9 during decommissioning.

10 We also see that, as we progress along, especially
11 in the area of more realistic analyses of plant safety, that
12 the issues of thermal hydraulics and the computer codes used
13 for thermal hydraulic analysis are assuming greater
14 importance, and Professor Wallis will discuss some of our
15 observations about the thermal hydraulic tools that are
16 available to the industry and the staff.

17 We do not have any plans to discuss license
18 renewal, but we've included some material on the current
19 status of our efforts in license renewal, both because it's
20 a statutory responsibility of the advisory committee and we
21 know many of the members have interest in the progress in
22 those areas, and that material is included simply for your
23 information.

24 We are prepared to discuss it if there are any
25 questions.

1 Other than that, I propose we move directly into
2 the area of risk-informing the regulations, and we will
3 follow your strategy and just do the first two presentations
4 and treat them as a group.

5 So, I'll turn to Dr. Shack.

6 DR. SHACK: Okay.

7 I'd like to discuss some of our recent activities
8 on risk-informing Part 50.

9 We've met with the staff and stakeholders in
10 subcommittee meetings in June and July and have had full
11 committee meetings in July and September to discuss a number
12 of topics, including NEI's recommendations for the
13 prioritization of the regulations for assessment and
14 revision.

15 We've also discussed the staff's framework for
16 risk-informing the technical requirements for the selection
17 and prioritization of regulations to be assessed under
18 option 3 and their first attempt to apply that framework to
19 the risk-informed revisions to 10 CFR 50.44 concerning the
20 combustible gas control systems.

21 We've also been briefed on the public comments on
22 the advanced notice of proposed rulemaking for 10 CFR 50.69
23 and its associated Appendix T.

24 On this particular topic, we've discussed in a
25 previous letter some of the technical considerations

1 associated with the categorization of components, and we've
2 had presentations from South Texas and Palisades, where
3 they've applied two different methods towards the
4 categorization of components into the Risk 1, Risk 2, Risk 3
5 kind of space.

6 We still have some technical concerns there. We
7 believe that the staff and South Texas and Palisades have
8 provided workable solutions to addressing that problem and
9 that the categorization can be done.

10 There's a number of issues that were raised in the
11 SECY associated with the public comments that we haven't
12 addressed as a committee yet, so we don't have formal
13 positions.

14 I would like to say just a few things about them.

15 One of them concerns the level of prescriptiveness
16 in the so-called Appendix T, which describes the
17 categorization process, and as I mentioned, we've seen two
18 different categorization processes, one from South Texas and
19 one from Palisades.

20 Both of them seem technically acceptable to us,
21 and we believe that, however it's done in the rule, that
22 there should be the freedom to choose alternate processes to
23 proceed with the categorization.

24 We also have, in the past, expressed concern about
25 ossifying technology by incorporating it into rules, but as

1 I said, the committee really hasn't prepared a formal
2 position on the prescriptiveness of Appendix T and whether
3 it will be preferable to do that as a regulatory guide.

4 At the time of our meetings, the determination of
5 appropriate treatments for the Risk 2 and 3 components was
6 also still an evolving process, and so, we don't have an
7 official committee position on that either.

8 We would note that we, you know, do believe that,
9 if the categorization is robust, that Risk 3 components are
10 not found to be risk-significant, that that is, in fact, the
11 most important, and the rule should be written to recognize
12 that, and it may be that there is a certain linkage, that
13 the option 2 and option 3 are coupled here and that you will
14 have to address more than 50.69 to proceed with option 2,
15 but we believe that the risk information should be used.

16 In terms of the NEI recommendations for the
17 prioritization of the regulations and recommendations, in
18 our report on the NEI letter, we noted that input from
19 industry was valuable -- again, they probably are the best
20 judge of benefits in terms of reduced burden from regulation
21 -- and that this should be considered by the staff in
22 developing their priorities, but we believe that the
23 selection of prioritization really should be based on a
24 comprehensive assessment of the potential impact for
25 changes.

1 The framework document that we've been
2 considering, that the staff has been developing, includes
3 consideration of defense in depth in terms of a balance
4 between prevention and mitigation, treatment of
5 uncertainties, an approach to a more consistent
6 determination of what constitutes a adequate safety margin.

7 Since the document is still an evolving process,
8 we have not yet completed our review on it, but we've agreed
9 that the staff should proceed with the trial application of
10 the framework to the development of risk-informed changes to
11 regulations.

12 The first one was 10 CFR 50.44, and in our report
13 on the proposed revision to 50.44, we agreed with the staff
14 that there's little or no safety benefit associated with
15 some of the requirements in 10 CFR 50.44 and these
16 constitute unnecessary regulatory burden and recommended
17 that the staff be directed to proceed with rulemaking on
18 50.44.

19 Because this was an example of how the framework
20 was going to be used, we did suggest that there should be
21 perhaps an expanded discussion of just how these
22 considerations were used in the development.

23 We also had some internal discussions that, in
24 some ways, this was perhaps not the most critical example of
25 using risk information, since much of the understanding here

1 was really a better understanding of the phenomenology, that
2 once you understood what was important, you could see which
3 portions of the regulations were relevant and which were
4 irrelevant almost without a formal risk calculation.

5 So, it was almost a revision driven by a better
6 understanding of the phenomenology rather than formal risk
7 considerations, although again, understanding the
8 phenomenology does, in fact, tell you which portions are
9 risk significant and which aren't.

10 Again, the results of the study that the staff did
11 on 50.44 should help them disposition the petition for
12 rulemaking on 50.44 that they've received.

13 We do plan in the future to continue our review of
14 the proposed framework document, since we do feel that it's
15 important to have a consistent process for considering these
16 regulations and all the impacts -- again, we find that,
17 every time we address these rules -- and that's one of the
18 drawbacks of the approach we've taken in looking at a rule,
19 is that there are linkages, and again, you do need, I think,
20 a formal framework to consider all the linkages and impacts
21 of these changes, and we haven't completed our assessment of
22 the framework document but believe it's promising enough
23 that the staff should continue to proceed with examining.

24 As I say, they've applied it to 50.44, and in
25 considering, essentially, applications to the emergency core

1 cooling system, which we will be reviewing in December,
2 again, much of the emphasis there is, again, on a new
3 definition of the large-break LOCA and how that may impact
4 the emergency core cooling rule.

5 That completes what I wanted to say.

6 Again, in many of these, we're still in progress;
7 we haven't yet developed formal committee positions. So,
8 you may get some opinions from members of the committee but
9 not a formal ACRS position.

10 DR. POWERS: Professor Apostolakis, do you want to
11 go ahead?

12 DR. APOSTOLAKIS: Thank you.

13 Regarding PRA quality, we reviewed the ASME
14 standard last July and the staff's SECY 00-0162 in
15 September. This week, we discussed and reviewed the NEI
16 certification process and the staff's views and comments on
17 the ASME standard, as well as the recently-issued UCS
18 report.

19 Some general observations before we come to actual
20 recommendations:

21 We all know that PRA is a very ambitious
22 undertaking. It attempts to model the whole plant,
23 including all sorts of failures that are irrelevant to the
24 particular metric of interest, and of course, the most
25 complete PRA is a level 3 PRA that includes all modes of

1 operation and has rigorous uncertainty and sensitivity
2 analysis.

3 On the other hand, real life tells us that many,
4 many regulatory decisions do not require such a complete
5 PRA, and the process as described in Regulatory Guide 1.174
6 recognizes this, and of course, the integrated
7 decision-making process utilizes PRA as one of the inputs,
8 along with other things such as defense-in-depth
9 considerations and so on.

10 Given all this and, in particular, the ambition of
11 PRA, we believe that it is very, very difficult to define a
12 good enough PRA a priori for particular applications, and of
13 course, the applications are of varied nature, and it's
14 difficult to anticipate what the needs will be in the
15 future.

16 Now, regarding the ASME standard, the committee
17 concluded that it was not a traditional design to
18 engineering standard or procedures guide, and this was not
19 intended to be a criticism.

20 We don't think anybody can actually write anything
21 like that, and the staff will need to make a case-by-case
22 assessment of the adequacy of the PRA that is submitted in
23 support of a particular petition.

24 The categories that the standard proposes should
25 be delineated more clearly, and we are fond of

1 uncertainties, so we'd like to see a better discussion of
2 those, uncertainty quantification, not of uncertainties. We
3 are not fond of uncertainties themselves.

4 The discussion of the categories, especially,
5 there was a section in the standard where examples of
6 regulatory applications of the various categories were
7 listed.

8 We very quickly realized that you could not really
9 claim that category X was sufficient for application Y. So,
10 we suggested that this particular section be deleted, or at
11 least that particular part of it.

12 And we were a little bit puzzled by the notion
13 that one could submit supplementary analysis as needed for
14 applications, and there was no guidance as to how these
15 supplementary analyses were supposed to be performed.

16 Regarding the staff's positions as expressed in
17 SECY 00-0162, we agreed with the staff that they should
18 continue with the current process of reviewing PRAs, and we
19 were happy to see that they also stated very clearly that
20 the PRA must be judged in the context of the decision that
21 the PRA supports.

22 The SECY had two attachments.

23 Attachment 1, PRA scope and technical attributes,
24 was -- we found it to be a useful high-level tutorial
25 exposition on PRA technical attributes. Of course, it's a

1 standard in the traditional engineering sense.

2 But we were really impressed by Attachment 2,
3 which had offered a collection of examples of risk-informed
4 decisions and how risk information was utilized, and we
5 recommended that the staff expand its collection of such
6 examples and try to draw some conclusions so that we will
7 have an input from real applications as to how risk
8 information has been utilized, because this, as I said, a
9 particularly thorny issue.

10 Now, how do we move forward?

11 We start with the truism that we should focus on
12 points of agreement rather than disagreement.

13 However, here this is very true, because as you're
14 aware, the last -- at least for the last year, there has
15 been significant disagreement between the staff and the ASME
16 group, and others, possibly, regarding the various proposals
17 regarding categories or grades and so on, but if you really
18 look at the various documents that these groups have
19 published, there is agreement as to what I would call a
20 baseline PRA could be.

21 If you look at Attachment 1 in the SECY, there are
22 certain requirements that are listed. When you go to the
23 ASME standard, very similar to what you see under categories
24 3 and even 2, and yesterday, we discussed the NEI
25 certification process, grade 3.

1 So, all these seem to converge. I'm sure there
2 will be some discussion about details, but we feel that, if
3 we focus on these points of agreement and recognize that, if
4 we have a baseline PRA that meets everybody's notion of what
5 a baseline PRA will be -- and again, there will be some
6 discussion about that but not as heated as the discussions
7 we have seen -- then I think it will be -- the primary
8 purpose of doing this, which is to expedite reviews and save
9 the staff time so that the industry will get answers quickly
10 to their petitions -- I think we will go a long way towards
11 achieving this.

12 In fact, we can go beyond that.

13 The industry's position, as expressed to us, is
14 that, sure, everybody would like to have a great PRA, but
15 can we do something with what we have now?

16 Yesterday, we had a presentation by
17 representatives of NEI, and we thought it was -- they
18 described the process they went through, their peer review
19 process for a particular PRA, and they ended up with a
20 number of comments, and the comments were categorized as A,
21 B, C, D, and S. "A" is something that you really have to do
22 to bring the PRA up to the current practice and then "B" was
23 something that should be done but it's not urgent, and so
24 on.

25 Now, if we take, say, an IPE that a licensee has

1 and it goes through this process and you have the list of
2 comments, then the licensee may ask, well, how can I use
3 what I have right now?

4 Well, for a particular application, you may decide
5 that the most important comments, "A" and "B", perhaps, do
6 not really apply, so you can use what you have now. But for
7 other applications, perhaps you should take care of comments
8 of category "A" and then use your PRA.

9 In other words, you don't have to have a perfect
10 PRA and respond to all the comments either way.

11 It seems to us that a combination of these things,
12 the staff's views in a SECY document, the ASME category 2
13 and 3 requirements and the grade 3 requirements from NEI and
14 this way of reviewing -- we're not necessarily saying that
15 the certification process should be lifted and used as it
16 is.

17 But the idea, as I just described, that seemed to
18 be reasonable -- I think a combination of those can very
19 quickly lead to some document that would be acceptable to
20 all parties involved, so we'll make progress.

21 And then, at the same time, as we recommended, if
22 the staff creates this collection of real examples and how
23 PRAs have been used in the past, we will combine these
24 experiences, and I'm pretty sure -- we are pretty sure that
25 this will lead to something reasonable and the issue of

1 quality of PRA will finally be resolved, and of course, this
2 approach would have to be consistent with the requirements
3 of Regulatory Guide 1.174, but I believe it will be, and I
4 think this is the formal comments.

5 CHAIRMAN MESERVE: I'd like to thank you both.

6 Let me turn to my colleagues for questions. Let
7 me do a round of questions, and then we'll proceed.

8 Dr. Diaz?

9 COMMISSIONER DIAZ: Thank you, Mr. Chairman.

10 Dr. Shack, you said something at the beginning
11 that I would like you to amplify on it.

12 First, let me show my lack of understanding of the
13 English language by bringing focus to the words "shall be,"
14 "should be", or "could be."

15 You stated that the risk analysis or risk
16 information that leads to the categorization of, say,
17 category 3 should be that -- and I'm going to use my words
18 in here -- to determine, in fact, or to establish what
19 category it is.

20 Would you like to expand on whether you think that
21 "shall be" -- whether it should be -- how far do you want to
22 present to the Commission your views of whether we are ready
23 to say, yes, we've done an analysis and we believe this is
24 in category 3 and that should be what determines what
25 requirements are for that structure, system, and component?

1 DR. SHACK: As a personal opinion --

2 COMMISSIONER DIAZ: We value your personal
3 opinions.

4 DR. SHACK: -- I believe that we should develop a
5 categorization process that is robust enough and
6 conservative enough that, when we complete the
7 categorization process, we believe the results.

8 COMMISSIONER DIAZ: And so it shall?

9 DR. SHACK: It shall.

10 COMMISSIONER DIAZ: All right. Thank you, sir.
11 That's all I wanted to know.

12 Dr. Apostolakis, how do you propose to define a
13 good enough PRA, since the issue keeps -- you know, you said
14 it could be subjective.

15 Do you have any suggestions on, you know, what
16 actual process finally the staff might have to end up with
17 to say this is a good enough PRA?

18 DR. APOSTOLAKIS: I believe the practice will show
19 us what's good enough PRA.

20 We have already made decisions using risk
21 information, and wherever the risk information was not
22 sufficient, we invoked other principles, as the regulatory
23 guide requires, and I think, you know, the practitioners do
24 have an idea as to what is a PRA that is up to the kind of
25 state of the art, does not necessarily use the latest

1 models, and doesn't have to.

2 So, that's why we are proposing this idea of, you
3 know -- there seems to be agreement that you have to look at
4 the initiating events, you have to have a reasonably
5 complete set, you have to use plant-specific data, there are
6 ways of doing this, widely used. Let's start with that.
7 Let's have a baseline PRA.

8 Now, that doesn't mean everybody will have it
9 right away, but in the certification process or something
10 like that, we'll identify where you're doing a very good
11 job, where you need to do more, where, you know, it would be
12 nice to do better, and then use -- first of all, eventually
13 you will have to respond to all the comments, but it turns
14 out that there are certain applications where some
15 deficiencies are irrelevant, and we know that. We are
16 already doing it.

17 If I want to worry about, say, extending the
18 outage time of a particular piece of equipment, I don't know
19 that I need to have a state-of-the-art seismic analysis, for
20 example. Somebody might come up with a crazy example, but I
21 think it's reasoned, really.

22 COMMISSIONER DIAZ: So, you're using a principle
23 that, yes, the quality of the PRA should be proportional to
24 the risk involved in the application.

25 DR. APOSTOLAKIS: Yeah. The part of the PRA that

1 is being used for the application should be of good quality.

2 COMMISSIONER DIAZ: But proportional to whatever
3 the --

4 DR. APOSTOLAKIS: And the scope, yeah, sure.

5 COMMISSIONER DIAZ: Then, you know, after you put
6 all these things together, I believe the ACRS has
7 recommended that the staff's review be applied.

8 Are we going to be able to determine how far
9 should we go in this -- do you think, when this process is
10 -- when we have the standard and the certification process
11 and some, you know, review, that we'll be able to say this
12 is what should be reviewed by the staff?

13 In other words, can we bound what the staff review
14 is going to be?

15 DR. APOSTOLAKIS: I think that the staff review
16 will always be required. The question is, how do you
17 facilitate that?

18 I think if what we just discussed is in place and
19 the staff does it one, two, three times, then this review
20 will be very quick, but I don't see a situation where the
21 staff -- where the licensee will come and say, well, this is
22 -- the PRA information we're giving you is grade 3,
23 therefore you should give him an answer tomorrow.

24 I don't think that can happen, but de facto,
25 because it is grade 3, the staff review will be very quick.

1 I think that is something to be expected.

2 COMMISSIONER DIAZ: All right. Thank you.

3 CHAIRMAN MESERVE: Commissioner McGaffigan.

4 COMMISSIONER MCGAFFIGAN: On the quality of PRA,
5 how do you get the public to buy into the notion that a PRA
6 is good enough? How do you -- how much of this is going to
7 have to be documented?

8 You talk about these reviews and categories A, B,
9 C, whatever, comments -- does that all have to be in the
10 docket, so that somebody who is an interested member of the
11 public can understand the staff's thought processes, and why
12 they thought that a PRA in this instance was good enough for
13 the application, and how much of that has to be documented?

14 DR. APOSTOLAKIS: This is definitely a crucial
15 issue, and we realized it this week when we were reviewing
16 the UCS report that was issued last August, which relied a
17 lot on IPE summaries, because those were publicly available.

18 The committee reached the conclusion that there
19 must be a way -- we have to find a way that the public at
20 large can have access to risk information that is being used
21 in risk-informed decision-making.

22 The committee did not go as far as recommending
23 that this information be docketed. The issue of
24 ossification that Dr. Shack mentioned came up again in that
25 context.

1 Do we have a recommendation how to do it? At this
2 time, we do not.

3 However, we recognize this is a very crucial
4 issue, that the public should have access to the information
5 that is being used, and just by saying, you know, we have
6 fault trees but we can't show them to you, that is not the
7 right way to go.

8 COMMISSIONER McGAFFIGAN: The docketing -- once
9 something is docketed here, it starts getting ossified?

10 DR. APOSTOLAKIS: Yes.

11 COMMISSIONER McGAFFIGAN: Is there no way that
12 something can be put forward and not be a -- you know,
13 locked in, you know, that people recognize that this is
14 going to be changed, you know, as they respond to comments
15 A, B, C, D categories, and this is a snapshot in time and we
16 put it on the docket just to give you a snapshot as to -- I
17 don't know what docketing means around here, but up in the
18 Congress -- I'm looking at Commissioner Merrifield, you
19 know, we get a document, and we realize it might not be the
20 same document six months from now.

21 DR. APOSTOLAKIS: The impression right now,
22 Commissioner, is that this is not the way it works. If we
23 manage to change that and say that, yes, you can submit
24 something now, put it in the docket, and then, you know, six
25 months later, you can change it, I don't think that people

1 perceive that as practical.

2 COMMISSIONER McGAFFIGAN: Maybe we can make a PRA
3 exception for docketing.

4 I brought this up when we were -- we had Mr.
5 Lochbaum before us last week --

6 DR. APOSTOLAKIS: Yes.

7 COMMISSIONER McGAFFIGAN: -- and it's clear that
8 there's an awful lot of information out there, that there
9 are less than wonderful PRAs out there.

10 You know, I think you all recognize that from some
11 of the IPEs, but that may be old and dated information, the
12 industry says we spent a lot of money, we have this peer
13 review process or peer review processes, dominated, I guess,
14 by the individual owners groups, there's been improvement,
15 but we don't -- no one knows quite how to make that -- last
16 week, I think I got Mr. Lochbaum invited in and out of a
17 plant when they're going to do one of these. He wanted to
18 make sure he could get out.

19 [Laughter.]

20 COMMISSIONER McGAFFIGAN: When they do one of
21 these peer reviews, they might well bring him along and let
22 him see that.

23 I believe our own staff should be going along. I
24 guess we're going to start doing that again, and we did some
25 early, and then I guess we lost touch with this process, but

1 there's got to be some way that this becomes, you know, more
2 transparent.

3 DR. APOSTOLAKIS: We agree with you.

4 COMMISSIONER MCGAFFIGAN: How good a PRA do you
5 need for option 2?

6 DR. APOSTOLAKIS: Excuse me?

7 COMMISSIONER MCGAFFIGAN: For option 2, the
8 categorization of systems -- does that have to be a pretty
9 darn good PRA or is it a medium-quality PRA, or what do you
10 need?

11 DR. APOSTOLAKIS: Well, what you need is a grade
12 3, in my view, or at least category 2 in the ASME standard,
13 but there may be a way out of it, and the way out is to
14 rely, again, on the expert panel that will make conservative
15 decisions.

16 Of course, any time you get away from a
17 systematic, quantitative approach, you are relying more on
18 subjective judgements of, you know, expert people, there is
19 no question about it, but expert judgement is not as
20 transparent as an analysis.

21 So, I don't want to say that it's an absolute must
22 that you have to have category 2 or a grade 3 PRA to do it,
23 although in principle, that's what you should have, because
24 of this flexibility of being, you know, conservative when
25 you go to the expert panel.

1 DR. POWERS: I think it's fair to say that, in our
2 discussions with the certification process, one of the
3 things we thought was a necessary condition was a PRA that
4 could capture the dominant sequences in the plant and
5 identify the critical systems that led to that risk
6 dominance, and in examining their categories, we had
7 questions about whether the lower level of certification
8 could, in fact, capture those things that would be essential
9 for a categorization in option 2.

10 COMMISSIONER McGAFFIGAN: Just one last brief --
11 for the hydrogen combustion example, option 3, first
12 example, what quality PRA do you need? Presumably it's a
13 little lower than what you need for option 2.

14 DR. APOSTOLAKIS: I think Dr. Shack said that it's
15 mainly understanding the phenomenology.

16 COMMISSIONER McGAFFIGAN: Right.

17 DR. APOSTOLAKIS: So, I'm not sure that the PRA
18 really played --

19 COMMISSIONER McGAFFIGAN: -- much of a role at
20 all.

21 DR. APOSTOLAKIS: Yeah.

22 COMMISSIONER McGAFFIGAN: The interesting thing is
23 the place that's -- the thing that's driving option -- PRA
24 quality at the moment is option 2, which is nearer-term, in
25 some sense, than some of the more distant option 3 stuff,

1 and the first option 3 thing is straightforward from a PRA.

2 Thank you.

3 CHAIRMAN MESERVE: Commissioner Merrifield?

4 COMMISSIONER MERRIFIELD: Thank you, Mr. Chairman.

5 First, I'd like to start off by thanking Dr. Shack
6 for the time that he and his staff took on a recent tour
7 that I had of Argonne National Laboratories.

8 The work that they are conducting for this agency,
9 which amounts to about \$5 million a year, is of significant
10 value, and certainly wanted to publicly recognize that.

11 During our meeting last Friday regarding option 2,
12 Mr. Beedle, representing NEI, raised the proposal of a
13 risk-informed option for Part 54, and I was wondering if you
14 had any views on that proposal.

15 DR. SHACK: A personal view, I think it's
16 appealing, myself, at least at first glance.

17 You know, if we've decided these components are
18 not risk-significant, then I think the special treatment
19 requirements and the aging management programs are of less
20 significance, but I must confess that I haven't thought
21 through all the implications of that.

22 But in our own previous discussions of license
23 renewal and how one would begin to risk-inform it, that
24 seems to be one of the initial approaches that seems
25 appealing and straightforward once you've convinced yourself

1 that you -- if you can do the categorization for the
2 operating plant in the first 40 years, it doesn't seem that
3 it can't be brought forward.

4 COMMISSIONER MERRIFIELD: Recognizing you haven't
5 spent that much time on it, one of the concerns that was
6 raised counter to that was that we have a license renewal
7 process that is functioning rather smoothly right now, and I
8 think there's concern among some that that may complicate
9 that process, and I didn't know whether you'd thought about
10 that one at all or that might be further thought down the
11 road.

12 DR. POWERS: There is a general belief that the
13 license renewal process necessarily becomes risk-informed as
14 the operating plants become risk-informed, so it's an
15 inevitability in that direction, and I believe it's a
16 compliment to the staff working that that they have
17 developed the process they think they can accommodate that
18 evolution.

19 Now, a more precipitant creation -- well, anytime
20 you choose something precipitant, it's liable to cause
21 delays in a smooth operation process, there's no question
22 about that, but I think, with the experience that's coming
23 along, that probably it would be possible to accommodate it.

24 COMMISSIONER MERRIFIELD: The next question I had
25 regards -- you know, we did also discuss NEI's peer review

1 process for their PRAs, and this is an issue that falls sort
2 of under Dr. Shack and Dr. Apostolakis.

3 What is your thought on that? Do you have any
4 thinking that ACRS may have a role in the interplay of that
5 effort?

6 DR. APOSTOLAKIS: I don't know what you mean by
7 the ACRS having a role, but --

8 COMMISSIONER MERRIFIELD: Well, as Commissioner
9 McGaffigan talked about a little bit, there's a notion that
10 NEI is doing this on their own.

11 There's discussion about whether David Lochbaum
12 should or shouldn't be given an opportunity to view some of
13 that process.

14 There's a thought that our staff should take a
15 more significant role in reviewing that or at least keeping
16 an eye on what's going on.

17 And so, following along that train of thought, is
18 there some thinking that you, as the ACRS, as well, should
19 have a view to that process to see whether it has the rigors
20 that are appropriate.

21 DR. POWERS: I would just interject that,
22 following our discussion, representatives from NEI invited
23 the ACRS, any member that was interested in participating,
24 on one of their review processes, to get a good look at it.

25 At the end of the meeting, I got together with

1 that representative, and we looked at some schedules to look
2 if it wouldn't be possible for one of us to attend that.

3 In that regard, I think the only way you can
4 really understand all the nuances of this peer review
5 process -- and there are a lot, and I appreciate how
6 difficult it is to write this down -- is actually to
7 participate, and I think it would be a very edifying
8 experience, enough so that I'm looking at the schedule
9 myself.

10 DR. APOSTOLAKIS: I am less enthusiastic about
11 learning much by visiting and attending, observing one
12 particular review.

13 The quality of the review will depend a lot on who
14 the reviewer is.

15 In yesterday's presentation, there was no doubt in
16 my mind that the reviewer was very good, and also, as I said
17 yesterday, you may have a Heisenberg effect here.

18 The fact that we are there observing may affect
19 the process itself.

20 And I really would come back to what Commissioner
21 McGaffigan said.

22 There has to be a way that these results should be
23 accessible somehow.

24 Now, we don't know how to do that yet, but there
25 has to be a way of finding out what comments were made, how

1 the utility responded, and so on.

2 The application that was presented to us yesterday
3 was very good, there's no question about it. The comments
4 and everything they did was excellent.

5 I mean if the whole process is like that and we
6 get convincing evidence that that's what it is, I'm all for
7 it, but I have reviewed PRAs myself, and I know that, you
8 know, sometimes things are done in a better way and other
9 times.

10 There is, for example, this requirement in the NEI
11 document that the peer reviewers should have so many years
12 of experience, so many years of this, so many years of that.

13 Well, I know people who have been wrong for a long
14 time.

15 [Laughter.]

16 DR. APOSTOLAKIS: So, the years of experience
17 cannot be the only criterion.

18 So, there are details like that.

19 COMMISSIONER MCGAFFIGAN: Al Gore and George Bush
20 agree.

21 [Laughter.]

22 DR. APOSTOLAKIS: They have to be worked out.

23 COMMISSIONER MERRIFIELD: There are so many
24 comments that could be made relative to that.

25 Let me make one final question, and I'll stop.

1 In the meeting that we had last Friday, the staff
2 seemed to indicate that there have been some recent
3 breakthroughs relative to the ASME PRA standard.

4 They didn't go into any level of detail about
5 these breakthroughs, and so, I'm wondering if you all have
6 been briefed on that process and whether you share the
7 feeling that they are breakthroughs, or what is your general
8 reaction to where that process is going?

9 DR. APOSTOLAKIS: Yes, we had a brief discussion
10 yesterday.

11 The staff presented to us the recent developments,
12 the information of the group, and the principles that they
13 have.

14 It was very high-level, it seemed promising, but
15 again, it will all depend on what comes next. But so far, I
16 think it's fine. We think it's fine.

17 DR. POWERS: I think one of the things that they
18 presented -- I don't know whether they presented you -- how
19 much detail they presented you, but staff has formulated
20 what they call the requirements that a PRA standard should
21 meet in some well-articulated fashion. I think that's a
22 tremendous step forward.

23 I think a lot of the floundering that was going on
24 on formulating these standards -- because no one was exactly
25 sure what the requirements would be -- if we have agreement

1 on those, then I think progress will come fairly quickly
2 here.

3 So, I see an enthusiasm now for a path forward on
4 this.

5 COMMISSIONER MERRIFIELD: Thank you, Mr. Chairman.

6 CHAIRMAN MESERVE: Dr. Shack, I have a question on
7 something that is touched upon the ACRS's July 20th letter,
8 but you made only passing reference to it today, which was
9 the 50.46 and Appendix K work.

10 You had a fair amount to say about that in the
11 July 20th letter, and my question is really prompted by the
12 intersection of two of our briefings today.

13 You had suggested that -- ACRS had suggested that
14 if they go forward and risk-inform 50.46, that perhaps
15 things like the double-ended guillotine break would not be
16 the defining event that would drive the analysis, that there
17 might be other sequences or events that would be more
18 significant from a risk-informed basis, and I'm curious that
19 -- and this has been offered -- 50.46 has been offered up as
20 one that should be examined, because it is one that, if it
21 were risk-informed, there might be significant or meaningful
22 burden reductions that would be associated with
23 risk-informing that rule.

24 My question arises, is that there's a later
25 briefing that Dr. Wallis is going to give us about using

1 best estimate codes for doing these sorts of analyses, which
2 I would assume would get you in a similar place in that they
3 -- presumably, best estimate codes would lead you to some
4 increased margins that you would observe under existing
5 procedures, and that, in itself, would give you an
6 opportunity for relaxing the standards, and we're already
7 doing that in that we're allowing that to go forward.

8 I'm just asking the question, is that if you're
9 proceeding with the effort to use best estimate codes, do
10 you anticipate that there, in fact, will be significant
11 burden reduction with going forward with trying to
12 risk-inform 50.46?

13 That may be something that Dr. Wallis would like
14 to comment on, as well.

15 DR. SHACK: Well, you know, in our July letter, we
16 really were looking and assessing the NEI statement, that
17 that was one of the leading ones to risk-inform, because we
18 weren't quite so clear as to what the actual benefits would
19 be, that NEI expected very large benefits from
20 risk-informing 50.46.

21 We had no formal presentation on just where these
22 benefits were coming from.

23 Part of our speculation was, you know, we weren't
24 clear just where the benefit would come from.

25 The thought was that, in fact, changing the

1 defining accident from a large-break LOCA would, in fact,
2 make a substantial difference, but we really haven't
3 explored that in detail yet.

4 DR. WALLIS: Well, 50.46 will be a much more
5 substantial test than the last one we had of risk-informing
6 regulations.

7 In terms of best estimate, there's a lot of
8 overlap between the PRA issues and the other code issues,
9 the thermal hydraulic code issues.

10 The question is, how good do things have to be in
11 order to support a robust decision, and what are the
12 uncertainties associated with that decision?

13 It's not clear that making a better analysis and
14 understanding the uncertainties better and narrowing the
15 uncertainties and so on will necessarily lead to reduction
16 in margin; you have to do the analysis first.

17 CHAIRMAN MESERVE: Well, I don't mean to prejudge
18 that, of course.

19 The simple-minded view --

20 DR. WALLIS: If you are trying to reduce margin,
21 if there's a pressure to do so, then you have to be much
22 more knowledgeable about how close you are to some limit.

23 DR. SHACK: I guess, in the simple-minded sense,
24 you know, whether you calculate the insult by a conservative
25 method or a best estimate method, it still makes a

1 difference how big the insult is, and at the moment, we
2 calculate the insult -- you have your choice of a
3 conservative method or a best estimate method, but if, in
4 fact, you decided that you really could reduce the insult
5 and use the best estimate method, then you may get --

6 DR. POWERS: It seems to me the change that would
7 be precipitated in going to a more risk-informed approach to
8 50.46 -- first, I will reiterate, I don't think you can do
9 50.46 by itself.

10 You do need to go look at the general design
11 criteria, that, in fact, changing 46 by itself will not
12 change what the plant has to do one iota.

13 Second of all, once you do that, once you do say
14 what's a more realistic design basis threat, it is not so
15 much that you're reducing burden, but you're changing the
16 focus of that burden from areas that may have very little
17 risk significance to things that have a great deal of risk
18 significance.

19 For instance, if your defining event becomes a
20 station blackout, then you're paying attention to the
21 station blackout things and not the integrity of piping or
22 the ECCS systems.

23 I think that's going to be the advantage.

24 I think that whether one calculates a design basis
25 event using a best estimate technology or a more

1 conservative technology simply changes the ability to focus
2 on the areas that have the greatest risk significance.

3 If there's burden reduction from that, that's a
4 fallout that clever engineers are going to be able to find
5 at the plant.

6 I don't think you find it through the regulatory
7 process.

8 I think you find that through the design process.

9 CHAIRMAN MESERVE: Let me emphasize, I'm not
10 suggesting it might not be useful to risk-inform 50.46.

11 I just asked the question about whether the
12 foundation which has been presented to us is necessarily
13 going to hold true.

14 Let me ask Dr. Apostolakis a very quick question,
15 and this may reflect, again, a simple-minded view of the
16 staff's aspirations which may not be accurate, but I think
17 that the hope was that, to the extent we could have a robust
18 PRA standard, that there then would be minimal need for the
19 staff to invest its time in detailed investigation of the
20 PRA whenever there was a licensing action that was premised
21 on the PRA.

22 From the first part of your presentation, I got
23 the sense that that's probably a impossible task and that
24 one certainly would have to look at the quality of the PRA
25 against the decision that's being made, and to a certain

1 extent, you do have to get into the meat of it.

2 The end of your talk, you expressed some hope
3 that, with the development of a consensus PRA standard,
4 acceptable peer review process -- you later brought up the
5 expert panel -- maybe that this is all going to work out,
6 but I think that the nugget I should draw from this is that
7 the aspiration to be able to say, all right, this black box
8 is satisfactory because it's met the standard and has gone
9 through these various processes is going to be sufficient
10 for relying on it -- that's a hopeless expectation.

11 DR. APOSTOLAKIS: No, I don't believe the staff
12 will ever treat it as a black box, but if the licensee
13 complies with the standard, an agreed-upon standard, then it
14 will happen naturally that the review will be more
15 expeditious, because the staff will start reading and say,
16 well, gee, yeah, it makes sense, yes, we've seen this
17 before, and it will happen by itself.

18 So, I probably gave you the wrong impression in
19 the first part of the -- but there has to be a review,
20 though. There has to be a review.

21 CHAIRMAN MESERVE: Commissioner Dicus.

22 COMMISSIONER DICUS: Okay.

23 To Dr. Shack, or to the whole committee, I've
24 heard a few rumblings of late of some amount of concern on
25 the part of the industry in going to risk-informing Part 50

1 and whether or not we might be moving too fast and whether
2 the industry is backing off a little bit.

3 Have any of you picked up on anything along those
4 lines?

5 Dr. Apostolakis is shaking his head yes.

6 DR. APOSTOLAKIS: Yeah, I've heard that.

7 COMMISSIONER DICUS: Yeah.

8 DR. APOSTOLAKIS: It's optional, is it not?

9 COMMISSIONER DICUS: It will be optional. I think
10 that's the position we've taken.

11 DR. APOSTOLAKIS: They don't have to do it.

12 DR. SHACK: Well, we heard yesterday that 78
13 plants are going to apply for risk-informed ISI.

14 COMMISSIONER DICUS: That sounds good.

15 DR. SHACK: They're very enthusiastic.

16 DR. APOSTOLAKIS: But it confirms that it is
17 optional.

18 COMMISSIONER DICUS: Okay. And to Dr.
19 Apostolakis, we've been talking about -- Commissioner
20 Merrifield and the Chairman -- bringing up the standard for
21 PRAs.

22 Given the fact that ANS is working on it, ASME is
23 working on it, NEI is working on it, everybody is working on
24 it, will we get there?

25 DR. POWERS: Too many cooks spoiling the broth?

1 [Laughter.]

2 COMMISSIONER DICUS: Something along those lines.

3 DR. APOSTOLAKIS: The way we're going now, no.

4 COMMISSIONER DICUS: Okay.

5 DR. APOSTOLAKIS: If we keep trying to limit a
6 priori what is needed for a decision, the risk information
7 that is needed for a decision, no, we'll be debating this
8 forever.

9 That's why we are recommending that let's forget
10 about that and look at the baseline PRA, because I think
11 there is a lot of agreement as to what constitutes a
12 baseline PRA, and I think the certification process, with
13 the categories of comments, offers a great way for the
14 industry to utilize what they have now, what they will have
15 next week, and what they will have a hear from now, to
16 actually get some benefit from it.

17 COMMISSIONER DICUS: So, what do we do to get
18 there, since we have all these other pathways ongoing? I
19 mean what can the Commission do?

20 DR. POWERS: We saw from this task group that the
21 ASME put together that they feel like they have to move to a
22 smaller writing group, because they sense that, in their
23 previous drafts, where they have disparate groups putting
24 together and then they try to fuse it by compression, is
25 breeding difficulties in people understanding it as a

1 coherent whole.

2 So, it's clear that they have worried about the
3 too many cooks spoiling the souffle a little bit, so it gets
4 deflated.

5 So, they are looking for a little more compact
6 writing group.

7 I'm not in a position to judge the insight, but it
8 sounds very plausible to me that, having established a set
9 of agreed-upon requirements, then a small writing group can
10 put something together, then move to a larger group to help
11 hone that coherent whole.

12 So, I guess I came away with an enthusiasm.
13 Similarly, I think that they are paying more attention to
14 that inventory of case studies that they have in setting up
15 the requirements.

16 So, I guess, if I were to give you a
17 recommendation, be patient.

18 [Laughter.]

19 COMMISSIONER DICUS: For how much longer?

20 DR. POWERS: This is not an easy tour, and I know
21 that, when we did what's called the PRA procedures guide,
22 that there was a great deal of gnashing of teeth and a large
23 number of cooks working on that one.

24 It was a very difficult chore, but I think maybe
25 they have -- I came aware sharing the staff's belief that

1 there was a well-lit path forward here.

2 DR. APOSTOLAKIS: Another thing, Commissioner,
3 that is important to mention is that sometimes you read a
4 document from an organization and then you have a briefing
5 by that organization and they are two different things.

6 I did read the NEI certification process. What I
7 heard yesterday was not entirely consistent with what I
8 read. For example, I heard things like, yeah, eventually we
9 would like everyone to have a grade 3 PRA.

10 Well, that's not in the document. The document
11 takes an entirely different approach, and I happen to agree
12 with the presentation.

13 [Laughter.]

14 DR. APOSTOLAKIS: So, I'm glad we don't have to
15 write a letter on that.

16 I think Dr. Powers is right regarding this new
17 initiative to get a smaller group together and so on, but I
18 still think that, if the group tries to define categories or
19 grades in advance, they will never get anywhere. There is
20 much more agreement as to what constitutes a decent baseline
21 PRA, and I think the certification process offers a great
22 way of identifying things you have to do to get there and
23 things you can do right now to get the benefit of
24 risk-informing your own regulations, the licensees.

25 DR. SHACK: I'd just add one comment.

1 I think there's a shift away from sort of -- you
2 know, they're focusing now on identifying the quality of the
3 PRA.

4 Some of the earlier discussions were too concerned
5 with classifying what you could do with the PRA, and I think
6 that there's likely to be much more agreement and a much
7 less aggressive approach if you simply try to describe the
8 quality of the PRA, and then, once you've done that, you can
9 decide what you can do with that PRA and what you can't do
10 with the PRA, rather than trying to determine a priori how
11 good a PRA do I need to do this.

12 You know, you first assess the quality of the PRA
13 and then decide what applications you can address with it
14 and how you would apply it, and I think that will reduce the
15 contention.

16 DR. APOSTOLAKIS: There was a second instance
17 yesterday, by the way, where the written document was
18 different from the presentation. It had to do with Mr.
19 Lochbaum's presentation. What he presented was very
20 different from what is in the report.

21 COMMISSIONER DICUS: Thank you.

22 COMMISSIONER MERRIFIELD: We find that quite
23 frequently.

24 [Laughter.]

25 CHAIRMAN MESERVE: Well, why don't we proceed to

1 the next subject?

2 DR. POWERS: I think we can turn now to the issue
3 of spent fuel pool fire safety.

4 Dr. Kress?

5 DR. KRESS: All right.

6 We did review the spent fuel pool fire safety with
7 respect to decommissioning plants. This was at your
8 request. So, as usual, we did give it our best shot, which
9 we would have done whether you requested it or not.

10 The purpose of this technical study that we
11 reviewed was to -- for the staff to be able to use it as a
12 technical basis to develop a rule.

13 This is to avoid having to deal with a number of
14 exception requests, and the basic issue is, of course, as
15 time goes by and the decay heat lessens, it's clear that the
16 risk of the spent fuel in the pool decreases, and the
17 question is how long do you have to wait before the risk is
18 sufficiently low to be acceptable enough to relax the
19 requirements, and the key words in that statement is, in my
20 mind, acceptably low, just what does that mean.

21 The staff had basically two acceptance criteria
22 for this.

23 First, they equated spent fuel fire, rightly so,
24 to a LERF, because the spent fuel pools are all located
25 outside of containment, and it would be a LERF if you had

1 one.

2 The acceptance criteria they chose in this
3 particular document was one that's in Reg. Guide 1.174.
4 That's 10 to the minus 5 frequency per reactor year. And
5 I'll have more to say about that in a little while.

6 The second criteria they used was, after how long
7 do you have to wait before the risk is basically
8 nonexistence, it's negligible?

9 That would be a time in which the decay heat is
10 insufficient to overcome the heat losses at a temperature
11 that the clad -- zirconium clad cannot ignite, and the
12 temperature they used for that was 1,555-degree Kelvin.

13 The ACRS had problems with both of these
14 acceptance criteria.

15 The major concern, I think, was with the Reg.
16 Guide 1.174 acceptance criteria.

17 As you know, that was based on being a surrogate
18 for prompt fatalities that you get when the core undergoes a
19 core melt accident, but that's in a steam environment, and
20 the source term you get from a steam environment core melt
21 accident can be quite different than the source term you get
22 from an air environment, and there's some evidence for this.
23 It's not definitive in the sense that you get real
24 quantitative rates, but there's a lot of evidence that an
25 air oxidation environment does two things to you.

1 Number one, it tends to volatilize a lot of the
2 non-volatile elements that you don't get in the steam
3 environment. These are things like, particularly,
4 ruthenium, but it can be other elements -- lanthanum,
5 molybdenum, barium, strontium even -- and the evidence is
6 that you release much more of those than you do in a
7 steam-related environment, and in fact, you may get
8 quantitative release of the ruthenium.

9 Another phenomenon occurs under air oxidation
10 conditions. We call it decrepitation.

11 Because of the different oxide states that the
12 fuel can exist in, the grains tend to go to different oxide
13 levels as they become oxidized, and these different states
14 of oxidation are incompatible with each other in the grain
15 structure, and the grains tend to just flake off, and these
16 very small particulates can be airborne and carried away
17 with the natural convection forces.

18 The thing about these very small grains of fuel is
19 that they carry with them their load of fission products, no
20 matter what the volatility is, and they carry with them the
21 actinides.

22 So, these can have significant health
23 consequences, and basically, it wasn't included in the risk
24 analyses that were made.

25 The other major concern with the ignition

1 temperature for the time at which the risk become negligible
2 is that it's based on tests with basically fresh clad. It's
3 known very well that clad that resides in the core over the
4 refueling period gets highly hydrided, and metal hydrides,
5 zirc hydrides reside in the surface layer and in the depth
6 of the zirconium.

7 If you've had any experience with metal hydrides,
8 you know, in a moist environment, you can take small
9 particles of it and throw it in the air and it will
10 self-ignite. It's very, very combustible, and the question
11 is, if you actually do these tests with hydrided clad, would
12 the ignition temperature be as high as 1,555-degree K?
13 That's a very high temperature.

14 We think it would be lower. That's based on --
15 partly, on our part, on speculation, partly on things we
16 know about metal hydrides, but there haven't been any
17 definitive tests, and we think that more information is
18 needed to decide that.

19 Our conclusions, based on the review and these
20 concerns we have, is that with the air oxidation
21 environment, you would get equivalent releases of the
22 volatiles -- that's the cesium, the iodine, the tellurium
23 and the xenon and krypton, but you're likely to get much
24 more releases of the non-volatiles, particularly ruthenium,
25 and possibly significant releases of actinides.

1 The significance of that is that some of these
2 actinides and non-volatiles have relatively long half-lives
3 and are biologically very effective, as effective as iodine,
4 and that, for example, if you were to assume that you
5 released 100 percent of the inventory of the ruthenium, as
6 opposed to just the source term that exists, that people use
7 for steam environments, then the prompt fatalities would
8 have increased by 100-fold over what the study had.

9 In addition, the latent cancers would have
10 increased by fourfold, and land contamination would have --
11 the dose equivalent would have doubled.

12 So, it can be very significant, and what that does
13 is put into question the LERF acceptance criteria that's in
14 1.174 for application to these accidents.

15 It no longer becomes a surrogate for the prompt
16 fatalities. It has to be lower.

17 How much lower?

18 We need a better phenomenological study that
19 includes these releases and does a prompt fatality and land
20 contamination and latent cancer level 3-type analysis to get
21 a new surrogate for the prompt fatalities and these other
22 objectives based on the proper physics, and we also think
23 more information is needed on the ignition temperature to
24 pin down the actual time at which you can assume the risk is
25 negligible and you can relax the requirements a great deal.

1 So, basically, that's the story.

2 CHAIRMAN MESERVE: Thank you very much.

3 DR. WALLIS: I'm going to talk about thermal
4 hydraulic codes.

5 I have five transparencies, and the first four of
6 them -- what I've tried to do is to describe the situation
7 enough so that it's informative and then to have a bottom
8 line at the end of the slide. Somehow, in the preparation
9 of what was sent to you, the highlighting of the bottom line
10 disappeared, but I think it's going to be pretty clear what
11 is the bottom line.

12 And then the fifth slide has some of the
13 observations that we have made in looking at codes recently,
14 followed what would be a set of bottom lines or
15 recommendations.

16 So, the first transparency that you have gives
17 some very brief background on thermal hydraulic codes.

18 They are the major tools for figuring out what
19 happens in an accident. We don't do experiments with
20 reactors, so we have to rely on these things, and that
21 obviously makes them important.

22 The predictions of these codes are not tested on
23 full-scale systems.

24 Again, we don't do experiments with reactors,
25 unless you count TMI as an experiment, and therefore, it's

1 very important that the verification and assessment be done
2 right, so that there's some confidence in the predictions of
3 these codes.

4 Long ago, in the days of Appendix K, the way that
5 uncertainty was handled was to require very conservative
6 predictions of margins, and they were picked with some sort
7 of judgement that they were big enough that we could make
8 proper decisions without worrying about the uncertainties of
9 these codes, and then there was what I think is the
10 enlightened amendment in 1988 which said, well, this extreme
11 conservatism probably isn't the right way to do things,
12 let's be realistic, and so, let's have codes which are
13 realistic -- in other words, they don't make conservative
14 assumptions.

15 But in that case, we have to know how good they
16 are. So, we have to make some attempt to emphasize the
17 uncertainty in these codes.

18 The term "best estimate" is probably best not
19 used, because there's nothing particularly "best" about the
20 estimates in these codes.

21 Well, that wasn't used very much, although it was
22 a good idea, until the Commission moved in the direction of
23 risk-informing regulation, and I think, perhaps, also,
24 industry realized that, by being realistic, there might be
25 some benefit, doing away with lots of these conservatisms.

1 So, the reason that we're interested in codes
2 today is essentially because risk-informed regulation
3 requires a better understanding of how good they have to be
4 and what's the criteria for their acceptability. That's the
5 bottom line.

6 There is an interest in the codes because of the
7 move toward risk-informed regulation, and also, what's
8 happening in terms of industry's actions, applying for
9 upgrades, changes in the regulations, narrowing of margins,
10 there's a need for the Commission to understand better how
11 narrow those margins are.

12 Essentially, there's a risk associated with the
13 code giving the wrong answer.

14 So, what is happening today? We'll move on to the
15 second slide.

16 The industry is submitting codes, and three of
17 them I've listed in your documentation, and the staff,
18 simultaneously to reviewing these codes, has been developing
19 a reg. guide and a standard review plan in order to
20 structure the review of these codes and make that process
21 efficient and effective.

22 The ACRS has been involved in all of the above.
23 We have had submissions from -- we have had presentations
24 from industry. We have read great piles of documents.
25 We've read thousands of equations and so on.

1 And along the way, the staff has listened to our
2 discussions with industry, we've had presentations from the
3 staff, we've interacted with the staff, and so, the ACRS has
4 had, I think, quite an influence, and the point we're at now
5 is the reg. guide and the standard review plan are either
6 out there for public comment or they soon will be, I'm not
7 quite sure, but they've reached that point, and our view is
8 that they deserve to have reached that point, that a lot of
9 work has gone into them and they are good.

10 The key question, of course, is are the codes good
11 enough to support the decisions to be made, and that sounds
12 like a simple statement, but when you look at the
13 implications, you have to be very careful that you go into
14 the details, and the other point which ACRS would like to
15 emphasize is the public confidence side of this.

16 These codes and the documentation, although
17 proprietary, get out in the public domain and people make
18 presentations at conferences and so on, and if it appears
19 that shortcuts have been taken, assumptions made which might
20 not be justified or something, then this gets out there, and
21 don't underestimate the need for confidence in the
22 technically knowledgeable community.

23 Now, what are these codes? They've been around a
24 long time, 30 or 40 years, essentially. This goes back to
25 the ossification comment made earlier, that somebody made an

1 assumption, in order to get on with things 30 years ago,
2 it's still there.

3 One reason it's still there is because the NRC
4 blessed it, and reversing that sort of regulatory history
5 and doing something better is difficult.

6 But you know, codes and computers have evolved
7 immensely, the most dynamic sector of the economy and
8 technology.

9 So, one might expect some changes over the years.

10 These codes are essentially designed for nuclear
11 applications. They're not commercial or academic.

12 What I mean by that is that they're not something
13 which is routinely used by industry across the board,
14 subjected to investigation by students and professors and
15 tested, and therefore, it's got a great broad base of
16 technical support and verification.

17 It's very much a nuclear thing, and because of the
18 complexity of the phenomena, the codes contain all sorts of
19 assumptions, idealizations, best-shot estimates, choices by
20 users, and so on. The user effect is one of the things to
21 worry about. Different people using the same code get
22 different answers.

23 But they've evolved. They're a useful engineering
24 tool, and up to now, they've been good enough, but it's hard
25 to figure out just why they've evolved the way they have and

1 why decisions were made, and so, if you go back and examine
2 them, that's not so each to check why they are good enough
3 and why they're the way they are.

4 So, the bottom line of this slide is that they
5 work, they're engineering tools, but they're not like stress
6 analysis of beams or something. They're not something which
7 is routine, which you just put in the equations and it
8 works, and that leads on to the next transparency or the
9 continuation of the same transparency.

10 For some accidents, it doesn't matter very much.
11 Small-break LOCA, you have a pot of water boiling, it's
12 mostly steam, at later stages coming out of a hole. There's
13 a very simple phenomena. It doesn't matter too much to get
14 the details right.

15 But for some phenomena, you do have to get the
16 details right, and some of the codes can be way off if you
17 look at the details.

18 So, there's always a bit of uncertainty,
19 particularly if you apply them to a new situation.

20 So, they have to be assessed for every
21 application. You cannot give a blanket approval to a code.
22 You have to look at its use and see if it's good enough for
23 that purpose and make extensive checks to see what happens
24 if another assumption is made, if some different correlation
25 is used, and so on.

1 You have to do a lot of checks of the robustness
2 of the predictions versus what goes into the code, and the
3 bottom line here that the Commission, I think, should
4 probably recognize already is that what's key to all this,
5 because of the judgements needed in making these decisions,
6 is the knowledge, experience of the staff.

7 So, the staff needs your support, and you need to
8 be sure that you have staff who are really knowledgeable
9 about these things.

10 And also thoroughness is a feature here. They
11 have to be thorough in their review, because it's not
12 trivial to make these assessments.

13 What are some of our observations in what we've
14 seen in the last couple of years?

15 Some of the code documentation is poor.

16 A simple example: Equations should not appear
17 before the ACRS which have obvious typos in them. They've
18 been reviewed by numerous people, and this gives not the
19 right impression.

20 Physical basis for analytical models is often
21 incomplete.

22 We get codes submitted where an analysis is made
23 for a straight pipe, long straight pipe, and there's no
24 connection made between that and the real geometry of a
25 reactor in the documentation, and we have to go through a

1 presentation for that to come through.

2 Now, it surely should be better to start with
3 saying we're analyzing a reactor, it has these various
4 shapes, and this is how we go about analyzing those shapes,
5 and there's a disconnect if the only analysis presented is
6 for a straight pipe.

7 The assessment: Assessment often consists of
8 rather qualitative assessment, looking at some figures
9 showing a curve that goes through or close to some data.

10 With the more realistic approach, it would be much
11 better to say this experiment validates this aspect of this
12 code in this way and enables us to get an understanding of
13 how good it is and what the uncertainties are.

14 So, our view is that the assessment needs to be
15 more focused, and by the way, all these observations, I
16 think, are shared by the staff.

17 Methods for calculating uncertainties: There's a
18 great deal of advance since the early days in terms of
19 putting uncertainties into the code so the code itself can
20 tell you how uncertain the predictions are, and we believe
21 some progress could be made in that direction.

22 Our view, as I've said before, is that not only
23 should the documentation be considered as acceptable by the
24 industry, but it should be acceptable to someone looking in
25 from outside, like an ACRS member or a consultant, for

1 instance, or someone who just happens to get hold of that or
2 happens to read a report on which it's based.

3 Think of the graduate student. Graduate students
4 should be impressed by what he or she sees.

5 So, to reiterate, risk-informed regulation is
6 going to need a more quantitative evaluation of these
7 uncertainties in the code and what their consequences might
8 be, and this isn't necessarily bad.

9 It may be that some of these issues can be
10 resolved pretty quickly by showing that results are
11 insensitive to assumptions.

12 We are concerned about the database for assessment
13 being preserved.

14 Experiments were done in the past; not many
15 experiments are done now or likely to be done in the future,
16 and yet, because of the uncertainties in the physics, the
17 codes must be tested against reality. So, the database
18 that's there must not be lost, and in some cases, it may
19 need to be expanded.

20 We're concerned about experts. There are three
21 kinds of experts.

22 Experts in industry: Some of the teams in
23 industry working on these codes are rather slim, rather few
24 people, and the expertise that was there in the heyday of
25 code development is no longer there.

1 We're also concerned about the staff maintaining
2 enough experts, and the third kind of expert is the expert
3 who is out there who can be put on an expert panel.

4 Unless the field is active, the people who did the
5 work 30 or 40 years ago won't be around to be on these
6 expert panels.

7 Now, what's the conclusions, then, of this part of
8 my talk?

9 We recommend -- we strongly recommend that the
10 staff should run the vendor codes themselves. It's not
11 enough to just look at the curve presented by industry. You
12 don't know what went into it, what assumptions were made,
13 what's the effect of making a different assumption, doing
14 something differently.

15 It's very inefficient to use the RAI process, the
16 request for additional information, where a staff member has
17 a suspicion that some variable might be important, has to go
18 back and persuade industry to run some new test to some new
19 code and then look and see whether what comes back is good
20 enough or not.

21 The staff should be able to run the codes, try
22 things out, and maybe that will satisfy them in a much more
23 efficient and quicker way than the process of going back to
24 industry.

25 We also believe the staff should maintain its own

1 in-house code competence and have its own code, and the
2 reason is that how a code performs depends on so many
3 things, including the basic structure of that code, that
4 there needs to be an independent code which the staff really
5 understands which can be run in order to do some independent
6 checks, and this is the way that things are found out.

7 Otherwise, they just have to use judgement and try
8 things, and this can be done quicker.

9 Nowadays, computer codes run so quickly, there's
10 no reason the staff shouldn't have codes, even at the
11 desk-top level eventually, where they can run a lot of
12 experiments with codes and satisfy themselves that the
13 decisions they going to make are robust.

14 It was mentioned in connection with another issue
15 earlier that the processes in use by the NRC should
16 encourage the improvement of codes, there shouldn't be this
17 ossification, and we are looking into that. There are
18 mechanisms for improving codes, but it doesn't seem to be
19 easy enough for that to happen.

20 And the final point, eventually there will be a
21 new generation of codes.

22 If you look at what's happened in computational
23 fluid dynamics, heat transfer out there in the world,
24 there's been an explosion of companies developing codes not
25 for nuclear purposes, being used all over the place by

1 industries, and running million-node computations rather
2 than hundred-node computations of single-phase flows.

3 So, eventually, something better is going to come
4 along, and the NRC better be ready for it.

5 CHAIRMAN MESERVE: Thank you both.

6 Commissioner McGaffigan.

7 COMMISSIONER MCGAFFIGAN: Listening to your
8 presentation, Dr. Wallis, these codes that are before us,
9 where there are obvious errors in the equations, etcetera --
10 how soon will they be endorsed?

11 I mean how much do they have to fix things before
12 you would advise the staff that this is now in a position
13 that you could endorse it as a realistic code for regulatory
14 application?

15 DR. WALLIS: I can't predict time. They have to
16 essentially give us enough confidence that they know what
17 they're doing and the results are robust.

18 COMMISSIONER MCGAFFIGAN: Have they chosen to
19 engage you at that level?

20 DR. WALLIS: It's been sometimes a little
21 difficult. I would have liked to have seen more enthusiasm,
22 saying yes, we'll go away and fix it, and we'll be back next
23 week, and that would be possible, but it hasn't happened.

24 COMMISSIONER MCGAFFIGAN: These are all
25 proprietary codes.

1 DR. WALLIS: That is one of the problems, I think.

2 COMMISSIONER McGAFFIGAN: So, this is one of the
3 times where the staff really, with you guys but not much
4 other help, has to plow through this.

5 DR. WALLIS: That's right.

6 COMMISSIONER McGAFFIGAN: Is there any help in
7 Europe? Are these codes also used and presented to European
8 regulators?

9 DR. WALLIS: Well, the NRC ones are.

10 COMMISSIONER McGAFFIGAN: But the ones that are
11 currently before us, the EPRI codes or whatever --

12 DR. WALLIS: Yes, we sometimes pick up some
13 evaluation. In fact, there are publications where they've
14 been tested against certain data, yes.

15 But in terms of digging into the individual
16 equations, we've found we had to do it, and we've been
17 rather surprised that it doesn't seem to have been done
18 before. The ACRS should not have to do that.

19 COMMISSIONER McGAFFIGAN: Right. But you are.

20 Dr. Kress, you talk about the possibility that the
21 LERF goal has to be significantly lower than 10 to the minus
22 5. I think your words were "much lower." Is 10 to the
23 minus 6 much lower? What number is much lower for purposes
24 of this application?

25 DR. KRESS: Well, there's two interesting aspects

1 to that.

2 Number one, the 10 to the minus 5 value is the
3 summation of all sequences contributions, and here we're
4 dealing with a set of sequences.

5 Now, what fraction of that 10 to the minus 5 do
6 you want to give to a set of sequences? You don't give the
7 whole 10 to the minus 5.

8 So that's item number one. You automatically
9 ought to reduce it to some level.

10 COMMISSIONER McGAFFIGAN: Aren't we talking about
11 -- in a normal plant, we've got all sorts of things that can
12 go wrong, and here, all we have left is the spent fuel pool.

13 DR. KRESS: We're talking about its contribution
14 to this whole 10 to the minus 5.

15 If you want the whole plant to have a 10 to the
16 minus 5 --

17 COMMISSIONER McGAFFIGAN: There is no rest of the
18 plant there, as I understand it. We're talking about a
19 shut-down plant.

20 DR. KRESS: I'm sorry. In that case, you're
21 right.

22 COMMISSIONER McGAFFIGAN: Right.

23 DR. KRESS: But I failed to mention that this is
24 not just a decommissioning problem. You have the spent fuel
25 pool there during the operating plant.

1 COMMISSIONER McGAFFIGAN: Right. I understand.

2 DR. KRESS: Okay.

3 So, you know, you need to deal with that issue for
4 the operating plants but not for the decommissioned plants,
5 you're right. You could take the whole 10 to the minus 5.

6 I really don't know how low it's going to be, and
7 that's one of the things we've asked the staff to -- they
8 need to come up with a value for that, and if I looked at
9 just the ruthenium releases and if it were 100 percent, it
10 would be two orders of magnitude lower than that to be a
11 prompt fatalities surrogate, two orders of magnitude, and
12 that's for the ruthenium, but it's for 100 percent.

13 That doesn't include the possibility that
14 actinides might get released by the decrepitation process,
15 because I have no idea how much that is or how much that
16 contributes to the release.

17 So, it's a question of I don't think we have
18 enough information yet. We only use what information is out
19 there.

20 COMMISSIONER McGAFFIGAN: This whole accident -- I
21 mean we're not talking about difficult fault trees or
22 anything in this instance.

23 DR. KRESS: It's a relatively simple PRA.

24 COMMISSIONER McGAFFIGAN: It's seismic, right?

25 DR. KRESS: Yeah, seismic.

1 COMMISSIONER MCGAFFIGAN: Seismic event,
2 catastrophic failure of the pool, all the water drains out.

3 So, if I can prove to you, even if it's two orders
4 of magnitude, that my earthquake probability is less than 10
5 to the minus 7 per year, then I'm still in good shape. Is
6 that right?

7 DR. KRESS: I think you would have to assume that,
8 yes. You have very little defense-in-depth, and you have to
9 ask what's the uncertainty in that calculation, but I think
10 that's the only out that you have, really. You either have
11 to continue with the full amount of protection that you have
12 -- you can't relax the requirements -- or you have to get to
13 a state where you're relying completely on prevention, as
14 opposed to mitigation.

15 COMMISSIONER MCGAFFIGAN: I'll quit in a second.

16 There are some profound issues here, because what
17 you could be saying is that we, for some of the previous
18 licensees, backed off on some of these requirements too
19 soon.

20 DR. KRESS: Yeah. I didn't say that, but it would
21 be nice to go back and revisit the exemptions that we have.
22 Time is a wonderful thing here.

23 But you want to be sure that, if more exemption
24 requests come in, that the technical basis for granting
25 those is good. So, that would be a reason for going back

1 and revisiting what we did before.

2 DR. POWERS: I think it's important that we not
3 mislead about the state of understanding of the
4 phenomenology, though.

5 We understand the phenomenology from
6 laboratory-scale experiments and some experiments that have
7 been done in Canada.

8 Professor Diaz chuckles because he knows that,
9 when you take laboratory experiments and add them together
10 to make an integrated facility, some things go a little
11 different, don't they, Professor Diaz?

12 That's what we're asking the staff to do, to take
13 into account the information that's been gathered in the
14 studies in Canada and, more recently, in Europe and to
15 address those in an integrated accident analysis fashion
16 and, from that, give us a source term, because if we just
17 use the laboratory source terms, you can get some horrific
18 numbers, but we wouldn't do that in any accident analysis.

19 It's only revealing some phenomena that needs to
20 be included.

21 DR. KRESS: That's a good statement of what we
22 meant.

23 CHAIRMAN MESERVE: Commissioner Merrifield.

24 COMMISSIONER MERRIFIELD: Thank you, Mr. Chairman.

25 Mr. Kress, I want to go back to your presentation.

1 You struck a number of areas where you had concerns about
2 where the staff was coming from and could be interpreted as
3 the staff is not being conservative enough.

4 On the other hand, in the letter that you report
5 that the ACRS sent to the Commission April 13th, you talked
6 about a concern relative to the conservative treatment of
7 seismic issues, which takes us the other way, and this was
8 one sentences or two sentences but a very important point in
9 there, and you talked about how risk-informed
10 decision-making regarding spent fuel pool fire issues should
11 use realistic analyses, including the uncertainty
12 assessment.

13 So, let me see if we can -- was it an attempt to
14 sort of balance things here, and although it was only one
15 sentence in a long letter, was your intention for that to
16 take a larger role, and if so, what kind of response have
17 you gotten from the staff on this issue, and where do you
18 think we're going at this point on this and any other
19 issues?

20 DR. KRESS: First, with respect to the balance,
21 yes, I perhaps didn't do as good a job with my view-graphs
22 in providing that balance, but we did think the seismic risk
23 part of the thing was a bounding conservative one and that,
24 by fine-tuning that, you can gain a lot.

25 I don't know if you can get to the two orders of

1 magnitude, and I don't know if you need to get down that
2 far, but that, to me, is a way out of this particular
3 problem, if you can show that the seismic risk is much --
4 the seismic frequency driving this risk is much lower than
5 the bounding calculations that were done.

6 So, that would be one thing, and what was the
7 second part of your question?

8 COMMISSIONER MERRIFIELD: Has the staff gotten
9 back to you about their progress?

10 DR. KRESS: We do have a subcommittee meeting
11 scheduled.

12 We haven't heard back from them as to what they've
13 done with respect to our comments or how they've re-analyzed
14 this risk.

15 We just haven't heard.

16 They have been very responsive to our questions,
17 and they certainly understand our concerns, but we haven't
18 heard back from them yet. So, I don't know what the status
19 of that is.

20 COMMISSIONER MERRIFIELD: All right. Well, I
21 appreciate that.

22 DR. KRESS: We're quite anxious to find out what
23 they've done since then, and in our October subcommittee
24 meeting, we'll find out.

25 COMMISSIONER MERRIFIELD: I appreciate the

1 clarification on those concerns. I was struck, having read
2 the slides, if we had a member of the public who was
3 video-streaming.

4 DR. KRESS: I'm very glad you brought that out,
5 because that balance does need to be there.

6 COMMISSIONER MERRIFIELD: Okay. Thank you.

7 Dr. Wallis, on the issue of -- I want to go to
8 your slide 54.

9 These are rather damning accusations about our
10 codes, and I know you had some observations about some
11 things, some generic things that we can be doing to get
12 better, so to speak, but as a regulator, I'm somewhat
13 curious as to how to address in a more specific way the
14 observations you're making on page -- slide 54 to understand
15 where we need to go. I didn't quite get there with some of
16 the generic suggestions you were making.

17 DR. WALLIS: Well, I think you have to support the
18 staff in their attempts to require adequate quality in these
19 areas.

20 You're asking what you can do.

21 COMMISSIONER MERRIFIELD: Support the staff how?

22 DR. WALLIS: Well, if the staff requires certain
23 level of documentation, then -- or if they need more people
24 in order to do this work, then maybe in some way you can
25 help them there.

1 If you make it clear to them that you're behind
2 them in the need to assure quality in these areas, then I
3 think that that would help them.

4 COMMISSIONER MERRIFIELD: Well, it may be worth
5 some further reflection on your part if the committee has
6 some specific recommendations for actions that the
7 Commission can take to reach these goals.

8 DR. WALLIS: Personally, I'm surprised that the
9 ACRS should have to notice these things, and it's even more
10 surprising if the Commission has to get down to the
11 documentation in the code. So, really, it's more a question
12 of helping the people whose job it is to make sure that it's
13 done right.

14 COMMISSIONER MERRIFIELD: The point I'm trying to
15 make is you've made some very specific observation about the
16 quality of the codes, and we, as the Commission, confronted
17 with that concern, had to figure out how to act, and simply
18 saying support the staff is not going to get us there.

19 So, I don't want to go over that anymore. I think
20 it would be worthwhile for you to go back to the ACRS and
21 think about if you have any specific issues that you want to
22 talk to.

23 DR. KRESS: One comment about that.

24 The reg. guide and standard review plan that we've
25 seen, that's out for public comment, maybe, is a very good

1 step to resolving some of these issues. We think those are
2 very good insofar as you can support the staff in those two
3 areas.

4 COMMISSIONER McGAFFIGAN: It does strike me that
5 the burden is on the licensee, that we don't need to put a
6 lot of burdens on the staff, the burden is on the licensee.
7 We're not going to approve these codes for use as realistic
8 codes until they get the equations right and they fix all
9 these problems.

10 The word should go out from this meeting that
11 there's a standard that's going to be applied and it's going
12 to be a standard that's maybe not super-high, maybe not the
13 profession standard, but it's going to be -- these codes
14 have to pass some sort of muster and that's what we pay the
15 staff to do.

16 The unfortunate thing in this case is that it's a
17 proprietary thing, so they don't get any help from anyone
18 else, and maybe the thought that Dr. Wallis and others could
19 help us with is how to bring other people, other eyes.

20 DR. WALLIS: I think if it were not proprietary,
21 if it were in the public domain, then you'd find these
22 things wouldn't be there.

23 COMMISSIONER McGAFFIGAN: Because graduate
24 students and everybody would be working on it, perfecting
25 them.

1 COMMISSIONER MERRIFIELD: My only concern is, you
2 know, they're valuable observations, it's just a matter of
3 what do we as a Commission go from here, and maybe we need
4 to direct the staff to do something or ask the staff to come
5 back to us with something.

6 DR. POWERS: One of the areas to be aware of is I
7 think the staff makes a heroic effort to overcome poor
8 documentation and physical basis, and I think we're very
9 excited about the way they go about acquiring the codes and
10 exercising them and learning the code themselves to overcome
11 these things, but it takes time, and I think it's important
12 not to set unrealistic expectations for the time it takes
13 the staff to do things like this, and I think we're going to
14 see this in not only the area of applying realistic analyses
15 for design basis analysis, but I think it will come to the
16 fore in certification of new reactor designs, that when
17 we're setting our schedules recognize that thermal
18 hydraulics is going to be a big time consumer.

19 COMMISSIONER MERRIFIELD: Mr. Chairman, I want to
20 get one last question in, and this is of a different nature,
21 and I want to direct it to Dr. Powers.

22 In the slides -- and you didn't, obviously, have
23 as much time as you might have wanted -- you talk about some
24 of the near-term activities in the ACRS, and you mention in
25 your report to the Commission activities that you have

1 underway relative to the NRC's research program.

2 As you and I have discussed in the past, I believe
3 that previous ACRS reviews would have been more beneficial
4 to the Commission had they not only focused on research that
5 we should be doing but also on research that we are doing
6 that is not really necessary given its limited value.

7 Could you describe where you are in the current
8 review you have underway and give us any significant
9 insights you've gained so far?

10 DR. POWERS: Yeah.

11 We are just now initiating our work on reporting
12 to the Commission on the safety research program that the
13 agency has in place.

14 Commissioner Merrifield and I have had discussions
15 on where the research report would be of most use, and in
16 fact, we will report in two aspects: the status and review
17 of the need and progress for the ongoing research program,
18 most of which has been initiated as a result of user needs,
19 and the longer-term confirmatory or anticipatory research
20 that we think would assist the Commission in the efficient
21 and effective execution of its mission.

22 Your particular request of me is a particular item
23 in our objectives for that research report. So, we are
24 going to try to address that.

25 Our meeting with the staff to discuss the ongoing

1 research programs and future work, plans and research, is to
2 be held on November the 1st.

3 We are now reviewing the write-ups on the existing
4 research programs.

5 I am happy to tell you that one of the
6 observations that comes immediately from this is to see that
7 there's been growth in the research in the probabilistic
8 sciences. At the same time, I see some of the historical
9 research that's been done for a very long time in the agency
10 -- I see reductions in that taking place.

11 So, I think that we're seeing a research program
12 that's more closely directed toward the Commission's
13 objectives than I have seen during my tenure on this
14 committee.

15 Those are the insights I would feel comfortable
16 giving you right away.

17 I hope to have a lot more after our report gets
18 drafted, but your particular interests on what would be
19 useful for you is clearly being addressed in this research
20 report, and similarly, I appeal to all the commissioners, if
21 there are particular topics that you'd like to see us
22 address in the research report, communicate those to us so
23 we can factor it in.

24 Now is a particularly good time, since we're right
25 on the beginning of the effort to produce a report.

1 COMMISSIONER MERRIFIELD: I appreciate that
2 update.

3 One final note: Although you and I had discussed
4 that, it's not a self-serving interest. I think that's
5 information that's helpful to the entirety of the
6 Commission.

7 Obviously we have an obligation under the law to
8 do the best that we can and determine what are the
9 appropriate fiscal priorities of this agency, and I am
10 certain, at least for me -- and I'm sure others can speak
11 for themselves, but I think as we review our budget process
12 for the next cycle, certainly that will be useful
13 information.

14 DR. POWERS: I will comment that we have gotten
15 some good help and suggestions from Commissioner Diaz in
16 this regard on the kinds of research programs that would be
17 helpful in this area.

18 I might just go on, since you gave me the lead-in,
19 to talk about some of our near-term future activities at the
20 ACRS.

21 CHAIRMAN MESERVE: Why don't we finish the good
22 conversation with these two, and then we'll come back to
23 that.

24 We're all awaiting with interest the report that
25 you're doing on the research.

1 Dr. Wallis, I want to make sure that I appreciate
2 the significance that you intended to convey to us about the
3 code.

4 As I understood your charts, they went way beyond
5 documentation.

6 In slide 52, you indicate the codes are not based
7 on, you said, quote, "mature, secure science."

8 In slide 54, you say the methods for calculating
9 uncertainties are, quote, "primitive and not comprehensive,"
10 and of course, as you know, the calculation of uncertainties
11 is required on the use of realistic codes.

12 And then you say, on slide 55, that the database
13 for code assessment, quote, "must be preserved and, in some
14 cases, expanded," and I would take the word "expanded" to
15 mean that there may not be data available to provide for
16 validation of code -- these codes in some circumstances.

17 The reaction I have to those words is that there
18 are absolutely fundamental problems with these codes that
19 are ones that are very serious and are ones that would cause
20 us and our staff to hesitate to rely on them for the
21 purposes that licensees might offer them.

22 DR. WALLIS: Can I address the science one? There
23 are engineering methods which work, and they're used all the
24 time, and the results are seen around you in things that
25 work.

1 The understanding on which they are based is not
2 what I would call science. It's not a secure science where
3 you actually know that you can solve equations and get the
4 answer.

5 But by doing suitable experiments, putting in
6 suitable approximations and so on, engineers have developed
7 a way of developing technologies, and that's what happened
8 here.

9 It's not a damning -- it's just the way it is.
10 It's not an accusation. That's the way it is. Just think
11 about medicine.

12 Some things you just learn by experience and you
13 build up knowledge, but it's not something you predict for
14 fundamentals, yet it works.

15 So, maybe I gave the wrong impression. I just
16 wanted to clarify that.

17 That's the nature of the beast.

18 What you have to learn there is, therefore, you
19 cannot say we'll just use the code and predict things.
20 That's why you have to do experiments.

21 The uncertainties -- yes, uncertainties are
22 investigated now by varying some parameters, seeing what
23 effect they have on the answer, doing sort of response
24 services and so on, and trying to estimate uncertainties,
25 but there are other sources of uncertainty having to do with

1 the basic structure of the code and so on, and with computer
2 techniques we have today, uncertainty estimation can be put
3 into the code, and we believe that's probably an area where
4 work needs to be done, and it may not be that difficult, but
5 what we see is more primitive than what we see can be done.

6 CHAIRMAN MESERVE: Am I correct that, on the
7 database, that you feel that the database is, in some sense,
8 inadequate?

9 DR. WALLIS: If you want to build some new reactor
10 and some geometry which has not been tested before, then you
11 would probably have to do an experiment.

12 CHAIRMAN MESERVE: You, in slide 56, have said
13 that you think the regulatory processes should encourage
14 code improvements, and when you discussed that, you talked
15 about this ossification process, that once we improve the
16 use of a code, that then that becomes something that's then
17 used forever after and nobody changes it.

18 Do you have any specific suggestion for us about
19 how to deal with that problem?

20 DR. WALLIS: Well, I think, first of all, you
21 would probably have to give a lead and say we think that
22 this is not -- this is acceptable or not acceptable, but we
23 think this we should develop and keep abreast of science and
24 technology.

25 I don't know. I'm mystified. I don't know enough

1 about how the system works. I just sort of observe this
2 happening.

3 DR. POWERS: One of the things that struck me is
4 we really honestly need a 50.59 for code update. That is, a
5 blessed code, one use for regulatory analysis, it should
6 surely be possible to put in an upgraded heat transfer
7 correlation in the code without having to go through a full
8 re-evaluation of the code.

9 There should be -- trust me, I hate to use this
10 word -- some minimal or even negligible change that could be
11 made, but you do find things in these codes that are
12 remarkable to you.

13 You see correlations that you know were invented
14 before you were born, and they've been replaced now by much
15 more sophisticated things in the literature, much more --
16 bigger database supporting them, and you say, well, gee, why
17 didn't they do it, and it just builds upon the foundation of
18 knowledge that we've always had.

19 It surely doesn't require a full-blown
20 re-certification of the code, but it does, and so, I think
21 we need to think in terms of something like a 50.59 for
22 computer codes.

23 CHAIRMAN MESERVE: Dr. Kress, I just have one
24 question for you, and it's really to follow up on a
25 conversation you've had on the spent fuel pool risk.

1 I appreciate that the most significant sequence
2 arises from a seismic event that causes a drain-down, and
3 you said the way out of that is to look at the risk of there
4 being such an event, being probably an important way to deal
5 with it.

6 But I think you then have the problem of
7 predicting the likelihood of very rare events, and my
8 understanding is that EPRI and Livermore have made such
9 estimates and they differ significantly from each other, at
10 least an order of magnitude difference, and I just raise the
11 question -- and maybe George has a few on this, as well --
12 about how you deal with that problem, when you have this
13 inherent problem of predicting the probability of an
14 extremely rare event, and how do you decide which one is
15 right.

16 DR. KRESS: It's a very good question, and you're
17 right, the Livermore curves for the seismic were about a
18 factor of 10 different than the EPRI.

19 Both of these are based on expert opinion, and I
20 think you'll have to go into how you put together expert
21 opinion and somehow combine the two curves, and I think
22 George probably can speak to this a lot better than I can,
23 if you'd like to, George.

24 DR. APOSTOLAKIS: Yeah. There was near paralysis
25 in that field in the 1980s, because we had two separate sets

1 of curves for seismicity, and the Commission and DOE and
2 EPRI cosponsored a committee, of which I was a member, to
3 look at the situation and see whether there could be some
4 reconciliation, and very quickly, the committee realized
5 that a major driver for the difference was the way the
6 expert judgement was processed.

7 There is no question that you have to rely on
8 expert opinion, because the evidence is kind of weak for the
9 eastern part of the United States, and Livermore was a
10 little bit at a disadvantage, which is an understatement,
11 because they were directed to give equal weight to the
12 experts, and there was an expert in California who really
13 drove the results.

14 My interactions at the time with the community of
15 experts working the field was that that expert's views were
16 considered outside the mainstream, and Livermore itself
17 admitted it, but they had to give equal weight.

18 EPRI, of course, was not under such constraints,
19 being a private organization. That doesn't mean that what
20 they did is the right thing, but at least they didn't have
21 that constraint.

22 So, the impression that I got from all this
23 exercise was that the difference was a little bit artificial
24 due to the constraints that Livermore had, that had come
25 from Washington, and the rationale was how can a Federal

1 agency like the NRC go to a public hearing room and say that
2 they gave different weights to the different experts, and
3 first of all, that's the wrong thing to say, because you
4 don't give weights to experts, you give weights to the
5 views.

6 I mean the expert can be right sometimes and wrong
7 some other times, and that, I think, takes away a lot of the
8 emotional content upon this.

9 We recommended that, you know, an approach be
10 developed -- in fact, we proposed an approach to evaluating
11 seismicity curves. I don't think that that has been done,
12 although I may be wrong, but that was the essence of the
13 difference.

14 Now, when we say 10 to the minus 6 or 7 -- and you
15 mentioned, Commissioner McGaffigan, 10 to the minus 7 --
16 there will be some large uncertainties associated with that,
17 and I don't know how much they will help in resolving this
18 particular issue, but the bottom line is that it was really
19 a difference that was due primarily to instructions how to
20 process the expert judgements.

21 DR. KRESS: Based on that, I think if you had to
22 choose between the two curves for this particular study, I
23 think I would choose the EPRI one, because I think it's more
24 realistic.

25 CHAIRMAN MESERVE: Commissioner Dicus.

1 COMMISSIONER DICUS: Thank you.

2 I can be very brief, because the Chairman was nice
3 enough to ask my question of Dr. Kress, so I don't have one
4 for Dr. Kress, but I would mention, Dr. Wallis, you've made
5 some recommendations of things that the staff or the NRC
6 should do, the staff should do.

7 Have you considered what the resource implications
8 are? Has the ACRS considered what the resource implications
9 are?

10 DR. WALLIS: I think all I could say is that the
11 staff seems to be fairly extended in terms of doing what
12 they need to do with the people they have, but I'm not in a
13 position to make recommendations about resources. I think
14 that's something that is part of the bigger picture. Maybe
15 when we look at the -- when we write our research report,
16 we'll pick that one up.

17 COMMISSIONER DICUS: Okay. Thank you.

18 CHAIRMAN MESERVE: Commissioner Diaz.

19 COMMISSIONER DIAZ: Let me start with, I think, a
20 statement that I hope is a valid statement.

21 The Nuclear Regulatory Commission needs to have
22 adequate tools with which to discharge its functions.
23 However, those tools are never going to be right at what the
24 science is at that moment.

25 There will always be a difference, and the issue

1 is, is the difference acceptable as a method to establish
2 what safety is?

3 We all know that there is always another little
4 thing in the scientific area, another little phenomenon,
5 another thing that we would like to know, and I think
6 universities and graduate students are the right way to
7 address that.

8 However, we deal with the issue of determining
9 safety, and I can tell you that, if the new phenomena is in
10 the fourth significant figure, it really doesn't bother me.

11 If it's in the third significant figure, it might
12 not bother me, and it might be occasions in which, in the
13 first significant figure, it might not bother me, because I
14 know we don't know any better, than the transients, the
15 dynamics of the issue would actually change what the results
16 are.

17 Therefore, when we get to this conclusion, how can
18 we improve our regulatory tools in a manner that can perform
19 our function fully knowing that the science and the graduate
20 students might know better, and so, it is in this difference
21 where we need to actually get good recommendations from the
22 ACRS.

23 In the issue of spent fuel, Dr. Kress and I think
24 -- and Dr. Powers already addressed it.

25 We have two fundamental things that are really

1 coming at each other and maybe fighting, maybe complementing
2 each other.

3 One is the phenomenology. It's the way that we
4 deal with the physics and the chemistry and the metallurgy.
5 And the other one is how risk-informed is coming to say you
6 don't need to go farther than this, and I think it is in
7 this maybe dichotomy that we expect to have a better set of
8 regulatory tools.

9 It is a combination of these two things.

10 We cannot have bad phenomenology, and we should
11 not have bad PRA, because then we're not being able to make
12 those things.

13 So, it is in the convergence of these two things
14 that we are, and I do get concerned when I see statements
15 that might be, Dr. Wallis, scientifically correct but, you
16 know, might not be well interpreted when they are put in
17 this context, and I think what Commissioner Merrifield asked
18 is a very good thing.

19 We need to really put this in the proper context,
20 because if not, they might be interpreted as the fact that
21 we don't have the proper regulatory tools.

22 We might not have the most scientific regulatory
23 tools, but they have been adequate. Can they be better?
24 Yes. Do we know how much better they need to be? Well,
25 that's what we look to you guys for, how much better they

1 need to be to perform the regulatory function.

2 I don't think anybody doubts that, you know, there
3 are issues that have not been considered. Maybe they don't
4 need to be considered in regulatory space. Maybe they need
5 to be considered in thermal hydraulics space.

6 That was my statement. I think I took care of Dr.
7 Kress in there.

8 The issue of the spent fuel pools, I believe, you
9 know, has to address not only what the lab phenomenology
10 tells, but in essence, there are challenges that have been
11 made, and it is important that we bound them within
12 appropriate regulatory tools, including energy content,
13 time, methods of cooling, degradation due to the metallurgy,
14 and I think that effort should be done. It should be done
15 not on the fourth significant figure but maybe two
16 significant figures might be adequate.

17 Do you have a comment on that?

18 DR. KRESS: No, I fully agree with that.

19 COMMISSIONER DIAZ: Thank you.

20 DR. WALLIS: May I say I agree entirely with what
21 you said, and it may well be that, for some purposes, a
22 simpler analysis is perfectly adequate. It's just that we
23 need to know that.

24 COMMISSIONER DIAZ: That's where the question of
25 bounding becomes very important to the Commission. The

1 Commission needs to know, you know, how far do we need to
2 establish, you know, our inquiries, and how far does the
3 staff need to go, because you know, there are two things in
4 thermal hydraulics.

5 We have a five-year thermal hydraulic plan that
6 the Commission, with the recommendation of the ACRS, you
7 know, embarked on it, and we are almost four years or
8 three-and-a-half years on that.

9 That dealt with doing two things: taking the
10 codes and making them user-friendly, getting a computation
11 or architecture that was capable of delivering, you know,
12 for our staff, and anybody that wanted to use it, you know,
13 reasonable answers.

14 We did not say this has to be the state of the art
15 but reasonable answers.

16 But at the same time, we ask that the
17 phenomenology be reviewed to make sure there were no glaring
18 errors, that there were no issues that were going to come
19 and haunt us, and I hope that is being achieved. Thermal
20 hydraulics keeps coming up, because I think it is something
21 the Commission wanted.

22 Parallel to that, not completely separate but
23 parallel to that is what are the tools that the licensees
24 use, and what criteria do we use?

25 Do we want them to be completely scientifically

1 correct, or do we want them to provide us with a baseline
2 analysis that allows us to do our job, and I will tend to
3 the later unless proven that they are not scientifically
4 correct.

5 DR. WALLIS: I think the problem we had with the
6 science was not perhaps the one you had.

7 The problem we had is at a very fundamental level,
8 which an equation is written down, at a very fundamental
9 level, not in the details.

10 That has to give us assurance that the people know
11 what they're doing. That's the issue. It's not a question
12 of getting all the details right.

13 The details very often don't matter, and we're not
14 looking for scientific correctness in the details, but at
15 least the exposition of what's the basis of what they're
16 doing should give us confidence that they know what they're
17 doing.

18 COMMISSIONER DIAZ: Let me tell you what my
19 concern is.

20 My concern is, for example, on the spent fuel
21 pool, we start drawing radiological consequences from a
22 first cut at an issue that has not been fully analyzed, and
23 it can cause concern and un-intended consequences.

24 I think we need to be technically correct, we need
25 to know to what level we want to take it, what approximation

1 is important.

2 You know, I keep hearing these issues of
3 uncertainties.

4 Well, the smaller the number, the less significant
5 the effect is, the larger the uncertainty is. So, we might
6 find uncertainties being as large as the actual number, and
7 that doesn't bother me, because the number is not
8 significant in itself.

9 I think we need to be able to put this in a proper
10 perspective, and I personally look to the ACRS for
11 leadership in this area, to bound it, not to make statements
12 that could be construed that spent fuel pools could have
13 much larger consequences when we don't know.

14 However, to point out that the area needs to be
15 further analyzed, that we need to obtain, you know,
16 additional analysis that will go from the lab to an actual
17 comprehensive, integrated look at both the physics and the
18 PRA. I think that is very appropriate, and I think I have
19 run out of time, and therefore, since you already have
20 agreed with me, I'm going to end on that point.

21 [Laughter.]

22 CHAIRMAN MESERVE: Thank you very much.

23 We have run out of time, and so, I'd like to
24 apologize to Dr. Bonaca.

25 We have the benefit of your slides, and I know

1 that your presentation was really to give us a status report
2 on the number of activities the ACRS has underway in the
3 license renewal area.

4 DR. BONACA: That's correct.

5 CHAIRMAN MESERVE: Our suggestion that we not do
6 that does not reflect anything with regard to the importance
7 we view this activity.

8 In fact, it is the center of our activities, and
9 we await the future opportunity to deal with you on the
10 substance of this work as we go forward.

11 Dr. Powers, do you have any closing comments?

12 DR. POWERS: I think I have provided you a slide
13 that indicates that there are some initiatives that we've
14 undertaken, both the research report -- we're going to set
15 the Executive Director of Operation on the resolution of a
16 different professional opinion on steam generator tube
17 integrity.

18 One of the more interesting things that we're
19 beginning to look at is we're looking at a lot of changes in
20 the way nuclear power plants run in this country. We're
21 looking at life extension, we're looking at power upgrades,
22 we're looking at high burn-up fuel.

23 All of those things are being looked in a fair
24 amount of isolation, one from the other.

25 One of the areas that the ACRS is going to start

1 looking in is are there synergisms among these various
2 activities that we're taking on that could lead to erosion
3 of margins that we might not anticipate based on looking at
4 them individually.

5 This is an activity that we have had one of our
6 senior fellows looking at, and it is raised independently in
7 the course of looking at the license renewal, and we hope to
8 be able to report to you on that sometime in the future.

9 CHAIRMAN MESERVE: We very much look forward to
10 that.

11 With that, I'd like to thank you all for a very
12 helpful meeting.

13 I know that you're all very hard-working, and we
14 get a lot of benefit from the work that you do perform.

15 So, on behalf of the Commission, I'd like to thank
16 you very much.

17 COMMISSIONER MERRIFIELD: Mr. Chairman, before you
18 sign us off, just one quick comment to circle back.

19 I thought Commissioner Diaz made some very helpful
20 comments.

21 The last point I want to make -- and I said this
22 the last time we had one of these meetings, and I think it's
23 especially underscored by the fact we're video-streaming
24 now.

25 I think we have to be very careful about the

1 slides we use, if there's an intention to have a balance in
2 the presentation, that the slides reflect those.

3 In addition, this is certainly not just an
4 academic exercise.

5 We have significant issues that are pointed out by
6 the ACRS, and I think the Commission takes these very
7 seriously.

8 We, as a Commission, obviously have to deal with
9 the practicalities of making decisions based on that, and
10 so, if there are significant issues that are underscored,
11 and there were some here, particularly by Dr. Wallis, I
12 think it's important to be able to focus on real solutions
13 that we can use to effectuate the problems that ACRS has
14 pointed out.

15 Thank you, Mr. Chairman.

16 CHAIRMAN MESERVE: With that, we're adjourned.

17 [Whereupon, at 11:45 a.m., the meeting was
18 adjourned.]

19

20

21

22

23

24

25