

UNITED STATES NUCLEAR REGULATORY COMMISSION  
REGION 1

---

In re: CONSOLIDATED EDISON COMPANY OF NEW YORK  
INDIAN POINT 2

---

An Enforcement Conference was held  
before Loretta B. Devery, Registered Professional  
Reporter and Notary Public, at the offices of the  
United States Nuclear Regulatory Commission, Region  
1, 475 Allendale Road, King of Prussia,  
Pennsylvania, on Tuesday, September 26, 2000,  
commencing at 1:00 P.M.

---

---

ALL POINTS REPORTING  
723 Erlen Road  
Plymouth Meeting, PA 19462  
(610) 272-6731

ORIGINAL

PRESENT:

HUBERT MILLER  
JOHN ZWOLINSKI  
BRIAN HOLIAN  
DAVID LEW  
JIM TRAPP  
WAYNE SCHMIDT  
BILL RAYMOND  
EMMETT MURPHY  
JACK STROSNIDER  
EDMUND SULLIVAN  
STEVEN LONG  
PETER ESELGROTH  
ALAN MADISON  
TOM SHEDLOSKY  
RICK URBAN  
DAN HOLODY  
A. RANDOLPH BLOUGH  
J. BRADLEY FEWELL, ESQ.  
MICHAEL RAFKY, ESQ.  
MITZI YOUNG, ESQ.  
PATRICK MILANO  
PETE HABIGHORST  
JOE SHEA  
G. SCOTT BARBER  
JIMI YEROKUN  
GREG CRANSTON  
RICH PINNEY  
JOHN ROBERTS

JOHN GROTH  
JIM BAUMSTARK  
JACK PARRY  
TOM ESSELMAN  
DOUG GAYNOR  
JOHN McCANN  
JOHN ASHCRAFT  
BOB HENRY  
BILL McBRINE  
RONALD BALLINGER  
TOM PITTERLE  
BRENT BRANDENBURG, ESQ.  
TOM POINDEXTER, ESQ.  
BART COWAN  
D. C. ADAMONIS  
DAN SALTER  
JIM MARIS  
S. M. IRA

1

---

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

MR. HOLIAN: Good afternoon. My name is Brian Holian. I'm the Director for the Division of Reactor Safety here at NRC Region 1. And we'll go through introductions in a brief minute here.

The purpose of today's meeting is to conduct a regulatory conference on the inspection findings from the Indian Point 2 Special Inspection concerning the performance of Con Edison during the 1997 steam generator inspections.

This meeting is between the NRC and Con Edison and it is open for public observation. The meeting will be transcribed. And along that line, I would ask, as we have questions or comments from the NRC's perspective or responses from Con Edison and it's not evident who's talking, that you do state your name for the transcription.

Copies of the NRC inspection report and the presentation slides are available on the back table, and there is an attendance sheet going around the room. So I ask you to get your name on that.

And with that, I'd like maybe to start up at this end of the table, go right down the NRC side.

1 MR. SCHMIDT: Wayne Schmidt, NRC Region

2 1.

3 MR. TRAPP: Jim Trapp, Senior Reactor  
4 Analyst.

5 MR. LEW: David Lew, Region 1.

6 MR. MILLER: I'm Hub Miller, Regional  
7 Administrator.

8 MR. ZWOLINSKI: I'm Jack Zwolinski. I'm  
9 the Director of the Division of Licensing and  
10 Project Management, Headquarters.

11 MR. STROSNIDER: Jack Strosnider,  
12 Director of the Division of Engineering, NRC  
13 Headquarters.

14 MR. MURPHY: Emmett Murphy, Materials  
15 Engineer with the NRR.

16 MR. RAYMOND: Bill Raymond, NRC Senior  
17 Resident at the site.

18 MR. ROBERTS: John Roberts, New York  
19 State Public Service Commission.

20 MR. McCANN: Good afternoon. My name  
21 is John McCann. I'm the Manager of Nuclear Safety  
22 and Licensing.

23 MR. GAYNOR: Doug Gaynor. I'm with the  
24 Risk Assessment Group.

1 MR. ESSELMAN: Tom Esselman, consulting  
2 with Con Ed.

3 MR. GROTH: John Groth, Chief of  
4 Nuclear Operations, Con Ed.

5 MR. BAUMSTARK: Jim Baumstark, Vice  
6 President, Nuclear Safety.

7 MR. PARRY: Jack Parry, Project  
8 Manager.

9 MR. ASHCRAFT: John Ashcraft, Con Ed.

10 MR. POINDEXTER: Tom Poindexter,  
11 Winston and Strawn, counsel for Con Ed.

12 MR. BRANDENBURG: Brent Brandenburg,  
13 Assistant General Counsel, Con Ed.

14 MR. PITTERLE: Tom Pitterle,  
15 Westinghouse.

16 MR. BALLINGER: Ron Ballinger, Altran.

17 MR. McBRINE: Bill McBrine, Altran.

18 MR. HENRY: I'm Bob Henry, Fauske and  
19 Associates.

20 MR. COWAN: Bart Cowan, Eckert Seamans.

21 MR. ADAMONIS: D. C. Adamonis from  
22 Westinghouse.

23 MR. MARIS: Jim Maris, Westinghouse.

24 MR. IRA: Steve Ira, Westinghouse.

1 AUDIENCE: Members of the public.

2 MR. YEROKUN: Jimi Yerokun, NRR, Region

3 1.

4 MR. BARBER: Scott Barber, DRP, NRC.

5 MR. RAFKY: Michael Rafky, Office of

6 the General Counsel.

7 MS. YOUNG: Mitzi Young, Office of the

8 General Counsel.

9 MR. MILANO: Pat Milano, NRR Projects.

10 MR. HABIGHORST: Pete Habighorst, NRC

11 Resident Inspector, Indian Point.

12 MR. LEHMAN: Jim Lehman, I'm the Deputy

13 Director, Office of Enforcement.

14 MR. SULLIVAN: Edmund Sullivan, NRC.

15 MR. LONG: Steve Long, NRR.

16 MR. ESELGROTH: Peter Eselgroth, Branch

17 Chief for IP 2 in the Region.

18 MR. BLOUGH: Randy Blough, Director of

19 Reactor Projects, Region 1.

20 MR. MADISON: Alan Madison, Special

21 Programming, NRR.

22 MR. HOLODY: Don Holody, Team Leader,

23 Region 1 Enforcement/Allegation Staff.

24 MR. SHEDLOSKY: Tom Shedlosky, Senior

1 Reactor Specialist.

2 MR. URBAN: Rick Urban, Senior  
3 Enforcement Specialist, Region 1.

4 MR. FEWELL: I'm Brad Fewell. I'm the  
5 Regional Counsel, Region 1.

6 MR. HOLIAN: I'm briefly going to cover  
7 the agenda on the slide which today is as follows:  
8 Following these opening comments, Dan Holody of NRC  
9 will present background information on the  
10 regulatory conference process and the relationship  
11 of the new reactor oversight program.

12 Dave Lew here to my right will then  
13 provide a summary of the steam generator tube leak  
14 event, the NRC event response, and the NRC  
15 inspection findings.

16 Jim Trapp, our Senior Reactor Analyst,  
17 one of our two analysts, will present the NRC  
18 assessment of risk.

19 And a majority of the meeting will be  
20 the licensee's presentation by Con Edison. There  
21 will most probably be a short caucus and a brief  
22 wrap-up from the NRC perspective.

23 I presume sometime during the Con  
24 Edison presentation, especially if it's like the

1 evening meeting on the 11th, we might need a five-  
2 minute break in the middle of that.

3 At this time, I'll just give a brief  
4 few sentence summary of the inspection report that  
5 was conducted earlier this year.

6 The NRC found that the 1997 steam  
7 generator inservice examinations were program  
8 deficient in several respects, as summarized in the  
9 cover letter for that August 31st event. Despite  
10 opportunities, Con Edison did not recognize and take  
11 appropriate corrective actions for significant  
12 conditions adverse to quality that affected the  
13 steam generator inspection program.

14 Con Edison did not adequately account  
15 for conditions that adversely affected the  
16 detectability of and increased susceptibility to  
17 tube flaws.

18 Dave Lew will talk in a little more  
19 detail about those inspection findings in his  
20 presentation. The NRC did present these inspection  
21 findings and a summary of our risk assessment of the  
22 condition of the generator during this period in our  
23 August 31st inspection report.

24 The main purpose of today's regulatory

1 conference is to provide an opportunity for Con  
2 Edison to present information that may affect the  
3 NRC conclusions with regard to both the inspection  
4 findings and our risk assessment.

5 No decisions will be made at today's  
6 meeting. These regulatory conference meetings are  
7 an opportunity to obtain information on what we've  
8 published and put out following our inspection. The  
9 NRC will consider the information we obtain today  
10 and transmit by letter the final NRC conclusions  
11 regarding both the inspection findings and the risk  
12 assessments.

13 Additional opening comments?

14 MR. MILLER: No, just that as Brian  
15 said, our main purpose here is to hear from you.  
16 And we will, for completeness really of the record,  
17 review again our findings. I think you will  
18 recognize them. They're the issues and the findings  
19 that were documented in our inspection report, but I  
20 think it's important we go through that, and we'll  
21 do that briefly. But our main purpose is to listen  
22 to you. And in that regard, there are quite a few  
23 people here from NRC, but we're here to make sure  
24 that we do hear what you have to say.

1                   And what we will likely do, in order to  
2                   assure that we get the information that's needed and  
3                   we understand what you present to us, we'll likely  
4                   caucus -- I think Brian mentioned that, I don't  
5                   recall -- and make sure that we ask all of the  
6                   questions we can possibly ask here today, if that's  
7                   possible.

8                   And so again, there are quite a few  
9                   people here, but it's for a reason. It's to make  
10                  sure we really get all of what we need and not have  
11                  to do a follow-up.

12                 MR. HOLIAN: The caucus will be for  
13                 those final questions. We will be interrupting you  
14                 during your presentation on certain slides no doubt.

15                 MR. MILLER: Just the last small thing,  
16                 and that is if there are members of the public here,  
17                 I don't want to insist that you do it, but if you  
18                 want to introduce yourself, I want to give you the  
19                 opportunity. It's not required. Let's go ahead.

20                 MR. HOLODY: Good afternoon. My name  
21                 is Dan Holody. I'm the Team Leader of the Region 1  
22                 Enforcement/Allegation Staff.

23                 As Mr. Holian had indicated, today the  
24                 NRC is conducting a regulatory conference with Con

1 Edison. The conference will cover the NRC findings  
2 as well as an apparent violation associated with Con  
3 Edison's conduct of its 1997 inspection of its steam  
4 generators at Indian Point 2.

5 Since the meeting is open for public  
6 observation, and there is at least a member of the  
7 public here today, and since the meeting is  
8 transcribed, a copy of which will be made public,  
9 I'll take just a few minutes to briefly provide some  
10 background on the regulatory conference as well as  
11 the role or the place in the NRC evaluation of the  
12 NRC inspection findings.

13 This regulatory conference is part of  
14 the NRC reactor oversight process for dealing with  
15 inspection findings and performance issues at  
16 nuclear facilities. Using a process for determining  
17 the significance of findings called the Significance  
18 Determination Process, or SDP, the findings are  
19 assessed based on safety and risk significance. As  
20 part of this process, the findings are primarily  
21 assigned a color of green, white, yellow, or red,  
22 with green being the least significant and red being  
23 the most significant.

24 Whenever a potentially risk significant

1 finding is identified and characterized by the  
2 Significance Determination Process as white, yellow,  
3 or red, the licensee, Consolidated Edison in this  
4 case, is provided an opportunity to attend a  
5 regulatory conference.

6 The purpose of this conference is to  
7 discuss the findings, the performance issues, the  
8 preliminary significance determination, the related  
9 potential violations, root causes, and corrective  
10 actions.

11 In the NRC inspection report issued on  
12 August 31st of this year, the NRC preliminarily  
13 categorized the significance of the deficient Con  
14 Edison 1997 steam generator inspections at Indian  
15 Point 2 as red. Mr. James Trapp, our Senior Reactor  
16 Analyst, will later discuss our bases for this  
17 conclusion.

18 The NRC report also described the  
19 apparent violations as Con Edison's failure to  
20 identify and either adjust or modify the inspection  
21 methods and analyses so as to account for  
22 significant conditions that affected the quality of  
23 Con Edison's 1997 steam generator inspections. Con  
24 Edison subsequently requested this regulatory

1 conference be held to discuss its position on the  
2 finding and its significance, including the bases  
3 for its position.

4 This regulatory conference is  
5 essentially the last step of the process before the  
6 NRC makes its final decision on the significance of  
7 the inspection findings. The purpose of this  
8 conference is not to negotiate the significance of  
9 the finding or any resulting enforcement action.  
10 Rather, the purpose is to allow the NRC to obtain  
11 information from Con Edison that will assist us in  
12 determining the appropriate significance  
13 determination.

14 We will seek to assure a common  
15 understanding of the facts and a common  
16 understanding of the assumptions and factors used to  
17 determine the significance of the findings.

18 During the conference, the licensee can  
19 disagree with the NRC policies and positions and  
20 provide its bases. Con Edison may also provide any  
21 other information it deems relevant to the  
22 significance determination of this case, including  
23 its position on the content and accuracy of the NRC  
24 inspection report findings. The basis for any such

1 challenges will be discussed.

2 It is important to emphasize that the  
3 decision to conduct this conference does not mean  
4 that the NRC has made a final decision with respect  
5 to the significance determination or the apparent  
6 violation or what enforcement action is warranted.  
7 The apparent violation is subject to further review.  
8 The NRC will evaluate the information presented  
9 today, along with the inspection report findings,  
10 and then make a final significance determination and  
11 enforcement decision.

12 We will strive to issue our final  
13 decision A.S.A.P., in the worst case, within 30  
14 days. It is possible, however, that given the  
15 nature of these findings, issuance of the final  
16 decision in this case may take longer than desired.

17 Finally, prior to turning this meeting  
18 over to Mr. Lew, I note that any statements or  
19 opinions made by NRC staff at this conference should  
20 not be viewed as a final NRC position. Similarly,  
21 the lack of an NRC response to a statement by Con  
22 Edison should not be viewed as NRC acceptance of  
23 that position.

24 With that said, I'll turn the meeting

1 over to Mr. Lew.

2 MR. LEW: My name is David Lew. I was  
3 the manager for the NRC steam generator special  
4 inspection. I plan to briefly cover the event, the  
5 NRC response, and NRC findings for the steam  
6 generator special inspection.

7 I guess first I'll start off with the  
8 event itself. On February 15th, 2000, the steam  
9 generator tube failure occurred at the Indian Point  
10 2 reactor facility. This resulted in an initial  
11 primary-to-secondary leak of about a hundred 46  
12 gallons per minute. Con Edison declared an alert  
13 and initiated a manual reactor trip before  
14 identifying and isolating the source of the leak.

15 Con Edison successfully mitigated the  
16 event and placed the plant in cold shutdown. While  
17 there was a minor radiological release to the  
18 environment, this release was well within regulatory  
19 limits, was not detected offsite, and the event did  
20 not impact public health and safety.

21 Subsequent to the event, Con Edison  
22 conducted inspections of the steam generators. They  
23 found that the failure was located at the apex of  
24 tube R2C5, which is a low row tube. As they

1 continued eddy current testing of the steam  
2 generator, the number of defects identified placed  
3 two of the steam generators in technical specifi-  
4 cation category of C-3, which required NRC approval  
5 for restart with the existing steam generators.

6 The NRC immediately responded to the  
7 event with follow-up and monitoring by the residents  
8 and the region based inspectors and also by NRC  
9 managers and technical staff in the Region 1 office.

10 An Augmented Inspection Team, AIT, was  
11 conducted from February 18th through March 3rd, and  
12 an AIT follow-up was conducted from May 15th to May  
13 26th to review the safety implications and the  
14 associated licensee actions in response to the steam  
15 generator tube failure.

16 The cause of the tube failure itself  
17 was not reviewed by the AIT and the AIT follow-up  
18 inspection. Instead, the NRC conducted a special  
19 inspection from March 7th to July 20th to review the  
20 causes of the failure and the adequacy of Con  
21 Edison's performance during the 1997 steam generator  
22 inservice inspections. This inspection consisted of  
23 personnel from Region 1, the Office of Nuclear  
24 Reactor Regulation, as well as NRC contractor

1 specialists in steam generator eddy current testing.  
2 The findings of this inspection are the topic of  
3 this regulatory conference.

4 Overall, we concluded that the  
5 direction and execution of the 1997 steam generator  
6 inservice examinations were deficient in several  
7 respects. Despite opportunities, Con Edison did not  
8 recognize and take appropriate corrective actions  
9 for significant conditions adverse to quality that  
10 affected the steam generator inspection program.

11 Con Edison did not adequately account  
12 for conditions which adversely affected the  
13 detectability of and increase the susceptibility of  
14 tube flaws.

4  
15 During the 1997 inspections, a primary  
16 water stress corrosion cracking, PWSCC, defect was  
17 found for the first time at the apex of a row two  
18 U-tube. The significance was not understood by Con  
19 Edison. The appearance of one defect signifies the  
20 potential for similar cracks in other low row tubes.  
21 Such PWSCC apex flaws are considered significant  
22 because they have been associated with through wall  
23 leakage and bursting.

24 Con Edison did not perform an adequate

1 evaluation of the cause and the susceptibility of  
2 low row tubes to PWSCC, the extent to which this  
3 degradation existed, and the increased probability  
4 of such a defect to rupture during operation.

5 Con Edison did not adequately evaluate the  
6 increased possibility of hour-glassing, which is a  
7 precursor for PWSCC in the apex of low volt tube, or  
8 question the adequacy of visual inspections for  
9 hour-glassing. The issue was not entered into the  
10 corrective action system and the tube was simply  
11 plugged.

12 Also during the 1997 inspections, tube  
13 denting in low row tubes was identified for the  
14 first time. Restrictions were encountered at the  
15 upper support plates as eddy current test probes  
16 were inserted into 19 tubes. This can indicate the  
17 possibility of hour-glassing. This hour-glassing  
18 increased the stresses at the U-bend apex of the  
19 tubes, which in turn are the leading contributor to  
20 low row U-bend apex PWSCC.

21 Con Edison did not perform an adequate  
22 evaluation for potential of hour-glassing, nor did  
23 they establish procedures or examination criteria to  
24 determine if such hour-glassing was occurring.

1 Again, this issue was not entered into the  
2 corrective action program.

3 Significant eddy current testing noise  
4 interference was encountered with the data of the  
5 low row tubes. This significant noise level reduced  
6 the probability of identifying an existing PWSCC  
7 tube defect. However, the 1997 steam generator  
8 inspection program was not adjusted to compensate  
9 for the negative effects of this noise in detecting  
10 flaws, particularly when conditions existed  
11 indicating an increased susceptibility to PWSCC.

12 For example, a more careful examination  
13 of available data was not performed. Detailed  
14 careful review of the 1997 data could have  
15 identified four defects, including the one tube that  
16 failed, which was R2C5.

17 Collectively, the failure to adequately  
18 address these conditions contributed to the tubes  
19 with PWSCC flaws in small radius U-bends being left  
20 in service until the failure of one of these tubes  
21 on February 15th.

22 That basically covers the inspection  
23 findings. I'll turn it over to Jim Trapp to discuss  
24 the risks associated with those findings.

1 MR. TRAPP: Good afternoon. My name is  
2 Jim Trapp, and I'm one of the Senior Reactor  
3 Analysts in Region 1. And I'm going to briefly  
4 discuss the risk significance evaluation performed  
5 to determine the risk associated with these  
6 findings.

7 The risk assessment was performed in  
8 accordance with the revised oversight program  
9 inspection manual chapter 0609. The inspection  
10 manual chapter provides three phases of risk  
11 assessments that increase in sophistication.

12 The phase 1 screen is performed to  
13 determine if additional analysis of the finding is  
14 necessary. Phase 2 utilizes pre-established  
15 sequences from the IPE to quantify the risk. Phase 3  
16 evaluations are performed using best available risk  
17 information to more accurately characterize the risk  
18 of the findings. All three phases of the SDP were  
19 performed for these findings.

20 The SDP determines the potential risk  
21 associated with existing conditions. It is not  
22 limited to evaluating only actual consequences. For  
23 example, if all the diesel generators are found  
24 inoperable for a significant duration, yet offsite

1 power is not lost during the period that the diesels  
2 are inoperable, the actual consequences of this  
3 condition would be negligible.

4 However, the change in core damage  
5 frequency, delta CDF, and overall risk of this  
6 condition would be significant. In the case of IP2  
7 steam generator findings, poor quality steam  
8 generator tube inspections in 1997 would increase  
9 the likelihood of a steam generator tube rupture,  
10 which is a significant event, and therefore, these  
11 findings would be risk significant.

12 Steam generator tube rupture events are  
13 significant because by their nature, this type of  
14 accident degrades both the RCS and containment  
15 fission product boundaries. Therefore, they will  
16 increase both the probability of core damage and the  
17 release of radiation to the environment.

18 The NRC phase one and two SDP,  
19 significant determination process evaluations  
20 determined that these findings were potentially  
21 highly risk significant. Therefore, a phase 3  
22 evaluation was performed by the PRA branch of NRR.  
23 The key assumptions in the phase 3 analysis are:

24 Number one, that the initiating event

1 frequency for a steam generator tube failure is one  
2 per year. This assumption is based on the as-left  
3 condition of the steam generator tubes in 1997 and  
4 the actual steam generator tube failure history.

5 Number 2, half the steam generator tube  
6 failures will result in a steam generator tube  
7 rupture. This assumption is based roughly on in  
8 service tube failures experienced throughout the  
9 industry.

10 The third assumption is that the delta  
11 CDF is approximately equivalent to the delta LERF,  
12 or the large early release frequency is  
13 approximately equal to the change in the core damage  
14 frequency. This assumption is based on observations  
15 made by the NRC in NUREG 1560 that while most steam  
16 generator tube rupture core damage events result  
17 from a stuck open secondary steam relief valve which  
18 allows a direct fission product flow path from the  
19 core to the environment.

20 In addition to spontaneous steam  
21 generator tube failures, phase 3 analysis evaluation  
22 also included evaluation of other initiators which  
23 could induce a steam generator tube failure. These  
24 are events that increase the pressure differential

1 across a cracked steam generator tube which could  
2 induce the tube to rupture. The accident initiators  
3 considered were secondary side system faults,  
4 anticipated transients without scram, and severe  
5 accidents. In addition, core damage results from  
6 other causes such as station blackout which can  
7 result in elevated tube temperatures that can also  
8 lead to failure of degraded steam generator tubes  
9 were also considered.

10 Also inspection manual chapter 0609  
11 establishes four risk thresholds for risk  
12 significance for both the delta CDF and delta LERF.  
13 The findings are assigned a color based on risk  
14 significance with green being the least risk  
15 significant and red being the most risk significant.  
16 The risk threshold for a red finding is delta CDF  
17 greater than  $1\text{E-}4$  or a delta LERF of greater than  
18  $1\text{E-}5$ . Each decade reduction in delta CDF or LERF  
19 will result in a reduction of this significance  
20 color.

21 The results of the NRC's phase 3 risk  
22 assessment were documented in Attachment 2 of our  
23 inspection report 2000-7. The delta CDF and delta  
24 LERF were determined to be 1 times  $10$  to the minus

1           4. This would be indicative of a high risk  
2           significant or a red finding.

3                   This concludes my comments regarding  
4           the NRC's risk determination for these findings.

5                   MR. HOLIAN: Are there any initial  
6           issues from NRC, NRR, anything else? Mr. Groth.

7                   MR. GROTH: Good afternoon. We  
8           appreciate the opportunity to come and present  
9           information. Particularly, we appreciate this  
10          opportunity to come and discuss with the Nuclear  
11          Regulatory Commission particularly the phase 3  
12          self-assessment or risk assessment in regards to  
13          plant specific information.

14                   We'll spend quite a bit of time talking  
15          about that this afternoon and try and share with you  
16          our perspective on plant specific information, and  
17          that will deal with Cycle 14 risk, and also with the  
18          risk on February 15th.

19                   With that, Jim, if you would, please.

20                   MR. BAUMSTARK: Good afternoon. The  
21          purpose of Con Ed's position in this meeting this  
22          afternoon is to present our phase 3 analysis in  
23          accordance with the significance determination  
24          process.

1                   As stated in manual chapter 609, we  
2                   will provide plant specific risk perspectives and  
3                   related information, including alternative risk and  
4                   engineering analysis, to support reducing the  
5                   significance issues associated with our recent steam  
6                   generator tubing.

7                   Concerning the 15 February event  
8                   itself, using probabilistic risk assessment  
9                   insights, we are in agreement that there was low to  
10                  moderate risk to the health and safety of the  
11                  public. Today's discussion will focus on the risks  
12                  associated with Cycle 14 operation. We will  
13                  describe why from a fracture mechanic and  
14                  probabilistic perspective, a leak in row 2 column 5  
15                  was not going to progress to a rupture.

16                  We will describe why other tubes with  
17                  defects as determined in 2000 were not going to  
18                  rupture based on in situ testing. We will describe  
19                  why the probability of a rupture based on tubes left  
20                  in service is much lower by an order of magnitude  
21                  than that described in the inspection report.

22                  And finally, we will describe why, for  
23                  the spontaneous rupture case, delta core damage  
24                  frequency is not equal to delta large early release

1 frequency.

2 We will also -- as discussed in our 20  
3 July inspection debrief and in the inspection  
4 report, we remain convinced that the 1997 inspection  
5 met the requirements of then current industry  
6 guidelines. Based on lessons learned as a result of  
7 that inspection, we will outline measures to prevent  
8 recurrence.

9 The inspection report itself states  
10 that the affected tube row 2 column 5 did not  
11 rupture as the leakage was observed to be about a  
12 hundred 50 gallons per minute and leak flow from  
13 ruptures leading to core damage is on the order of  
14 magnitude of 4 to 6 hundred gallons per minute.

15 We will show that the probability of  
16 the leak we experienced progressing to a level  
17 exceeding the capacity of our charging pumps or some  
18 225 gallons per minute is an order of magnitude less  
19 than that stated in the inspection report. As a  
20 result, our analysis shows a white delta core damage  
21 frequency and a yellow delta large early release  
22 frequency for Cycle 14 operation.

23 A key factor which helps put the event  
24 in perspective is the extensive in situ testing

1           conducted in 2000. This real world end of cycle  
2           demonstration was conducted on 51 tubes, 48 with  
3           indications, including all 23 tubes with crack-like  
4           indications in both U-bends and straight leg  
5           segments.

6                       This testing program went well beyond  
7           industry guidelines, and included the three tubes  
8           with no indications to see if we could grow cracks  
9           under test pressure conditions. All tubes met three  
10          delta P burst margin criteria with negligible  
11          leakage at steam line break conditions. This  
12          testing demonstrated that the row 2 column 5 leakage  
13          was not indicative of multiple pending tube leaks.

14                      Therefore, since the leak from row 2  
15          column 5 did not and would not progress to a  
16          rupture, and since in situ testing demonstrated that  
17          no tube with crack-like indications detected in 2000  
18          would have burst, we are convinced that the  
19          probability of leaving a tube in service during  
20          Cycle 14 that could have burst is far less than the  
21          .5 discussed in the inspection report.

22                      Tom Esselman will begin with a  
23          discussion this afternoon of the mechanics of the  
24          row 2 column 5 failure and the likelihood of tube

1 failure. Tom?

2 MR. ESSELMAN: The progression from an  
3 understanding of the mechanisms and an understanding  
4 of the experience that has occurred over at Indian  
5 Point 2 over the last couple of years is really an  
6 important part of leading to the probability of  
7 failure calculation.

8 What I would like to do is to discuss  
9 and identify and define the primary water stress  
10 corrosion cracking mechanisms that have occurred in  
11 the steam generator tubes, then I want to take the  
12 Indian Point 2 specific experience with crack growth  
13 and the failure in R2C5, and to look at that plus  
14 the results of the eddy current test plus the  
15 results of all the stress analyses that we've done  
16 that we reported over the last several meetings to  
17 try to provide a foundation to allow us to look at  
18 the likelihood of tube rupture and to draw some  
19 reasonable conclusions.

20 It's clear that to discuss the row 2  
21 U-bend behavior, we need to relate it to the  
22 occurrence of hour-glassing. Only to provide a very  
23 brief description of what's going on, if I take a  
24 single tube and assume a line of symmetry, what's

1           happening is at approximately two inches below the  
2           transition region is the top of the top tube support  
3           plate.

4                   The top of the tube support plate, the  
5           top tube support plate, because of denting that's  
6           occurring, is causing the tube support plate points  
7           to move together. It's really that motion together  
8           that's giving us a condition -- giving us a state of  
9           stress that we've been most interested in up near  
10          the apex that we can relate to the occurrence of  
11          primary water stress corrosion cracking. And we can  
12          also relate to the extent of cracking. We're  
13          interested not only in the occurrence, but in the  
14          extent over which that cracking has occurred.

15                   So we really want to take the stresses  
16          and the mechanism and talk about the behavior,  
17          especially R2 -- row 2 column 5, where we have some  
18          evidence of what's happening.

19                   The primary water stress corrosion  
20          cracking mechanism is known to have cracks  
21          initiating at multiple sites. It occurs in a  
22          chemistry that induces it with susceptible material  
23          with a state of stress.

24                   We've previously discussed at the

1 meeting the relationships that have been developed  
2 for returns of stress corrosion cracking versus the  
3 stress as a function of ratio of stress to yield  
4 stress. And we will talk a little bit more about  
5 that today. But you need to have sufficient stress,  
6 and the stress is occurring at the apex of the tube.

7 The cracks initiate at multiple sites.  
8 They're known to initiate as small cracks, much like  
9 thumbnail cracks. They don't initiate as two-inch  
10 long cracks that are 30 inches, three mills through  
11 wall, they initiate as thumbnail cracks and then  
12 eventually they will grow and link to form larger  
13 cracks. That is they'll grow deeper and longer and  
14 they'll eventually link. And I'll show you a  
15 picture of this in a minute.

16 Eventually, you get to the point where  
17 the higher aspect ratio cracks, these are linked  
18 cracks that now are still shallow but yet pick up  
19 length -- the aspect being the ratio of the length  
20 to the depth -- will grow until the stress in the  
21 remaining ligament exceeds the material failure  
22 stress. So you get to the point where these are  
23 growing through the tube thickness to the point  
24 where the remaining ligament is capable, just

1           capable of withstanding the load or the stress  
2           that's induced. And when that stress equals a  
3           failure stress, you'll get that crack to penetrate  
4           the wall.

5                       We've worked with Professor Ron  
6           Ballinger, who's here today, who's worked with us,  
7           also who is at MIT, who spent the last 15 or 20  
8           years or so working on stress corrosion cracking in  
9           inconnel tube, both from a laboratory point of view  
10          where he's been inducing cracks in the lab and also  
11          from looking at experiences from the field.

12                      There are a lot of examples of this,  
13          but this is an example of a mill annealed inconnel  
14          600 tube that was cracked by primary water stress  
15          corrosion cracking in a primary water condition but  
16          from the OD of the tube.

17                      You can see the tube outside diameter.  
18          This was in a primary water environment. And this  
19          tube, even though in this photograph appears to be  
20          circumferential shape, these are axial cracks.

21                      Now, if you look at this, you can see  
22          the thumbnail cracks that I'm referring to or  
23          individual cracks that form and they will link.  
24          Because when these two cracks A and B are linked,

1           there is adjacent to, but not yet linked with C.  
2           But as these grow through the wall -- and this is  
3           the outside surface of these look like they're about  
4           30 percent through wall at this point -- as they  
5           grow, they will continue to link. The result will  
6           be a fairly flat crack, obviously with this kind of  
7           shape, but it will grow through wall and have  
8           associated with it -- and this is important as we  
9           look at the probability -- it will have associated  
10          with it a depth of crack and also a length of crack.  
11          And it's a length of crack that will be important as  
12          we look to see how long a crack will open to give us  
13          a flow rate.

14                       Evidence of this linking of cracks can  
15          be seen in several different ways from the Indian  
16          Point tubes. I've shown an EC scan from -- an eddy  
17          current scan from a row 2 column 69 tube where this  
18          is along -- this is the apex, this is along the  
19          axial orientation, and this is the depth of the  
20          crack. If you look at these cracks that are noted  
21          by eddy current testing, you can see evidence of  
22          linking of these cracks. And these are multiple  
23          cracks that will form. They'll generally be  
24          colinear because of the stress, but they may be

1 offset slightly from one another. And that is --  
2 that's evident as we look further, particularly at  
3 row 2 column 5.

4 Could we turn the lights off for a few  
5 minutes?

6 This is a montage of row 2 column 5  
7 failure. This is taken from a video that was taken  
8 from the inside of the tube. And this shows the  
9 failure from one end of the tube out to the other  
10 end of the tube. The failure was approximately 2  
11 and a half inches long, 2.4 inches I believe.

12 And you can see, number one, a primary  
13 failure zone. This also is a straight crack. The  
14 apparent turning is really a video image issue in  
15 developing a montage. It's generally a straight  
16 crack across the apex.

17 You can see one primary flaw where you  
18 can see evidence of individual -- the roughness here  
19 and the slight linear differences are evidence of  
20 cracks that have formed. And then when the failure  
21 has progressed, it's gone through wall at one point,  
22 and when it's progressed, there's a linkage of these  
23 cracks that are partial through wall.

24 What's clear in looking at the primary

1 crack -- two things are clear. Number one, this  
2 image is obviously a depressurized condition. In  
3 the plant, when that is pressurized and leaking, we  
4 expect that this was open at the mid point probably  
5 twice as much, roughly twice as much as it is here.

6 But what's evident even in this image  
7 that the ligaments as you look across here are all  
8 broken. Particularly when this is expanded further,  
9 we believe that it's clear and, you know, obviously  
10 looking at this thing in more detail than what you  
11 can do here, by looking and relooking at the  
12 videotape, it's clear that the ligaments in the  
13 primary crack are broken. That is, that in the  
14 primary crack, the opening that you achieve from one  
15 end to the other was maximum.

8 16 What you can see at the other end of  
17 this though is a shorter crack that is -- that  
18 progresses -- and you can visually see this coming  
19 out here just a bit -- progresses in its darker --  
20 but it's not linked to the same level where these  
21 cracks are. This lack of linkage means that this  
22 crack -- also it's not perfectly clear whether this  
23 crack is through wall or just visually appearing  
24 like this. In fact, it could be through wall in the

1 fact that it's open so much and not particularly  
2 tight indicates that it could be. And that is  
3 linked on the outside diameter of the wall.

4 What's clear is that this crack, which  
5 flowed through, clearly through this primary crack  
6 region, could have been several tenths of an inch  
7 longer.

8 The other thing that's clear when we've  
9 looked at the videotape in detail and looked at the  
10 results of eddy current, particularly clear at the  
11 right-hand side is that you have a region where the  
12 crack clearly has stopped. You can see plasticity  
13 at that end. And we'll talk a little bit about  
14 crack behavior in the presence of a sharp tip. But  
15 yet in the review of this end, it's clear that  
16 there's plasticity. And in reviewing the images in  
17 that direction, there's no evidence that is all  
18 evident of any additional cracking being available.  
19 It appears like it has gotten to the point where  
20 there's no additional cracks -- that no existing  
21 additional preexisting cracks that that would have  
22 run into it. Question?

23 MR. LONG: Steve Long, NRC. I  
24 understood you to say that the crack was essentially

1 axial with no circumferential aspect to it at all.  
2 And is that what you meant? Because it looks even  
3 in say that frame right there like that's the axial  
4 direction, there's just within that frame quite a  
5 change in direction.

6 MR. ESSELMAN: In looking at the  
7 videotape, it's difficult to be absolutely precise  
8 as to where you are circumferentially.

9 We are confident for two reasons.  
10 Number one, just because of the linear nature of  
11 this and based upon the expectation of where the  
12 cracks need to be that provide the mechanism for  
13 linkage, as you go around the wall, and for instance  
14 this went 45 degrees or 90 degrees around the wall,  
15 we know that the stresses are not sufficient that  
16 far around the wall to give you the preexisting  
17 cracks.

18 So it's a challenge to maintain  
19 circumferential orientation as you look at this. We  
20 believe that this is linking of cracks that are  
21 around the apex.

22 MR. LONG: I don't want to pursue this  
23 very long, but when we were looking at this before,  
24 we were under the impression that the way the camera

1           took pictures essentially gave you, for a frame,  
2           some idea that this was along the axis. You're  
3           saying that the axis of the tube was actually like  
4           this?

5                     MR. ESSELMAN: That's what we believe,  
6           yes.

7                     MR. LONG: Okay.

8                     MR. MURPHY: This is Emmett Murphy of  
9           NRC. There were striation markings, imperfections,  
10          linear imperfections on the tube surface that  
11          appeared to be axial against which you could compare  
12          the orientation of this crack.

13                    MR. ESSELMAN: That would be the result  
14          of forming.

15                    MR. MURPHY: Perhaps as a result of  
16          forming, but which would suggest that this crack  
17          does have a skew as described. And it becomes  
18          pronounced, perhaps approaching 45 percent on the  
19          right-hand side of the picture, the montage here.

20                    MR. ESSELMAN: Okay, I guess we could  
21          go back and re-review that again and look for that.  
22          I guess we believe that, number one, we believe that  
23          it's axial. Frankly, whether it's axial or skewed a  
24          bit is less important, except that it's related to

1 the stress distribution in the presence of cracks.  
2 We believe that even down in this region, there's  
3 evidence of linking of cracks as you go down to that  
4 end.

5 MR. MILLER: You're saying that that  
6 tail -- just to ask a question as a layman here --

7 MR. ESSELMAN: On the right-hand side?

8 MR. MILLER: -- is not really a tail.  
9 It's some artifact of the way the camera worked,  
10 that in your view that this thing is a straight line  
11 more or less along the axial direction at the top?

12 MR. ESSELMAN: More or less along the  
13 axis.

14 MR. MILLER: It's not sort of a  
15 component that you do a vector and transverse it.  
16 It's all kind of in line?

17 MR. ESSELMAN: We believe that it's  
18 primarily longitudinal. We think that there's some  
19 stepping and non-collinearity, but primarily we  
20 believe that it's longitudinal, and that is around  
21 the axis, around the apex.

22 What's evident at the right-hand end of  
23 this is that you have -- is that you have a crack  
24 arrest with a region of plasticity. And there's no

1 evidence of additional cracking at that end.

2 At the left-hand side, there is  
3 evidence of a crack that was not linked, but that  
4 crack appears to go a relatively short distance past  
5 the primary crack and would be -- could have added  
6 several tenths of an inch to the length of that  
7 crack.

8 We also reviewed eddy current data that  
9 was taken to look at the regions to the upstream and  
10 downstream of this crack. Also saw no evidence of  
11 any cracking that was existing at either end of this  
12 flaw.

13 We know -- and there's numbers that are  
14 used relative to the flow rate. It was -- the flow  
15 rate that was calculated from the plant was a  
16 hundred 9 GPM from this flaw. We also can relate  
17 that flow rate -- and I will talk later about the  
18 relationship between that flow rate to that length,  
19 this length to that flow rate to the flow rate that  
20 have come from other U-bend cracks that will allow  
21 us then also, as we look at this further, to relate  
22 this crack to other U-bend cracks, particularly with  
23 respect to the flow rate that's coming out of the  
24 crack.

1 MR. ZWOLINSKI: Did I hear you mention  
2 a figure, a hundred 9?

3 MR. ESSELMAN: Yes.

4 MR. ZWOLINSKI: Is that at the  
5 beginning of crack initiation or is that at the end  
6 when you terminated the event?

7 MR. HOLIAN: I'll back up on that  
8 question also that John is asking. And you  
9 mentioned it in your opening comments about being  
10 different than the flow rate in the inspection  
11 report. And I was going to address it then, but I  
12 let it go.

13 The AIT report which was previous to  
14 this '97 inspection report was to three different  
15 flow rates for the event. Which I think what John  
16 Zwolinski is getting at, you have one flow rate when  
17 the plant is at primary pressure, and which  
18 according to the AIT report, two charging pumps  
19 could maintain.

20 Then you had the plant dropping the  
21 pressure where there was a less of a DP through the  
22 crack. And by that time, there was a water balance  
23 being done with changing temperature, and that was  
24 where you get that approximate flow rate of a

1           hundred 40 gallons a minute. And you're also saying  
2           a hundred 9. It's a different number than we've  
3           gotten. Whether that's down at a lower pressure or  
4           it's down at a lower rate at less of a pressure.  
5           Similar question.

6                     The only other thought I had, when you  
7           read the '97 inspection report, the recent one, you  
8           mention an order of magnitude down. And I think  
9           what you were referring to was the tube rupture flow  
10          rate that's used in the SDP risk assessment.

11                    MR. BAUMSTARK: That's correct. And  
12          that's why we arbitrarily -- because we knew the  
13          numbers were out there and they were a little bit  
14          different. The 109 and the 141 assumed a value of  
15          225 for the cutoff point that we established when we  
16          did our analysis.

17                    MR. HOLIAN: We want to revisit a  
18          little bit. And John, I don't know if that answers  
19          your question. But in any event, I think it's  
20          important just for this discussion here that the SDP  
21          analysis assumes a flow rate based on a tube  
22          rupture. And that's taken into account with what  
23          probability that a tube failure, which is less of a  
24          flow rate, would propagate. I mean you had to make

1           that assumption first and then you're still dealing  
2           within risk space and the risk of a full tube  
3           rupture, if it were to go to that.

4           MR. BAUMSTARK: For purposes of  
5           discussion, we're going to start off with that leak  
6           and show that is the order of significance of .5 and  
7           above.

8           MR. HOLIAN: I guess just for the  
9           record, whatever the leak rate is for this  
10          individual event is one issue. And the issue is  
11          under risk phase for the condition of what tube  
12          failure might have progressed to is another issue.

13          Does that answer it?

14          MR. ZWOLINSKI: Yes.

15          MR. LONG: This is Steve Long again.  
16          Since the hundred 9 or whatever is going to be used  
17          as data in their development of the distribution of  
18          leak rates, I still want to pursue it for a minute.

19          Can you explain to us how you developed  
20          the estimate of a hundred 9? We understand I guess  
21          it was in the log that at the time the plant was  
22          tripped, there were two charging pumps running and  
23          that the pressurizer level was increasing at that  
24          point, indicating that those two charging pumps

1 would not have been keeping up with the flow rate  
2 through the failure in the tube. So what I'm  
3 looking for is an explanation of the derivation of a  
4 hundred 9 and the relationship to the log rates.

5 MR. BAUMSTARK: I don't know that we're  
6 prepared to discuss that. We'd have to go back and  
7 look at the log entry and review that as part of the  
8 process. Off the top of my head, I'm not prepared  
9 to discuss whether it was a hundred 9 or a hundred  
10 40.

11 MR. LONG: Do you know where the  
12 hundred 9 came from?

13 MR. BAUMSTARK: In our SL1 report, in  
14 our investigation of that, that's what we came up  
15 with, 109 gallons. AIT came in later and determined  
16 a different value. I'd have to go back and contrast  
17 the elements that were taken into account to develop  
18 those numbers.

19 MR. LONG: Can you just tell me how you  
20 developed a hundred 9 independent of what we did?

21 MR. BAUMSTARK: Not without a review of  
22 the SL1 report.

23 MR. LONG: Okay.

24 MR. ESSELMAN: The question in

1 reviewing this, as we go back to the mechanism, is  
2 really why does it behave that way. We know that  
3 mill annealed alloy 600 is susceptible to PWSCC,  
4 again when you get the stress up near or above the  
5 yield stress.

6 However, from a crack propagation point  
7 of view, the material is extremely ductile. It has  
8 a very high toughness value, which is a measure of  
9 its resistance to critical crack growth or unstable  
10 crack growth. And it is clear that in the presence  
11 of a sharp flaw that this material will blunt, and  
12 that is that you get a region of a large  
13 plasticity -- a large plastic region at the crack  
14 tip that will have the crack tip not behave as a  
15 crack through propagation but as a material with the  
16 effect of the crack diminished greatly.

17 With crack blunting and with high  
18 toughness, you can determine that crack  
19 propagation -- and this is through a remaining  
20 ligament or from a running crack -- will be through  
21 overload. And that is when the stress in the  
22 material, in the ligaments, exceed the failure  
23 stress and not by unstable crack growth.

24 In order to demonstrate this, we took a

1 piece of mill annealed 600 material, it's very  
2 similar to the material that is in these tubes. It  
3 happens to be 62 mills thick instead of 50 mills  
4 thick. But we took a piece of this, we machined a  
5 notch in the center of this approximately  
6 three-quarters of an inch it looks like, half inch,  
7 maybe a half inch, and then we fatigued a crack into  
8 this specimen by putting cyclic load on it so that  
9 we ended up with a fatigue crack by fatigue, but a  
10 sharp crack at each end of the notch.

11 We then took that and began to load it  
12 so that the load in the section went above yield.  
13 And in fact, the behavior of the crack which is  
14 first shown here, the fatigue crack is very tight.  
15 And it was evident microscopically, but was not  
16 evident in this picture. As we started to load it,  
17 the fatigue crack opened. And at a very early part  
18 of the process, you can see that you get what is  
19 really a classical region of yield at the crack tip.  
20 This is the way that you would expect it to yield at  
21 the crack tip.

22 And as we loaded it further, you can  
23 see that the crack, which never extended, opened up  
24 and continued to open until it eventually was as

1 wide as the initial notch and behaved much like a  
2 notch without a crack would behave -- much as a  
3 notch without a crack.

4 What's happening here is that the  
5 effect of the crack tip is greatly blunted by this  
6 material, and that the failure of the remaining  
7 sections, that is the section -- the failure of the  
8 remaining section from the crack tip on out occurs  
9 when the stress in that section reaches the failure  
10 stress.

11 If you have a less tough material,  
12 obviously you can get to the point where this crack  
13 will run unstably and give you crack propagation  
14 without a great deal of plasticity. This material  
15 is a very tough material and it behaves.

16 MR. STROSNIDER: Was the test that  
17 you're illustrating here, was this run under a  
18 displacement control or a load control situation?

19 MR. BALLINGER: Load control.

20 MR. STROSNIDER: This was load control.  
21 I was curious, because typically, when you do this  
22 sort of analysis, the length -- or experiment, the  
23 length to which the crack will propagate is  
24 depending upon the compliance with the system and

1 the loading. And I'm wondering if you're suggesting  
2 that there's some compliance effects when you  
3 introduce and limit the length of the crack.

4 Because if you hung a weight on that  
5 and you reached a point where that thing started to  
6 tear, if it were totally load controlled, it would  
7 tear all the way through. And this is a simple  
8 tearing modulus comparing sort of evaluation.

9 So I understand what you're saying, but  
10 I'm curious if you're going to suggest that there's  
11 something in the introduction of the U-bend in the  
12 pipe due to compliance, given the pressure is pretty  
13 much in a controlled situation.

14 MR. ESSELMAN: The suggestion that we  
15 will make is that the extent of the crack  
16 propagation would be dependent upon the stress in  
17 the ligament that it will run into. The suggestion  
18 and belief that we have is that the crack will  
19 propagate through regions that are precracked, where  
20 there's existing cracks.

21 And as evident by R2C5, it ran through  
22 existing cracks, linked cracks, and stopped when you  
23 get to a region where there's no preexisting cracks,  
24 where you know that just the pressure stresses are

1 low and the pressure stresses, even with the effect  
2 of the wedging that you get from a crack, are also  
3 below the failure stress.

4 MR. STROSNIDER: Not to belabor this,  
5 but I guess the point you want to make is that this  
6 crack really didn't have a critical crack length  
7 when it was through the wall.

8 MR. ESSELMAN: Correct. That failure  
9 didn't occur because of fracture mechanics, it  
10 occurred because the stress in the uncracked  
11 ligament, the uncracked region exceeded the failure  
12 of stress, the ultimate stress.

13 MR. MURPHY: Let me -- I'm not quite  
14 sure of the point of this discussion. You're saying  
15 that U-bends are incapable of undergoing a classical  
16 burst type failure? Is that --

17 MR. ESSELMAN: No, it's not what I'm  
18 suggesting. I'm suggesting that if you pressurize  
19 the U-bend absent preexisting cracks, you can get  
20 the stress in the whole section to the point where  
21 it's high enough that you can get a crack to run,  
22 because, though, the stress in the section is  
23 initially high because it's an unflocked section.

24 If you're running, though, with a

1 preexisting crack, with an 80 or 90 percent depth --  
2 and an average depth is up in the 80 percent  
3 region -- the uncracked ligament, the stresses are  
4 the pressure stress where in fact they're 10 or 12  
5 or 15,000 PSI, and that crack will not progress at  
6 those pressures into that uncracked ligament.

7 MR. MURPHY: Perhaps let me ask a  
8 follow-up question.

9 Tom, Westinghouse, in its reports on  
10 behalf of Indian Point, have described a series of  
11 burst tests conducted on U-bend sections, conducted  
12 on the EDM notch, for purposes of demonstrating a  
13 higher burst strength for the U-bend section when  
14 compared to a similar crack in a straight length  
15 portion of tubing. Can I infer from the report of  
16 these tests that you were in fact achieving a burst  
17 configuration for the U-bend notch?

18 MR. PITTERLE: There was some tearing  
19 at the tips of the crack. There was not a lot of  
20 opening in the crack in those tests. It was a  
21 little bit through the semantics as to how you're  
22 going to define the condition of the tube after that  
23 test.

24 MR. MURPHY: You got some crack

1 extension, but you didn't get a large opening; is  
2 what you're saying?

3 MR. PITTERLE: Right.

4 MR. ESSELMAN: You also can take R2C5,  
5 and if you were able to seal the crack and  
6 pressurize it, you can get that crack to extend, but  
7 yet it will extend by pressurizing it, again in a  
8 burst test, when the yield stress or the stress in  
9 the uncracked ligaments again will exceed the  
10 ultimate.

11 And I think the burst testing that was  
12 done where you have an EDM notch that's sealed so  
13 that you can pressurize it, you again get the bulk  
14 material away from the notch up to a very high  
15 stress. So that when you reinitiate cracking, your  
16 section is at a very high stress level.

17 When you're in operation and you have a  
18 preexisting flaw, the stress is away from the flaw,  
19 particularly in the U-bend where you have  
20 compression at the outer fibers. For instance,  
21 where you have a state of bending in addition  
22 through the extrados, the state of stress away from  
23 the flaw is not conducive to that flaw running into  
24 it in an unstable fashion.

1 MR. MURPHY: One additional question.  
2 We didn't have any photographs available to us of  
3 what the Surry ruptured tube looked like. Could you  
4 just briefly characterize what the cracked tube  
5 looked like in that case?

6 MR. PITTERLE: The IDN load is very  
7 much like the picture shown, and the extrados was  
8 about four inches in length, but there is no -- it's  
9 just a separation.

10 MR. MURPHY: Okay.

11 MR. MILLER: Is there a contention  
12 here -- again asking as a layman almost -- unless  
13 you have preexisting cracks, you won't have a tear  
14 much more than what the preexisting cracks exists?  
15 That you don't believe that it's a sort of thing  
16 where you have cracks and then the initial opening  
17 and then the linkage, you have small ligaments and  
18 that won't take the pressure and tearing beyond  
19 that, unzips, if you will, to use a gross term here,  
20 unzips beyond the boundaries of the initial crack?  
21 Is that your contention here?

22 MR. BALLINGER: Correct, correct. In  
23 other words, the material is just simply tough  
24 enough so that for the operating pressures that you

1           have here, that when you exceed the region where you  
2           have preexisting IBSCC cracks, the material  
3           thickness and toughness are such as that the crack  
4           just won't run.

5                   MR. SCHMIDT: So then it's critical to  
6           find the cracks before they can link up.

7                   MR. ESSELMAN: Yes. Number one. But  
8           number two, it also allows you, if I can try to take  
9           the statement of what we're looking at, it also  
10          allows you then to look at the extent of preexisting  
11          cracks to define the potential extent of the crack  
12          should it go through wall and extend across the  
13          entire length of the preexisting cracks that would  
14          link in that mechanism.

15                  MR. LONG: Okay. Well, then I guess  
16          what we're really interested in is how long a  
17          preexisting crack could you really have gotten. You  
18          know, primary water stress corrosion cracking in the  
19          apex, is there some limit to the stress field or  
20          something that will give you a maximum length there?

21                  MR. ESSELMAN: Yes. Yes. And we want  
22          to go in a couple of overheads to exactly that. We  
23          would like to -- we believe that that's meaningful  
24          to look at the extent of cracking that exists and

1 why it exists that way as a way to define how long  
2 the crack might be. So we will go there.

3 MR. MURPHY: Just one final question  
4 for you -- and this is anticipating where you're  
5 going with this discussion -- I think part of the  
6 point you're making up until this point is that  
7 under normal operating conditions, it's unlikely  
8 that you could achieve a classic vision of burst  
9 configuration. Are you also saying that this  
10 situation is applied or may be seen in break  
11 conditions?

12 And let me explain why I ask the  
13 question. I note that one might expect on the basis  
14 of relationships that have been published relating  
15 burst pressure as a function of crack length,  
16 through wall crack length, that that relationship  
17 reaches an asymptote at around 1,000 PSI, based on  
18 1,100 PSI, based on average material properties and  
19 straight length tubing, and considering that you  
20 have a strength hardening effect in the U-bends and  
21 the effective yield is higher, and therefore the  
22 burst strength would be expected to be higher, that  
23 asymptote then would be probably very close to  
24 normal operating pressure conditions and may not be

perhaps much of a surprise from that standpoint, that you might not get a fish mouth configuration under normal operating conditions, but perhaps you could get a fish mouth configuration under mainstream conditions.

MR. ESSELMAN: I would need to look at your asymptotes and the limits in a little more detail before I would say that.

But I will comment more later about the behavior of a crack running around the U-bend relative to it opening up in a fish mouth. A two and a half inch crack -- only to jump ahead -- a two and a half inch long crack like the one we had here, if it occurred in a straight leg, would have opened up more and give you a higher flow rate than it will if it opened in a strength hardened and in a geometrically constrained region like the apex of a U-bend. And I'll show you data also that shows that from the U-bend area that we have.

MR. LONG: Steve Long again. Just one more thing. Would that also apply to a crack if it had a significant circumferential aspect to it? In other words, if this crack was not running axially, but going partially around the tube?

1 MR. ESSELMAN: Short of  
2 circumferential, I guess I would hate to take that  
3 to a limit. If that had some circumferential aspect  
4 where it ran around 10 or 20 or 30 degrees, that  
5 would apply then also. Clearly, if you're running  
6 it circumferentially, you're into a different  
7 mechanism, but I believe that that would apply also.

8 So we've together developed the fact  
9 that where I'm going is to take the length of  
10 preexisting cracks to relate that to the potential  
11 length of a crack once it ran.

12 We've taken the -- I'm sorry, there's  
13 one intermediate point. Evident again in the  
14 videotape, the behavior around the crack head is  
15 also evident. And it's clearer in the videotape,  
16 and we were not able to grab it. But yet this kind  
17 of plasticity with the 45-degree regions of clear  
18 plasticity is also evident at the crack tip in the  
19 tube in the montage. And it's clearer in the  
20 videotape where you can see the images of this  
21 plasticity occurring.

22 So the -- of interest is the extent of  
23 cracking, the axial length of cracking. Number one,  
24 where did we see it, what was the extent of what we

1 saw. And number two, what was the -- what's the  
2 potential limit, why is it occurring where it's  
3 occurring.

4 What I've done is taken a row 2 U-bend.  
5 All the eddy current testing is performed so that  
6 flaws and indications in the U-bend are zeroed  
7 against the top of the tube support plate, which  
8 gives a clear indication so that you can see that as  
9 we develop the entire region, we start at a  
10 10-degree point at 2.7 inches -- actually the  
11 transition is about 2.06 inches above the top of the  
12 tube support plate. So that as we develop this from  
13 10 degrees around to a hundred 70 degrees or zero to  
14 a hundred 80, we're running in distances from the  
15 top of the number 6 tube support plate.

16 What I've done in this chart is  
17 plotted, relative to the apex or the 90-degree  
18 point, which is at 7.4 inches, all of the flaws that  
19 were detected, including R2C5, which was a 2.4 inch  
20 flaw. So what I've done is I've developed, if you  
21 will, the U-bend, and I plotted relative to the apex  
22 the location of all the flaws and the length. And  
23 this is from -- the data that I've taken is from the  
24 800 kilohertz eddy current tests that were performed

1 in 2000.

2 The 2.4 inches was the longest. We  
3 have flaws that if connected were 2.1 inches, 2.0  
4 inches, and then many of the other flaws were --  
5 four of the other flaws were much shorter.

6 The occurrence of these flaws which are  
7 due to stress corrosion cracking are related to the  
8 stress. If we go back to the discussion that we had  
9 at the last meeting, or one of the last meetings,  
10 we've taken a U-bend and have analyzed it with  
11 hour-glassing. And I plotted here the extrados hoop  
12 stress -- and this is on the inside surface. The  
13 stress that's going to initiate cracking is the  
14 stress on the inside surface of the extrados in the  
15 hoop direction, because that's what's going to open  
16 up the axial cracks that have been seen.

17 This is a plot of that stress. And the  
18 yield stress limits of this material -- this is an  
19 elastic-plastic analysis of 0.476 hour-glassing.  
20 The yield stress of this material was around 66,000.  
21 So that you can see that the yielding is occurring  
22 where this is flattening out. And in fact, the  
23 yielding in the high stress region is around --  
24 centered around the apex. Again, 7.4 inches is at

1 the apex where this is the maximum, and then it's  
2 centered around there.

3 If we look back at the cracks, we can  
4 see that they're also centered around the apex with  
5 a slight skew, especially in R2C5, to the hot leg  
6 side. This is the hot leg side and that's the cold  
7 leg side.

8 We've also performed analyses that --

9 MR. LEW: Just a question. Going back  
10 to the previous slide where you were trying to plot  
11 the links, it looks like 2.4 inches, R2C5 obviously  
12 was about 800 kilohertz eddy current testing. But  
13 basically the rest of the data there is based on the  
14 capability of detectability of flaws basically above  
15 the threshold.

16 I'm just curious, you know, whether or  
17 not that would be -- you actually -- if you can  
18 detect some of the flaws and a certain probability  
19 of flaws which may extend the links that are shown  
20 up there. How much was that?

21 MR. ESSELMAN: There certainly is a  
22 possibility that there could be smaller flaws on the  
23 side of these.

24 What we did in looking at the eddy

1 current data and the plots that showed the depth  
2 versus length, as we looked at the last recorded  
3 points as the flaws went down to the zero, and the  
4 last recorded points or points that were noted at a  
5 given depth were approximately 30 percent through  
6 wall. We believe that the existence of additional  
7 cracks beyond these regions could exist, but they  
8 would be generally below 30 percent through wall.

9 Eventually we will consider, even  
10 though this crack is 2.4 inches, as we look at the  
11 likelihood of having a tube rupture, we have  
12 considered cracks that have greater length than  
13 these cracks in the determination of probability of  
14 failure. So we'll talk again about the potential  
15 for having cracks longer than these.

16 MR. LEW: But this is the input into  
17 determination of the distribution?

18 MR. ESSELMAN: This was a part of the  
19 input to determine that distribution. What we also  
20 did though was, understanding that there is a  
21 potential for them to be longer, was that we added  
22 many more cracks that were longer than the 2.4  
23 inches that are shown here.

24 MR. RAYMOND: Are you going to speak to

1 why you picked .476 as the assumed hour-glassing?

2 MR. ESSELMAN: I certainly can. We  
3 measured two locations in the steam generators.  
4 .476 was the maximum that was measured.

5 At the last meeting, I believe the New  
6 York meeting, we, following a request to look at  
7 larger hour-glassing, because we did not look at  
8 every flow slot, we looked at hour-glassing I  
9 believe up to .6 inches, or -- I think it was either  
10 .6 or .7, I don't remember precisely. But yet we've  
11 looked at larger amounts of hour-glassing to assure  
12 that the mechanism and the behavior is very similar.

13 And with larger amount of  
14 hour-glassing, given the facts that we're dealing  
15 with an elastic-plastic analysis, the conclusions  
16 are the same even if the hour-glassing is slightly  
17 larger.

18 MR. SCHMIDT: By looked at, you mean  
19 analyzed?

20 MR. ESSELMAN: We analyzed larger, yes.  
21 We measured .476, and that's why the analysis that I  
22 reported was .476, but we analyzed -- we looked at  
23 the effects of hour-glassing my recollection is up  
24 to .6, maybe a little bit larger.

1 MR. BLOUGH: On the other slide, do you  
2 have a theory as to why the two other largest cracks  
3 besides the one that failed are more or less  
4 symmetrical around the apex, whereas the one that  
5 failed is more canted toward the hot leg side? And  
6 again, I'm just wondering about, you know, what the  
7 detectability is for the front end crack.

8 MR. ESSELMAN: We would expect from the  
9 analyses for these to be slightly skewed to the hot  
10 leg side. The reason for that is because -- the  
11 reason for that is this: In this analysis, we've  
12 taken uniform hot leg/cold leg rows. In fact, what  
13 occurs in the plant is you get ununiform hot  
14 leg/cold leg rows. And that is the hot leg grows  
15 more than the cold leg, especially in a predented  
16 condition. And so it will grow slightly.

17 And we know that by superimposing this  
18 differential growth on top of the growth that we  
19 just showed, again this is with an elastic  
20 summation. So this somewhat over-emphasizes the  
21 effects that this will have. But because of that,  
22 we know that there will be a slight skewing to the  
23 hot leg side, not a significant skewing, but yet  
24 we've looked at this and have understood that you

1 would expect the stresses on the hot leg side to be  
2 slightly larger than the cold leg side.

3 Clearly though, your inner region up  
4 here that's very flat, and you would expect to be a  
5 distribution around the apex with what we've seen is  
6 a slight skew to the hot leg side.

7 MR. BLOUGH: Just so I understand the  
8 answer, your explanation as to why the failed one is  
9 more skewed to the hot leg than the other ones was  
10 just random distribution.

11 You would expect them all to be canted  
12 a little bit toward the hot leg side, but have a  
13 distribution around that point. And so the two  
14 other longest ones, there's not as much of a cant  
15 toward the hot leg side, if any. But the failed one  
16 is substantially canted toward the hot leg side.  
17 You would say that that's probabilistic.

18 MR. ESSELMAN: I think that that grew  
19 that way. There's a relatively small number of  
20 cracks, a relatively small number that grew, and  
21 that one just happened to grow to the hot leg side.  
22 As we look at it though, we believe that there  
23 should be a slight preference to the hot leg side.

24 MR. SCHMIDT: On the R2C5, which

1 section is the section away from the extrados or  
2 towards the extrados, do you know? Do you  
3 understand the question?

4 MR. ESSELMAN: Yeah, I believe that  
5 they're all on the extrados. I don't know which end  
6 is the hot leg side and which -- I don't know which  
7 end is the hot leg and which end is the cold leg,  
8 and I don't recall which is which.

9 MR. MILLER: Extrados is what?

10 MR. ESSELMAN: That's the top edge of  
11 the tube, which is the extrados. And we struggled  
12 with this a great deal. We're dealing with the  
13 inside surface on the extrados where the cracks are  
14 initiating. And in the axial direction, they're  
15 occurring axially. So that what we're dealing with  
16 is approximately one inch on one side, one inch on  
17 the other side of the row 2 tube.

18 MR. MILLER: Okay.

19 MR. ESSELMAN: We've gone back and  
20 forth enough on that. I think that this is a little  
21 bit redundant, but what we've done is plotted those  
22 flaws on top of the stress distribution and have  
23 seen that where you would expect -- where there's a  
24 potential to have stress corrosion cracks is where

1 the stress is relatively high.

2 In this behavior, there's a point where  
3 you fall off a cliff, if you will, in stress, where  
4 basically you would not expect to see any additional  
5 stress corrosion cracking once you go beyond here,  
6 for two reasons.

7 Number one, the progression is going to  
8 be from the high stress to the low stress. And what  
9 happened is that we found this, this had manifested  
10 itself before it had grown out to the edges of  
11 these, but yet there's also a threshold that's just  
12 very close to this yield stress point where you  
13 would not expect -- and like 90 percent of the yield  
14 stress -- where you would not expect the material to  
15 be susceptible to stress corrosion cracking. So  
16 where we're seeing the cracks is a region where we  
17 have high hoop stresses that would induce the axial  
18 cracks that we've been seeing.

19 The other thing that -- if I could go  
20 one more step and then take a question -- the other  
21 thing that's important is that even though this  
22 looks relatively flat, again we know that we're  
23 dealing with a stress to the fourth relationship or  
24 initiation of cracking.

1                   What I've done in the next overhead is  
2                   just taken that middle plot and plotted it as a  
3                   stress to the fourth power to show that in fact this  
4                   isn't a region from a PWSCC susceptibility or stress  
5                   corrosion cracking susceptibility. This isn't a  
6                   flat region of susceptibility based on the stress  
7                   and the relationship of the yield stress. You would  
8                   expect this to start at the apex and then grow in  
9                   the same direction but have a marked relationship as  
10                  it moves away from the apex.

11                 MR. STROSNIDER: That's for initiation,  
12                 right?

13                 MR. ESSELMAN: Yes.

14                 MR. STROSNIDER: Have you looked at the  
15                 susceptibility of growth using a stress intensity  
16                 threshold?

17                 MR. ESSELMAN: We've looked at the  
18                 stress distribution, and once a crack initiates, you  
19                 get a state of tension on the ID and compression on  
20                 the OD. And the crack grows across the area.  
21                 You're going for altering the stress.

22                 Once it initiates, there's not a great  
23                 tendency one way or the other based on the stress  
24                 within. It's really the stress initiation that is

1 required in order to get the crack started. Once it  
2 starts, the crack will be similar in this couple of  
3 examples. Any other questions?

4 MR. BARBER: Scott Barber. A general  
5 materials properties question. I thought you had  
6 said earlier that the actual yield stress in the  
7 material was, I don't know, in the mid 60,000 PSI  
8 range. And yet what you're showing is, by my  
9 reading of your figures, is that in fact the normal  
10 stress levels exceed that.

11 From a design standpoint, I'm not sure  
12 why the -- maybe there's something unique about the  
13 configuration, the denting, what have you, but it  
14 almost appeared as if that was part of the original  
15 design. And wouldn't that normally -- wouldn't it  
16 normally be the case if you were designing a tube  
17 that you would design it to operate in the elastic  
18 range and not the plastic range?

19 MR. ESSELMAN: What's really clear in  
20 this region is absent hour-glassing that has  
21 occurred only with progression with time, the  
22 pressure stresses up in this region are in the  
23 region of 15,000 to 18,000 PSI. So it's really the  
24 effects of hour-glassing that have occurred over

1 time that give you stresses that approach this.

2 You're pinching the tube and you're  
3 inducing high stress, bending stresses really across  
4 the tube.

5 MR. BARBER: Wouldn't that also lead  
6 credence to our contention or our finding that  
7 hour-glassing had a significant effect that should  
8 have been, you know, evaluated in detail? Because I  
9 mean what you're describing is in fact -- I guess  
10 I'm envisioning if you transpose the curve, it would  
11 be much lower, same shape but much lower, yet you  
12 have a phenomenon that once it occurs causes a  
13 significant change in the way the material behaves.

14 MR. ESSELMAN: Clearly, hour-glassing  
15 has contributed to the stress condition that's  
16 allowed you to have cracks in these tubes that have  
17 led to this failure. Absent the hour-glassing, the  
18 stresses are not high enough to give you this kind  
19 of stress corrosion cracking.

20 So from a crack stability point of  
21 view, what we've talked about is the cracks  
22 initiating, they grow, and they link. We believe  
23 that linked cracks will grow through wall and then  
24 extend axially by linking with adjacent cracks.

1                   We believe that the extent of cracking  
2                   seen in R2C5 with the apparent absence of any  
3                   additional cracks with the 2000 eddy current test  
4                   data showing cracks in the two-inch range and  
5                   smaller, clearly with a potential of having  
6                   undetectable flaws beyond that. But we think that  
7                   the potential to grow through wall and then extend  
8                   by axially linking with adjacent cracks is limited  
9                   to the approximately two and a half inch region.

10                  We also know that the high toughness  
11                  will inhibit crack propagation in the areas that  
12                  have no cracks or in areas that we believe have 20  
13                  or 30 percent through wall penetration.

14                  We've taken 30 percent deep cracks  
15                  adjacent to a through wall crack and looked at the  
16                  stress. And the stresses in those regions are not  
17                  sufficient to cause that to propagate. So we  
18                  believe that the high toughness of the material will  
19                  inhibit crack propagation beyond the regions where  
20                  you have relatively deep preexisting flaws.

21                  It is with that that we provide a  
22                  limitation both in the stress distribution which you  
23                  have through around the axial -- around the axial  
24                  orientation of the extrados, and you also have

1           limitation due to the high toughness of the  
2           material.

3                       Given that though, as a foundation to  
4           the probability analysis, we've also considered the  
5           likelihood -- and I'll talk in more detail about how  
6           we've chosen a distribution to consider probability  
7           of failures.

8                       But with the next thing that is  
9           required though, once you have an indication of the  
10          length of the crack -- and we've touched on this a  
11          little bit earlier -- is to correlate the flow rate  
12          through a crack with the length of a crack. What we  
13          know is that an equivalent U-bend crack will result  
14          in a smaller flow rate than the same length of a  
15          straight leg crack.

16                      There's two things that are happening.  
17          The geometry constraint is clear in a straight  
18          length where if you have a two or three-inch long  
19          crack, that the flaps, if you will, or the edges are  
20          relatively unconstrained to fish mouth and yield.  
21          In this where you are actually taking a crack and  
22          having it run along the surface, you're getting a  
23          lot of out-of-plane or bending resistance, bending  
24          stiffness that lowers the likelihood of that fish

1           mouthing. And so the amount of opening that you'll  
2           get in a U-bend crack is less than what you'll get  
3           in a straight leg.

4                     Also as was pointed out, these are work  
5           hardened due to the bending so that the material  
6           properties in the U-bend -- the yield stresses which  
7           you have to exceed in order to get fish mouthing is  
8           much higher than it is in the straight leg due to  
9           the work hardening due to bending, approximately 50  
10          percent higher.

11                    So for both of those reasons, you get  
12          less flow out of a U-bend crack than a straight leg.  
13          And if we look at industry data on that, we've taken  
14          the stress corrosion cracks that were reported in  
15          NUREG 6365, which looked back over 20 years of  
16          history, and chose -- and reported -- described both  
17          the mechanisms of the cracking and reported the  
18          length and flow rate out of the cracks. We've  
19          eliminated from this cracks like cracks that  
20          resulted from ABB wear and loose parts and things  
21          like that.

22                    What we've reported here is cracks in  
23          the straight tubes have followed this curve. And  
24          these are three data points that are reported there.

1 Prior to the Indian Point 2 experience, there's been  
2 a Doel 2 row 1 U-bend and a Surry 2 row 1 U-bend  
3 failure. The Indian Point data fits, with  
4 approximately 2.4 inches, and again into a range of  
5 flow rates.

6 MR. MURPHY: The one observation, one  
7 question you've shown. Your 109 GPM for the IP-2  
8 failure there -- and of course our estimate is up  
9 around 140, 150.

10 Secondly, do we know how the Doel  
11 leakage is calculated? Do we know enough to put the  
12 Doel leak rate on this chart?

13 MR. ESSELMAN: The Doel leak rate was  
14 reported in the NUREG, and that was an Idaho  
15 National Engineering Labs, and I know they spent a  
16 lot of time.

17 MR. MURPHY: Did the Idaho Lab  
18 calculate that leak rate or just using a leak rate  
19 reported by the Belgians?

20 MR. ESSELMAN: I don't know.

21 MR. MURPHY: To the extent that this  
22 curve is the basis for the analysis, I guess I'd  
23 have to wonder about including the Doel. Maybe we  
24 should know more about how the Doel number was

1           determined.

2                   MR. ESSELMAN: I agree. In fact, what  
3 we have done -- and this is to step ahead a bit only  
4 to answer this question -- what we've done, when  
5 we've used this data to calculate flow rate, we have  
6 essentially eliminated Doel and run the line through  
7 Surry 2 and Indian Point so as to skew the line  
8 upward by about 25 percent. So the Doel data point  
9 does fall below that, and the relationship that we  
10 use eventually to link crack rate to flow rate is  
11 actually a line that's higher than the one shown  
12 here.

13               MR. MURPHY: Okay. I guess just to  
14 revisit where we've been then, because this is kind  
15 of -- we've reached here I think a major point in  
16 your presentation -- we have the experience at  
17 Indian Point 2 and we have the experience at Surry.  
18 One involved a two and a half inch long crack, the  
19 other involved a four-inch long crack.

20                   I think your point is basically neither  
21 one of these resulted in a classic burst with a fish  
22 mouth, and that each one of these was much less than  
23 that, basically just a plastic opening with a crack,  
24 period. But it's two data points.

1                   And again, I would refer you to that  
2                   EPRI burst data where the burst pressure is related  
3                   to crack -- through wall crack length. And it would  
4                   seem from that information, and considering the  
5                   strength hardening, that perhaps there is a good  
6                   chance that a given tube with a crack that's quite  
7                   long, in the order of two inches or three inches,  
8                   couldn't burst under normal operating conditions no  
9                   matter how long the crack was.

10                   On the other hand, it wouldn't seem  
11                   clear from that data that the probability might not  
12                   be more than 25, or something on that order, that  
13                   two out of two are not bursts here, perhaps the  
14                   third or the fourth could be of a burst based on  
15                   what one might infer from that EPRI burst pressure  
16                   relationship.

17                   MR. PITTERLE: I don't think that the  
18                   pressure is high enough that you would not be above  
19                   the bursting. That's pretty high. In any of these  
20                   lengths and gaps, you're going to be above and  
21                   expect it to burst.

22                   MR. MURPHY: As I recall, the normal  
23                   operating pressure for Indian Point is 1530, as I  
24                   recall. And if you refer to the EPRI curve at 2.4

1 inches and you apply the spring adjustment involved  
2 in the COA report, you come up with a burst pressure  
3 of 1470 PSI. And that's for a nominal, average flow  
4 stress.

5 So the fact that we have two long  
6 cracks that have been experienced, and neither one  
7 of them resulted in a rupture in a normal operating  
8 experience is not inconsistent with that chart. On  
9 the other hand, one would not infer from that chart  
10 that the probability of getting a rupture -- a burst  
11 was zero as opposed to .5. I would think that one  
12 would still assume that, based on that curve, that  
13 the probability was on the order of .5 based on the  
14 proximity of 1470 to 1530. And so based on the  
15 proximity of the nominal burst pressure of 1470 to  
16 the nominate operating pressure differential of  
17 1530.

18 MR. ESSELMAN: Excuse me. You get a  
19 burst pressure of 1470 based upon what depth and  
20 length of crack?

21 MR. MURPHY: Based on a through wall, a  
22 hundred percent through wall, 2.4 inches long.

23 MR. PITTERLE: It could not have been  
24 through wall prior to its tearing, because the leak

1 rate was two and a half GPM.

2 MR. MURPHY: Okay, but it opened. And  
3 now you've got a big leak. And that crack opened  
4 up. The liquid is gone. And now you have a through  
5 wall crack that's 2.4 inches long. So the question  
6 is why didn't it burst.

7 It's being presented that it can't  
8 burst. And I'm just observing that sure, it's  
9 entirely possible that in two specific cases that  
10 you might well have gotten a burst, but that doesn't  
11 necessarily mean that it's not where some situations  
12 might not result in a classic burst.

13 MR. PITTERLE: I think we'll be able to  
14 show on the zero and the three, but we do have to  
15 confirm it.

16 MR. MILLER: Recognizing that  
17 correlating flow rates with size of the ultimate  
18 tear or crack, was there any examination that you  
19 know of of these other cases, Fort Calhoun, Palo  
20 Verde, McGuire, looking back at preexisting  
21 conditions in a manner similar to what you've done  
22 here to add confidence to this view that you have  
23 that it's the preexisting condition that determines  
24 length?

1 MR. ESSELMAN: All of these -- all five  
2 of these, other than Indian Point, were linked to  
3 the presence of stress corrosion cracks. And there  
4 was a basis developed in the NUREG for the extent of  
5 the stress corrosion cracking and the reason why it  
6 was there. And why, for instance, this one crack in  
7 that leak rate, the stress corrosion cracking  
8 occurred or existed at a region where there was a  
9 score mark or a defect that was in the tube. And it  
10 was actually along that where there was an OD stress  
11 corrosion crack. And that occurred at a defect in  
12 the tube.

13 The NUREG goes through in good detail  
14 and discusses these. These are all related to  
15 stress corrosion cracking, in the presence of stress  
16 corrosion cracking.

17 MR. MILLER: Did you tell me that yes,  
18 there were looks at the preexisting conditions on  
19 those two, knowing what cracks were there in the  
20 eddy current testing done prior to those cracks,  
21 looked at it, and it was lined up with the final  
22 length of the crack was no greater than the  
23 connection of the individual cracks for the rest of  
24 the point where you don't have -- the answer might

1 be no. I just want to know if there is anything  
2 else.

3 MR. McBRINE: Which points for those?

4 MR. ZWOLINSKI: For these points.

5 MR. MILLER: I recognize this curve has  
6 nothing to do, it just causes me to think they're  
7 making comparisons with other plants, and so I'm  
8 asking the question does Westinghouse or anybody  
9 else have data that looked back at these other  
10 plants, a similar analysis to what you've done at  
11 Indian Point 2? Do you have other data that  
12 buttresses your contention here that the ultimate  
13 crack is a long, preexisting defect?

14 MR. ESSELMAN: We've looked at -- we've  
15 relied on the NUREG and the description that's  
16 there. We know that many of these were pulled, many  
17 of these had great detail failure analyses done on  
18 them. And it was really the summary of those  
19 analyses with the references that were put into the  
20 NUREG. So I believe that they were all not casually  
21 analyzed, but were linked back to the mechanisms. I  
22 know that all of them were removed. I believe that  
23 the rest of them were. I know Surry 2 was removed  
24 also.

1 MR. MILLER: The answer that I'm  
2 hearing is that they were related generally to  
3 PWSCC, but you don't know the question of whether or  
4 not there was a study done of preexisting cracks as  
5 they would have indicated -- as they would have been  
6 indicated in eddy current testing in the manner done  
7 here and then make a correlation. I'm not  
8 challenging one way or the other, I'm just asking  
9 the question.

10 MR. ESSELMAN: I'd have to look.

11 MR. PITTERLE: We didn't do it at Palo  
12 Verde. The McGuire tube had substantial shallow  
13 cracking beyond the length of what's shown here. It  
14 did not tear all the way through the cracking. It  
15 was probably measured in feet in that particular  
16 case. Is that what you're looking for?

17 MR. STROSNIDER: I think so. You've  
18 raised an interesting point with the possibility  
19 that, because of the geometry of the U-bend, there  
20 may be some different failure mode for cracks here.  
21 You know -- and so I think you made some possibility  
22 there. I mean listening to this, there may be some  
23 geometry effect or something involved.

24 But I guess what I'd suggest is we

1 ought to move on and see how you plan to apply that.  
2 I'm not sure how significant it is when you get to  
3 the risk assessment.

4 MR. ESSELMAN: If you can only make one  
5 additional comment. Emmett, your comment is that  
6 well, these could have been fish mouth. I don't  
7 think that this was an accident that these were down  
8 here and not up here where fish mouth is. I believe  
9 that the geometric constraints and the fact that  
10 they're in the U-bend does limit the amount that  
11 they were open. The fact that there is strength  
12 hardening and they're much stronger. The fact that,  
13 as you run any of the distances around the apex,  
14 you're going to get a lot of geometric constraints.  
15 It's different and it's not going to open.

16 MR. MURPHY: I agree. My comments did  
17 not reflect directly the geometric constraints. It  
18 only accounted for strength hardening. But again,  
19 your demonstration of the geometry effect applies to  
20 normal operating conditions, and we don't have much  
21 corroborating information to go to a higher  
22 pressure.

23 MR. ESSELMAN: So what are we going to  
24 do? I guess what I wanted to do is to describe a

1 basic mechanism that's associated with what's going  
2 on at Indian point 2.

3 We talked about the PWSCC mechanisms.  
4 We've talked about R2C5. And really the important  
5 point from this is not necessarily the link back to  
6 the existence of stress corrosion cracking, but it's  
7 a link to what the flow is out of a crack, a full  
8 crack of a given length. And we've used this only  
9 for a flow rate comparison.

10 The real probability of failure  
11 question is given what we know now, what was the  
12 probability of a steam generator tube rupture during  
13 the last operating cycle. So you partially need to  
14 take 2000 data and use it to infer what was in  
15 existence in 1997, and then ask about the likelihood  
16 that those conditions could have led to a tube  
17 rupture.

18 We did not have a tube rupture. R2C5,  
19 the leakage, whichever leakage you use, was below  
20 the leakage that would have led to a tube rupture.  
21 The 225 GPM threshold certainly is well below a much  
22 higher flow rate.

23 Given the relative flatness of this  
24 curve, if it had been a couple of a tenths of an

1           inch longer and opened fully, there also would not  
2           have been a tube rupture. So the task really is to  
3           infer a set of conditions going back to 1997 that  
4           the conditions were such that they could have  
5           occurred so that a tube rupture, that is a break  
6           greater than 225 GPM, could have occurred.

7                     And our task and what we wanted to do  
8           was to try to walk through the process from having a  
9           tube with a defect, with the behavior that we've  
10          linked, and get to the point where we're going to  
11          say what's the likelihood that those tubes would  
12          have a tube rupture.

13                    What we've done in order to do that is  
14          that we've defined a series of progressive events,  
15          if you will, that are associated with tube failure.  
16          Again, this starts with a tube in service with or  
17          without a defect leading to a through wall crack  
18          that extends a certain length and gives you a  
19          certain flow rate. What we've done for each of  
20          those progressive events is we've defined a  
21          probability associated with each of those based upon  
22          the IP-2 conditions.

23                    Now, it is, to define the conditions in  
24          1997, the most accurate inspection data that we have

1 and the most accurate data that exists was performed  
2 in 2000, and we've used a lot of 2000 data to infer  
3 what the conditions were in 1997. But in fact we  
4 want to go back to 1997, knowing what we know now,  
5 and predict or calculate a probability of steam  
6 generator tube rupture.

7 What we've done with this series of  
8 events, and we've performed a Monte Carlo analysis  
9 to ask the question how often does that go through  
10 wall, how often does the flow rate exceed 225 GPM.

11 And what I would like to do is to walk  
12 through that process.

13 MR. BLOUGH: Can I ask a question about  
14 the basic process used? What was the end point of  
15 the analysis? Was it February 15th when the cycle  
16 ended by the tube failure, or did you actually  
17 project ahead to June, which would have been the end  
18 of the cycle if it hadn't been ended prematurely?

19 MR. ESSELMAN: We ran it for the full  
20 cycle. So we took -- we took the potential of  
21 having two full years, or approximately two years of  
22 crack growth on a preexisting flaw to see whether it  
23 would go through wall or not.

24 So the events that we've defined in the

1 Monte Carlo analysis is to first start with the  
2 number of tubes with undetected cracks. And I  
3 will -- let me just define the events, and we'll  
4 come back and talk about each one, and then I'll  
5 have a summary table that will relate what we've  
6 assumed in the analysis versus what we've seen.

7 We've presumed then in a tube that has  
8 an undetected crack the depth of the crack. So we  
9 have a distribution associated with the depth of the  
10 crack. We then -- and this is the depth of the  
11 cracks that exist at the beginning of cycle. You  
12 then have a crack growth rate. The crack will grow  
13 at a certain rate over the entire cycle. And what  
14 that will get you to on a single tube is the depth  
15 of a crack with a crack growth rate. And you then  
16 can have a criteria, actually a distribution for  
17 whether that crack will penetrate the wall or not.  
18 And I'll describe that also.

19 Once it penetrates the wall, again the  
20 mechanism -- this process will begin by a single  
21 deep crack that can be very limited in length  
22 penetrating the wall. But then the question is  
23 given then you create the potential that that will  
24 unzip, we believe that the unzipping will go as far

1 as the distance that you have preexisting cracks.  
2 So we ask then what's the potential axial length of  
3 that crack based upon the mechanisms that we've seen  
4 and based upon the possible lengths of the cracks  
5 based on the stress distribution. And then we've  
6 calculated the flow rate through that crack given  
7 the length of the crack.

8 Let me take each of these and briefly  
9 describe the distribution and then I have a summary  
10 table.

11 Postulated number of tubes with  
12 undetected cracks. Again, this is the beginning of  
13 the cycle. We have seven U-bends with axial  
14 indications identified in the 2000 inspection. In  
15 the Monte Carlo analysis, we've put in a hundred  
16 tubes with undetected cracks. We chose a number  
17 that we felt was very conservative in that we don't  
18 believe that there are a hundred tubes that have  
19 undetected cracks.

20 Why don't we believe that? We also  
21 know, and we've defined in other meetings, the fact  
22 that all the tubes don't have uniform susceptibility  
23 to cracking. There's a stress to yield stress  
24 relationship that we've talked about before. And

1           there are a series of -- a set of tubes in row two  
2           that are very unsusceptible to cracking because of  
3           the high strength of the tubes and the relatively  
4           low stress. We do believe that cracking will start  
5           in the most susceptible tubes and then progress  
6           through sequential tubes as they become susceptible.

7                       So having a small number of indications  
8           is what we've seen and we believe put in a very,  
9           very large number of tubes that have cracks.

10                      We've put in initial crack depth from  
11           zero percent to 90 percent. The population of the  
12           over 50 percent through wall cracks that we've  
13           allowed to exist in the Monte Carlo analysis has  
14           greatly exceeded the number of 50 percent through  
15           wall cracks that we found in the 2000 inspection.  
16           The 2000 inspection, even given that those cracks  
17           added two extra years of crack growth. And I'll  
18           provide you some numbers in a minute.

19                      The postulated crack growth rate, we've  
20           assumed crack growth rate of 4 percent to 20 percent  
21           through wall per year. With the 2000 inspection  
22           data, we've reported CMOA crack growth rates of zero  
23           percent to 16 percent through wall per effective  
24           full power year, with most cracks growing below

1 eight percent per year. I believe 60 percent or so  
2 of those crack growth rates were below eight percent  
3 per year. We've used a crack growth rate that's  
4 slightly larger than that noted.

5 Postulated crack penetration of wall.  
6 We've taken what we believe is a conservative  
7 probability, saying that a hundred percent  
8 probability of through wall penetration for a crack  
9 that is 80 percent -- that has grown to be 80  
10 percent through wall in depth. We also have a lower  
11 probability that even lower cracks could penetrate  
12 the wall. Yes, sir.

13 MR. LONG: Okay, this seems like it  
14 might be key. Steve Long. If you can explain this  
15 to me a little bit more.

16 You're saying as you go through the  
17 Monte Carlo, I guess you're assuming that when you  
18 reach 80 percent through wall, I guess average depth  
19 for the crack, you have a hundred percent  
20 probability of detecting a leak?

21 MR. ESSELMAN: You have a hundred  
22 percent probability of it penetrating the wall.

23 MR. STROSNIDER: Is that the same as  
24 saying the remaining ligament fails?

1 MR. ESSELMAN: Yes. You haven't yet  
2 defined though how long it is. What you've defined  
3 at that point in the Monte Carlo analysis is that  
4 you have a leak. You have a crack that is through  
5 wall. And then the question you have to ask is what  
6 then is the axial length. But yet you basically  
7 have a failure at that point.

8 MR. LONG: So what you're saying is  
9 basically you will shutdown for some reason,  
10 detectable leakage or some sort of gross failure at  
11 an average depth of 80 percent through wall?

12 MR. ESSELMAN: Not quite. We're saying  
13 in the Monte Carlo analysis that when this crack  
14 which we're artificially growing in the Monte Carlo  
15 analysis to see how long it becomes, when it reaches  
16 80 percent through wall, it's going to go through  
17 wall. That then will give you a leakage rate that  
18 is, again given the extent and the length of these,  
19 is such that you will detect it and will give you a  
20 longer shutdown.

21 MR. LONG: It will give you an  
22 observable event in operation; is that what you're  
23 saying?

24 MR. ESSELMAN: Yes.

1 MR. LONG: Remind me what the average  
2 depth of the crack was in 1997.

3 MR. ESSELMAN: I'll get to that in a  
4 minute, if I can. Because there were many -- there  
5 were a number of cracks that were greater than 50  
6 percent through wall on average depth.

7 And then relative to axial length of  
8 crack, we talked about this, the cracks being no  
9 longer, what we've seen being no longer than two and  
10 a half inches. We've assumed a distribution of  
11 axial cracks that range from zero up to four and a  
12 half inches long. So we've basically allowed the  
13 cracks, once it goes through wall, once we've  
14 exceeded 80 percent, it penetrates the wall, we've  
15 then allowed it to go up to four and a half inches  
16 long. The highest probability is for crack in the  
17 two to two and a half inch range.

18 But 37 percent of the cracks, that is  
19 that once we have this distribution, 37 percent of  
20 the cracks would have lengths greater than two and a  
21 half inches.

22 MR. STROSNIDER: You've given the  
23 ranges of the distribution. What are the shapes for  
24 these, uniform, normal?

1 MR. ESSELMAN: I can describe them in a  
2 minute. Let me give you parameters, then I'll  
3 describe them.

4 And then the flow rate, once you have  
5 the length of the crack, you then have a flow rate  
6 that we've used the NUREG data. As I indicated, we  
7 skewed it up to the Indian Point and Surry data.  
8 And then the question you asked if leakage occurred,  
9 was it above or below 225 GPM.

10 MR. MURPHY: And NUREG 6365 was which  
11 NUREG?

12 MR. ESSELMAN: That's the INEL report.  
13 That reports on all the tube ruptures that have  
14 occurred over the last 10 years. That's the one  
15 where we got that flow rate data from.

16 MR. MURPHY: Oh, okay. So you're using  
17 the curve in that data?

18 MR. ESSELMAN: Yes. The only thing  
19 that we've done is adjusted it so we skewed it from  
20 that line that we've drawn in the curve up so it  
21 bounds the Indian Point and Surry points.

22 If we look at and compare what was  
23 found at Indian Point 2 in 2000 to what was put into  
24 the Monte Carlo analysis, and also as I go through

1 this and discuss the distributions a little bit, we  
2 have found in Indian Point 2, seven U-tubes that had  
3 cracks, we've provided for a hundred in the  
4 distribution. Relative the depth of cracks, we have  
5 the number of tubes exceeding 50 percent through  
6 wall are four tubes. What we've done in the  
7 distribution is allowed 19 tubes or 19 percent of  
8 the tubes to exceed 50 percent through wall.

9 The distribution had approximately 50  
10 percent of the tubes in the zero to 30 percent  
11 region, and it went out to probably 3 percent or 4  
12 percent, that were up in the 70 to 90 percent  
13 region. The total tubes that we allowed to exceed  
14 50 percent through wall was 19.

15 The details of the distributions I  
16 don't have at my finger tips right now, but it was  
17 basically went out to 70 to 90 percent through wall  
18 at roughly 3 percent. 50 to 70 would have been  
19 about 17 or 16 percent of the tubes would be 50 to  
20 70 degree range.

21 MR. MURPHY: What would have been the  
22 associated probability of leaving the indication  
23 that was measured for R2C5 in 1997, what would be  
24 the probability for being out of service in this

1 scenario?

2 MR. ESSELMAN: That was  
3 approximately -- the 1997 depth was probably --

4 MR. PITTERLE: The full length was 70.  
5 The shorter segment was probably around 80.

6 MR. ESSELMAN: Around 70, that would  
7 have been in the 50 to 70 range. It would have been  
8 like 19 percent or maybe a little bit lower.

9 MR. LONG: That's 19 percent  
10 probability as to the depth. How about combining  
11 that with the probability for length as well?

12 MR. ESSELMAN: Which is the axial  
13 length of the flaw, we've allowed there to be 37  
14 tubes or 37 percent of the tubes greater than two  
15 and a half inches and no distribution growth up to a  
16 smaller number greater than four, four and a half  
17 inch range.

18 MR. LONG: So you're saying 37 percent  
19 of the cracks are longer than 2.5 and about -- what  
20 was that 19 percent were more than 70 percent  
21 through wall?

22 MR. ESSELMAN: 19 percent greater than  
23 50 percent through wall. And when they penetrated  
24 the wall, 37 percent of them would go longer than

1 two and a half inches.

2 MR. LONG: So I guess a probability of  
3 about seven percent that something might be worse  
4 than what you had instead of better.

5 MR. ESSELMAN: If you take the  
6 probability that you had 70 percent and it was  
7 longer than two and a half inches, that's probably  
8 right.

9 MR. LONG: As opposed to something like  
10 50-50 worse or better than you observed. You're  
11 saying that what you observed is a fairly unlikely  
12 outcome of not knowing what you left in service  
13 because of the noise?

14 MR. ESSELMAN: Given the relatively  
15 small number of flaws and given that that was a  
16 singular flaw, then we would conclude, yeah, that it  
17 was unlikely. But you know, I can -- I wouldn't  
18 want to do the arithmetic, but your number was seven  
19 percent or 10 percent or something like that.

20 MR. LONG: I'm saying of the flaws that  
21 you're running through the Monte Carlo, you're  
22 running more than the found in service, so there's a  
23 normalization issue.

24 MR. ESSELMAN: Right.

1 MR. LONG: Where you're trying to be  
2 conservative, but of the ones that you run through  
3 the Monte Carlo, it looks like seven percent of them  
4 would be on the worse side of what you observed with  
5 that one flaw and, you know, the other 93 percent  
6 would be better in either length or depth.

7 MR. ESSELMAN: Obviously there's a lot  
8 more flaws than we postulated that are not as bad as  
9 R2C5. The fact also is that when you get to the  
10 calculation of the leakage rate, R2C5 also wasn't a  
11 tube rupture and that you needed to have a flaw  
12 longer than that in order to have it exceed the 225  
13 GPM threshold.

14 MR. LONG: We'll get to that in a  
15 minute.

16 MR. MURPHY: So what you're doing is  
17 you're not evaluating the significance, the risk  
18 significance of leaving a tube that looks like R2C5  
19 in service, you're doing something different.

20 MR. ESSELMAN: If you just leave R2C5  
21 in service, you will get what we got from R2C5, and  
22 that's a leak. What we've needed to do in order to  
23 get the probability of a steam rupture --

24 MR. MURPHY: They were uncertain. You

1 don't know the crack growth. But in the other  
2 analysis, you haven't applied it yet, but if you  
3 postulate that you start the cycle with a flaw that  
4 looks like R2C5 in '97 and then, you know, if you  
5 just start a cycle with a flaw that looks like that  
6 and then you try to estimate, you know, what are the  
7 potential consequences of leaving that flaw in  
8 service, given that I have it, you know, there's  
9 potential for growth rates that might be applied for  
10 that kind of thing. The flaw may grow in many  
11 different ways. But that's not what you've done  
12 here.

13 MR. ESSELMAN: Well, I believe it is,  
14 because what we've done is we've allowed flaws that  
15 are worse than R2C5 to occur.

16 MR. MURPHY: There's only a seven  
17 percent chance though that we would have a flaw  
18 equal to or worse than R2C5.

19 MR. ESSELMAN: Let me also say that I'm  
20 uncomfortable, you know, picking numbers that way,  
21 because I guess I'd like to verify that number or at  
22 least withhold my ability to verify it later.

23 But yet we create the ability, and if  
24 that's the percentage with a certain percentage,

1           then we can have something worse than R2C5, yes.

2                   MR. LONG: Let me help here a minute.  
3           What they've done is taken a hundred flaws per Monte  
4           Carlo, per iteration in the Monte Carlo analysis,  
5           and assumed that seven of those are worse than or  
6           the same as the one that failed. So that's not  
7           necessarily saying they've got a seven percent  
8           chance of one being worse than what failed, they're  
9           saying there's -- they're putting seven like that in  
10          each iteration of the analysis, as I understand it.

11                   MR. ESSELMAN: Well, yeah, except that  
12          you first have to put one in that that's deep, and  
13          then you enter the length of the flaw. And you do  
14          have to look at the combination of the likelihood of  
15          the remaining Monte Carlo steps to get to the  
16          likelihood that there's a flaw worse than R2C5.

17                   The fact that on the next overhead I'll  
18          present to you the probability of a leakage rate  
19          greater than 225 GPM. Every one of those was worse  
20          than R2C5. And so I believe that what we're doing  
21          is creating the potential in each Monte Carlo run,  
22          because you're right, every 10,000 times you take a  
23          hundred flaws and you assign depth to every tube,  
24          there are a hundred tubes you assign depth, a crack

1 growth rate, you ask whether it goes through wall  
2 and you assign an axial rate and get a flow rate.

3 So given that we know what R2C5 was --  
4 we need to create the potential to get flaws that  
5 were worse than R2C5 that will give us --

6 MR. LONG: I understand what you're  
7 doing. I think I just want to make the correction  
8 that it wasn't seven percent. You were putting in  
9 seven flaws like that per iteration on the average.

10 MR. ESSELMAN: No, I don't think that  
11 that's right. Because frankly this, relative to the  
12 crack growth rate, this is less interesting than  
13 this is relative to the flow rate. What's important  
14 is the length. And the important thing about R2C5  
15 was not necessarily that it -- well, there's two  
16 things that are important. It went through wall and  
17 it leaked, but the length of R2C5 was important.

18 We have allowed there to be a lot of  
19 flaws go through wall. Whether it's R2C5 or not  
20 R2C5, we have created -- you take tubes exceeding 50  
21 percent through wall and up to 20 percent but yet  
22 greater than eight with a distribution that goes out  
23 greater than eight percent, you have a lot of tubes  
24 go through wall.

1                   What's important for R2C5 is the axial  
2                   length of the flaw. And we've let 37 percent of the  
3                   flaws that go through wall to be longer than R2C5.

4                   MR. LONG: Right, but some of those may  
5                   have been zero percent deep.

6                   MR. ESSELMAN: Well, you don't assign  
7                   this until it goes through wall. And a lot of these  
8                   go through wall. We've assigned this probability to  
9                   a lot of tubes that go through wall, and that's 37  
10                  percent.

11                  MR. LONG: All right. You're  
12                  assigning -- let's try to get this straight one more  
13                  time.

14                  You start, with each Monte Carlo  
15                  iteration, you start off with a hundred tubes.  
16                  You're going to assign some depths, maybe zero, may  
17                  go up to 90 percent. And then you're going to grow  
18                  those hundred tubes at some variable growth rate,  
19                  each one.

20                  The ones that go through wall  
21                  somewhere -- I've got two questions -- they're kind  
22                  of confusing here. The ones that go through wall  
23                  you're going to assign a length to and then you'll  
24                  decide what the leak rate is.

1                   Now, one of the things that's bothering  
2                   me is you're starting with 90 percent through wall  
3                   and you're going to grow them for two years and a  
4                   minimum of four percent. So it's pretty hard to  
5                   have them not go through wall if they start at 90.  
6                   But you also said they have a hundred percent  
7                   probability of leakage of being observed at 80.

8                   MR. ESSELMAN: We've obviously got some  
9                   overlap that says that we put some flaws in a  
10                  relatively low number with an average depth up to 90  
11                  percent that immediately pass the other criteria.  
12                  So we've conservatively, I think, probably looking  
13                  at the numbers, left some overlap in there. So  
14                  clearly, if you have anything that's in the 70 to 90  
15                  percent region, they go through wall with near  
16                  certainty.

17                 MR. LONG: But the 90 percenters would  
18                 have to start short.

19                 MR. ESSELMAN: The length of these is  
20                 not particularly important. It's secondarily  
21                 important to whether they go through wall or not.  
22                 You can have a half inch flaw that's 80 percent  
23                 through wall that will go through because of a  
24                 ligament. What you do get is a stiffening effect.

1           So if it's an eighth of an inch, it won't go through  
2           wall.

3                   MR. LONG: Let me just make the point  
4           so you understand and let's go ahead. My concern is  
5           that in the mathematics you're doing, you're doing  
6           something that's not realistic. You're starting  
7           with some fraction of the flaws that would be  
8           immediately observed as leaks or ruptures because  
9           you're starting with some of them at 90 percent  
10          through wall. And then you're assigning a length, I  
11          guess. I'm not sure exactly where that goes in  
12          terms of being conservative or non-conservative in  
13          your analysis. It's going to depend on exactly how  
14          you made the decisions in the Monte Carlo. But it  
15          seems pretty unrealistic, and that's why I was  
16          asking.

17                   MR. ESSELMAN: The overlap that we've  
18          created is unrealistic that says that we've put in a  
19          flaw that will fail the criteria for through wall  
20          penetration. More appropriate would be something  
21          that didn't rupture the day before you shut down  
22          that you missed that could be up to 80 percent  
23          through wall that you put it back in service and it  
24          would go right away.

1 MR. LONG: The question is what's the  
2 shape of the distribution percent through wall.

3 MR. ESSELMAN: I could dig that out as  
4 we talk. The shape of the distribution of the  
5 percent through wall -- again my recollection is  
6 that we have 50 percent in the zero to 30 percent.  
7 We have greater -- 50 percent that are greater than  
8 that. We probably have three or four percent that  
9 are 70 to 90. And I believe -- well, this is 19  
10 percent exceeding 50. We probably have 16 percent  
11 or 15 percent that are 50 to 70, and 38 or 40  
12 percent that's 70 to 90. And then --

13 MR. LONG: I can't write that fast.  
14 Let me request that we get those distributions,  
15 okay?

16 MR. ESSELMAN: I had expected that  
17 through this we would be able to supply those.

18 MR. BARBER: Scott Barber. I just have  
19 a general question about the assumed values for the  
20 depths and the ratio. I mean obviously you have --  
21 here you're showing that the number of U-bends that  
22 had cracks in the '97 inspection were seven, and yet  
23 in four out of seven of those, they were greater  
24 than 50 percent. Why wouldn't you have a similar

1 correlation for your Monte Carlo? Why would you  
2 assume that instead of having 56 or 57 or 58 percent  
3 greater than 50 percent through wall, only 19  
4 percent are through wall because you've, in fact by  
5 doing that, you've skewed the results, you know,  
6 downward.

7 MR. ESSELMAN: But yet in the  
8 inspection in 2000, the flaws that are most likely  
9 to be missed are not the deep flaws. It's very  
10 likely that we have found in the 2000 inspection all  
11 the deep flaws. What we really need to account for  
12 in the analysis are shallower flaws that are in the  
13 zero to 30, 30 to 50, lower than the ones that are  
14 greater than 50 percent.

15 I think it's appropriate, given that  
16 most of these have been found not to use this ratio  
17 but to use this number and to say as we do this we  
18 want to put in many more tubes that have flaws that  
19 deep. Because there's a much higher likelihood that  
20 those have been detected.

21 MR. BARBER: Weren't those seven tubes  
22 though that you're identifying on your viewgraph  
23 there, weren't they in fact not found in 1997 but  
24 were found in 2000 and also characterized in 2000

1 with exceeding 50 percent through wall?

2 MR. ESSELMAN: As I said when we  
3 started, we relied a great deal on 2000 data, which  
4 we knew was much more indicative of what was there  
5 to infer what it was like in 1997. So yes, we took  
6 2000 data to infer what was there.

7 MR. BARBER: Well, you're also, by your  
8 Monte Carlo analysis, aren't you also trying to  
9 infer what existed through the cycle from '97  
10 onward? So wouldn't it be appropriate to make a  
11 comparison between what you saw in the 2000  
12 inspection and what your Monte Carlo analysis is  
13 going to try and show?

14 MR. PARRY: This is Jack Parry. We  
15 took the results of the 2000 inspection and assumed  
16 that's what we had in the beginning of the '97 cycle  
17 from a conservative standpoint. It couldn't be  
18 worse than what we found in 2000, so we assumed  
19 that's where we started off the cycle for the risk  
20 analysis.

21 MR. BARBER: My point is a simple one,  
22 but if you just do a simple ratio, you had seven  
23 tubes that had flaws that were left undetected from  
24 '97, four of which had crack depths or depths

1 greater than 50 percent, if you use the same ratio  
2 with your Monte Carlo analysis, you'd have a number  
3 like maybe 56, 57, 58. And I think your end result  
4 would be quite a bit different than what it's going  
5 to end up being.

6 MR. GROTH: The ratio in that case is  
7 the total number of tubes inspected as opposed to  
8 the number determined to have problems. If you use  
9 that ratio and say in 2000 we inspected -- how many  
10 tubes --

11 MR. PARRY: 11,000.

12 MR. GROTH: 11,000 tubes, and we found  
13 seven that in fact had cracks. If we use that  
14 ratio, there would be a much lower number than 19.  
15 I understand your point.

16 MR. BARBER: Okay.

17 MR. LONG: Not all of those tubes are  
18 subject to this phenomenon.

19 MR. GROTH: I agree with that. Even if  
20 you take the number of tubes that are subjected to  
21 that phenomenon and use it as a ratio, you'd find a  
22 much different number than 50 percent.

23 MR. ESSELMAN: It's inappropriate to  
24 presume for purposes of choosing these numbers that

1 a 30 percent flaw is equally likely to be found as a  
2 70 percent flaw. We know that's not the case.

3 And what we've tried to do is we've  
4 tried to include many more of the flaws that are  
5 less likely to have been found and amplified by we  
6 think are a great deal the flaws that were found in  
7 2000 to reflect what we don't think existed in 1997,  
8 because we think that we found all of these at a  
9 greater than 50 percent through wall. But we've  
10 amplified that by over a factor of four to represent  
11 the number of flaws in 2000, which I believe is  
12 accurate and very conservative.

13 MR. HOLIAN: You can go on to your next  
14 slide. We'll revisit it.

15 MR. ESSELMAN: So with the 10,000  
16 trials performed, we have obtained -- we performed  
17 analyses for greater than 225 GPM, which we've  
18 talked about. We've also tracked a number that  
19 we'll use subsequently for flow out of these leaks  
20 that are greater than 75 GPM and less than 225 GPM.  
21 The probability for spontaneous failure that we've  
22 gotten from the Monte Carlo analysis is .039 per  
23 year. The probability per year for leakage between  
24 75 GPM and 225 GPM is .275 percent year.

4

1                   We've also performed work for steam  
2                   line break. And given two things, number one, the  
3                   high number of flaws that we've artificially allowed  
4                   to penetrate out of these samples and the relatively  
5                   small difference between normal operating pressures  
6                   and steam line pressure, we've seen no statistical  
7                   difference in the probability for steam line break.  
8                   And we've calculated the same probabilities using  
9                   the different delta Ps that you would have. So the  
10                  numbers that we've calculated for probability of  
11                  tube ruptures are presented here.

12                 MR. LONG: I'm sort of trying to do a  
13                 reality check on this. Basically, you're saying  
14                 that -- I'm trying to figure out what, but you have  
15                 about 31 percent of your Monte Carlo runs come up  
16                 with a failure that is greater than 75 GPM for a  
17                 spontaneous failure. Are you saying that the other  
18                 69 percent are observable leakage below 75 GPM, or  
19                 is there some that have no operational leakage at  
20                 all?

21                 MR. ESSELMAN: There's some, and I  
22                 don't know what that number is. There's some that  
23                 have no operational leakage at all.

24                 MR. LONG: Well, those really need to

1 be subtracted out. I mean you found an apex crack  
2 in 1997, and you went back to service. So in your  
3 Monte Carlo situation, if you came up with no  
4 observable operational effect, basically you do it  
5 again. So we need to know what fraction came up in  
6 that zero observable effect.

7 MR. ESSELMAN: I can certainly get  
8 that, but I guess I don't know that I agree that if  
9 you take a hundred tubes and one happens not to  
10 penetrate the wall, that's not a valid data point.

11 MR. LONG: But out of your trial  
12 involving a hundred tubes, if there's no observable  
13 operational effect, presumably you do the inspection  
14 the same way you've been doing the inspection. And  
15 if you find something, if you plug it and you try  
16 again but you keep trying with this problem, you  
17 have in the inspection process. So the reason --

18 MR. ESSELMAN: Except this is -- I  
19 understand your point. This is not really related  
20 to the inspection process. This is for the last  
21 cycle, given where we were in 1997, what was the  
22 probability of getting a tube rupture.

23 If we take a hundred tubes and none of  
24 them went through wall, that's a valid data point.

1                   MR. LONG: I understand your position,  
2 but we have a different position. Our position is  
3 that in your inspection, you had a warning that  
4 there was something occurring that did not lead you  
5 to an inspection process that precluded the event.  
6 Therefore, one of the inputs to our process was that  
7 you essentially needed an operational event in order  
8 to terminate the process of taking the chance that  
9 an operational event would occur.

10                   So what we're trying to figure out is  
11 the distribution of those operational events  
12 between, you know, for the observable operational  
13 events between leakage and, you know, if you want to  
14 break the gross failures let's call it into the 75  
15 to 225, greater than 225, I think that's a  
16 legitimate thing to do, you know, because you can  
17 calculate success criteria differently for those two  
18 flow rates. But the point is that if you had no  
19 flow rate, no observation, we'd essentially say  
20 that's not going to terminate the problem that was  
21 occurring.

22                   MR. ESSELMAN: We can track that also  
23 and we can measure that and we can let you know what  
24 that is. I think it's a relatively small number.

1 We'll get it.

2 MR. LONG: Okay.

3 MR. ZWOLINSKI: When you were doing  
4 this analysis just for sensitivity, if the 19 tubes  
5 was 20 tubes and you run the Monte Carlo analysis  
6 through, what would happen with the numbers as far  
7 as the .38 and the .275? Would they become larger,  
8 if 19 became 20?

9 MR. ESSELMAN: I wouldn't expect it to  
10 change substantially. Again --

11 MR. ZWOLINSKI: Okay.

12 MR. ESSELMAN: I'm sorry.

13 MR. ZWOLINSKI: Is that number not in  
14 the equation and therefore --

15 MR. ESSELMAN: It is in the equation.  
16 What you're doing is you're only slightly increasing  
17 the number of tubes that go through.

18 MR. ZWOLINSKI: I'm trying to figure  
19 out with the sensitivity which number is driving the  
20 Monte Carlo equation. When I do my mathematics,  
21 there's some numbers that are more equal than  
22 others. I was just trying to figure out which  
23 number is more equal.

24 MR. ESSELMAN: We've done some of the

1 parametric studies. I believe that this is an  
2 important parameter because that says once you go  
3 through wall and how long is the flaw and because of  
4 its importance we tried to skew it in a very  
5 conservative direction, if you look at the rest of  
6 these, what's important is that we've chosen  
7 distributions so that a lot of these go through  
8 wall.

9 If you substantially change them so  
10 that you change two percent of samples of a hundred  
11 tube samples that went through wall, then you would  
12 start having a sensitivity study. Those kinds of  
13 things we can do relative to 19 tubes versus 20, I  
14 believe it would not make any substantial  
15 difference.

5  
16 MR. LEW: How sensitive is it to assume  
17 flow rate when you took -- the question was how  
18 sensitive is this analysis with respect to you  
19 seeing Indian Point 2 as a data point over input  
20 into the analysis of a hundred 9 gallons per minute  
21 versus a hundred 46 gallons per minute?

22 MR. ESSELMAN: As I described, we did  
23 not assign a conditional probability to that curve,  
24 really not knowing how to do it. So that was

1           deterministic. So if you skewed that upward or  
2           downward, you would increase or decrease the  
3           probability that you would calculate.

4                   MR. MURPHY: And you skewed it upward?

5                   MR. ESSELMAN: We skewed it upward from  
6           mean up to the point where it included basically  
7           information for three data points that we had. Yes,  
8           sir.

9                   MR. LONG: The other point that I'm  
10          trying to understand is you said that there's really  
11          no difference in the probability of having a tube  
12          fail with a flow rate of let's say 225 GPM. When  
13          you have the normal operational delta P, which is --  
14          what was it, Emmett -- about 1540 PSI, or if you had  
15          a depressurization on the secondary side so that if  
16          you're less than that you'd be able to get,  
17          depending on what your operator did, you'd be able  
18          to get the full operating pressure on the primary  
19          while you had a pressurized secondary. In that  
20          case, you'd have -- I've forgotten what your  
21          operating pressure is -- it's like 2,000, 2,200.

22                   MR. GAYNOR: In our plant, we don't  
23          have high pressurization safety pumps.

24                   MR. LONG: I understand your point, but

1 we're talking about less than 225 GPM initially. So  
2 you would be able, with your charging pumps, to get  
3 it back up to 225 PSI? You can put in something  
4 like 250 GPM as the charging, right, 225?

5 MR. GAYNOR: Over a substantial period  
6 of time. Once you --

7 MR. ESSELMAN: But no, just because you  
8 have a flow rate doesn't mean you can develop a  
9 head. Your pumps have a head.

10 MR. LONG: They're PD pumps.

11 MR. ZWOLINSKI: All three?

12 MR. GAYNOR: Yes. But normally you  
13 wouldn't have all three operating. Normally you  
14 would have one operating. Now, if you get an SI, I  
15 believe those pumps are stripped, and I think at  
16 most they're normally --

17 MR. LONG: We're not talking about the  
18 situation that you are. We're talking about a  
19 situation where you start off less than 225 PSI,  
20 maybe zero PSI -- I'm sorry, GPM, less than 225  
21 GPM -- I hate to do this to the court reporter --  
22 and the pressure changes, the differential pressure  
23 changes.

24 Now you do have some data, but let's

1           assume for the moment you don't. But if you do,  
2           it's less than you can keep up with for your  
3           charging system. So you can take the charging  
4           pressure up to what your normal operating pressure  
5           would be, or hot standby pressure would be, and I'm  
6           asking what that is.

7                     I think the lowest one I know of is  
8           2050 and they're usually up around 2235 PSI. So  
9           your at 2235 PSI potentially with not much pressure  
10          on the secondary side. So are you telling me that  
11          when you looked at whether or not you could rupture  
12          an apex flaw at 2235 PSI pressure differential, you  
13          still didn't see any difference compared to the 1530  
14          PSI pressure differential?

15                    MR. McCANN: I think what Doug is  
16          saying, when we looked at the NUREG that describes  
17          the classic main steam line break accident and where  
18          the pressures go during that accident, the  
19          assumption is that the operator will fail to secure  
20          safety injection and therefore you could wind up  
21          with a flow -- with the reactor coolant system  
22          repressurizing and the reactor coolant pressure  
23          going to SI pressure. We don't have high head SI  
24          pumps. We used 1,800 pounds as a cut off point for

1           that analysis.

2                   MR. LONG:   So what you assumed was  
3           there would not be an error that would get you above  
4           1,800 PSI.

5                   MR. McCANN:   That would actually take  
6           more errors, right, because now the operators would  
7           have to start the extra pump.   It would progress  
8           much more slowly.   I think it's a different  
9           situation, but we did not look at that.

10                  MR. LONG:   Okay.   You took a classic  
11           main steam line break.   There are other ways of  
12           depressurizing secondaries so you can stick open a  
13           valve somewhere.

14                  MR. McCANN:   To depressurize?

15                  MR. LONG:   To depressurize, you can  
16           trip the plant, but you may not get a massive  
17           coolant with SI.

18                  MR. McCANN:   Again, what he used was  
19           the classic main steam line break accident that was  
20           described in -- I forget the NUREG -- and that  
21           assumes that the operator neglects to secure a  
22           safety injection and therefore brings the active  
23           coolant system back up to safety coolant pressure.  
24           And we used the SI pressure of our safety injection

1 pumps.

2 MR. GAYNOR: Also the lower  
3 pressurization rate will also reduce the delta P in  
4 terms of timing between primary and secondary as  
5 well. One is following the other fairly closely.

6 MR. LONG: If you have a rapid  
7 cooldown. At any rate, I understand what you did.

8 MR. HOLIAN: Let's take a five-minute  
9 break before we go on to the next presentation.

10 (Recess.)

11

12 MR. GAYNOR: My name is Doug Gaynor.  
13 I'm with the PRA Group for Indian Point. And what  
14 I'd like to do today is to take the results of what  
15 Tom has given you and show you how we've applied  
16 that to give you some of our phase 3 plant specific  
17 assessment.

18 The assessment that was done by the NRC  
19 in the inspection report cited four different  
20 postulated scenarios: The spontaneous steam  
21 generator tube rupture, which is the normal  
22 operating steam generator tube rupture, an induced  
23 steam generator tube rupture as a result of high  
24 pressures, hazardous type of events on the primary

1 side, secondary side depressurization events, and  
2 steam generator tube ruptures that are induced by  
3 conditions after core damage where you might get  
4 some very high temperatures in the primary side.

5 What I'd like to do is -- the two  
6 events that the assessment indicated were not as  
7 significant as the depressurization and the  
8 spontaneous rupture, go through those first.

9 The overpressurization event, as  
10 indicated in the assessment, the aqueous type of an  
11 event, doesn't have any impact on core damage  
12 frequency. And we agree with that because  
13 essentially you're at the point where you're  
14 assuming the aqueous event has caused the core  
15 damage event.

16 The assessment also indicated that  
17 basically from an aqueous point of view, your impact  
18 really can't be any greater than the contribution of  
19 aqueous to core damage frequency to begin with. In  
20 the individual plant inspection for Indian Point 2,  
21 that frequency was approximately 1.8 times 10 to the  
22 minus 6.

23 The only thing I'd like to point out is  
24 that since the time of the individual plant

1 examination, we have gone back and modified and  
2 created a more robust reactor protection system  
3 model and looked at the logic and the channel in a  
4 little more detail and at the signal diversity.

5 As a result of that, the current model  
6 for Indian Point 2 has a contribution to core damage  
7 frequency from anticipated transient without scram  
8 of just less than 5 times  $10^{-7}$ . So in  
9 fact the contribution cannot be more than that in  
10 terms of what we're looking at here.

11 With regard to temperature induced  
12 steam generator tube rupture postulated scenarios,  
13 the Indian Point 2 individual plant examination did  
14 look at these, and in fact used the NUREG 1150  
15 information, which I guess actually came out of CR  
16 4551, which indicated that for high and dry type  
17 sequences, there was approximately a 1.8 percent  
18 chance of an induced rupture where you have some  
19 flaws in your steam generator tubes.

20 For the purposes of this evaluation, we  
21 took a look at the more recent technical basis,  
22 including the in situ tests that we've done here for  
23 Indian Point 2, the 1/7th steam generator  
24 experiments, the TMI experience, the industry

1 analyses that have been done since then, and the NRC  
2 analyses that have been done.

3 Based on that, a couple things came up.  
4 As far as the in situ test, as we mentioned  
5 previously, the tubes that were found with flaws  
6 were tested and other than R2C5. They all in fact  
7 passed the three delta P test. As far as situations  
8 where you don't have secondary side depressurization  
9 along with the high temperature, the temperatures  
10 and pressures on the tubes do not rise to the levels  
11 where you would start to see the material strength  
12 start to be reduced to the 800 K area, the 800  
13 degrees K area.

14 When you do have some depressurization  
15 with regard to the locations of the tubes where we  
16 saw flaws, the temperatures still would not exceed  
17 this point at which you'd start to see the material  
18 strength being reduced. This is specifically true  
19 with regard to the R2C5 location in the apex due to  
20 the inflow/outflows. And you would see a very  
21 limited temperature increase, nowhere near that  
22 value for the R2C5.

23 Based on the work that's been done to  
24 take a look at this, we believe that there was no

1 additional susceptibility to the phenomenon during  
2 the Cycle 14. And in fact, since there was  
3 consideration of this in the original IPE,  
4 individual plant examination, that that NUREG 1150  
5 still applies and would not really impact the Cycle  
6 14 operation. Yes.

7 MR. LONG: I think that's probably  
8 where we have a big difference. You've listed a  
9 bunch of things on a technical basis there, but I'm  
10 not sure exactly what if anything additional to the  
11 material I'm familiar with that you have done.

12 You, first of all, you say the 1.8  
13 percent came from essentially the probability there  
14 would a susceptible flaw, so the question really is  
15 is this a susceptible flaw?

16 And you're saying if you need secondary  
17 depressurization, even though this flaw at some  
18 point was going to rupture, or not rupture, grossly  
19 fail at a temperature that was normal operating  
20 temperature, so I guess I'm having a little bit of  
21 trouble saying that at least for some period of  
22 time, elevating the temperature in the steam  
23 generator wouldn't have caused this flaw to fail.

24 I think I hear you saying it's not in

1 the hottest part of the generator. You looked at  
2 the 1/7th scale test, did you feel that this -- I'm  
3 trying to remember exactly where this flaw was with  
4 respect to the event, it was row 2 and column 5, so  
5 it's out near the edge, right?

6 In looking at the transient tests, the  
7 tubes that carry the flow from the inner plenum to  
8 the outer plenum sometimes get out there and  
9 sometimes don't. One doesn't or two or three don't,  
10 what kind of -- I guess what I'm looking for is what  
11 kind of analysis did you really do to say that the  
12 temperature you would get during these transients  
13 wouldn't be sufficient to cause that flaw to fail  
14 without essentially going into the secondary  
15 depressurization delta D part?

16 MR. GAYNOR: Well, I'm not the expert  
17 on it. Let me turn you over to the gentleman that  
18 did that work for us.

19 MR. HENRY: My name is Bob Henry.  
20 Steve, as usual your memory is very good about the  
21 1/7th scale tests. And we particularly looked at  
22 the test -- the one that you're talking about SGHT4,  
23 to sum it up, the outgoing flow gets to the outside  
24 of the generator. We particularly looked at what

1 the temperature was when it got there. The  
2 temperature of the fluid when it finally gets there,  
3 because it's going through all the rest of the turn  
4 flow coming back, is roughly the temperature in the  
5 outlet plenum.

6 So when that tube -- when that  
7 temperature goes through that tube, that flow goes  
8 through that tube, in essence it almost looks like a  
9 return flow tube in terms of the peak temperature.  
10 So our focus was are we looking at any temperatures  
11 that would exceed 800 Kelvin. Because 800 Kelvin  
12 and below, the strength is, just like you reviewed  
13 it in NUREG 1570, is just as strong as it was under  
14 normal operation. So that was the whole focus. And  
15 in this case, that temperature won't get above 800  
16 Kelvin.

17 MR. LONG: What happens if the flow of  
18 that tube that has the apex flaw problem is over  
19 more towards the center of the -- not the bundle,  
20 but along the -- the center of the bundle as far as  
21 the inner row is concerned?

22 MR. HENRY: Given the 1/7th scale test,  
23 their inner row, the first row represents the first  
24 three to four rows in the generators, however you

1 want to do it. So all of these that had these flaws  
2 are all in row two. So except for the one that  
3 looks like R2C5, they're always in return flow  
4 systems. They're always the cold tubes. So their  
5 temperatures again are below 800 Kelvin.

6 The place that you have to specifically  
7 look at is those areas that are plainer views just  
8 essentially right above where the hot link nozzle  
9 comes in. And they had one of those tubes that they  
10 looked at, and that also passed the three delta P  
11 test. With that three delta P, it will hold  
12 together longer than other things that are part of  
13 the analysis, just like you have in the NUREG 1570.

14 MR. LONG: I hear what you're saying.

15 MR. GAYNOR: Using the information that  
16 Tom discussed with you earlier, we looked at the  
17 spontaneous tube rupture in two cases. I think  
18 you're aware at this point that the cutoff was 225  
19 GPM. And that is the reason for that was to look at  
20 the different success criteria or backup for safety  
21 injection should it fail to allow us to inject the  
22 primary system and make up for the primary system.  
23 It also allowed us to look at the additional time  
24 that was available for response by the operators to

1 the EOPs.

2 The way that we did this, even though  
3 we broke it into greater than 225 GPM and less than  
4 225 GPM, when we took the frequency for 225 GPM or  
5 greater, we used the steam generator tube rupture  
6 model that we have for full steam generator tube  
7 ruptures. So in fact the rest of the response to it  
8 assumes a full 400 plus steam generator tube rupture  
9 in terms of the modeling and the timing. The  
10 frequency is the only thing that we use the 225 GPM  
11 for.

12 MR. BLOUGH: When you did that analysis  
13 that came up with .039 per reactor unit year, you  
14 were looking at a two-year cycle. And when you did  
15 Monte Carlo, was there a difference between -- I  
16 assume there's a difference between the first year  
17 and the second year and that most of those ruptures  
18 would be in the second two years you looked at.

19 MR. ESSELMAN: We got the number by  
20 taking a full cycle. And as the crack grows over  
21 two years, we're really asking if in the cycle does  
22 it go through wall. We got to frequency per cycle  
23 which was two years and we took half of it for the  
24 frequency per year.

1                   So we looked at the full cycle, but  
2                   then we said instead of using frequency per cycle,  
3                   we just took it and turned it into a per year.

4                   MR. BLOUGH: So the data doesn't really  
5                   tell you what percentage of those failures are in  
6                   the first year or second year.

7                   MR. ESSELMAN: No.

8                   MR. LONG: You essentially divided by  
9                   two, is what you're saying?

10                  MR. ESSELMAN: Yes.

11                  MR. BARBER: Did you make any  
12                  adjustment to your frequency for your steam  
13                  generator inspection program? Your frequency is  
14                  probably just something directly out of the IPE I  
15                  presume. Did you adjust your frequency?

16                  MR. GAYNOR: This is the number that  
17                  came from the Monte Carlo.

18                  MR. BARBER: I'm sorry, I thought it  
19                  was out of the IPE.

20                  MR. GAYNOR: No. As I mentioned, for  
21                  this particular case, we used the full steam  
22                  generator tube rupture model at that point.

23                  MR. TRAPP: How does that compare to  
24                  the IPE?

1 MR. GAYNOR: The frequency in the IPE  
2 is 1.3 times 10 to the minus 2.

3 MR. TRAPP: Slightly more.

4 MR. GAYNOR: Yes, about triple it, yes.

5 MR. LONG: I guess one thing we need to  
6 know is what fraction of the spontaneous ruptures  
7 occur in the second year.

8 MR. GAYNOR: The other thing that's  
9 indicated in the --

10 MR. ZWOLINSKI: Just so I understand,  
11 Steve, that's the number -- why isn't that the  
12 number on day one and at the end of cycle?

13 MR. LONG: What they did was figure out  
14 from a Monte Carlo process, with all of the  
15 distributions that we don't have, what fraction of  
16 the time they would have a tube fail during the  
17 two-year period. Where the flow from the failure  
18 would be more than 225 GPM, and that was the  
19 fraction, 3 point something percent, almost 4  
20 percent. So that's the number they're using as the  
21 spontaneous tube rupture frequency. It's an average  
22 for two years. You presume it's mostly in the  
23 second year, so it's a factor of two there perhaps.

24 MR. STROSNIDER: The crack growth rate

1 is --

2 MR. LONG: Right.

3 MR. GAYNOR: The other point that was  
4 made in the assessment is that the STP process and  
5 the guidance in it assumes that for steam generator  
6 tube ruptures, you basically have an unscrubbed  
7 pathway on the secondary side and uses a large early  
8 release frequency equal to the core damage  
9 frequency.

10 The Indian Point model separates out  
11 the isolated steam generators or steam generators  
12 where the relief valves stick open versus where they  
13 do not stick open -- it's two separate plant damage  
14 states -- and looks at both of those plant damage  
15 states, 48A and B basically, and it looks at the  
16 radionucleid releases as a result of those and the  
17 level of the release fraction for both of those.

18 Basically if you look at the ASME  
19 standard out there now, it proposes a reasonable  
20 break point of 10 percent of iodine inventory as a  
21 large release.

22 The Indian Point examination looked  
23 at -- of course, that was done prior to the current  
24 work -- but it looked at the difference in release

1 fraction for the stuck open valve versus the  
2 non-stuck open valve cases. And for the non-stuck  
3 open valves, the release fractions were below the  
4 data set point cutoffs.

5 So we believe that the plant damage  
6 states, the two different plant damage states, in  
7 the case of the stuck open valve would be the large  
8 early release, but the case with the not non-stuck  
9 open valves would be not an early release. And when  
10 you look at the sequences, in the sequence frequency  
11 is approximately 13 percent of the core damage  
12 frequencies are frequencies where the steam  
13 generator is open and is released to the atmosphere  
14 without it being scrubbed in any way in the steam  
15 generator.

16 MR. LONG: Steve Long. Can you  
17 describe the other 87 percent of your core damage  
18 frequency due to spontaneous rupture that is not  
19 from a pressurized secondary? Give me some idea of  
20 what the mechanism is that leads to core damage when  
21 you don't have the secondary depressurized.

22 MR. GAYNOR: We've got sequences where  
23 basically you either cannot make up the primary side  
24 and you lose auxiliary feed water as a result of

1 the -- and cannot remove to get heat. Many of them  
2 are long term type where, for the purposes of the  
3 analysis, even though you have isolated, you have  
4 not established any kind of a long term AE removal.  
5 You have to run through the individual sequences.  
6 But basically, as long as you have not isolated  
7 either the short term or long term, you have the  
8 ability to release unscrubbed.

9  
10 MR. LONG: So these are presumed to be  
11 dry generators that maintain pressure or are  
12 depressurized?

13 MR. GAYNOR: The sequences that we're  
14 talking about?

15 MR. LONG: Yes.

16 MR. GAYNOR: Not necessarily. You  
17 could in fact not be making up to the primary side,  
18 and even though you are able to relieve -- you're  
19 able to remove the K heat, eventually your inventory  
20 is lost and you've got a potential for core damage.  
21 There are some assumptions in there in terms of not  
22 being able to open your PROVs in order to do certain  
23 functions in response to the event.

24 MR. LONG: You operate with your PROVs  
blocked I believe.

1 MR. GAYNOR: Yes, but they have an open  
2 signal on a pressure.

3 MR. LONG: I guess another thing we're  
4 going to need to be able to understand is why you're  
5 saying that the majority of your core damage  
6 frequency from spontaneous rupture would not be to  
7 essentially an open secondary. We'll have to see  
8 something about the sequences there.

9 MR. GAYNOR: Well, in the earlier work  
10 that we did on the event, there were sequences that  
11 were provided. We'd be glad to do that for this.

12 MR. LONG: We're going to caucus when  
13 you're finished, so we'll talk about that. Thanks.

14 MR. GAYNOR: The other point that I  
15 just wanted to make is in fact that, although it's  
16 not in the analysis here, many of the sequences in  
17 terms of steam generator tube rupture occurs, the  
18 core damage would occur fairly late in the process.  
19 It could be 12 hours, it could be even further along  
20 if you achieve some kind of depressurization.

21 So that these sequences would be out in  
22 time quite a bit, and there would be significant  
23 time for taking actions. Now, we have not included  
24 that in this specific analysis because of the

1           difficultes in terms of establishing exactly when  
2           the actions would be taken.

3                   MR. LONG: But your .13 doesn't include  
4           lateness?

5                   MR. GAYNOR: No. For the less than 225  
6           GPM cases, again the frequency was taken from the  
7           work that was previously described to you. We  
8           evaluated this using a steam generator tube rupture  
9           model, assuming that it was -- the response was to a  
10          225 GPM leak. The frequency is for anything  
11          basically above 75 GPM to 225 GPM, but it was -- it  
12          is calculated based on assuming a 225 GPM leak and  
13          the response time that would be available for that.

14                   MR. TRAPP: Are these major changes?

15                   MR. GAYNOR: The fact that we've got  
16          the ability to make up their primary side, the human  
17          reliability, additional time available as far as  
18          human reliability is concerned, and potentially  
19          there are some recovery actions in there as well.  
20          Especially for the cases where the core damage is  
21          late in the sequence and would be as a result of,  
22          for instance, an inability to fully depressurize and  
23          having to do something. Yes.

24                   MR. LONG: I think I know the answer to

1           this because of what you said earlier about not  
2           considering a higher delta P as potentially changing  
3           the leak rate, but did you look at any human error  
4           or potential for increasing the delta P across the  
5           tube such as that you would increase the leak rate?

6                     Some of the human errors are failures  
7           that will leave tubes under stress for a longer  
8           period or actually increase the stress level for  
9           tubes by depressurizing somewhere, and actually in  
10          the secondary, without depressurizing the primary.  
11          And since you're keeping up with the flow rate here  
12          with the charging system, I'm wondering did you look  
13          in any way at the dependence of the leak rate flow  
14          on the human errors that were in the sequences?

15                    MR. GAYNOR: We did not directly  
16          feedback from the human error analysis that was done  
17          for a steam generator tube rupture back in to assume  
18          a greater flow rate other than what's in the normal  
19          steam generator tube rupture model.

20                    MR. LONG: For the ones that are less  
21          than 225 and greater than 75?

22                    MR. GAYNOR: No, we did not. But  
23          again, it assumes anything -- it assumes the  
24          original, the original flow rate is 225 GPM.

1 MR. LONG: And stays there?

2 MR. GAYNOR: Well, that's the  
3 assumption. Well, that -- it was the assumption in  
4 the model. It does not assume any additional time  
5 for the flow rate going down either as a result of  
6 the depressurization by the operator.

7 So there's a time frame in which the  
8 operator needs to take action to depressurize and  
9 before he completes the fuel storage tank. And in  
10 fact that would tend to stretch out much further  
11 also. It doesn't assume that.

12 MR. LONG: You're in a situation where  
13 you can throttle the input essentially at this  
14 point?

15 MR. GAYNOR: Yes. Because we've looked  
16 at it in terms of both above and below 225 GPM, we  
17 basically combined the result of the two analyses.  
18 And the change in core damage frequency, looking at  
19 that, it was 3.85 times 10 to the minus 6. The  
20 change in LERF was 1.1 times 10 to the minus 6 for  
21 this case.

22 For the case of induced steam generator  
23 tube ruptures as a result of secondary side  
24 depressurization, we utilized the frequency that was

1 indicated in the inspection report for  
2 depressurization. We did not reduce it by the  
3 factor of 4 that's in the inspection report because  
4 we were looking at all of the steam generators and  
5 not just the steam generator 24.

6 Again, we used the information from the  
7 analysis that was previously presented to you in  
8 terms of initiating -- excuse me, in terms of the  
9 conditional probability that a steam generator tube  
10 would fail in some way as a result of an event.

11 The result of this was that we modified  
12 the steam generator tube rupture model to reflect  
13 the fact that, for these particular cases, you could  
14 not isolate the secondary side. And so we had to  
15 set those particular actions to fail in the model.

16 Since we were again looking at this in  
17 terms of the breakdown between full rupture and the  
18 225 GPM, we made the adjustments where necessary for  
19 the lower flow rates here as well and ran it through  
20 our steam generator tube rupture model.

21 There was a concern in the analysis --  
22 in the NRC assessment that, as a result of this  
23 being a more complicated event and potentially the  
24 operators not drilling on the event, that it

1 assigned it a human error probability and a  
2 conditional probability of core damage of .01.

3 At Indian Point, we took a look in fact  
4 at the Indian Point emergency operating procedures.  
5 And the emergency operating procedures for a faulted  
6 generator followed by a ruptured generator are  
7 straightforward and clear. It takes you from zero,  
8 which is the main procedure, and there are basically  
9 two steps, the first of which will take you to a  
10 faulted steam generator and ask you whether or not  
11 you have a faulted steam generator. And assuming  
12 you have that, it will send you to the procedure for  
13 faulted steam generator that asks you to basically  
14 take the same kind of actions to isolate the  
15 generator that you would take at the beginning of  
16 the steam generator tube rupture.

17 Once you've done some of those actions,  
18 it questions again whether or not you have a steam  
19 generator tube rupture and will then send you to the  
20 procedure for steam generator tube ruptures at that  
21 point to continue the actions. Eventually it will  
22 get you to the proper procedure, which in this case  
23 would be ECA 3.1, which as you see is steam  
24 generator tube rupture with loss of reactor coolant.

1                   There was in fact a similar analysis or  
2                   evaluation that was done during the NUREG 1477 where  
3                   they looked at the Westinghouse emergency operating  
4                   procedures and training, and basically came to the  
5                   same conclusion, that the guidance in the emergency  
6                   operating procedures is relatively straightforward  
7                   for these type of events, this combination of  
8                   events, and that there is training on it.

9                   We in fact do operator training on a  
10                  faulted steam generator followed by a ruptured steam  
11                  generator. We train -- there is simulator training.  
12                  It's a dynamic demonstration of the operator's  
13                  ability to respond to the event. It's required as  
14                  part of the two-year requalification cycle. So it's  
15                  given at a minimum every two years. It recently was  
16                  done in 1996. It was done in 1998. It was done  
17                  twice in '99 and again in 2000. Yes.

18                 MR. LONG: I'm trying to remember which  
19                 order you said when you said you --

20                 MR. GAYNOR: Faulted and then ruptured.

21                 MR. LONG: You do the faulted and then  
22                 ruptured?

23                 MR. GAYNOR: Starts with the faulted  
24                 and then there's rupture. There are other scenarios

1           where it goes from ruptured to faulted, but the  
2           particular ones that I'm talking about here, the  
3           simulated demonstration goes to faulted steam  
4           generator and then taken to a ruptured steam  
5           generator. Yes.

6                   MR. BARBER: Just a question about from  
7           what you've laid out here from a training  
8           standpoint.

9                   MR. GAYNOR: I'm sorry, can you speak  
10          up?

11                   MR. BARBER: A question of what you've  
12          laid out from a training standpoint, a procedure  
13          standpoint. You seem to be implying that the  
14          procedures are good and that the training is of high  
15          quality such that, you know, you wouldn't expect to  
16          have a lot of problems during a steam generator tube  
17          failure or tube rupture. Yet during the actual  
18          event, there were a number of problems.

19                   Did you somehow factor that into the  
20          risk assessment? Wasn't there a situation where  
21          safety injection was in fact caused by uncontrolled  
22          cooldown during this event?

23                   MR. GAYNOR: I believe that was later  
24          on in the sequence and not a part of it.

11 1 MR. BARBER: The point I'm trying to  
2 make is did you factor actual experience during the  
3 event from a human performance standpoint, take  
4 lessons learned from that, and put that into your  
5 risk assessment?

6 MR. GAYNOR: Specifically with regard  
7 to this event?

8 MR. BARBER: Yes.

9 MR. GAYNOR: One point on the event?

10 MR. BARBER: Well, with the points that  
11 were highlighted. I think there were some other  
12 human performance issues that were identified in the  
13 AIT. I just picked that one at random.

14 MR. GAYNOR: Well, I guess the point  
15 here is that what we're looking at is, compared to  
16 the steps that they would go through for a steam  
17 generator tube rupture as we've got it, we're  
18 looking at the delta for this particular event. And  
19 the lessons learned should certainly apply to what  
20 we're doing. But they should be applied equally  
21 whether we're talking about running through the  
22 procedure in this particular case or running through  
23 the procedure where you have to go through the  
24 rupture anyway and potentially have to deal with a

1 case where you have a faulted steam generator as  
2 well.

3 Looking at the delta, it should apply  
4 to both cases. So being able to utilize the model  
5 that exists now for this particular case of a  
6 faulted ruptured generator is not unduly complicated  
7 in comparison. And that was really the point of  
8 what we were looking at in terms of whether we  
9 needed to consider this to be a complicated event or  
10 an event that we don't train on so that we would  
11 need to look that much higher.

12 MR. McCANN: I think the point, Scott,  
13 is in the inspection report, it indicated for this  
14 particular event it's complicated and we don't train  
15 on it. And I think the way you do the probablistic  
16 risk assessment, you assign a higher probability to  
17 operator error in those cases if it's something that  
18 is complicated and you don't train on it. And I  
19 think all Doug is saying is in this case, we don't  
20 think that that's appropriate for this event.

21 MR. BARBER: That's my point too,  
22 because I'm raising an issue where there were  
23 conditions in the plant that should have allowed for  
24 normal operator action to take place to stabilize

1 the plant, and they didn't. And they weren't even  
2 high stress situations.

3 I'm really just asking a specific  
4 question if you adjusted your human performance  
5 error rates to account for that, or did you even  
6 consider that?

7 MR. GAYNOR: In the risk analysis, we  
8 did not adjust the human error performance rates  
9 based on one specific response, no, we did not do  
10 that.

11 MR. LONG: A follow-up on that a little  
12 bit. The situation that really surprises me, if you  
13 were training this many times, was that the actual  
14 event that you had in February, when you got to the  
15 point where you were trying to initiate RHR, which  
16 you would have to do in this kind of situation  
17 because you don't terminate the event in the case of  
18 a cold shutdown, you found a problem with your  
19 procedures and you hung up there until Westinghouse  
20 told you you really didn't have to satisfy these  
21 procedures in these conditions. And then you went  
22 away and initiated RHR and cooled down. So that's  
23 the kind of problem that we sort of hope gets worked  
24 out in training and doesn't seem to have been found

1 in the training process.

2 Maybe because you didn't train that far  
3 along in the sequence or perhaps the simulator  
4 doesn't behave like that at the plant during the  
5 cooldown, I don't know why. But that's the kind of  
6 problem. But you're still losing water and you're  
7 kind of hung up in the procedure.

8 MR. GAYNOR: That was true more in the  
9 recovery phase of it rather than in the initial  
10 response to it. And you know, I can't respond right  
11 here.

12 MR. GROTH: I can. We found in fact  
13 that we had not gone through that far in the  
14 scenario to train on that area.

15 MR. LONG: So you just didn't train  
16 that?

17 MR. GROTH: We had not trained, we did  
18 not -- we had not at that point.

19 MR. GAYNOR: As I mentioned, we did  
20 evaluate it using the model with the adjustments  
21 that were necessary for showing that we did not have  
22 isolated capability. And the change in core damage  
23 frequency for that particular postulated scenario  
24 was 2.9 times 10 to the minus 6. We agree for this

1 particular scenario that core damage frequency and  
2 the large early release frequency would be the same.  
3 There's also a possibility that the stuck open valve  
4 is closed as you get to a lower pressure, but we did  
5 not consider that.

6 As a result, this is basically the run  
7 up of our assessment. And the bottom line is a  
8 change in core damage frequency of  $6.7 \times 10^{-6}$  to  
9 the minus 6, which would be a white, and a large  
10 early release frequency of less than  $4.5 \times 10^{-6}$  to  
11 the minus 6, which would be a yellow.

12 MR. LONG: To go back and revisit item  
13 number two up there, we talked earlier about whether  
14 or not the high temperature of the tube, there's  
15 also the concern that there's a higher delta T  
16 during the event. And it doesn't look like you  
17 credited that as potentially opening up a  
18 primary/secondary at that point prior to core  
19 damage.

20 MR. GAYNOR: In terms of the way that  
21 that would be depressurized, you would have to have  
22 depressurization as a result of that basically. The  
23 secondary side depressurization would be already  
24 included in the fourth case. Primary side, the

1 pressure builds up, you would have to basically  
2 have, in addition to your core damage event, you  
3 would have to have a failure of the secondary side  
4 to isolate it.

5 MR. LONG: I don't think you're  
6 following the part I'm asking about. In item 2, not  
7 item 4, if you have a core damage event, let's say  
8 due to something like station blackout where you  
9 can't feed the secondary or the primary. For  
10 whatever reason, you can't feed the secondary, the  
11 battery is depleted or the turbine driven aux feed  
12 failed to begin with, whatever, you tended to boil  
13 the secondaries dry.

14 And then sometime like an hour later,  
15 you will finish boiling the primary dry. If you  
16 stuck open a valve on the secondary side, that's  
17 usually in the model, over what's typically not in  
18 the model is any other depreciation for the  
19 secondary, like sticking SIDs or other valves that  
20 will depressurize the secondary. That's not  
21 typically tested.

22 As a matter of fact, I understand  
23 Indian Point had an event quite sometime ago where  
24 during startup, you failed to feed two of your

1 generators and they both had a lot of leaks and they  
2 boiled down quite a bit. One boiled dry and  
3 depressurized. So you ended up with improper hydro  
4 in your secondary in the past.

5 But that kind of leakage from the  
6 secondary side is not necessary for core damage and  
7 is at this point not included in your PRA when  
8 you're looking for core damage. But it is important  
9 if you want to ask about a damage site and whether  
10 or not you can induce a tube rupture. Did you do  
11 anything to try to assess that particular  
12 probability for item number 2?

13 MR. GAYNOR: Beyond the failure of a  
14 valve to reset where you get a significant and very  
15 quick depressurization of the primary side, the  
16 more -- the slower depressurization events were not  
17 specifically looked at where you get some kind of  
18 small leakage and slow leak on the secondary side.

19 MR. BLOUGH: Regarding the last case  
20 where you talked at some length about the risk of  
21 possibly operator error or an operator error  
22 consequence, you're suggesting the value we used  
23 might not be appropriate. What value did you use?  
24 Did you use industry generic or better operator

1 performance than the industry generic?

2 MR. GAYNOR: No. Basically what we did  
3 there is, based on the fact that the operator, in  
4 responding to a steam generator tube rupture event,  
5 would have to also respond to a faulted steam  
6 generator and go through that same process, the  
7 actions that he would have to take under the  
8 conditions where he has a faulted secondary side,  
9 which is built into the model, would be basically  
10 the same type of actions that you would have to take  
11 here.

12 Given that the secondary side is open,  
13 some of the early actions where the focus is to try  
14 to prevent the valve from sticking open are  
15 basically not as meaningful because you already have  
16 an opening and it's not closing on you to begin  
17 with. So you have a lot of your actions are further  
18 down. And basically given that he's got to respond  
19 to it in the same way, our contention is that you  
20 should be able to use the same analysis that we used  
21 for the steam generator tube rupture. We're not  
22 being optimistic. We're just using the same  
23 analysis.

24 MR. TRAPP: What did you get when you

1           used the old model? Did you run it with the old  
2           model and old HRAs and come up with the old model  
3           and revise it?

4           MR. GAYNOR: What we did there is we  
5           used the information from the full model, except for  
6           the 225 GPM case. What we did in the model,  
7           however, is we eliminated any ability to isolate.  
8           So anything that the operator could do to isolate or  
9           anything that we could do in response would impact  
10          the ability to isolate is set to fail. So those  
11          things are not in the model.

12          MR. BLOUGH: You can't compare how the  
13          number you're using for operator error in the  
14          analysis compares to what the rest of industry is  
15          using?

16          MR. GAYNOR: I don't have any  
17          comparison on that. I can say that when we did the  
18          work, we used the human cognitive reliability model,  
19          Reg 1278 model, to develop those numbers. But I  
20          don't have a comparison for those.

21          MR. SCHMIDT: Is the .01 that you felt  
22          was too high or .01 is what you used?

23          MR. GAYNOR: No, the .01 is what was  
24          used in the assessment. And that was actually --

1 it's not exactly clear. The assessment indicates a  
2 high human reliability as a .01 as core damage. It  
3 wasn't an absolute given that that being human  
4 reliability and that being the condition of  
5 probability. That .01 is the initial probability  
6 that's in the assessment for basically that steam  
7 generator response.

8 That's the end of my presentation. And  
9 I'd like to turn it over to Jack to talk about the  
10 inspection measures.

11 MR. PARRY: Good afternoon. My name is  
12 Jack Parry. I'm the project manager for the steam  
13 generator inspection that was performed in the  
14 refueling outage this year.

15 Today there's two topics I will try to  
16 address. The first is to say a few statements about  
17 the '97 inspection that we've been discussing. And  
18 second is to try to address some of the measures  
19 that have been taken to prevent a similar type of  
20 event from occurring at Indian Point.

21 On the 20th of July of this year,  
22 Indian Point representatives met with the inspection  
23 team that was evaluating the '97 steam generator  
24 inspection. During that meeting, there was a

1 difference of opinion between Indian Point and the  
2 inspection team of how well the '97 steam generator  
3 inspection was performed. And since that meeting,  
4 the differences still have not been resolved.

5 Indian Point's position remains the '97  
6 inspection was performed in accordance with the  
7 industry guidelines and requirements in kind in  
8 place at that time. This consisted of our technical  
9 specifications, and primarily Revision 4 of the EPRI  
10 primary water PWR steam generator examination  
11 guidelines.

12 While we have no additional information  
13 to present in that regard, I'd like to highlight a  
14 few facts to summarize our position.

15 When we planned the scope of the '97  
16 inspection, one of the things that's allowed is to  
17 be able to sample the steam generator, sample a  
18 number of tubes in lieu of looking at the whole  
19 steam generator. When you sample it, if indications  
20 are detected, then you have to increase the sample  
21 size.

22 In '97, we planned and executed the  
23 inspection, including a hundred percent inspection  
24 of the tubes in all four steam generators. And this

1 was done primarily for two reasons. In '95, when we  
2 were planning it, we looked back and saw what did we  
3 have to inspect in '95. In that cycle, we inspected  
4 two generators at 50 percent, one at 75, and another  
5 at a hundred percent.

6 So in planning the '97 inspection, we  
7 chose to conservatively inspect a hundred percent of  
8 all four steam generators both for safety and for  
9 better planning scope of the outage. Along those  
10 same lines, in a steam generator inspection, you may  
11 have certain areas of interest, such as inspecting  
12 row 2 and row 3 U-bends that have to have additional  
13 inspections. Again, in '97, the guidelines allowed  
14 us to sample those type of areas.

15 But in planning and executing our  
16 inspection in '97, we performed inspection of a  
17 hundred percent of the row 2 and row 3 tubes at all  
18 four generators to perform a conservative analysis.

19 In looking at what kind of probes to  
20 use for those areas, one of the things we wanted to  
21 look at, what would be the best probe for that type  
22 of inspection of the U-bends. Previously, the row 2  
23 and row 3 tubes had been sampled and had been  
24 inspected with what was called a bobbin probe, which

1 was the instrument of the time. And it still has  
2 some application. But in '97, we identified an  
3 approved probe called a Plus Point Probe. And we  
4 used that to inspect all of the row 2 and row 3  
5 tubes.

6 Another example of additional effort  
7 taken in '97 in our inspection was to qualify a  
8 probe called a Checco probe. And this is used for  
9 inspecting the intersections between steam  
10 generator tubes and support plates in the  
11 generators.

12 In regards to the oversight of the  
13 inspection, to assist with our oversight, we  
14 contracted and obtained what we call an independent  
15 Level III QDA, a person qualified to analyze the  
16 steam generator data that comes out of the  
17 inspection.

18 As many of you know, during a steam  
19 generator inspection, we have two technicians. They  
20 separately look at the data, analyze it, a primary  
21 and a secondary. If they agree, that's how the tube  
22 goes through its dispensation. If they disagree, it  
23 goes to a resolution process, which is another  
24 qualified person that looks at those.

1                   And in '97, what we did is we took our  
2                   independent Level III QDA and assigned him to work  
3                   with a resolution team so that he was provided a  
4                   third party review of all the calls the primary and  
5                   the secondary analysts did not agree on.

6                   Now, in the '97 time frame, obtaining  
7                   an independent third party analyst was a practice  
8                   used at other sites. However, it wasn't a  
9                   requirement in the Reg. 4 guidelines. It was a step  
10                  we felt we took to try and have a conservative and  
11                  adequate inspection for that outage.

12                 The last area I wanted to just  
13                 highlight is some independent engineering studies we  
14                 had done. Before the '97 inspection and after it,  
15                 okay, we had an independent engineering evaluation  
16                 done on the results of the steam generator  
17                 inspections. Each type of the mechanisms that  
18                 caused a tube to be failed, whether it was primary  
19                 water stress corrosion cracking or ODSCC, was  
20                 reviewed and determined the frequency of occurrence  
21                 and to make a prediction of what to anticipate at  
22                 the upcoming inspection.

23                 This evaluation took into account the  
24                 lower operating temperature, industry experience

1 with the rate for these corrosion mechanisms, and  
2 the results for the steam generator inspections.  
3 This type of study was performed to assist Indian  
4 Point in understanding the overall status of their  
5 generators.

6 The results of the studies in '95 and  
7 '97 were reasonable with the results of the '97  
8 generator inspection. The identification of one  
9 case of primary water stress corrosion cracking was  
10 consistent with the review performed after the '97  
11 inspection in part due to our lower operating  
12 temperature that Indian Point operates at.

13 MR. BARBER: Jack, I've just got a  
14 question about your independent engineering  
15 evaluation. Did they do anything to review your  
16 noise issues that came up in '97? I know that was  
17 one of the things that we looked at in 2000. We  
18 said, you know, you had a number of indications or  
19 evaluations or examinations that had noisy profiles,  
20 if you will, and --

21 MR. PARRY: In 2000, we did look back  
22 as far as the noise levels in 2000. In '97, we did  
23 not. What we did in '97 is we chose probes like the  
24 Plus Point, like the bobbin, like the Checco, that

1 we felt were qualified through EPRI and went through  
2 that.

3 At that time -- and I'll highlight this  
4 a little bit -- but at that time, you didn't have to  
5 go through a site specific qualification. You had  
6 to use industry probes that met industry standards  
7 for use.

8 Now, in looking at the noise, our  
9 review from 2000 looking back to '97, okay, we still  
10 felt, still feel, that the noise levels were  
11 bounded. If you look at what the EPRI has in their  
12 samples in the noise levels and the signal noise  
13 ratios, some of our test results were on the high  
14 end. But we felt that they were bounded in looking  
15 back at what was in '97.

16 I don't know if I answered your  
17 question. We didn't do it in '97. We followed the  
18 industry standard for using qualified probes, then  
19 we looked back in 2000. We still feel it was  
20 bounded by what was back there.

21 MR. BARBER: My question really relates  
22 to from looking back at your '97 data, do you feel  
23 that the indications that you had, the noise that  
24 was present, was there the potential to mask a

1 plugable indication?

2 MR. PARRY: Was there a potential?

3 MR. BARBER: Right, because of the  
4 amplitude or magnitude of the noise. In other  
5 words, if you're looking for a plugable indication  
6 of a certain value, was noise at or greater than  
7 that value?

8 MR. PARRY: I'd have to say there may  
9 be a potential. Probability of detection is not a  
10 hundred percent for any process. So yeah, I'd have  
11 to say there had to have been a potential for any of  
12 the process.

13 MR. HOLIAN: I'll just add these  
14 points. You said there isn't any new information  
15 here. You're restating the inspection report. We  
16 documented these issues. We documented these issues  
17 with your perspective in our inspection report. We  
18 reiterated that we looked at these issues and still  
19 felt that the actions raised to a level of Appendix  
20 B corrective actions, even stating EPRI guidelines  
21 and those type of issues, that responsibility was on  
22 Con Ed to take those issues and apply the guidelines  
23 that are generically across the industry to specific  
24 problems at your plant. So we think we can move on.

1 MR. PARRY: Okay. Some of the steps  
2 that have been taken since February to help prevent  
3 a similar event from reoccurring is the industry as  
4 a whole has implemented additional guidelines. In  
5 19 -- December of 1997, after our inspection, some  
6 industry representatives and NEI issued a document  
7 called NEI-97-06, that improved the guidance of how  
8 you perform steam generator inspection programs.  
9 These requirements were put in place January 1, '99.  
10 And all facilities doing outages after that were  
11 expected to implement those and use them in their  
12 outages. And we did that at our site.

13 Under the guidance of NEI-97-06 has  
14 been put into our administrative procedure. Some of  
15 the things it requires is a dedicated steam  
16 generator project manager. And that's one of my  
17 main responsibilities right now.

18 We also established what we call a  
19 steam generator management committee. This is a  
20 committee of senior managers of various disciplines  
21 throughout the plant, similar to the expertise in  
22 the safety review group. And they're responsible  
23 for overseeing and reviewing the operation and  
24 implementation of the steam generators. That

1 committee's chaired by the Vice President of  
2 Engineering. And it's been in effect since early in  
3 this year, around March.

4 Some other items that have been  
5 implemented is prior to an outage -- and this is in  
6 our administrative procedures -- to develop what we  
7 call a degradation assessment. And what this does  
8 is look at your failure mechanisms, what can cause  
9 your tubes to have problems. You have to make sure  
10 you have the right probes to identify that, have the  
11 right qualifications for it, do site specific  
12 demonstrations, and then train your analysts on it,  
13 what you have at your particular plant.

14 Another item that is used generically  
15 and at our place is the analyst performance  
16 tracking. It's a computer process to help both an  
17 analyst itself and the utility know how an  
18 individual is doing in reviewing steam generator  
19 eddy current inspections.

20 Some of the things that we've  
21 implemented outside and above 97-06 is in the 2000  
22 outage, with the old steam generators and in an  
23 inspection we did for the replacements, we provided  
24 what we called enhanced analyst training. For the

1 inspection of the old steam generators, that focused  
2 a lot on primary water stress corrosion tracking,  
3 800 kilohertz probe, site specific issues. And us  
4 working with our vendor, put the analysts through  
5 that training. Now, that training then was also  
6 used for the analysts that did the inspection of the  
7 replacement generators.

8 One of the things we've done is we went  
9 through and did a hundred percent eddy current  
10 inspection of our replacement steam generators as a  
11 preservice and benchmark so we know where we stand.  
12 We also use 800 kilohertz probe, as you know, an  
13 instrument that we've helped develop for the  
14 industry. That was applied in the old steam  
15 generators and we used it on a sampling basis in the  
16 new steam generators. We looked at a sample of rows  
17 1, 2, and 3 tubes in the new steam generators with  
18 an 800 kilohertz probe.

19 We've also, for our outage and for the  
20 inspection of the replacement steam generators,  
21 improved the data quality criteria. Now, this is  
22 something that the industry is adopting in the Reg.  
23 6 version of the EPRI guidelines. It's coming out  
24 next year. But it was implemented for our outage

1 and also for the inspection of the replacement steam  
2 generators.

3 So all the items I mentioned, that we  
4 have improved our program. We implemented them in  
5 both the original inspection of the old generators  
6 and also the one we have in the replacement steam  
7 generators.

8 Another area we've worked is to try and  
9 help disseminate this information to the industry.  
10 There's been four seminars we've given talks at. I  
11 presented at two, Jim presented at one, another  
12 representative of the plant presented information to  
13 try and disseminate this to the industry. And I  
14 believe we have helped a few of the sites, like  
15 Northern States Power, maybe avoid a similar event.

16 This came up in the EPRI NDE  
17 Conference. One of the people that was at our three  
18 assist visits was a representative from there. They  
19 had an outage coming up. Based on what he learned  
20 at our site, he used the high frequency probe. I  
21 believe he was a little more questioning in some of  
22 the results that he got. And in one case, they  
23 performed an eddy in situ test on a tube that was  
24 questionable and it leaked slightly. It still had

1 its performance criteria, but we may have helped one  
2 of our peers with a near-miss in trying to  
3 disseminate the information.

4 So being able, these three assist  
5 visits provided us a real time capability to  
6 disseminate this information for peers I think  
7 helped them in some of their inspections for this  
8 year.

9 With that, I'd like to turn it over to  
10 Jim Baumstark to provide some summary comments.

11 MR. BAUMSTARK: The purpose in being  
12 here this afternoon -- and it's again in accordance  
13 with the phase 3 process of the significance  
14 determination process -- is to provide plant  
15 specific risk perspectives and related information,  
16 including where we thought it was appropriate,  
17 alternative risks and engineering analysis to  
18 support reducing the significance of issues  
19 associated with our recent steam generator tube  
20 plan.

21 We began with a fracture mechanics  
22 discussion of the row 2 column 5 failure to  
23 demonstrate why we believe that failure would not be  
24 expected to progress to a rupture. We then

1 developed a Monte Carlo model based on inspection of  
2 recent eddy current examination. The Monte Carlo  
3 model produced the probability of a leak progressing  
4 to a rupture for both the spontaneous rupture and  
5 the secondary depressurization cases.

6 We then took the results of the Monte  
7 Carlo analysis, and using site specific  
8 probabilistic risk assessment models, calculated  
9 values which support a white delta core damage  
10 frequency and a yellow delta large early release  
11 frequency as conclusions.

12 In addition to the analysis work we  
13 have presented, we believe there is a real world  
14 compelling reason why no other tube was likely to  
15 rupture during the cycle. And that's based on the  
16 extensive in situ testing we conducted this year.  
17 We believe this testing demonstrated the soundness  
18 of the tube which had crack-like indications at the  
19 beginning of the cycle and remained in service  
20 through the cycle. Therefore, our site specific  
21 analysis does not support a potential red finding in  
22 the inspection report, and more properly supports a  
23 yellow finding. John.

24 MR. GROTH: We understand at this point

1 the staff would like to caucus. And as a result of  
2 that caucus, we expect to find some additional  
3 questions we should address. We have kept some  
4 notes to determine some of those questions that we  
5 believe will be asked, but in deference to reading  
6 what I think the questions are, we'll wait until you  
7 find what the questions are.

8 At some point in the future, I think it  
9 would be beneficial if we could explore with the  
10 staff what tubes we might pull in the steam  
11 generator 24 to better understand the conditions  
12 that exist within that steam generator. It would  
13 help us all better understand the phenomenon that  
14 existed during 1997 and 2000. Subject to your  
15 questions, that concludes our comments.

16 MR. MILLER: Okay, we'll caucus now.  
17 And we'll leave the room and you can stay here and  
18 we'll be back.

19 (Recess.)

20 ---

21 MR. HOLIAN: Well, let's start. I'll  
22 make some brief closing comments. Hub will finish.  
23 A couple staff members might jump in if on my  
24 scribbled notes I missed a few of the issues.

1                   In general, I'd like to start off first  
2 back on the issue of the '97 inspection and the '97  
3 performance. You didn't hear much from us in  
4 comment to that. In general, we rest on the  
5 inspection report. You did counter with some of the  
6 information, that was information that we knew about  
7 during the inspection report and the exit, and those  
8 issues on using the EPRI guidelines, following the  
9 EPRI guidelines, and the type of inspection you did  
10 then.

11                   We didn't discuss much today from the  
12 NRC perspective differences and disagreements we  
13 have with how you analyzed the data or what in our  
14 view should have been done or could have been done  
15 in analyzing that data and setting up a corrective  
16 action process that would have accounted for those  
17 issues that led to the conditions. So I just state  
18 that for the record.

19                   Jumping to the two major issues that  
20 you brought in, which was using plant specific data  
21 to I'll say factor down initiating event frequencies  
22 and the difference between LERF and delta CDF being  
23 exactly equal, those are the two main issues that we  
24 see taking the bigger chunk out of the NRC's

1 analysis, to almost an order of magnitude for each  
2 one. We do recognize that you still end up with a  
3 yellow color.

4 And before I get back into the  
5 questions we had, I would like to just briefly  
6 mention that in the Agency's response to the steam  
7 generator issues, that will be done through the  
8 action matrix, which is an Agency response to where  
9 the plant is overall, that is with the EP issues and  
10 other degree of cornerstones that you have.

11 So in some ways, the difference between  
12 a red and a yellow finding from Agency actions might  
13 be minimal, but that doesn't minimize us trying to  
14 get the right criteria on this.

15 So I will now progress into some of the  
16 questions that we have. And that is most of them  
17 center on these two issues. How you factored the  
18 initiating frequency and how you changed the LERF  
19 assumptions. In general, we'd like to have a  
20 description of the Monte Carlo model that was used,  
21 including any comparisons with benchmarks that  
22 you've done along that line. And that would be --  
23 we would envision along your response to many of  
24 these issues, that would be information you already

1 have. We're not necessarily asking you to create  
2 anything additionally. It's just additional  
3 information that we believe you have in coming to  
4 the conclusions from the slides today.

5 When you do provide this information, I  
6 think it would be easy enough to get it through the  
7 residents in whatever format you want. And we will  
8 attach it to a meeting summary. That will be  
9 whatever information you give, your slides from  
10 today, and the transcript from the meeting will go  
11 out in the public forum since this is a public  
12 meeting.

13 Back on the Monte Carlo analysis, we  
14 expect some discussion on the depth and length  
15 comparisons, the specific aspects of the model, and  
16 the distributions also. So that we can make some  
17 assessment of what you sampled from what  
18 distributions.

19 The second area was a frequency of  
20 leaks. We got into a discussion of the leaks from  
21 zero to 75 GPM and 75 to 225 GPM. We'd like a  
22 better understanding on the frequency of how you  
23 sampled from those two populations.

24 Next was a question of the fraction of

1 the spontaneous rupture. Next is what fraction of  
2 the spontaneous ruptures occur in the second year.  
3 We had a discussion and questioned you on that  
4 aspect.

5 The RSDP analysis that the process uses  
6 concentrates on the second year, the year of  
7 operation. You have -- Apparently, your answer was  
8 that you averaged that fraction over the two years,  
9 but we'd like a clarification of how you did that  
10 assessment.

11 MR. LONG: Going back, I want to  
12 clarify. One of the things we're looking for is the  
13 breakdown of the part you didn't give us. You gave  
14 us the frequency from 75 to 225 and 225 and above.  
15 We're looking for zero to 75 and we're looking for  
16 essentially zero no observable.

17 MR. HOLIAN: Next we had a discussion  
18 on the basis for the gallons per minute flow rate  
19 that you used as an assumption for your curve, the  
20 basis for that, the gallons per minute.

21 Those are the points that I had to  
22 cover. Anything else?

23 MR. LONG: Just one other thing. You  
24 had mentioned from operating experience any

1 knowledge of apex primary water stress corrosion  
2 cracking was observed by a leakage event as opposed  
3 to, you know, a leakage event that's within the one  
4 GPM range.

5 MR. MURPHY: It's our understanding  
6 from the documentation submitted that it's our  
7 understanding from the CEBO A report and other  
8 supporting information that there haven't been any  
9 apex leaking tubes.

10 MR. HOLIAN: We want your verification  
11 that that's not the case.

12 MR. MURPHY: Apart from the rupture.

13 MR. HOLIAN: And your verification that  
14 that's not the case. And the context of that  
15 question is that if we were to look at the Monte  
16 Carlo and our understanding of that analysis today,  
17 we would see many more leakage events than we've  
18 seen in the industry and issues that will go with  
19 that rupture.

20 MR. MILLER: That's one piece. The  
21 other pieces are ones that we assume you have,  
22 because they're all questions that relate to the  
23 basis for the things that you presented. This piece  
24 might be a bit of a look-up. And we'll talk a

1 moment about the timing of this.

2 MR. HOLIAN: In general, as I mentioned  
3 earlier, you know, the NRC will be taking actions in  
4 general on where you fall in the action matrix on  
5 this specific aspect. As we mentioned in the  
6 beginning of the session, we would hope to finalize  
7 a determination within a 30-day time frame,  
8 approximately 30-day time frame. To follow that  
9 along on our schedule that if you could get us that  
10 in the time frame of about a week, we can deal with  
11 anything on that order.

12 MR. MILLER: I would like to  
13 specifically ask for, you know, if there's some  
14 problem with that, you get back to us. I think it's  
15 best for you and for us if we just be specific on  
16 that. We believe this is information that you have,  
17 you should have.

18 Just a couple things. First of all, we  
19 didn't question you, as Brian said, really at all on  
20 the '97 inspection. I think the one thing that it  
21 is important to say here, and that is that our issue  
22 there really has to do with how you deal with  
23 adverse conditions. It's a broad issue at the  
24 station. It's how do you proceed when you're faced

1 with conditions that give indication of a problem  
2 when you've got complicating factors. Do you  
3 proceed with the idea that some broad or some  
4 industry code doesn't specifically tell you to do  
5 something or is there a questioning attitude? And I  
6 think that's a fundamental point.

7 I won't ask you to elaborate on that,  
8 but that's a lot of where we're coming from and a  
9 lot of what is at issue here.

10 With respect to the other, and the bulk  
11 of our discussion today, which had to do with the  
12 determination process, I think you all certainly  
13 know that we're in the early full implementation of  
14 what's really a radically different reactor  
15 oversight program. And this new process features a  
16 lot of very good things, greater objectivity,  
17 greater scrutibility as far as our processes are  
18 concerned, and very much -- very importantly, a  
19 focus on risk. And one feature in that respect  
20 that's, you know, prominent of course is the  
21 significance determination process.

22 And in this respect, we are very much  
23 pioneers. You're pioneers along with us. It is a  
24 process that centers on the probabilistic risk

1 assessment, IPE process. And that process is what  
2 it is. It's a tedious process. And it's why we  
3 need experts like Steve Long or Jim Trapp and Tom  
4 Shedlosky and Mr. Gaynor and others. It's a tedious  
5 process.

6 And so I say that because this meeting  
7 has been in many respects, you know, very detailed  
8 in the discussions, a lot of detailed questioning  
9 from us. I think it is important -- we feel it's  
10 important to work this process through in a very  
11 rigorous way, to test it. Because we are pioneering  
12 things. And I think the Commission and the other  
13 stakeholders deserve for us to do this in a fairly  
14 rigorous way so that we know how well this thing  
15 works.

16 And so this is all in the way of really  
17 thanking the people here on both sides who engaged  
18 in what I think is a very constructive, and at times  
19 tedious, but a constructive discussion. And it's  
20 why we -- while in the end, we will make decisions  
21 in the action matrix, and we're not going to get  
22 overly hung up -- we're not going to overcook this  
23 thing in terms of getting in perfect agreement, you  
24 know, we don't need that necessarily to go forward.