

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

AM SESSION

CONTINUED PUBLIC MEETING
on
PART 70 GUIDANCE DOCUMENTS

U.S. Nuclear Regulatory Commission
Two White Flint North
Room T3B43
11545 Rockville Pike
Rockville, Maryland

Wednesday, September 13, 2000

The above-entitled proceedings commenced at 9:09
o'clock a.m., pursuant to notice, Heather Astwood, NRC
Staff, presiding.

1 PARTICIPANTS FROM THE SEPTEMBER 12, 2000 MEETING

2 (may or may not be present at today's meeting):

3

4 NRC STAFF:

5

6 Heather Astwood

7 Tom Cox

8 Drew Persinko

9 Ed Flack

10 David Ayres

11 Rex Wescott

12 Wilkins Smith.

13 Mike Weber, Director, Division of Fuel Cycle Safety and

14 Safeguards

15 Ted Sherr, Chief, Safety and Safeguards Support Branch

16 Lydia Roche, Section Chief, Licensing Section

17

18 PARTICIPANTS:

19

20 John Connelly, Department of Energy

21 Jim Edgar, Siemens Power Corporation

22 Clifton Farrell, Nuclear Energy Institute

23 Bob Freeman, Framatome Kogema Fuels

24 Don Goldbach, Westinghouse

25

[Continued]

1 PARTICIPANTS (Continued)

2

3 Wilbur Goodwin, Westinghouse

4 Felix Killar, Nuclear Energy Institute

5 John Nagy, Nuclear Fuel Services

6 Steve Schilthelm, BWX Technologies

7 Bill Sharkey, CE Nuclear Power

8 Ruth Thomas (via telephone)

9 Charlie Vaughan, Global Nuclear Fuel

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

P R O C E E D I N G S

1
2 ASTWOOD: We are going to pick up from the meeting
3 yesterday. We were unable to get a court reporter for this
4 particular meeting because of the late notice, so we are
5 having this recorded. Please try to identify yourselves
6 before you speak because it will be even more difficult for
7 the transcription if you don't identify yourself ahead of
8 time.

9 I think what the plan is for today is to continue
10 with our section by section discussion of Chapter 11.
11 Because of the time constraints I wanted to ask would it be
12 a good idea to start out with the areas that NEI has the
13 most concern with or do you think with the time allotted
14 going through the acceptance criteria at the speed we have
15 been going we could get through most of what you guys want.

16 KILLAR: From my perspective, I think we do need
17 to do something different than we were doing yesterday
18 although I think yesterday was very good. I just don't
19 think we have the time available to go through it line by
20 line, as we did yesterday.

21 Maybe the way to do it is to identify the major
22 issues that you have and changes you have made since the
23 last version, and also the response to the issues that we
24 have identified. That may end up being line for line, for
25 all I know.

1 COX: Sounds like it. The way you described it.

2 ASTWOOD: Well, since that is the case and maybe
3 we will try to be a little more general instead of
4 specifically saying we changed this word to that word, and
5 your comment was to maybe take it section by section a
6 little more generally and say whether we accepted it or not.

7 COX: Tom Cox here. Could somebody calibrate me
8 as to where we left off yesterday, precisely?

9 PARTICIPANT: 11.10 on September 10, the issue --

10 COX: 11-10 on the NEI document.

11 PARTICIPANT: No, your document.

12 ROCHE: This one, 11-10 --

13 [Pause.]

14 COX: Tom Cox, Design Requirements.

15 I think that you can see in our document what we
16 revised in that paragraph. We put in the red-lined material
17 there, moved in from 11.5.2.1 review procedures because if
18 you were to skip back to there momentarily I think you might
19 find that your comment said something to the effect that this
20 material back there didn't really belong there but belonged
21 up here, or perhaps I decided that after reading your
22 comment.

23 I will just say that the material you see redlined
24 under Design Requirements has been moved forward from
25 11.5.2.1.

1 Let me see if I can make a comment on your
2 comments and keep it general and quick. Okay, your comment
3 in this area was following sentences too prescriptive and
4 detailed, and it was referring to a sentence that started,
5 "A design control function is established."

6 That includes design inputs, process analyses, and
7 so on, on a number of things there, and that this attribute
8 may be described as part of CM or as part of the Management
9 Measures on QA.

10 It was my original plan to include that but I
11 think what in fact was done was to move up that other
12 material into this area and if I am correct in memory here
13 that we did delete the material that you were suggesting be
14 deleted. That is my summary of that.

15 Can comment on that?

16 SCHILTHELM: Tom, in what you proposed here, the
17 shaded information -- excuse me, Steve Schilthelm, BWXT --
18 the shaded information talks about the applicant clearly
19 defining in the ISA summary. It's not clear to me how that
20 even relates to the design requirements and it doesn't
21 really relate to the license application as far as Chapter
22 11 and Management Measures.

23 COX: You are wondering how it relates to Chapter
24 11 and Management Measures?

25 SCHILTHELM: More so I am wondering why it is in

1 Chapter 11 if it is something that is going to be found in
2 the ISA summary.

3 COX: Well, the fact that it is going to be in the
4 ISA summary doesn't mean in our mind that the reviewer
5 should not be told to look for it in the ISA summary. We
6 are telling the reviewer here to look for this to be defined
7 in the summary and along with the assignment of graded QA
8 levels and then we are allowing and telling the reviewer
9 that nevertheless not all of the description of CM may be
10 found or is necessarily found in the ISA summary itself but
11 some of it may be found in there and then some may be
12 referred back to the license application, where it would be
13 in Chapter 11.

14 What is put in Chapter 11 for this description of
15 grading could be generic such that it wouldn't be practical
16 or useful or necessary to be writing it a number of times
17 for a number of different IROFS. This is just telling the
18 reviewer what to look for and where he might find it.

19 ASTWOOD: This is Heather Astwood.

20 My assumption has been all along that they were
21 going to have to use the ISA summary in some cases to
22 identify the IROFS. They are going to have to look at the
23 ISA summary to know which IROFS were identified in the ISA
24 summary.

25 SCHILTHELM: Maybe I am misunderstanding. I

1 thought design requirements in this context were how you
2 through your administrative configuration management process
3 communicated the design requirements for the design of
4 processes and not necessarily how you defined IROFS to be in
5 the CM function.

6 COX: I think I see your point here. You're
7 right, the CM program or its function, as I have said I have
8 wanted to call it, under design requirements is supposed to
9 describe what that first sentence says, how the requirements
10 are established and maintained through control, which the CM
11 function provides -- this control.

12 I guess this is a statement of the things that the
13 control is supposed to be exercised over, probably the most
14 important thing that that control should be applied to.

15 SCHILTHELM: Wouldn't that more appropriately fit
16 in change control?

17 COX: In change control? Is that what you said,
18 change control?

19 SCHILTHELM: Yes. If you are describing your
20 Configuration Management program, you have a design phase
21 that has to implement the baseline design criteria and all
22 that sort of information and decide how you do do design.

23 COX: I agree, but change control starts with
24 knowing the baseline from which you are going to change and
25 the ISA summary will establish that.

1 Then of course once you have them you control
2 revisions to them.

3 SCHILTHELM: Okay. I thought the premise of this
4 SRP was that the ISA had been done and had been approved and
5 already existed and maybe that is coming from my viewpoint
6 of when this SRP will be applied at my license.

7 COX: The SRP, well, some of it will certainly be
8 applied to your license as the ISA is approved and the
9 summary is approved, but the SRP is not written strictly for
10 existing licensees.

11 SCHILTHELM: Okay.

12 FARRELL: This is Clifton Farrell speaking. I had
13 a couple of comments on the shaded text in Number 2.

14 COX: Okay.

15 FARRELL: The first one is the last sentence, "The
16 primary reviewer" -- et cetera -- that sounds more
17 appropriate to be included in the review method part of the
18 SRP chapter. In that section I think it is 11.5, you
19 clearly distinguish the primary reviewer will do this, the
20 secondary will do this, and so on, and I just wonder if that
21 sentence maybe was carried over back into this 11.4, where
22 it should have stayed in 11.5. Just a minor comment there.

23 The other comment -- it seems to me that what is
24 in the shaded text is very similar to the last paragraph
25 right above, I guess it's Number 1, entitle CM Policy, where

1 you talk about assigning grades or quality levels.

2 I wonder do we really need to repeat that in Item
3 Number 2, Design Requirements -- just a thought for
4 consideration. Maybe we have carried over some unnecessary
5 duplication. The sentences are very, very similar to one
6 another.

7 Anyway, those are my two comments on that shaded
8 text that maybe you could look at.

9 COX: Okay. I'll write that in here -- looks
10 duplicative.

11 PARTICIPANT: We talked yesterday a lot about
12 principles. What is the necessary information? Without
13 eliminating the redundancy at least within this section and
14 stating very clearly what is the expectation, what is
15 expected to be in the license application in the area of
16 configuration management.

17 I think if you look at this section, that can be
18 done in a much less verbose way than it has been done and it
19 can be much clearer than what's presented here.

20 COX: That's possible. Tom Cox. Why should I
21 deny that? But at this point we are not looking to reduce
22 verbosity that doesn't lend to lack of clarity.

23 If you can understand this, if we can understand
24 this, at this point repetition is not always bad.

25 PARTICIPANT: But I think the verbosity does in

1 this case lend to lack of clarity.

2 ROCHE: This is Lydia Roche. Steve, you are
3 talking about the whole section, the CM section?

4 SCHILTHELM: Yeah, but specifically when we are
5 debating whether this shaded part needs to be here. That's
6 an example of where we think it is redundant and it doesn't
7 add anything to what's been stated.

8 ROCHE: Okay.

9 COX: I do, though, that there is the same
10 sentence used twice here and that doesn't look too good to
11 me.

12 "However, in the ISA summary this indication may
13 consist of only an index or category designation." There is
14 something strange about that that should be fixed.

15 As to the last sentence there in Item 2 that
16 Clifton was remarking on, it starts off, "The primary
17 reviewer for CM is responsible" -- I could say there that
18 instead of "the primary reviewer is responsible to
19 determine" I could simply say, "The review should find
20 that" -- the reduced levels the Applicant would apply.

21 FARRELL: Yes, that's better. Yes.

22 COX: Anyway, that's about all I wanted to do with
23 that after fixing up the -- I don't approve of redundancy
24 such as the exact sentence twice in ten lines. I don't
25 think that is very good, but on the other hand I don't think

1 it confused anything. I think it's what we are looking for.
2 It's what the reviewer is looking for and I think he
3 understands that whether it is said once or twice or he will
4 understand it if it is said at least once.

5 Any other comment on that one?

6 [No comment.]

7 COX: Document Control. The comment was balance
8 of this sentence is unnecessarily prescriptive and I think
9 that is the balance of the first sentence.

10 We disagree with that. I think this describes
11 essential elements that we want the Applicant to include in
12 the application. It's a descriptive add-on to the topic
13 sentence.

14 The second comment there was what is a document
15 relied on for safety. I don't know how to answer that.
16 It's an IROFS. It seems to me it's -- or key to the support
17 or assurance of an IROFS. If I had to give an explanation
18 or example I might say the procedure that is the essence of
19 an administrative control. It supports a human action, that
20 is an IROFS. That would be a document relied on for safety.

21 The next comment is the following sentence is very
22 prescriptive and dictates how a licensee should operate.
23 Existing licensees frequently do not operate as is
24 prescribed in the following sentence. Licensees often do
25 not have a separately identified CM function but rather

1 integrate CM including all of the elements and attributes in
2 this sentence within several functions.

3 I can only point out there that the licensees must
4 now, according to 70.62(d) have a separately identified CM
5 function described as a Management Measure, so I don't know
6 where to go except to remind you of that.

7 I will change emergency operating procedures --
8 let's see -- I'm trying to correlate two documents here.

9 ASTWOOD: Could I make a comment? This is Heather
10 Astwood.

11 From what I can tell from this paragraph, part of
12 your concern was that we had listed all of the things in the
13 parenthetical and he seemed to have eliminated some of that.
14 Does that help your feeling that all of these things had to
15 be identified in each place is what you were getting at?

16 PARTICIPANT: Yes.

17 COX: As you can see, there are some modifications
18 here.

19 PARTICIPANT: But isn't the concern that the
20 performance that is expected is pretty clearly stated in
21 what NEI proposed and the difference between what NRC is
22 suggesting adds information that in our view doesn't help
23 the process. It's just a bunch more prescription down into
24 the nuts and bolts of how we do things versus what we do.

25 COX: I call it a bunch of detail, if you want to

1 say that, not prescription, that tells the reviewer what to
2 look for in the Applicant's description of a CM function.

3 PARTICIPANT: But I contend that that information
4 doesn't even need to be in the license description of the CM
5 function in order to make it adequate.

6 The point here is that you have a system to
7 control documents that are important, that have relevance to
8 items relied on for safety and that you describe that
9 system.

10 COX: Describe that system. That is what I am
11 telling the reviewer to look for in the description of the
12 system.

13 PARTICIPANT: Yes. NEI's version says the
14 Applicant describes an acceptable method to establish and
15 control documents within the CM system.

16 Isn't that enough information to give the
17 reviewer?

18 COX: No, because we need to tell him what is
19 acceptable in the depth of the description.

20 PARTICIPANT: I think that is our fundamental
21 disagreement.

22 COX: Yes.

23 PARTICIPANT: And this only illustrates a
24 disagreement that permeates this chapter, so we continue
25 through line by line and disagree line by line, or not.

1 COX: Well, yeah, we could --

2 PARTICIPANT: Or we could wear each other out and
3 sometimes we would agree and not agree just because we are
4 worn out but the bottom line is we don't agree on the level
5 of detail, if you want to call it detail, Tom, that is
6 necessary in a license application to adequately describe a
7 program.

8 ROCHE: We have agreed on some things. How would
9 you suggest we change this -- just to the first sentence and
10 that's it? -- and don't put the rest even in the acceptance
11 criteria?

12 PARTICIPANT: That is what NEI proposed.

13 COX: Here is what there suggestion is.

14 ROCHE: I know. It's just the first sentence.

15 ASTWOOD: First and second.

16 ROCHE: But for Tom's purpose the reviewer will
17 have to look at these things. Would it make it better if we
18 put in the acceptance criteria? Still to you that is
19 prescriptive.

20 PARTICIPANT: Yes.

21 ROCHE: It is.

22 PARTICIPANT: Or detailed, whichever you choose to
23 call it.

24 If the basic principles are to retain and retrieve
25 the document, the method of doing that can be as inefficient

1 as you want to have it as long as you can still satisfy the
2 retention and the retrieval of those documents.

3 A document retention program can simply be a pile
4 of papers that if you can produce it within the timeframe
5 you need to produce it in satisfies the intent. It doesn't
6 need to be described in how you catalog it, distribute it
7 and retrieve it.

8 The policy part of that is far beyond the
9 requirement and the basic principle that it is supposed to
10 serve. That is what I think we mean by prescriptive.

11 We want the ability to change our program. I mean
12 if it is distributed a certain way today, it can be
13 distributed a separate way later as long as it is
14 distributed, retained and controlled.

15 ASTWOOD: This is Heather Astwood.

16 I understand that and I don't think we want to
17 unnecessarily restrict you from changing your process.

18 However, we have to make the determination that it
19 is an adequate process and I think if you described in an
20 application that we just have this pile of paper on this
21 desk and I can retrieve it in five minutes, you know, I
22 think we would have difficulty in being able to make the
23 determination that that is an appropriate method.

24 I think we need to have some information on what
25 it is to make the determination that it is appropriate.

1 If there is some way we can, as we have said
2 before, put in some principles, or other words, but I think
3 we are at a stand-still of we can't simply go with we will
4 have a commitment to do it. I think we have to make that
5 determination through the license.

6 PARTICIPANT: We could add a few principles, but
7 they would be just that, basic principles of document
8 control.

9 ASTWOOD: Let's talk about it. For example?

10 PARTICIPANT: Documents will be readily
11 retrievable. Safety documents under the document control
12 system will be readily retrievable.

13 ASTWOOD: Okay.

14 PARTICIPANT: Why? How? Does that matter?

15 ASTWOOD: Well, let me just -- if we put this in
16 here I know NEI is going to come back and say what is the
17 definition of readily retrievable. How quick is that?

18 COX: Tom Cox. Let me suggest a rewording in the
19 front end of this first sentence.

20 Supposed it said, "The reviewer confirms that
21 Applicant has described a method to establish and control
22 documents" and then all the rest of that sentence stays the
23 same? "Describe the method to establish and control
24 documents within the function including those listed items."

25 PARTICIPANT: I guess I disagree with the listed

1 items. I mean you have the word in there, "the document
2 data base" and that right alone assumes there is some form
3 of data base on your documents, a file cabinet, the old
4 school way of doing it would not have a data base.

5 COX: Would you say you would not have a document
6 data base?

7 PARTICIPANT: You may not. You may have a
8 document control system that is not data base related.

9 COX: I don't think -- this data base -- these two
10 words, "data base," don't have to be interpreted as a
11 computerized data base. This is just a collection of data
12 that is organized.

13 Are you thinking that has to be a computer data
14 base the way you are reading it?

15 PARTICIPANT: I believe that is the way it came
16 across to me. In fact, in the last sentence it is one word,
17 database.

18 COX: Suppose it said all relevant documents,
19 cataloging all relevant documents?

20 PARTICIPANT: Retaining all relevant documents.
21 Controlling, retaining -- basic principles of a document
22 control system and not the cataloging --

23 COX: Okay, including retaining and controlling
24 all relevant documents? That would be the first item.

25 PARTICIPANT: I go back to what Steve said. The

1 first sentence in my opinion is adequate. If you needed to
2 add a few basic principles after that it would still look
3 like a very different paragraph than what you have today.

4 The second sentence in NEI's proposal is also very
5 powerful. It says the Applicant describes how CM will
6 capture the documents that are important to safety, so that
7 "captures" all those documents that are important to safety.

8 I don't think you need a list of all the documents
9 that are important to safety to say that you have captured
10 all those documents important to safety.

11 COX: That doesn't ask for the list. It says
12 that's a description of how you will do it. What is the
13 general plan of your function, of your system?

14 PARTICIPANT: Exactly. That is Steve's point.

15 SCHILTHELM: That is my point, and what you are
16 proposing asks for a list, whether that list be --

17 COX: No. I don't see the requirement there for a
18 list. The Applicant describes how CM will capture documents
19 that are relevant and relied on for safety.

20 Where does that require a list?

21 SCHILTHELM: This includes yadda yadda yadda
22 yadda. That is the list we are talking about.

23 COX: Well, yes, okay, but that is not a list of
24 specific documents. That is a statement by the Applicant
25 that our system will pick up design requirements, as-built

1 drawings, specifications.

2 SCHILTHELM: That is a list.

3 COX: The reviewer will be able to confirm that
4 you in fact are addressing those items, if you say that you
5 are. If you don't say that you are, he has no clue as to
6 what the system is capturing.

7 SCHILTHELM: Yes, he knows, he will assure himself
8 that we have described how we will capture documents
9 important to safety.

10 He should be able to assure himself of that
11 without us going through the list ad nauseam of exactly what
12 those documents are in a license application.

13 ASTWOOD: So it is only a question of whether the
14 things that we have listed here are what you would qualify
15 as important to safety?

16 SCHILTHELM: I don't know if that list is complete
17 or not. I would venture to say it is probably incomplete.

18 COX: Well, I guess we will have to disagree on
19 that point.

20 ROCHE: Wait a minute. How would you -- you
21 understand -- this is Lydia Roche -- how would you,
22 addressing what's Tom's and Heather's concerns are, address
23 this with that only one line? You have to think what we are
24 trying to do this for.

25 PARTICIPANT: Well, I think you are looking at

1 each individual section of this SRP far too narrowly and
2 writing it far too narrowly.

3 There's a whole section in the SRP on records,
4 okay? It is pretty comprehensive. Now if those records
5 apply to items relied on for safety, then you don't need to
6 list those records again under the Configuration Management
7 function to say, oh, by the way, capture this list of
8 records.

9 The mistake we are making is looking at each one
10 of these little sections snapshot by snapshot, and not
11 looking at Chapter 11 as a whole because there is a whole
12 section on records. There is a whole section on procedures.

13 That tells you and that should when looked at as a
14 whole should convince the license reviewer that you are
15 addressing what needs to be addressed.

16 The danger in this SRP and the redundancy built
17 into each one of these sections is going to be that the
18 license reviewer is going to narrowly focus on Configuration
19 Management, because he is the primary Configuration
20 Management reviewer. He is going to expect to see all this
21 information that has been prescribed or described, whatever
22 we want to call it, in this Configuration Management
23 section. He is going to expect to see that in his
24 Configuration Management section of the license application.
25 He is going to forget to look at the license application as

1 a whole and when I read the Standard Review Plan that is
2 what I see was done. It takes no account for the other
3 sections of the Standard Review Plan and the information
4 contained therein.

5 ASTWOOD: I think that is -- I have heard you say
6 those kinds of issues before. I think that is slightly a
7 different problem though than what we were just talking
8 about.

9 If this type of information is in the records
10 department, where you say, yes, our CM function does apply
11 to the records in the records management, you know, go look
12 at that section, and that information where we can see that,
13 these records we have identified whether this is right or
14 not is controlled, then that information is there.

15 So I think that is a slightly different issue than
16 saying this is too descriptive or prescriptive and would
17 limit our ability to function because we can't change it or
18 it would increase the paperwork, which is what I thought you
19 were saying the first time, that this is information that
20 you don't think needs to be submitted versus information
21 that is going to be found somewhere else.

22 Is that right? Did I misunderstand that?

23 PARTICIPANT: The issue of being able to change
24 your program is an issue, but it is not in my view a huge
25 issue.

1 The issue is to write a license that in its whole
2 clearly and concisely articulates the expectation in the
3 contract that we have with NRC.

4 That license can't be considered part by part. It
5 has to be considered as a whole. Our experience says, and I
6 know we have repeatedly heard how, well, our reviewers
7 wouldn't do that. They will look around in the license and
8 they will find this stuff, but that has not been our
9 experience.

10 Our experience has been that when you send a
11 Configuration Management reviewer to review pursuant to this
12 Staff he will generate a list of questions based on his
13 ignorance of information elsewhere in the license, not based
14 on the absence of that information, and then we will go into
15 a cycle of responding -- and when I say "ignorance" I don't
16 mean that badly -- I mean he just doesn't look at the
17 license as a whole, at the license application as a whole,
18 so by layering all the information in all the sections over
19 and over again you are going to lead to a list of questions
20 and it is going to turn into nothing more than creating a
21 roadmap to say, oh, this is here, versus in the
22 Configuration Management section.

23 That has been our experience.

24 COX: Okay. I would like to address your earlier
25 remarks that you feel somehow that the material now in the

1 document control section that we are now discussing should
2 be covered by Records Management and a list -- you called it
3 a list of records that are in the SRP are -- the Records
4 Management section is not in there to define what records
5 are kept in the records management system but rather the
6 policies and procedures and techniques for keeping a records
7 management system.

8 The types of records that are to be kept that have
9 to do with CM are not specified that way in the records
10 management descriptions and the list at the back is an
11 example, it is an appendix, is an example of the types of
12 records that ought to be kept under different sections of
13 the entire SRP.

14 When it gets to Chapter 11 it talks about
15 Configuration Management. It does list several of the kinds
16 of records, starting with safety analyses that ought to be
17 kept in the Configuration Management system. However, that
18 is still just an example listing.

19 It is only in this area that we are talking about,
20 document control, where that list there is really the
21 specification of the things that are important to CM for the
22 IROFS. That is why it is there.

23 PARTICIPANT: Well, then why wouldn't that list
24 and the list in the appendix be consistent, because this
25 whole Management Measures applies only to IROFS and it

1 applies to Subpart (h) of the rule, so why would those two
2 lists not be consistent?

3 COX: Well, I would agree they ought to be
4 consistent, although not mapping one-to-one, necessarily, in
5 each other, because the final list in the appendix is just
6 an example list.

7 PARTICIPANT: I would contend this is just an
8 example list because I can't imagine it's complete.

9 COX: Because what?

10 PARTICIPANT: I can't imagine it is complete,
11 knowing what I know about what exists at my facility.

12 COX: I would be glad to add to it.

13 SMITH: This is Wil Smith, NRC.

14 I don't think -- you know, if you look at the
15 words of that sentence it starts off, "This may include" and
16 it ends with "and others that the Applicant may deem part of
17 CM."

18 PARTICIPANT: Okay, so it is an example list,
19 contrary to what Tom just said -- it may include.

20 COX: Well, then we have two example lists --

21 PARTICIPANT: Why do we need two?

22 PARTICIPANT: We should be consistent.

23 SMITH: This includes --

24 COX: They are not tied to the description of how
25 you keep a records management system.

1 PARTICIPANT: On (3) Document Control, I don't see
2 the "may".

3 COX: You don't see what?

4 PARTICIPANT: The "may". I see this includes
5 design.

6 PARTICIPANT: This includes.

7 COX: Yes, it says "this includes".

8 PARTICIPANT: The minimum.

9 COX: In the past industry has not liked language
10 like "This includes, but is not limited to," -- which you
11 will find rife in the NRR's SRP, but we feel that it should
12 include these things.

13 PARTICIPANT: What about criticality safety
14 evaluations? That is not in the list.

15 COX: I would expect that might be subsumed under
16 design requirements.

17 PARTICIPANT: I wouldn't think so.

18 My point is your efforts to --

19 COX: And assessment reports.

20 PARTICIPANT: Your efforts to generate information
21 aren't complete and aren't necessary because you have
22 experienced license reviewers who presumably know what a
23 Configuration Management system is. If not, they shouldn't
24 be reviewing our licenses.

25 They should be able to make a judgment that we

1 have described an adequate Configuration Management system
2 in the area of document control. If they can't, they have
3 no business reviewing a license.

4 COX: But if they don't see what you say is within
5 that CM system, how are they going to have anything to
6 review?

7 PARTICIPANT: Going back to what we said, the
8 Applicant describes an acceptable method to establish and
9 control documents. They describe how the CM function will
10 capture documents that are important to safety.

11 I believe that with only those two sentences an
12 experienced Configuration Management license reviewer ought
13 to be able to review a license and determine that it is
14 acceptable.

15 If they can't, they have no business doing that
16 job.

17 COX: I understand your comment and I don't think
18 we are going to be putting totally inexperienced reviewers
19 on the job, but I won't guarantee that that won't happen, in
20 which case I would hope they would have good supervision or
21 mentors.

22 This document is to be written to help the
23 reviewers along and understand what it is they are supposed
24 to be looking for.

25 PARTICIPANT: But our experience, and the prior

1 EDO acknowledged our experience, is that this will become a
2 de facto requirement and that was acknowledged in a public
3 or in a meeting with the EDO, the prior EDO, that SRPs have
4 a way of becoming de facto requirement.

5 COX: Well, that is not supposed to happen.

6 PARTICIPANT: He acknowledged that it does.

7 COX: Well, then I assume he knew what was
8 happening and he didn't deny it's happening, I guess.

9 PARTICIPANT: That is why we don't believe the
10 overly detailed information that has found its way into this
11 SRP is necessary.

12 I think this is going to continue all day.

13 ASTWOOD: Yes.

14 COX: Yes. I think we may as well move on from
15 that.

16 PARTICIPANT: It is going to continue because we
17 can't let it continue just breezing over these sections and
18 nodding in silence because we are worn out. We are not
19 going to go past a section until it's right and we are not
20 going to get agreement on a section until it is right.

21 ROCHE: But I don't think that is what you have
22 been doing yesterday. In fact, you wanted to continue
23 because we had made some progress, so I wouldn't put it in
24 such a negative light.

25 PARTICIPANT: We made progress on the easy part of

1 the SRP. The easy part was the review, the purpose of the
2 review.

3 We made a lot of progress on that, because the
4 purpose of the review is pretty clear. It's the acceptance
5 criteria that have always been the issue and it will always
6 be where the major disconnect exists.

7 I think unanimously we agree it's prescriptive.
8 You have heard us use that term probably hundreds of times.

9 PARTICIPANT: I'll never use it again.

10 PARTICIPANT: Detailed.

11 PARTICIPANT: It's overly detailed. It's nothing
12 that seems to be going away from our side.

13 GOLDBACH: This is Don Goldbach. Just to make an
14 observation. I liken this to our procedures, our operating
15 procedures at our plant.

16 We have different tiers of information that we
17 like to consider. The first tier of information is what --
18 what to do. Then below that the tiers of information are
19 how you do it, why you do it, where you do it, the "how to"
20 being the most important.

21 Those lower tier things, how to, where to, that's
22 all in the training program that we have. It's not in our
23 procedures, and I am kind of drawing an analogy to this SRP,
24 that for us the "what to do" is okay, but what you are also
25 including in here is really the "how tos" so that your maybe

1 not so experienced reviewer can use the same document to
2 look at the whats and also at the lower level, how.

3 The problem is, and I understand that, you are
4 trying to give the reviewer enough guidance so that they can
5 make a decision on the appropriateness of the license
6 application.

7 The problem it generates for the licensee is we
8 call it prescriptive because it prescribes what or how we
9 have to do things, not just the what but hows, and those
10 details, and that is why I think we are at this impasse
11 right now.

12 ASTWOOD: We could solve that problem by saying
13 you have to have an appropriate CM function and then putting
14 all this detail in the next document for an appropriate --
15 you know, when you are doing this review based on this SRP,
16 an appropriate CM function contains this information.

17 I mean that is why we wanted to have it here so
18 that you would know what it was that the license reviewer is
19 going to see as acceptable and appropriate, so that we don't
20 have the battles at licensing time. That was the point.

21 COX: This paragraph we are talking about, and I
22 think in my paragraphs or it could be in most paragraphs, we
23 are talking here about what and not how. You see all these
24 lists of things that tells the reviewer to go and look for
25 it, look for these things having been addressed.

1 It doesn't say exactly how -- we don't describe
2 for you how the CM system must capture, in what way it
3 captures design requirements or the ISA. It simply says the
4 reviewer should look for your description of how this
5 happens.

6 We don't specify how it happens. We are saying
7 look for these topics, these articles, these kinds of
8 documents. I don't think it's how.

9 NAGY: John Nagy, NFS. It is de facto the same
10 thing.

11 When you tell someone to go and look for a list of
12 things and then that other party is beholden to having that
13 kind of list of things in their system, then their system
14 therefore by definition must be designed around capturing
15 that list of things and then it gets very, very important to
16 what Steve said earlier, is that list exactly correct?

17 If we are not willing to say that this is "the"
18 list, absolutely, and maybe you are but we are not, then I
19 don't think it serves us well. This is why on a number of
20 issues I have made the statement that I think we need to
21 stick with the principles behind -- what type of documents
22 are you, what is the reasoning behind the capturing of the
23 documents? That will tell the reviewer what kind of
24 documents would be appropriate so they would know when the
25 licensee comes forward and says, well, criticality safety

1 evaluations or whatever they call their engineering design
2 specification documents, what-not, would fit into the right
3 categories, so maybe your talking about whats and hows and
4 things is a little bit hard to do.

5 COX: But the principle stops with capture
6 documents that are relevant and relied on for safety.

7 NAGY: Right.

8 COX: That's it.

9 NAGY: Good, and if you stopped there, then we
10 wouldn't have a problem

11 COX: Are you saying that your CM system would not
12 capture as-built drawings, that you are afraid to have the
13 reviewer look for the fact that it was capturing as-built
14 drawings?

15 PARTICIPANT: They may not be relevant.

16 COX: Or are there any one of these things that
17 are wrong to capture in a CM system?

18 PARTICIPANT: No. It clearly says they are going
19 to capture the documents that are important to safety.

20 If an as-built drawing is not important to safety,
21 who cares?

22 COX: Well, you seem concerned about it, the
23 accuracy of the list. What I am saying is that if the list
24 is incomplete but is itself as far as it goes correct --

25 PARTICIPANT: I am concerned with the certitude of

1 the list, the fact that we de facto certifying that this is
2 in fact a correct and I would say in this context it would
3 have to be complete since we are not, really not qualifying
4 it very well, and I am not willing to do that.

5 COX: But it is not your list, it's the NRC's
6 list.

7 PARTICIPANT: It will be my list the minute you
8 put it out in the SRP and that is my concern.

9 When we go to write our license and when the
10 license reviewer comes back and requests additional
11 information or says we find that your submittal is lacking
12 because it doesn't contain -- I can just tell you the text
13 right now -- it will be a couple items straight off this
14 list, because if you really want --

15 COX: That is why I asked if there was anything on
16 that list that you would not want to capture in the CM?

17 PARTICIPANT: I don't know. I will tell you after
18 we go through the process. I can't know a priori what
19 exactly is going to be -- I can tell you the principles
20 behind it but until we try to apply the principles and come
21 back and capture it all I don't know the detail of it.

22 You can't know upfront.

23 COX: Well, what we are saying is we think we know
24 that these things ought to be in the CM system already.

25 PARTICIPANT: Clearly.

1 COX: And Steve is saying the list isn't even
2 complete, that he has got more.

3 PARTICIPANT: You may have alternatives also.

4 Our discussion is not about the content of the
5 list. It is about the existence of a list. That is the
6 point of our discussion. That's not get caught up in the
7 contents of the list.

8 It is the existence of a list that is the issue.

9 FREEMAN: This is Bob Freeman from Framatome.

10 As far as whether or not this will become de
11 facto, a recent letter came out on the streamlining process
12 and there is some text in there that says, "To ensure REIs
13 are appropriate focused, they will be guided to the maximum
14 extent possible by the use of the available Standard Review
15 Plan.

16 The acceptance review says the Staff will not
17 hesitate to decline to accept applications that do not
18 contain the appropriate scope of information to support a
19 technical review.

20 Those two are linked. If you don't have that list
21 complete when you put in a license we expect to get REIs
22 generated and that is not a good approach to licensing.

23 GOLDBACH: Don Goldbach, Westinghouse, again.

24 It gets back to the question that was raised
25 yesterday and was not answered with Mike Weber in

1 attendance, and the question was how does the new rule in
2 this SRP, what does it mean as far as our licensing efforts
3 down the road, compared to our current license.

4 PARTICIPANT: That is where again, you know, we
5 fully believe in the risk-informed, performance-based
6 approach. We want to spend our time improving our safety
7 margin where it needs to be improved and to me and to us I
8 think, looking at the way we are heading with this, this is
9 going to require an incredible amount of licensing effort
10 down the road that is going to add no value.

11 We raised the point yesterday and it was not
12 addressed, and I think that is also at the heart of the
13 impasse right now. It's going to become a defensive effort.
14 The question will be asked and you will defend it. Where is
15 your as-built drawing? I don't have one but I have field
16 measurements.

17 I mean it will be defensive every single point.
18 That is what it is going to turn into.

19 You may have it. It's just not going to conform
20 to this process. I agree exactly with what Don said.

21 COX: We can get into this deeper and deeper but I
22 don't think field measurements that are not on a drawing is
23 an as-built drawing, if it is not on something that can be
24 called an as-built drawing.

25 PARTICIPANT: Correct, but it may be -- one issue

1 important to safety is the spacing between two objects, and
2 you took a field measurement and that is your important
3 measurement. It's not the as-built drawing.

4 There's a number of ways, of alternatives. I
5 agree with Steve also. The list is incomplete. It is too
6 specific and alternatives exist in every facet of a design
7 or a process.

8 COX: Well, the fact that it says as-built
9 drawings here doesn't mean that the reviewer couldn't --

10 PARTICIPANT: I would have to defend the lack of
11 an as-built drawing, to use the example.

12 COX: Yes. That's right. That's the proper thing
13 to do.

14 PARTICIPANT: Well, then there is the reviewer
15 judging the information submitted as the information is
16 submitted.

17 COX: That would be the defense of the as-built
18 drawing or lack thereof would have to be considered by the
19 reviewer as an acceptable alternative. It says that in the
20 very front end of the SRP.

21 PARTICIPANT: And that is what the first sentence
22 covers, an acceptable method.

23 COX: But the reviewer -- well.

24 PARTICIPANT: Which is what I would present --

25 COX: We present what is an acceptable method. We

1 present what is one acceptable method. That is the whole
2 purpose of the SRP.

3 PARTICIPANT: That's fine, but it is pretty
4 prescriptive and the fact that it says "This will
5 include" -- a list.

6 ASTWOOD: I understand what you are saying with
7 that list. I don't think getting rid of the list would
8 prevent you from having to defend not having something in
9 it. I know what you are saying. I just want to throw that
10 out as an observation -- in having a CM expert review your
11 CM could result in him coming up with a huge list on his own
12 of things that he thinks are important.

13 PARTICIPANT: I agree with you 100 percent,
14 Heather. I agree with you.

15 The difference is his question wouldn't be
16 arbitrary and capricious. It would be based on an informed
17 review of the process that we described.

18 ASTWOOD: And he wouldn't be able to say it was in
19 here in the SRP.

20 COX: An informed review. Let me ask you a
21 question. Suppose that sentence just starts, "This includes
22 design requirements." Suppose it said, as it once said,
23 "This may include design requirements" and so on and so
24 forth? Does that make any difference to you?

25 PARTICIPANT: How about if we just said the

1 document should include those relevant to the engineering of
2 the plant from design phases through construction and
3 as-builts or something, I mean where you are generally
4 speaking -- maintenance functions or quality assurance
5 program documents that capture the end results of those
6 analyses, instead of trying to be so specific by saying
7 as-built drawings.

8 Yes, that is one engineering type of drawing that
9 all of us that aren't in the Engineering Department can
10 throw around. There's another 20 or 30 different types of
11 things that the engineers use throughout their entire
12 process and change controls they use and modification
13 documents they have and redlines they use and everything
14 else.

15 We are not here to be experts in engineering but
16 we are here to say what is it we need, what is it that you
17 want to know?

18 ASTWOOD: Go ahead.

19 COX: As-built drawings is a very generic,
20 industry-wide, industry-practices type term. It is not
21 specific. I mean it's not so narrow as to be unable to be
22 interpreted.

23 PARTICIPANT: That wasn't my point.

24 COX: I mean that has been around for --

25 PARTICIPANT: My point was that it was one

1 specific example that you pulled out of a myriad of things
2 that engineers use in the process of doing what engineers do
3 to maintain and run and build safe facilities.

4 I just think by getting into this list and any
5 list -- it's not this list. I could care less about this
6 list and as-built drawings. In any list we need to be
7 guided by what is it we are after in terms of what is the
8 reasoning here that we are trying to get in the license
9 reviewer.

10 The minute you introduce a standard list, you
11 might as well put a checklist together for the reviewer. I
12 think it takes away from the professional aspect of the
13 review. I think it takes away from the thoughtful aspect
14 the licensee goes through in preparing what they are going
15 to submit to you.

16 I mean the licensee may just turn around and
17 submit you exactly this list.

18 ASTWOOD: Right.

19 PARTICIPANT: And not have really thought of what
20 you asked for. That is a danger to everybody here.

21 ASTWOOD: Okay. Following that line of thought,
22 again not committing that we are actually going to change
23 this because there are other people we have to check with,
24 but can we try to come up with some wording like he had just
25 mentioned that gets across our point and doesn't limit you

1 to a specific list?

2 Can we try to say this includes --

3 PARTICIPANT: The words that NEI proposed are
4 perfectly adequate.

5 ASTWOOD: I understand --

6 PARTICIPANT: It captures the documents that are
7 important to safety.

8 ROCHE: I understand that. We feel that the words
9 we proposed are perfectly adequate and I am trying to come
10 to a compromise between the two.

11 Remember, Steve, yesterday you were saying don't
12 put this here, put it in the acceptance criteria. Well,
13 that is where we are now and we have to offer some guidance.

14 SCHILTHELM: I never said that we agreed with the
15 acceptance criteria.

16 [Laughter.]

17 ROCHE: I know, but you were saying don't put it
18 here. We are putting things in the acceptance criteria, and
19 now you are saying no, still I don't want that.

20 Also, I sense a little bit of fear and speculation
21 as to this is going to become prescriptive, this is going to
22 become the requirement, this is going to become that.

23 You mentioned the streamlining letter. Well, I am
24 very familiar with that letter and what we meant, precisely,
25 is to diminish the number of REIs which takes your time,

1 takes our time, or filling in gaps when we don't know
2 something with a license condition, which we want to get
3 away from too.

4 SCHILTHELM: I agree.

5 ROCHE: And that's all we need -- it is in good
6 faith.

7 Now we will look for alternative language that may
8 satisfy you better. We are not going to come out with a
9 complete list. You might have a better and secret list and
10 so forth, but we have to give some guidance to our reviewer
11 for consistency and to accomplish what we said in our
12 streamlining letter, and that is really where we are coming
13 from.

14 I mean this is not something to make your life
15 impossible and you said you have all this data, so we are
16 going to have consistency or everybody being treated the
17 same way, and fairness. That is our goal.

18 When you speak, you sense oh, I am afraid this, I
19 am afraid of that. Let's try it, because you even mentioned
20 that you don't even know what this list would be or how you
21 would come about it.

22 Well, bring me a rock. We are giving you a rock.
23 It's a guidance rock, granted, but we have to satisfy our
24 needs too.

25 SCHILTHELM: I agree with what you said, Lydia --

1 but our experience doesn't support that and we had that
2 discussion with the entire Staff up to the EDO about a year
3 ago as to precisely why we are so concerned about the
4 language in the SRP.

5 Our experience supports the fact that if you don't
6 do what the SRP says, you are branded as a rebel and you
7 have to explain your life away. That is a fact and that is
8 our experience.

9 ROCHE: This isn't your first SRP?

10 SCHILTHELM: We have worked other SRPs. There are
11 transportation SRPs. We have worked SRPs before. We know
12 how the system works, so you have to at least acknowledge
13 and understand our sensitivity about what is in an SRP.

14 ROCHE: I do. I understand what you are saying.

15 SCHILTHELM: Now we don't have to agree that that
16 will come to pass but that is our experience.

17 ROCHE: Well, let's try. Let's move on.

18 What don't we try and let's move on. Heather and
19 Tom will think about some alternative language that may be
20 more compatible, but believe me, our purpose is just to link
21 this SRP as guidance with our streamlining, making it easier
22 on you, put the onus on you as to how you manage your
23 facilities, but at the same time satisfying our regulatory
24 needs

25 SCHILTHELM: I understand and in fact when I read

1 this letter I thought it was an excellent letter until I got
2 to that part and I am sure it is pertinent to my view, being
3 on the Part 70 at this point.

4 If I was an outsider I would have thought this was
5 an excellent statement.

6 ROCHE: Let me tell about that part. It is not
7 complete. We don't mean it is not complete in one of these
8 or three or ten of these items in this particular section.
9 The intent there was it's not complete and somebody said I
10 want to do this new process and I am going to follow every
11 one of your requirements. Very short, one letter or one
12 phone conversation or something like that or a two page
13 letter -- that is what we are thinking of, and we have
14 gotten those too, so you have your experience and we have
15 our experience and this is what we are trying to do, come up
16 to some grounds we both --

17 PARTICIPANT: The problem with moving on though,
18 that I want to make it very clear, is that as we sit here
19 and we go through this section by section, and we sit
20 silent, it is not because we are in agreement. We are not
21 in agreement over the acceptance criteria that exist in
22 Chapter 11 of the SRP. We are not even close.

23 ASTWOOD: Well, let's work on it and get it close.
24 I mean don't just sit there and say --

25 ROCHE: That is exactly what we want to do.

1 PARTICIPANT: But as we go through section by
2 section we don't reach agreement.

3 ROCHE: That is not what you said yesterday. You
4 said we made a lot of progress.

5 PARTICIPANT: I said on the acceptance criteria.
6 We made progress on the purpose of the review and we agree
7 with the purpose of the review. We are in acceptance
8 criteria now, two different things.

9 COX: We went through purpose and areas of review.

10 PARTICIPANT: Right. Two different things,
11 acceptance criteria --

12 COX: Did we get agreement that far until we go to
13 this acceptance criteria?

14 PARTICIPANT: I think we are in pretty good shape
15 there.

16 COX: Okay. I would like to just ask, because I
17 think, and I'll tell you in a minute, I think we are just
18 going to get bogged down here, but could we just take five
19 or ten minutes, since things seem not to be going too
20 smoothly here. I would like to get a statement written
21 down, which I think John Nagy has almost articulated
22 reasonably well for all of you, I guess -- something about
23 the guiding principles.

24 I would like to start a sentence that says,
25 "Acceptance criteria should be limited to a --" -- can we

1 make a statement that describes what your feelings are about
2 this.

3 PARTICIPANT: Oh, gosh.

4 COX: And I know it involves the -- you want to
5 limit it to the statement of general principles describing
6 an activity or something.

7 PARTICIPANT: How about a set of guiding -- should
8 be limited to a set of guiding principles that ensure the
9 effectiveness of the licensee's program to meet the
10 performance requirements of the regulations.

11 COX: Well, think about it awhile. I can't write
12 that fast -- that ensure the effectiveness of --

13 ASTWOOD: -- the licensee's program --

14 COX: -- the Applicant's program --

15 PARTICIPANT: -- to meet the performance
16 requirements of the regulations.

17 It would be more specific but it's something like
18 that, which sets sort of the tone of what you are laying out
19 for both the reviewer and -- but of course the flip side is
20 that we look at it, what the licensee is trying to do in
21 their license language.

22 COX: -- limited to a set of guiding principles
23 that ensure that Applicant's function meets the performance
24 requirements, but --

25 PARTICIPANT: I wouldn't say limited to. I think

1 that is the idea. It should be a set of guiding principles,
2 so that the reviewer has a clear picture in their mind of
3 what it is that is needed here, what they are looking for
4 the licensee to be committing to, and that the licensee
5 does.

6 COX: And I think without writing some more I
7 think it's probably fair to say that your view of what those
8 guiding principles are would fit this markup that you have
9 given us of this? In other words, essentially the first
10 sentence of a lot of these paragraphs, because you have
11 deleted usually after the first sentence.

12 PARTICIPANT: I can no longer speak for the
13 industry group because I wasn't as involved in that,
14 unfortunately.

15 COX: You weren't involved in writing this?

16 PARTICIPANT: From what I have seen so far, it
17 does. Yes, I am a fill-in here, frankly, today, but yeah, I
18 think what NEI has presented with the industry comments kind
19 of goes along with the lines of thinking that I just
20 espoused.

21 COX: Can I get a nod from the rest of you that
22 that you feel what is produced here and given to us on
23 August, dated August 30, that that shows guiding principles?
24 Is that what John and you all are talking about?

25 PARTICIPANT: We didn't set out specifically to do

1 that, I don't believe, so it probably in a lot of cases
2 doesn't do that.

3 We set out to work on the straw man and I think
4 those guiding principle ideas filtered into a lot of our
5 thinking but it wasn't an overriding consideration as we
6 worked on this chapter.

7 PARTICIPANT: Yes, it wasn't our principal
8 mission, but I think it colored out thinking. It was
9 probably a second tier effect in our thinking as opposed to
10 the primary focus.

11 PARTICIPANT: And I think it would look different,
12 probably substantially in some areas, different if we set
13 out with that as the mission.

14 COX: Okay.

15 PARTICIPANT: There was an edit or an attempt by
16 industry and ourselves to rewrite Chapter 11 -- it must have
17 been a year ago -- and we really just focused on commitments
18 and what are the core elements that you should describe
19 under each of these acceptance criteria, but that was
20 radical surgery, and more recently we have just tried to
21 work more superficially on the version that you gave out
22 most recently.

23 COX: Well, in some cases then -- there are some
24 paragraphs here that you haven't changed a tremendous amount
25 and there are some of these areas where we have modified to

1 address, I think to address your concerns, and we have some
2 plain disagreements.

3 I might suggest that we try to at least get
4 through or keep working on this one and the maintenance one
5 and then maybe we'll have to stop, because among other
6 things I don't have with me my comment document -- it's been
7 misplaced or lost -- that I had on procedures and audits and
8 assessments and incident investigations. I was working with
9 it yesterday and we got through what we got through. Now I
10 don't have it to go through for acceptance criteria, but I
11 can tell you, I know ahead of time that there was very
12 little of your comment in those three items that we picked
13 up and agreed with, so perhaps it wouldn't be worth pursuing
14 that anyway given your current -- what you have said so far
15 today.

16 However, I do think that I could, that we could
17 continue to work through this, CM and maintenance, and also
18 perhaps you would want to try QA and Records Management and
19 the one other one that we have --

20 PARTICIPANT: Training and Qual.

21 COX: Training and Qualifications. But I think we
22 are going to have problems with procedures and incident
23 investigations and audits and assessments.

24 Why don't we try to determine what is our, what we
25 think is a good way to use the next couple of hours?

1 [Pause.]

2 COX: I have made some changes in here but as I
3 say, I think I could work through with you on CM and
4 maintenance and what we could do at least is establish where
5 we disagree -- where we still disagree, I guess.

6 Do you want to do that or do you want to just say
7 that you don't think this is going to happen?

8 You have had, I guess, overnight to look at our
9 Chapter 11 that we gave you yesterday.

10 [Laughter.]

11 COX: I don't hear anybody --

12 PARTICIPANT: I didn't rush home and read it last
13 night. I'm sorry.

14 PARTICIPANT: I would like to ask that maybe the
15 last 15 minutes of this afternoon, if Heather or you could
16 present a little summary of how you are changing Chapter 3
17 in the ISA. That is of great interest to us.

18 COX: We have those on the agenda. I am prepared
19 to deal with that. As you can see, we are moving very
20 slowly on this, so that is why I am asking -- we have so
21 many ideas here of what you want to do.

22 Do you want to just move to the other things
23 because they are important to you? They were lower on the
24 priority list than Chapter 11 -- but I think if we work
25 solidly on Chapter 11 we probably won't get done with it

1 before 4:30.

2 If those other items are important enough to deal
3 with today, maybe we ought to do that.

4 PARTICIPANT: Maybe we ought to take 10 minutes to
5 decide what we are going to do with Chapter 11.

6 COX: Yes. We now know if nothing else the
7 difference -- you know the difference between the Chapter 11
8 that is in front of you that I gave you yesterday and your
9 comment, August 30 comments, and what I am saying is in the
10 areas of CM and maintenance the changes that we think are
11 worthy of making have been made.

12 Do you want to just caucus for 10 minutes or what?

13 PARTICIPANT: I don't see any value to continuing
14 the line by line discussion that we have had. I just think
15 we are too far apart on some fundamental philosophies. It
16 is personally frustrating to me to go through this line by
17 line knowing that there's other higher level issues hanging
18 out there not addressed.

19 ROCHE: Why don't you go through the things you
20 have agreed with on this one and then we are going to have
21 to --

22 COX: Well, that is a pretty good approach. Let's
23 look for something we agree on.

24 ROCHE: The ones we have agreed with you on, maybe
25 we can work on these.

1 COX: Is that okay with everybody?

2 PARTICIPANT: Yes, we can try that.

3 COX: Maybe it won't take that much time.

4 PARTICIPANT: My memory is not always that great,
5 but didn't we come close with was it audits and assessments?
6 We went over one of them yesterday, I believe and they
7 tended to be the guiding principle type things.

8 I think -- if I remember, we came fairly close.

9 COX: We did on the areas of review and we
10 progressed --

11 PARTICIPANT: Not the acceptance criteria.

12 COX: We didn't deal with acceptance criteria, I
13 don't believe.

14 PARTICIPANT: We did work through examples of
15 license application though that kind of focused us in on
16 audits and assessments.

17 ROCHE: Let's go through the one we agree with and
18 then maybe --

19 COX: Well, document control I guess you can see
20 that we haven't had a meeting of the minds on.

21 ROCHE: Okay.

22 COX: Looking at change control, I made some
23 modifications here but in fact the NEI document does not
24 call for deleting much in the change control paragraph at
25 all except it refers to some text in parentheses, which was

1 called for to be deleted, which was like two lines' worth.

2 ROCHE: Which we did.

3 COX: And we deleted them. There are some other
4 modifications to the paragraph, I believe.

5 That is perhaps an area where at least relative to
6 this document, the NEI document, we have --

7 ROCHE: Agreement.

8 COX: -- pretty much agreement.

9 Do we have disagreement with that statement?

10 PARTICIPANT: One issue that several of the
11 industry folks brought to the attention deals with the last
12 sentence of Item 4 --

13 COX: Oh, yes.

14 PARTICIPANT: When the change is made according to
15 70.72 the affected onsite documentation must be made within
16 five working days.

17 COX: Right.

18 PARTICIPANT: That seemed to be unnecessarily
19 short.

20 COX: I simply could not resolve that one in the
21 week or so we were working on it so I left that the way it
22 was. As a matter of fact, Drew Persinko might want to say
23 something about that. Is he here?

24 ROCHE: He just stepped out.

25 COX: This was an area that was worked on during

1 the rulemaking. Do you remember anything about that? There
2 was a need to define what "promptly" meant.

3 Well, promptly came up to be a few working days,
4 if I remember correctly. That is why this shows up.

5 This is an artifact of the rulemaking, so that is
6 why I had to go back somewhere else to get this resolved.

7 PARTICIPANT: This is a tough issue, and I can
8 speak from experience in updating ISA summary documentation
9 as you make changes in the facility, and generally you can
10 get it done in 30 days. You can't get it done in five days.
11 There's too much administrivia associated with it to get it
12 done in five days.

13 As hard as we have tried to work at efficiency it
14 still has its administrative burden associated with it.

15 ASTWOOD: Yes. There was a lot of discussion
16 about what that time period should be and again I was only
17 on the sidelines but I remember it connected to something,
18 some other policy that was already in place, so we will have
19 to find out about that and whether or not it applies here --
20 a definition of promptly from somewhere else.

21 PARTICIPANT: To think this through a little bit,
22 the important thing is that you update those documents that
23 are going to be used.

24 ASTWOOD: Right.

25 PARTICIPANT: Procedures, training, extremely

1 important.

2 In fact, they have to be updated and implemented
3 before you effect the change so those are preoperational
4 things that have to occur.

5 When you update the ISA summary it's more a
6 function of how long you can tolerate it not being updated.
7 That change is based on the circumstance. If you have got
8 three or four sequential changes going to occur within a
9 month in a particular operation, then there is no real value
10 added to update the ISA summary four times when you can wait
11 until all four are done and updated once, so if you could
12 factor that thinking into that definition, there are really
13 two kinds of documents to be updated, those that are
14 important to the operation, to make sure the operation stays
15 safe, and those that are important from an administrative
16 standpoint.

17 PARTICIPANT: The important thing there is that
18 you never use information that is not current, accurate or
19 up to date in your operations and decisionmaking, so if you
20 have made some changes, and if there is lag time in the
21 system, as long as that lag time doesn't impact your
22 operations or decisionmaking then you should be okay.

23 COX: We are talking here about documents that are
24 in the CM system, which is supposed to carefully assure that
25 things, inordinate or inadvertent items, don't happen in

1 actual safety operations because of bad documentation.

2 PARTICIPANT: Right.

3 COX: So it could be in some cases if you can't do
4 it in some "x" amount of time, maybe some process would have
5 to stop for some "x" amount of time.

6 PARTICIPANT: I think that's what is being said is
7 the norm is that we don't operate things until we get
8 changes made that we know we have to change, so the word
9 "promptly" is kind of irrelevant if you are not running it
10 until you get a change effected.

11 What you don't want to have is an administrative
12 thing that says, well, all documentation, even that that
13 isn't relevant to this, as far as the safety of the
14 operation, like maybe updating the ISA summary itself.

15 PARTICIPANT: The ISA summary is a good example.

16 PARTICIPANT: Would fall into the same definition,
17 so it gets back to what are you really trying to effect
18 here? You don't want to operate with the wrong information.
19 That needs to be the standard.

20 ROCHE: Okay, we'll take a note and get back to
21 you. Let's move on to the others.

22 COX: Under Number 5, assessments, there were no
23 changes recommended by NEI that were not incorporated in
24 this paragraph you are looking at. I think that is a
25 correct statement.

1 We should be on the same wavelength there.

2 You can see that design reconstitution has been
3 eliminated, as you wanted.

4 We are now on maintenance. We made the change
5 that you called for in the first sentence, except that I
6 didn't put the Number 4 in there.

7 Under surveillance monitoring, I have a note in my
8 margin here from yesterday that John Nagy will provide a
9 list of principles.

10 ASTWOOD: Yes, and he did.

11 COX: We have it already, eh? Okay.

12 NAGY: This is John Nagy, NFS.

13 I should point out that that was sort of done on
14 the back of the envelope yesterday during lunch and what I
15 wanted to get my hands back on yesterday and thanks to Walt
16 Schwink I did, was the INPO, and I understand NEI had a lot
17 of involvement with this, document on principles for
18 self-assessment and corrective action programs and the
19 reason being that there were a couple of items in here that
20 basically say, okay, if we find a problem what are we going
21 to do about it?

22 That really means, well, when we identify it are
23 we going to in a timely fashion communicate that to all the
24 right parties including, as Part 70 requires, for certain
25 items to the NRC? What is our process for going through and

1 looking at investigations, setting up investigations, doing
2 that in a standard way?

3 This document in a very nice way goes through and
4 talks about a lot of what is involved in that, and I think
5 might be something we want to at least look at, and I have a
6 number of copies here, and I think some of the industry
7 people already have this. I don't know if I have enough for
8 everybody. If you have one, don't take it.

9 If you go to page 15 of that document, there is a
10 summary list, summary of principles for effective corrective
11 action programs, and I would submit to you that a subset of
12 that list might be those vital elements that are worthwhile
13 to actually list in a Standard Review Plan either in the
14 context of a corrective action program in general or in
15 following it up with any corrective action you mind find,
16 like is the case with surveillance and monitoring here where
17 you -- how did we respond to an IROFS failure or an adverse
18 trend.

19 COX: We will look at this, but I would submit
20 that this we do -- we use this information under audits and
21 assessments and incident investigations program, which
22 together are a corrective action program.

23 NAGY: If you want to though, because one of the
24 specific things I was trying to deal with was the fact that
25 there is a commitment to respond to failures or adverse

1 trends of the IROFS. It is written in here.

2 So what would a license reviewer need to see?

3 ROCHE: What page are you in?

4 NAGY: Well, I am on page 11 of mine. Maybe --

5 COX: That's right.

6 NAGY: 11-11.

7 COX: At the bottom, surveillance and monitoring.

8 NAGY: Right. It says the Applicant describes how
9 results from incident investigations, review of failure
10 records and identified root causes are used to modify the
11 affected maintenance function or eliminate and minimize root
12 causes from re-occurring.

13 What I would hope most people would do there would
14 be refer to their corrective action program because that is
15 how you deal with all these types of issues, and so with
16 that line of thinking I put together the straw man that I
17 gave out, saying how you would respond.

18 COX: We'll do that. I see something here that is
19 a little bit -- I can see something you ought to change here
20 in that this paragraph is about surveillance and monitoring,
21 that function of maintenance.

22 It doesn't have to deal with corrective actions
23 and that sentence that you just read, I think you just read
24 that about results from incident investigations and
25 identified root causes are used to modify the corrective

1 maintenance function -- I would end that sentence right
2 there now.

3 Eliminate the part that says "and eliminate or
4 minimize the root cause from occurring. That is not really
5 what is intended to be dealt with here. We are trying to
6 make sure that the Applicant has a good surveillance and
7 monitoring program in the maintenance function.

8 NAGY: Okay, but I would submit to you that that
9 entire sentence really must go because how results from an
10 investigation or the review of records are treated by your
11 program is part of your corrective action program too.

12 I think that entire sentence then would go and
13 then we would be okay, because you would have your incident
14 investigation and hopefully your corrective action program
15 described somewhere else, and here you could just simply say
16 that we are committed to conduct documented surveillances at
17 minimum specified frequencies IROFS, preventive maintenance,
18 et cetera.

19 COX: We would have to here refer to the
20 corrective action program or to incident investigations --

21 NAGY: Right.

22 COX: -- or to audits and assessments and back in
23 that other section we would refer to the fact that that
24 information might be used to modify the surveillance program
25 under maintenance so you are talking about cross referencing

1 in both directions.

2 NAGY: Exactly. Perhaps it makes a lot more sense
3 to describe that program elsewhere, not here.

4 COX: I'll consider that.

5 PARTICIPANT: Are we going to talk about
6 corrective action program stuff?

7 COX: Wait a second. We may.

8 [Pause.]

9 COX: Now we are going through maintenance.

10 PARTICIPANT: I understand.

11 COX: We may get to --

12 PARTICIPANT: It got a little bit of the high
13 priority relative to -- from this morning's conversation.
14 There is an expectation that we will try to at some point
15 come up with a few key attributes of a corrective action
16 program today, at this meeting, and --

17 COX: Well, I think what I said was --

18 PARTICIPANT: -- we were trying to do that.

19 COX: What was said was the discussion of what
20 elements should be in a corrective action program, which we
21 define here in two different functions, should be discussed
22 this afternoon, because that is what we're doing. I didn't
23 think it was -- well, I guess I did sort of facetiously say
24 we'll resolve that this afternoon.

25 I now know that we may not resolve it this

1 afternoon.

2 PARTICIPANT: We missed the sarcasm.

3 [Laughter.]

4 NAGY: If I could --

5 COX: We will certainly address it.

6 NAGY: Could I point one thing out then?

7 COX: Sure.

8 NAGY: Because we may not get back to it.

9 COX: Okay.

10 NAGY: My guess is we won't. On page 15 of what I
11 handed out, the INPO document, it has that list of 12 items.

12 My looking at this -- now these are all good
13 things, believe me, and I think most of us have tried to do
14 all these things but what are the fundamental, vital ones?

15 I put 2, 3, 4, 5 and 7, okay?

16 COX: On your single sheet?

17 NAGY: On this page as being the vital elements of
18 this program, the minimum stuff, the stuff your license
19 reviewer ought to be looking for, and I modified the Number
20 2 one where it says, "Management formally defines problem
21 reporting criteria, the problem reporting system to be
22 used" -- I struck the rest of that sentence and then added
23 "and must include failure of items relied on for safety."

24 In other words, that is a minimum requirement of
25 this system is when you have an item relied on for safety

1 failure that it is going to be kicked directly in to the
2 corrective actions program.

3 That is just my recommendation. This is not
4 something that the whole team has looked at.

5 COX: How does what you just told us about, this
6 page 15, how does that relate to this single sheet that
7 you -- or does it?

8 NAGY: See the bullets?

9 COX: Yes.

10 NAGY: Just strike my bullets basically on my
11 sheet.

12 COX: Strike your bullets?

13 NAGY: Yes. Those bullets were the ones up the
14 top of my head that I was trying to say what ought to be in
15 a good corrective actions program but I think this describes
16 it better in the INPO document.

17 COX: Okay. So you are saying now this is your
18 suggestion rather than this single sheet?

19 NAGY: Yes, sir, that's right. I just didn't have
20 it in hand at the time.

21 COX: I understand that the SRP deals with
22 corrective action in two separate functions called audits
23 and assessments and incident investigations.

24 We don't have a Management Measures called
25 Corrective Actions?

1 NAGY: Yes.

2 COX: So these four or five items, however they
3 are used, might be split up between the two or they might
4 end up all under one.

5 NAGY: I haven't thought through it. I just
6 submit that for your use, however we can be consistent with
7 it throughout this process in the Walt Schwink's area.

8 COX: We will certainly look at that.

9 Are we still back on maintenance now?

10 NAGY: In that Item Number 1, surveillance,
11 monitoring, the next sentence after the one that you are
12 going to consider for putting in Corrective Action, says
13 "Records showing the current surveillance schedule" -- that
14 sentence -- you know, I am just wondering now is that
15 something that really needs to be under Maintenance or
16 should that be dumped into the Records Management Measures
17 just for clarity?

18 COX: Establishing PM requires looking at the
19 results of failure records and designing the PM function to
20 take account of what might be more frequent failures than
21 you thought, so you may increase the frequency of PM.

22 NAGY: Unless you are starting anew, yes, so a
23 priori it does not necessarily. If you have that
24 information you can use it and may use it as a function of
25 importance but that doesn't mean that you always going to

1 have failure records to guide you when you go into
2 establishing a PM program.

3 COX: I agree. If you don't have results, you
4 can't use them. This address the time when you have
5 results.

6 NAGY: I think, you know, your surveillance and
7 monitoring, in the straw man I put out there and maybe it's
8 a little bit too simplistic, but you are looking here for a
9 commitment to conduct documented surveillances.

10 You want a minimum frequency specified for your
11 items relied on for safety in the preventive maintenance
12 testing and failure records area. I don't think it helps to
13 get a lot more specific.

14 COX: Okay. Let's --

15 PARTICIPANT: Would you pass down a copy --

16 NAGY: Oh, of the straw man thing?

17 PARTICIPANT: Yes, please.

18 NAGY: Oh, I'm sorry, it's this thing. Not much
19 use but it's just a sentence or two.

20 VAUGHAN: I think the corrective action is stuck
21 over in the other QA elements piece.

22 COX: I am not sure I understand what you are
23 saying there, Charlie.

24 VAUGHAN: Well, I heard a comment awhile ago that
25 said that the corrective action program wasn't specifically

1 addressed in the Management Measures.

2 COX: Oh, and you see something under Other QA
3 Elements that deals with it?

4 VAUGHAN: In the QA Elements down about Number 16
5 is where it is really the corrective action statements. I
6 think it ought to be and it is really a Management Measure
7 action and not a QA action necessarily, because it is such a
8 cross-cutting function.

9 I just introduce that because it really is in
10 here.

11 COX: Yes, well, we haven't discussed QA yet.

12 VAUGHAN: That was a marker. That's a flag as to
13 where.

14 COX: Yes. I see the word "corrective" -- no, I
15 don't see the words "corrective action" under Item 16.

16 VAUGHAN: It doesn't say "corrective action."

17 PARTICIPANT: -- part of the Corrective Action
18 Program is the very last sentence on the bottom of 11 --

19 COX: Oh, yes, yes, I've got it -- "or as part of
20 a Corrective Action Plan."

21 See, you can have a Corrective Action Plan and you
22 can call it that. We will look for the proper elements to
23 be in it that we have listed under A&A and Incident
24 Investigations.

25 Okay. On PM, we made some modifications there.

1 I think we did not delete the last sentence
2 because we don't have a problem here with stating here and
3 under Functional Testing the same kind of statement.

4 We feel like saying under PM that if necessary you
5 have to do a functional test after PM to provide the
6 assurance that the device is still there. That is a
7 simple --

8 PARTICIPANT: Why not put that under Functional
9 Testing and just -- it just seems to be kind of a black
10 sheep. In fact, maybe it is already there.

11 COX: Well, yes, but this is a reminder that under
12 the PM function that you may have to end up or at the end do
13 a functional test, following PM.

14 It in no way detracts from what it says under
15 Functional Testing, which describes what functional testing
16 is required for.

17 If you found the same thing under Functional
18 Testing, and I don't see it --

19 PARTICIPANT: You repeated the sentences in both
20 PM and Functional Testing. The same sentence occurs in the
21 top of page 11-13, sixth line down.

22 COX: Yes -- if necessary, a functional test is
23 conducted after conducting corrective maintenance and
24 before --

25 PARTICIPANT: Excuse me --

1 COX: -- before returning an IROFS, so we just
2 mention it in two places. I don't think that is confusing.
3 I think it makes certain that the reviewer doesn't miss it
4 because it is important to both the definition of PM and to
5 a description under Functional Testing of when you use
6 functional testing.

7 ASTWOOD: Again, I think some of these changes, at
8 least from my understanding, some are editorial and some are
9 important to you, as we have been talking about.

10 I know you feel frustration in going line by line
11 and you said you don't want to sit there in silence with
12 these other issues, but it is beneficial for me and Tom to
13 hear you say no, this is really important, we don't agree,
14 we need principles here -- whatever you were saying before.

15 I don't want you to be frustrated with the process
16 because it does help us. Some of this stuff I believe may
17 not be as important to you and we need to focus on the areas
18 that are, so I just want to throw that out there.

19 COX: So far we are taking the statements of
20 redundancy or repetition as not as important. I consider
21 them not as important as "The following sentence is
22 unnecessarily prescriptive." That kind of a comment is a
23 little more weighty.

24 ASTWOOD: I agree. I just wanted to make sure
25 that we are not --

1 COX: And in regard to that, under Item 3-PM, the
2 first comment I considered was, well -- the first couple of
3 comments are essentially editorial and the last comment was
4 one about unnecessary prescription -- "License Applicant
5 will be" -- so on and so on -- and I believe I agreed with
6 you on that one.

7 Let's see here -- PM. Took out the sentence that
8 starts, "A rationale" and decided we do not need the
9 rationale.

10 Functional Testing --

11 ROCHE: Also, we will look at the NEI document for
12 what Steve also mentioned --

13 COX: Let me back up for a second.

14 Here is an important point perhaps. Steve made
15 the general observation that all of this is too prescriptive
16 and I think I heard several of you back this up.

17 Here's an example of a paragraph we just went
18 through where two of the comments had to do with, first of
19 all, a comment about a log, which we took care of. The next
20 comment was about redundancy. The final comment was about
21 too much detail and we took care of that. Now that is all
22 that that NEI document said about that paragraph, and it has
23 essentially been taken care of.

24 Now are you saying still you don't agree with the
25 paragraph on PM?

1 All you have to look at is the NEI document, and
2 if you agree that we have corrected those things, why are we
3 changing our mind to say that, well, it's still too
4 prescriptive or what?

5 FARRELL: But I go back to the rewrite of Chapter
6 11 I wrote about a year ago or 15 months ago, I don't
7 remember.

8 I think at that time that rewrite was a major
9 surgery on this and we pulled all this -- the
10 descriptiveness out and went with the -- tried to emulate
11 the guiding principle concept.

12 We realized that that was too radical an approach
13 and we have backed off. You came out with the version -- I
14 think it was July, I can't remember the date -- and said
15 okay, well, let's be realistic. They are not going to go
16 with the say we think we should be going. Let's try to do
17 the best we can.

18 You get the bandage box out and let's try to fix
19 up what we think are the glaring errors but basically try to
20 go along with you, so I won't accept the fact that, the
21 statement that we are not standing behind our principles.
22 We tried that once and just now we are trying to make the
23 best job we can because time is running out.

24 We have got to try to get this thing in order, so
25 I don't want you to put Steve on the hot seat here, so to

1 speak, and say do you no longer agree with what NEI has
2 done?

3 We tried that but now we are just trying to do the
4 best we can in a very short time.

5 COX: Okay. Well, maybe I asked that incorrectly.

6 I guess the point is where do we go from here?

7 Are you going to say, well, now -- I mean what
8 would you do with this if this comes out in this paragraph
9 on PM is in here, the way you see it today, dated September
10 10th?

11 SCHILTHELM: From BWXT's standpoint, if this were
12 my product, I would start over.

13 It is disturbing, and I will give you an example
14 of why it is disturbing.

15 You look at the example in Appendix C on
16 maintenance as a Management Measure and the example of what
17 would be acceptable in a license application. It takes less
18 than two pages to present what would be in the license
19 application but it takes nearly four pages to say what
20 should be in the application in the SRP. Something is
21 dramatically wrong with that picture, okay, as a manager.

22 We are getting all the technical detail.

23 Something is dramatically wrong with that picture.

24 We went through this Appendix C yesterday and come
25 to some general agreement that it was acceptable, but why

1 does it take four pages to write about what you are going to
2 produce in two pages?

3 That doesn't make any sense. How can that be a
4 clear articulation of the expectation?

5 So if we had the time and the wherewithal I would
6 propose that we throw it away and start over. I don't know
7 that we have the time or the wherewithal or the energy to do
8 that.

9 COX: Yes.

10 SCHILTHELM: And that I think is what we are
11 struggling with today. I am being perfectly blunt and I am
12 not blaming anybody for where we are today. We have all
13 participated in getting where we are.

14 PARTICIPANT: I'm sitting here and I don't know
15 what to do at this point.

16 PARTICIPANT: Let's move on.

17 PARTICIPANT: Okay.

18 PARTICIPANT: Let's see the parts where we agree;
19 shall we?

20 PARTICIPANT: Maybe we -- okay, we won't call it
21 agreement then; we'll just say we're going to go over it.

22 Functional testing: I think we essentially
23 [inaudible] down through their first -- through the comments
24 on 11-16 of the NEI document. I believe we did that.

25 [Pause.]

1 Let's see --

2 PARTICIPANT: So we took out schedule.

3 [Pause.]

4 PARTICIPANT: Now, that's just through the bottom
5 of 11-16, and -- but that's really the end of functional
6 testing.

7 The next material on page 11-17 of the NEI
8 document, is not functional testing anymore, but that's a
9 general acceptance criterion, which in the NRC document,
10 occurs after corrective maintenance, which has been
11 reordered and placed after functional testing.

12 So we need to go -- if we follow the NRC document,
13 we now need to go back to corrective maintenance, but we've
14 already been over that one.

15 So we are at the paragraph that starts --

16 [Pause.]

17 Well, the next paragraph in the NRC document is a
18 paragraph that wasn't there before.

19 PARTICIPANT: I've lost you.

20 PARTICIPANT: I'm sorry, what?

21 PARTICIPANT: Where are you at now?

22 PARTICIPANT: We're at the NRC document, page
23 11-13, the first full paragraph.

24 PARTICIPANT: Administrative Controls.

25 PARTICIPANT: Administrative Controls. That's an

1 address within the maintenance acceptance criteria, an
2 address to administrative controls, and it simply refers to
3 the recognition that the training and qualification
4 management measure is going to be used to assure that
5 administrative controls are there.

6 That's -- the reviewer will then have to go to the
7 training and qualification management measure.

8 Then we come to the paragraph that's headed A
9 General Acceptance Criterion, which is -- you know where it
10 is in the NRC document. It's page 11-17 of the NEI
11 document.

12 And we think this is useful to reviewers who will
13 assure that -- just so that they can assure the appropriate
14 commitments are made. It tells them what to look for, the
15 methods or practices that should be applied, and for which
16 the applicant should commit to prepare procedures.

17 It deals with work control methods; the whole
18 paragraph deals with work control methods.

19 PARTICIPANT: [Inaudible.]

20 PARTICIPANT: And, no, we didn't combine H and I,
21 because H, I believe that H is not necessarily IROFS.
22 Where's the H here?

23 H is procedural control over removal of components
24 for service for maintenance and for return to service. We
25 would expect them to have procedures there to deal with some

1 components that might not be IROFS, whereas I concerns
2 removal of IROFS from service.

3 There may be components which need controls for
4 removal, because their removal could affect or adversely
5 affect the performance of IROFS, some power supply that may
6 not be considered and IROFS, but just take it out and the
7 IROFS doesn't work.

8 So we just didn't combine H and I, but that seems
9 -- it was a request to do it for simplicity. I don't
10 consider that a really weighty thing.

11 The next comment was: Add the suggested words to
12 balance the sentence contents with those of the third
13 sentence above.

14 I think we did that, and we put in the words, as
15 applicable. We deleted a sentence at the end, all as
16 requested.

17 That's it for that paragraph.

18 The next paragraph is --

19 PARTICIPANT: Not changed.

20 PARTICIPANT: Well, we put in the word, test. We
21 put in the word test.

22 The next paragraph starts the four maintenance
23 elements. That --

24 PARTICIPANT: I might note that [inaudible] took
25 exception to that in that the -- you didn't have to call out

1 contractors specifically, any time there is any work done on
2 an IROFS, [inaudible].

3 The company personnel or contract personnel, you
4 know, the same thing applies.

5 And we don't distinguish between contract
6 personnel and company personnel. Our perspective --

7 PARTICIPANT: We know that company personnel are
8 already covered. This is particular to address --

9 PARTICIPANT: The licensee is responsible.

10 PARTICIPANT: Yes, the contractor people are
11 covered under our license. I mean, anything that we do
12 under our license is under our license, and therefore it
13 doesn't matter who does it.

14 PARTICIPANT: I have a note that says that we
15 would think about that.

16 PARTICIPANT: We did agree.

17 PARTICIPANT: We agreed?

18 PARTICIPANT: Yes, we did. We changed the words
19 somehow to reflect what they are saying, so we'll get back
20 to that.

21 PARTICIPANT: What is it that you would like said?

22 PARTICIPANT: That there is no reason to call out
23 contractors.

24 PARTICIPANT: You want that whole paragraph
25 deleted?

1 PARTICIPANT: That would be fine.

2 PARTICIPANT: Yes.

3 PARTICIPANT: Now, if you're trying to
4 particularly bring up functional testing, you have
5 functional testing, you know, covered under 3, so I'm not
6 sure what you're trying to do, other -- and you were trying,
7 I think, to portray the perspective of a contract personnel,
8 and we see no difference between contract personnel and
9 company employees when it comes to operations and repairs
10 and what have you to IROFS.

11 PARTICIPANT: All right, we'll consider deletion
12 of that paragraph.

13 On the next paragraph that starts with the four
14 maintenance elements, now, I'd be willing to delete that
15 first sentence, even though I have an Okay marked here, but
16 it didn't get into the final copy.

17 [Pause.]

18 Now, we get down now to some material on QA that
19 has been added in here. Is Drew back yet?

20 PARTICIPANT: No. We called him.

21 PARTICIPANT: He's not here yet.

22 PARTICIPANT: And I think Will can better explain,
23 or perhaps at least more quickly than I could, how we added
24 material in two places to make it completely flexible. Is
25 that right?

1 PARTICIPANT: Let me catch up over here.

2 PARTICIPANT: To make the utilization of QA
3 completely flexible as far as the SRP is concerned. We
4 don't care whether you address this in a management measure
5 or in a separate QA section.

6 PARTICIPANT: What if -- they suggested all these
7 paragraphs.

8 PARTICIPANT: There are some required QA elements
9 that did not map into other management measures.

10 PARTICIPANT: Well, actually --

11 PARTICIPANT: To be required -- I mean, parts of
12 the classical 18 criteria.

13 PARTICIPANT: I have an issue with including the
14 first two of those, and maybe actually all three of them in
15 the maintenance section, because if you're trying to pick
16 them up as your quality assurance program, as part of your
17 quality assurance program, particularly when you're starting
18 up a new system and you're doing inspection and functional
19 testing of that new system, you know, maintenance isn't
20 involved at that time period.

21 Maintenance comes out after you've had the system
22 running and you're doing your preventive maintenance or
23 you're doing your repair and corrective maintenance and so
24 forth.

25 And so by calling this section out, almost implies

1 that the -- you know, you don't care about it when you're
2 starting up, but it's only when you're doing maintenance on
3 it.

4 And you already have functional testing in your
5 maintenance section, so I'm not sure that by putting this in
6 here, what it does for you.

7 To me, it adds confusion as to what your intent
8 is.

9 PARTICIPANT: I don't see how -- and, by the way,
10 I took the suggestion of incorporating 1 and 2 into 1.

11 It starts out saying that inspections and tests
12 are conducted to verify that IROFS conform to specified
13 requirements. How can that confuse anybody?

14 PARTICIPANT: Because you've got it under
15 maintenance. When you buy and install and IROFS, you have
16 to do inspection and testing to assure that it meets the
17 function.

18 That is not necessarily a maintenance function.

19 PARTICIPANT: Well, it's a procurement function, I
20 guess.

21 PARTICIPANT: It may be under procurement, it may
22 be under construction, you know. I think that by putting in
23 here when you already have functional testing in another
24 part of maintenance, you're confusing what you're looking
25 for.

1 PARTICIPANT: Let me make a note of that and talk
2 about that with a couple of people. The point is made that
3 it's already covered under functional testing. That's Item
4 1 in the new NRC document, correct?

5 PARTICIPANT: Yes.

6 PARTICIPANT: While there had been -- and Items 2
7 and 3 of the -- that are 3 and 4 in the NEI document, Item
8 -- the second to the last item, I think has been modified as
9 requested, and the last item we did not want to delete,
10 needs to know it so they'll check it, check it in the CM
11 function, too.

12 Are we okay on that one?

13 PARTICIPANT: Just a minor point. On Number 2,
14 the last couple of words, you've got an extra preposition in
15 there. You should take out the word, on.

16 PARTICIPANT: Prepositions are cheap.

17 PARTICIPANT: Item 2 in the NRC document?

18 PARTICIPANT: In the NRC document. Part of
19 maintenance, or as part of QA.

20 PARTICIPANT: Oh, yes. I want to leave the, of,
21 and take out the, on. All right.

22 Now, we're into training and qualification. And,
23 well, Will, do you want to deal with this and look for parts
24 that we agree on?

25 PARTICIPANT: Right. Will Smith, NRC. Pretty

1 much similar to what we discussed yesterday in the area
2 section.

3 Section 1 or Paragraph 1 on organization
4 management of training, there was the comment that the
5 following words are too detailed and prescriptive regarding
6 design, operation, maintenance, and so forth.

7 And that sentence is proposed to be reworded to
8 accommodate at least the first part of your comments. The
9 organization -- the effect of the organization and
10 management of training -- of the training program are
11 acceptable if it is organized -- if the -- if it's
12 organized, staffed, and managed to facilitate planning,
13 directing, evaluating, controlling a training process that
14 fulfills the objectives, especially where human actions are
15 relied on for safety.

16 PARTICIPANT: I should point out here that you
17 won't see any changes in the NRC document in this area,
18 because we didn't get to put those changes in, even where we
19 think we will put those changes in, as recommended by NEI.

20 So this document hasn't been revised. Will may be
21 covering with you, areas where it will be revised.

22 PARTICIPANT: Where it's intended to be revised or
23 is proposed right now.

24 There is also comment regarding the following at
25 the bottom of page 11-14 -- let's see --

1 PARTICIPANT: In the NRC document, right?

2 PARTICIPANT: Yes. I'm working off three copies
3 here.

4 PARTICIPANT: I have it here.

5 PARTICIPANT: At the bottom of 11-14. The first
6 one did read or currently reads: Line management is
7 responsible for the content and effective conduct of the
8 training.

9 There was a comment regarding line management, and
10 that's been modified, and also a comment to delete the
11 second item there and fold that in.

12 Basically 1 would now read: Responsibility for
13 the content and effective conduct of the training and
14 management of the training program is clearly defined.

15 PARTICIPANT: That's NEI.

16 PARTICIPANT: That incorporates basically what the
17 NEI comments are in that area.

18 PARTICIPANT: Can you help me? John Nagy, NFS.

19 The last sentence of the paragraph preceding that
20 section we just got into there, how did that end up?

21 PARTICIPANT: That's regarding the application?

22 PARTICIPANT: Yes, the application should state --

23 PARTICIPANT: They changed it to what you
24 proposed.

25 PARTICIPANT: Not me. That's why I'm asking.

1 PARTICIPANT: NEI proposed application should
2 state that training will be conducted, and the planned
3 [inaudible] for which training will be provided.

4 PARTICIPANT: Okay. Is there -- could I assume
5 that that sentence is directly linked to the one prior to
6 it, so that when it says training may be either or both
7 classroom or on-the-job training, the application should
8 state what type of training will be? Is that what we're
9 getting at there?

10 You're not looking for a list of the different
11 training? You're looking for whether we're going to use
12 classroom or on-the-job or a combination of the two? Is
13 that a correct statement?

14 PARTICIPANT: Yes.

15 PARTICIPANT: Okay. I just wasn't quite sure. I
16 think I would recommend you put in something like state what
17 type of training will be conducted, would be clearer to me,
18 but --

19 PARTICIPANT: Well, since the plant positions are
20 being named for which training will be provided -- is that
21 right; is that the intent, Will?

22 PARTICIPANT: Yes. It's tied together in that
23 statement.

24 PARTICIPANT: Okay. Then all we want is for each
25 plant position that the kind of training that would be

1 provided.

2 PARTICIPANT: Sure.

3 PARTICIPANT: Is that what you're saying? What
4 John is saying is type or kind.

5 PARTICIPANT: Yes, that was the only -- maybe it's
6 only a clarification of me because of my lack of grammatical
7 skill or something, but right there, I could interpret it a
8 little differently, and I didn't want to.

9 I want to make sure it's linked.

10 PARTICIPANT: That's fine, we'll do it.

11 PARTICIPANT: Okay, and the same listing, Number
12 3. There was a comment regarding deleting
13 performance-based, and just leaving it training.

14 I would read right now, according to NEI, training
15 is used as the primary management tool for analyzing,
16 conducting, evaluating training.

17 I don't see that that improves the clarity of
18 that. Was there a reason for deleting the
19 performance-based, or is there some other?

20 I wasn't quite sure how to proceed with that.

21 PARTICIPANT: You're on Number 3.

22 PARTICIPANT: For clarity, combine 1 and 2?

23 PARTICIPANT: 1 and 2 have been combined, but
24 Number 3 --

25 PARTICIPANT: I think I have missed a few words

1 there. It doesn't read quite right.

2 PARTICIPANT: What's the question, Will? I'm
3 sorry.

4 PARTICIPANT: Number 3, which reads
5 performance-based training --

6 PARTICIPANT: Yes.

7 PARTICIPANT: They propose deleting
8 performance-based, and leaving it as training is used to
9 evaluate training.

10 PARTICIPANT: Whether it's performance-based
11 training, evaluating training or simply training evaluating
12 training, that sentence needs a little editing.

13 PARTICIPANT: I think what we were shooting at was
14 the prescriptiveness of the phrase, performance-based, as
15 opposed to training, in general, because there are several.

16 PARTICIPANT: Maybe we just want to say that
17 performance is used as the primary management tool for
18 analyzing, designing...

19 PARTICIPANT: What is it we want?

20 PARTICIPANT: We use the term, proficiency,
21 elsewhere.

22 PARTICIPANT: What is being desired here; that
23 somebody say they're going to evaluate the effectiveness of
24 their training?

25 PARTICIPANT: Maybe, Will, explain to us what you

1 were trying to say with Number 3, and maybe we can figure
2 out why we said it was wrong.

3 PARTICIPANT: What did it say in the first place,
4 Will? It looks like it just said training is used.

5 PARTICIPANT: Originally, the latest version:
6 Performance-based training is used as the primary management
7 tool for evaluating it.

8 PARTICIPANT: That was our --

9 PARTICIPANT: Does that make sense to you, Will?

10 PARTICIPANT: It doesn't.

11 PARTICIPANT: What is performance-based training,
12 and how can that be evaluation of training?

13 Do you mean that a performance-based evaluation is
14 used to evaluate the effectiveness of training?

15 PARTICIPANT: Using the tool. Training is a
16 method or a tool.

17 PARTICIPANT: I just don't know what you were
18 trying to get to.

19 PARTICIPANT: I think that needs a little work,
20 even as we had it. Performance-based training is used as a
21 tool for analyzing.

22 PARTICIPANT: I thought you would have objected to
23 the primary management tool.

24 PARTICIPANT: It's the only --

25 PARTICIPANT: Well, one of the areas of review is

1 how do you evaluate the effectiveness of the training? And
2 I think we made the point, well, how -- how does the
3 employee perform? His performance is a measure of the
4 effectiveness of the training, and maybe that's what we're
5 trying to express here in the old Number 3?

6 PARTICIPANT: Could it be performance is used as
7 the primary tool?

8 PARTICIPANT: Maybe --

9 PARTICIPANT: Delete the base training, and just
10 say performance is used as the primary management tool for
11 analyzing, designing, developing, conducting and evaluating
12 training.

13 PARTICIPANT: That doesn't --

14 PARTICIPANT: Or training effectiveness or
15 whatever.

16 PARTICIPANT: What, exactly -- John Nagy, NFS --
17 maybe being new to this process is helpful in this respect.
18 I have no idea what you're talking about.

19 Are we talking about we learn from our experience,
20 and we know how effective our training is because we keep
21 putting the stuff in the wrong bucket, or are we talking
22 about we now have part of our program where we formally go
23 out and -- say, kind of like an on-the-job training
24 evaluation, and that's our primary assessment of whether or
25 not we train somebody correctly?

1 I think we're wordsmithing something here, but we
2 don't know what it is -- the endpoint. At least I'm not
3 understanding it.

4 PARTICIPANT: We will revise that item to clearly
5 state what the intent was.

6 PARTICIPANT: Well, what is the intent?

7 PARTICIPANT: Could you explain what you are
8 trying to do, Will?

9 PARTICIPANT: This list of --

10 PARTICIPANT: Because at this point, my
11 recommendation would be to strike the item.

12 PARTICIPANT: Well, back in Section 11.3.3, one of
13 the areas of review was to -- Number 8 -- this is on the NRC
14 page 11-5, Item Number 8 was that you have to propose how
15 are you going to evaluate the effectiveness of the training
16 program.

17 And we made the argument, well, don't forget about
18 doing all the in-classroom testing and so on. Can the guy
19 perform his job?

20 I think that's -- if we map over from the area of
21 review into the acceptance criteria, maybe that's the
22 connection? That's my thinking on it.

23 PARTICIPANT: So, on-the-job performance --

24 PARTICIPANT: Precisely.

25 PARTICIPANT: -- is used as the primary management

1 tool for analyzing, designing, developing, conducting, and
2 evaluating training. Is that it --

3 PARTICIPANT: The effectiveness of the training
4 program, or the training effectiveness, something like that.
5 That's my guess.

6 PARTICIPANT: Don Goldbach. To me, I think the
7 key words -- and, again, I'm new to this process like John
8 -- but to me, I guess the key words were performance-based
9 training, because that means a certain thing.

10 That means you pull your people to find out what
11 they need training on, you give them training, and then you
12 measure the effectiveness of the training afterwards.

13 I think those were -- just looking at it for the
14 first time, that's probably what was meant there, is my
15 guess; that the key words were performance-based training is
16 used...

17 PARTICIPANT: But then it can't be used in
18 evaluating training.

19 PARTICIPANT: So it must be performance-based
20 proficiency evaluation, you know, is used.

21 PARTICIPANT: In a way, part of performance-based
22 training is evaluating the training itself, the way I
23 understand performance-based training.

24 PARTICIPANT: Why not just say job performance is
25 used as a tool for analyzing, designing...

1 PARTICIPANT: Yes.

2 PARTICIPANT: It's not necessarily the primary
3 one. I mean, you sit down and you design a job, and then
4 you design some training before a man ever performs that
5 job.

6 But having the training done and having a person
7 performing in accordance with the training, you could
8 certainly use that performance as a tool in evaluating.

9 PARTICIPANT: Oh, yes.

10 PARTICIPANT: So, why not just say job performance
11 instead of performance-based training?

12 PARTICIPANT: Good. And you took out primary
13 management?

14 PARTICIPANT: Took out primary management.

15 PARTICIPANT: Good.

16 PARTICIPANT: Put in a tool.

17 [Pause.]

18 PARTICIPANT: And the other items on that list,
19 right now, on the other items, 4-7, which would be
20 renumbered 3-6, we're not proposing any changes to those.

21 PARTICIPANT: Which four? Oh, the 4-7 that are
22 part of Item 1, organization?

23 PARTICIPANT: Right, there were no NEI comments on
24 those.

25 PARTICIPANT: Okay. I changed the word, system,

1 to function, after CM. Now we're into that Item 2, analysis
2 and the ID of activities requiring training?

3 PARTICIPANT: Right. And the comment was
4 regarding the wording of that regarding activities do not
5 require training, rather than personnel do, and that section
6 has been reworded to appropriately address that, or is
7 proposed to be reworded.

8 And it would read to the effect: Analysis and
9 identification of activities for which training is required,
10 analysis and identification of activities for which training
11 is acceptable or activities required for competent and safe
12 job performance are identified, documented, and addressed by
13 the training.

14 Your comments will be incorporated. Is acceptable
15 if the activities required for competent and safe job
16 performance are identified, documented, and addressed by the
17 training.

18 PARTICIPANT: All right. Now we're on the second
19 paragraph of that item.

20 PARTICIPANT: Okay, there is a comment regarding
21 deleting the balance of the sentence. And right now, those
22 words are being left as is on the first part of that.

23 And in the middle, each activity, that section is
24 being reworded to clarify it that, again, similar to the
25 paragraph above, each activity for which training, initial

1 or continuing, is required, the specific activities -- okay,
2 before it read, should be matrixed, and there was an
3 objection to that.

4 And we're proposing, rather than matrix, something
5 relatable or traceable to supporting procedures and training
6 materials.

7 And you'd have the option of specifying the method
8 or the approach by which you could relate those two.

9 And then the last sentence of that would be the
10 facility-specific activities for which training is required
11 and the applicable training materials should be reviewed on
12 an established schedule.

13 PARTICIPANT: The period after schedule?

14 PARTICIPANT: I think that continues to the end of
15 that original sentence, ending with job scope.

16 [Pause.]

17 PARTICIPANT: Did that clear up the thrust of your
18 comment, or is it still considered to be too prescriptive?

19 PARTICIPANT: Too detailed.

20 PARTICIPANT: Is this in the same line of the
21 how-to's that we've discussed before?

22 PARTICIPANT: Yes.

23 PARTICIPANT: I thought we were going to go
24 through the positives. You're not going to delete that.

25 PARTICIPANT: What are we trying to accomplish

1 here? We're trying to teach people how to do their job in
2 relation to the items relied for safety and what's important
3 to them, okay?

4 That is pretty simple. And then you're trying to
5 evaluate the effectiveness of that, and make sure that it's
6 working.

7 PARTICIPANT: But this acceptance criterion
8 specifically refers to the identification of which
9 activities require training.

10 PARTICIPANT: Yes, that's teaching people how to
11 do their job in relation to items relied for safety.

12 PARTICIPANT: Well, that's the training.

13 PARTICIPANT: Those items -- you tie it in
14 relation to, so if you've got items relied for safety
15 dependent on people, you have to train them.

16 The statement goes backwards, as well as forwards
17 in that respect.

18 PARTICIPANT: There's a lot of words here about
19 what the program has to be, but nowhere is the mission clear
20 in all these words. The mission is lost in the words.

21 PARTICIPANT: I would think the mission is
22 described in the topic sentence of that item, analysis and
23 ID of activities for which training is required.

24 PARTICIPANT: Okay. So why don't we just say
25 where human actions are necessary to ensure the integrity of

1 an item relied on for safety, the licensee will commit to
2 have training commensurate with that activity?

3 Doesn't that address the whole topic? Isn't that
4 the identification of what you train people in? That's one
5 sentence.

6 PARTICIPANT: We want to tell the reviewer some
7 items to look for to get reasonable assurance that those
8 things are properly identified.

9 PARTICIPANT: So if the licensee were to say in
10 the application, for all aspects of items relied on for
11 safety, where human intervention or activities are
12 necessary, training shall be commensurate -- shall be
13 developed, implemented and evaluated, commensurate with
14 those items relied on for safety.

15 If that statement were in a license, doesn't that
16 say how you've identified the activities requiring training
17 in relation to items relied on for safety, which management
18 measures cover because of Subpart H, yada, yada.

19 It seems like one sentence --

20 PARTICIPANT: I don't think so. We think we've
21 given you some words here which are direct to the topics we
22 think are important, and, in fact, it serves as an example,
23 if you will, as to how to write -- what to write toward in
24 an application, so that the reviewer will find it
25 acceptable.

1 PARTICIPANT: So, the sentence I just quoted would
2 be unacceptable in an application, would be insufficient in
3 an application?

4 What I just said, that for items relied on for
5 safety where human action is necessary, training shall be
6 designed, implemented, and evaluated to assure that the
7 individual is competent to carry out the safety feature of
8 that item relied on for safety.

9 If the license said that, that would be inadequate
10 in relation to analysis and identification of activities
11 requiring training?

12 PARTICIPANT: That's what we're saying here by
13 adding this other material in that we think you should point
14 out as being done, other activities.

15 PARTICIPANT: Frankly, as a licensee, I think
16 that's unreasonable.

17 PARTICIPANT: It's not clear to me what we get out
18 of the additional text.

19 PARTICIPANT: What you've done here with that
20 second paragraph of Item 2 is basically set up a process.
21 What you've done is that you've set a committee up, and the
22 committee is going to be representatives of design,
23 representatives of construction, representatives of
24 operations, representatives of training, as well as other
25 subject experts, as appropriate, which could probably be

1 your criticality, radiation protection, what have you.

2 And this committee is going to identify the
3 activities that require training. And that is what the
4 licensee is going to ask and what the reviewer is going to
5 look for.

6 He says, what kind of committee do you have to
7 review your training to make sure you've got all the bases
8 covered? Is that what you intend?

9 PARTICIPANT: I don't think we call for a
10 committee. We say that the design engineering supervisor
11 and the operations supervisor, other subject matter experts,
12 as appropriate, should think about what training is going to
13 be necessary.

14 PARTICIPANT: But by listing design, construction,
15 operations, training, and other subject matter experts, as
16 appropriate, should conduct analysis, to me, it sounds like
17 they're supposed to all get together and do that.

18 PARTICIPANT: Well, it doesn't say anything about
19 getting together and forming a committee. No, it doesn't
20 say that.

21 PARTICIPANT: Then you go on to say that the
22 training has to take into consideration, minimum -- those
23 managers, supervisors, performing, verifying activities
24 subject -- relied on for safety.

25 You don't need to get into that kind of detail.

1 As Steve pointed out, it says the training has to be
2 appropriate to the item relied on for safety.

3 By using these types of words and this much text,
4 you're setting up expectations that the reviewer is going to
5 be looking for that are beyond what is necessary.

6 PARTICIPANT: And we're describing how it's to be
7 done, not what's to be done, right?

8 PARTICIPANT: Exactly.

9 PARTICIPANT: So this is consistent with our
10 discussions yesterday that set up the performance
11 expectations and leave it to the licensees to figure out how
12 they're going to do it.

13 PARTICIPANT: Again, it's consistent with the
14 pretty long discussion we had before you came in this
15 afternoon, Mike, about where we are and where we seem to be
16 having this chasm between us that we just can't bridge.

17 [Pause.]

18 PARTICIPANT: Well, for now, let's offer to look
19 at reducing the text there to make it clear, what's
20 expected, with an idea about eliminating the how, and
21 focusing on the what.

22 PARTICIPANT: Well, for instance, this says that
23 what is expected is managing, supervising, performing, and
24 verifying. It doesn't say how to do each of those things.

25 It says what.

1 PARTICIPANT: Yes, what is expected here, I
2 believe is the analysis and identification of activities
3 requiring training, right? That's the header on the
4 acceptance criterion.

5 PARTICIPANT: Yes.

6 PARTICIPANT: But then we need to instruct the
7 reviewer a little bit on what to look for to obtain that
8 reasonable assurance that that's going to be done well.

9 PARTICIPANT: But again, what that converts to for
10 the licensee is how to do it. And, again, that's where
11 we're running into a problem.

12 The guidance for the reviewer, de facto, becomes
13 the way we have to do it, the how-to, because you're
14 concerned that it would be viewed as a requirement, not as
15 guidance.

16 PARTICIPANT: Right.

17 PARTICIPANT: Yes.

18 PARTICIPANT: I think we need to look at what
19 they're proposing, and see what we can do.

20 Should we go on?

21 PARTICIPANT: Number 3 on 11-15, beginning with
22 position training requirements, the NEI comment, the balance
23 of sentence is repetitive after the first two lines.

24 And we're proposing deleting the next line, or the
25 rest of that sentence, deleting, or who perform activities

1 that prevent, mitigate sequences described in the ISA
2 summary, and leaving the last sentence, which that's
3 integrating NEI's suggestion.

4 PARTICIPANT: So we're taking their comment,
5 right?

6 PARTICIPANT: That's right.

7 PARTICIPANT: On the previous paragraph, I'm not
8 sure there was a comment to be taken that satisfies what
9 we're going for here. Was there? I don't believe there
10 was.

11 Are you back on 2?

12 PARTICIPANT: Yes, it just took me awhile to
13 register that we hadn't made a comment that was good on this
14 topic.

15 I mean, there was a comment, I guess, but it
16 didn't -- nobody could convert this paragraph over into what
17 we were trying to get to, which is what are the key concepts
18 or principles or whatever. That's just not been done.

19 PARTICIPANT: By simply accepting the comment, I
20 think is your point, does not covert the paragraph into what
21 you think is acceptable?

22 PARTICIPANT: Right, the comment doesn't go far
23 enough. We didn't do a good job commenting on that.

24 PARTICIPANT: Right.

25 PARTICIPANT: There are other interpretations.

1 PARTICIPANT: Less than adequate comment.

2 PARTICIPANT: Yes, comment LTA.

3 PARTICIPANT: Well, for Mike's benefit, it might
4 help to back up just a bit to what Clifton said earlier.
5 We've come down this road of massaging this thing, without
6 ever really stepping back and saying what's necessary and
7 agreeing on what's necessary to be in this document.

8 And John had some -- probably some good words an
9 outside observer looking in on this process when he stepped
10 into it yesterday, that you're not stating the principles
11 here.

12 You're talking a lot and saying a lot of words,
13 but you're not focusing on the principles that make an
14 acceptable program.

15 So, to simply say that -- I think what you're
16 hearing is that even if you just simply took all NEI's
17 comments, and the proposed Chapter 11 we sent in, we're not
18 particularly happy with that, given the thinking we've done
19 in the last day or so.

20 PARTICIPANT: Do you want to take another crack at
21 it?

22 PARTICIPANT: I don't know. We're far down the
23 road.

24 PARTICIPANT: Where do we go --

25 PARTICIPANT: I don't know, but we're trying to

1 fix something.

2 PARTICIPANT: Actually, Mike, we made a suggestion
3 earlier that maybe what we ought to do is just start over
4 with this chapter from scratch.

5 PARTICIPANT: I might back on start over. I think
6 we agreed yesterday that the review areas are probably
7 pretty decent.

8 PARTICIPANT: Right.

9 PARTICIPANT: That's what we came through
10 yesterday. It's the acceptance criteria, if we could
11 somehow keep that guiding principle in mind that we're going
12 to write down the principles.

13 PARTICIPANT: If you stated the guiding principles
14 in the areas of review section, they effectively would
15 become the acceptance criteria, I would imagine.

16 And then that gets back to one of your earlier
17 comments about why is there overlap between areas of review
18 and acceptance criteria?

19 PARTICIPANT: Exactly.

20 PARTICIPANT: We tried to, I guess, explain that
21 previously, to say really the areas of review have been
22 expanded somewhat, because it takes the place of the
23 standard format and content guide.

24 And then the acceptance criteria are really the
25 meat for the staff, because that's where the reviewer is

1 told, okay, if it measures up to this set of criteria, then
2 it's acceptable.

3 But I think I understand your comment.

4 PARTICIPANT: I'm willing to agree that there is
5 probably more meat that can go in the acceptance criteria
6 than is in the areas of review as we left them yesterday.

7 PARTICIPANT: But not a lot more, and I think this
8 is a lot more. It's dramatically more, you know, 10:1 sort
9 of more. Maybe were it 2: or 3:1 --

10 PARTICIPANT: That's an beneficial exchange, you
11 know. You're providing comments, and we'll have to go back
12 and take a look at it and figure out what makes sense.

13 Instead of looking word-for-word, look at it more
14 from what are we trying to accomplish and what are the
15 guidelines that need to be here?

16 I think there's a way of looking at it without
17 looking at it as throwing it out, because I think you don't
18 want to do that for a couple of reasons:

19 Psychologically, you don't want to say you threw
20 out what you did, because you learned a lot, and this whole
21 process has been very valuable, I'm sure, to everybody
22 involved, in trying to understand better, what it is you're
23 trying to do.

24 But I think that if you are honest with yourself,
25 and this is something Steve said earlier, that if it was his

1 to do, if this was something he was doing in his
2 organization -- and I would agree with this -- at this
3 point, what I would do is, I would put this aside,
4 essentially, and I would use it as a resource, but I would
5 go through it again.

6 I would go through and pull those things that were
7 useful out of it, and reconstitute what I really needed.

8 The best example I can give is that one of the
9 biggest mistakes that my staff routinely makes is that they
10 use the current procedure to get to where they want to go.
11 In other words, they will just make edits to it.

12 And I have to routinely almost take that procedure
13 away and say don't, no. What I want is a better procedure.
14 Stop, throw it away if necessary, get out the pen and go to
15 the blackboard and get some people in the room and make a
16 new procedure.

17 But simply editing what you have is not always a
18 very good process. But the process of coming up with what
19 was here helped everybody understand better, what we're up
20 against.

21 And so perhaps there is a way to use some of
22 what's here, but not -- when we get to a section, don't ask,
23 well, here we have three pages, what do you think of the way
24 this is worded? What should be in this action?

25 We'd probably move faster if we were doing that,

1 than analyzing the detail of what is currently in these
2 sections, when we get to these later sections, okay?

3 PARTICIPANT: I agree. This is Bob Freeman from
4 Framatome. I think the probability of agreement would be
5 substantially higher if we began with -- I mean, our current
6 licenses, some of them maybe inadequate with a single
7 statement that says thou wilt have a program.

8 That doesn't remove the fact that each of our
9 programs, inhouse, do have those guiding principles. They
10 we currently operate those programs, they have been
11 inspected over and over again; they hold up to guiding
12 principles.

13 If we get back to that point that says you will
14 have a program and it will have the following guiding
15 principles, we may not all agree exactly between even
16 ourselves, that each of our programs has every piece of
17 that, but we'll be a lot closer, I think.

18 Fundamentally, we'll agree that that's the
19 function of that program. And I see agreement a lot quicker
20 than breaking down the novel that we have in front of us.

21 PARTICIPANT: Could the industry identify those
22 guiding principles or guidelines or work among yourselves to
23 frame them out in an expeditious way?

24 PARTICIPANT: I certainly would be willing to try.

25 PARTICIPANT: Cliff, how --

1 PARTICIPANT: I think we have to, if we're going
2 to take that --

3 PARTICIPANT: We have to commit to doing it and
4 doing it expeditiously.

5 PARTICIPANT: Well, it needs to be revised.

6 PARTICIPANT: But substantially?

7 PARTICIPANT: I don't think so.

8 PARTICIPANT: Well, even I have a much better
9 understanding after these dozen or so meetings we've had as
10 to what the NRC's requirements are and where we're coming
11 from.

12 I think there certainly is a -- it would probably
13 warrant the effort to try it again.

14 PARTICIPANT: We apparently developed something a
15 year or two ago.

16 PARTICIPANT: Define expectations. What type of
17 timing are you looking at?

18 PARTICIPANT: Well, my understanding is that the
19 rule gets published in the FR next week now, Monday?

20 PARTICIPANT: Monday.

21 PARTICIPANT: We expect -- so --

22 PARTICIPANT: It's effective 30 days from Monday.

23 PARTICIPANT: I think that in a month we would be
24 able to turn around and get back this principle, what I call
25 our quantifier from discussion, principles document. And we

1 can sit down and talk about the principles document.

2 PARTICIPANT: That's expeditious.

3 PARTICIPANT: The rule is not really tied to the
4 SRP too much anymore, is it? So there's not -- other than
5 we've all expended a lot of energy and we'd like --

6 PARTICIPANT: Yes, we want to bring this to
7 closure, but ultimately, the product that's developed has to
8 be one that's going to stand the test of time, and it's
9 going to do what it needs to do.

10 It should not impose any more burden on the
11 licensees than is necessary to satisfy ourselves that there
12 is adequate protection, and that it's consistent with the
13 requirements of the rule.

14 PARTICIPANT: What did you say, Mike, that it
15 shouldn't put any more burden on the licensee than what?

16 PARTICIPANT: Than what's necessary to have us
17 have confidence that there is adequate protection, and
18 that's what we've been struggling on.

19 And, you know, we're approaching it from this way,
20 and you're approaching it from that way, so somewhere in the
21 middle lies the answer.

22 PARTICIPANT: Do you currently have that
23 confidence?

24 PARTICIPANT: With the current licenses out there
25 today? Yes, we think that there is adequate protection.

1 But that confidence was gained through a very
2 arduous, inefficient, sometimes ineffective process, and we
3 don't want to have to go back through that process.

4 In the future, I would hope that in most cases
5 when you submit amendment requests, if they are submitted in
6 accordance with the guidelines and the acceptance criteria
7 and what have you, that that will expedite our review
8 process, and would cut back on the number of requests for
9 additional information and meetings, and all that sort of
10 stuff.

11 PARTICIPANT: Yes.

12 PARTICIPANT: So I think that's -- all the
13 stakeholders, I believe, would agree to that basic
14 objective. The question is, how do you get there from here?

15 PARTICIPANT: Bob Freeman brought up the
16 streamlining later, and we discussed that, and I think we
17 are in agreement as to that, and I think they understand a
18 little better, what we want.

19 PARTICIPANT: My comment was, Mike, that the
20 principle basis of the letter sounded great to me until I
21 got down to a few paragraphs that stated there would be, you
22 know, strict adherence to the SRP and I wasn't liking the
23 SRP, and I didn't see agreement existing at that point.

24 So until we got agreement here, you know, that
25 phrase didn't sit well.

1 PARTICIPANT: It says there's strict adherence to
2 the SRP?

3 PARTICIPANT: It says principle --

4 PARTICIPANT: Incomplete applications, that's one
5 that -- [Tape side ends mid-sentence.]

6 [End Tape Side A.

7

8

9

TAPE SIDE B

10 PARTICIPANT: -- as much as possible, will be used
11 by reviewers.

12 PARTICIPANT: But it would be --

13 PARTICIPANT: It sets a high standard for this
14 document, as it should.

15 PARTICIPANT: It does.

16 PARTICIPANT: And what we need to do is to meet
17 that expectation with an excellent document that we can all
18 agree to.

19 We all have the same heart to do that here; it's
20 just that it's a little bit difficult.

21 PARTICIPANT: And an answer to your question
22 yesterday: Now is the time to do it.

23 PARTICIPANT: Oh, absolutely, we agree. We don't
24 want to put out an SRP and then a week later say, oh, gosh,
25 what does this acceptance criterion mean? That won't

1 benefit anybody.

2 PARTICIPANT: And I don't think we want to fight
3 it on a one-on-one basis. That just duplicates resources
4 over and over again.

5 PARTICIPANT: Just from the earlier conversation,
6 I agree with that, but we also have to not leave most of the
7 licensing basis to the inspectors, you know, for
8 performance.

9 I think the guiding principles need to be specific
10 enough that --

11 PARTICIPANT: I agree.

12 PARTICIPANT: -- that we can judge that it's an
13 adequate program.

14 PARTICIPANT: It takes a lot of thought to get
15 those to be that, and so it's easier for us to simplify it,
16 oversimplify it, which is what's happening here as we do it
17 on the fly.

18 And maybe it's easier when you guys write out your
19 thoughts, like you're doing here, which then worries us. So
20 it will take a lot of thoughtfulness on our part to make
21 sure.

22 And this is one of the reasons like when I pull up
23 the INPO document, this is thoughtful stuff.

24 PARTICIPANT: Right.

25 PARTICIPANT: I don't know who did this, but they

1 did a very good job. We need to be able to have that kind
2 of level of detail.

3 PARTICIPANT: Right.

4 PARTICIPANT: And content, in what we provide for
5 all these things. And your document gives us a lot of good
6 starting points to understand what the NRC is considering
7 and what's in your mind relative to these sections.

8 So I think we can do that and at least come up
9 with a really good first cut at it, as an industry, one that
10 you will be pleased with, I think.

11 And we can all get to rapid resolution from that
12 point on. That would be my expectation.

13 PARTICIPANT: And where you find that there is
14 industry consensus standards there that you are all using
15 that address these same elements, you know, by all means
16 raise those, because I think that benefits us.

17 PARTICIPANT: Actually, we're required by law to
18 adopt consensus standards with some exceptions. So there's
19 a strong onus on the Agency to try to apply those consensus
20 standards.

21 PARTICIPANT: Clearly, the appeal to guiding
22 principles removes the "how," and it allows a large
23 flexibility on how to accomplish that principle, and I think
24 that's what we're looking for.

25 PARTICIPANT: And from our discussions, I also

1 appreciate that you understand that it's not just a very
2 high-level commitment of, yes, we'll have a training
3 program.

4 PARTICIPANT: Correct.

5 PARTICIPANT: I mean, that ain't going to cut it.

6 PARTICIPANT: Correct.

7 PARTICIPANT: Because, as Tom and Heather and
8 Lydia and Will have mentioned, there needs to be enough meat
9 there to have confidence, but not so much meat that it's
10 imposing an unnecessary burden, both on you and on us, and
11 on all the other stakeholders that choose to read and
12 understand what's going on.

13 PARTICIPANT: In fact, yesterday when we were
14 discussing the previous sections, you know, Steve many times
15 pointed out that that should be in the acceptance criteria.

16 But I guess the objection when we get to the nitty
17 gritty of the acceptance criteria is too much detail, too
18 much prescriptiveness and the problems that that may bring
19 to them, or perceived problems.

20 PARTICIPANT: Don't confuse the fact that we don't
21 want the how, some of the how information in the SRP to mean
22 that we don't intend to put some of the how information in
23 the license application.

24 They are two different things. We don't want the
25 how information in the SRP because that leads the reviewer

1 to think that's how it should be done, the only way it
2 should be done.

3 PARTICIPANT: The only way it should be done.

4 PARTICIPANT: So --

5 PARTICIPANT: And a good example of that was
6 yesterday when we were talking about procedures, and we had
7 said, okay, there are two types of procedures.

8 And if you don't have two types, well, then you're
9 wrong. Well, that wasn't our intent; that was just laying
10 out --

11 PARTICIPANT: We have six types that are three
12 times better.

13 [Laughter.]

14 PARTICIPANT: Right.

15 PARTICIPANT: Right.

16 PARTICIPANT: Then it's three times better.

17 PARTICIPANT: I've been in and out of these
18 discussions this afternoon, obviously, and yesterday some.

19 Did you ever discuss the general comments that
20 were in the front of the Chapter 11 strike-in/strike-out
21 text?

22 PARTICIPANT: No, we did not.

23 PARTICIPANT: Given the hour, 20 of 4:00, and
24 given the fact that we've kind of migrated to a different
25 place than we were headed, would it be productive at this

1 point to discuss those?

2 PARTICIPANT: There are a couple of items on the
3 agenda that we haven't gotten to yet.

4 PARTICIPANT: Right.

5 PARTICIPANT: They wanted to -- I think they
6 wanted to get to, that will probably take at least a half
7 hour.

8 PARTICIPANT: What's your pleasure? Do you think
9 we got the gist of the general comments?

10 I mean, correcting technical, grammatical,
11 editorial areas, okay, no problem there.

12 PARTICIPANT: What were the other ones there?

13 PARTICIPANT: Reducing prescriptiveness, we've
14 been talking about that extensively. Ensuring consistency
15 in industry practice and what's stated in the SRP, I think
16 we understand where industry is coming from on that, and you
17 understand our need to have confidence that it's going to be
18 an acceptable program.

19 Then reducing redundancy among the individual
20 sections, we just talked about that a little bit in terms of
21 comparing the areas of review and the acceptance criteria
22 review procedures. Those are all, I think, generally good
23 objectives that are useful to NRC.

24 Do you want to elaborate on any of those, or do
25 you think we got the message?

1 PARTICIPANT: I don't think there's much more to
2 cover there.

3 PARTICIPANT: Okay.

4 [Pause.]

5 PARTICIPANT: Well, the other things that are left
6 on the agenda are the ISA summary guidance documents and
7 NRC's revision of Chapter 3. Those are the two things that
8 are left over.

9 You had mentioned specifically our Chapter 3.

10 PARTICIPANT: Oh, yes, yes.

11 PARTICIPANT: Is that --

12 PARTICIPANT: What would you like to do first?

13 PARTICIPANT: Yes, which would you like to do?

14 PARTICIPANT: Chapter 3, please.

15 PARTICIPANT: Chapter 3, yes.

16 PARTICIPANT: Okay.

17 PARTICIPANT: I think that's in your packets also;
18 isn't it?

19 PARTICIPANT: Heather, John Nagy. Could you
20 remind some of us that may not be as attuned to this
21 process, what is the status of Chapter 3? I think that's
22 what we're going to discuss.

23 PARTICIPANT: Yes, I --

24 PARTICIPANT: Okay, is it like Chapter 11? It's
25 still being edited?

1 PARTICIPANT: Yes, it's still being edited, and we
2 have in your packets -- I believe it's in your packets --

3 PARTICIPANT: Where is it?

4 PARTICIPANT: Comments? No. That's the ISA
5 Summary.

6 PARTICIPANT: I didn't see anything in Chapter 3.

7 PARTICIPANT: It continues to be worked on, you
8 have sent in comments recently, and we continue to look at
9 that.

10 However, based on the ranking of what was
11 important at this meeting, that was lower on the list than
12 these things, so that's what we worked on for the last week
13 in preparation for this meeting.

14 But Tom is going to address where Chapter 3 stands
15 at this point.

16 PARTICIPANT: Yes, I have some summary here.
17 Essentially, Chapter 3 has been changed so far in four
18 substantive ways, and there is yet editorial work to be done
19 on it.

20 But the four substantive ways were in response to
21 comments that were made by NEI, but were received too late
22 for inclusion in the May draft and in the July 20 -- no, on
23 July 20 you received only a draft of Chapter 11.

24 There are essentially four changes areas that I'm
25 going to review here. The first one had to do with the use

1 of N-sub-h and N-sub-i, and the likelihood definitions
2 section, if you remember that.

3 We're talking now about Section 3.4.3.2, Item 7.

4 PARTICIPANT: What's N-sub-h, N-sub-i?

5 PARTICIPANT: I'm going to get to that in a
6 minute.

7 PARTICIPANT: Okay. Item 7 in that section was
8 approximately page 3-15 in that copy.

9 And these are the number of -- N-sub-h are the
10 number of high-consequence accidents expected in the
11 industry, and sub-i is the number of intermediate
12 consequence accidents expected in the industry.

13 And as we studied that and kicked this around, I
14 think probably perhaps with some of your people, but
15 certainly within our own house, we've been trying to deal
16 with the difficulty of being in a situation where we must
17 deal with the number of accidents in the industry.

18 Well, we've got six or seven industry
19 participants, and we don't know what the sum of those kinds
20 of accidents is until we see the results from the ISAs. So
21 we had initially made an estimate of a thousand for N-sub-h
22 and N-sub-i was thrown in as about ten.

23 That section --

24 PARTICIPANT: Ten thousand?

25 PARTICIPANT: That second was written based on

1 those numbers --

2 PARTICIPANT: Could you just clarify this point?
3 The number of the intermediate is less than the number of
4 high events?

5 PARTICIPANT: Yes, yes. The intermediate range is
6 about a factor of four in likelihood, and the highly
7 unlikely range goes over a much larger range.

8 So those were the numbers chosen. And my point to
9 you today is, we've softened up in the written part in Item
10 7, which is called Quantitative Guidelines.

11 We've essentially softened up the language there
12 that would box anybody into particular numbers of accidents
13 in that arena.

14 And it just, you know, points out that you will
15 have to select something for your own work. We want you to
16 select quantitative guidelines, but we understand that the
17 numbers may have to change with time.

18 PARTICIPANT: That's right, Tom. You want us to
19 select quantitative guidelines for what?

20 PARTICIPANT: For -- well, at the very bottom of
21 the tier of quantitative selections starts, you have these
22 index numbers and the matrix tables I have seen. You've got
23 like -1s, -2s, -3s, or 1s, 2s, 3s, 4s in various places.

24 We want as Table 2 or 3 says in Appendix A of
25 Chapter 3, we want you to make qualitative assessments

1 associated with numerical values. We want you to be able to
2 say, we think this IROFS will fail in about perhaps as often
3 as ten years, perhaps as often as 100 years.

4 Make a judgment like that, and that number
5 eventually cascades down into a meaningful relationship,
6 only because we have had to peg those numbers that we're
7 looking for on an estimated number of those kinds of
8 accidents that would occur in the industry.

9 In other words, an estimated total number of
10 accident -- high-consequence accident sequence that might be
11 reported by all participants, taken together.

12 PARTICIPANT: Okay, so when you get -- when, as an
13 industry, we identify 10,000 sequences that could result in
14 a high-consequence event?

15 PARTICIPANT: That would make the requirement for
16 even more reliable IROFS.

17 PARTICIPANT: So that means an evolving definition
18 of highly unlikely?

19 PARTICIPANT: If the total number of accident
20 sequences changes markedly over time.

21 PARTICIPANT: What happens if we build a MOX
22 plant? What happens when we build a MOX plant; do each of
23 us have to --

24 PARTICIPANT: Maybe by that time there will be
25 better estimates.

1 PARTICIPANT: I'm serious. Do each of us have to
2 therefore make all our controls that much more robust
3 because of the presence of a MOX plant? That's what you
4 just described.

5 PARTICIPANT: Well, you mean because we're adding
6 on a MOX plant with another set of --

7 PARTICIPANT: Because we're adding accident
8 sequences that could -- that in each of our highly unlikely
9 --

10 PARTICIPANT: I don't think that's the way it will
11 go. I think that -- I mean, I can't say with certainty at
12 this point, obviously, but you have a risk group working on
13 that right now to figure out how things might work out in
14 that area.

15 Maybe it will have safety goals of its own. I
16 don't know.

17 PARTICIPANT: What's the Agency's position on
18 that, Mike?

19 PARTICIPANT: Well, I think Tom has described it.
20 It's something that's under consideration by the Risk Group.
21 Clearly, you can't impose a requirement that as the number
22 of facilities changes, you can change the rigor of the
23 controls.

24 That doesn't make sense, but yet I think that from
25 a risk perspective, which is that we're trying to

1 risk-inform this rule, there has got to be some envelope,
2 some overall objective that drives what's required.

3 PARTICIPANT: The objective we selected was that
4 there wouldn't be a criticality or there shouldn't be a
5 criticality within 100 years.

6 PARTICIPANT: But how does that relate to making
7 accident sequences --

8 PARTICIPANT: When you work back through the
9 numbers as they are presented in Chapter 3, by the way, you
10 will see that that's how we come up with the 10 to the minus
11 5 for highly unlikely, given a thousand high-consequence
12 sequences in the industry.

13 PARTICIPANT: That seems to be rulemaking and
14 policy, rather than SRP issues.

15 PARTICIPANT: The SRP has to interpret what is set
16 out for --

17 PARTICIPANT: The rule hasn't set a policy to
18 interpret, nor --

19 PARTICIPANT: We have Commission documents that
20 say --

21 PARTICIPANT: It says highly unlikely.

22 PARTICIPANT: That's right.

23 PARTICIPANT: Each accident sequence will be
24 highly unlikely, and the standard for highly unlikely has
25 always been double contingency. And 99 percent of the

1 accident sequences that result in a high-consequence event
2 are criticality accidents that are for double contingency,
3 you're saying might not remain the standard?

4 PARTICIPANT: I don't know how you say that the
5 standard has always been double contingency for highly
6 unlikely. I don't think those words are in the double
7 contingency principle.

8 PARTICIPANT: So are you saying that highly
9 unlikely and double contingency aren't mutually consistent?

10 PARTICIPANT: Yes, we think they are, because the
11 definition of the double contingency principle in A&S 8.1 or
12 something says that each of the two occurrences shall be
13 unlikely.

14 But we had to say what is unlikely and then what
15 is multiplying two unlikelies together?

16 And then the Commission said these
17 high-consequence events shall be highly unlikely. We had to
18 take what we could, and we took the Commission's written
19 declaration that there shouldn't be any deaths from
20 criticalities and realizing that you can't have zero risk,
21 we said that's -- we're interpreting that as no deaths in a
22 hundred years within the industry or no criticalities within
23 the industry within a hundred years for the licensees we
24 have.

25 PARTICIPANT: The rules should say that if that's

1 the rule; shouldn't it? I mean, I'm not trying to back up
2 here, but the SRP --

3 PARTICIPANT: Well, it sounds like you are.

4 PARTICIPANT: But the SRP seems an odd place to
5 deal with such a profound issue.

6 PARTICIPANT: And I don't think you've thought
7 this through completely, because as the criteria you've
8 established and the way you're interpreting it, gives some
9 real problems.

10 As Steve already pointed out, with the creation of
11 the MOX facility, if you include it in this as a Part 70
12 facility, now what you've done is that the other facilities
13 have to be better in order to account for the additional
14 risk by the MOX facility.

15 On the other account, if we have additional
16 consolidation in the industry, we [inaudible] down ABB, the
17 [inaudible] engineering facility, then Westinghouse has the
18 ability to be not as risky as they used to be, because now
19 they have more freedom.

20 PARTICIPANT: And that's why our Risk Group is
21 looking at this whole issue.

22 PARTICIPANT: I don't think it's necessarily a
23 given that the MOX facility add-on of, say, high-consequence
24 sequences is a significant add-on to the ones that we may
25 define in six or so ISA summaries of other facilities.

1 PARTICIPANT: The rationale you're portraying
2 right now leads us to that analogy.

3 PARTICIPANT: That's where we are right now. In
4 other words, you keep bringing the MOX facility up, but it's
5 quite possible that criticalities aren't the problem in a
6 MOX facility that we have in the sum of the other
7 facilities. I mean, that's all done in big hot cells.

8 PARTICIPANT: The criticalities are acceptable if
9 they're in a hot cell?

10 PARTICIPANT: Criticality is what? No, no, I
11 didn't say they were acceptable, but it would be a lot safer
12 than the ones in a vessel sitting out on the floor.

13 PARTICIPANT: I'll make sure that the Risk people
14 are working on this, get a copy of this transcript and point
15 out your statements and your concerns.

16 PARTICIPANT: Well, let me just summarize by
17 saying you're going to see this in a chapter put on the Web,
18 but you're just going to see a softening in this particular
19 area dealing with the quantitative guidelines.

20 The second area that has been changed is a
21 clarification of conservatism used in consequence
22 calculations. That appears in Section 3.4.3.2, same section
23 as before, Item 8, called Consequences, and it's Roman
24 Numeral iii in that item called Consequences.

25 And it's simply a rewording of that paragraph,

1 which is only about five lines. And it deals with what
2 we're really trying to say about how to deal with a total
3 range of accident consequences.

4 I don't think it's going to be very substantive in
5 your minds. It's an issue that we wanted to deal with.

6 The third change, again, in the same section,
7 3.4.3.2, this one is Item 6, Quantitative Standards for
8 Chemical Consequences.

9 And it's dealing with the language, again, that
10 talks about what could endanger life or produce injuries.
11 We wanted to make sure that the exposure standards were
12 understood to be conservative in the same sense as AEGLs and
13 ERPGs are conservative.

14 We wanted to include exposures that would result
15 in death for average and susceptible persons, but not for
16 hypersusceptible persons, which is consistent with the way
17 the AEGLs or the APA -- yes, the AEGLs are defined that deal
18 with average and susceptible people but not
19 hypersusceptible, not the last one percent of people or not
20 the first one percent that would die.

21 So that's the third change where the language has
22 been changed. The last change that was made was an
23 editorial change that accepted and has embedded in the SRP,
24 identical language proposed by NEI for the paragraph 3.3,
25 Areas of Review, within Chapter 3.

1 And it provides a better statement of what the
2 reviewer is to review. And, frankly, I'm not sure what NEI
3 document this came out of, at the moment, but we took it
4 word-for-word. It's about four paragraphs.

5 So I think you will find that okay. Those are the
6 only substantive changes we made to Chapter 3, and as I say,
7 we're working on editorial cleanup of that chapter also.

8 That's all I want to say about that.

9 PARTICIPANT: Did you -- did I miss the statement
10 that we're going to put this on the Web when we were done?

11 PARTICIPANT: I thought I said that, yes. We're
12 going to put this on.

13 PARTICIPANT: Do you have an idea about when, what
14 the expectations are?

15 PARTICIPANT: Well, I've asked for about the end
16 of this month, which is only a couple of weeks away, right?
17 I think we can do that.

18 PARTICIPANT: So we're going to post a revised
19 draft of Chapter 3 of the Standard Review Plan by the end of
20 September?

21 PARTICIPANT: Right.

22 PARTICIPANT: And that rationale that Tom was
23 referring to in terms of the total number of accident
24 sequences, that's laid out in Appendix A, right?

25 PARTICIPANT: The rationale is laid out in Chapter

1 3 in that section 3.4.3.2 under Quantitative Guidelines.

2 PARTICIPANT: Okay.

3 PARTICIPANT: Let's see, okay, that was Chapter 3.
4 Now, if you want, we can go to the summary guidance
5 document, ISA summary guidance document, and you do have a
6 handout on that.

7 PARTICIPANT: Yes, there is one.

8 PARTICIPANT: So do I.

9 PARTICIPANT: Comments on September Draft of NEI
10 Industry Guidance Document.

11 PARTICIPANT: Yes.

12 [Pause.]

13 The first paragraph of Attachment 1, Comments on
14 the September Draft, is sort of an introductory paragraph to
15 the remaining five.

16 But in that paragraph, it does say that where we
17 need specific items to draw a conclusion of compliance,
18 we'll probably just have to stop the review until we get
19 that information.

20 And the text of the document, your current draft,
21 which I guess is September 12th, says that certain
22 information required may not be presented in the ISA
23 Summary, but may instead be found elsewhere.

24 Well, I guess maybe right now we're not certain
25 where that elsewhere will be.

1 PARTICIPANT: The intent was that some of that
2 material will be in the license application itself, so maybe
3 what we need to do is clarify what we're trying to say
4 there.

5 PARTICIPANT: So I guess we'll assume that the
6 license application changed material or added material will
7 be available at the time that the ISA summary is.

8 PARTICIPANT: Right.

9 PARTICIPANT: Now, going to Item 2, it refers to
10 the discussions of measures that you have on page 13-29,
11 that certain methods and frequencies may not be presented in
12 the Summary, but may be in the application of ISA
13 documentation at the site.

14 And in order for us to evaluate whether high
15 availability is reasonably achievable, we've got to have
16 information about the surveillance.

17 Now, you mentioned -- somebody mentioned in a
18 recent meeting -- oh, no, I know where that was. It was
19 Steve's folks.

20 This information may or may not be obvious or
21 available to the reviewer. But the reviewer is going to
22 need it to evaluate the adequacy of the reliability and
23 availability of an IROFS.

24 And when I say surveillance, what I'm talking
25 about is the time that a particular piece of needed

1 equipment is out of service, undetected, is important to the
2 overall -- is important to the reliability of that piece of
3 equipment.

4 Now, we realize that if it's undetected, it's
5 undetected, but when something occurs as a result of a
6 failure of a piece of equipment, you will, of course,
7 probably in some incident investigation, find out that this
8 particular piece of equipment was out of service -- was
9 failed, and perhaps had been failed for some time.

10 And we expect that you will probably have some
11 idea of how long it was out of -- you know, failed -- simply
12 because you know how frequently it was inspected, if nothing
13 else.

14 And that kind of information we need to have fed
15 back into your licensing material over time, and initially
16 you may have to guess at what's the -- what are we -- in
17 other words, you would have to come up with an estimate of
18 how long something could fail without being detected.

19 Of course, that has something to do with your
20 surveillance schedule.

21 We will need that information in order for the
22 staff reviewer to evaluate the adequacy of the IROFS.

23 PARTICIPANT: And we have a real problem with
24 that.

25 PARTICIPANT: I'm sorry?

1 PARTICIPANT: I said we have a real problem with
2 that. If you have an inspection frequency of six months,
3 and five and a half months later you have an upset condition
4 that this system was supposed to have mitigated, but it
5 didn't, do we have to say, well, gee, it must have been out
6 of service for five and a half months, because that's the
7 last time we inspected it?

8 PARTICIPANT: If you have no better information
9 than that, then that's all you know at the time.

10 PARTICIPANT: Right, and that's not acceptable.

11 PARTICIPANT: Well, we don't think it's
12 acceptable, either. If it's --

13 PARTICIPANT: You have to --

14 PARTICIPANT: What?

15 PARTICIPANT: You have to give us a reasonable
16 standard, and that's not a reasonable standard.

17 PARTICIPANT: Well, what --

18 PARTICIPANT: If we're going to guesstimate when
19 this thing went out of service, we have to have a reasonable
20 standard.

21 PARTICIPANT: If you don't inspect the thing but
22 every six months, then it could be that it would be failed
23 for six months. That's one of the numbers that goes into a
24 reliability determination.

25 The beginning number would be, in the first place,

1 how often do you expect the thing to fail? That's one
2 that's a failure frequency.

3 But then, given a failure frequency, what's the
4 likelihood of not determining that failure?

5 PARTICIPANT: But if you've been inspecting
6 something for six months for the last eight years and you've
7 never had -- every time you inspected it, it was always
8 functional, always met its criteria and stuff, but then
9 three months later, you had a failure, you mean we have to
10 say, well, gee, since it's been three months since we
11 inspected it, we have to assume it's been failed for three
12 months?

13 We've got eight years of experience that says it's
14 been highly reliable. That's what I'm saying, that you've
15 got to have some reasonable man --

16 PARTICIPANT: But the reliability is a function of
17 two numbers, the expected failure frequency to begin with,
18 and then the time that it remains failed without being
19 detected.

20 If the first number, which I think you're saying
21 is very good at a very low failure rate to begin with in the
22 last eight years, then you could -- it might be all right to
23 have a relatively infrequent inspection frequency. You
24 would still come up with a good number for reliability.

25 But if you have a long-term inspection frequency

1 -- and now I'm talking about equipment that needs to be
2 inspected to determine that it's failed.

3 Because if you have an automatic failure
4 enunciation of some type on it, or it's known when this
5 device fails without inspecting it, that's another matter.

6

7 But I'm talking about equipment that needs to be
8 inspected to determine that it is failed. You could have a
9 very low inspection frequency, long inspection frequency,
10 long time between inspections, if the equipment is very good
11 to begin with.

12 If the equipment is not very good to begin with,
13 that is, it might be expected to fail inside of a year,
14 probably, then you may need a fairly high inspection
15 frequency on it to cut down the time that it could be failed
16 and undetected.

17 These things -- and I'm not a reliability
18 engineer, but the two numbers I'm telling you about are like
19 A and B to people who understand reliability engineering,
20 and what we're saying here is that it's a different world
21 where if you were going to talk about risk-informing things,
22 we're going to have to put in the effort to do some risk
23 informing and understand risk and reliability.

24 And I'm just pointing out -- this particular
25 comment here is pointing out that given this situation, it

1 will be necessary to know information about the surveillance
2 on this IROFS that's depended on, that it will be necessary
3 to know something about its inspection frequency.

4 We already assume we're going to know something
5 about its failure frequency, but now we're pointing out that
6 we also need to know how long could it be failed without
7 being detected? That's a key component of the reliability
8 assessment.

9 And that's really all this Item 2 is about. And
10 there is more information there, another paragraph and a
11 table showing, in fact, approximate surveillance periods or
12 frequencies for IROFS that have a particular failure rate
13 goal.

14 The third item is -- well, it's simply a comment
15 that reviewing two tables, A-1 and A-3, they seem -- there's
16 an index method, there's an index lacking for this outage
17 duration, again, which is typically controlled by
18 surveillance measures, as it says here.

19 So, we don't know what the answer is because it
20 wasn't there, that that aspect is going to have to be
21 assured by some information provided elsewhere.

22 Item 4 deals with the guidance in Section 6.1,
23 page 10 on definition of likelihood terms. It says that
24 that section may give the impression that these definitions
25 may not need to be in the ISA Summary, but 70.65 explicitly

1 requires that information. It says define these terms.

2 But we do see the required definitions in the
3 example method given in Appendix A. But the particular
4 example definition given for credible, one of the three
5 terms, is in your document, quote, listed as, quote,
6 "expected to occur in the life of the facility."

7 Now, we don't exactly know what that means. I
8 don't know what that means.

9 PARTICIPANT: We'll take that definition out of
10 there.

11 PARTICIPANT: It depends on what the life of the
12 facility is. And, again, this is all discussed in the SRP
13 chapter.

14 Okay, Item 5, now, goes to your -- I think your
15 examples in Table UD-2, and that column labeled there,
16 Control Parameter Limits.

17 The comment is that in general such limits as that
18 column labels Control Parameter Limits, really are -- we
19 need them to show safety margins. It appears that your
20 column there doesn't show safety margins, but it shows the
21 distance to a setpoint that is something above normal, but
22 not at the failure limit.

23 And for certain situations such as reliance on
24 prohibited operations, operator actions, we need to see a
25 large margin between normal operating conditions and the

1 actual failure limit because that's part of the rationale for
2 why the accident is highly unlikely. We're assuming here
3 that you need to show highly unlikely.

4 So, it would be useful in cases like this where
5 it's included in the safety rationale, that we need to know
6 the failure limit as well as the normal operating limit and
7 some setpoint above that that sort of is arbitrarily chosen
8 for operating convenience.

9 PARTICIPANT: Tom?

10 PARTICIPANT: Yes.

11 PARTICIPANT: That's a little bit tough, because
12 it's not just the failure limit; it's the fact that you know
13 the value of the failure limit and the fact that you know
14 the value of the normal operating condition.

15 It doesn't necessarily tell you the margin. It's
16 how fast you can move along the curve that tells you the
17 margin of safety and what sequences move you along the
18 curve.

19 So knowing the failure limit, a perfect example is
20 reactor components. One is a reactor assembly, for example.
21 One is always safe, either water or air, two are never safe.

22 So is it one or two? So, you move very quickly,
23 so the difference between one and two doesn't seem very
24 great, where you could have a system that's operating at a
25 KG that it takes 20 KGs to make it a problem, but it can

1 move from one to 20 very rapidly by some scenario.

2 PARTICIPANT: But we would expect that we would
3 know how you get from one to 20 in the description of the
4 limit, how you got there.

5 PARTICIPANT: I think the sequences give you that
6 information, even in the absence of the actual parameter
7 value failure limit.

8 PARTICIPANT: If they give you that information,
9 then it's probably okay.

10 PARTICIPANT: Okay.

11 PARTICIPANT: I'll give you an example of where we
12 didn't have information: The very typical limit is this
13 double batching limit, you know? Well, if it's easy for a
14 guy to pick up one bottle, it's pretty easy to pick up two
15 bottles, you know?

16 If we know that the failure limit is like eight
17 bottles, obviously the guy can't even carry eight,
18 five-pound bottles, or he can't hold them in his arms.
19 That's a very comfortable margin of safety.

20 But if we don't know that, then -- and you say
21 that double batching is -- that's it, we have a rule that
22 doesn't allow that guy to more than double-batch.

23 Well, if two and a half batches and you're at
24 criticality, or .98 or something, we aren't going to feel
25 comfortable about that being called highly unlikely. That's

1 the kind of thing I'm driving at, is that we need to know
2 the margins of safety in those cases where you're going for
3 highly unlikely in, say, a criticality sequence. That's the
4 only point we're making.

5 PARTICIPANT: Again, you're going to have trouble,
6 because a lot of times the licensee doesn't know the
7 parameter margin. They know that this is safe --

8 PARTICIPANT: We think you ought to know whether
9 it's going to go critical at two and a half or six.

10 PARTICIPANT: I think there are few licensees who
11 actually parameterize that all the way out to failure. So,
12 I think that's just a fact or are actually required to.

13 PARTICIPANT: See, up till now, we haven't been
14 stressing what does unlikely really mean in the double
15 contingency definition?

16 PARTICIPANT: I'm not debating, I'm just --

17 PARTICIPANT: Now, it's a new world.

18 PARTICIPANT: That's just a fact.

19 PARTICIPANT: We're looking for what does robust
20 mean? What does unlikely mean? That's because the
21 double-contingency principle has never challenged that, and
22 there is a tendency to say we've got two of them; what more
23 do you want?

24 Well, the definition has always included the
25 terms, unlikely and the fact that unlikely has never ben

1 probed or may not have been in some cases --

2 PARTICIPANT: It's been probed ad nauseam.

3 PARTICIPANT: Well, I know in some cases it has
4 been looked into. Anyway, that's what Item 5 is all about.
5 It's to indicate the failure limit as well as the safety or
6 normal operating limit in a table like UD-2.

7 Okay, Item 6: There appears to be an
8 inconsistency between the definition of high-consequence
9 event in Section 70.61, and the treatment of intermediate
10 offsite in Table A-4.

11 I think if you read this, you could probably
12 understand what we're driving at here. It seemed to be an
13 inconsistency in that whereas high-consequence events have
14 to be highly unlikely, it didn't seem that that was coming
15 out of Table -- I believe it was A-4.

16 Table A-4 treats intermediate events as needing to
17 be only unlikely, but in the table on page 28, these events
18 exceed AEGL-2 for offsite individuals.

19 Well, offsite -- exceeding AEG-2 drives you into
20 high-consequence events which require highly unlikely. And
21 do you get what we're driving at by that comment? We think
22 you have classified something as needing only to be unlikely
23 when, in fact, it ought to be highly unlikely?

24 PARTICIPANT: Okay, we'll look at it.

25 PARTICIPANT: This is only an example.

1 PARTICIPANT: Yes, but we don't look at Table A-4
2 as only an example, but rather your sort of saying here's
3 our risk assessment table, and here's the way we would
4 construct it.

5 If you look at your page 22 on the September 12th
6 issue, I think we're talking about the two center boxes
7 there where the consequence level is intermediate, offsite.

8 And I think it refers to those two center boxes.
9 Table A-4 treats intermediate offsite as needing to be only
10 unlikely, but in the table on page 28, if you go over to 28
11 -- oh, I think that here I had a problem.

12 Okay, at the top of page 28, you see intermediate
13 offsite in a little table up there that says greater than
14 AEGL-2, less than three but greater than two.

15 And the comment here is that this shows that that
16 offsite intermediate thing then should be required to be
17 highly unlikely.

18 PARTICIPANT: I think that's a disconnect that we
19 had identified in our example anyway. That was one of the
20 things that --

21 PARTICIPANT: I guess the question is, these are
22 complete comments, or is Dennis going to --

23 PARTICIPANT: This is all of our comments that I
24 believe we had on this.

25 As was said in the beginning here, Item 1, it's,

1 you know, the structure of the document is pretty good and
2 it contains some useful information on what should be in an
3 ISA Summary. I don't think it tells a lot about how to
4 prepare, but rather what should be in it.

5 And, you know, you can see it there, that it
6 follows the content requirements of the rule. I look on it
7 as a pretty good outline of what ought to be in there, but
8 then we have these other comments.

9 I have a feeling we probably could have more
10 dialogue on this. But these are our comments on your latest
11 draft.

12 PARTICIPANT: I didn't want them to think that we
13 were going to continue to work on it and give them something
14 else later. These are our comments to go back and think
15 about and revise your document as you see necessary.

16 The other document that you gave us was the change
17 control document. We simply didn't have time to review that
18 in the time that we had available. We are working on a
19 change control guidance document, and we will consider that
20 when we do this.

21 So hopefully we can talk to you at a later date
22 about that particular document.

23 The last thing on the agenda, and I believe Tom is
24 prepared to talk about it, is the status of the ISA
25 documents that are current inhouse from licensee -- ISA

1 summary information that's currently inhouse from the
2 licensees.

3 PARTICIPANT: Yes, I tried to -- well, I did get a
4 summary review here, not a detailed review, or our status of
5 looking at documents that have been submitted to the NRC in
6 the general term, ISA material.

7 The NRC has reported to two licensee, NFS and GE,
8 or Global Nuclear Fuels, on materials submitted to them. Of
9 course, there is more to come.

10 With the publication of Subpart H, we will now
11 have to review material, as you know, on a schedule that's
12 somewhat established by the rule and will be fleshed out by
13 further guidance documents to come.

14 But as far as the submittals that we have done
15 some reporting on, neither of these were reviewed with
16 respect to Subpart H, and both need considerable work to
17 deal with Subpart H.

18 One has no address to likelihoods at all. Only
19 one other licensee has submitted something that we would
20 call the ISA Summary or the ISA, and that's BWXT, and we
21 have not reported to them.

22 That's being scheduled, being worked on, as we
23 speak, and until we get a program established there, I don't
24 want to make a prediction. There is more material to come,
25 as you know. In the license, it talks about April 2001 for

1 that.

2 PARTICIPANT: Tom, I think the licensees are
3 looking for feedback from the NRC on where -- how do they
4 measure up against the rule, and get an estimate of what, if
5 any, changes would be needed against the new rule.

6 PARTICIPANT: Yes, I know.

7 PARTICIPANT: I think we need to provide the
8 licensees with our schedule for how we're going to provide
9 that, you know, what [Tape side ends mid-sentence.]

10 PARTICIPANT: By the end of September, will we be
11 in a position to get back and provide at least a schedule
12 for either sitting down with licensees individually and
13 meetings open to the public, or all together to discuss
14 their ISAs?

15 PARTICIPANT: Well, it will depend on our ability
16 to work out the resource commitments, I am sure.

17 Have you got any guesstimates on that?

18 PARTICIPANT: I knew it would come here. No, I
19 will get back to you.

20 PARTICIPANT: Okay. Can we get back to them by
21 the end of September with, if we don't have a schedule by
22 then, when we will have a schedule?

23 PARTICIPANT: We will have some preliminary
24 planning probably.

25 PARTICIPANT: Okay. Because now the clock starts

1 ticking, or at least soon.

2 PARTICIPANT: I know.

3 PARTICIPANT: Yeah. Well, we have quite a number
4 of priority items to deal with.

5 PARTICIPANT: I know. I know.

6 PARTICIPANT: I guess that is a question I have
7 for the facilities. Two of the things that I know have been
8 important in the past are the comments on the ISA summaries,
9 but also the ISA plan document, because that is a six month
10 turnaround.

11 Which do you think would help you the most?

12 PARTICIPANT: Of which two things?

13 PARTICIPANT: Those two, developing, you know, the
14 ISA plan information or reviewing the ISA summaries
15 in-house, because both -- I mean that is different
16 information that could help you.

17 PARTICIPANT: Probably it depends on who you are
18 talking to, because I mean this year we are finishing. I
19 said it probably depends on which one of us you are talking
20 to us, because Global Nuclear Fuel this year is finishing
21 the first round of ISAs for all of the processes. And we
22 will -- we have submitted summaries for everything that we
23 have done up until the work this year. So, obviously, to
24 plan forward with a rule, we are more interested in what do
25 we do to get the documentation squared away than we are, you

1 know, doing more work. Everybody, I think, has to answer
2 that.

3 PARTICIPANT: That is why we will get to you as
4 soon as possible on the schedule for a team to go through
5 each of you and discuss that.

6 PARTICIPANT: Yeah, we can discuss it. I don't
7 know whether you want me to run over that now. It just be
8 better to discuss it with you individually. But my
9 information is a little bit different than what you just
10 said.

11 PARTICIPANT: How so?

12 PARTICIPANT: Well, I think maybe what you discuss
13 individually, don't you think?

14 PARTICIPANT: If nobody else minds, we can talk
15 about it here. I mean --

16 PARTICIPANT: I just as soon discuss it
17 individually.

18 PARTICIPANT: Okay. I thought you would prefer
19 that. Okay. That is basically all I have on the licensing
20 status without going into more individual, information on
21 individual licensees.

22 PARTICIPANT: And that is all we had on the
23 agenda. I will go over our, what I think are the
24 commitments. Does anybody have any other closing remarks or
25 anything else?

1 PARTICIPANT: I had another item. The folder
2 includes a list of guidance documents.

3 PARTICIPANT: Yeah, I passed that out yesterday.

4 PARTICIPANT: Right. And did you discuss it at
5 all?

6 PARTICIPANT: No. We never got there.

7 PARTICIPANT: Let's just take a couple of minutes
8 and raise that to your attention. We have for a number of
9 years been working on updating Regulatory Guides, combing
10 Regulatory Guides, modifying them, coming up with new ones.
11 We don't have the resources to simultaneously process all
12 these things. And so this was an attempt to rack out for
13 you what is in the queue.

14 If you have strong views that we really need to go
15 forward on some of those documents because you are anxiously
16 awaiting receipt of that information, it would be helpful to
17 know that. On the other hand, if you are looking at those
18 guidance documents and you are saying, whoa, you know, from
19 my perspective, if you come out with this document, it is
20 really not going to help me because I think I already have
21 everything in place in this area, that would also be helpful
22 to know.

23 We will be looking at our own internal resources
24 to accomplish the work. We have been doing that, we will
25 continue to do that. But my guess is at some point some of

1 these documents will slide over to the hold status until --
2 if and when we have the resources to work on them.

3 So we would appreciate your response, not today,
4 obviously, but down the road.

5 PARTICIPANT: Yeah, I had mentioned that they can
6 send it to Chuck Amy, and he had been looking in the next
7 couple of weeks to get this information and see.

8 PARTICIPANT: I think a lot of the documents on
9 the front page are actually in Lydia's group.

10 PARTICIPANT: They are actually in my shop.

11 PARTICIPANT: Yeah.

12 PARTICIPANT: So why don't you send it to me, and
13 then I will compile it.

14 PARTICIPANT: And then the safeguards items fall
15 under Chuck's shop.

16 PARTICIPANT: Yeah.

17 PARTICIPANT: Okay.

18 PARTICIPANT: And I set up the table with -- for
19 you to have comments, but if you have more, that is okay,
20 you can expand.

21 PARTICIPANT: Is there a timeframe you are looking
22 for that feedback?

23 PARTICIPANT: Well, they have so many things to
24 do, they are going to be working on the SRP. So let's say
25 between now and November, December, is that okay? November.

1 PARTICIPANT: We can do better.

2 PARTICIPANT: You can do better.

3 PARTICIPANT: We will try to do better.

4 PARTICIPANT: I know. I am setting the
5 expectations low so that the events are better.

6 PARTICIPANT: I would just offer, in the way of
7 closing comments, that we really appreciate your commitment
8 of time and energy to review these documents, to come in and
9 discuss them with us. I think, like has been said earlier
10 this afternoon, we benefit from your review.

11 I think it is often like the saying goes, it is
12 the process where the predominant value is derived, not the
13 actual product. But having said that, there is recognition,
14 as we were talking about yesterday, that, you know, our
15 staff is turning over, your staff is turning over. If we
16 can come to closure on an SRP that will work for the NRC,
17 that you all are reasonably comfortable with, I think it
18 will be a benefit and certainly responsive to our
19 performance goals under a strategic plan.

20 Our hope and aim is to come up with a document
21 that is practical, that makes sense, that is risk-informed,
22 performance-based, that is responsive to the rule, doesn't
23 impose unnecessary burden and that is -- those are our
24 objectives. So any time you see us going in the opposite
25 direction, please speak up. I am sure you will. But I just

1 want to say we thank you for your involvement.

2 Heather, back to you.

3 PARTICIPANT: All I was going to do is go over the
4 commitments I think that we have made in the meeting. From
5 NRC's standpoint, we committed to, by the end of September,
6 getting you some idea of when we might be able to get you a
7 date on the ISA reviews. So by the end of September, you
8 will have a better idea of our status on that and when we
9 can get together and talk to you about that.

10 PARTICIPANT: If not the actual dates, then the
11 schedule for getting you the dates.

12 PARTICIPANT: Yeah. Where we are getting. We are
13 going to continue to work on the change of control and
14 review your change of control document. We did not set a
15 specific date for that. We do have, you know, the Gantt
16 charts that we are working on, and we can talk to you about
17 that, what our plan is for that change of control process,
18 but I don't have that with me right now.

19 We are going to work on Chapter 3, and get it on
20 the web by the end of September. And I believe we owe you a
21 response on how this new Part 70 rule and this SRP are going
22 to affect your current license. As you brought up
23 yesterday, I believe we owe you a response on that.

24 From NEI's point of view, Chapter 11 with the
25 principles by mid-October sometime. And you will continue,

1 I assume continue to work on the ISA summary guidance
2 document.

3 PARTICIPANT: And we will also provide you
4 feedback by the first of November on the Reg. Guides.

5 PARTICIPANT: I'm sorry, feedback on what?

6 PARTICIPANT: On the guidance.

7 PARTICIPANT: The guidance documents, Lydia's.

8 PARTICIPANT: I see. Oh, the list of stuff.

9 PARTICIPANT: Yeah. We want to thank Walt Schrenk
10 for letting us use his afternoon.

11 PARTICIPANT: Any other closing comments?

12 PARTICIPANT: Can I just ask a question
13 [inaudible]?

14 PARTICIPANT: You are not recording. Come to a
15 microphone. Identify yourself because you will be a new
16 voice on the tape.

17 PARTICIPANT: [Inaudible] use the microphone.

18 PARTICIPANT: Hell, no.

19 PARTICIPANT: Okay.

20 PARTICIPANT: Excuse me. I hope that wasn't
21 recorded.

22 PARTICIPANT: My recollection is there is 155 Reg.
23 Guides that apply to fuel cycle facilities. 75 percent of
24 them are older than 15 years old. I thought, and I am going
25 back in memory, which I have more senior moments as I get

1 older, I thought there was a conscious decision
2 NMSS-office-wide to move away from Reg. Guides, and given we
3 have an excellent SRP evolving, that that would take care of
4 it and we wouldn't need to mother 155 Reg. Guides. Is that
5 still the concept?

6 PARTICIPANT: That is the concept. With resource
7 constraints as they are, it is difficult to make the
8 commitment to convert some of those, all of those Reg.
9 Guides into NUREGs. In some cases what we are looking at is
10 minor updates to the Reg. Guides to reflect new regulatory
11 citations, new technologies which have emerged. The Reg.
12 Guide might be 85 percent sound, but we want to update with
13 that extra 15 percent. In other cases, these actions
14 involve consolidation of the Reg. Guides.

15 A lot of the Reg. Guides you will see in that list
16 are safeguards related, so they are not even covered by our
17 Standard Review Plan that we have been focused on for Part
18 70. So for all those reasons, I think what you see here is
19 a continuation of some of the Reg. Guides that are in the
20 queue.

21 One other thing I should mention is that back when
22 we came up with the master plan for how we were going to
23 update and withdraw, issue new Reg. Guides, we picked up
24 some the responsibility within NMSS for updating the
25 regulatory guidance that applies more broadly than the fuel

1 cycle facilities, and those include like the ALARA Reg.
2 Guide. Was it Reg. Guide 8.10 or something like that?

3 PARTICIPANT: Yes.

4 PARTICIPANT: And so there, there is an agency
5 need for that Regulatory Guide, not just in the fuel cycle
6 area.

7 PARTICIPANT: Okay. Thanks.

8 PARTICIPANT: Anything else?

9 PARTICIPANT: Unless there is nothing else, I
10 think we are finished. Thank you very much for all your
11 effort.

12 [Whereupon, the morning session concluded.]

13

14

15

16

17

18

19

20

21

22

23

24

25