

**NUCLEAR REGULATORY COMMISSION**

**ORIGINAL**

Title: ACNW Audit Review of Chemistry Issues for  
the Yucca Mountain Site Recommendation  
Considerations Report

PROCESS USING ADAMS  
TEMPLATE: ACRS/ACNW-005

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, February 22, 2001

Work Order No.: NRC-078

Pages 1-38

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

ACNW OFFICE COPY - RETAIN FOR  
THE LIFE OF THE COMMITTEE

TR08

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMITTEE

+ + + + +

ACNW AUDIT REVIEW OF CHEMISTRY ISSUES  
FOR THE YUCCA MOUNTAIN SITE RECOMMENDATION

CONSIDERATIONS REPORT  
(ACNW)

+ + + + +

THURSDAY

FEBRUARY 22, 2001

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The ACNW Audit Review Committee met at the  
Nuclear Regulatory Commission, Two White Flint North,  
Room T2B1, 11545 Rockville Pike, at 8:30 a.m.,  
Dr. Martin Steindler, Acting Chairman, presiding.

COMMITTEE MEMBERS:

DR. MARTIN STEINDLER, Acting Chairman

DR. JAMES CLARKE, Member

DR. PAUL SHEWMON, Member

1 ACRS STAFF PRESENT:

2 DR. ANDREW C. CAMPBELL

3 DR. TAE AHN

4 DR. JOHN BRADBURY

5 DR. RICHARD CODELL

6 DR. GUSTAVO CRAGNOLINO, CNWRA

7 DR. BILL DAM

8 DR. CARL DIBELLA, NWTRB

9 DR. DAVID ESCHE

10 DR. BRET LESLIE

11 DR. TIM MCCARTIN

12

13

14

15

16

17

18

19

20

21

22

23

24

25

A-G-E-N-D-A

1  
2  
3  
4  
5  
6  
7  
8  
9  
10

<u>AGENDA ITEM</u>	<u>PAGE</u>
Recap and Discussion of Issues . . . . .	5
Presentation by David Esche . . . . .	8
Adjournment . . . . .	38

P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m.)

1  
2  
3 DR. CAMPBELL: All right. The situation  
4 is that Dr. Steindler here is going to be the Chair  
5 for this morning's session, such as it is. All of the  
6 group has gotten early flights out to avoid getting  
7 caught in the storm that is eminent.

8 And Ray actually had to catch a flight  
9 very early. So he had already had to go. Otherwise,  
10 he was going to get stuck here. So, Dr. Steindler  
11 will chair the meeting, and what we are going to do is  
12 we are going to have to adjourn before 10 o'clock, is  
13 that right, Gentlemen?

14 ACTING CHAIRMAN STEINDLER: Yes, I believe  
15 so.

16 DR. CAMPBELL: And we are going to go  
17 ahead and have Dave Esche from the NRC staff discuss  
18 some of the aspects of the TPA code. We will be  
19 adjourning about 10 o'clock this morning because of  
20 the situation with the snow coming and people having  
21 to catch flights. So with that, Marty, the floor is  
22 yours.

23 ACTING CHAIRMAN STEINDLER: Thank you very  
24 much. Unaccustomed as I am to public speaking, if I  
25 can find my agenda, I would be in good shape. There

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 will be no introductory remarks by Ray Wymer.

2 And there will be a little bit of a  
3 discussion as to what we learned yesterday, or what  
4 transpired yesterday. The focus of the meeting was or  
5 is chemistry, and specifically chemistry as it relates  
6 to the waste package, and its role as a source term  
7 for using and transport.

8 We did hear some of the issues, but  
9 certainly not all of them, dealing with the chemical  
10 background built into the models. We heard  
11 considerable discussion on corrosion and were told in  
12 no uncertain terms that the excessive use of  
13 conservative assumptions could easily lead to a  
14 nonsense output.

15 However, we do I think have to change the  
16 role of our normal protocols, and this is not a  
17 scientific discussion. This is a practical analysis  
18 of what needs to be done to satisfy the Commission  
19 through the staff, and provide them with reasonable  
20 assurance that the models that DOE is using that are  
21 checked by the staff are appropriate for in our case  
22 ultimately the license application.

23 I think that is the focus, and our focus  
24 is to determine whether or not the staff, the NRC  
25 staff, is able to satisfy that role and specifically

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 how are they doing it.

2 We heard a considerable amount of  
3 information and handed a considerable amount of  
4 information on the methodology, the process that the  
5 staff is using to resolve what they call issues, which  
6 are really questions to the Department of Energy on  
7 the source, the nature, and the implications of some  
8 of the assumptions and activities in the models and  
9 their abstractions.

10 It isn't very clear at this point whether  
11 the staff believes that they are in satisfactory  
12 condition, considering that they don't have a whole  
13 lot more time between now and the time that, one,  
14 somebody is going to ask them about the TSPA site  
15 recommendation.

16 And not a whole lot of time when the TSPA  
17 licensing application is going to come bouncing on  
18 somebody's desk. With that, I would suggest that one  
19 of the important issues that we are going to try and  
20 at least address today is whether or not the staff can  
21 produce estimates on an independent basis of the  
22 behavior of the Yucca Mountain system as it is  
23 described in gross terms by the Department, but as it  
24 is described in detail models by the staff themselves.

25 The issue will be, one, is that doable,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and has that been done, and two, and perhaps most  
2 important, how independent is that exercise done by  
3 the staff. It is at the moment to us here, but  
4 obviously not to other people, somewhat immaterial  
5 what the answers are, unless the answers get to be  
6 drastically different than what the corresponding  
7 Department of Energy results are.

8 And then somebody needs to at least look  
9 at the reasons for that difference, and try to unravel  
10 those. With that, my suggestion is let's hear what we  
11 can about the staff's efforts to model abstract and  
12 calculate. Can we do that?

13 DR. ESCHE: Yes.

14 ACTING CHAIRMAN STEINDLER: All right.  
15 State your name, rank, and serial number, and sit  
16 down.

17 DR. MCCARTIN: Can I just add one thought?  
18 You talk about the differences, and I think whatever  
19 calculation the staff does, we will have to know why  
20 we got our numbers, and why DOE got their numbers, and  
21 whatever comparisons are appropriate.

22 And I will give you the best example I  
23 have. To date, generally our calculations show  
24 similar doses and similar release rates. DOE has a  
25 much higher release rate, but takes a very large

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 credit for cladding.

2 We take no credit for cladding and have a  
3 lower release rate. We get a similar answer, but for  
4 drastically different assumptions, and I think that is  
5 the healthy part of the process, is that we will  
6 understand not only our own results, but DOE's.

7 And whatever assumptions affects ours,  
8 versus theirs, I think -- and whether we have to walk  
9 through them all in the licensing area is another  
10 issue, but I think we have to understand all those.  
11 And we get the same results, but like I said, for very  
12 different reasons.

13 ACTING CHAIRMAN STEINDLER: That's quite  
14 right. It isn't just focused on the number at the  
15 end.

16 DR. ESCHE: All right. I am Dave Esche,  
17 and I am in the Performance Assessment Section, and I  
18 am in charge of the TPA5.0 code development. I was in  
19 charge of the TPA4.0 code development, because Tim was  
20 responsible for that in the past, but he got  
21 overwhelmed with rule makings. So the activity was  
22 shifted to me.

23 One of the things that we are looking at  
24 for TPA5.0, and working pretty hard on developing, is  
25 a revision to the gas and seepage models. And I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this picture up on the screen is a pretty good  
2 representation of the methodology to use to try to  
3 evaluate that chemistry.

4 It is the connections and flow paths that  
5 the DOE is using, and I think it is a pretty good  
6 picture of how things will be moving, and in what  
7 locations you may need to evaluate the conditions.

8 And our focus right now is on location one  
9 and location two for the time being. What is the gas  
10 and seepage chemistry coming in, and then what happens  
11 to that once it gets on these engineered systems.

12 So we have a team made up of Gustavo, and  
13 Tae Ahn, and the CLST folks, the corrosion people,  
14 working with the near-field environment people, and  
15 the TEF, thermal effects on flow people, and all of  
16 those are put together to try and evaluate this  
17 problem.

18 The hard thing is that you have  
19 uncertainties coming in each area, and so what does  
20 that mean. What we are trying to define is what is  
21 the window of environmental conditions that we think  
22 you may have there.

23 The answer may be that the engineered  
24 system is still robust after you have defined that  
25 window, but for right now that window is pretty ill-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 defined, and so we are working to better define what  
2 that window is.

3 And at location two, we have a group at  
4 the Center that is using a code called OLE, I believe,  
5 which is -- well, it is to predict the concentrations  
6 of salts under very extreme conditions.

7 So EQ36 breaks down at a certain ionic  
8 strength, and it is no longer applicable, but this OLE  
9 code, I guess, is used or has been used at Hanford to  
10 evaluate what is the chemistry of these extreme  
11 conditions, and that's what we are trying to use at  
12 location two to evaluate what happens to the  
13 chemistry.

14 So our idea is that we are going to  
15 propagate the differences in the chemistry and water  
16 coming in from location one, and if we have high  
17 temperatures, and a hot repository, then that water  
18 coming in boils and leaves something there.

19 So we try to evaluate what is there, and  
20 then based on what is there, then that determines what  
21 happens to the chemistry from that point. There is  
22 some key uncertainties, like what happens when you go  
23 from completely dry to you first start wetting.

24 What is the chemistry that that surface is  
25 seeing, and is it aggressive to those metallic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 materials. Well, it is hopeful that the corrosion  
2 people can get data.

3           Once we define what the window is, then  
4 maybe they will be able to do some tests and evaluate  
5 it to see if there are any corrosion problems in that  
6 window o susceptibility.

7           ACTING CHAIRMAN STEINDLER: When you say  
8 wetting, you mean gross wetting?

9           DR. ESCHE: Well, we have both. Like we  
10 have considered that some locations may have seepage,  
11 but other locations may just have an increase in  
12 relative humidity.

13           So the relative humidity may be low where  
14 it is effectively dry, but then the relative humidity  
15 increases, and depending on the compositions of the  
16 salts that are there on the surface, that will define  
17 when you start having moisture present on that  
18 surface, and at what temperature effectively.

19           But the key problem is propagating the  
20 uncertainties, because you have so many permutations  
21 that you can only do a subset of those permutations,  
22 and how do you choose what the right subset is.

23           So we are doing the best we can in trying  
24 to calculate the edges of that window, but we are not  
25 going to be able to do every point within that window

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of different chemistries.

2 But in performance assessment -- and I  
3 have heard you guys talk about this, but we always  
4 want our most realistic number, and then our range of  
5 uncertainty. We don't like the conservative bounding  
6 effects, because when you propagate it through 10, or  
7 15, or 20 perimeter distributions, you start ending up  
8 with a ridiculous result, which has been said.

9 So we try our best at, okay, this is what  
10 we expect to happen, and this is our uncertainty,  
11 rather than setting things towards the ends of  
12 distributions.

13 Lauren Browning would be good to talk  
14 about this, but she is on an audit out at Las Vegas.  
15 She is the one who is coordinating the work down at  
16 the Center.

17 And it is likely that for TPA5.0 that we  
18 will have at least some revision to the chemistry  
19 model, but we might not get the whole way to where we  
20 want to be, because it is resource consuming, and it  
21 requires cooperation between five different  
22 disciplines basically. It is a difficult problem, a  
23 really difficult problem.

24 But I think this picture that is put on  
25 the board is a pretty good framework. You run into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 all sorts of complexities though, like what happens  
2 when you go from dry to wet, and you don't really have  
3 data.

4 What happens if the salt on the surface  
5 has some porosity to it that causes vapor pressure  
6 lowering, or if you form an aggressive condition on  
7 the top of the drip shield, and the drip shield fails,  
8 what is the mass transfer of that material then to the  
9 waste package surface.

10 And if you don't have dripping is there  
11 any mass transfer, and if you have intermittent  
12 dripping, and so we are going to try and model it with  
13 basically equilibrium calculations at each step or at  
14 each point in time.

15 And maybe that is a bad assumption, but  
16 considering that we probably won't have much data  
17 about the kinetics of some of these mineral phased  
18 dissolutions, et cetera, that is probably the best  
19 that we can do to get a rough answer at what is  
20 happening.

21 DR. SHEWMON: You sort of dropped your  
22 voice as if you are finished. Are you going to get to  
23 location three, or is that somebody else?

24 DR. ESCHE: Well, as to location three,  
25 what we imagine is that when we have an intact drip

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 shield, we will evaluate the chemistry at location  
2 two.

3 And then if we open a gap in the drip  
4 shield due to either general corrosion, et cetera, we  
5 will propagate the environment at location two with  
6 some mass transfer mechanism to location three. When  
7 the drip shield is intact, we don't imagine that we  
8 will have progressive chemistries at location three.

9 DOE has collected information on dust, and  
10 it is going to evaluate what the chemical composition  
11 of that dust is. So maybe the dust interacting with  
12 relative humidity gives you some sort of environment  
13 at location three.

14 But it certainly is not going to be as  
15 aggressive as the test conditions that we have seen so  
16 far. So maybe it is of minor concern. And maybe that  
17 is --

18 ACTING CHAIRMAN STEINDLER: It looks like  
19 your temperature is going to be higher.

20 DR. ESCHE: Yes, your temperature will be  
21 higher. So at location three, it is conditional on  
22 what happens to that barrier above it. We won't have  
23 an aggressive chemistry at location three until we  
24 have a hole at location two.

25 Or if our mechanical folks said that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can form gaps in the drip shield due to seismicity,  
2 then that would provide the opportunity for the  
3 environment, either the seepage water from location  
4 one going directly to location three, or seepage water  
5 that lands on location two.

6 DR. SHEWMON: And currently the seismicity  
7 people have decided that the seismic won't break up  
8 the drip shield. Isn't that what I read someplace?

9 DR. ESCHE: Yes, DOE has calculated both  
10 that it won't fail the drip shield and that it won't  
11 open gaps in the drip shield, because they designed  
12 the drip shield with, I think, a lip on each side that  
13 kind of locks over the top of it.

14 So the seismic forces just aren't large  
15 enough to pop those off and make a space. But I don't  
16 know what we have done what the NRC feels or the  
17 Center feels about those calculations, but that is  
18 DOE's results.

19 ACTING CHAIRMAN STEINDLER: Okay. Other  
20 than the attention to conservative estimates, how does  
21 this differ from the TSPA?

22 DR. ESCHE: How does it differ from DOE's  
23 TSPA?

24 ACTING CHAIRMAN STEINDLER: Yes, DOE's  
25 TSPA.

1 DR. ESCHE: I think they aren't using --  
2 they aren't evaluating -- they are modeling what  
3 happens to the chemical conditions at location two  
4 when you go from completely dry to start wetting.

5 So we are trying to better get a handle on  
6 what is happening in that time regime, and what is  
7 happening to the chemical condition at location two  
8 when you go from dry to wet.

9 If you look at the ionic strengths that  
10 they have in their model, the ionic strengths that  
11 happened at location two are much lower than what  
12 happens when you have a salt or precipitate layer on  
13 the top of the drip shield, and you start adding a  
14 little bit of water.

15 So the ionic strengths are much lower than  
16 that. I don't know exactly what the assumptions were  
17 in that regime, but I think we are evaluating location  
18 two differently, and with a different code, and with  
19 a different -- well, maybe the same geometric  
20 framework, but maybe a little bit better consideration  
21 of the time scale to the processes.

22 And whether that is -- and I don't know  
23 about the process model, but in DOE's TSPA they used  
24 500 year time steps. Well, if you use the 500 year  
25 time step and you were trying to look at chemistry

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that is happening at location two, you skip right over  
2 all those processes that happen when you go from dry  
3 to wet.

4 How important are those? Well, maybe they  
5 are not important at all, and maybe some simple  
6 testing could identify that, and I think that it is  
7 testing that DOE is doing.

8 They have samples that are halfway  
9 submerged, and sickled wet-dry, and we can model it to  
10 death, but the data is really the good way to put to  
11 rest some of these things.

12 ACTING CHAIRMAN STEINDLER: Why did you  
13 think that was an important thing to do?

14 DR. ESCHE: To look at the wet-dry  
15 conditions?

16 ACTING CHAIRMAN STEINDLER: Yes.

17 DR. ESCHE: Just because the -- well,  
18 whether you have, say, a localized corrosion  
19 phenomena, for our model, it is dependent on the  
20 temperature and the ionic strength. You need high  
21 temperatures and high ionic strength.

22 So what is happening when you go from dry  
23 to wet is that you should have the maximum -- at that  
24 point in time, it should be the maximum of both ionic  
25 strength and temperature.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So if you have certain deliquescent  
2 mineral phases on that surface, they will start taking  
3 water from the atmosphere before, say, if you had  
4 sodium chloride there.

5           So depending on the mineral phases that  
6 you form will define the temperature and ionic  
7 strength that you have. And it might be a short  
8 period of time, and maybe it is not important, but if  
9 the corrosion rates are fast, that period of time may  
10 be important to try to characterize, and so that is  
11 what we are working towards.

12           ACTING CHAIRMAN STEINDLER: It still isn't  
13 clear to me whether or not in the grand scheme of  
14 things if it is worth the effort if it looks like what  
15 is going to take to get a better handle on what is  
16 going on.

17           DR. ESCHE: I think in the grand scheme of  
18 things that it may not change the result at all, but  
19 at least that we asked and answered the question would  
20 provide confidence that the -- well, right now a lot  
21 of people have uncertainty, yourselves or the NWTRB,  
22 that you have this package that lasts 50,000 years or  
23 a hundred-thousand years, a million years.

24           And actually at a hundred-thousand years,  
25 only .2 percent of the surface area has failed. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you have a few hole, but generally the thing is pretty  
2 intact.

3 ACTING CHAIRMAN STEINDLER: The surface  
4 area of what?

5 DR. ESCHE: The surface area of the waste  
6 package. Only .2 percent has actually failed at a  
7 hundred-thousand years.

8 ACTING CHAIRMAN STEINDLER: So that is  
9 what I am getting at. If in fact that is true, I  
10 guess I can argue that the amount of resources that  
11 you are going to spend, and the folks that you are  
12 going to try and pull into this team that you have  
13 got, may not be worth the effort.

14 DR. ESCHE: Well, certainly --

15 ACTING CHAIRMAN STEINDLER: In other  
16 words, how did you pick it?

17 DR. ESCHE: How did we pick what?

18 ACTING CHAIRMAN STEINDLER: Why did you  
19 pick that?

20 DR. ESCHE: Because the waste package is  
21 the most risk significant thing in the whole system.  
22 If the waste package isn't working, then that is the  
23 only way you start getting close to doses that would  
24 violate the standard in the regulatory time period.

25 ACTING CHAIRMAN STEINDLER: So you must

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have had some assumption that the approach that DOE is  
2 using is unsatisfactory or uncertain.

3 DR. ESCHE: Well, it is uncertain, yes.  
4 Unsatisfactory, I would say no. They have made leaps  
5 and bounds in that area, and they continue to work  
6 further. But in a lot of these areas, we find -- we  
7 don't know the right questions to ask until we look at  
8 the problem ourselves.

9 And when we look at the problem ourselves,  
10 then we say, oh, we should have been asking about  
11 this. So that's why we do a lot of the independent  
12 analysis that we do, because when you are reading a  
13 document and you look at it, and you go through it,  
14 and you may find questions.

15 But when you try to solve the problem  
16 yourself, you identify a lot of different things than  
17 when you identify it by just looking at a document.

18 So that's what I see the utility of it  
19 is, and the engineered barrier system is the most risk  
20 significant system. And even if you take out the  
21 engineered barrier system though, the natural system  
22 still does the time.

23 You can see just by some of the  
24 neutralization analyses that DOE Did that a lot of  
25 these things are working in combination to take that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE, N.W.

WASHINGTON, D.C. 20005-3701

1 hazard down. So it is not just the engineered system,  
2 but in the regulatory time period, or in the 10,000  
3 year time period, the engineered system is buying you  
4 compliance.

5 DR. MCCARTIN: If I could add one point.  
6 I think the regulatory question that we have been  
7 pushing DOE on -- and I will say maybe about a year-  
8 and-a-half ago that we raised the question, and they  
9 said we will have no waste package failures in 10,000  
10 years.

11 They have made that statement, and we can  
12 defend it, which is fine. The question we asked is  
13 have you considered an appropriate range of conditions  
14 that would affect the waste package in a deleterious  
15 way, and they said we believe we have.

16 And that is where the staff is now, okay,  
17 are we certain, and we are just pushing to make  
18 certain they consider an appropriate range of  
19 conditions for that 10,000 life time.

20 And then not too long afterwards, you guys  
21 are aware of the State coming in with the trace  
22 metals. And I think it is just the ZLST people at the  
23 center and NRC, and the near-field people, let's get  
24 together and make sure how we found the conditions  
25 that we think would capture an appropriate range for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealgross.com](http://www.nealgross.com)

1 defending that 10,000 year lifetime.

2 ACTING CHAIRMAN STEINDLER: Okay.

3 DR. CAMPBELL: Just for the record, that  
4 was Tim McCartin from the NRC staff, and Dave Esche is  
5 the speaker at the table of the NRC staff.

6 Given, Dave, what you said about the 0.2  
7 percent failure at a hundred-thousand years, and the  
8 doses associated with that, I think that emphasizes  
9 the importance of establishing with some high degree  
10 of certainty that in terms of reasonable assurance  
11 that the 10,000 plus lifetime for the waste packages  
12 is defensible in a hearing type of process.

13 And not only on every technical aspect of  
14 it, because 0.2 percent is a pretty small segment of -  
15 - I mean, there are a lot of waste packages in there,  
16 and that is still a lot of surface area. But when you  
17 start thinking about failure rates of normal stuff  
18 that people have in their every day lives, you are  
19 looking at 5 percent being an acceptable failure rate.

20 ACTING CHAIRMAN STEINDLER: Are you  
21 talking about washing machines?

22 DR. CAMPBELL: Right.

23 (Laughter.)

24 DR. CAMPBELL: But you see what I am  
25 saying, is that is what most people are dealing with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in their normal lives; is that 5 percent of the  
2 products that I get are a lemon, and they are worried  
3 about that.

4 And then you say, okay, now 2/10s of a  
5 percent at a hundred-thousand years, and we are  
6 getting doses that far exceed the limit, even though  
7 we are way out in time, a lot of people are gong to  
8 say, hey, it doesn't take much failure earlier on to  
9 get you into trouble in terms of compliance.

10 DR. ESCHE: That was -- the .2 percent is  
11 surface area failed, and the actual percent failed,  
12 the ones that get very small holes, or cracks, I think  
13 it is like 50 percent have cracks in them, and 26  
14 percent have patches. But it is only .2 percent of  
15 the area.

16 DR. CAMPBELL: Right.

17 DR. ESCHE: It is kind of number smithing  
18 or something, but in general the amount of surface  
19 area failed is very small at a hundred-thousand years.

20 DR. SHEWMON: Failure here is significant  
21 corrosion or penetration?

22 DR. ESCHE: Well, the larger numbers are  
23 penetration.

24 DR. SHEWMON: No, the .2 you said was --

25 DR. ESCHE: The .2 is a 6-inch-by-6-inch

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 patch, I think, is roughly the size if a hole failed  
2 that big.

3 DR. SHEWMON: So that is penetration.

4 DR. ESCHE: So it is an opening, yes.

5 DR. SHEWMON: Thank you.

6 DR. CAMPBELL: But isn't that an  
7 assumption of the size of that? It assumes --

8 DR. ESCHE: It is just the size selected  
9 to model the problem.

10 DR. CAMPBELL: Based on general corrosion  
11 rates?

12 DR. ESCHE: Yes.

13 DR. MCCARTIN: But DOE gets releases from  
14 cracks, no matter how small, or early, or how much  
15 water.

16 DR. ESCHE: And the other thing you have  
17 to remember is that if they have a patch that fails  
18 and let's say a 6-inch-by-6-inch patch, they have  
19 diffusive releases over that whole area. So that  
20 whole 36 square inches or whatever.

21 In reality, you are going to have a water  
22 film around the outside of that hole, which is the  
23 diffusive area. So they might be greatly  
24 overestimating diffusive releases which are making  
25 those numbers a hundred-thousand years much larger

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 than they may be in reality.

2 So some of those conservatisms you have to  
3 keep in mind when you are looking at what the curves  
4 are telling you at the later times, and I think they  
5 are working on evaluating that, and you may see a  
6 revision to that in the future.

7 DR. CODELL: Dick Codell, NRC. And in  
8 fact almost across the board the DOE puts this  
9 diffusion model in, and it seems wherever they have  
10 that that they have exaggerated it.

11 For example, they assume that the waste  
12 package is sitting directly on the inverts, and so  
13 there would be a direct pathway, and without taking  
14 any credit for the fact that it is sitting on a metal  
15 stand right above the invert.

16 And that like the example that I gave  
17 yesterday where the waste package just failed and that  
18 it would lead to the maximum diffusion. I mean, it is  
19 not our job to tell them to be less conservative, but  
20 it just struck us all that way. That the diffusion  
21 models in their TSPA are exaggerated.

22 DR. ESCHE: I guess the only thing we were  
23 worried about was the conservatism, as if it is  
24 masking what we should be worrying about. So like  
25 maybe the amount of advective flow is really what we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 should be concerned about, and the uncertainties  
2 associated with that.

3 But if we have a conservative diffusive  
4 model clouding that, then we might not be focusing as  
5 much attention on what are the uncertainties in the  
6 seepage model, you know.

7 So that's where we -- at least in PA  
8 space, we try to communicate what we think and that  
9 you may need to look at your conservatism here.

10 I mean, when uncertainties are large, in  
11 some instances you have to be conservative. But you  
12 have to be careful in risk assessment that you are not  
13 doing that all over the place, and that you aren't  
14 generating some goofy number, I guess.

15 DR. CAMPBELL: Well, we did talk about  
16 this issue of what appeared to be -- and I will use  
17 the phrase "ultraconservatism" in the way that they  
18 are implementing diffusion in their models.

19 And not only setting a boundary condition  
20 at zero concentration, and never altering that, even  
21 though obviously if a species is diffusing along that  
22 gradient, then the gradient is going to be attenuated  
23 with time.

24 DR. ESCHE: Sure.

25 DR. CAMPBELL: Otherwise, things would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 diffuse away from everything, and we would all be in  
2 some sort of equilibrium state that doesn't exist in  
3 the real world.

4 But that even raises even more questions  
5 about the value of these neutralization analyses,  
6 because the way that they implement neutralization of  
7 the waste package is to impose a 300 centimeter square  
8 patch open.

9 And if you are saying that then have 300  
10 square centimeters of diffusion in an area, and you  
11 multiple that by the 8,000 or so waste packages in  
12 there, you can see where these high doses come out on  
13 the calculation.

14 But it has no relationship to a real world  
15 type of situation of failure, and that creates a lot  
16 of issues, I think. That maybe it isn't the place of  
17 the NRC to comment about the conservatism built into  
18 that, but it sure can mask a lot of other -- you know,  
19 as you say, potentially important issues, because that  
20 just dominates all the release.

21 DR. MCCARTIN: And you don't need water.  
22 You assume there are monolayers of water all the time  
23 and that's the fusional --

24 DR. CAMPBELL: Right. Well, you need  
25 water, but all you need is a few monolayers of it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MCCARTIN: Well, they make no  
2 calculation with respect to water, in terms of how  
3 much is there, et cetera, especially for the  
4 neutralization that it has failed at T zero. That is  
5 pretty hot.

6 And in terms of perimeters, for the  
7 diffusion coefficient for source term in the waste  
8 package is 10 orders of magnitude larger than the  
9 diffusion coefficient they use in the unsaturated  
10 zone; 10 orders of magnitude larger.

11 DR. CAMPBELL: Are they using pure water  
12 diffusion?

13 DR. MCCARTIN: Oh, yes, for the source.  
14 But in the unsaturated zone and the matrix diffusion,  
15 they have a number that is 10 orders of magnitude  
16 less. And that's fine, as it certainly can't be any  
17 higher.

18 DR. CAMPBELL: No, it's not fine.

19 DR. MCCARTIN: Well, it is their  
20 calculation, and they need to put forward what they  
21 think they can defend and support. And as long as we  
22 know what they are doing, we can evaluate. And it is  
23 not our calculation.

24 DR. ESCHE: Usually when you are doing  
25 something conservative, there was a reason for it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 But in some instances maybe it is a little too far,  
2 you know.

3 DR. CAMPBELL: Well, I guess what disturbs  
4 me is that diffusional ungradiance is not a new  
5 phenomena, and it is 19th Century science. This is  
6 not a new phenomena, and for DOE to take the position  
7 that this stuff is too uncertain to deal with in a  
8 more realistic fashion I find incredible.

9 DR. MCCARTIN: Sure. And the only thing -  
10 - and Dick may remember this better than I -- and Tae  
11 -- but there are some experiments where DOE has some  
12 information that the experiments were flawed, but I  
13 thought they suspended the spent fuel particle, and  
14 they got some concentration above a pool of water, and  
15 they got some concentrations in the water.

16 And you back out some numbers, and we have  
17 measured this, and we can't say that something isn't  
18 going on here. And this is about 4 or 5 years ago.

19 DR. CODELL: Those were the experiments at  
20 Oregon on spent fuel.

21 DR. MCCARTIN: And Dave is absolutely  
22 right. We look at this and we want to understand this  
23 assumption of what it does to the calculation, because  
24 it can cloud some of your results.

25 But DOE has an experiment or two out there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that tends to support some larger releases, and it  
2 could be their concern with that experimental evidence  
3 that we will not be able to refute it.

4 DR. CAMPBELL: Is this documented in an  
5 AMR somewhere?

6 DR. AHN: Well, originally in the early  
7 '80s, Northwest Laboratory, supported by DOE, spent a  
8 long time on spent fuel testing. In other words, in  
9 emerged air or simulated ground water, and  
10 periodically measured the dissolution rate over a long  
11 period of time, from 5 to 7 years.

12 Then all of a sudden a new testing was  
13 initiated in Livermore, and they attempted to study a  
14 fundamental using only a single carbonated solution,  
15 excluding all complicated species. The test method  
16 was different and it was a so-called flaw testing to  
17 determine the dissolution rate.

18 That rate was very, very high compared  
19 with the emerging test results, which came from real  
20 well water conditions. We hoped that they could  
21 incorporate that in other species later on, but they  
22 never did it.

23 They kept going on with the single  
24 carbonate solution, because they wanted to understand  
25 the very basic mechanism. Later on we questioned them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 on why do you need to do that, and they said, well,  
2 this testing is conservative. That was the only  
3 reason.

4 ACTING CHAIRMAN STEINDLER: Okay.  
5 Gustavo.

6 DR. CRAGNOLINO: Well, I know that it is  
7 important about what Dave Esche mentioned and  
8 understanding the chemistry and the drip shield, and  
9 the waste package and the corrosion, and that the drip  
10 shield was conceived by the DOE as a way to control  
11 the flow of water, and this was a very strong  
12 statement in number two.

13 And from the point of the engineered  
14 barrier system, the two principal factors were the  
15 performance of the waste package and the performance  
16 of the drip shield. However, if you look in the  
17 recent recital, and condition three, it is not the  
18 drip shield alone.

19 Now it is the drip shield drift invert  
20 system. Why? Because apparently the drip shield has  
21 not played the significant role that was expected by  
22 using the dose after 60,000 years. And I think this  
23 is an important modification, and is something that we  
24 have to explore in more detail.

25 It changed the emphasis, and the emphasis

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE, N.W.

WASHINGTON, D.C. 20005-3701

1 is now more in the relief and leaving aside  
2 performance of the waste package. This is where we  
3 really have to refine our approach to the knowledge in  
4 the same way that David has mentioned.

5 DR. ESCHE: Well, the way I look at the  
6 drip shield is that it may not show up in the current  
7 analyses as being extremely important because of the  
8 large diffusional releases, and it is mainly  
9 preventing water flow.

10 But it also minimizes rock fall and  
11 aggressive chemistries if you have it. So like say  
12 the titanium is only susceptible to fluoride, for  
13 instance.

14 Well, the time that the drip shield lasts,  
15 which is on the order of 10,000 years in our model,  
16 and 20 to 40,000 years in DOE's model, I think, you  
17 would expect that most of that aggressive chemistry  
18 has been rinsed out of the system so to speak by the  
19 time of the drip shield failure.

20 ACTING CHAIRMAN STEINDLER: Why would you  
21 expect that?

22 DR. ESCHE: Well, in DOE's model, what  
23 happens is when you have seepage, it is just as a  
24 mixing cell. So the seepage comes in and mixes with  
25 the salt and carries some of it out, and that is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 enough to dilute the chemistry back to ambient pretty  
2 quickly.

3 ACTING CHAIRMAN STEINDLER: But ambient  
4 fluoride, which is the issue.

5 DR. ESCHE: Well, the ambient fluoride, I  
6 think we heard, was 4 milligrams per liter. And from  
7 what our people told me, the corrosion of the drip  
8 shield requires a threshold fluoride concentration,  
9 but the fluoride is consumed in the reaction.

10 So you need to get a higher fluoride  
11 concentration, but then you need a certain mass flow  
12 of fluoride into the system for the corrosion, because  
13 it is consumed in the reaction.

14 But if the drip shield is preventing all  
15 these chloride and other salts that are formed there  
16 initially, those salts are probably rinsed out either  
17 due to seepage water in, or relative humidity becoming  
18 high again.

19 And by the time the drip shield fails the  
20 aggressive chemistry is prevented on the waste  
21 package. So we forget that whenever we are doing the  
22 analysis, too, because right now the data suggests  
23 that even if you have those aggressive chemistries,  
24 the waste package only in DOE's model has general  
25 corrosion and stress corrosion cracking.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Localized corrosion never happens for any  
2 of the conditions that are generated, and so that is  
3 the issue. If you have a different window and those  
4 conditions were generated, would you have localized  
5 corrosion, and that's what we are trying to find out.

6           And it would build credence to, oh, yeah,  
7 the drip shield doesn't show up in your model as doing  
8 much now, but there is maybe a good reason for why it  
9 is there.

10           ACTING CHAIRMAN STEINDLER: Okay. Any  
11 other comments or questions?

12           DR. MCCARTIN: One quick correction. It  
13 is not a 10 order of magnitude. It is only a 2 order  
14 of magnitude. I did the unit conversion in my head  
15 wrong.

16           ACTING CHAIRMAN STEINDLER: So two orders  
17 of magnitude.

18           DR. MCCARTIN: Two orders of magnitude.

19           ACTING CHAIRMAN STEINDLER: That's still  
20 not bad.

21           DR. ESCHE: And my comments about what DOE  
22 is doing is my understanding based on reading the SR.  
23 So I may not be accurate in everything that I said,  
24 but I hope that I am.

25           ACTING CHAIRMAN STEINDLER: All right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Well, this chair is going to turn into a pumpkin not  
2 too long from now because you folks have such  
3 unfriendly weather.

4 DR. CAMPBELL: As opposed to the friendly  
5 weather in Chicago.

6 (Laughter.)

7 ACTING CHAIRMAN STEINDLER: Well, we don't  
8 shut the place down.

9 DR. CAMPBELL: John.

10 DR. BRADBURY: John Bradbury. We have  
11 been talking about the ultraconservative and the  
12 problems with that approach. I would like to pose a  
13 possibility that there is a situation where DOE has  
14 been nonconservative, and that relates to what was  
15 raised yesterday concerning the use of hydrochemistry  
16 in the saturated zone to delineate flow paths.

17 Again, to remind you that the line from  
18 Yucca Mountain down to the critical group is at  
19 constant chloride chemistry, chloride being a non-  
20 conservative tracer similar to technetium and iodine.

21 Essentially this is saying that there is  
22 no dilution along the saturated zone flow path. Also,  
23 one should consider the evidence that perched water in  
24 the UZ is similar to perched water in the saturated  
25 zone.

1                   So one could also think that there is no  
2 dilution on the whole flow path for these conservative  
3 species or elements. Now, why I am saying this  
4 evidence hasn't been used that way is because one of  
5 the key attributes is delay and dilution of  
6 radionuclide concentrations provided by natural  
7 barriers.

8                   DOE's modeling assumes or part of the  
9 model involves movement through the UZ and then there  
10 is a separate leg along the SZ, and there is a  
11 technique, a convolution technique, to essentially  
12 allow source material from the UZ to be added to the  
13 SZ.

14                   So it is like throwing sticks on to  
15 flowing streams. Now, the flowing streams flow at  
16 different rates. So the faster flowing stream, if you  
17 throw it in at the same rate, dilutes the  
18 radionuclide. And that is what DOE models.

19                   That is not what this type of chemical  
20 evidence would suggest. So here is evidence that may  
21 suggest that DOE's model is non-conservative.

22                   DR. CLARKE: If I understand you, John,  
23 you are saying that you can't have it both ways. Do  
24 you have an opinion which way it should be?

25                   DR. BRADBURY: What I want to make sure is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that all evidence is used to the point where you have  
2 got alternative models being considered.

3 DR. CLARKE: Well, I guess my question may  
4 be better phrased by saying do you have a problem with  
5 the flow paths as they have been delineated?

6 DR. BRADBURY: Well, the flow paths, the  
7 hydrologists say that those flow paths -- and  
8 hydrochemistry aside, those flow paths are reasonable.

9 I take that evidence and say that seems  
10 reasonable, and then when you couple that with the  
11 hydrochemical evidence, you come up with a situation  
12 where you say, well, it looks like hydrochemical  
13 evidence, which is evidence that is not just short  
14 term, but evidence that has been developed over  
15 thousands of years, it is really kind of very good  
16 evidence to say, yes, no dilution occurs.

17 And therefore I am seeing this discrepancy  
18 here with regard to the evidence.

19 ACTING CHAIRMAN STEINDLER: Okay. Any  
20 additional comments? If not, then my intention at the  
21 moment is to suggest we all go home. What else do we  
22 need to do here?

23 DR. CAMPBELL: I think the path forward  
24 for this group is that all of us agreed in our  
25 discussions yesterday among ourselves that we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 going to look harder at the IRSR and do a cross-walk  
2 with some of the individual issues that we have  
3 identified in our own look-see at the various DOE  
4 documents and models of TSPA.

5 And that basically the group will be  
6 writing a report to the main committee for its  
7 consideration as a possible letter to the Commission.  
8 So that is basically the path forward for us.

9 This meeting is not the end of our work,  
10 but rather a halfway point, in terms of getting a  
11 better handle on some of the issues and interacting  
12 with people here. But we have some more work ahead of  
13 us.

14 DR. MCCARTIN: I was going to offer that  
15 Dick Codell will provide you with the paper that talks  
16 about this experimental evidence that I think at least  
17 at one time DOE was looking at and suggesting a high  
18 release rate.

19 ACTING CHAIRMAN STEINDLER: All right.  
20 Well, thank you very much for all of your work, and I  
21 hope you all get home for those of you who have  
22 someplace to go. And we will call the meeting  
23 adjourned.

24 (Whereupon, the meeting was concluded at  
25 9:27 a.m.)

CERTIFICATE


This is to certify that the attached proceedings  
before the United States Nuclear Regulatory Commission  
in the matter of:

Name of Proceeding: ACNW Audit Review

Docket Number: (not applicable)

Location: Rockville, Maryland

were held as herein appears, and that this is the  
original transcript thereof for the file of the United  
States Nuclear Regulatory Commission taken by me and,  
thereafter reduced to typewriting by me or under the  
direction of the court reporting company, and that the  
transcript is a true and accurate record of the  
foregoing proceedings.



Paul Intravia  
Official Reporter  
Neal R. Gross & Co., Inc.