

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
480th Meeting

Docket Number: (not applicable)

ORIGINAL

PROCESS USING ADAMS
TEMPLATE: ACRS/ACNW-005

Location: Rockville, Maryland

Date: Friday, March 2, 2001

Work Order No.: NRC-097

Pages 235-325

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.

**ACRS Office Copy - Retain
for the Life of the Committee**

TRO 4

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

480TH MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

FRIDAY

MARCH 2, 2001

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B3, 11545 Rockville Pike, at 8:30 a.m., Dr. George
Apostolakis, Chairman, presiding.

COMMITTEE MEMBERS:

| | |
|--------------------|---------------|
| GEORGE APOSTOLAKIS | Chairman |
| MARIO V. BONACA | Vice Chairman |
| THOMAS S. KRESS | Member |
| GRAHAM LEITCH | Member |
| DANA A. POWERS | Member |
| ROBERT J. SEALE | Member |
| WILLIAM J. SHACK | Member |

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 COMMITTEE MEMBERS: (cont.)

2 JOHN D. SIEBER Member

3 ROBERT E. UHRIG Member

4 GRAHAM B. WALLIS Member

5 F. PETER FORD Invited Guest

6

7 ALSO PRESENT:

8 KAREN COTTON

9 GENE CARPENTER

10 STEVE DOCTOR

11 BILL BATEMAN

12 DEBBIE JENSEN

13 BILLY CROWLEY

14 LARRY MATTHEWS

15 VAUGHN WAGONER

16

17

18

19

20

21

22

23

24

25

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AGENDA ITEM

PAGE

Briefing Event at V.C. Summer Nuclear Station

Opening Remarks

Chairman George Apostolakis 238

Introduction of Participants

William J. Shack 238

V.C. Summer Background, Karen Cotton 239

Discussion of Technical Review and Future 247

Activities, Gene Carpenter

Materials Reliability Program, Larry Matthews 285

Assessment Committee 301

Inspection Committee 303

Repair and Mitigation Committee 315

Adjournment

P-R-O-C-E-E-D-I-N-G-S

(10:01 a.m.)

CHAIRMAN APOSTOLAKIS: The next item is a briefing event at V.C. Summer Nuclear Station. Dr. Shack is the lead member on this.

MEMBER SHACK: I'm sure of the members are aware that they found a crack in the weld material of the reactor coolant hot leg piping system at V.C. Summer.

The crack occurred in alloy 182 weld metal, which is a high nickel weld metal that they typically use essentially as kind of a buttering when you're joining a Ferritic component, in this case a pressure vessel nozzle, to the stainless steel piping and essentially it minimizes the mismatch in thermal expansion and reduces thermal stresses.

We know in the past that PWR primary coolant piping systems have been very reliable and we've found very little evidence of cracking in those systems. They've been approved for leak-before-break, largely because of that reliable experience, and so there's some interest here in the general nature of whether this experience can be generalized to other systems. And, again we wanted to understand just how well, for example, inspections can be done in other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 plants.

2 Joining us on the phone today, in addition
3 to the staff at the front of the table is a
4 contractor, Dr. Steve Doctor from Pacific Northwest
5 Laboratory, who's an ultrasonic UT for Dr. Wallis,
6 expert on crack detection. And I guess Gene, you're
7 going to start off, Gene Carpenter.

8 MR. CARPENTER: Karen Cotton will be
9 discussing this.

10 MEMBER SHACK: Okay. Ms. Cotton then, you
11 can start the discussion.

12 MS. CARPENTER: Okay. First, I'd like to
13 say good morning. I'm Karen Cotton and I'm a
14 mechanical engineer and the project manager for V.C.
15 Summer. Gene Carpenter, from the division of
16 engineering will talk about the technical review and
17 future activities regarding the Summer crack.

18 Larry Matthews of Southern Nuclear, he'll
19 talk about the MRP. I would like to acknowledge Billy
20 Crowley sitting here, he's the team leader for the
21 special inspection team and, as you heard before, we
22 have Steve Doctor on the phone listening in.

23 I'm going to discuss the history of the
24 event and I'll discuss it in three parts. I'll talk
25 to you about the actual event, I will talk to you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about what the licensee did in response to the event
2 and I'll also talk about NRC's actions. Then I'll
3 give a brief synopsis of what was the function of the
4 special inspection team.

5 During refueling outage 12, during a
6 routine walk through, boron deposits were discovered
7 near the "A" hot leg reactor nozzle. The licensee,
8 what they did was they continued with their routine
9 outage activities but they began to investigate where
10 the boron was coming from. They did a PT inspection
11 and they discovered a four-inch crack. In the four-
12 inch crack, they soon found that this was only a
13 surface indication.

14 They continued and they did UT and they
15 did eddy current testing and they found a two-and-a-
16 half inch crack, and this exited through a weep hole.

17 Summer designated a team of industry
18 experts to look at the situation, and the industry
19 experts they looked at the repair and they looked at
20 evaluation of the repair. Their focus was to come up
21 with a root cause analysis and to come up with a
22 repair method.

23 MEMBER WALLIS: It surprises me that the
24 first thing that was mentioned was boron deposits. I
25 would think there would be all sorts of other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 indications of leaks before that.

2 MS. COTTON: What happened was --

3 MEMBER WALLIS: A new activity or just
4 loss of fluid.

5 MS. COTTON: There were no other
6 indications of leaking. This leak was very small and
7 it wasn't detected through our normal leak detection.

8 MEMBER WALLIS: Doesn't it take a lot of
9 water to make much boron deposit?

10 MR. CARPENTER: That is correct, sir.
11 This is Gene Carpenter. Typically, you have very
12 small amounts of boron in the reactor system fluid,
13 and obviously there was literally hundreds of pounds
14 of water that had to escape before this was detected.

15 However, as Karen said, it was a very
16 tight crack and the leak rate was much below 0.1 GPO,
17 so they never did trigger the tech spec required 1.0
18 in any unidentified leakage.

19 MEMBER SHACK: What was the unidentified
20 leakage sort of in the period leading up to the
21 incident?

22 MS. COTTON: It was like 0.6.

23 MEMBER SHACK: Three-tenths.

24 MR. CARPENTER: Yes, 0.3 GPO was about the
25 average over the operating cycle.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. COTTON: The team's primary goal was
2 to ensure that the plant would safely start up. They
3 looked at all the welds, they looked at the code
4 requirements, they had to address all the failure
5 scenarios, even the worst possible case. And they
6 looked at all the indications and made sure that all
7 these indications in the other welds were evaluated.

8 The licensee also developed a
9 communications plan and this plan ensured good
10 communications, thorough communications with NRC, with
11 the other members of the nuclear industry, and also
12 with the community surrounding the plant.

13 They also took a further step and they
14 committed to enhance their leak detection procedures.
15 They decided that they would examine the B and C welds
16 during refueling outage 13, and they also committed to
17 examining all the welds during refueling outage 14.

18 MEMBER SHACK: When had this weld been
19 last inspected, or had it even been inspected?

20 MR. CARPENTER: Yes, it had been last
21 inspected in 1993 during their ten year ISI.

22 MS. COTTON: The licensee's activity
23 included we chartered a special inspection team, we
24 chartered and formed a communications plan. As part
25 of the communications plan we did a communications

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 team, which met on a weekly basis, bi-weekly, we met
2 twice a week on a weekly basis to handle all issues
3 dealing with the Summer crack.

4 We developed a web site that was specific
5 to just this Summer event. We issued three information
6 notices, the last one was February 28, was issued
7 February 28. We received a WCAP from Westinghouse
8 regarding the integrity of the B and C welds. We did
9 a safety evaluation regarding this and we completed
10 and issued the safety evaluation on the 20th of
11 February.

12 We also had five public meetings, the last
13 public meeting was February 15 and that was a public
14 exit meeting. We chose to have a public exit because
15 all the meetings were public and we got very good
16 comments from the public regarding our openness and
17 our willingness to involve them in this event.

18 The licensee's root cause analysis was
19 primary water stress corrosion, and this basically was
20 due to the susceptible material of alloy 182, coupled
21 with the repeated welds, or the repeated rewelding and
22 rework done during construction of the weld.

23 MEMBER WALLIS: How was the grinding
24 related to residual stresses? Was it that the
25 grinding was too gross and rough, or was it something

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to do with heat generation, or what was the coupling
2 between grinding and residual stresses?

3 MR. CARPENTER: When the weld was
4 originally installed they had multiple weld repairs.
5 It took, I believe, something like 40 days to do the
6 complete weld repair of the Alpha hot leg nozzle weld.
7 In that time they basically took out the entire weld
8 and rewelded it in at least once.

9 MEMBER WALLIS: So grinding wasn't
10 necessarily a cause of stress at all?

11 MR. CARPENTER: Well, they did do a lot of
12 grinding out of welds, of flaws, and then rewelding.

13 MEMBER WALLIS: But the grinding itself
14 didn't cause the stresses?

15 MR. CARPENTER: It added to it, sir.

16 MEMBER WALLIS: It did?

17 MS. COTTON: Steve, do you want to talk
18 about the V-shaped? I have a slide I could put up for
19 you? Steve? Do you want to talk about the V welds?
20 I have a slide I could put up for you as for our
21 discussion about the root cause analysis?

22 DR. DOCTOR: I think the key point is the
23 fact that when they put in this bridge path, what this
24 forced them to do was basically form a double V type
25 of weld. And the work that EPRI had funded had shown

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the stresses on the inside were much higher with
2 that type of a weld design as compared a single V type
3 of weld design.

4 And so the fact that you've got a grinding
5 was due to remove the old material, but they used this
6 bridge path and it forced the design into this double
7 V type of design.

8 (Slide change)

9 MS. COTTON: This basically sums up the
10 history portion of what actually happened. Now we'll
11 talk about the special inspection team.

12 As stated in the history, a special
13 inspection team was chartered. The focus of the team
14 was to ensure that the licensee's corrective actions
15 were appropriate. They looked at and reviewed the
16 root cause determinations, and they looked at all
17 corrective actions activities.

18 The team's activities included, as I said
19 before, corrective action review, review of the
20 licensee's records, they observed the welding
21 processes, NDE activities. They also did on site
22 metallurgical analyses that reviewed this, of the
23 spool piece at Westinghouse hot cell labs. So the
24 team was pretty active and they were on site for
25 several weeks during this whole incident.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The team's findings were that the root
2 cause analysis was appropriate and acceptable and that
3 there were no deviations from weld requirements. From
4 code requirements.

5 MEMBER SHACK: Just on this inspection,
6 doing the weld techniques, do you have to go through
7 the piping to inspect the weld? Or is this something
8 that is really done just through the weld metal?

9 DR. DOCTOR: This is Steve Doctor. When
10 you perform the inspection according to the Section 11
11 requirement of ASME code, you're required to inspect
12 the inner third of the weld plus some adjacent
13 material on both the pipe side and the nozzle side.
14 Generally, this is approximately this a half-inch.

15 So the inspection includes both base
16 material, structural weld and buttering.

17 MEMBER SHACK: Steve, I guess I was
18 interested in whether, for example, if you were in a
19 plant that had centrifugally cast piping, in order to
20 inspect this weld you would have to look through the
21 cast piping.

22 DR. DOCTOR: That's correct. As a matter
23 of fact, if you look at the cold legs those are a
24 nozzle weld with buttering structural weld going to a
25 cast elbow. And they perform those inspections in a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 similar vein. The fortunate thing is that these
2 inspections are conducted from the inside, so the
3 amount of cast materials, the very coarse grain cast
4 materials that you have to penetrate, is relatively
5 small.

6 If you perform the inspection from the
7 outside surface you have extremely long paths through
8 the coarse grain material, which would then make the
9 inspection extremely difficult.

10 MEMBER SHACK: Okay. Thank you.

11 MS. COTTON: The purpose of my talk was
12 just to provide a snapshot of the history of what
13 happened with the event. The actual event history,
14 the response of the licensee, NRC's actions, and to
15 give you some detail of what happened with the special
16 inspection team.

17 Both the special inspection team and the
18 staff feel that this event is beyond Summer, and that
19 there are further generic activities, we should look
20 into this further. And this will be discussed by Gene
21 Carpenter. Gene.

22 MR. CARPENTER: Thank you, Karen. First,
23 I'm going to go over the technical review that the
24 staff did of the B and C hot legs, and then I'll be
25 discussing some of the generic activities that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff is following.

2 The staff performed an independent
3 evaluation of the licensee's assessment of the B and
4 C nozzle legs. Now since they had physically removed
5 the A hot leg nozzle weld and replaced it, there
6 really wasn't a need to evaluate the cracks in that.

7 This was done by the licensees submittal,
8 which was the WCAP-15615 Rev 1, which is a proprietary
9 document and the non-proprietary version 16616 Rev 0
10 which is available on the web site for public
11 inspection.

12 The WCAP provided the results of the
13 Westinghouse UT and the eddy current examinations of
14 the nozzle-to-pipe welds for loops A, B and C. In
15 those loops, they found in five of the six nozzles,
16 that there were crack indications -- or I should say
17 eddy current indications. The C cold leg was the only
18 one that did not have any indications found.

19 These indications were evaluated based on
20 the destructive examination that was done on the A hot
21 leg nozzle that was removed and was destructively
22 examined at the Westinghouse hot cell facilities.
23 And, based on those determinations, the licensee
24 determined that Summer could be safely operated for
25 approximately two further cycles before they needed to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 do any inspections or possible repairs to the existing
2 indications in the B and C hot legs.

3 MEMBER SHACK: Is eddy current an accepted
4 inspection technique for this kind of consideration?

5 MR. CARPENTER: No, it is not. They went
6 beyond that. The UT could not find these eddy current
7 indications, so basically we are going beyond the code
8 on this.

9 MEMBER SHACK: Well, how are they
10 estimating sizing then for these flaws?

11 MR. CARPENTER: The eddy current can
12 determine the lengths. We're doing a 2:1 aspect
13 ratio, so basically for a one-quarter inch long crack
14 indication, we're assuming that a depth of one-eighth
15 inch.

16 MEMBER POWERS: How did they possibly make
17 a prediction that they can operate for so long of a
18 period of time without fixing these things?

19 MR. CARPENTER: The determination was made
20 on the basis of the susceptible material. It was made
21 on the basis of the crack growth rate.

22 MEMBER POWERS: What is the crack growth
23 rate in a nozzle in Summer?

24 MR. CARPENTER: The crack growth rate that
25 was assumed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: I'm not interested in
2 assumptions. I want to know how they knew what the
3 correct growth rate was.

4 MR. CARPENTER: When they did the
5 examination, the destructive examination of the A hot
6 leg, they went in and basically -- if I could flip to
7 that slide.

8 (Slide change)

9 MR. CARPENTER: This is a representation
10 of the Alpha hot leg and this is the crack that grew
11 through wall. The assumption -- basically
12 Westinghouse went through and evaluated the crack,
13 found that there were multiple initiation sites and
14 they grew together. And from that they made a
15 determination using a fairly extensive formula which,
16 if you'll pardon me for just one second -- 1.4×10
17 the minus 11, K minus 9 to the 1.1 -

18 MEMBER POWERS: Show me the experimental
19 data, applicable to Summer, that validates that
20 formula.

21 MR. CARPENTER: I don't have that with me,
22 sir.

23 MEMBER POWERS: I mean there can't
24 possibly be any data that's directly applicable to
25 this to validate that formula -- unless there have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been a lot of cracks in Summer. I mean how do you
2 justify an analysis like this that says oh, we can
3 operate for two more cycles based on this magic
4 formula, that is based on data for some other
5 situation?

6 MR. CARPENTER: I will grant you that
7 there is not a lot of data, and that was one of the
8 problems that the staff had. And that is one of the
9 reasons that we did not agree with a crack growth rate
10 that would allow for two cycles before they did any
11 further examination.

12 We looked at the crack growth rate in this
13 extremely, and bear in mind that this crack growth
14 rate is assumed, is bounding the limited amount of
15 data that we do have. So what the staff did was we
16 took what they licensee and Westinghouse provided to
17 us.

18 MEMBER POWERS: Now, when you say you
19 bounded the data you have, I mean how do you go about
20 bounding this data? Presumably the crack can't go any
21 faster than the speed of sound in the metal. I mean
22 I -- accept that as a bound. What other bound can you
23 possibly come up with?

24 MR. CARPENTER: When you take a look at
25 all the data that is provided and look at the scatter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 growth, the licensee had a best fit to that data. The
2 staff disagreed with that and we increased our
3 bounding crack growth rate so that it incorporated all
4 the data.

5 MEMBER POWERS: How do you know that's
6 enough? If I took two more data points maybe they
7 fell outside your bound.

8 MR. CARPENTER: We don't have two more
9 data points, sir.

10 MEMBER POWERS: Yes, but if I had taken --
11 why do I know that bound?

12 MR. CARPENTER: I cannot sit here and
13 guarantee that this is the absolute bounding crack
14 growth rate. It is much faster than what we have
15 assumed in the past. And it is the reason that we
16 were only comfortable with wide - operation,
17 approximately 18 months.

18 MEMBER POWERS: I'm trying to understand
19 why you were comfortable with five minutes.

20 DR. FORD: Gene, can I try and help you?

21 MR. CARPENTER: Please.

22 DR. FORD: Is that formula that you just
23 gave the Peter Scott formula?

24 MR. CARPENTER: Yes, sir.

25 DR. FORD: That's based on secondary side

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cracks in tubes, I think. Therefore, the argument I
2 think that's being made here, Dana, is that that could
3 be a worse case material environment situation. The
4 follow up question to that, however, Gene, would be if
5 you used presumed residual stress profile through that
6 182 crack, would you have predicted what happened on
7 Leg A, using that formulation? I think that would
8 answer your question, Dana, or go towards it.

9 MR. CARPENTER: Perhaps, yes.

10 MEMBER SHACK: Well probably not because
11 the residual stresses that were used for the Summer
12 analysis were the standard sort of piping stresses, or
13 the standard circumferential weld residual stress
14 distribution which probably would have arrested the
15 crack.

16 MR. BATEMAN: This is Bill Bateman from
17 NRR. We're into an area here when Gene does not have
18 the technical expertise. We do have a technical
19 expertise, however, the individual is not here today,
20 the one who wrote the safety evaluation and was
21 involved in asking all these questions.

22 We can follow up at a later time, if need
23 be, to answer the questions when we have the
24 appropriate technical expertise available.

25 VICE CHAIR BONACA: I just have a

1 clarification, and I apologize for it. Maybe I missed
2 something during the presentation. I thought that
3 there was a claim that the crack that we found in the
4 A leg was due to the unique welding process used in
5 the location.

6 MR. CARPENTER: That is the claim that the
7 licensee made, yes sir.

8 VICE CHAIR BONACA: Okay. But now you're
9 telling me that the inspection showed that the other
10 nozzles also have cracks?

11 MR. CARPENTER: Five of the six.

12 VICE CHAIR BONACA: Okay. So these
13 nozzles, were they subjected to the same welding
14 processes as the --

15 MR. CARPENTER: No.

16 VICE CHAIR BONACA: No, they were not.
17 Okay.

18 MEMBER SHACK: But they do apparently have
19 smaller cracks. At least you can't see them in the
20 UT.

21 MR. CARPENTER: Correct. Okay, going
22 onward. As I was saying, the staff's review basically
23 disagreed with the licensee's premise that they could
24 operate for two cycles, and we said that they could
25 operate for one cycle before they needed to inspect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 again.

2 Again, we decided to bound the crack
3 growth rate that they had provided to us, and that's
4 because there is a limited amount of crack growth
5 data.

6 MEMBER WALLIS: Can you tell me how much
7 does happen in this one cycle? How much crack growth
8 do you anticipate in this one cycle's okay and two are
9 not. How much crack growth is happening in the one
10 cycle which makes it impossible to operate any longer?

11 MR. CARPENTER: Assuming that there is a
12 crack indication that is one quarter inch in length,
13 with an aspect ratio of 1:2, with this crack growth
14 rate it will not grow three quarters of a way through
15 wall in one cycle of operation.

16 MEMBER WALLIS: But how much will it grow?
17 Halfway through the wall?

18 MR. CARPENTER: Roughly, sir.

19 MEMBER WALLIS: So it's growing a lot?

20 MR. CARPENTER: Yes, sir.

21 MEMBER WALLIS: So you'd better be careful
22 about up the bounding so much.

23 MEMBER POWERS: If the plant has some
24 misadventure and they shut down, something like that.
25 Does it change the crack growth rate?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARPENTER: Define "misadventure,"
2 sir.

3 MEMBER POWERS: An unplanned shut down
4 SCRAM. Something, anything. Does that change the
5 crack growth?

6 MEMBER SHACK: It would take an enormous
7 upset event, you know, to cause mechanical crack
8 growth rate here so this is really a, you know, a sort
9 of stress corrosion crack growth rate.

10 MR. CARPENTER: Albeit rather fast.

11 MEMBER SHACK: Yes. I mean the 182 crack
12 growth rates are really as high as you find in any
13 material that you know we know in stress corrosion
14 cracking. And, as Peter mentioned, there's a fair
15 amount of data on alloy 600 in the cold worked state,
16 there's less data on the 182. When you combine the
17 two data sets, you have a fair amount of data so that
18 you have a reasonable confidence when you bound the
19 whole combined set of data because 182 is something
20 like cold worked alloy 600. You can argue that
21 there's an analogy there and the existing data points
22 to the 182 are basically bound by the data that you
23 see for the cold worked alloy 600.

24 So if you combine the whole total data set
25 there's relatively little for 182 in this PWR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 environment. I think you can have a reasonable amount
2 of confidence that the crack growth rate the staff has
3 used is bounding.

4 MEMBER POWERS: I guess I just don't know
5 where you derive your confidence here. You've got a
6 stress corrosion cracking phenomenon, it depends on
7 how much stress you have. That must be unique to this
8 situation.

9 MEMBER SHACK: Oh, the crack growth rate
10 that you have is a function of the stress. That is you
11 have a bounding curve that it depends on the stress
12 intensity at that location. So that becomes a
13 variable that you have to account for in a specific
14 analysis for a specific circumstance.

15 MEMBER POWERS: It also depends on having
16 an aggressive corrosion chemistry. That must surely
17 be unique to this situation?

18 MEMBER SHACK: No. That's the one good
19 thing about dealing with primary water stress
20 corrosion cracking is that you probably do understand
21 the chemistry environment, that is the environment
22 that you've studied the crack growth in is a PWR
23 primary water environment which is carefully
24 controlled.

25 MEMBER POWERS: Would this alloy, this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 particular weld material and all of its associated
2 impurities have been exactly reproduced in this test
3 stage?

4 MEMBER SHACK: Of course not.

5 MEMBER POWERS: Well, and then you've got
6 to convince me that you've bounded it.

7 MEMBER SHACK: But that's why you have
8 data on multiple heats of material and, again you
9 know, when can I say I bounded the data. You know, as
10 Gene said, I don't think you can say you have an
11 absolute bound but what you have is an amount of data
12 on a reasonable number of heats of material under
13 chemistry conditions that are representative of what
14 you have here. It doesn't exactly represent it but
15 you think the population is quite representative and
16 you have to make the judgment that when you bound that
17 it's reasonably close to them.

18 MEMBER POWERS: No, I think all they've
19 done is they've parted the data points and run a
20 curve that goes over the top of it. And I don't think
21 they've done any of this, okay, does the chemistry
22 span the range of chemistries that I'm likely to
23 encounter or not.

24 MEMBER SHACK: Well, the other good thing
25 of course is that under ASME code conditions, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 range of the material chemistries is not all that
2 broad. It's a fairly tightly controlled situation,
3 especially for stainless steels. Again, for ferritic
4 steels, impurity levels are a good deal higher.
5 Welds, one of the bad things about welds is the fact
6 that impurity levels are higher but, again, without an
7 extensive study I'm not sure that you could say you've
8 bounded the range but you certainly have a reasonable
9 population.

10 MEMBER WALLIS: When this crack gets
11 bigger you said it could grow as much as halfway
12 through, does its growth rate slow down or increase as
13 it gets to such a big crack?

14 MR. CARPENTER: As the crack grows it will
15 reduce, it expends the energy so it will tend to slow
16 down a bit.

17 MEMBER WALLIS: It will slow down. And
18 when will be the next inspection? And I guess you're
19 giving them permission to run for another cycle?

20 MR. CARPENTER: For 18 months, yes sir.

21 MEMBER WALLIS: Eighteen months. So
22 what's going to happen in-between in the 18 months?
23 No inspection?

24 MR. CARPENTER: I should alter that just
25 slightly. We said that they could operate for up to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 18 months. They have told us that they're going to be
2 operating for a short cycle so they will be shutting
3 down before next summer to inspect.

4 MEMBER WALLIS: And no one will be looking
5 for boron stalactites till next summer?

6 MR. CARPENTER: They will be looking for
7 evidence of leakage. But it's very difficult to get
8 into this area during operation.

9 MEMBER WALLIS: And you're satisfied that
10 there's a good way of detecting these very small
11 leaks? They weren't detected before.

12 MR. CARPENTER: That is correct. And that
13 is one of the things that I will be talking about in
14 a moment regarding leakage. Okay.

15 MEMBER SHACK: But, again, these cracks
16 will still be relatively short in terms of structural
17 integrity of the pipe. You know, they'll be a long
18 way from any kind of large failure, the margin to a
19 small leak is admittedly much, much smaller than it is
20 to a large --

21 MEMBER WALLIS: Well it may be fine, it'll
22 just be sort of embarrassing if you go in there next
23 summer and find there's a huge boron stalactite
24 somewhere.

25 MR. CARPENTER: But also bear in mind,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sir, that virtually all of these cracks were axial in
2 nature. As Dr. Shack said, it takes a considerable
3 amount before you have a concern beyond that.

4 Some of the ongoing activities that the
5 staff is engaged in at this time is that we're
6 reviewing similar cracking in foreign reactors. We
7 haven't seen anything similar to what happened at
8 Summer here in the U.S., but the root causes of both
9 the Summer and the Ringhals cracking in Sweden is
10 PWSCC. So we are talking with the Swedes about that.
11 We're also investigating --

12 MEMBER WALLIS: When you talk about PWSCC,
13 is it stress corrosion cracking?

14 MR. CARPENTER: Primary water stress
15 corrosion cracking. And we're also investigating
16 reports of other foreign cracking. We haven't yet
17 been able to verify that there are others that are
18 identical, or at least similar to what has happened
19 here at Summer, but we are looking at that.

20 MEMBER POWERS: When you say identical, I
21 get the sense that we don't have to be very identical
22 to be about the same. At least as far as our data
23 base. So I mean how do you -- I'm trying to
24 understand the links and bounds of identity in
25 this sense.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARPENTER: Well, I'm not trying to
2 say that it has to be one for one matching every
3 point. We're looking at similar welds, we're looking
4 at similar locations. Trying to find something that
5 we can lump together.

6 Some of the other ongoing activities that
7 the staff is engaged in at this time is, again, we're
8 looking at the generic implications of the Summer
9 cracking and the industry activities.

10 Mr. Matthews of the MRP will be discussing
11 in a few minutes what the PWR owners groups materials
12 for a liability program is presently engaged in and I
13 will leave that to his capable hands.

14 We're also looking at the implications on
15 the leak-before-break analyses that have been done for
16 virtually all the PWRs at this time. We're also
17 looking at ISI programs, both deterministic and risk-
18 based, seeing if we need to make any alterations to
19 those programs.

20 MEMBER SIEBER: Since you're discussing
21 ISI, is there any movement to augment with another
22 technique the UT examination?

23 MR. CARPENTER: Right now the UT
24 examination is required by code, and if the code needs
25 to be altered then --

1 MEMBER SIEBER: Somebody has to put in a
2 code case?

3 MR. CARPENTER: Correct.

4 MEMBER SIEBER: On the other hand, you can
5 do the UT exam and satisfy the requirements of the
6 code, but you could require an additional augmented
7 inspection using other techniques. Seems to me that
8 when I look at the pictures, the weld prep for the
9 examination wasn't very good and it seems also that
10 probes have a pretty good footprint and maybe this is
11 a very difficult weld to examine just because of
12 geometry, notwithstanding the fact that you're
13 shooting through a pretty thick cross section of
14 material of varying grain structure and composition.

15 I take it that since these kinds of cracks
16 are not reliably always found by UT, that nobody is
17 making a move to do something better.

18 MR. CARPENTER: Well, I'm not saying that
19 yet, sir, and you're leading me by about three slides.
20 So I'll discuss that in just a moment if I could
21 defer, okay.

22 MEMBER SIEBER: All right.

23 MR. CARPENTER: Again, as we were just
24 mentioning, the ability of the code required NDE to
25 detect and size small ID stress corrosion cracks, this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is one of the things that we definitely need to get a
2 handle on. And the appropriateness of the ASME code
3 standards allowing flaws approximately 10 percent of
4 wall thickness that, in the case of Summer, could grow
5 with such an apparent high crack growth rate.

6 And Dr. Wallis mentioned a few moments ago
7 about the effectiveness of the leak detection systems.
8 These are all things that we are very much following
9 and trying to get a handle on.

10 MEMBER WALLIS: Are you thinking of
11 putting in some supplementary leak detection system in
12 the places where you might detect something such as
13 just by the well?

14 MR. CARPENTER: We have discussed that
15 with the industry and I believe that -- will you be
16 discussing that, Larry?

17 MR. MATTHEWS: We're going to be looking
18 at it.

19 MR. CARPENTER: Yes. So this is part of
20 what we're talking about.

21 MEMBER WALLIS: If you're going to look at
22 it, are you going to have anything in place during the
23 next cycle?

24 MR. CARPENTER: No, sir.

25 MEMBER WALLIS: You seem that you want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 put something in there now.

2 MR. CARPENTER: The lead time for
3 developing supplemental inspections or supplemental
4 leakage evaluation --

5 MEMBER WALLIS: Well it seems to me there
6 was, I'm trying to remember the pictures I saw, but
7 the boron stalactites were pretty obvious, right. So
8 even just a camera would see them, and that's not a
9 remarkable piece of technology.

10 MEMBER SIEBER: Well, the boron that was
11 visible was not directly at the crack in the pipe, it
12 was underneath the boot and, you know, and that's
13 where the air flow ventilation for that section of
14 piping comes from. So it had to appear where the boot
15 was not tight.

16 MR. CARPENTER: When you're talking about
17 all this, you know, it came out through here so it is
18 not readily accessible during power operations.

19 MEMBER SIEBER: And it might not come out
20 there.

21 MR. CARPENTER: Correct.

22 MEMBER WALLIS: But it's too rough an
23 environment for some sort of video surveillance?

24 MR. CARPENTER: I don't know the answer to
25 that, sir.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: It could be done.

2 MR. CARPENTER: Some of the further
3 activities that the staff is working on right now is
4 that we're proposing confirmatory research into the
5 primary water stress corrosion cracking issue, and
6 that will include some of the NDE and the ISI issues
7 that we've discussed so far.

8 MEMBER WALLIS: What are you trying to
9 confirm?

10 MR. CARPENTER: Confirmatory research
11 meaning is our capability of other inspection toolings
12 to go in and find and size these indications. For
13 instance --

14 MEMBER WALLIS: This is a kind of, I know
15 it's a misnomer, but research is to figure out
16 something new not confirm something.

17 MEMBER SIEBER: But they're not
18 anticipating a problem. They have the problem.

19 MR. CARPENTER: Determination of a
20 bounding crack growth rate and just how the residual
21 stresses play into that. Development of
22 susceptibility model, and because we know that the
23 welds that were, for instance, the welds at Summer
24 were field fabricated, you also have some that were
25 shop fabricated at other PWRs. You have different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials being used at different PWRs. So the
2 susceptibility model is going to have to take a look
3 at multiple factors.

4 The assessment of possible repair and
5 mitigation methods that the industry may come up with
6 and overall following of industry activities.

7 MEMBER SIEBER: Now, in all Westinghouse
8 plants with stainless steel piping do they use the 182
9 weld model?

10 MR. CARPENTER: No, and all of the
11 Westinghouse plants from my understanding is that they
12 have something like virtually every weld was slightly
13 different. So it's going to add considerably to the
14 complexity here of all this.

15 DR. FORD: Gene, could I make a comment?
16 You mentioned at the beginning of this is the generic
17 activities. When you're looking at the industry
18 experience, are you confining yourself to pressurized
19 water reactors? I'm thinking specifically of the vast
20 amount of boiling water reactors which are into
21 hydrogen water chemistry with a lot of 182 welds.

22 MR. CARPENTER: Yes. Yes, sir I have been.
23 At this time we are looking specifically at Ps, we may
24 expand into Bs. But this appears to be a PWSCC
25 concern right at this moment. If we need to, we will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expand the scope beyond that.

2 MEMBER SIEBER: I mean he is running at
3 hot leg temperatures that are a good deal higher than
4 your BWR.

5 DR. FORD: Yes I recognize that but we
6 know what the activation enthalpies are for the
7 cracking in these systems, so you can make some sort
8 of comparison.

9 VICE CHAIR BONACA: I had a question
10 regarding all previous inspections, including the year
11 2000. They found no indications. Now, what kind of
12 inspections were they? They were not using eddy
13 current, of course.

14 MR. CARPENTER: If you don't mind I'll
15 defer to Steve Doctor on that one. Steve?

16 DR. DOCTOR: Yes, I couldn't hear the
17 complete question. Would it be possible to have you
18 repeat it, please?

19 VICE CHAIR BONACA: Yes. My question is
20 all previous inspections of these nozzles showed no
21 indications, including the 2000 inspection. And I was
22 wondering what type of inspection that was, I mean
23 what kind of technique do you use?

24 DR. DOCTOR: They basically employ the
25 same techniques that they employed back in 1993. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 biggest improvement on the ultrasonic side was that
2 they employed an improved transducer sled that allowed
3 each transducer to independently gimble to do a better
4 job of tracking the surface and thereby providing
5 better coupling.

6 This was a significant improvement. It
7 didn't accommodate all the conditions that in fact are
8 associated with the ID conditions of these particular
9 wells. The size of the footprint of the transducer
10 and the housing that the transducer goes in is quite
11 large and, as a consequence, it has some difficulty
12 accommodating the root, the counterboard, and there is
13 a difference in the diameter between the nozzle and
14 the pipe.

15 And, as a consequence, it did create some
16 problems. I believe that obviously one of the things
17 that industry is going to be looking at in the future
18 on how to ensure a better ability to track the surface
19 and thereby improve the quality of the UT inspections.

20 And for this particular inspection, the
21 staff at Summers and Weston, you know, agreed to use
22 the eddy current. An eddy current inspection is
23 primarily a surface inspection type of technique. It
24 has not generally been used for this kind of
25 application.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 However, it is very sensitive to any kind
2 of surface breaking flaws and, as you saw from I think
3 the result from the Alpha leg hot outlet nozzle
4 dissimilar amount of weld, the eddy current was very
5 effective at detecting a number of cracks that were
6 verified through the destructive testing. And it
7 should be noted that there are indications in four of
8 the five other dissimilar amount of welds that we have
9 found with the eddy current, they have similar
10 characteristics to the cracks that were in the Alpha
11 leg, but at this point there are still indications.
12 They have not been, you know, verified by any other
13 means.

14 There's a possibility that some of those
15 in fact may not be cracked because some of the
16 indications that were found in the Alpha hot leg were
17 not verified through destructive testing. So there is
18 some uncertainty there and in the analysis they've
19 taken the approach to assume that, in fact, all of the
20 indications are assumed to be cracks, although that's
21 not proven at this point.

22 VICE CHAIR BONACA: So the previous
23 inspection used the ultrasonic testing. And some
24 forms of eddy current, if I understand it.

25 MR. CARPENTER: No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR BONACA: No. No eddy current.
2 Okay so it was ultrasonic testing. And that is the
3 standard testing that is being done by the industry,
4 right?

5 MR. CARPENTER: Correct. Code required.

6 VICE CHAIR BONACA: Thank you.

7 MR. CARPENTER: Okay. That brings us to
8 where the industry is right at this time. The PWRs
9 have proposed an industry initiative to respond to the
10 cracking issue that was found at Summer. And, as we
11 have discussed with the ACRS before, the staff has an
12 industry initiative process that we can utilize for
13 this, in which case an issue occurs, the industry and
14 the staff meets on this. The industry proposes to
15 follow this as an industry initiative, and the staff
16 either forgoes any generic communications or generic
17 letter per se, to tell them what needs to be done in
18 lieu of the industry coming in and actually telling us
19 what they're going to do following this.

20 Now at this time we have met with the
21 materials reliability program on this twice now. And
22 they have proposed to respond to the issue and, again,
23 Mr. Matthews will be discussing this in a couple of
24 moments.

25 VICE CHAIR BONACA: I just want to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back to it. It seems to me that there has to be some
2 past experience of V&V on the ultrasonic testing that
3 is adequate or is not adequate. We were left here
4 with a statement that says that we have eddy current
5 indications of cracks in the other nozzles which were
6 not identified by UT. We're not sure yet that they're
7 cracks, they may be something else. So we're trying
8 to understand, in fact to validate these observations
9 here.

10 And so my question, again, is do we have
11 V&V of ultrasonic testing identifying these kind of
12 cracks?

13 MR. CARPENTER: The Alpha hot leg had both
14 eddy current testing done on it and ultrasonic
15 examination. It was then cut out, the weld was cut
16 out, and was destructively examined. As Steve Doctor
17 mentioned before, some of the indications that were
18 found by eddy current were not found in the
19 destructive examination. Some of the indications that
20 were found by destructive examination were not found
21 by UT. So we're still struggling with that, sir.

22 VICE CHAIR BONACA: Okay.

23 MEMBER SHACK: Let me ask it in a
24 different way. The inspectors that do the
25 inspections, do they go through a performance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 demonstration on stress corrosion cracks?

2 MR. CARPENTER: The PDI program --
3 Performance Demonstration Initiative -- as I
4 understand it, I'm not the expert on this. Steve, did
5 you want to respond to this?

6 DR. DOCTOR: Yes. Right now this is a PWR
7 issue and all the people that are really trained for
8 stress corrosion cracking do inspections on BWRs.
9 There is a requirement for a supplement independent --
10 regarding dissimilar amount of welds. That has not
11 been implemented as of yet. It's in the process of
12 being developed with regard to the PDI program and
13 it's something like I think about 18 months off until
14 that will be fully implemented, and then all
15 inspectors will have to go through that.

16 And, of course, the timeliness of the V.C.
17 Summer event is that now we've identified failure
18 mechanism and so the type of flaws that have to be
19 included in that demonstration are PWSCC.

20 MEMBER SHACK: Thank you.

21 MR. CARPENTER: Okay. Going back to where
22 we are with the MRP. Again, the staff has met with
23 the industry on this at least twice now. We've had
24 multiple telephone calls with them following up,
25 discussing the agenda items that have been in these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 public meetings. We will have another public meeting
2 with the MRP in three weeks time to discuss the
3 assessments that they are going to be providing to the
4 staff. We have also gone down to one of the vendor
5 sites, Framatone specifically, to take a look at the
6 mock up that they have been making use of to look at
7 the welds for four plants that we'll be inspecting
8 this spring outage. And further technical and
9 management meetings are planned to discuss what is
10 going on.

11 And now we get to the slide that Dr.
12 Sieber was leading me to.

13 (Slide change)

14 MR. CARPENTER: Some of the staff
15 expectations of the generic activities. What we are
16 hoping to come out of this with. The MRP assessment
17 of the generic susceptibilities; they have promised
18 this to us by the end of March and that is what we
19 will be discussing in three weeks time.

20 The NDE methodologies and the toolings
21 that the industry is going to be using to do their
22 examinations. The staff has told the industry that
23 they should be making use of the best practices and
24 capabilities to address potential weaknesses that seem
25 to have come out of this examinations at Summer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If potential code cases are necessary to
2 address some of the things that we have discussed
3 already, the staff will be looking at those in an
4 expedited manner.

5 We also need to get a better handle on the
6 implications for the ISI programs and also for leak-
7 before-break. And long term assessment of the alloy
8 82/182 applications, we're going to be discussing with
9 the industry to take a look at that.

10 And we'll also be looking at the review of
11 their repair and mitigation methods that they will be
12 proposing to us.

13 And that concludes my discussion for this
14 morning.

15 MEMBER WALLIS: I'm just wondering, the
16 expectations, are results expected or activities?

17 MR. CARPENTER: We're hoping that there
18 will be activities that will lead to results, yes.

19 MEMBER WALLIS: Well that's the thing, I
20 see a lot of activity and I just wonder about the
21 results.

22 MR. CARPENTER: We are at the very
23 beginning of this, sir, and it's too early to --

24 MEMBER WALLIS: That's what concerns me a
25 bit, yes. You may discuss with industry for a long

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time without achieving anything.

2 MR. CARPENTER: We have made our
3 expectations very clear that this is something that
4 needs to be expedited. It's not going to be a five or
5 ten year practice before something occurs. That we
6 need to have something sooner. And, again, under the
7 industry initiative process, if the staff determines
8 that the industry is not being as proactive as we
9 would like, we always have the option of going out
10 with generic communications of some sort.

11 MEMBER WALLIS: Well at least by next
12 summer you'll have some data points?

13 MR. CARPENTER: We certainly hope so, sir.

14 MEMBER LEITCH: The licensee seems to make
15 quite a bit out of the uniqueness of this weld in its
16 original instruction. But I guess from hearing your
17 presentation, it sounds as though you are not
18 accepting that idea, that you feel there's something
19 more generic going on here. Is that a correct
20 assumption?

21 MR. CARPENTER: Well, initially, sir, we
22 were in agreement that there were, as the licensee
23 correctly points out, extensive repairs done on this,
24 especially as opposed to the other five welds. That
25 there were mitigations there that could have caused

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this one to be of concern but not the other five
2 welds. And then there were indications found in four
3 of the other five. And also there was indications
4 found at Ringhals in Sweden, which is a similar plant.

5 MEMBER LEITCH: Indications but not
6 cracks, right?

7 MR. CARPENTER: Not through wall cracks,
8 no, sir.

9 MEMBER SHACK: No, but Ringhals is
10 confirmed to be a crack.

11 MR. CARPENTER: But not through wall.

12 MEMBER: Yes, but it is a crack.

13 VICE CHAIR BONACA: Ringhals identified it
14 through eddy current?

15 MR. CARPENTER: They did do eddy current
16 examinations there also, yes. That leads us to be a
17 little less accepting of the uniqueness suggestion.

18 MEMBER LEITCH: Yes, do we know if
19 there's anything unique about which plant is at
20 Ringhals weld?

21 MR. CARPENTER: Well, it's a double V
22 weld. It's fairly similar to what we were discussing
23 earlier. But, again, we really need to get a better
24 handle on all this information.

25 MEMBER WALLIS: So the Ringhals crack is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 still growing is it? Or has it been fixed?

2 MR. CARPENTER: Debbie, do you remember
3 what they said?

4 MS. JENSEN: They did some repairs.
5 Debbie Jensen from the Office of Research. They did
6 some repairs to the Ringhals crack, but we're going to
7 meet with them next month and have face to face
8 conversations and exchange of technical information
9 with the similarities and the differences between the
10 two plants in this particular issue with the pipe
11 crack.

12 MEMBER WALLIS: Well did some repairs, do
13 you mean they cut out this area and rewelded it or
14 something?

15 MS. JENSEN: From what I understand, yes,
16 they did some grinding and they replaced with addition
17 weld metal and they took out some samples to do some
18 testing.

19 MEMBER LEITCH: I have a question about
20 the enhanced leak detection procedures that were
21 mentioned. Are we going to get some more about that
22 later, or is now an appropriate time to ask that
23 question? I'd like to know specifically how these
24 leak detection procedures were enhanced.

25 MR. CARPENTER: Well, that's one of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things that we have asked the industry to go and look
2 into, to see what they can develop as far as enhanced
3 leak detection capabilities. Right now we're not
4 ready to discuss what could be used.

5 MEMBER LEITCH: Ms. Cotton in her
6 presentation said that one of the licensing
7 commitments was to enhance their leak detection
8 procedures. Am I to understand that the plant will go
9 back in service with -- that is that that enhancement
10 is future, that the plant will go back in service with
11 the same leak detection procedures?

12 MR. CROWLEY: What they plan to do is they
13 plan to do noble gas sampling and analysis to provide
14 additional verification of the RCS integrity. The
15 other thing they plan to do is they're going to --

16 MEMBER LEITCH: You say they plan to do
17 that, but will they be doing that when the plant gets
18 back in service?

19 MR. CROWLEY: Yes. Yes, that'll be when
20 the plant goes back in service. The other thing, the
21 calculation of RCS water inventory balance, they plan
22 to do that on a more frequent basis than they've done
23 in the past to try to determine if they have
24 additional leakage.

25 They're going to add a main control board

1 enunciator to alarm at 0.75 GPM such that the
2 operators will be alerted prior to reaching tech spec
3 limit.

4 MEMBER LEITCH: 75 GPM?

5 MR. CROWLEY: .75 GPM. And then they're
6 going to, of course this is not what the plants
7 operating -- the inspection they do when they come
8 down next time, they're going to have an enhanced
9 boric acid inspection. They've had boric acid
10 inspections every time a plant comes down, but they're
11 also going to enhance that program also.

12 MEMBER WALLIS: What happens when you have
13 this crack and there's a leak? Do you get a jet of
14 superheated steam coming out of it or what?

15 MEMBER SHACK: Sure.

16 MEMBER WALLIS: And this has properties
17 like momentum?

18 MR. CARPENTER: Yes.

19 VICE CHAIR BONACA: It'll cut like a
20 knife.

21 MEMBER POWERS: You can't get away from it
22 can you.

23 MEMBER WALLIS: But it's invisible isn't
24 it? It's invisible. It's a jet of some --

25 MR. CARPENTER: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: But it impacts on things
2 and it carries boron with it. The boron is in the
3 steam in some form, droplets or something?

4 MR. CARPENTER: Yes.

5 MEMBER POWERS: Vapor.

6 MEMBER SHACK: It's dissolved in it.

7 MEMBER WALLIS: Dissolved and then it
8 comes out when it condenses on a cold surface
9 somewhere.

10 MR. CROWLEY: Well the pipe is insulated,
11 of course, so it has to -- whatever vapor that comes
12 out has to get through the insulation.

13 MEMBER WALLIS: So what happens in the
14 insulation? It deposits or is the insulation sort of
15 blown off, does a hole get made in the insulation?

16 VICE CHAIR BONACA: Cut right through it.

17 MR. CROWLEY: Through the same, goes
18 through the same.

19 MEMBER SIEBER: Well, most plants have
20 mirror insulation and it travels all over the place.

21 MEMBER WALLIS: So this steam gets all
22 lost in the insulation somewhere?

23 MR. CARPENTER: Yes.

24 MEMBER SIEBER: I was under the impression
25 that most PWRs had some kind of noble gas detection as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 part of their containment radiation monitoring.

2 MEMBER WALLIS: Well let's go on. That
3 insulation gets hot when you put steam through it and
4 you get a hot patch on it when the steam comes in
5 there, so if you had thermal couplers on the
6 insulation they would get hotter if you had a steam
7 leak. There seem to be so many things that could be
8 done using pretty robust technology to detect some
9 change that would be affected by a steam leak.

10 MR. CARPENTER: And these are things that
11 we have asked the industry to go in and investigate
12 and come back and talk to us about.

13 MEMBER WALLIS: But if you had to do it
14 next week I would think that someone could actually
15 come up with something. I just wonder why -- it
16 seems to be a slow process, this asking and coming
17 back with things. The agency doesn't seem able to
18 respond quickly to the idea say let's put thermal
19 couplers, or whatever it is, around something so we
20 know what's going on.

21 It may take months to make a decision. By
22 then the cycle's over anyway. Am I describing things
23 right? It just takes forever to make -- not forever,
24 but it takes so long to make decisions that it's
25 unlikely that any detection system will be in place

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 before the end of the cycle.

2 MR. CARPENTER: Well, there is detection
3 systems in place at Summer. As to what needs to be
4 done at other plants --

5 MEMBER WALLIS: Well what's the new --
6 there's a new detection system in Summer?

7 MR. CARPENTER: Yes --

8 MR. CROWLEY: Just the improvements that
9 we --

10 MEMBER WALLIS: Just the ones that you
11 mentioned. But they are still -- gross balances for
12 the plant. They're not focused on the area of
13 concern. There's nothing installed around the welds
14 or anything like that.

15 MEMBER SHACK: Local leak detection is
16 harder than you think because, as Jack mentioned, you
17 know, water and steam have a way of moving around a
18 lot.

19 MEMBER WALLIS: Well it's very true in
20 your house, you get a leak in the bathroom and it
21 appears in the living room.

22 VICE CHAIR BONACA: I just wanted to ask
23 you a question about, this is not the first time that
24 PWR nozzle cracks have been identified, right? It is
25 not the first time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARPENTER: I believe it is, sir.

2 MEMBER SHACK: Ringhals is the first,.

3 VICE CHAIR BONACA: Is it? I thought
4 there have been some events.

5 MR. CARPENTER: But this is the first
6 through wall crack.

7 VICE CHAIR BONACA: Oh through wall, yes
8 I understand. But cracks which were not through wall,
9 I thought there had been some instances.

10 MR. CARPENTER: Not that I'm aware of but
11 I will get back to you on that.

12 VICE CHAIR BONACA: I guess I'm going after
13 the issue of, you know, this seems to throw in full
14 doubt the effectiveness of ultrasonic testing as an
15 inspection means, and I thought that there had been
16 some significant validations of the technique.

17 MR. CARPENTER: The ultrasonic
18 examinations of dissimilar metal welds is a little bit
19 more of a challenge, so that is something as Dr.
20 Doctor mentioned a little bit ago, the PDI initiative
21 is looking at that and they have approximately 18
22 months to come up with a solution to that.

23 MEMBER SHACK: I mean non-destructive
24 examination, you know they're sort of trained to look
25 for certain things and at this point PWSCC wasn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really considered to be a major problem for PWR.

2 VICE CHAIR BONACA: I understand. In 2000
3 they had no indications. Then eddy current comes and
4 says there are indications. There are indications to
5 the point where now we're putting restrictions on how
6 long they can run. It begs the question of what do
7 you do about all the other PWRs for which you have
8 inspections using ultrasonic testing. And so that's
9 why I'm asking those questions. I had more confidence
10 in that testing than I'm getting out with now.

11 MR. CARPENTER: And these are questions
12 that the staff are asking ourselves, yes.

13 If there are no further questions we'll
14 turn this over to Mr. Matthews of MRP.

15 MR. MATTHEWS: My name is Larry Matthews,
16 I work for Southern Nuclear Operating Company on the
17 managing inspection and testing services group. I'm
18 also chairman of the Alloy 600 issues task group of
19 the materials reliability program, and I'm going to
20 give you some information about where the industry is
21 and where we're headed on this issue.

22 First off, a little brief history of how
23 we got to where we are. You've heard about the crack
24 and what's been done at the plant at V.C. Summer. The
25 MRP Alloy 600 issues task group took the lead on this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The event occurred in October of 2000, the initial
2 root cause was available early December and the issues
3 implementation group, or issues and integration group,
4 we can't ever decide what IIG stands for but it's the
5 parent of the ITG, recommended in mid-December that
6 the MRP take on as activity the resolution of generic
7 issues relative to the V.C. Summer event.

8 We received executive approval from some
9 utility execs here in early January to begin
10 activities. We developed an organization and we
11 worked out a fairly detailed plan and budget but it's
12 evolving as we go and as we learn more.

13 The issues task group met in January 19,
14 after the V.C. Summer public meeting on the 18th, to
15 address the key focus areas and we organized into
16 three committees: an assessment committee, inspection
17 committee and a repair and mitigation committee and
18 I'll be going into what the activities of those
19 committees are.

20 We met with the staff on January 25, at
21 which point we outlined the approach that we were
22 planning on taking with respect to this issue, and
23 solicited feedback from the staff at that point in
24 time as to whether they saw things additional we
25 needed to be doing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The feedback was basically they felt we
2 were on the right path, saying the right kind of
3 words. Of course, the proof is in the pudding -- can
4 we deliver what we say.

5 On February 1, two of the committees had
6 their initial meetings, inspection committee and
7 assessment committees both met in Charlotte. They
8 further refined their plans and schedules and budgets.
9 On 2/16 there was an MRP/NRC executive management
10 meeting. This is typically a meeting we've been
11 having on an annual basis where MRP executives were
12 meeting with the NRC management.

13 MEMBER WALLIS: Has anybody done any work
14 yet?

15 MR. MATTHEWS: Yes.

16 MEMBER WALLIS: No, I mean you have all
17 these meetings in the management and budgets, has
18 anyone done any engineering yet?

19 MR. MATTHEWS: Yes, yes. I'm going to get
20 to that.

21 This issue was one of the topics that was
22 discussed at the meeting along with all the other MRP
23 activities, and just this week we've scheduled another
24 technical meeting with NRC staff and I'll go into what
25 we're going to discuss in that meeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The industry plan includes a short term
2 assessment in which we want to demonstrate that the
3 continued operation of alloy 82/182 welds is
4 acceptable. We're trying to get that to the staff by
5 late March. The NSSS vendors are at work right now
6 performing the analyses and working on this
7 assessment.

8 We had a goal of getting interim
9 inspection guidance.

10 MEMBER POWERS: You say here the continued
11 operation with alloy 82/182 welds, that's just the
12 weld not a flawed weld that you're dealing with?

13 MR. MATTHEWS: We want to -- well, what
14 we're going to show is the margins that are available
15 in there to cracking and even if it does crack, the
16 margins that are available to a rupture of the pipe.
17 We're going to try and prove here that it's not really
18 a safety issue, it's a leak issue, it's an operational
19 issue, we have to be very concerned about it, it's
20 very expensive to have this kind of leak. But we want
21 proof and show that it's not a safety issue.

22 MEMBER POWERS: What you want to show, I
23 think, is that if you have a flaw in that weld, that
24 it will not propagate rapidly to create a pipe
25 rupture.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATTHEWS: Exactly. Analyses to that
2 effect were certainly part of the report that
3 Westinghouse put together for V.C. Summer. And we
4 will build on those analyses for the whole industry.

5 MEMBER POWERS: But you're not going to
6 have any more data than they did.

7 MR. MATTHEWS: No, not at this point in
8 time. I mean there's no more data that we can get our
9 hands on right now. We've got to go create some or
10 find out what else is out there.

11 MEMBER POWERS: Well when you think about
12 data on stress corrosion cracking, you think about
13 things like residual stresses, you think about
14 chemistry. Do we have now data that are taken in
15 irradiated water of the type we have in --

16 MR. MATTHEWS: I don't think we have data
17 in irradiated water, but we do have data that was
18 taken with several heats of alloy 182 weld metal and
19 there was created, samples cut from it, several
20 samples were put into a PWR environment in an
21 autoclave and tested to crack --

22 MEMBER POWERS: When you say environment
23 you're speaking of the pressure temperature
24 environment not the radiation environment?

25 MR. MATTHEWS: Not the radiation but these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things are very, very low radiation where these welds
2 are. These welds are not in the belt line region,
3 they're above the core.

4 MEMBER POWERS: Well, I mean I just can't
5 help but ask, you have a lot of radiolysis product,
6 water radiolysis products in these and they tend to be
7 fairly aggressive chemicals as far as oxidation and
8 reduction reactions. Do they not affect the chemistry
9 in these?

10 MR. MATTHEWS: I guess I don't know the
11 answer to that but the tests that we've done are
12 trying to stimulate the PWR primary water as best they
13 can, given that we're not doing it with a reactor.

14 MEMBER POWERS: Well my question is is
15 temperature adequate or do you have to simulate the
16 ozonides and peroxides and things like that because of
17 water radiolysis?

18 MR. MATTHEWS: I guess I don't know the
19 answer to that. We do run these plants with a
20 hydrogen over pressure and it tends to scavenge those
21 things pretty quickly I would hope.

22 MEMBER WALLIS: Even short life -- and
23 this is a hot leg, this stuff has been irradiated and
24 everything else a very short time before it comes to
25 this spot.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATTHEWS: Yes.

2 MEMBER WALLIS: So there could be some
3 very transient type products which are in there.

4 MR. MATTHEWS: Yes, there could and I
5 guess we haven't looked at that as an industry and
6 perhaps we need to.

7 VICE CHAIR BONACA: I don't want to
8 belabor it but it seems to me that the gentleman said
9 they're trying to see if in fact this eddy current
10 data is credible.

11 MR. MATTHEWS: The eddy current data?
12 Yes.

13 VICE CHAIR BONACA: Now, assuming that you
14 could prove that the eddy current indications were not
15 correct, that would support your claim that this is a
16 unique issue to do with that particular weld in that
17 particular A leg, and all this would be gone. So why
18 won't you focus immediately on the issue of the
19 validity of eddy current as a means of inspecting
20 these cracks?

21 MR. MATTHEWS: Well, we have some
22 information, as I understand it, from the Ringhals
23 test. They did UT and eddy current, and over there
24 the eddy current was not the save all, in fact it
25 missed flaws that the UT picked up.

1 VICE CHAIR BONACA: Okay. The combination
2 of the two seems to be an effective means you mean?

3 MR. MATTHEWS: Perhaps. But the eddy
4 current here was --

5 VICE CHAIR BONACA: So you can't discount
6 the eddy current indication, that's what you're saying
7 right now.

8 MR. MATTHEWS: Yes. It's not a proven
9 technology for going in and detecting and sizing
10 flaws.

11 MEMBER SIEBER: And it focuses more on
12 surface indications.

13 MR. MATTHEWS: Yes, that's right. Another
14 thing the plan included was to get out some interim
15 inspection guidance for the near term outage plants,
16 those plants that are coming down this spring. That
17 was completed yesterday I believe. The letter was
18 signed out to the industry.

19 The plan also includes a longer term
20 assessment of all the alloy 82 and 182 welds in the
21 plants, in the PWR primary systems. We'll be looking,
22 reviewing and improving inspection technology where
23 it's appropriate. And we'll also be reviewing repair
24 and mitigation methods, if necessary, working to
25 develop some improvements in those.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Let me ask about UT.
2 Isn't this a developing technology in the medical
3 field that's highly developing, a lot more
4 intelligence is used for it and they can see things
5 they couldn't see before and it's improving very
6 rapidly. Is this sort of a fossilized technology, or
7 are improved UT methods coming out regularly?

8 MR. MATTHEWS: I think the industry is
9 constantly looking to try and improve their technology
10 for detecting --

11 MEMBER WALLIS: Is it happening?

12 MR. MATTHEWS: Yes, there's phased arrayed
13 technologies that are coming out and have not been
14 applied at this point to these welds, but that has
15 been applied in the industry for turbine blade
16 examination and things like that. There's new
17 technology being looked at by the EPRI and NDE center
18 right now for much smaller --

19 MEMBER WALLIS: Is it difficult to get
20 approval for new technology because of the regulatory
21 process?

22 MR. MATTHEWS: I think the code process
23 would be the more difficult thing to get it through
24 but, at the same time, if there's a better way to do
25 things I can think we can push it through.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. FORD: Can I just come back to the
2 very first bullet there, the short term assessment.
3 What are the criteria for that? What are the criteria
4 that your short term assessment is correct?

5 MR. MATTHEWS: I'm going to -- oh, I'm
6 going to give a lot more detail of what we're going to
7 do there.

8 DR. FORD: Okay. But there will be data?
9 There will be stress corrosion data to back it up?

10 MR. MATTHEWS: There will be what data we
11 have available will all be factored in to putting
12 together the short term assessment.

13 DR. FORD: Okay.

14 MR. MATTHEWS: And while we've already
15 started work on much of this, we expect there is an
16 approval process for the -- the senior reps we
17 anticipate them approving what we're laying out in our
18 plan on March 9. But we've already started work with
19 funds that were already available.

20 Basically, these are the three committees
21 under my Alloy 600 ITG and we're part of the MRP and
22 the MRP is looked to the NEI as the regulatory
23 interface with the NRC. That's not to say we don't
24 have technical discussions. We do. When there's
25 technical issues to discuss with the staff, we'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 discuss them directly.

2 MEMBER WALLIS: Excuse me. Who does the
3 work? Do you contract with somebody?

4 MR. MATTHEWS: Most of the work would be
5 contracted to vendors or consultants or done in house
6 at EPRI. Most of the technical work, a lot of the
7 guidance and overseeing of all that work is done by
8 these committees. And these people are knowledgeable
9 people in the industry in these areas too, on the
10 committees.

11 These are just the chairmen of the three
12 committees that we've set up. The chairman of the
13 assessment committee is Vaughn Wagoner from CPNL. The
14 chairman of the inspection committee is Tom Alley from
15 Duke. And the chairman of the repair and mitigation
16 committee is Gary Moffatt from the V.C. Summer plant.

17 One more detail about the committee
18 activities. The first thing is to get this short term
19 safety assessment done, the process that we've
20 outlined involves identifying areas that are likely to
21 be the most susceptible and that's primarily going to
22 be based in this very short term on evaluating the
23 size of the welds, the temperature and the weld
24 materials. We felt that likely spots would be on the
25 Westinghouse and combustion plants to hot leg pipe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 welds. At BNW is may indeed be the CRDM nozzle welds
2 at the top of the head, but they also have some other
3 pipe welds that they'll be looking at I believe.

4 Certainly not all the plants have the same
5 welds. The difference between the vendor designs, the
6 piping is completely different on the three plants, or
7 plant designs, and even within the Westinghouse fleet,
8 these welds have a wide variety of how they were
9 constructed. Some shop welds, some field welds, some
10 stainless steel, some inconel 182 butter with 82 weld
11 material, so there's a wide variety of those and we
12 have to go out and assess all of those.

13 One of the goals is to demonstrate that
14 most of the cracks will be axial or in the case of the
15 head penetrations they will be in the axial radio
16 direction as was seen at the Oconee.

17 MEMBER WALLIS: Why will they be axial?

18 MR. MATTHEWS: It's primarily because of
19 the stress field that the --

20 MEMBER WALLIS: The stress field stresses
21 it more highly in that direction?

22 MR. MATTHEWS: Yes. Well the stress is in
23 the circumferential making the crack --

24 MEMBER WALLIS: The flow direction has
25 nothing to do with it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATTHEWS: No.

2 MEMBER WALLIS: Well flows have effects
3 around bends and things. Flows have some effects on
4 these things don't they?

5 MR. MATTHEWS: A little bit of flow
6 momentum I would imagine but I don't -- then that
7 would be taken into account. That's going to be
8 second order compared to the other stresses that are
9 driving these things.

10 MEMBER LEITCH: Are you going to -- can
11 you go back and identify welds where there was major
12 repair activity at the time of original construction.
13 Is that one of the things you're going to be looking
14 at here? It seems to me if that was not the prime
15 cause of this failure, certainly I think we would all
16 agree that it accelerated the failure in this
17 particular A hot leg. So can you go back and identify
18 those welds?

19 MR. MATTHEWS: The amount of data that's
20 available to each plant varies depending on, you know,
21 some of these plants are 20, 30 years old and their
22 construction records are sometimes hard to come by.
23 But what's available is available and will be looked
24 at by the individual utilities to see if there's
25 anything.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: So chemistry comes into
2 this propagation of the crack, chemistry is a factor.

3 MR. MATTHEWS: Water chemistry?

4 MEMBER WALLIS: Yes. And so there's a
5 whole lot of flow mechanics and diffusion processes
6 and things going on in these cracks. It's not just
7 stresses, it's everything else, too. I just wonder
8 how well that is understood. The biggest axial crack
9 with the water whipping by with some sort of flow
10 percolating around through the crack as well.

11 MR. MATTHEWS: These cracks are so very,
12 very, very tight. The water in those cracks is
13 probably --

14 MEMBER WALLIS: Well something has to go
15 up there, there's going to be corrosion effects.

16 MR. MATTHEWS: Yes, but it's a very
17 stagnant environment.

18 MEMBER WALLIS: So it's diffusion.

19 DR. FORD: If I -- maybe I could just help
20 you out maybe. In boiling water reactors where you
21 have an oxidizing environment, yes, the direction of
22 flow could be important. But, in fact, the water does
23 not enter into the crack very deeply and it becomes
24 more an academic exercise.

25 MEMBER WALLIS: What's in the crack?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. FORD: Well all this water but you're
2 talking about a replenishment of the water, and that
3 does not occur to any great extent in these tight
4 cracks.

5 The question of the PWRs, you're not going
6 to get too much flow effect, rate effects in this
7 reducing environment, if you do have a reducing
8 environment, and Dana's observation is an interesting
9 one as far as I'm concerned.

10 MEMBER SIEBER: Maybe I could ask another
11 question. It seems to me that 82/182 I think and
12 alloy 600 are all, as far as stress corrosion
13 cracking, are all dependent on temperature. And the
14 need is what, 608, 609 degrees Fahrenheit where higher
15 temperatures than that to correct growth rate
16 accelerates. It would seem to me, and I worked in a
17 plant at one time, where because of the finding of
18 some cracks, they reduced the temperature at the plant
19 by about 10 degrees which virtually stopped the growth
20 of the crack. Has anybody considered that as an
21 alternative to all these other things?

22 MEMBER SHACK: People do it in steam
23 generators. That's generally a pretty drastic step.

24 MEMBER SIEBER: Yes, well you lose some
25 megawatts that way but a pipe break is a pretty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drastic thing, too. And given the choice, I would
2 rather lose a few megawatts.

3 MR. MATTHEWS: I don't think anybody's
4 considered at this point trying to reduce their hot
5 leg temperatures because of this. The drop may have
6 to be significant to get it down below that need that
7 you're talking about I would think.

8 MEMBER SIEBER: Well, it might have to be
9 below 600. On the other hand, for a lot of plants
10 that's seven or eight or 10 degrees.

11 MR. MATTHEWS: And for a lot of plants
12 it's more than that.

13 MEMBER SIEBER: Well, and so I continue to
14 question. You know, once you're above 610 as a hot
15 leg temperature, that means the reactor vessel head is
16 at the same temperature, well the inconel welds up
17 there that are also subject to the same kind of
18 cracking.

19 MEMBER SHACK: But you know he has a much
20 different problem than the steam generator people.
21 You know, they have typically much larger margins to
22 failure. A short crack in a steam generator gets you
23 a lot closer to failure than a short crack in a large
24 diameter pipe. It certainly could be done but it
25 certainly seems pretty far down on his list.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATTHEWS: And the temperature effects
2 are certainly going to be taken into account in our
3 assessment of susceptibility and crack growth. And
4 temperature is one of the factors in the crack growth,
5 too.

6 MEMBER POWERS: When you think about
7 activation energies for processes like crack growth
8 rates, you typically think about things with
9 uncertainties in the activation industry on the order
10 of five -- is that right?

11 MEMBER SHACK: Yes -- it is that much.

12 MEMBER POWERS: And so these temperatures
13 that like factors two or three on the crack growth
14 rate, so the difference is between the biggest between
15 two cycles and one cycle is kind of the input -- the
16 activation.

17 MEMBER SHACK: If all you were depending
18 on was the activation energy. But it's certainly
19 true that if you dropped the temperature 20C, you'd
20 get a lot. But you may not want to.

21 MR. MATTHEWS: Somebody asked earlier if
22 the crack growth curve that was used was essentially
23 the Peters-Scott model. Well that model was I guess
24 initially based on steam generators but it was
25 modified for the Alloy 600 head penetrations and that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 crack growth model was used, the modified Peters-Scott
2 model was used for the susceptibility modeling that
3 we've done in the industry on the head penetrations
4 Alloy 600.

5 When we tested, in the test data that
6 we've seen on the Alloy 82/182 shows those crack
7 growths were, depending on the orientation with the
8 dendrites, five to ten times faster than the Alloy 600
9 crack growth rate.

10 And then the curve that the NRC used
11 bounded all of that so it was even more than that,
12 faster than the basic modified Peters-Scott model.

13 The short term assessment will demonstrate
14 a large tolerance for axial flaws and the
15 circumferential flaws. The stress analyses that we've
16 done indicate a preference for the axial cracking
17 because of the stresses in the welds and how they're
18 lined up. The flaw, as you saw on the plot they put
19 up, was limited to the axial length of the pipe weld,
20 which is just a couple of inches long. Basically,
21 that's based on the V.C. Summer experience, it stopped
22 when it hit the ferritic steel, it stopped when it hit
23 the stainless steel, and it was only the inconel weld
24 metal that actually experienced cracking.

25 The flaw in the CRDM nozzle at Oconee 1

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also stopped when it hit the Ferritic steel. It did
2 propagate on into the Alloy 600 base metal of the
3 penetration itself.

4 And also the load limit fracture mechanics
5 analysis will show that there's a large margin to pipe
6 rupture.

7 MEMBER WALLIS: These are intents or
8 indications?

9 MR. MATTHEWS: We believe that this is
10 what they're going to show.

11 MEMBER WALLIS: But is it what you want to
12 show.

13 MR. MATTHEWS: No, we believe it will show
14 it. I mean a lot of this analysis is done --

15 MEMBER WALLIS: So this is based on
16 analysis having been done?

17 MR. MATTHEWS: The analysis -- a very
18 similar type analysis has already been done for V.C.
19 Summer and we're going to extend it to the rest of the
20 situation.

21 Similarly, for the circumferential flaws,
22 a large margin, but since they can go 360 they're not
23 limited by their axial. We'll demonstrate in this
24 case that leakage will be detected very easily from a
25 partial flaw while there is still a large margin on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the limit load.

2 MEMBER WALLIS: Are flaws necessarily
3 axial or circumferential?

4 MR. MATTHEWS: Well I guess they could be
5 diagonal, depending on what's driving in and what the
6 stress --

7 MEMBER WALLIS: Do they tend to go in
8 straight lines?

9 MR. MATTHEWS: Well, they're jagged
10 straight lines most of the ones I saw. There was a
11 circumferential flaw underneath at V.C. Summer that
12 intersected the axial flaw but it was up underneath
13 the ferritic part of the nozzle. And it grew for a
14 small distance and even that tended to turn in the
15 axial direction because of the stresses we believe.

16 DR. FORD: Sorry, did you say the crack
17 went into the ferritic steel?

18 MR. MATTHEWS: No, underneath it. The
19 ferritic steel is clad on the -- with inconel for part
20 way and it grew to the ferritic and stopped.

21 And then finally the short term safety
22 assessment will present arguments similar to V.C.
23 Summer's presentation on the January 18 meeting about
24 the pipe -- that are covered by defense and death.
25 And piping failure has been analyzed in the SARs and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's systems in place to mitigate it. Also, visual
2 inspections for boric acid have been an effective way
3 of identifying leaks well before there's been any
4 structural margins affected anywhere.

5 MEMBER WALLIS: What is it you see when
6 you see boric acid?

7 MR. MATTHEWS: Pardon?

8 MEMBER WALLIS: What do you see when you
9 see boric acid?

10 MR. MATTHEWS: Actually you see the
11 powder.

12 MEMBER WALLIS: You see solid boric?

13 MR. MATTHEWS: Yes, solid boric. And
14 finding those boron deposits on the walk downs has
15 been an effective way, at least to date, of finding
16 flaws before there's any structural damage, structural
17 margin is significantly affected.

18 For the longer term, the assessment
19 committee will complete our scope definition,
20 identifying all the areas of concern. One of the
21 things we want to do is evaluate the generic
22 applicability of the hot leg cracking, one of the
23 elements, so that we'll be looking at finite element
24 analysis including operational and residual stresses.

25 We will assess the safety significance of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the issue for all of the components, and then we will
2 prioritize the locations based on safety significance
3 into capabilities and the actual experiences in the
4 field.

5 The assessment committee is also going to
6 be charged with determining if any new inspection
7 requirements are necessary and, if they are, such as
8 ISI frequency, perhaps the ten year frequency we have
9 on these may need to be modified. We'll be looking at
10 that. And they'll assess the research needs. Where
11 are the holes? They're defined where we need more
12 information and then define research efforts to get
13 that information.

14 One of the areas we'll be looking at
15 certainly is crack growth data available worldwide.
16 We have some data, we think there's other data
17 available in the world and we'll be gathering that
18 data and factoring all of that into our analyses.

19 VICE CHAIR BONACA: So when you're talking
20 about determining inspection requirements, you're
21 talking about refining the understanding of what
22 inspection you need to do to detect?

23 MR. MATTHEWS: I guess the way the
24 assessment committee would do it would say what do you
25 need to find and how frequently do you need to look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for it. And the inspection committee, which would be
2 the next one, would be defining what we've got to do
3 to find that kind of indication.

4 VICE CHAIR: Oh so you have -- okay. Yes.

5 MR. MATTHEWS: The next committee is the
6 inspection committee. The first thing they wanted to
7 do was get some guidance out for those plants with
8 spring outages. I believe that letter was signed
9 yesterday by Jack Bailey from TVA, the VP there who is
10 the chairman of the MRP. The goal was to develop a
11 consistent inspection approach. After looking at it,
12 the committee and the people that EPRI NDE center both
13 felt that for these nozzles the ID UT was still
14 considered the best available technique. It's
15 considered adequate certainly for the upcoming spring
16 outages for a couple of reasons.

17 V.C. Summer's inconel weld was a field
18 weld that was installed and had multiple repairs on it
19 done in the field. The ID contour on that weld was
20 not necessarily the best.

21 MEMBER WALLIS: Tell me more about UT. I'm
22 sorry, is this a thing where some diagnostician looks
23 at some picture? Or is it something where a computer
24 analyzes a picture, or a computer analyzes certain
25 facets of an image or what?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATTHEWS: At least for UT today, the
2 way it's being done is it's a trained technician
3 watches the instrument. These are automated
4 instruments that are --

5 MEMBER WALLIS: So it's as prone to error
6 as diagnostic X-rays in hospitals, where someone looks
7 at a picture and tries to see a crack.

8 MR. MATTHEWS: Well it's not a picture
9 though, it's a trace on an oscilloscope.

10 MEMBER WALLIS: Looks for some anomaly?

11 MR. MATTHEWS: It's looking for any kind
12 of anomaly and the data that's taken on these is a
13 digital form of data, with hot leg alphas anyway if
14 they're done from ID, it's an automated exam where the
15 data's gathered and stored and digitized and can be
16 then reviewed.

17 MEMBER WALLIS: And can they zoom in or
18 something? I mean if he thinks there's something
19 there can he get a magnification of the signal and
20 things like that?

21 MR. MATTHEWS: Well, you can go look at it
22 closer but I mean all the data's there available for
23 him to look in as much detail as is available.

24 MEMBER WALLIS: I'm just wondering if
25 greater attention to detail in the inspection would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 buy you some better assessment.

2 MR. MATTHEWS: We think absolutely and
3 that's one of the things that we're working, that's
4 one of the recommendations that we're putting out is
5 to enhance the awareness of those inspectors to the
6 kinds of anomalies that led to missed indications at
7 V.C. Summer.

8 MEMBER POWERS: And Indian Point and a few
9 other places. I mean there's been pandemic missing of
10 indications here.

11 VICE CHAIR BONACA: I mean I'm somewhat
12 disturbed by the top bullet, the UT is still
13 considered the best available technique.

14 MR. MATTHEWS: That's today.

15 VICE CHAIR BONACA: I understand but you
16 know the whole experience we saw in the presentation
17 says that eddy current was an important complementary
18 technique to identify indications that are seen as
19 significant enough to say you should go only one
20 cycle.

21 Now if this is true, it has implications
22 for the other plants too, and it's hard to take then
23 at face value the statement that ID UT is still
24 considered the best available technique. I may just
25 have trouble in accepting both statements at the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meeting.

2 MEMBER POWERS: Separated in time they're
3 okay.

4 (Laughter.)

5 MR. MATTHEWS: The inspection committee
6 and the people that -- everybody there with the
7 inspection had worked with the results from V.C.
8 Summer. They were also aware of the indication, or
9 the information out of Ringhals that those guys, the
10 eddy current didn't even see some of those flaws that
11 the UT did see.

12 VICE CHAIR BONACA: And that's why I used
13 the word complementary. That together seem to really
14 yield some information.

15 MR. MATTHEWS: The problem the industry
16 has with UT at this point is it's never been used
17 except at Ringhals and at V.C. Summer. We don't
18 really know what's in the VNC loop, we haven't really
19 got a clue in my mind what's there. There's
20 indications there. They haven't been proven, we don't
21 know what it is. And to jump in there with an
22 unproven technique on a plant that's down for a
23 regular ISI and say, okay, you find a scratch in
24 there, now you're limited and you've got to come back
25 and do the cold leg again next cycle.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We felt it was a little premature for the
2 industry to jump to something like that.

3 VICE CHAIR BONACA: But for your plant,
4 still you have restrictions based on ET.

5 MR. MATTHEWS: Well, it's not my plant,
6 it's V.C. Summer. No, I'm from Southern Nuclear.

7 VICE CHAIR BONACA: Oh I thought -- I'm
8 sorry, all right.

9 MR. MATTHEWS: The way the mergers are
10 going I don't think it's my plant.

11 VICE CHAIR BONACA: I was referring to
12 that, jut I confused the two, all right.

13 MR. MATTHEWS: Another thing that the
14 inspection committee did do is there was a mock-up
15 available that the EPRI NDE center had of this type of
16 weld, with imbedded flaws. Now admitted they were
17 fatigue flaws but it's the best we've got right now.
18 Some of those flaws are very shallow and we
19 recommended that the plants, and there's a very
20 limited number of plants with iconel welds here on the
21 hot leg that are going in for inspections this spring,
22 I think there's actually only three plants with
23 iconel.

24 And we recommended that those plants have
25 their vendors perform a demonstration of their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 techniques on the EPRI mock-up, and all those vendors
2 have done so and, as a result of doing those
3 demonstrations, there have actually been some
4 modifications to the procedures that were being used.
5 New transducers and new scanning gains on the
6 instruments to get a more sensitive examination.

7 Also, we said that we were going to
8 enhance the awareness of inspectors and not just be
9 willing to say, well, I got 90 percent coverage on
10 that weld, that meets the code. If you get a lift off
11 do what you can to remedy that situation. And be
12 aware of what a lift off looks like on the data and
13 see if there's not something you can do about it.

14 MEMBER WALLIS: How long does it take to
15 do this inspection? Have you got something which is
16 going around and traversing on some track?

17 MR. MATTHEWS: It's a robot arm typically
18 that hangs off the vessel. It is done simultaneously
19 with the belt line weld exams on the vessel by the ten
20 year ISI. And it will go in and has a sled that will
21 --

22 MEMBER WALLIS: Is this a day long
23 operation type thing?

24 MR. MATTHEWS: I imagine it's at least
25 that. I'm not sure how long it takes. Not per nozzle

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I would imagine it wouldn't take all day.

2 MEMBER SIEBER: About 12 hours including
3 moving into position.

4 MR. MATTHEWS: Per nozzle.

5 MEMBER WALLIS: Presumably the signal --
6 everything comes out as stored information so it's
7 available at any time.

8 MR. MATTHEWS: For these particular
9 nozzles and these particular welds it is. There's
10 other inconel welds that are not done today with
11 automated techniques where that's not true. But for
12 these hot leg and the cold leg nozzles off the vessel,
13 those are typically automated exams from the ID.

14 Back on the, well I guess I've mentioned
15 the three plants that have inconel welds that are
16 doing 10 year vessel ISIs we understand geometry is a
17 very big issue here, the ID geometry in the contact of
18 the sleds. Looking at it, those three plants, the
19 inconel weld was a shop weld not a field weld and we
20 firmly believe that the ID geometry for the inconel
21 part of this weld will be in much better shape than
22 the situation at Summer. I'm not sure we have ID
23 contours but typically those shop welds are in much
24 better shape when we ID than the field welds.

25 MEMBER SHACK: Can you try to finish up in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 five minutes?

2 MR. MATTHEWS: Oh, okay I'll hurry.

3 Other things that we're recommending is
4 that we enhance the sensitivity of the boric acid walk
5 down and enhance the awareness of the operations and
6 chemistry people looking for small changes and
7 unidentified leakage and possible, or notifying them
8 where these 82/182 welds are.

9 Longer term actions of the inspection
10 committee, they need to evaluate the need for
11 alternative and new techniques and we'll be doing
12 that. We'll be looking at the evolving capabilities
13 of the vendors over the years and what new techniques,
14 if applicable, could be applied.

15 We'll be looking internationally at what
16 techniques are available. There may be something
17 overseas that some of those vendors are using, and we
18 realize we have to address in the little bit longer
19 term the geometry concerns for the ID.

20 We'll evaluate the data we get out of the
21 spring outages and feed that back in to the fall
22 plants for further recommendations.

23 Also, we'll be defining what additional
24 mock-ups are needed. We'll work with the vendors on
25 delivery systems, such as the smaller transducer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 packages or better articulating tools, and coordinate
2 the demonstration of capabilities with the PDI -- as
3 they're developing their mock-ups for qualification of
4 inspectors. That's a fall 2002 requirement that
5 bimetallic or dissimilar metal welds be examined by
6 qualified people.

7 And then through the NDE center we'll be
8 providing training and expert help where it's needed.

9 And, finally, evaluate the impact on risk
10 informed ISI.

11 But the industry experience is an integral
12 part of that risk informed ISI process, so experience
13 here will have to be factored in, and there's a
14 required feedback loop in the risk informed ISI
15 process that takes industry experience and phases it
16 back in and into the program for those plants that
17 have already implemented risk informed ISI. And
18 they'll have to be assessing that impact on their
19 programs.

20 Finally, the repair and mitigation
21 committee's running a little bit behind the others.
22 It's not quite as urgent for us to be addressing that.
23 They'll be meeting in March and they will assess the
24 need for improvements in the repair and mitigation
25 processes. That will depend to some extent on what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comes out of the assessment in the inspection
2 committee.

3 What the repair group will be looking at
4 will be prioritizing the locations based on repair
5 mitigation inspection perspective which could be quite
6 different than a safety perspective. They'll look at
7 the likelihood and consequences of a failure or a
8 leak, how difficult is it to implement a repair,
9 trying to assess where we might need to work with
10 vendors to come up with better ways to repair or
11 mitigate the situation.

12 They're going to create a matrix by
13 assessing the existing technology, look at what would
14 be involved in the qualification and demonstration of
15 a new technique, and where there's any kind of code or
16 regulatory compliance or involvement, we'll be getting
17 the NRC and the code people involved early in the
18 development of those processes.

19 What is our schedule? We've scheduled a
20 technical working meeting with the NRC on March 23.
21 In that meeting we will be going over the detailed
22 approach of the short term safety assessment and
23 hopefully by that time we will have many if not all of
24 the results available, possibly not in their final
25 form. And we'll solicit their feedback on that short

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 term safety assessment. The plan is to get that to
2 them by the end of the month.

3 We're trying to arrange a visit to the NDE
4 center by the staff. We'd be working with the staff
5 and, as Gene said, the staff has already been down and
6 audited the demonstration of the technology, or the
7 inspection tools at FTI.

8 The short term assessment inspection to be
9 completed in March. The inspection guidance, like I
10 said, I believe that was issued yesterday. Longer
11 term, the assessment inspection efforts for June time
12 frame involve evaluation of the spring 2001 inspection
13 results and assessment of all the 82/182 welds in the
14 plant, in the primary system, not just the ones that
15 we think might be the most likely.

16 And then even longer term there'll be
17 continued assessment of all the Alloy 600 applications
18 inspection and repair mitigation technology and
19 whatever research efforts we and the staff have to
20 come up with.

21 Finally, in conclusion, MRP has taken the
22 lead for the industry in developing an industry plan
23 here. We firmly believe this is not really a near
24 term safety issue because of the margin available in
25 these welds to failure of the piping. Visual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inspections for boric acid have been effective and
2 they are effective at finding leaks before there's any
3 structural integrity threatened. Pipe welds are
4 covered by defense and death approach has been
5 inherent in the nuclear industry all along, and we're
6 performing the short term assessment to demonstrate
7 that we can continue to operate.

8 MEMBER WALLIS: I want to ask you about
9 this effectiveness. Now at Summer, boric acid was
10 used to find the leak, right.

11 MR. MATTHEWS: Yes.

12 MEMBER WALLIS: Suppose it had not been
13 found for another period of time, how long can it go
14 on before something worse happens?

15 MEMBER POWERS: One, two, or more cycles.

16 MR. MATTHEWS: The leak at V.C. Summer was
17 through a very, very small pin hole where the crack
18 had finally made it to the OD and it was a very, very
19 small leak. It was 1.2 GPM. Before the crack gets
20 anywhere near a crack size that could threaten a
21 rupture of the pipe, you'll be leaking tens of gallons
22 of water per minute and you'll easily pick that kind
23 of thing up.

24 MEMBER WALLIS: Yes, but that's not really
25 addressing the first question. I mean are you saying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more visual inspections are effective, they're only
2 going to be effective if they're caught on time, early
3 enough. And if you inspect and you don't see boric
4 acid and then you wait for so long, it must not grow
5 in that period of time. How fast is it, I don't have
6 a feel for how fast it would grow if you hadn't
7 detected it.

8 MR. WAGONER: Cycles and cycles and
9 cycles.

10 MEMBER WALLIS: Many cycles before there's
11 a big leak?

12 MR. WAGONER: Yes, sir. I'm Vaughn
13 Wagoner from Carolina Power and Light. And the point
14 is that the, and I'm going to use some round numbers,
15 but a half an inch a year, okay, three-quarters of an
16 inch for an 18 month cycle. So you've got two or three
17 inches of weld metal in axial direction and it's going
18 to stop on both ends, theoretically you could run for
19 ever. So you've got numbers of two, three inches
20 that you'll be able probably to have a discernible
21 leak and you've got even in the circumferential
22 directions you've got tens of inches of flaw
23 capability before you ever get there.

24 So you've got cycles and cycles and cycles
25 of margin, even if you're in a circumferential

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 direction, which is the only one we're really worried
2 about it for a catastrophic failure. And those are
3 round numbers, but I think it's the order of
4 magnitude, I mean it's in the ballpark of what we're
5 talking about.

6 MEMBER WALLIS: Is that something the --
7 agrees with.

8 MR. WICKMAN: Keith Wickman, NRR.
9 Critical crack size both axially and circumferentially
10 are very large. Okay. So on the face of it, yes.

11 VICE CHAIR BONACA: So really boric acid
12 will be identifying those before leakage?

13 MR. MATTHEWS: No. The boric acid comes
14 from the leak.

15 VICE CHAIR BONACA: No, I understand that,
16 I'm saying that you would find it through an
17 inspection, walking down, you see boric acid and
18 that's on inspection before you find it through
19 unidentified leakage. What you're telling me is that
20 --

21 MR. MATTHEWS: That's a distinct
22 possibility. That's exactly what happened at V.C.
23 Summer.

24 VICE CHAIR BONACA: Because the growth is
25 so slow.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MATTHEWS: That's exactly what
2 happened at V.C. Summer. And we do boric acid walk
3 downs every outage and they're pretty thorough and
4 we're enhancing the awareness of the people that are
5 doing those boric acid walk downs to be sure you trace
6 it back and don't assume it was a valve. Trace it
7 back and make sure you know where it's coming from.
8 That kind of thing. So if there is a leak and it's
9 been going on for any -- or leaked out any significant
10 amount of boric acid, we feel quite confident that
11 we'll find those on the walk downs.

12 MEMBER SHACK: Coming back to Graham's
13 question though a little bit, I mean circumferential
14 cracks are a little more difficult to deal with
15 because when you have stress corrosion cracking and
16 you have residual stress pattern, you can at least in
17 fusion systems where you get very large aspect ratio
18 cracks, and he's certainly right that if you get a
19 through wall crack of X inches it will take you a long
20 time to grow that way.

21 If the crack is sort of growing at a very
22 large aspect ratio when it comes through the wall,
23 then things can get more exciting, which is why the
24 NRC hasn't allowed leak-before-break in systems that
25 have been susceptible to stress corrosion cracking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Aspect ratio I mean
2 there's a long base to the crack, a little tip up here
3 so --

4 MEMBER SHACK: Well, relatively shallow
5 and a long length. The axial flaw are really much
6 easier because they do, they butt up against the
7 stainless steel on the one end and the ferritic vessel
8 on the other, and they're sort of stuck there.

9 MEMBER WALLIS: Are they stopped forever
10 there?

11 MEMBER SIEBER: Pretty much.

12 MEMBER SHACK: Forever as long as, you
13 know, on the scale that we're interested in things,
14 yes.

15 MR. MATTHEWS: And we'd certainly find
16 those before they corroded away the nozzle from boric
17 acid from the OD I think.

18 Interim inspection guides for near to term
19 plants has been issued. We will revise that later as
20 we get more information, as we have better handles on
21 technology. The longer term assessment in the Alloy
22 600 and 182 and 82 welds in the PWR primary system and
23 including inspection repair and mitigation, we'll be
24 looking at all these things in a little longer term
25 and we intend to keep the NRC staff fully informed of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 everything we do and as we're going along.

2 Basically, any more questions. Did I do
3 it in five?

4 MEMBER SHACK: Close enough.

5 MR. MATTHEWS: Okay.

6 MR. BATEMAN: This is Bill Bateman from
7 the staff. If you don't mind I'd like to make a
8 couple of comments quickly because I know it's getting
9 close to lunch time.

10 I'm the chief of the branch that had to
11 make the decision as to what to do as the result of
12 can Summer restart or not. And at least from a code
13 perspective, the affected weld was totally replaced so
14 we got out of the code realm when they cut the whole
15 weld out and put in a whole new weld. So from that
16 perspective Summer was in compliance with the code.

17 Regarding the other two indications on the
18 cold leg, those welds, even assuming a 2:1 aspect
19 ratio did not achieve 10 percent depth in the pipe,
20 which would have required a flaw analysis by the code.
21 So by code requirements there is no requirement to do
22 a flaw analysis because the assumed depth of that eddy
23 current indication was not at a 10 percent depth.

24 However, we took the bounding crack growth
25 rate and applied it to the one-eighth inch assumed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 depth to that crack to assure that that crack would
2 not exceed the 75 percent through wall. And the time
3 we came up with was about one cycle.

4 So those are the conservatisms that the
5 staff used in coming to the conclusion that it would
6 be all right for Summer to restart. I want to try and
7 firm that up. There seems to be some skepticism I
8 think in terms of our rationale.

9 So, again, in terms of the code, there was
10 never an issue with code. Everything was totally in
11 compliance with the code, we went beyond the code and
12 basically with the bounded crack growth rate analysis
13 to make our determination.

14 And, again, with respect to the crack
15 growth rate analysis, there's not a lot of data, but
16 the data we did have we reviewed with our own
17 expertise and we went to National Lab and got their
18 advice in terms of whether or not this was a valid
19 crack growth rate, and whether or not our assumptions
20 were valid. And all the feedback we got led us to use
21 the data that we did with confidence that we would not
22 have a problem prior to an inspection after one cycle
23 of operation.

24 MEMBER SHACK: Any additional comments?

25 No. Mr. Chairman.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR BONACA: With that I think we
2 will take a break for lunch and we will come back at
3 one o'clock.

4 (Whereupon, the above-entitled matter went
5 off the record at 11:56 a.m.)
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE

This is to certify that the attached proceedings
before the United States Nuclear Regulatory Commission
in the matter of:

Name of Proceeding: Advisory Committee on
Reactor Safeguards

Docket Number: (not applicable)

Location: Rockville, Maryland

were held as herein appears, and that this is the
original transcript thereof for the file of the United
States Nuclear Regulatory Commission taken by me and,
thereafter reduced to typewriting by me or under the
direction of the court reporting company, and that the
transcript is a true and accurate record of the
foregoing proceedings.



John Mongoven
Official Reporter
Neal R. Gross & Co., Inc.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

**DISCUSSION OF V.C. SUMMER
TECHNICAL REVIEW
AND
GENERIC ACTIVITIES**

ACRS MEETING
MARCH 2, 2001

C. E. CARPENTER
NRR:DE:EMCB

STAFF'S REVIEW

- Staff Performed Independent Evaluation of Licensee's Assessment of "B" and "C" Nozzle Welds
 - "Integrity Evaluation for Future Operation: Virgil C. Summer Nuclear Plant Reactor Vessel Nozzle to Pipe Weld Regions," dated December 26, 2000 (WCAP-15615, Revision 1)
 - Provided Results of Westinghouse's UT & ET Examinations of Nozzle to Pipe Welds for Loops "A," "B," and "C"
 - Provided Flaw Evaluation Proposing That Summer Could Be Operated for Two Fuel Cycles Without Repair of Existing ET Indications on "B" & "C" Hot Leg Nozzle Welds

STAFF'S REVIEW (con't)

- Staff's Review Found Summer Could Be Operated with ET Indications in "B" and "C" Hot Leg Welds for 1 Cycle
 - Used Bounding PWSCC Crack Growth Rate and Flow Stress for Weld Material, and Initial ET Indication Length & Inferred Depth
 - Used Bounding CGR Due to Limited Crack Growth Rate Data for Alloy 82/182 Material
 - Evaluation Issued February 20, 2001

ONGOING ACTIVITIES

- Staff Is Reviewing Similar Cracking in Foreign Reactors
 - Root Cause of Summer and Ringhals Cracking is PWSCC
 - Investigating Reports of Other Foreign Cracking

ONGOING ACTIVITIES (con't)

- **Staff Assessing:**
 - **Generic Implications and Industry Activities**
 - **Implications on Leak-Before-Break (LBB) Analyses**
 - **Implications on ISI (Deterministic and Risk-Based) Programs**
 - **Ability of ASME Code-Required NDE to Detect and Size Small ID Stress Corrosion Cracks (Effect of Surface Condition)**
 - **Appropriateness of ASME Code Standards Allowing Flaws up to 10% of Wall Thickness Without Evaluations Given Apparent High CGR**
 - **Effectiveness of RCS Leak Detection Systems**

GENERIC ACTIVITIES

- Staff Proposing Confirmatory Research into PWSCC Cracking Issue to Include:
 - NDE / ISI Issues
 - Determination of Bounding CGR and Residual Stresses
 - Development of Susceptibility Model
 - Assessment of Possible Repair / Mitigation Methods
 - Following Industry Activities

GENERIC ACTIVITIES (con't)

- PWROGs Have Proposed Industry Initiative to Respond to PWSCC Cracking Issue
 - PWR Materials Reliability Program (MRP) Alloy 600 Issue Task Group (ITG) Addressing Assessment, Inspections and Repair/Mitigation
 - Met with Staff (January 25 & February 16) to Discuss Industry Plans to Respond to Cracking Issue
 - Staff Observed Inspection Mock-up at MRP Vendor Site
 - Future Technical & Management Meetings Planned

STAFF EXPECTATIONS

- Staff Expectations of Generic Activities
 - MRP Assessment of Generic Susceptibilities
 - NDE Methodologies / Tooling Should Make Use of Best Practices and Capabilities to Address Potential Weaknesses
 - Potential Code Cases
 - Implication for ISI & LBB
 - Long Term Assessment of Alloy 82/182 Applications
 - Review of Repair/Mitigation Methods

Industry Response Alloy 82/182 Weld Cracking

ACRS Briefing – March 2, 2001

**Materials Reliability Program
Alloy 600 Issue Task Group (ITG)**

**Larry Mathews, SNC, Chairman
Al McIlree, EPRI Project Manager**

Industry Response to Generic Implications



- **MRP A600 ITG has taken the lead in developing the industry plan**
 - VC Summer event Oct, 2000
 - Root Cause Information early Dec, 2000
 - IIG Recommended Industry Program mid Dec.
- **Executive approval early Jan, 2001**
 - Developed organization
 - Developed detailed plan and budget
- **ITG organized 1/19/01 to address key focus areas**
 - Assessment Committee
 - Inspection Committee
 - Repair/Mitigation Committee

Industry Response to Generic Implications

- **1/25/01 Meeting with NRC**
 - Outline approach
 - Solicit feedback
- **2/1/01 Initial meetings of Inspection and Assessment Committees**
 - develop plan, schedule, and budget
- **2/16/01 MRP/NRC Executive Management Meeting**
- **3/23/01 Technical meeting with NRC staff - scheduled**

MRP Status March 2, 2001

- **The industry plan includes:**
 - **Short term assessment to demonstrate that continued operation with Alloy 82/182 welds is acceptable, by late March.**
 - **Interim inspection guidance for near term outage plants - Complete**
 - **Longer term assessment of all Alloy 82/182 applications in PWR primary systems**
 - **Review and improvement of inspection technology**
 - **Review of repair/mitigation methods and improvement if necessary**
- **Endorsement of plan by Senior Representatives is anticipated at their meeting on 03/09/01**



Assessment Committee Activities

- **Short Term Safety Assessment**
 - **Identify areas likely to be most susceptible**
 - » Evaluate size, temperature, and weld materials
 - » W and CE – likely to be hot leg pipe welds
 - » B&W – likely to be CRDM nozzle welds
 - **Demonstrate that most cracks will be axial, or axial-radial in case of CRDM nozzle welds**
 - » Domestic and international experience with similar welds
 - » Finite element stress analysis including welding residual and operating stresses

Assessment Committee Activities (cont.)

- **Short term Safety Assessment (cont'd)**
 - **Demonstrate large tolerance for axial flaws**
 - » Stress analyses indicate preference for axial cracking
 - » Flaw limited to axial length of pipe weld
 - » Flaw limited to J-groove and nozzle thickness for CRDM welds
 - » Limit load and fracture mechanics analyses will show large margin
 - **Demonstrate large tolerance for circumferential flaws**
 - » Leakage will be detected from partial-arc flaws while there is still large margin on limit load

Weld Assessment Technical Approach (cont.)

- **Short term Safety Assessment (cont'd)**
 - Pipe weld failures are covered by Defense-in-Depth (pipe failure has been analyzed in the SARs)
 - Visual inspections for boric acid have been effective in identifying leaks well before any structural margins are affected

Weld Assessment Technical Approach (cont.)

- **Longer Term Action**
 - Complete scope definition
 - Evaluate generic applicability
 - » Finite element analyses, including operating and residual stresses
 - Assess safety significance
 - Prioritize locations based on safety significance, NDE capabilities, and actual experiences
 - Determine inspection requirements
 - Develop consistent flaw evaluation guidelines
 - Assess research needs and oversee tasks
 - » Coordination with ongoing CGR work

Inspection Committee Activities

- **Short Term Inspection Guidance**
 - **Develop consistent inspection approach**
 - » ID UT still considered best available technique
 - » Considered adequate for upcoming spring outages
 - » Demonstrations on EPR mockup
 - **Enhanced awareness of inspectors to signal anomalies**
 - **Review previous inspection data for geometry, signal quality, etc.**
 - **Enhanced sensitivity for boric acid walkdown**
 - » Visual inspections are effective
 - **Enhanced awareness of Operations/Chemistry personnel during operation**

Inspection Committee Activities (cont'd)

- **Longer Term Actions**
 - **Evaluate need for alternate/new techniques**
 - » Evolving Vendor capabilities
 - » International capabilities
 - » Geometry concerns
 - **Evaluate Spring Inspection results/feedback to Fall plants**
 - **Define additional mockup needs**
 - **Work with vendors on delivery systems**
 - **Coordination of demonstrations with current App. VIII actions**
 - **Provide training/expert help to utilities**
 - **Evaluate impact on Risk Informed ISI**

Repair/Mitigation Committee

- **Need for repair/mitigation improvements depends on Assessment and Inspection Committee findings**
- **Prioritize from repair/mitigation/inspection perspective**
 - **Likelihood/consequence of failure**
 - **Implementation difficulty**
 - **Cost and dose**
 - **Material availability**
- **Create a repair/mitigation matrix**
 - **Assess existing technology**
 - **Qualification and demonstration**
 - **Code and regulatory compliance/involvement**

Schedule

- **Technical working meeting with NRC, March 23, 2001**
 - **Describe detailed approach**
 - **Discuss preliminary findings**
 - **Solicit feedback**
- **Arrange NRC visit to NDE Center**
- **Short term Assessment/Inspection effort completed in March**
 - **Safety Assessment of Alloy 82/182 welds**
 - **Inspection guidance for Spring 2001 outages**
- **Longer Term**
 - **Assessment/Inspection efforts for June**
 - » **Evaluation of Spring 2001 inspections**
 - » **Assessment of all Alloy 82/182 welds**
 - **Continued assessment of all Alloy 600 applications, inspection and repair/mitigation technology, research efforts**

CONCLUSIONS

- **MRP A600 ITG has taken the lead in developing the industry plan**
- **Not a near term safety issue**
 - **Visual inspections for boric acid are effective**
 - **Pipe weld failures are covered by Defense-in-Depth (pipe failure has been analyzed in the SARs)**
 - **Short term assessment to demonstrate that continued operation with Alloy 82/182 welds is acceptable, by late March**
- **Interim inspection guidance for near term outage plants - Complete**
- **Longer term assessment of all Alloy 600 and Alloy 82/182 applications in PWR primary systems, including inspection, repair, and mitigation**
- **Will continue to keep NRC informed**

V. C. Summer Reactor Coolant System “A” Hot Leg Crack

ACRS Meeting
March 2, 2001

V. C. Summer

ACRS Meeting
March 2, 2001

- V. C. Summer Background -- Karen Cotton
- Discussion of Technical Review and future activities -- Gene Carpenter
- Materials Reliability Program -- Larry Matthews
- Billy Crowley -- Special Inspection Team Leader
- Steve Doctor, Ph.D -- Special Inspection Team Member

History

- **October 7:** Discovery of boron deposits
- **October 13:** Liquid penetrant test revealed (PT) 4-inch indication on the “A” hot leg (later determined to be surface only)
- **November 6:** Ultrasonic testing (UT) and eddy current testing (ECT) revealed an axial crack approximately 2½” long with a “weep hole” exit point

V. C. Summer Activities

- Designated an evaluation and repair team
- Assembled a team of industry experts
 - ▶ Initiated Root Cause analysis
 - ▶ Researched Repair alternatives

V.C. Summer Activities Cont'd

- Established Completion Goals
 - ▶ Plant will be safe for start up:
 - Pipe and weld(s) meet code requirements
 - Repair will bound probable failure scenarios
 - Commonalities are addressed in the other welds
 - ECT indications found in 5 of 6 nozzle welds
- Developed a Communications Plan
- Licensee Commitments
 - ▶ To enhance their leak detection procedures
 - ▶ To inspect the 'B' and 'C' hot leg welds in Refueling Outage 13
 - ▶ To inspect all nozzle-to-pipe welds in Refueling Outage 14

NRC Activities

- Special Inspection Team (SIT) chartered
- Communication Plan developed
- Communication Team formed
- Summer Event Website developed
- Issued
 - ▶ Information Notice 2000-17 -- October 18, 2000
 - ▶ Supplement 1 -- November 16, 2000
 - ▶ Supplement 2 -- February 28, 2001
- Safety Evaluation of WCAP issued 02/20/01
 - ▶ Evaluation of the 'B' and 'C' hot leg welds

NRC Activities (Cont'd)

- Held five public meetings:
 - Atlanta - October 25, 2000
 - Washington - November 21, 2000
 - Atlanta - December 20, 2000
 - V. C. Summer Site - January 18, 2001
 - V. C. Summer Site - February 15, 2001 (public SIT Exit meeting)

Licensee's Root Cause Determination

- The construction weld process of grinding out the inside of the weld with a bridge pass in place created high welding residual stresses in the material (Alloy 182/82) susceptible to primary water stress corrosion cracking (PWSCC)

Special Inspection Team (SIT)

- **Inspection Objectives:**

- ▶ To verify that the corrective actions activities were appropriate.

- **Inspection Scope:**

- ▶ To review and/or observe licensee activities relative to root cause determination and corrective action.

SIT Cont'd

■ Inspection Activities

- ▶ Reviewed the licensee overall corrective actions
- ▶ Reviewed original construction records, previous PSI and ISI records
- ▶ Observed current welding and NDE activities
- ▶ Two trips to Westinghouse to review metallurgical analysis of the spool piece removed from the 'A' hot leg weld

SIT Findings

- Root Cause analysis was found acceptable
- All welding and NDE activities met Code requirements