

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Commission Meeting with Advisory Committee
on Reactor Safeguards

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Friday, May 11, 2001

Work Order No.: NRC-207

Pages 1-91

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

COMMISSION MEETING WITH
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
(ACRS)

+ + + + +

FRIDAY

MAY 11, 2001

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Commission met with the Advisory
Committee on Reactor Safeguards at the Nuclear
Regulatory Commission, One White Flint North, Room
01F16, 11555 Rockville Pike, Dr. Richard A. Meserve,
Chairman, presiding.

PRESENT:

- | | |
|------------------------|--------------|
| RICHARD A. MESERVE | Chairman |
| NILS J. DIAZ | Commissioner |
| EDWARD McGAFFIGAN, JR. | Commissioner |
| JEFFREY S. MERRIFIELD | Commissioner |

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I-N-D-E-X

<u>AGENDA ITEM</u>	<u>PAGE</u>
Introduction, NRC Chairman, Dr. Richard A. Meserve	3
Presentations, Advisory Committee on Reactor Safeguards	
Overview of Topics and Near-Term Activities, Dr. George Apostolakis	5
1. Proposed Framework for Risk Informed Changes to 10 CFR Part 50, Dr. William Shack	6
2. South Texas Project (STP) Exemption Request, Mr. John Sieber	13
3. Thermal-Hydraulic Codes, Dr. Graham Wallis	23
4. Status of Steam Generator Issues, Dr. Dana Powers	29
5. Status of ACRS Activities on License Renewal, Dr. Mario V. Bonaca	37
Commission Questions to the Presenters	44
Closing Remarks	91

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(10:29 a.m.)

1
2
3 CHAIRMAN MESERVE: Before we get started
4 on the formal part of our proceeding, I am pleased to
5 announce the appointment of Dr. F. Peter Ford as the
6 newest Member of the Advisory Committee on Reactor
7 Safeguards.

8 Dr. Ford brings to the Committee 40 years
9 of experience in the power generation and materials
10 processing industries as a consultant and manager. He
11 recently retired from General Electric Company where
12 his contributions included development of life
13 prediction methodologies for structures exposed to
14 stress corrosion fatigue.

15 Dr. Ford received his Master of Science
16 degree from Rensselaer Polytechnic Institute and his
17 doctorate from Cambridge University in the United
18 Kingdom. I'm sure that his experience and knowledge
19 will be a valuable asset to the Committee and on
20 behalf of the Commission I would like to welcome Dr.
21 Ford.

22 There is a certain protocol associated
23 with these events and it does include the presentation
24 of a certificate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Dr. Ford, if you'll come forward. Why
2 don't my colleagues stand and join me.

3 I have a suitably framed certificate for
4 you.

5 (Photographs are taken.)

6 CHAIRMAN MESERVE: Thank you. Welcome.
7 On behalf of the Commission, I would like to welcome
8 all of you to today's meeting with the Advisory
9 Committee on Reactor Safeguards. The Commission met
10 with the ACRS in October of last year and we discussed
11 a range of issues including, as I recall,
12 risk-informed regulation, thermal-hydraulic codes,
13 spent fuel safety and a variety of other subjects.
14 After the meeting, the Commission requested that the
15 ACRS expand this discussion on some of the problems
16 with thermal hydraulic codes and we have received that
17 letter and I know that's an area that we'll be dealing
18 with later today.

19 Since our last meeting, the Committee has
20 continued its activities in risk-informed regulation
21 and various aspects of license renewal and has
22 considered a number of other issues. One of the most
23 important was a comprehensive review of steam
24 generator performance which will also be discussed
25 this meeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I'd like to, on behalf of the
2 Commission, express our appreciation to you for your
3 efforts and to indicate that we very much welcome our
4 capacity to interact with you today.

5 Let me say before we get started that I
6 have recently learned that Tom Kress has recently been
7 elected a Fellow of the American Nuclear Society. On
8 behalf of the Commission, I'd like to express our
9 congratulations to him for what I know is a richly
10 deserved honor.

11 Dr. Apostolakis, you may proceed.

12 DR. APOSTOLAKIS: Thank you, Mr. Chairman.
13 It's a pleasure for the Committee to be here and have
14 the opportunity once again to discuss our
15 recommendations and conclusions that we sent to you in
16 writing, to discuss them with you.

17 We have five items with you today to
18 discuss: proposed framework for risk-informed changes
19 to 10 CFR Part 50, the South Texas Project Exemption
20 Request Option 2, thermal-hydraulic codes, status of
21 steam generator issues and status of ACRS activities
22 on license renewal.

23 I'd like to point out that we have
24 actually sent you letters or reports on four of these
25 items and the fifth one, the South Texas Project

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Exemption Request we have not written a report, so you
2 will hear some preliminary thoughts and maybe we can
3 blame Mr. Sieber for some of the opinions that will be
4 expressed.

5 I propose that since we have five issues
6 to discuss we use a uniform distribution and spend 20
7 minutes on each, unless, of course, you want to change
8 it. We'll spend about 20 minutes on each subject.

9 CHAIRMAN MESERVE: Ten minutes for the
10 presentation and then we'll --

11 DR. APOSTOLAKIS: Yes, ten and ten.

12 CHAIRMAN MESERVE: And then what we'll do
13 is we'll go through the --

14 MR. MCGAFFIGAN: That was not risk
15 informed.

16 DR. APOSTOLAKIS: It was very risk
17 informed.

18 Okay, so we start with framework for risk
19 inform changes to 10 CFR Part 50 and Dr. Shack will
20 make the presentation.

21 [Slide change.]

22 DR. SHACK: We sent you an ACRS report
23 dated November 20th concerning the proposed Option 3
24 framework document and there are a number of important
25 elements in that document that I really won't be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussing the whole document this morning. There are
2 two elements I would like to focus on.

3 One of the important things that the
4 framework provided was guidance for the prioritization
5 of candidate regulations to be risk informed. The
6 second element that I'll probably focus on is the
7 guidance that it provided on the use of defence in
8 depth in a risk-informed regulatory system. This has
9 been a topic that's been of considerable interest to
10 the ACRS.

11 Reg. Guide 1174 which has provided
12 guidance for much of the application and development
13 of risk-informed regulation states an intent to
14 maintain the defense in depth philosophy and provide
15 some helpful discussion on the role of defense in
16 depth to its relationship to uncertainty.

17 The framework document provides further
18 development of how defense in depth is used in a
19 risk-informed regulatory system. The important thing
20 for to know is that it includes some elements of
21 defense in depth that are employed independent of risk
22 insights which in ACRS terminology, the Commissioners
23 don't always appreciate the structuralist point of
24 view.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But then it looks at additional assessment
2 of defense in depth elements such as redundancy and
3 diversity and safety margins and emphasizes that they
4 can be qualitatively evaluated in PRAs in terms of
5 safety functions, success probabilities and can be
6 quantitatively assessed in terms of the degree of
7 uncertainty one has on the prediction of safety
8 outcomes.

9 There's also another important difference
10 I would like to bring up that becomes important here
11 in using Reg. Guide 1174 where you're assessing the
12 change in risk for a particular licensee who brings in
13 a request for a proposal change to his licensing
14 basis. There, you have a rather good handle on the
15 kind of changes and risk that are involved because
16 you're dealing with a license and his plants.

17 In Option 3, you have to consider the
18 changes and you have to, in a sense, anticipate the
19 changes and risks that may occur in a much broader
20 class of plants, when you're changing an overall
21 regulation that applies to the whole regulatory
22 system.

23 Now the framework document essentially
24 proposes in risk informing the regulations we maintain
25 defense in depth by maintaining a balance between

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 prevention and mitigation and so they talk about
2 attempts to limit the frequency of initiating events,
3 limit the probability given initiating eventual
4 proceed to core damage and if core damage occurs,
5 you'll have essentially ways to mitigate that release
6 to the public and prevent release to the public.

7 The framework provides some important, not
8 only requests that you provide that balance, but it
9 provides quantitative guidelines that essentially
10 state the goal of the balance should be as you're
11 trying to formulate the regulations, and these are
12 described in terms of a CDF guideline of 10^{-4} per
13 reactor year, a conditional large early release
14 frequency of .1 and a conditional probability of large
15 late release of .1, so in a sense there are three risk
16 matrices that are sort of introduced in the framework
17 document.

18 I would note, for example, 1174 doesn't
19 explicitly mention the late containment failure
20 probability criterion, but that came an important
21 element in discussion of the South Texas Exemption
22 Request where one was trying to use risk information
23 to categorize risk significant components and again,
24 the question was whether one did that strictly on the
25 basis of a CDF and LERF which are really the large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 early release, but whether you would also have to
2 consider the large late containment failure, which
3 again is described in the framework document.

4 I looked back over our report from
5 November and discovered that we weren't very explicit
6 in there, but the Committee does support the approach
7 taken in the framework document that the regulatory
8 system should maintain at this high level a balance
9 between prevention and mitigation and that the
10 quantitative guidelines suggested in the framework are
11 reasonable and consistent with the safety goals.

12 We did have some -- again, I think as one
13 applies this one, we'll gain some experience. We had
14 some comments on some of the definitions of initiating
15 events that were given in the framework document.

16 We're also concerned that although we
17 believe the structuralist approach is appropriate at
18 the high level that it's introduced into the framework
19 document, we would like to emphasize that defense in
20 depth measures at the lower levels should not be
21 imposed except when they're significant on certainties
22 and one should really try to address the level of
23 defense in depth through the quantification of the
24 uncertainties.

25 The other important activity in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 risk-informed regulation that's come before us is the
2 subcommittee meeting that we held to discuss risk
3 informing 10 CFR 50.46 concerning the emergency core
4 cooling system.

5 As you know, industry is proposing to use
6 leak before break and probabilistic fracture mechanics
7 to define a new large break loss of coolant accident
8 that would be considerably smaller than the
9 double-ended guillotine break that is the current
10 design basis accident for the large break LOCA. And
11 again, the suggestions are that it could be something
12 on the order of a 6 to 8 inch diameter.

13 I would point out that the NRC has used
14 leak before break arguments before in assessing the
15 dynamic effects of pipe break. It has accepted them
16 for a certain class of systems.

17 A lot of discussion at the subcommittee
18 meeting, I think both the staff and the industry
19 recognized that there are substantial benefits that
20 could be obtained by redefining the large break LOCA.
21 Most of us agree, for example, it introduces
22 unrealistic start up requirements for emergency diesel
23 generator systems and in fact, these requirements may
24 be counter productive to safety.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 However, although the staff has accepted
2 the leak for break arguments in the context of dynamic
3 loads, they made the argument in the context of the
4 change as fundamental as 10 CFR 50.46 that one would
5 need a much more careful assessment of the
6 uncertainties associated with the leak before break
7 argument, especially in light of the recent incidents
8 of stress corrosion cracking in the primary piping
9 system seen at Summer and Ringhals in Sweden. In the
10 original application of leak before break, it was
11 assumed that stress corrosion cracking would not occur
12 in PWR primary piping systems and that the leak before
13 break was not accepted in systems that were
14 susceptible to stress corrosion. Because of the
15 potential that stress corrosion cracking has for
16 leading to large circumferential cracks in some cases
17 that are difficult to detect by leakage before
18 failure.

19 This is a matter of considerable
20 discussion. Again, I would note one thing that I
21 thought was rather interesting in the industry's
22 proposal, as I mentioned, one of the difficulties in
23 dealing in Option 3 is to assess the impact of all the
24 changes that would be made in terms of a large class
25 of plants and I thought the industry proposal to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 revise the large break LOCA definition, only to permit
2 the NRC to evaluate an appropriate large break for a
3 plant or a class of plants so in fact, one would not
4 have to deal with all the implications at once, but
5 once one had established a process for defining the
6 large break systems, one could then evaluate the
7 changes in risk on a smaller, more manageable class of
8 plants.

9 We'll be continuing meeting in our
10 upcoming June meeting, have further discussions on
11 50.46 and see how that's progressing and we do plan to
12 issue a report on the June meeting. We expect to have
13 an Options paper from the staff describing their views
14 on how to proceed on 50.46 and compare that with the
15 industry proposals at that time.

16 CHAIRMAN MESERVE: Why don't we proceed
17 and do a few more of these and then go to questions?

18 DR. APOSTOLAKIS: The next presentation is
19 by Mr. Sieber on South Texas Project Exemption
20 Request.

21 MR. SIEBER: Good morning. During this
22 presentation, I plan to give you an update on the
23 progress of Option 2 to risk-informed Title X, Part 50
24 of the Code of Federal Regulations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Option 2 is exemplified by the application
2 of the South Texas Project, which I will refer to as
3 STP in the future, to be exempted from a number of
4 regulations under Title X ranging from Part 21 which
5 is the definition of a basic component, all the way to
6 Part 100, but the bulk of which are in Part 50.

7 And these exemptions would apply to
8 components at STP that are not contributors to risk
9 for their licensed facilities.

10 The request for exemption is important to
11 STP because they believe it could reduce their costs
12 of operation, while not reducing safety, but as in the
13 case of every application of risk information to the
14 operation of the plant, the balance goes both ways.
15 You may be able to eliminate some requirements or you
16 may find risk-significance that were previously not
17 treated by the current regulation in some components
18 where then the special treatment would have to be
19 upgraded. This was the case at STP. They were able
20 to eliminate, recategorize some components as being
21 not risk-significant, but other components that were
22 not currently listed as safety related, were
23 identified because they are risk-significant and
24 therefore, there's two approaches that need to be
25 taken in this instance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The nuclear industry is watching the
2 progress of the STP exemption requests and hopes that
3 it may be applied to other licensees. And the
4 industry hopes that the STP exemption request will
5 become a template for future licensing actions for the
6 remainder of industry licensees who choose to submit
7 requests for it.

8 The STP exemption request has been on the
9 docket one way or another for almost two years now,
10 and in fact, this request has a lot of complexity to
11 it.

12 [Slide change.]

13 MR. SIEBER: In my next slide we
14 illustrate the fact that parts of 11 regulations are
15 affected, resulting in something on the order of 19
16 different sections of these 11 regulations that need
17 to be changed or modified to accommodate the exemption
18 request.

19 That, to me, makes this process a very
20 complex, legal process. The next slide I would like
21 to describe a little bit about the licensees'
22 facilities. My background is in plant operations and
23 maintenance and therefore any time I see a nuclear
24 power plant I like to know a little bit more about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The STP plants are twin-unit plants. They
2 are of recent commercial operation. They went into
3 commercial operation in 1988 and there are four loop
4 plants, 1250 megawatts apiece and they have large, dry
5 containments.

6 Another feature that I would point out
7 which I think is important from a risk standpoint is
8 these units have three safety trains as opposed to the
9 two normally required by the regulations. And
10 therefore, from a risk standpoint this plant has a
11 good posture.

12 In addition to that, another attribute of
13 the licensee is that they have a comprehensive,
14 up-to-date probabilistic risk assessment for that
15 plant that is basically a state-of-the-art and
16 probably one of the leading PRA documents and results
17 in the industry. So that makes the use of that PRA as
18 a reliable source of risk information.

19 [Slide change.]

20 MR. SIEBER: Slide 4, I talk a little bit
21 about the purpose of the exemption request and
22 basically the purpose is to identify components that
23 are important to safety from a risk standpoint and
24 eliminate components not important to safety from
25 special treatment requirements including 10 CFR 50

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Appendix B. And then secondly, to identify non-Q and
2 that is a colloquial term which means
3 non-safety-related or not a basic component as defined
4 in Part 21, but they want to identify non-Q components
5 that are risk significant and this is the case where
6 special treatment would be increased.

7 There are two important processes that go
8 on in the process of implementing risk information to
9 the exemptions that are requested by STP. The first
10 is the categorization of components and secondly, what
11 kind of special treatment will be provided to the
12 various categories of components.

13 [Slide change.]

14 MR. SIEBER: In the next slide, I'd like
15 to give you a little perspective, again, from an
16 operating standpoint of what we're talking about in
17 terms of numbers related to components in a nuclear
18 power plant.

19 A two-unit plant like this one will
20 probably have about 80,000 components that have MARK
21 numbers in it. And they will be in roughly 65
22 operating systems in the plant. Of the 65 systems, 29
23 serve some safety function and in those 29 systems,
24 you have about 44,000 components and the number of
25 components that are on the plant's Q-List or are basic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 components is about 17,000, so we're actually talking
2 about a lot of components here.

3 Now when you take the PRA and do a PRA
4 analysis of the plant, that -- the PRA considers only
5 those components that potentially would have risk
6 significance and that amounts to about 2400 components
7 in a plant this size. So we now are able to analyze
8 2400 out of the 80,000 that are basically there.

9 That amounts to about, in the next slide,
10 about 6 percent of the total components that are
11 potentially risk significant and so the PRA
12 categorization process is responsible for 6 percent
13 and 94 percent must be done by an expert panel through
14 a methodology.

15 The outcome of both the operation of the
16 PRA categorization and the expert panel is shown on
17 the next slide, which is Slide 17.

18 [Slide change.]

19 MR. SIEBER: And they have developed a
20 two-by-two matrix into which they bin all the
21 components in these 29 systems. And the results of
22 that binning is that 3,810 are about 8 percent of the
23 components that were identified as nuclear safety
24 related are also risk significant. If you look at the
25 two-by-two matrix, across the top, which is Boxes 1

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and 2, those are the ones that are either the PRA or
2 the expert panel determined to be risk significant.
3 Boxes 3 and 4 are the components that were determined
4 by unit process to be not risk significant. Boxes 1
5 and 3 vertically are nuclear safety related. Boxes 2
6 and 4 are not nuclear safety related.

7 When you look at this matrix, you can see
8 that Box 1 is not a regulatory concern because they
9 previously were basic components, they're risk
10 significant so special treatment does not change for
11 those. Box 4 is not nuclear safety related and not
12 risk significant, so nothing changes for those
13 components that they can use standard commercial
14 practice. Box 2, on the other hand, is not new
15 classified as nuclear safety related, but those
16 components are risk significant, so special treatment
17 will have to be upgraded to nuclear safety related
18 treatment to the extent practicable. And that amounts
19 to 372 components. And the bigger question then
20 occurs when we discuss Box 3, which by previous
21 regulations or current regulations, they are nuclear
22 safety related components, but their risk significance
23 is minimal. And so the question becomes what kind of
24 treatment in the design, purchase, operation,
25 maintenance and all of the other 18 criterion in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 appendix B should be applied and to what extent to
2 these components in that process.

3 And then, of course, the licensee would
4 like to use what they call commercial practice and
5 there is such a thing as commercial practice to apply
6 to these components. My personal opinion is I've
7 worked in nuclear plants for 40 years, including a
8 couple of side trips into coal plants and oil-burning
9 plants and gas plants and commercial practice to me is
10 sort of in the eyes of the beholder. If you look at
11 commercial standards, there are a lot of
12 recommendations and may or should, but not very many
13 thou shall do this or thou shall do that. And so the
14 idea is what benefit do you get out of commercial
15 standards when there is a wide range of application
16 that can be provided.

17 Now the regulatory expectation for these
18 low risk, but otherwise safety related components is
19 that they remain functional, but perhaps not at the
20 level of quality and reliability that a component
21 would have if it got the full treatment. That means
22 that the license just can't abandon all together or
23 fail to maintain these components because the
24 expectation is that they remain functional.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Therefore, it's the staff's opinion and
2 mine that there has to be some description of what
3 commercial practice really means and the best place to
4 put it is in the FSAR and two approaches can be taken.
5 One is very prescriptive which basically freezes in
6 stone what this licensee and every other licensee
7 could or must do, or another way to do it is to
8 performance-base the expectation and the staff leans
9 to using the performance based method at this point.

10 [Slide change.]

11 MR. SIEBER: Now I consider in the next
12 slide three important elements related to risk
13 informing Part 50 under Option 2. The first is you
14 need to have a robust probabilistic risk assessment
15 and South Texas Project certainly has that. To me,
16 that means comprehensive at a Level 3 to be able to
17 answer all the questions that are involved in decision
18 making and also up to date. And so that exists in
19 this case.

20 The second thing that is the proof of the
21 pudding as far as categorization is concerned is some
22 sensitivity studies. And the sensitivity studies
23 basically take those components that are not risk
24 significant, according to the categorization process

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and multiply their failure probabilities by a factor
2 of 10.

3 Now they chose a factor of 10 to simulate
4 the degradation that could possibly occur when they
5 moved from nuclear safety related treatment to
6 commercial practice treatment. And then once they do
7 that, then they reanalyze using the probabilistic risk
8 assessment and compare the results and change in CDF
9 to Reg. Guide 1.174. And if, in fact, this reanalysis
10 of this sensitivity study shows that there is minimal
11 change in risk, then the categorization is reliable.

12 Now obviously, 94 percent of the
13 components aren't even in the PRA. They aren't
14 modeled that way and so how can you evaluate those?
15 Well, the reason why they aren't in the PRA is that
16 they aren't risk significant because PRA represents
17 all the reasonable success paths to prevention and
18 mitigation of accident scenarios. And so they almost
19 by definition are not risk significant. And
20 therefore, it's possible to categorize them that way
21 without further work.

22 Lastly, the third important element that
23 I think should be in this process is a documented
24 treatment process. Whether it's proscriptive or
25 performance based, there has to be some measure to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provide a reasonable assurance that the components in
2 Box 3 will remain functional.

3 Now the question is where do we go from
4 here?

5 [Slide change.]

6 MR. SIEBER: In my last slide, I can say
7 that this process and the work by the staff and the
8 licensee is nearly completed. The ACRS has not
9 written a letter on it yet because there's some
10 documents that need to be finalized, including the
11 safety evaluation report, final resolution of some
12 open items and the documentation that will be included
13 in the FSAR on commercial treatment. Once that's done
14 which we expect will occur in perhaps July, then the
15 ACRS will write a letter on this whole process and
16 these specific exemption requests.

17 In my personal opinion right now, I see no
18 show stoppers that the ACRS would report, even though
19 there has been plenty of discussion among us and so
20 there are things to talk about. So that, in
21 conclusion is my presentation on the South Texas
22 Project.

23 DR. APOSTOLAKIS: Would you like to
24 proceed, Mr. Chairman?

25 CHAIRMAN MESERVE: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: The next presentation is
2 on thermal-hydraulic codes by Dr. Wallis.

3 DR. WALLIS: As the Chairman mentioned
4 earlier in his introduction, this topic was one of our
5 topics at the last meeting we had. Since then we've
6 written three letters. We've met with three code
7 owners and we've also had extensive discussions with
8 the staff.

9
10 The thermal-hydraulic codes have been
11 around for a long time. They have proved very useful
12 for regulatory requirements and in the past they've
13 required that the staff carefully examine each code
14 for each application, use professional judgment and be
15 assured that the positions of the code were
16 sufficiently conservative, that safety was preserved.

17 With the move toward the use of codes for
18 a more realistic sense and less conservatism that we
19 take the code as predicting what really happens, not
20 some extreme case. There are greater demands on the
21 codes. How the code originates is to show that the
22 codes are good. And this requires, in many cases that
23 the documentation be improved to justify what is in
24 the code and also that a measure of this goodness be
25 provided. Then the rational measure of goodness is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how accurately do the predictions represent reality
2 and the measure of this is a measure of uncertainty
3 and therefore, the realistic codes, the evaluation of
4 realistic codes requires that we have definitive
5 criteria for assessing this uncertainty.

6 One of the things that has happened in the
7 last few months that the ACRS strongly supports is
8 that the NRC staff has obtained and exercised the
9 applicants thermal-hydraulic codes themselves so they
10 don't have to rely on extensive give and take with the
11 applicant. There's less of the -- figure out which
12 question to ask, waiting until it's answered and then
13 going back and ask another question. We see this as
14 being much more efficient process and also adding
15 confidence and that the staff can use the code itself
16 rather than relying on what's supplied by an
17 applicant.

18 I'd like to point out to the Commission
19 that we have met with Westinghouse on the important
20 issue of AP1000, but we have not yet got to the point
21 of examining the codes and Westinghouse has not yet
22 agreed to supply them to the staff for exercising by
23 the staff.

24 In one of our letters to you, we addressed
25 the question of the impact of codes on the performance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 goals. I'll just a little bit about that and in terms
2 of maintaining safety, we pointed out that we don't
3 have a good measure of code uncertainties, then there
4 may be safety questions raised, for instance, if the
5 code is predicting that the core is covered in some
6 accident sequence, but because of uncertainties,
7 there's a probability which is not insignificant, that
8 the core may be covered, then the questions are raised
9 about does this have an impact on safety. So we have
10 to have a good understanding of these uncertainties.

11 In the area of public confidence, these
12 codes, even if proprietary, eventually are seen by
13 practicing engineers, by researchers in universities
14 and essentially it informs the technical public and
15 when this informed technical public sees what's in
16 these codes, they should get a feeling that the
17 quality is good, that there are not errors or
18 assumptions which they would be led to question.

19 In the area of efficiency and
20 effectiveness, it's quite clear that if the
21 documentation is poor, the validation is not extensive
22 and the assessment is insufficient, then there's a lot
23 more work for the staff and the applicant to go
24 through before the staff can be assured that the code

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is good enough. And in the extreme case, there may be
2 a requirement for additional experiments.

3 Another aspect of this is that if the
4 staff is not comfortable with the code they will tend
5 to impose a lot of restrictions on its use and this
6 imposes additional burden on licensees. Licensees
7 have to do a lot more work to justify why the code
8 should be used for their particular application and
9 this could perhaps be alleviated if the documentation
10 and assessment were better in the first place.

11 And to continue this discussion of burden,
12 if there are too many uncertainties in the code, then
13 the staff will err on the side of making conservative
14 decisions which will mean that margins have to be
15 bigger and this essentially enforces a further burden
16 on industry.

17 Some of the things we've been doing, we
18 reviewed Siemens S-RELAP5 code, specifically for
19 Appendix K small-break loss-of-coolant analysis. This
20 is not a best estimate or a realistic code assessment.
21 This is the Appendix K conservative regulation.

22 And we concluded the code is adequate for
23 this application. This was mostly based on the fact
24 that codes of this type have been used for this
25 application before. The staff is very familiar with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 them and this code meets the requirements of those
2 regulations.

3 But at the same time, we looked at the
4 code in the light of its eventual development for
5 realistic applications and as we told in this letter,
6 there are some aspects of the documentation which need
7 to be approved.

8 We also considered the EPRI RETRAN-3D
9 code, the Thermal-Hydraulic Phenomena Subcommittee had
10 concerns which you're probably familiar with by now,
11 with the momentum equations. Now we raised these in
12 our last meeting with EPRI and EPRI conceded that our
13 concerns had merit and at the moment, we are awaiting
14 EPRI's response.

15 Meanwhile, the NRC staff has been active.
16 For some time they've been developing what is very
17 much needed in this area, a regulatory guide and a
18 sounder review plan. We have been interacting with
19 the staff along the way and these two documents have
20 been out for public comment. The public comments have
21 been received and a workshop was held last month. The
22 resolution of these public comments, we are told, may
23 take some time and it will probably be at the end of
24 the year or so before these documents actually see the
25 light of day in their final form.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And meanwhile, the Office of Nuclear
2 Regulatory Research has also been developing a
3 consolidated thermal-hydraulic code to put the
4 Agency's codes into one code instead of several. We
5 are pleased with the progress they have made. We
6 strongly support the Agency having its own code to
7 make independent assessments as well as to create
8 expertise within the Agency which gives a competence
9 to review vendor codes.

10 That's all I have to say. Thank you.

11 CHAIRMAN MESERVE: Thank you. Why don't
12 we go through them all.

13 DR. APOSTOLAKIS: Steam generator issues,
14 Dr. Powers.

15 DR. POWERS: What I'm going to try to do
16 is give you a whirlwind tour and thumbnail sketch of
17 the fascinating world of steam generators.

18 MR. MCGAFFIGAN: Is this at 80,000 feet?

19 (Laughter.)

20 DR. POWERS: No, we're going to get
21 quickly back into the sludge of this one.

22 As the Commission is aware, steam
23 generators constitute a little over 50 percent of the
24 pressure boundary for the reactor coolant system at a
25 pressure water reactor. Should there be a rupture of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this portion of the pressure boundary, you can release
2 radioactivity into the environment because it's not
3 backed by the containment.

4 This is a known vulnerability to the
5 pressurized water reactor design and consequently
6 since the design has been conceived, plants have been
7 required to be able to cope with a steam generators
8 tube rupture itself and with the leakage through steam
9 generators in the event of a rupture in the main
10 steamline break.

11
12 What's important to recognize is steam
13 generator tube ruptures are not hypothetical accidents
14 and on your next slide, I've listed the steam
15 generator tube ruptures that have occurred.

16 [Slide change.]

17 DR. POWERS: It first took place in 1975.
18 The most recent that I think is familiar to you is the
19 Year 2000 at Indian Point.

20 This slide has room for at least another
21 entry on it. It's simply a matter of numbers.
22 There's something over one million steam generator
23 tubes in use today and even if the regulations were to
24 provide an unreliability of some like 10^{-7} you would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expect that once in a while there would be a steam
2 generator tube rupture.

3 You can look at this slide in a couple of
4 ways. It certainly tells you that steam generator
5 tube ruptures occur. It also tells you that the
6 plants cope successfully with these steam generator
7 tube rupture events. If they were not, or if the
8 events of a tube rupture were propagated to overwhelm
9 the coping capacity, you do enter into a severe
10 accident space to a class of accidents the PRA refers
11 to as bypass accidents because the radioactivity
12 bypasses the containment. Those class of accidents
13 have the peculiarity of being risk-dominant at some
14 plants, even though the frequency isn't especially
15 high.

16 Consequently, as I've indicated on the
17 next slide, the steam generators continue to receive
18 attention both from the industry and the NRC.
19 Industry attention is taking the form of continuing to
20 develop guidelines for the monitoring of the tubes and
21 the on-going process of replacing and monitoring steam
22 generator tubes.

23 On the next slide I show you what the
24 problem is.

25 [Slide change.]

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: The problem is one of
2 corrosion and this is a cartoon of a steam generator.
3 Please understand they are good deal more complex than
4 this cartoon. It illustrates what types of corrosion
5 that we have encountered within the tubes. You'll see
6 that there was in the past conventional corrosion
7 which involved the wastage away of material. The
8 industry went through fairly heroic efforts to
9 eliminate that from concern and perhaps a testimony to
10 Mr. Murphy and his laws, promptly a new type of
11 corrosion appeared which is stress corrosion cracking.
12 We observe that cracking certainly in the high stress
13 regions up in the U-bend. We also see it from
14 residual stresses on the free span. The more
15 interesting and novel stress corrosion cracking occurs
16 in the visually inaccessible regions within the tube
17 sheets that support the tubes and the tube support
18 plates themselves.

19 [Slide change.]

20 DR. POWERS: Turning to the next slide,
21 the corrosion is prompting the replacement of -- well,
22 in the next slide I want to show you some examples of
23 the stress corrosion cracks to indicate that these
24 cracks are small and they're relatively difficult to
25 detect.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That kind of corrosion is prompting the
2 industry to consider the replacement of steam
3 generators and on the next slide I show you a slide
4 that I just love.

5 [Slide change.]

6 DR. POWERS: It's a photograph of the
7 process of changing -- of moving a steam generator and
8 it will remind you what a tremendously heroic job that
9 must be to change out a steam generator tube.

10 The objection in replacing a steam
11 generator tube, of course, is to replace it with
12 alloys that are less susceptible to the steam
13 generator, to the corrosion processes. In general,
14 the alloy 690 is being used. We are seeing, however,
15 in laboratory experiments that even the 690 alloy may
16 be susceptible to stress corrosion cracking although
17 we haven't observed that in situ.

18 That gives us pause about relieving any of
19 the extensive monitoring processes that are imposed on
20 steam generator tubes.

21 As I indicated to you, the corrosion
22 processes afflicting steam generator tubes have
23 evolved over the years. When the regulations were
24 originally written, the concern was over the uniform
25 wastage of a tube, especially in visually accessible

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 areas and so regulations were imposed on the amount of
2 thinning of the tube that could take place. Now we
3 have evolved into the point where stress corrosion
4 cracking is the issue. And it's that cracking takes
5 place certainly in visually accessible areas such as
6 the free span. It also occurs inside the tubes.
7 They're not visually accessible and in this tube
8 sheet, tube support plate, they're not visually
9 accessible.

10 [Slide change.]

11 DR. POWERS: We have, as I've indicated on
12 the next slide, an adequate technology for crack
13 detection. What we're not so good at is actually
14 sizing the cracks, that is, determining how deep the
15 end of the tubes they go.

16 Consequently, the staff has had to evolve
17 its approach toward the repair or replacement of
18 defective tubes from using crack size, individually in
19 accessible areas of the tube support plates to one of
20 using the voltage in the detection device.

21 The ACRS has spent some time this fall
22 going through a rather thorough examination of some of
23 the features of this alternate repair criteria, the
24 staff has come up with and in the course of doing that
25 review, we did identify some areas that I've listed on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the next slide of where the technical basis for the
2 alternative repair criteria could be strengthened.
3 These include studies on the forces and the effects on
4 tubes during accidents such as the depressurization on
5 a main steamline break, the data base --

6 DR. DIAZ: Excuse me, I'm sorry. I
7 believe you're currently on Slide 41?

8 DR. POWERS: Yes sir. Depressurization of
9 main steamline -- the database that we have for the
10 7/8th inch tubes relating to crack size and voltage,
11 monitoring of the -- for systematic deviation from the
12 hypothesized bounding crack growth rates and
13 understanding of the iodine release that would be
14 associated with a steam generator tube rupture.

15 [Slide change.]

16 DR. POWERS: The real question that you
17 have with steam generator tubes is not the failure of
18 a single tube, but can the tube failures propagate and
19 they will overwhelm the ability of the plant to cope
20 with them. Such propagating failures could be
21 hypothesized.

22 DR. DIAZ: Excuse me, that's not what your
23 slide says. Your slide says "can degraded tubes fail"
24 --

25 DR. POWERS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. DIAZ: And the answer to that is?

2 DR. POWERS: Tubes certainly can fail and
3 they do. The real question is can you propagate the
4 failures and get multiple tube failures that overwhelm
5 the ability of the plant coping system.

6 One possibility, of course, is that the
7 forces imposed on a main steamline break that caused
8 this propagation, the staff has recognized that
9 considering this is a potential area for generic
10 research.

11 The other question is can tubes fail
12 during severe accidents as a result of the heat and
13 pressure loads that are imposed on them. That would
14 have the effect of turning a severe accident into a
15 containment bypass accident. That would occur only if
16 the primary coolant system remained pressurized and I
17 hasten to add that licensees have developed accident
18 management processes that endeavor to depressurize the
19 reactor coolant system and to the extent that those
20 processors are successful they moot this issue.

21 [Slide change.]

22 DR. POWERS: Nevertheless, it does appear
23 that we need to have a better understanding of the
24 behavior of degraded steam generator tubes under
25 severe accident conditions. It comes about for a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 practical purpose. The licensees are requesting
2 relief from some of the requirements for monitoring
3 steam generator systems and they are casting these
4 requests in the language of risk and indeed the staff
5 is reviewing those questions in the language of risk.

6 Consequently, the staff certainly feels it
7 needs a better understanding of the analytic tools
8 that the licensees are using to formulate their
9 requests and that includes tools like the MAAP code.

10 [Slide change.]

11 DR. POWERS: Right now, our approach to
12 monitoring steam generator tubes is an empirical
13 approach. And is there ever going to come a time when
14 we have a really mechanistic understanding of stress
15 corrosion cracking and the prediction of leakage from
16 degraded steam generator tubes that is commensurate
17 with our ability to predict the bursting of degraded
18 tubes.

19 My answer to this is not any time soon,
20 this entire process of stress corrosion cracking is
21 one where we do not have the kind of comprehensive
22 mechanistic understanding that we have for convention
23 corrosion. It is obviously a much more complicated
24 technical issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If we are to get a better understanding of
2 stress corrosion cracking, this certainly is going to
3 require much better data on the cracks themselves.
4 Until we have that, the inspection and empirical
5 prognostication of how tubes behave, will be the
6 prevailing approach for some time to continue.

7 That's what is my promised thumbnail
8 sketch of the issue.

9 DR. APOSTOLAKIS: Thank you. And the
10 final presentation is on our activities of license
11 renewal by Dr. Bonaca.

12 DR. BONACA: Yes, good morning.

13 [Slide change.]

14 DR. BONACA: The purpose of my
15 presentation is to update on the status of ACRS
16 activities on license renewal. Recently, we have been
17 quite involved in these activities in two ways. One,
18 reviewing the generic guidance documents that have
19 been developed by the staff and the industry, and
20 second, specifically reviewing two applications in
21 front of us, at this time, the one for Arkansas One
22 and the one for Hatch.

23 First of all, I'll talk about the license
24 renewal guidance documents. You are familiar with the
25 standard review plan which, of course, is in front of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you and Reg. Guide 1.188, Standard Format and Content,
2 and the NEI 95-10 document, 1.188 references and
3 endorses.

4 And finally, you're familiar with Generic
5 Aging Lessons Learned report. We find that report to
6 be a remarkable compendium of information assembled
7 that is very significant to the industry and to the
8 NRC. It provides really a fundamental baseline and it
9 defines acceptable programs. That compendium of
10 information would be very useful both to applicants
11 because it provides an acceptable baseline and to the
12 NRC.

13 And because of the volume of these
14 documents, we felt very strongly that the documents
15 should be approved at this time, although there is
16 still some procedural debate going on between the
17 staff and the industry on some issues. The timing is
18 right for approving these documents because we believe
19 their approval will facilitate future applications and
20 reviews.

21 We do feel that the staff has developed an
22 effective set of guidance documents. These documents
23 are effective. In our letter to you, we have
24 recommended that although we recognize that the
25 adherence to the rule means that all you have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identify in the application is the way you're going
2 about identifying the components subject to the rule,
3 the end results of the process, the inclusion, for
4 example, of the results of the scoping portion of the
5 study facilitates the review to the point that we
6 encourage all the licensees to include that
7 information.

8 One of our concerns has been scrutability
9 of the documents to interested members of the
10 documents. The documents should be clear. This is
11 not a very obtuse technology. This is just a
12 painstaking effort to identify the components, screen
13 them to put them on a list and then to identify the
14 aging mechanism, then the programs as they go forth
15 there should be clarity in this process and the
16 documents can do that.

17 Now I want to point out, for example, that
18 Arkansas One has provided us with an application that
19 is, in fact, one of the smallest in volume and yet is
20 very clear. You can really walk through it and
21 understand what it is. And so, in fact, proper
22 information doesn't mean that you have to have
23 necessarily a burden. You can really work very
24 effectively as long as you have a clear process
25 through the documentation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 [Slide change.]

2 DR. BONACA: I'm now referring to Slide
3 48. We have recommended, as you know, and the staff
4 has agreed to update the GALL Report periodically.
5 There is still information we are getting from new
6 applications. For example, just a review of Arkansas
7 we have right now brings significant insight on
8 inaccessible cables as well as susceptibility of
9 small-bore piping and this kind of information needs
10 to be put back into GALL as the opportunity comes. So
11 frequent updates or periodic updates of GALL will give
12 an opportunity to improve the database and the
13 baseline of the recent license renewal. With the
14 updates of GALL, this should also be updates of SRP
15 and Regulatory Guide 1.188.

16 [Slide change.]

17 DR. BONACA: The Subcommittee on Plant
18 License Renewal reviewed the application of Arkansas
19 One on February 22, 2001. This is an interesting
20 application, as I mentioned before, because the work
21 documentation is not voluminous. But the lessons
22 learned from previous applications were clearly
23 realized in this application.

24 The standard format was pursued consistent
25 with the guidance of NEI and the staff. As a result

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of this, there were fewer RAIs, requests for
2 additional information, and only six open items to the
3 point where the Subcommittee on License Renewal
4 recommended to the Committee that we would not have an
5 interim letter because there was nothing to comment
6 on, that we could add to the review. So this is an
7 example of a successful way of an applicant to
8 expedite the process.

9 [Slide change.]

10 DR. BONACA: The result of that, and I'm
11 jumping a slide here, I guess, to -- well, the result
12 of that is we have reviewed the Arkansas application
13 during this meeting, in fact, and with five months
14 ahead of schedule. It was possible for us to support
15 that kind of timing and schedule.

16 [Slide change.]

17 DR. BONACA: With reference to Slide 50,
18 we reviewed the Hatch license renewal application SER
19 with open items on April 13, 2001. And with that also
20 we reviewed the Boiling Water Reactor Vessel and
21 Internals Project Topical Reports. We didn't review
22 them all. That's not the purpose, but we reviewed
23 four of them and we find to be this project as defined
24 in excess of 20 topical reports a significant
25 investment that provides very sound baseline for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 supporting accident management, aging management
2 programs for boiling water reactors.

3 We support the perspective of the staff
4 that these generic documents did indeed support the
5 application of BWRs.

6 [Slide change.]

7 DR. BONACA: We found the staff review of
8 the Hatch license renewal application was extensive
9 and thorough. We found the processes implemented by
10 the applicant adequate, although there are still open
11 issues to be resolved and we agreed with the staff
12 with most of them although some of them are open and
13 there is an appeal process going on. We chose not to
14 interfere with the appeal process until a decision is
15 made.

16 And finally again the BWR guidelines
17 effectively support license renewal.

18 [Slide change.]

19 DR. BONACA: As I mentioned before here on
20 Slide 52 we supported a staff request for an ACRS
21 review of the Arkansas application and I just say that
22 we could do that because of the characteristics of the
23 application I described to you before that facilitated
24 the review. And there was already on the basis of the
25 application, there was a baseline already that we had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seen before in previous applications that facilitated
2 the whole process.

3 [Slide change.]

4 DR. BONACA: We are planning to review our
5 first Westinghouse design, BWR, Turkey Point, October
6 2001 and we plan to complete a review of the Hatch
7 application in November 2001.

8 We plan to discuss among ourselves, if in
9 fact, there are needs to revise the rule and we will
10 have the discussion in June and plan to provide you
11 with any comments that may result in discussion in
12 July.

13 [Slide change.]

14 DR. BONACA: As we announced before we
15 will form two subcommittees next year to handle the
16 volume of applications that will come our way.

17 That completes my presentation.

18 DR. APOSTOLAKIS: Back to you, Mr.
19 Chairman.

20 CHAIRMAN MESERVE: Good, I'd like to thank
21 you all for a very helpful presentation.

22 I have a few questions.

23 Dr. Shack, on Slide 7, one of your
24 comments that you wanted to clarify, the defense in
25 depth measures should not be imposed at -- lower tiers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is the word that it uses in the slide, lower levels is
2 the word you used in your presentation. As I read the
3 framework document, they're talking about using the
4 structuralist approach at a very high level, at
5 accident prevention you have 10^{-4} core damage
6 frequency and accident mitigation at 0.1 frequency.
7 That could be what you mean at a high level?

8 DR. SHACK: Yes.

9 CHAIRMAN MESERVE: It could also be that
10 you're talking about systems rather than components?
11 What do you mean by -- what guidance are you giving us
12 when you use the reference to lower tiers?

13 DR. SHACK: Everything below that top
14 level that we've identified as the structuralist point
15 of view. From there on down, you should be assessing
16 the need for defense in depth.

17 CHAIRMAN MESERVE: So it would be
18 rationalist approach below that?

19 DR. SHACK: Below that.

20 CHAIRMAN MESERVE: And you fold in
21 uncertainty in your analysis for the redundancy.

22 DR. SHACK: And again, I think the
23 framework does have that. We were looking for a
24 slightly stronger commitment to that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 One of the important things I think they
2 did in there was to identify, for example, the
3 contributions of the safety margins and the ways that
4 you quantify those is an element of defense in depth.
5 So the framework, I think, was on the mark. Our
6 letter was just looking for a somewhat stronger
7 commitment.

8 CHAIRMAN MESERVE: Okay, Mr. Sieber, on
9 your Slide 17, you made the point that categorization
10 process has to rely on an expert panel for -- you have
11 the over 94 percent of components because this small
12 number of them are covered by the PRA.

13 MR. SIEBER: That's correct.

14 CHAIRMAN MESERVE: Are you satisfied that
15 the process of categorization is sufficiently
16 scrutable, that people can have confidence that the
17 categorization decisions are ones that are ones that
18 deserve credence or are appropriate?

19 MR. SIEBER: Yes, I am and for a couple of
20 reasons. First of all, the expert panel uses a
21 rigorous process of asking a series of five questions
22 which relate to how each component functions with
23 regard to its safety role and there are several
24 methods of weighting and scoring these as an initial
25 screening process.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Some of these questions might be would
2 the failure of this component create an initiating
3 event in the PRA. Another question would be does it
4 appear in the emergency operating procedures or their
5 emergency response guidelines. That could be, for
6 example, a pressure instrument or a control or at the
7 other end of the control the operator or valve or pump
8 or motor. So for that reason I think that the
9 methodology that the Panel uses was rigorous.

10 The second reason that I think is
11 important is, as I stated before, the PRA actually
12 models all of the success past, regarding the
13 prevention or mitigation of events or accidents. And
14 because the process is structured that way, those
15 components that are -- how shall I say it, not worth
16 modeling because their risk significance is so low,
17 can truly be stated to be of low safety significance.
18 And I feel comfortable about the categorization
19 process, both by the PRA process and the expert panel.

20 Now an interesting thing that they did is they
21 took the components that were evaluated using PRA and
22 gave those components to the expert panel to rate the
23 same components and to care the results of that and
24 the results of the expert panel were virtually the
25 same as the results obtained through the PRA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 processing procedure. And in fact, the expert panel
2 was slightly more conservative. They found and
3 declared more elements, components to be risk
4 significant than the PRA had indicated.

5 And so with those kinds of tests and the
6 process that they used, I feel comfortable that they
7 have done a good job on categorization.

8 DR. APOSTOLAKIS: I would like to repeat
9 that we have not written a letter on this subject and
10 I am not necessarily disagreeing with my colleague.

11 MR. MCGAFFIGAN: He's not necessarily
12 agreeing either.

13 DR. APOSTOLAKIS: But I'm not necessarily
14 agreeing either. The words in the final letter may be
15 a little different, but at this point, let's leave it
16 at that.

17 CHAIRMAN MESERVE: Your Slide 18 indicates
18 that they're about, oh, I guess, 4200 components that
19 are determined to be risk significant?

20 MR. SIEBER: That's right.

21 CHAIRMAN MESERVE: In your presentation
22 and actually in your response there you said well most
23 of the risk significant components are in the PRA.
24 And there are only 2400, you said, are in the PRA --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Some were determined solely
2 by expert panel, as far as risk significance.

3 CHAIRMAN MESERVE: I appreciate that, but
4 it's almost a factor of two that are coming in from
5 the expert panels.

6 MR. SIEBER: That's correct.

7 CHAIRMAN MESERVE: I guess the question is
8 that is there something we're missing in the PRAs that
9 there are so many components that aren't captured by
10 it that end up being risk significant? How do you
11 explain -- I'm reflecting perhaps my ignorance of
12 PRAs. I would have thought if they were significant,
13 by definition they are ones that should have been
14 captured in the analysis.

15 MR. SIEBER: That's correct. I think the
16 criteria between PRA and its use of CDF and LERF as
17 basically the success criteria and the expert panel
18 were different. For example, if a component, perhaps
19 a pressure instrument or a flow instrument were
20 important because an operating relied upon that
21 instrument as part of the procedure for recovering
22 from or mitigating some accident situation and that
23 was a significant instrument that the operator would
24 use, the expert panel would rate that high and call it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that, but it may not have achieved the same rating
2 through the PRA process.

3 And so the combination of the two makes
4 this whole process a little more comprehensive than
5 just using PRA by itself.

6 CHAIRMAN MESERVE: Mr. Wallis, I think you
7 know we're confronted with the possibility we may see
8 some new designs in new kinds of plants and I wonder
9 if you could comment on or speculate perhaps on the
10 adequacy of the codes for dealing with things like a
11 pebble-bed module reactor or an IRIS integral
12 pressurized water reactor. Are we going to -- are we
13 in significantly new and uncertain territory in
14 dealing with some hydraulic issues associated with
15 advanced designs?

16 DR. WALLIS: I think the phenomena are the
17 same. I don't think there are new phenomena. The
18 range may be extended and that's where there may be a
19 problem with the water type reactors. If there is a
20 proposal to work it if the pressure is not seen
21 before, but I don't think we anticipate new phenomena,
22 so the code essentially has the ingredients to do the
23 job by water reactors. I think there's more concern
24 with designs which are not water reactors from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something else, which is not modeled in these codes.
2 It requires a different code.

3 CHAIRMAN MESERVE: Sure. Are there codes
4 that are of sufficient robustness that you could use
5 with a helium as the working fluid? Where are we in
6 terms of --

7 DR. WALLIS: It should be simpler to model
8 helium cooled than two-phase thermal-hydraulics.
9 That's one of the attractions of those designs,
10 frankly. You should be on firmer ground.

11 CHAIRMAN MESERVE: But do the codes exist
12 or do we have to have codes that are going to be
13 validated for that purpose. I understand they should
14 be simpler.

15 DR. WALLIS: I don't know. I think there
16 are codes there, but there are codes which are
17 specifically designed for nuclear purposes. There are
18 codes which can do this sort of thing, they're out
19 there. Commercial codes can do this sort of thing.

20 CHAIRMAN MESERVE: Is this a long lead
21 time item for us to have, if we were to have such an
22 application in front of us?

23 DR. WALLIS: When we're talking about
24 nuclear safety --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN MESERVE: It's a long lead time
2 by definition.

3 DR. WALLIS: There tend to be long lead
4 times for reasons which has to do with the way the
5 person has worked. In principle, there shouldn't be.
6 It's not complicated.

7 CHAIRMAN MESERVE: On your Slide 28, you
8 made reference to a series of the staff documents
9 indicated they were subject to comment, but you did
10 not provide any indication of the general sense of the
11 ACRS on these documents.

12 DR. WALLIS: We have been over the
13 documents with the staff and we are pleased with the
14 way they evolved.

15 I think what's happened in their comments
16 that industry has said they're a bit too severe if
17 they're applied across the board and I think we will
18 across that there are certain issues which are not so
19 important and therefore one doesn't have to require
20 everything, that there are certain cases where one can
21 say yes, we're not going to require as thorough an
22 evaluation because this is a less significant thing or
23 we know that we're well bounded by some conservative
24 technology or some limiting knowledge or limiting
25 process.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The thrust of the comments was to qualify
2 these requirements so that they're appropriate to the
3 purpose and to the importance which is, I think we
4 would tend to agree with.

5 CHAIRMAN MESERVE: Dr. Powers, there have
6 been concerns expressed by a former NRC employee about
7 the Agency's approach to steam generator integrity
8 issues. I recently sent a memorandum to the ACRS to
9 request the reviews on one such important issue,
10 namely whether there are serious issues related to
11 steam generator integrity that require immediate
12 actions beyond those now being undertaken by the
13 Agency. Although the Commission, I'm sure, would
14 appreciate and would expect a written response, this
15 meetings provides me an opportunity to get your
16 preliminary views.

17 DR. POWERS: Well, the concerns you spoke
18 of, particularly expressed by former staff member
19 which addressed a couple of things, addressed an issue
20 on the voltage limit for a particular plant. That's
21 an area we haven't touched upon. Also expressed
22 concerns about the response of our examination of the
23 alternate criteria for the repair or replacement of
24 steam generator tubes that we had provided to the
25 Executive Director of Operations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 My view is that the Executive Director has
2 responded appropriately and consistently with our
3 expectations, that we see technical -- the need to
4 technically strengthen that alternate repair criteria
5 via a research program that is carefully considered,
6 carefully executed consistent with the kind of
7 in-depth thought the alternate repair criteria
8 obviously received in its development.

9 Had we identified anything that we thought
10 was particularly urgent to do about steam generators,
11 I think the Committee would have been obligated to say
12 so explicitly and I think we did not.

13 CHAIRMAN MESERVE: Thank you. As I think
14 you know, EDO is developing an action plan to respond
15 to the various longer lead items and that's not
16 available yet, but I understand that that is something
17 that's being pushed forward.

18 DR. POWERS: It's in the offing as I
19 understand and I think we're anxious to see some
20 elaboration on what the plans are.

21 CHAIRMAN MESERVE: Thank you.
22 Commissioner Diaz?

23 DR. DIAZ: Thank you, Mr. Chairman. My
24 first comment is of course is it's something that
25 we're all going to understand, but because I think we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 need to be accountable to the public. Sometimes I
2 think we get into these issues of semantics. So let
3 me just start at a level here that I think we should
4 always be conscious of.

5 There are questions and answers in
6 practically everything and the questions could be
7 purely scientific or purely technical or the questions
8 could be scientific and technical and have specific
9 value to the regulatory arena which is the ones we're
10 interested in and the ones we always want the
11 Committee to narrow them down. It is important
12 because we all could extrapolate any type of issue to
13 its noncompletion very, very easy.

14 Having said that I got a particular
15 problem with the issue of uncertainty. I might look
16 forward to some time in the fall to sit down with some
17 of you on the issue of uncertainty because it really
18 bothers me, but let me make a statement for our
19 stakeholders.

20 If any measurement or any calculation
21 would come down with a zero uncertainty, it would be
22 unacceptable.

23 Is that correct? Do we have unanimity on
24 that on the ACRS? Madam Secretary, would you like to
25 record that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 CHAIRMAN MESERVE: You may want to write
3 a letter.

4 DR. APOSTOLAKIS: I don't understand the
5 statement.

6 DR. DIAZ: It's very simple. Since there
7 is nothing like zero uncertainty in any measurement of
8 zero uncertainty in any calculation, the calculation
9 itself is based on a series of assumptions and zero is
10 not there, it could be very small. But since all the
11 calculations are based on our present state of
12 knowledge --

13 DR. APOSTOLAKIS: I'll go along with that.

14 DR. DIAZ: Very good. Thank you, sir.

15 MR. McGAFFIGAN: What is the probability
16 that Dr. Diaz exists?

17 (Laughter.)

18 You get into philosophy classes here.

19 DR. DIAZ: And the point is that we all
20 want to reduce uncertainties that have value to the
21 safety issues, but how much a reduction is needs to be
22 put in regulatory terms and not in scientific terms.
23 It is very easy to question uncertainties in purely
24 scientific terms because we would all like to reduce
25 them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now that Dr. Apostolakis has challenged,
2 maybe I'll go back at him.

3 DR. APOSTOLAKIS: I didn't challenge. I
4 just want to understand.

5 DR. DIAZ: Good. For example, some
6 people, I sometime made a joke that no two PRAs give
7 the same result. If two PRAs were giving exactly the
8 same result, they would be frauds. They cannot give
9 the same exact result unless they actually put exactly
10 the same assumptions, the same body, the same things.

11 So the issue of uncertainty is a major
12 issue that needs to be reduced to what is valuable to
13 the safety issue at hand, not only put it in terms of
14 scientific concern. I think it's very important
15 because when we talk about uncertainty, people might
16 take the idea that we don't know and I think we know
17 enough to make judgments on the safety of issues and
18 even the uncertainty is not zero or might not be as
19 low as we wanted, we still are capable of making those
20 judgments and that's the point that I wanted to make.

21 All right, now having said that, let me go
22 to Dr. Shack in risk informing and Part 50 and of
23 course, uncertainties came out of there. But I have
24 a particular concern that it almost comes out every
25 time on the issue of risk inform in Part 50 or risk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information and that is the perception of many of our
2 colleagues abroad and inside, sometimes even inside
3 the NRC is that risk information is a probabilistic
4 methodology and the Commission is very clear that this
5 is a very balanced approach, that includes
6 deterministic, probabilistic and experiential. It's
7 a combination of these things. And what we're doing
8 is we're trying to get conservatively the best use of
9 these three factors to allow us to make proper
10 decision makings.

11 Sometimes it doesn't come across and
12 sometimes I think in the ACRS presentations it doesn't
13 come across. It comes across as over valuing the PRA
14 because that's a drive that gives us quantitative
15 information. But from the standpoint of how it is
16 perceived by informed people, I mean regulators
17 outside of this country, I think it's important that
18 we in our documents provided a balance that clearly
19 says that we are taking as our famous white paper said
20 risk inform approaches, this is a balance technique
21 and it needs to be valuable. The issue of
22 probabilistic versus defense in depth is a kind of a
23 tug of war that you describe. The more we know about
24 something, the more we know is risk, the less maybe
25 defense in depth we're going to need about it. So it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is not a defined process, but it is a wholesome
2 process and I think that needs to be emphasized and I
3 sometimes get concerned that in the effort to maybe
4 simplify it and put the value on it, we do not get
5 this balance expressed in terms that other people,
6 including people inside the NRC realize that there is
7 a balance with these techniques.

8 Would you like to comment on that, Dr.
9 Shack?

10 DR. SHACK: I fully agree. I do not
11 believe that we are ready and I'm not -- I'm sort of
12 a conservative person as to whether we're ready for a
13 risk-based regulatory system. I'm a firm believer in
14 a risk-informed regulatory system that uses many of
15 the deterministic arguments to balance what we do now
16 have as uncertainties in the probabilistic system, so
17 I think there is a strong difference between a risk
18 based decision and a risk-informed decision.

19 DR. DIAZ: Would you say that it is
20 important for the ACRS when they are dealing with
21 risk-informed approach to clearly express that this
22 technique includes all of these components, right up
23 front and use, you know, the PRA as the technique that
24 is coming to support, aid, clarify and quantify the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues that they can better do that within reasonable
2 uncertainties?

3 DR. SHACK: Yes. I think we tried to do
4 that. Perhaps that emphasis doesn't always come
5 across, but I believe we tried to keep that.

6 DR. DIAZ: Thank you, sir. Let's see, Mr.
7 Sieber, on the issue of the STP exemption request, I
8 guess we, you know, it seems to be and I haven't
9 really seen an issue with categorization, the issue
10 always becomes the issue of treatment. The
11 categorization, with some minor things, I think
12 everybody agrees that we can converge if we have not
13 already converged on the process of categorization, so
14 it comes down to the treatment and of course, there
15 are two ways of doing with this. It's tell me all the
16 details of the treatment methodology or go ahead and
17 you develop the details and we deal with the
18 problematic aspects, and of course, it goes down to
19 commercial components.

20 I was a little bit concerned about your
21 characterization of commercial components as being
22 kind of loose and I agreed that I've been in fossil
23 plants and I've been in many type -- I've been in
24 airplanes. Sometimes I one time tried to get in a
25 rocket, but did not succeed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. McGAFFIGAN: If you have \$20 million.

3 DR. DIAZ: The issue is that as you very
4 well know, the distributions for failures that come
5 from the standard plans are really not applicable to
6 nuclear power plants because we do have, even in our
7 commercial components the higher grade of scrutiny and
8 of course I believe that in present day with the
9 civility, the need for power, the emphasis on
10 consolidation and deregulation and competitiveness, I
11 am for believing that these are going to make these
12 people do things better, rather than the other way.
13 I'm convinced that these plans are getting better
14 because there is competition. They know that if they
15 do something that is wrong, they're going to be shut
16 down and that will make them not competitive.

17 And so having that, commercial grade
18 components that have some specified functionality
19 requirements through programmatic means, do you think
20 that would suffice given the fact that they can
21 actually be conceived to be in nuclear power plants.
22 We think all of the other aspects of QA that might not
23 be Q-grade, but they're already there?

24 MR. SIEBER: I guess the best way for me
25 to address that is there was a study that the NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contracted for that was done by Idaho National
2 Engineering and Environmental Laboratory which is a
3 good study that looked in pretty good depth at what
4 the commercial practice really consisted of. And if
5 you read that, even though they show that the
6 distinction that I discussed a little bit about the
7 commercial codes as not being quite as rigorous, the
8 essential elements, if they're followed, are there.
9 As I mentioned, I talked about having worked in a
10 number of plants. If you take a plant that's
11 economically distressed and you choose and you're
12 faced with choosing which of ten components am I going
13 to repair, all the safety related ones or the ones
14 that are downgraded and you end up with an automatic
15 priority list that says I'm going to do all the safety
16 related ones first and then the ones that I don't have
17 a firm commitment or requirement to do, I'll do them
18 as I can. And I agree with you that under today's
19 industry situation with the demand for power very
20 high, that utilities and plant operators are putting
21 extensive effort into making sure that all of these
22 factors function. Now I talked about documented
23 treatment process, but I do think that we are better
24 off allowing the licensees to develop their concept of
25 what commercial practice is and what regulations or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 commitments we impose upon them should be described in
2 terms of performance measures that lead them and us to
3 match the regulatory expectation of functionality.
4 And I think that if you take that flexibility away
5 from licensees, you inhibit their ability to develop
6 the optimum method that maintains that functionality.
7 So I would be more inclined to go to a performance
8 based specification of treatment than a deterministic
9 based expression.

10 DR. DIAZ: Thank you, sir. Dr. Wallis,
11 you said something regarding uncertainty that I kind
12 of like, sir, and I want to congratulate that on
13 saying that we need to understand the uncertainty.
14 That doesn't mean that at any one time we're capable
15 of reducing the uncertainty to a value that is made,
16 but understanding the uncertainty is really very, very
17 important. So I thank you for those comments.

18 I looked at your documents and looked at
19 some of the background regarding the codes and it
20 seems to me that the bottom line of what you know you
21 are really asking is for better documentation. You're
22 not really questioning the validity of the codes to
23 perform in an adequate fashion within reasonable
24 assurance of a protection of public health and safety.
25 You have not found major things, you have found I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think wonderful corrections that make the codes
2 better, but you are insisting on and I think it's a
3 good thing on better documentation and there are
4 errors that are factual that those need to be
5 corrected. Is that correct, sir?

6 DR. WALLIS: Well, we have found errors
7 which should be correct. I would go back to your
8 earlier statement about uncertainty. I think we wrote
9 you a letter in which we said that quality is
10 determined by the degree of uncertainty. The quality
11 of the code is determined by the degree of uncertainty
12 and prediction within the context of the regulatory
13 use of the code and for certain regulatory uses,
14 certain regulators are more tolerant of uncertainty or
15 tolerate of bigger uncertainties and the concern we
16 have is that as margins are reduced, the decisions may
17 be tolerant of less uncertainty, so that in a sense
18 the codes that were adequate in the past may have
19 trouble reaching the degree of uncertainty which may
20 be needed to support certain decisions. It provides
21 uncertainties are reduced, getting closer to some
22 limit. You have to be more certain about the
23 possibility of going over that limit, the accuracy --
24 the requirements are more stringent. So whether or
25 not -- the codes have been okay in the past. I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we can be very sure there, but we can't make --
2 reassure you that they'll always be so because the
3 regulatory requirements are evolving and if we reduce
4 the burden and get closer -- wish to reduce the
5 margins, then the quality may have to be improved to
6 something which looked like a tolerable error or an
7 assumption which led to uncertainty in the past may
8 not be so tolerable in the future. Is that adequate
9 answer?

10 DR. DIAZ: Are we converging to an
11 acceptable level? You think the efforts that have
12 been made?

13 DR. WALLIS: I think the staff is doing a
14 very good job of realizing that this is true, that the
15 qualities of the code have to match the regulatory
16 decisions to be made and I think we're converging in
17 the sense that the documentation being prepared by the
18 staff to ensure adequate quality is converging on what
19 we think is a good quality document.

20 DR. DIAZ: All right.

21 DR. WALLIS: Whether or not industry will
22 always rise to the challenge I think has to be
23 assessed by what they subject.

24 DR. DIAZ: Dr. Powers, on your steam
25 generator, I guess when you said risk dominant, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are really referring to the essential bypass of the
2 containment. Is that what --

3 DR. POWERS: That's what gets you into
4 risk dominance, you have less risk mitigation along
5 the flow pathway. With NUREG 1150, they showed that
6 to us.

7 I will comment that some of that dominance
8 may come because the way we calculate the mitigation
9 along the alternate flow paths is not as well
10 developed as it probably ought to be. So we may over
11 emphasize the importance of bypass accidents, but even
12 without a detailed code calculation you know that if
13 you're venting without benefit of the containment you
14 are probably incurring more risk than you would
15 otherwise.

16 DR. DIAZ: Sure, but you know, going back
17 to the definition of risk-informed regulation where we
18 have deterministic, probabilistic and experiential
19 components to it and looking at your figure, the table
20 on page 31, and you made a comment that these plants
21 were able to cope with it, I asked that question of
22 the staff, the fact that I have asked the question
23 three times, just to make sure that the answer is
24 correct. You probably know the answer, but I think
25 for the record, I'd like for you to know that in these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 11 incidents, the NRC or the licensee, they have not
2 been able to measure -- they have not been able to
3 measure any off-site releases. Only on-site. Only
4 inside of the protected area of the plant area.

5 DR. POWERS: These are mitigated design
6 basis accidents and quite frankly, one would expect
7 releases certainly below the Part 100 limit.

8 DR. DIAZ: They were not measured of the
9 site.

10 DR. POWERS: Nonmeasurable.

11 DR. DIAZ: Of the site. So the plants
12 were able to cope --

13 DR. POWERS: Quite well with the
14 accidents.

15 DR. DIAZ: So the concern is for accidents
16 that are much larger than this whose frequency will be
17 lower than the ones that we're considering in here?

18 DR. POWERS: I think ipso facto because of
19 the database that you have there. Those are all
20 single to accidents. We have not seen instances of
21 multi-tube accidents.

22 The question, of course, that's raised is
23 that if you are allowing tubes that have some level of
24 degradation to continue to operate, are you more
25 likely to have a multi-tube accident or not? That's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the question that's being posed. And of course, the
2 staff is imposing requirements on the industry to keep
3 that increase in risk below an acceptable level and
4 where I'm using the term risk in the more qualitative
5 sense, not the PRA calculated sense. And as I
6 indicated to you, the real concern you have is the
7 propagating accident and whether we're getting more
8 likely to have those or not.

9 DR. DIAZ: And do you see that the NRC is
10 in a path where we should be able to provide a
11 reasonable answer to the issue of the potential for
12 propagating failure and how can the plant cope with it
13 because things can happen. The issue is can we cope
14 with it to minimize a release that will impact on
15 public health?

16 DR. POWERS: Let me answer several
17 questions here. Let me say that I don't think you
18 want to ask for the staff to be able to do a
19 calculation of some sort to go from soup to nuts on
20 this. This is a very difficult area. Had they done
21 things to try to keep this risk of a propagating
22 accident down to manageable levels, what we would call
23 a reasonable level of risk, here? Absolutely. That's
24 the whole point of their alternate repair criteria.
25 It's been very well considered and conservatively done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because there are limiting calculational tools that
2 you have to apply in this area. It's empirical in its
3 nature and conservatively interpreted and maybe as an
4 anecdote to give you some feeling for the level of
5 conservatism that I think that if you look at voltage
6 signals indicative of flaws in tubes and compare that
7 with the leakage that might occur you would say gee,
8 I very well might accept as high as 20 volts here
9 would be a reasonable amount.

10 The staff has said yes, that might be
11 true, but we also know you have some limited
12 capability to detect these. You may miss some. You
13 may mis-size them. The correlation between voltage
14 and size is not precise and so they impose powerable
15 detection kinds of limits and they impose
16 detectability limits. They set that voltage limit at
17 2 volts. So they've imposed a conservatism to keep
18 things low, as long as our information base is as
19 restrictive as it is. I think they've done that.

20 The other thing to recognize is the staff
21 has done more quantitative analysis to say well, how
22 many tubes can rupture and we can handle it. Is it
23 one? And if it happens to go two, is the ball game
24 over there? No. It's quite clear that the existing
25 processes are quite capable of handling three or four

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ruptured tubes, perhaps as many as 12. Beyond that,
2 the leak rate depletes water supply so you don't have
3 coping capability there.

4 DR. DIAZ: I understand. Thank you, sir.
5 And very quickly, Dr. Bonaca, on the issue of license
6 renewal, do you see from your perspective any
7 additional improvements that could be made to the
8 process to that we can be really on a path to say this
9 is an acceptable process? Is there anything that has
10 been shown to you as a weakness or a strength that we
11 should actually utilize?

12 DR. BONACA: I think that the experience
13 is getting significant enough for individuals for type
14 of plants that if the licensees can endorse pretty
15 well the initiatives proposed by the previous
16 applicants so on and so forth, the process can be --
17 again, the baseline for acceptance already exists.
18 Examples of acceptable processes already exist. I
19 still believe that each of one of the applications
20 will have to be a plant-specific one just because the
21 plants are different, even when they're system plants
22 and they have significant balance of plant
23 characteristics which differ, so there will have to be
24 a need for application.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But I believe that the Arkansas example is
2 a good one where we came down to close to a year plus
3 of time for reviewing the application and that's
4 significantly shorter than the one we have experienced
5 just a year and a half ago.

6 DR. DIAZ: Thank you, sir. Thank you, Mr.
7 Chairman.

8 CHAIRMAN MESERVE: Commissioner
9 McGaffigan?

10 MR. MCGAFFIGAN: I'll start with Dr.
11 Shack. I may still be a structuralist at levels below
12 where you evolved and I think that Commissioner Diaz
13 may have been saying the same thing, below this very,
14 very high level of where you would like us to be
15 structuralists and from there below rationalists.

16 But for me, it's partly the quality of PRA
17 that we've talked about. Do you really believe that
18 -- I guess you do, but I might as well get you on the
19 record, you really believe that PRAs out there today
20 are such that we can afford to be structuralists,
21 rationalists at all levels below this very high level?

22 DR. APOSTOLAKIS: I appreciate that, Dr.
23 Shack. No, I don't believe that anyone who really has
24 done any PRA will claim that there are areas where we
25 feel that the models perhaps are not as good as they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should be or are not as good as other parts of the
2 PRA, so there -- people are talking about unquantified
3 uncertainties which sometimes makes other people
4 unhappy, but I really think that the people have
5 uncertainties in their mind that they have not
6 quantified. They don't feel that PRAs can help them
7 quantify those, so they resort to traditional measures
8 so I think that is inevitable.

9 MR. MCGAFFIGAN: It may be semantic. You
10 may be showing us a path for the long range future and
11 I'm stuck in the current mud, but I continue to be --
12 I'm not an unrepentant structuralist at all levels,
13 but I probably am a structuralist a little bit below
14 where you guys are. And you may be too.

15 DR. APOSTOLAKIS: Let me phrase it in a
16 slightly different way, if I may. If one proposes an
17 additional defense in depth measure of some lower
18 level, I think it would be wise before we accept it to
19 try to do a risk evaluation.

20 MR. MCGAFFIGAN: If you can, right. Let
21 me turn now to Dr. Wallis. I've read your letters and
22 the staff's responses and part of my question is how
23 are you reacting to the staff responses you got on the
24 15th of April? One of them is with regard to the
25 RETRAN-3D letter that you had sent and the staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basically says they have considered the recommendation
2 that the sensitivity test be run, but they believe the
3 limitations placed on the use of the codes which, I
4 guess, you're just talking to Dr. Diaz about, as
5 described in the SER and the need for future uses to
6 justify the code application will compensate for any
7 potential inaccuracies and the individual
8 coefficients, so therefore we do not believe that
9 further sensitivity studies of the code are itself or
10 its structure are necessary.

11 Do you agree with the staff on that or is
12 that a place --

13 DR. WALLIS: I think we're going to accept
14 that. It's a bit unfortunate because it means now
15 that the -- because of the restrictions, the licensees
16 have more burden to justify using these codes and it
17 means essentially that some of these issues will be
18 revisited.

19 MR. MCGAFFIGAN: That's my reaction.

20 DR. WALLIS: If it's coming back again, we
21 don't need to decide now.

22 MR. MCGAFFIGAN: But you are predicting as
23 I would they will be back because --

24 DR. WALLIS: Well, if they want to use
25 them they have to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MCGAFFIGAN: Okay. This may get to
2 this issue of structural versus rationalist, but in
3 the other letter they sent you on April 12th towards
4 the back of it they talk about the Reg. Guide 1.174,
5 you would recommend that they consider measures of
6 code quality such as bias and uncertainty, the staff
7 should investigate and recommend how uncertainties and
8 code predictions can be best quantified, etcetera and
9 they're basically begging off again here and they fall
10 back to Reg. Guide 1.174 where they say it discusses
11 in some detail the comparison of PRA results with
12 acceptance guidelines and treatment of uncertainty.
13 Reg. Guide 1.174 recognizes that many sources of
14 uncertainty are not readily quantifiable and the focus
15 is on identifying sources of uncertainty that are. If
16 the NRC were to pursue a risk-based regulatory
17 approach, treatment of uncertainty would be essential,
18 but there's a lot of flog there, but basically, they
19 are saying not right now.

20 Are you predicting again that at some
21 point in the future they're going to -- if these codes
22 are going to be real, used for things like 50.46
23 analyses that this will all be back before us and
24 they'll have to do this sort of --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: The question of how to
2 respond to this letter is before this Committee right
3 now and we haven't decided.

4 I think we may respond to some of those
5 points.

6 MR. MCGAFFIGAN: Okay.

7 DR. WALLIS: Regarding that one I think
8 also they refer to CSAU, I think will give us a little
9 bit of reassurance there as it isn't all qualitative.
10 CSAU is a pretty strict procedure which requires a
11 quantitative evaluation of uncertainty.

12 MR. MCGAFFIGAN: Okay.

13 DR. WALLIS: I think also since we're
14 going to have a go at this Reg. Guide again when it
15 finally appears, that's where we will probably try to
16 resolve this issue.

17 MR. MCGAFFIGAN: There's one issue that
18 you mention in your slides and you mentioned it in a
19 letter here and the staff, this notion that people
20 should submit their codes when they want us to approve
21 them. And the staff points out the current
22 regulations do not require working versions be
23 submitted. It's sort of hortatory process to which
24 you all are adding your collective voice. But should
25 we consider a rule change? Would it pass backfit for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 us to say that we would like to have as a matter of
2 not requesting and begging, but it just is part of our
3 process that these codes will be submitted to the
4 staff so that they can get used to them?

5 DR. WALLIS: Well, maybe to consider. I
6 think it's too big a question to give you a right
7 answer to.

8 Certainly, from the point of view of this
9 Committee, the fact that the staff has the code and
10 can exercise it makes the review process very much
11 easier.

12 MR. MCGAFFIGAN: Right. That might be a
13 -- if somebody wants to do backfit analysis on this
14 conversation, I suppose it may take you 14 years to
15 read something that isn't it and two months if it is.
16 That could be a de facto rule change, I suppose, so it
17 probably shouldn't get there. Lawyers will counsel
18 me, but I hope they're listening, whatever.

19 There's another rule change, I'll switch
20 over to Mr. Bonaca, that you're essentially
21 recommending in another letter in the license renewal
22 space, the staff and that's this issue of again we're
23 encouraging applicants to include the results of their
24 scoping process and their applications, just like
25 we're encouraging them to submit codes. Should we do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a rule change? In sort of two slides you mention the
2 encouragement, and then a little bit later you say
3 you're going to give us your views as to need to
4 revise the license renewal rule. Is this a likely
5 coming attraction that you're going to stick by your
6 guns?

7 DR. BONACA: I don't know. I have not
8 polled, but I think the Committee, in general, agrees
9 on the necessity of having what we call a scrutable
10 application, something we can understand and trace
11 through. That may be part of recommendation on
12 improvement.

13 MR. MCGAFFIGAN: Okay. It's sort of
14 implicit. You mention it on one page, but then the
15 staff says it needs a rule change and so if you're
16 going to stick by your guns you probably have to
17 recommend a rule change and then there's always this
18 famous backfit rule that we have to deal with.

19 DR. BONACA: Even if we didn't have a rule
20 change, I mean it seems to me that maybe the industry
21 wanted to establish somewhere the minimum requirements
22 and I understand that that may be re-established. But
23 I think we all want to strive for a process that is
24 clear and supports the interested members of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 public to be able to look at them and understand
2 what's in scope and what is not in scope.

3 I don't think it's a hard spot or should
4 be a hard spot on the part of an applicant. They do
5 go through all these components. They develop a list.

6 MR. McGAFFIGAN: Right.

7 DR. BONACA: And there's nothing to hide.

8 MR. McGAFFIGAN: I think it's a fairly
9 powerful argument you made in your letter and I look
10 forward to seeing what you say in July as well.

11 Dr. Apostolakis, you've had a relatively
12 modest role here today, other than when asked to help
13 on structuralist versus rationalist and all that. But
14 it's not necessarily on the agenda, but I wanted to
15 give you a chance to talk a little bit about
16 risk-based performance indicators. You said some
17 things back in April that were reported in Inside NRC
18 and Nuclear News Flashes about the staff putting costs
19 before benefit or -- I don't have the thing right in
20 front of me here. I'll tell you, my reaction on
21 risk-based performance indicators is that they're
22 still a ways off and that the comments that the staff
23 made or the NRR staff, Bill Dean made to Tom King back
24 in December were quite appropriate given the state of
25 play. I continue to think they're sort of a gleam in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 somebody's eye and they'll be very hard to pass a
2 backfit test, the risk-based performance indicators.
3 So I just want to get a sense whether you want to
4 clarify any of these comments you made back in that
5 April meeting or have a little bit of a dialogue with
6 you about it?

7 DR. APOSTOLAKIS: Well, first of all, as
8 it turns out, I was not supposed to have seen that
9 document. That was already a mistake there.

10 MR. MCGAFFIGAN: You were not supposed to
11 have seen it?

12 DR. APOSTOLAKIS: The memorandum, no. But
13 I wasn't aware of that. I had seen it.

14 MR. MCGAFFIGAN: Okay.

15 DR. APOSTOLAKIS: And the general sense I
16 got from reading it was that it was cool towards
17 introducing risk-based --

18 MR. MCGAFFIGAN: I think that's a totally
19 fair comment to say that that document was cool
20 towards introducing risk-based -- but the question is
21 the motivation for why it's cool.

22 DR. APOSTOLAKIS: I don't believe that an
23 argument that says the licensees will react negatively
24 because this will introduce additional burden. That
25 argument by itself is not valid for me. And I will go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back to what Commissioner Diaz said. This is an
2 integrated decision making process. If there is a
3 need to introduce a performance indicator because
4 we're not monitoring something, let it be. If we are
5 duplicating something, then we should know about it.

6 MR. MCGAFFIGAN: We have to understand the
7 benefits of these indicators.

8 DR. APOSTOLAKIS: Exactly.

9 MR. MCGAFFIGAN: And I think the staff was
10 also going in its questioning at whether some of these
11 indicators would really have benefits attached to
12 them. It wasn't just cost. It was substantial
13 arguments as to whether benefits were --

14 DR. APOSTOLAKIS: I believe what's missing
15 from all this approach which would have prevented some
16 of these problems is a clear approach to establishing
17 a balance between the baseline inspections and the
18 performance indicators. And I don't think we have
19 that yet.

20 When someone introduces the possibility of
21 a new performance indicator, I think in the same
22 document there should be an argument that either we
23 are not covered in this area, or we're replacing
24 another indicator or we will introduce this because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's a more objective indicator and we will reduce the
2 baseline inspections appropriately.

3 As long as we don't -- for example, if I
4 were a licensee myself and all I see is a discussion
5 of new indicators without any discussion of change in
6 the baseline inspections, then I would be upset too.
7 So I don't know, some of the arguments there, they
8 just struck me as being inappropriate. Obviously, you
9 don't feel the same way.

10 MR. MCGAFFIGAN: No, well, we'll continue
11 to --

12 DR. APOSTOLAKIS: The tradeoff, I think,
13 is an essential part of the process.

14 MR. MCGAFFIGAN: I would predict that if
15 I'm in my fourth term here, which I'm not planning to
16 be, we will still not have risk-based performance
17 indicators that are functioning at 103 plants or
18 whatever number of plants we have at that point, but
19 that's a bet we can make.

20 CHAIRMAN MESERVE: Commissioner
21 Merrifield?

22 MR. MERRIFIELD: Thank you, Mr. Chairman.
23 First, I wanted to add my congratulations of the
24 Chairman to Dr. Apostolakis for assuming the
25 chairmanship of the ACRS. You've got a lot ahead of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you and there's a lot of history with some excellent
2 chairmen and I wish you well in that regard.

3 I would also in similar context want to
4 thank Dana Powers, Dr. Powers, for an exceedingly good
5 job as the chairman. You put in an extraordinary
6 amount of not only what we expect of you, but more, of
7 your own time and that's recognized and I certainly
8 want to recognize that.

9 In particular, I would say that I think
10 your chairmanship has significantly enhanced the
11 communication between the ACRS and the Commission and
12 certainly as you assume the chairmanship, I hope you
13 continue in the direction that Dr. Powers took us in
14 that regard.

15 The first question I have is for Dr.
16 Shack. I want to talk a little bit about 50.46.
17 Clearly, as I think your slides indicate, risk
18 informing 50.46 is going to be a complex initiative
19 and one that's going to require some rigorous
20 technical evaluation on our part. It's going to have
21 far-reaching effects in Appendix K and elsewhere. In
22 your Slide 8, you indicated that you met on the first
23 bullet, you met, the subcommittee met on March 16th of
24 2001. Can you give an initial impression of how you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think the staff was proceeding in its efforts relative
2 to 50.46?

3 DR. SHACK: My impression at the
4 subcommittee meeting was that I thought there was a
5 good discussion going on. The industry, I think, has
6 a strong argument that the large break is an unlikely
7 event. We've accepted that argument in the past for
8 dynamic effects. We've used probabilistic risk
9 assessments for risk-informing piping inspections and
10 there's a reasonable experience base that shows that
11 large double ended breaks are unlikely. I think the
12 staff quite properly looks at and says how low does
13 that probability have to be and it turns out it has to
14 be pretty low and it's past your experience base, so
15 that you really are depending on your analytical tools
16 and there are just lots of things to consider, you
17 know, phenomena like stress corrosion cracking that
18 are difficult to address and so I think they're
19 cautious about that.

20 My initial reaction was that they were
21 overly cautious, going into the subcommittee meeting
22 and listening to their arguments, I found myself much
23 more sympathetic. I sort of appreciated their
24 attempt. When I listen to the industry arguments, as
25 I said, there were general agreements over things that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were dealing with, for example, the start-up time
2 requirements for the diesel generators and I thought
3 the staff was making some attempts that they realized
4 that and we're looking for ways that would be quicker
5 and faster, perhaps, to get some relief, if not
6 everything that the industry was looking for.

7 I came out of the subcommittee meeting
8 with the feeling that the industry appreciated the
9 staff's difficulty. They were willing to work with
10 them. They understood that the level of rigor that
11 would be required would be high and would require
12 substantial investment and I appreciated the staff's
13 identification of the difficulties that were
14 associated with that. So I came out of that
15 subcommittee meeting feeling that everybody realized
16 we had a difficult problem, but they were working on
17 the problem. I'm not sure that that follows from all
18 subsequent meetings that I've heard, but that was my
19 impression then.

20 MR. MERRIFIELD: Thank you. Mr. Sieber,
21 how much involvement does ACRS seem to have relative
22 to the review of some of the NEI guidance documents?
23 Specifically, I'm interested in knowing where you guys
24 are going relative to the review of NEI-00-002 which
25 is the PRA peer-review process guidelines and 004

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which is the option 2 implementation guideline. To
2 what extent, if all, are you going to participate in
3 that?

4 MR. SIEBER: Well, we have received, as I
5 recall, a presentation on 002. And a copy of the
6 document. I do not recall that we have commented on
7 it specifically. Is that correct?

8 DR. APOSTOLAKIS: Unless we are asked to
9 review these documents we will not do it, unless
10 they're part of -- start plans to do less, in some way
11 the Regulatory Guide, we generally do not review NEI
12 documents.

13 MR. MERRIFIELD: That's fair. I'm not
14 telling you one way or the other whether I think you
15 should, but it's one I will further consider in that
16 respect.

17 DR. APOSTOLAKIS: If you ask us, that's
18 another way of doing it.

19 MR. MERRIFIELD: That will be up to the
20 Commission to do that.

21 Dr. Wallis, I want to first start out by
22 thanking you for the presentation you did today in
23 which you correlated the impact that our codes have on
24 the NRC performance goals. I thought that was a very
25 good way of doing it. We had some discussion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 yesterday about the Research Office and some of the
2 efforts we're doing there. I think there's a great
3 corollary that I think our Research Office can learn
4 from that type of approach because I think it closely
5 aligns what we're looking at with where it meets with
6 our goals.

7 You had, in Slide 28, a discussion of some
8 of the activities associated with thermal-hydraulic
9 codes and I guess my question for you is given your
10 experience, where do you think we are most vulnerable
11 in the area of thermal-hydraulic codes and what should
12 we be doing that we're not at this point?

13 DR. WALLIS: I have an answer. I'm
14 thinking about -- I think that what you're doing is
15 the correct thing, so looking ahead to some
16 vulnerability is something we haven't really done. I
17 think we've focused on the vulnerabilities we see now
18 and we have been, I think, quite severe in holding
19 some people's feet to the fire on those
20 vulnerabilities. If this is something new, I can't be
21 sure.

22 MR. MERRIFIELD: Let me mention, too,
23 we've got two issues that are either currently or
24 perhaps before us. One is a significant increase in
25 the size of power upgrades being sought by some of our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensees. We also, as we mentioned before, we have
2 the potential for some new plant orders, some of which
3 would be utilizing more innovative designs.

4 Given those actual and potential examples,
5 looking forward to those, are there some areas you
6 think we may need to think now about bolstering up our
7 efforts of thermal-hydraulic --

8 DR. WALLIS: We have already said about
9 power upgrades that up to now it seemed to be fairly
10 easy, but there must be some limit somewhere and since
11 we haven't yet seen the codes or any other prediction
12 of where those limits would be, we are really curious
13 about where they will be. So in the sense that we
14 don't know where the limits are to power upgrades, I
15 don't know if that's a vulnerability. It's something
16 we're a little insecure about, I'd say because we
17 haven't really seen the code sort of called to predict
18 those extremes. We haven't seen that yet, so we don't
19 know if there's a vulnerability or not. I think we
20 have a little bit of concern about how far can
21 upgrades be pushed because we haven't seen the
22 evidence. It looks too easy so far. We haven't yet
23 begun to push the boundaries of some envelope.

24 In terms of future designs, again, I think
25 until we get more into the details of those designs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's hard to answer your question. What we have seen
2 is AP1000. Again, we have not yet seen the comparison
3 with code, so the hope is that AP600 analysis will
4 work for 1000, but we have not yet seen the evidence.
5 So we're not sure. I don't know that we're concerned
6 about vulnerabilities. We just don't know yet.

7 MR. MERRIFIELD: That's fair. The
8 following question I have is for Dr. Powers, although
9 Dr. Shack may want to jump in on this one. We have a
10 lot of work that's being undertaken at Argonne
11 National Labs relative to detection technology for
12 cracks.

13 It was my thought that we've been focusing
14 primarily on one of the significant issues we've been
15 looking at is issue of human error in terms of crack
16 detection and analysis of test data.

17 Is it really a function of focusing on
18 crack detection or crack sizing and are we focusing on
19 the right areas, not to put you on the spot, but are
20 we working on the right things at Argonne now or
21 should we think, given some of the more recent
22 evidence that we should be evolving in that regard?

23 DR. POWERS: We had an opportunity to
24 examine some of the work that's going on at Argonne.
25 It's a very exciting kind of facility they're setting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 up to MOX steam generator where they can have cracks
2 that are either laboratory made or actually generated
3 and people can use a variety of techniques,
4 characterize those cracks that are subsequently
5 characterized in a metallurgical sense and you run a
6 comparison and get a lot of information about the
7 technologies.

8 I think it's very worthwhile to do that
9 work. I will comment that within the field
10 operations, the people doing the inspections, we have
11 a little different problem there and a little
12 different problem is human error, as you point out,
13 arises that the technology -- you can imagine
14 technology is getting too complex to be used in the
15 name of getting higher and higher accuracies. The
16 licensee himself has a problem of he'd like to check
17 things quickly. He's certainly finding himself with
18 a criteria for fixing or leaving in place flaws within
19 the confines that team support plays, but elsewhere in
20 the facility, he's on a plug on -- essentially
21 plugging the tubes on detection of any flaw and
22 clearly that's ripe for some sort of change in process
23 there, if we can get a handle on what kinds of flaws
24 it's okay to leave in place. The problem is the
25 phenomenon is highly non-linear and it's non-linear in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the sense that stress corrosion cracks grow very
2 slowly, initially, and to a lateral link and then they
3 grow very quickly and so you get this peculiar
4 phenomena of not seeing anything in one detection and
5 the next cycle that you suddenly have a crack.

6 I think our assessment of the work that's
7 going on was at Argonne was all appropriate for -- we
8 found all the work at Argonne was necessary and indeed
9 all the work that was going on in steam generators was
10 quite appropriate at the Office of Research. We did
11 suggest some other areas that they expand into and
12 apparently an action plan is being prepared in that
13 regard.

14 Bill, did you want to say anything?

15 DR. SHACK: In my own vested interest, I
16 do think that detection is the critical issue, that
17 you know, I'm not so much worried about the flaw
18 that's inside the tube support plate that I know
19 about. I'm worried about the flaw in the U-bend that
20 I missed in the inspection and so to my mind,
21 improvement in detection is the critical issue. If
22 you're going to avoid tube ruptures as Dr. Powers --
23 I don't think we can ever completely avoid them. The
24 statistics are just against you, you know. And what
25 we're finding in our Argonne research is that at least

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the best circumstances, people do a very good job
2 of detecting significant cracks. We probably can't --
3 that's the one thing we can't model very well in our
4 mock up is the human area, the pressure to do the job,
5 you know, it's a different sort of situation. So I
6 think there's an important need to assess the
7 capability to reduce the possibility for human error.
8 Industry is going that way. We've already had some
9 advance techniques where Z-tech and MHI have come to
10 Argonne with the ray probes and different software
11 that will help increase that and so I think that I
12 still think that is the first line of defense in steam
13 generators is first you detect the cracks. Then we
14 can argue about what to do with them. But until we've
15 detected them, we have no discussion.

16 DR. POWERS: But I think you cannot take
17 simply vast improvements in our technology and
18 detection and not have this debate about what to do.
19 We'll pull every steam generator tube we have out.

20 You can't divorce the two. It can't be so
21 antiseptic. And I think that's the next challenge is
22 to approach the -- a better characterization of the
23 tubes, of flaws in tube is going to be coupled with
24 now what do you do with it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SHACK: Well, if I wave the flag, we
2 have some done work at Argonne and better
3 characterization of the flaws.

4 MR. MERRIFIELD: That will be our final
5 comment then. I just want to say for my final
6 comments, I do want to say that ACRS is clearly a
7 learned and learning organization. I think that in
8 the time that I've been here, going on three years,
9 this is the most succinct and useful of the briefings
10 that we've gotten from all of you and I think it is
11 very good. So thank you.

12 CHAIRMAN MESERVE: Well, I'd like to just
13 repeat what Commissioner has said, that this was a
14 very helpful presentation and I also want to express
15 our appreciation to all of you. I know that this is
16 a great burden that we place on you and we get great
17 benefit from it and I want to express, on behalf of
18 the Commission, express our appreciation to you for
19 your hard work.

20 With that, we're adjourned.

21 (Whereupon, at 12:38 p.m., the meeting was
22 concluded.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701