

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Stakeholders Meeting on Uranium Recovery

Docket Number: (not applicable)

Location: Denver, Colorado

Date: Wednesday, June 13, 2001

Work Order No.: NRC-259

Pages 1-69

**NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005**

(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

STAKEHOLDERS MEETING

RISK INFORMATION IN THE REGULATION OF
MATERIALS AND WASTE DISPOSAL
CASE STUDY ON URANIUM RECOVERY

+ + + + +

WEDNESDAY

JUNE 13, 2001

+ + + + +

DENVER, COLORADO

+ + + + +

The Stakeholders Meeting convened in the Forum Room, Executive Tower Hotel, 1405 Curtis Street, Denver, Colorado, at 7:08 p.m., Lawrence Kokajko, Facilitator.

PANEL MEMBERS:

LAWRENCE KOKAJKO, Facilitator

PATRICIA RATHBUN

MARISSA BAILEY

ROBERT BARI

MICHAEL LAYTON

ED GROVE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

I-N-D-E-X

1		
2	<u>Opening Remarks</u>	
3	Lawrence Kokajko	3
4	P a t r i c i a R a t h b u n	
5	7
6	Background Information, Marissa Bailey	9
7	Study Results, Bob Bari	18
8	<u>Comments</u>	
9	Pat Mackin/Center for Nuclear Waste	33
10	Regulatory Analyses	
11	Melvin Leach/Nuclear Regulatory Commission . . .	38
12	Gerd Wiatzke/Senes Consultants	41
13	Louis Carson/NRC Region 4	42
14	Ken Weaver/State of Colorado Department	45
15	of Public Health and Environment	
16	John Hamrick	48
17	Mike Weber/Nuclear Regulatory Commission	51
18	Dennis Sollenberger/NRC Office of State	54
19	and Tribal Programs	
20	Clifton Farrell/Nuclear Energy Institute	55
21	Katie Sweeney/National Mining Association	61
22	Oscar Paulson	65
23	<u>Closing Remarks</u>	
24	Lawrence Kokajko	66

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1

P a t r i c i a R a t h b u n

2

. 67

3

P-R-O-C-E-E-D-I-N-G-S

1
2 MR. KOKAJKO: Good evening. I'd like to
3 welcome you this evening. My name is Lawrence Kokajko
4 and I'm the section chief of the Risk Task Group in
5 the Office of Nuclear Material Safety and Safeguard.

6 I would like to welcome everyone to this
7 stakeholder meeting on uranium recovery and thank you
8 for wanting to participate. I recognize that some of
9 you were at the earlier meeting today, perhaps all of
10 you, and I do appreciate you coming out and spending
11 your free time to be with us, because I believe this
12 is an important activity.

13 The NRC is focused on safety, and we view
14 the use of risk assessment techniques to be one tool
15 to help us achieve our goal of maintaining our focus
16 on safety, and to help achieve this the Risk Task
17 Group was formed and is responsible for efforts
18 related to risk informing the materials and waste
19 activities, and it reports directly to the office
20 director, and so that should give you an indication of
21 how important we think it is.

22 As a result of our workshop in April 2000,
23 it was suggested that we consider case study approach
24 to determine what areas in the materials and waste
25 arenas could be amendable to risk informing. These

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 case studies would cut across a spectrum of regulated
2 activities within the materials and waste arenas. It
3 would be used to do several things.

4 The first is to test the draft screening
5 criteria that would enable us to determine if a
6 proposal was amendable to risk informing. The second
7 is to tease out any possible safety goals that were
8 embedded in any staff action and determine the
9 feasibility of developing broader draft safety goals.
10 Additionally, the staff will use the case studies to
11 gain insights on risk informing regulatory processes
12 and will identify tools, data, and guidance needed to
13 support a risk-informed approach.

14 I hasten to point out that we do not
15 intend to make or consider a regulatory decision or
16 position tonight. We only intend to gather input on
17 these topics as they relate to testing or screening
18 criteria in the development of safety goals.

19 Moreover, I would like for you to think
20 broadly when we say risk informing the framework.
21 Risk informing the framework could involve changing
22 rules, but it is also and perhaps more likely to mean
23 using risk information in licensing, inspection, and
24 enforcement processes and decisions. In doing so we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will focus our resources on the most safety
2 significant items.

3 When the case study plan was presented in
4 September 2000 one comment that we received was we
5 should have early stakeholder involvement before we
6 reach any conclusions regarding the case study area
7 under consideration. Tonight's meeting is one of
8 several planned meetings, and this is your chance to
9 provide your input on the uranium recovery case study.

10 Dr. Patricia Rathbun will be our
11 facilitator tonight and will coordinate our
12 discussion. Ms. Marissa Bailey of the Risk Task Group
13 will discuss how we got to where we are today and
14 where we intend to go. She will be followed by Dr.
15 Robert Bari and Mr. Edward Grove of the Brookhaven
16 National Laboratory, who are our contractors working
17 on this particular case study.

18 This meeting is open to everyone,
19 including but not limited to NRC staff, licensees,
20 applicants, federal, state, and local government
21 organizations, non-government organizations, public
22 citizens groups, manufacturers, users, industry and
23 trade association representatives, and anyone in
24 between. Everyone is invited to provide any
25 thoughtful insight or commentary on this case study as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applied to our objectives. While we will provide
2 early information regarding our review to date we are
3 seeking your comments on what we have done, but more
4 importantly, your thoughts on what we should do
5 related to implementing the case study action plan.

6 I would like to add that we will have an
7 integration meeting on or around October 25, 2001, to
8 provide our feedback on our work on all case study
9 areas, with a final report due out around the end of
10 the calendar year. I encourage you to sign the
11 attendance sheet since all who do so will be contacted
12 prior to the integration meeting.

13 Also tonight we will be seeking your
14 feedback on what you thought about the meeting. One
15 way of doing so is a feedback form that you can mail
16 in to us. Also at any break you can see a member of
17 the Risk Task Group -- and for those people who are
18 representing the Risk Task Group please raise your
19 hands -- and provide any comments directly to one of
20 us.

21 With that in mind I'd like to turn it over
22 to Dr. Rathbun to help us facilitate our meeting.

23 Dr. Rathbun.

24 DR. RATHBUN: Thank you very much,
25 Lawrence.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'd like to join Lawrence in welcoming you
2 here tonight to the public meeting put on by the Risk
3 Task Group. I realize that there's many things you
4 could be doing tonight. You could be sleeping, you
5 could be going to the ball game, but we really
6 appreciate your being here, because this is how we
7 make progress. We make progress by taking your
8 feedback and listening to it and moving on.

9 My name as he said is Pat Rathbun, and I'm
10 in charge of a number of the communication activities
11 that are going on in the Office of Nuclear Materials
12 Safety and Safeguards. As Mike Weber pointed out
13 earlier today, we have a number of strategic goals,
14 and one of them is to improve the way in which we
15 communicate with the stakeholders and thereby
16 hopefully engender more confidence in what we do, so
17 my job is to be sure that everyone gets to talk,
18 everyone gets to speak, gets to get their two cents
19 worth in.

20 Before we start let's take a look again at
21 our meeting objectives, and the primary objective is
22 actually number two. We're here to take your
23 comments. We're also here though to brief you on the
24 status of our case study work, particularly our case
25 study on uranium recovery.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'd like to take a quick look at the
2 agenda. If you would just run through the agenda with
3 me so you know where we're heading and will know how
4 we got there once we get there. You've heard from
5 Lawrence. I'm just going to do a little bit of brief
6 administration here.

7 Ms. Marissa Bailey, who is the project
8 manager for the cast study approach, will be bringing
9 you up to date on the status of where we are, and then
10 Dr. Robert Bari and Mr. Ed Grove from the Brookhaven
11 National Laboratory will do the briefing for you on
12 what they have found to date.

13 I guess the next thing I want to just talk
14 about is a few of the ground rules. I've been at this
15 meeting all day, and this is not a group who needs
16 ground rules. You are all doing beautifully, but I
17 think the most important thing is if you could hold
18 your questions until after Dr. Bari finishes speaking?
19 When you come to the microphones to make your talk --
20 and we'll have people in the audience that will have
21 microphones -- it's very important that you say your
22 name and say your last name really clearly because
23 this is not a transcribe situation.

24 Again, I don't really need to say this,
25 but we're going to try and finish and 9:00 so when it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comes time to talk we'll just all need to watch our
2 time. Other than that, after what I've seen today,
3 you're fine.

4 Marissa, if you could take the stage now.

5 MS. BAILEY: Good evening. My name is
6 Marissa Bailey. I'm a senior project manager in the
7 Risk Task Group, and my purpose here this evening is
8 to give you background information on the case study.
9 Basically what I'd like to do is explain to you why
10 we're conducting the case studies, how we're
11 conducting them, and also just talk to you about where
12 we're going to be heading with the case studies.

13 Before I begin with that, however, I'd
14 like to repeat our objectives for this meeting. The
15 first objective is to basically inform you of the
16 status of the case study. The second objective and
17 really what's more important is we would like to get
18 your comments and feedback on how we're doing with the
19 case studies, how we should proceed with them, how you
20 think we're doing with applying our screening
21 criteria, any input that you may have as far as what
22 needs to be changed with the screening criteria. Also
23 if you have any just general comments on how risk
24 information should be incorporated into the waste and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials regulatory processes, we're also taking
2 comments on those.

3 So why are we conducting the case studies?
4 The primary purpose for conducting the case studies is
5 to test the draft screening criteria and also to
6 examine the feasibility of developing safety goals for
7 the nuclear materials and waste arenas. Other reasons
8 for conducting the case studies is that we hope it
9 will give us insights on how we can risk inform our
10 regulatory processes and also gain insights on the
11 tools, data, guidance that we would need to implement
12 a risk-informed regulatory approach.

13 As Lawrence mentioned in his presentation
14 earlier today -- and I think he also alluded to it
15 earlier -- NRC has been in the process of developing
16 an approach for using risk information in our
17 regulation of nuclear materials and waste. One of the
18 handouts that we've given you that's attached to the
19 agenda is a definition for risk-informed regulation.
20 To us that really is simply a way for us to focus our
21 resources on safety to help us improve our regulatory
22 decision-making process, to help us be more effective
23 and efficient in the way we regulate, and to reduce
24 unnecessary regulatory burden.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We also see risk information as a way to
2 focus or to identify and address any shortcomings in
3 our current regulatory system, so in some instances it
4 may be that a risk-informed approach means an increase
5 in regulatory requirements in regulatory burden.

6 The framework for risk-informed
7 regulations in the nuclear materials and waste arenas
8 is detailed in a June 1999 commission paper that's
9 known as SECY 99-100. That paper basically introduced
10 a systematic five-step process for implementing -- for
11 moving towards risk-informed regulations in NMSS.
12 Those five steps are to identify the candidate
13 regulatory applications that would be amendable to
14 risk-informed regulations; to decide how to modify
15 those regulatory applications so that they are risk-
16 informed; to change the current regulatory approach to
17 implement the risk-informed approach; and to develop
18 or adapt risk-informed tools to move toward a risk-
19 informed approach.

20 In this five-step process we're on step
21 one. We are very early in the process of identifying
22 those regulatory applications that might benefit from
23 using risk information.

24 To help us identify what regulatory
25 applications would benefit from using risk information

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we drafted the screening criteria. The screening
2 criteria once they're finalized is really a decision-
3 making tool. What we're asking ourselves is where in
4 the regulation of materials and waste would risk
5 insights provide a value, and we're hoping that by
6 applying the screening criteria we can make those
7 decisions in a consistent manner.

8 Our draft screening criteria were
9 developed in a fairly interactive public participatory
10 process. Back in August of 2000 we had a workshop to
11 solicit comments and recommendations on how we should
12 incorporate risk-informed approaches in NMSS. During
13 that workshop we introduced a strawman for the
14 screening criteria, and as a result of that workshop
15 we -- the screening criteria were refined and
16 developed to their present state, so that today the
17 screening criteria basically comes in the form of
18 seven questions that we would ask to help us determine
19 whether an activity can be risk-informed.

20 The first four criteria basically ask
21 whether a risk-informed approach would support the
22 agency's performance goals of maintaining safety,
23 improving efficiency and effectiveness, reducing
24 unnecessary regulatory burden, or helping to improve
25 public communications. The fifth criterion addresses

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the availability of quality data and models to support
2 a risk-informed approach. The sixth criterion
3 addresses the cost of implementing a risk-informed
4 approach: could a risk-informed approach be
5 implemented at a reasonable cost, and the seventh
6 criterion addresses other precluding factors. Given
7 that the first six are met, is there something else
8 out there that should or could prevent us from moving
9 towards a risk-informed regulatory approach?

10 Another outcome of that April 2000 meeting
11 was the general consensus that case studies would be
12 a good way to test the draft screening criteria. The
13 case studies would be a retrospective look at a
14 spectrum of activities in the nuclear materials and
15 waste arenas, the uranium recovery being one of those
16 activities. And individually and cumulatively each of
17 those case studies should illustrate to us what's been
18 done in materials and waste and whether they were
19 risk-informed and to what extent they were risk-
20 informed.

21 The second objective of the screening
22 criteria is to examine the feasibility of developing
23 safety goals for the materials and waste arenas. I
24 think one of your handouts also is the definition of
25 safety goals, but basically what we're trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 determine in this case studies is whether it's
2 feasible for NMSS, given the diversity of activities
3 that we regulate, is it feasible to try to broadly
4 define an acceptable level of risk, a level of what is
5 safe enough?

6 So what we're trying to do in the case
7 studies is we're trying to determine whether there are
8 safety goals or elements of safety goals that are
9 imbedded in those past decisions that are related to
10 the case study activities and whether those elements
11 of safety goals have a common thread, and then whether
12 those elements of safety goals also could be expanded
13 broadly to cover other nuclear materials and waste
14 activities.

15 The overall structure for how we're
16 conducting the case study is described in our case
17 study plan, and that's one of the handouts you have
18 this evening. This plan was also developed in a
19 public participatory process and was issued back in
20 October 2000. The draft screening criteria that I
21 described to you earlier can be found in section four
22 of the case study plan, and as I've mentioned -- and
23 if you look at them those are really a series of
24 questions that we would ask to determine whether an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 activity could be risk-informed or should be risk-informed.

2 The areas that we are conducting the case
3 studies on are also identified in the case study plan.
4 Those are gas chromatographs, static eliminators,
5 fixed gauges, site decommissioning, which is focused
6 on the decommissioning of the Trojan Nuclear Power
7 Plant, transportation, which is focused on the
8 transportation of the Trojan reactor vessel, uranium
9 recovery, storage, which is focused on the seismic
10 exemption that was given to the independent spent fuel
11 storage installation at INEEL for the TMI2 fuel
12 debris, and gaseous diffusion plans, which -- that
13 case study is focused on the seismic issues associated
14 with the Paducah GDP.

15 The uranium case study is really looking
16 at the overall process for uranium recovery. However,
17 we did decide to choose White Mesa and Smith Ranch as
18 examples for the case studies so that we would have
19 some real sites that we could apply our screening
20 criteria on and also look at. I'd like to point out
21 that White Mesa and Smith Ranch were chosen really for
22 no particular reason other than it was convenient and
23 it was accessible, or they were convenient and
24 accessible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As I've said before the purpose of the
2 case studies are to test the draft screening criteria
3 and to derive safety goals and to gain insights in
4 risk informing our process and the tools needed for
5 that. They are retrospective studies. The intent of
6 the case studies is not to look at -- not to reopen or
7 reassess previous decisions that were made by the
8 staff or by the commission in those particular areas.

9 The case studies basically involve
10 answering three sets of questions for each case study
11 area, and those questions are identified in section
12 seven of the case study plan. Those are screening
13 criteria analysis and risk analysis questions, safety
14 goal analysis questions, and then the questions that
15 we would ask once some draft safety goals were
16 developed, and Dr. Bari will be going over those
17 questions in detail in his presentation.

18 I'd like to emphasize that what we've
19 planned to do today is to present our preliminary
20 answers to some of those questions, preliminary
21 answers and observations, and I want to emphasize they
22 are preliminary answers, and our observations also are
23 just that. At this point we've made no decisions and
24 we've come to no conclusions about the case studies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We're really presenting you with this information so
2 that we can get your feedback.

3 And finally I'd just like to go over our
4 schedule for the case studies: where we've been and
5 where we're going. As I mentioned, we had the
6 workshop in April 2000 and out of that workshop came
7 the draft screening criteria and the idea for using a
8 case study approach to test the draft screening
9 criteria. In September 2000 we drafted the case study
10 plan and we presented that at a public meeting, and in
11 October 2000 we issued our final case study plan.

12 In November we began our case studies and
13 last February we held our first case study meetings on
14 the gas chromatographs, static eliminators, and fixed
15 gauges, and last May we held our stakeholder meeting
16 on decommissioning and transportation.

17 This evening we'll be discussing uranium
18 recovery. In late July, probably July 31, we'll be
19 holding another stakeholder meeting to discuss our
20 case studies in storage and the GDPs. We hope to put
21 out draft reports for all the individual case studies
22 in September, and as Lawrence mentioned in October we
23 hope to hold an integration meeting where we can pull
24 together the results of all the case studies and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 present that to our stakeholders and discuss that with
2 you.

3 The final reports for the case studies are
4 scheduled to be issued in December, and in March of
5 2002 a final consolidated report which would pull
6 together the cumulative results of the case studies
7 and have findings on what the screening criteria looks
8 like, what the feasibility of the safety goals are for
9 NMSS, and in summer 2002 if we find that they are
10 feasible we hope to present our first draft of the
11 safety goals. And that concludes my presentation.

12 Bob?

13 DR. RATHBUN: Thank you very much,
14 Marissa.

15 Now I would like to introduce Dr. Robert
16 Bari from Brookhaven National Laboratory, who will
17 present the results. Bob?

18 MR. BARI: Thanks, Pat.

19 My name is Bob Bari. I'm from Brookhaven
20 National Laboratory, and in the study that we did have
21 underway actually I was working with Ed Grove, who
22 also is of Brookhaven National Laboratory.

23 What I'm going to do tonight is tell you
24 about the study as it currently exists. I'll go
25 through a little bit of the background. It will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 perhaps redundant with what you heard from Marissa a
2 few minutes ago -- go through our preliminary
3 impressions of the draft safety questions, the case
4 study questions, and then go into the draft screening
5 criteria, which are really the heart of the case study
6 plan, give you some preliminary observations and then
7 also some conclusions.

8 We started this study just about two
9 months ago in April, and the focus has been both on an
10 uranium mill and an in situ leaching facility. We
11 wanted to be as broad as possible in this study and
12 thought that we needed to look at both types of
13 facilities. I'll emphasize that this is a work in
14 progress and we're going to complete this study at the
15 end of the year and hopefully it will be available to
16 you at least in draft form some time in September or
17 so. There is a website that the Risk Task Group
18 maintains, and you can already find some preliminary
19 information such as the case study plan itself on that
20 website, and I encourage you to stay tuned there. As
21 other information becomes available it will appear on
22 that website.

23 The case study draft questions themselves
24 were designed to meet objectives related to current
25 and potential information that exists in a risk form

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that could be useful in this area. The feasibility
2 and usefulness of safety goals in the area and also
3 information needs for risk informing the uranium
4 recovery area itself, and these are categorized into
5 three broad areas, two of which we'll be chatting
6 about tonight.

7 The first are screening criteria analysis
8 questions and risk analysis questions, secondly safety
9 goal questions, and third, questions upon developing
10 safety goals. These we will not be discussing
11 tonight. We're too early in the study to do that.

12 The uranium milling area is being studied
13 with a focus on the White Mesa facility in Blanding,
14 Utah. This is being done because it's, as Marissa
15 pointed out, it's a convenient study for us to use for
16 example purposes a facility that was licensed by NRC
17 in 1979 and has processed 4 billion tons through 1999
18 of uranium. It has mill tailings on site and it
19 happens to be the only operating mill and is currently
20 scheduled for transfer to DOE in 2025.

21 On the in situ site we're focusing on
22 Smith Ranch in Wyoming as our example. It was
23 licensed in 1992 by the NRC. It has a demonstrated
24 annual production capacity of 770 tons of uranium.
25 Current annual production capacity is 580. The site

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has inactive and active wells, and it has recently
2 been granted a license renewal by the NRC. We did
3 visit the White Mesa site yesterday and we plan to
4 visit Smith Ranch on Friday.

5 There are several screening questions if
6 you've had the opportunity to look at the case study
7 plan. You will see that there are several questions
8 that are posed that help to guide this study, and what
9 I'm going to do now is take you through many of them.
10 I paraphrased them in each of these view graphs and
11 I'll give you some of our preliminary impressions of
12 where we are on those various questions.

13 The first one deals with risk information
14 that's currently available out there to help us
15 determine to what extent we can risk inform the
16 uranium recovery area. On document that's been very
17 interesting to look at is NUREG-1531, which is the
18 environmental impact statement for the Atlas Uranium
19 Mill. There they really took to hear the risk-based
20 concepts and seemed to have used it very well in
21 understanding the doses that folks would receive, the
22 possible accidents that might occur.

23 And also as a follow-up to that the people
24 involved with the Atlas also produced a paper at the
25 ANS conference in 1996 where they were looking at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 alternatives for disposal of the tailings. One was
2 reclamation, another one was do nothing, and a third
3 one was to move it, and they used risk information to
4 help make a decision or to at least come to a
5 conclusion on their part.

6 Another environmental impact statement
7 that we found interesting for its risk information --
8 in the risk information area was NUREG-1508, the Crown
9 Point in situ leach facility, and another study that
10 is underway is one by the Center for Nuclear Waste
11 Regulatory Analysis on in situ leaching. This study
12 is not currently available but I believe there is a
13 sign-up sheet for that. If you'd like to get a copy
14 NRC can provide it to you when it does become
15 available.

16 The next question deals with the quality
17 of studies. As I mentioned, Atlas seems to -- the EIS
18 seems to be a very interesting study in terms of risk
19 information, both in terms of looking at risks from
20 accidents and also risks which they call incident-free
21 risks, which are really the normal chronic releases
22 that one would have in any enterprise, and one has to
23 measure this and assess it, and this is exactly what
24 they did. They were interested in particular in
25 looking at alternative disposal options.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Also the ANS paper on Atlas was an
2 interesting one and it supported the conclusions that
3 it came to. It was not an in-depth paper. We could
4 not really assess the methodology per se, but it
5 seemed to be well posed in terms of the questions it
6 asked and the conclusions it came to. The regulatory
7 analysis center's paper also looks at radiological
8 releases, worker risks, and environmental impact, and
9 hopefully it will be a document that you could also
10 review.

11 We did not see the document yet. We did
12 have a chance to chat with a member of that institute
13 to get some preliminary impressions of its content.

14 The next question in the case study plan
15 asks about the need for additional studies in this
16 area. There are two general areas where one can
17 benefit from the strengths of the risk-informed
18 approach. One is in the realism of scenarios, and
19 this is really a general strength of a risk-informed
20 approach. One tries to be as realistic as possible,
21 not conservative in the analysis. One wants to get
22 the best possible analysis to the fore in these
23 studies, and hopefully this is the type of thing that
24 we will see more of as studies are done in this area.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Another strength of risk assessment is
2 that it expresses uncertainties. One first assesses
3 uncertainties and tries to quantify them as best as
4 possible. It helps you to understand what you know
5 about what you don't know.

6 The next question deals with the use of
7 risk information by NRC and the licensees. NRC has
8 considered risk in the transportation area connected
9 with uranium recovery. The EISs for Crown Point and
10 Atlas both have used risk information. More generally
11 and broadly in the uranium recovery area there has
12 been use of risk type information to the extent that
13 dose equates -- chronic doses equate with risk and
14 also as I mentioned the study by the center. The NRC-
15 sponsored study by the Center for Nuclear Waste
16 Regulatory Analysis considers risk.

17 The next two questions are lumped here.
18 One deals with societal benefit of the current
19 operation and the other is with public perception.
20 The societal benefit is clear for this case study. It
21 provides an energy resource of uranium, important for
22 nuclear reactors, which presumably are important for
23 electricity generation.

24 Public perception depends upon the site.
25 Factors to be considered are environmental impact and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 public health on the one hand and economic and social
2 value to the community on the other hand, in which the
3 facility sits.

4 The next question deals with the basis for
5 the current regulations. There's quite a bit here.
6 It starts with -- not necessarily starts with, but a
7 major document is the Act of 1978, the so-called
8 UMTRC. The standards set by the Environmental
9 Protection Agency figure in very strongly, the working
10 understanding with other agencies that -- such as the
11 mining agency, MSHA, is important here, and then a
12 slew of pieces of the Code of Federal Regulations come
13 to play here.

14 Singled out is 10 CFR 40, Appendix A,
15 which was congressionally mandated and not a risk-
16 informed document, very deterministic and prescriptive
17 in its presentation. NRC was embarking or considering
18 embarking on 10 CFR Part 41, and this has now been
19 discontinued.

20 Explicit or implicit safety goals in
21 regulatory documents -- as Lawrence mentioned earlier,
22 part of this activity is to tease safety goals out of
23 the documentation that we review and come across. One
24 very elegant statement of a possible overarching
25 safety goal for this area, uranium recovery, would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one that we found in the generic environmental impact
2 statement, NUREG-0706, and I'll just quickly read it
3 to you.

4 "Operation of uranium mills and the
5 management of mill tailings -- they are appropriately
6 short. The public health and safety and preservation
7 of environmental values. So this is a top-level
8 statement for uranium mills at the time. This is a
9 more than 20 year-old document now. And also in the
10 framework document for risk informing the materials
11 and waste area SECY 99-100, the commission notes that
12 both public and worker risks are important, to be
13 dealt with, and in fact they do put forth four
14 strawmen risk metrics to be considered broadly again
15 the waste and materials area.

16 One relates to fatalities. A second
17 relates to a frequency of a large dose perhaps on the
18 order of 25 rem. A third relates to possibly setting
19 a dose cap as a goal, and a fourth, which is not
20 easily related to this area but perhaps relevant to
21 others is one related to criticality within an
22 operation.

23 The next question relates to the basis for
24 the development of strategic goals, performance goals,
25 and measures. Of course, the current approach is 10

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CFR 40, Appendix A, the standards set by the
2 Environmental Protection Agency, and individual state
3 standards.

4 The next question in the safety goal area
5 deals with safety goals, limits, or other criteria
6 implied by decisions for evaluations. We do have
7 NRC's radiological concentration for air and water
8 effluents, the EPA standard for groundwater, and
9 occupational protection guidelines and standards.

10 The next question relates to tools and
11 data needed for validation of safety goals. If one
12 were to formulate safety goals in this area how do you
13 know that you've met the safety goal? When do you
14 know that you're there? And on this area models and
15 data for risk to workers during operation would be
16 important. These would have to be developed. They've
17 been partly developed, but these were the types of
18 information and tools that would be needed. Models
19 and data for both long-term and short-term
20 environmental impacts would be very important too.

21 The next question deals with who are the
22 populations potentially at risk? I've separated this
23 out into two areas. One is during normal operations,
24 and this seems to be mainly the workers, and then
25 during off-normal events. Well, this would include

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the nearby population in the area, and then one would
2 consider after operation ceased there would be those
3 who would come in contact with the site, either
4 directly or via liquid pathway exposures.

5 What would be the potential consequences
6 to the populations at risk? Well, for workers there
7 would be various consequences. One would be in the
8 industrial -- normal industrial accidents,
9 transportation, chemical risks at some of the
10 facilities, exposure to radon and other radionuclides.
11 For the public it would be exposure to effluents from
12 off-normal events, for example, wind-blown
13 particulate, yellow cake, groundwater contamination,
14 and transportation accidents.

15 The next question addresses the parameters
16 to be considered in formulating safety goals. There
17 are a range of parameters to be considered in this
18 area. One is related to the populations at risk:
19 workers versus public; individuals and individual
20 goals be formulated and/or societal goals; off-normal
21 events, normal events should both be considered, one
22 or the other; acute fatalities/latent fatalities,
23 serious injuries for the uranium recovery area. It
24 would be hard to see acute radiological fatalities at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this point in our evaluation -- and environmental
2 damage and property damage.

3 These are all valid risk indices or risk
4 categories for consideration in formulating safety
5 goals in this area. Our minds are open right now as
6 we proceed through this.

7 So what's the feasibility of developing
8 safety goals is the next question in the case study
9 plan. We believe this is something that is worth
10 pursuing. It would help to focus regulatory
11 oversight. We very much would like to get your input
12 to this and hopefully during the next phase of this
13 meeting tonight we'll get some of that.

14 The next question focuses on methods,
15 data, results, safety goals, or regulatory
16 requirements to risk inform similar cases. Thinking
17 broadly, there may be in the low-level waste area some
18 issues, challenges that could benefit from similar
19 approaches, and also closer to home for the uranium
20 recovery industry are byproduct material disposal,
21 which could be risk-informed in a similar way.

22 The next set of questions relate to
23 developing safety goals. Once they're developed --
24 and we don't have those yet, so this is deferred.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The draft screening criteria themselves as
2 you heard a few minutes ago are really there to be
3 tested by these various case studies, and we've done
4 this in some of them and we're proceeding to others
5 now. But the whole idea ultimately of why do we want
6 to do this -- we'd like to ultimately have final
7 screening criteria so that in the waste and materials
8 area when one considers a challenge -- an issue a
9 safety issue and one wants to know whether risk-
10 informed methods information could be useful we'd like
11 to be able to turn to the screening criteria and
12 understand how to efficiently and effectively use them
13 in regulatory application, so that's our ultimate goal
14 in this.

15 So the draft screening criteria -- the
16 first four are very thinly disguised statements of the
17 NRC's high strategic objectives: maintaining and
18 improving safety. Here the risk-informed approach
19 could be helpful in balancing various risks,
20 understanding radiological and non-radiological risks
21 in the uranium recovery area.

22 The next question relates to improving
23 efficiency or effectiveness in the regulatory process.
24 It could be helpful to the regulator in reviewing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 submittals by licensees. It could be helpful to
2 inspectors in prioritizing resources for inspections.

3 The next question relates to reducing
4 unnecessary regulatory burden. It could be helpful
5 very much here in understanding the importance of
6 various issues, trying to separate the important from
7 the unimportant and working together with the
8 regulator in focusing on those issues.

9 The fourth of these questions relates to
10 communicating regulatory decisions. Putting these
11 various regulatory decisions in a risk context could
12 be very helpful. Understanding risk effects on
13 workers and public could be a very effective way to
14 communicate how a decision has been made.

15 The next question relates to sufficient
16 information models that would exist or would they have
17 to be developed to support a risk-informed approach.
18 There are bits and pieces of models out there that can
19 be used. Some would have to be developed depending
20 upon the exact applications, and as Marissa said,
21 we're very early in this process but I think this is
22 a very valid question.

23 The next question is can a risk-informed
24 approach be implemented at a reasonable cost and
25 provide a net benefit? One thing to observe here and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recognize is that there probably should not be a
2 revolution towards a risk-informed approach. Rather
3 we should do this in a very evolutionary way. There
4 are some tools in place. There's information from
5 other areas where risk-informed approaches have been
6 tried, so I believe that we need to move in a
7 deliberate way, understanding what we're doing,
8 gaining from lessons learned. I think this is a
9 potentially positive approach to take.

10 And do other factors exist which would
11 preclude implementing a risk-informed approach?
12 Again, we'd like to hear from you about that here
13 tonight. In our studies so far over the last two
14 months we haven't found any show stoppers in this
15 area.

16 Observations, very preliminary
17 observations: the Atlas risk studies showed how risk
18 information can be used to provide additional
19 perspective. I think they've done that very nicely.
20 ALARA principles have demonstrated to be useful in
21 regulation in this area, and the current study by the
22 center suggests a potential efficacy of risk-informed
23 approaches, but again, we haven't seen that full
24 study, but it promises to be a useful one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Preliminary conclusions: expanded use of
2 risk information seems possible in the uranium
3 recovery area. Safety goals may be feasible here. It
4 seems to be rudiments of them already in various
5 documents; the question of being able to craft them
6 effectively and putting together a cogent story in
7 this area.

8 We found in this study that the screening
9 criteria have been effective for us in terms of trying
10 to understand how to proceed and this may be also a
11 case in some of the other studies that have been done
12 and possibly in the ones that remain, but it's too
13 soon to tell, but so far the questions seem to be
14 reasonably posed.

15 That concludes my talk. Thank you for
16 your attention.

17 DR. RATHBUN: Thank you very much, Bob.

18 We're going to have to ask your indulgence
19 now as we need to take about a five-minute break so we
20 can reset up the microphones, and then when you come
21 back from your break you can ask all the questions you
22 want. So I think somewhere around 8:00 we should have
23 it done.

24 (Whereupon, a short recess was taken.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. RATHBUN: Before we start taking your
2 questions and comments I want to clarify something
3 that I probably did not make clear earlier. This
4 meeting is being recorded and it will be sent to a
5 transcriber, so we are on the public record, so I just
6 want to make sure that I didn't make that too
7 complicated, but she just isn't doing a regular
8 transcriber thing, but that will get done next.

9 Okay. What kind of questions do you have
10 for the risk group tonight? Sir?

11 MR. MACKIN: My name is Pat Mackin for the
12 Center for Nuclear Waste Regulatory Analyses, and I
13 have a couple of comments and questions. The first
14 dealt with Dr. Bari's discussion of ALARA, and finding
15 that ALARA principles were useful in your assessment
16 so far.

17 I guess I'm asking for a little
18 clarification on that, because I'm wrestling with the
19 same issue in the assessment we're doing of ISL
20 facilities; there are a number of instances where
21 risks are extremely low for certain kinds of things
22 that can go wrong, and if they're low how does ALARA
23 come in? How much extra effort should you put into
24 tackling something that isn't much of a problem to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 begin with? And I'm wondering if you had any success
2 dealing with that question.

3 MR. BARI: Well, as I indicated, we're
4 early on the study. What we're really trying to say
5 here is that you should recognize both the benefits
6 and the cost of implementing ALARA, and to the extent
7 that you can do that of course you should.

8 MR. MACKIN: Can I ask another one, make
9 another comment?

10 MR. BARI: Yes.

11 MR. MACKIN: You said -- I was trying to
12 make notes -- I think it was on slide 16 and 25 you
13 mentioned that there were bits and pieces of tools and
14 models available for doing risk assessments. One of
15 the things we think we have found is that there is an
16 overarching technique for looking at risk, the
17 integrated safety analysis process, which I think was
18 originated by the chemical industry and it's now used
19 by certain NRC licensees and programs as well, and
20 that's a fairly well-established step by step kind of
21 process.

22 What we found is that since that process
23 exists the only question is whether there are
24 techniques available to look at your particular
25 problem, and for the NRC's mission it seems like there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are accepted techniques for looking at things like
2 doses that are generated from dispersal of materials
3 either in air or the water or the food chain, and that
4 there are computer codes available to assist with that
5 kind of assessment, so in fact the tools might already
6 exist in many of these areas.

7 The place we found the need to be a little
8 creative maybe is it might not be efficient or cost
9 effective or even useful to do a by the numbers
10 integrated safety analysis of some problem. If you
11 look at a specific problem and its nature, the
12 materials involved, the kinds of operations that go on
13 in a facility, you may find that the best thing to do
14 is to tailor that approach to the specific problem
15 you're doing, and you might be able to streamline
16 things and actually avoid unnecessary effort, because
17 some of that process can be quite expensive and time
18 consuming.

19 MR. BARI: I agree with that. You're
20 exactly right. In fact, what I would advocate is a
21 screening type approach where you look at the various
22 initiators of events, things that can go wrong, and
23 then try to bound them in some way, get a sense of
24 their relative importance, and then you focus on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 big rocks that are still sticking out of the water and
2 put your emphasis there.

3 And you're quite right about the chemical
4 industry. There are approaches there, the so-called
5 HAZOP approaches, which I think can lend itself very
6 nicely to this area, particularly -- we were at White
7 Mesa yesterday and I could see HAZOP approaches being
8 used there along with as you say, the back end looking
9 at the doses, the emissions and effluents, and there
10 are standard approaches there. And there again, you
11 might -- don't want to use a full-blown transport
12 theory for effluents --

13 MR. MACKIN: Right.

14 MR. BARI: -- where a simpler analysis
15 might be best applied.

16 MR. MACKIN: I have one more comment if I
17 can. One of the screening criteria is that it would
18 help communicate a problem or a decision --

19 MR. BARI: And maybe the problem too.

20 MR. MACKIN: I agree with you, except one
21 difficulty I see is if you end up using some sort of
22 probabilistic approach it may be very difficult to
23 communicate results of that nature to some
24 stakeholders, to some members of the public who are
25 not familiar with those approaches. So I think those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of us who are engaged in that have to be careful about
2 how we use the results, make sure they're translated
3 in terms that are readily understood.

4 MR. BARI: That's quite correct as well.
5 I didn't mean that -- didn't want to imply that one
6 would present the arcane results of some statistical
7 analysis to let's say the uninitiated in that area.
8 However, there are simple very qualitative statements
9 of risk that people can understand in terms of their
10 every day lives if one presents that rather than a
11 rule that they might not understand, may in fact also
12 be presented in some arcane way it may be better to
13 have a simple measure of risk against some
14 understandable safety goal if one such thing were
15 formulated.

16 MR. LEACH: My name is Melvin Leach, NRC
17 Licensing Branch.

18 Marissa, you gave the five-step process
19 that came out of SECY 99-100. The first four of those
20 appear to be sequential steps. I'll just go over them
21 for everybody's ease of reference: identify candidate
22 applications; decide how to modify the approach;
23 change the approach; and then implement risk-informed
24 approaches. Those seem to be sequential steps. The
25 fifth one concerns me if that's viewed as the last

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 step of the sequence, which is develop or adapt risk-
2 informed tools.

3 In the reactor side of the house I think
4 we got the tools after some of the approaches were in
5 place, and I'm thinking of the significance
6 determination process site specific work sheets. I
7 don't know how much you're familiar with that, but the
8 fact that those were not in place a year earlier or so
9 made a lot of work for the inspectors and enforcement
10 specialists within the agency and made our process
11 somewhat vague for licensees and members of the
12 public, because it wasn't clear how we were doing
13 business.

14 So I'd encourage you to get the tools in
15 place at the right time to support whatever approach
16 we take.

17 MS. BAILEY: I think you're right, and I
18 think really if you look at those five steps that are
19 presented in SECY 99-100 they look like they're
20 supposed to be sequential steps, but if you really
21 look at them the only thing that really needs to occur
22 step number one is the first one, is to identify the
23 application, the regulatory applications. The other
24 four steps can occur I think in parallel, or step five

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 could occur before step two, so I think we do
2 recognize that, but thank you for the comment.

3 DR. RATHBUN: Lawrence has a comment.

4 MR. KOKAJKO: Mel, I know you know this,
5 but for other members of the audience who don't you
6 are correct that it is not a sequential thing. In
7 fact, even what you think is a sequential probably is
8 not because we're looking at a number of programs
9 within NMSS and the NRC. They could be portable
10 gauges all the way up to decommissioning: spent fuel
11 transportation, spent fuel storage, so we're looking
12 at a far broader range of things than just uranium
13 recovery.

14 Uranium recovery is just really a
15 relatively small subset of what we're looking at right
16 now, and it's because of that diversity -- each
17 program is starting off at a little different level in
18 terms of risk assessment and risk management, and
19 because of that that's why you see this sort of
20 stilted view of the approach. In an ideal world I
21 think we would approach it a little bit differently,
22 but even if you go back to NRR and the reactors WASH
23 1400 came out with very little information when you
24 think about it, yet it was a very effective and a very
25 good predictor of plant behavior over the long haul.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we do recognize that, but SECY 99-100
2 was developed because it was looking at a broad range
3 of regulatory applications, not just uranium recovery.

4 MR. LEACH: Mel Leach again. I would ask
5 that when you look at your screening criteria at the
6 end of this you look at what got kicked out in the
7 process, because if the screening criteria never kick
8 anything out they're not really doing much for you,
9 and if criterion five never does anything then maybe
10 we don't need criterion five for example, and if none
11 of them as a group kick anything out then perhaps we
12 don't have the right screening criteria.

13 MR. KOKAJKO: Thank you for your comment
14 on that. You also understand that besides these case
15 studies Risk Task Group is also doing other work in
16 systems of four divisions, and in fact, either on
17 other applications we are using the screening criteria
18 now, and it has in fact kicked things out. So we
19 think the screening criteria is working.

20 Does it need refinement? We think so.
21 There's a couple of questions that I think probably
22 need to be changed, but in general we think it's been
23 effective, and other divisions are using it now, IMNS
24 being one of the more notable ones, particularly in
25 the application regarding rulemaking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. RATHBUN: Marissa, did you want to add
2 to that?

3 MS. BAILEY: I was trying to tell Jim to
4 put that on our --

5 DR. RATHBUN: Thank you.

6 Next question. Sir, in the red jacket.

7 MR. WIATZKE: Gerd Wiatzke, Senes
8 Consultants.

9 We were one of the authors of the paper on
10 Atlas and as I mentioned at the break we have the
11 information that we presented at the PSA '96 meeting,
12 and we certainly could provide that to you to give you
13 more detail on that. Also, we've been involved in
14 risk assessment for a long time for the mining
15 industry, and several of the initiatives that we're
16 aware of were in fact University of South Carolina
17 Medical Center.

18 I believe they've done a major risk
19 workshop in around '95-96 at which the German Ministry
20 of Finance presented their risk-based approach on the
21 decommissioning of the former East German uranium
22 mines, and I can provide you information when I get
23 back on that material, but it was an enormous
24 challenge for them to deal with 6,000 contaminated
25 objects that was transferred to them all at once, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they had to come up with an approach under their law
2 and the risk-based approach was the one they selected
3 for moving ahead, so I can provide you separately with
4 some information on that.

5 MR. KOKAJKO: Thank you very much.

6 DR. RATHBUN: Another question?

7 MR. CARSON: Louis Carson, NRC Region 4
8 inspector. I was noticing on slide number 18 on
9 potential consequences to the populations at risk you
10 point out the chemical risk to workers. However, when
11 you get to the public section of it we don't seem to
12 be looking at chemical risk to population groups, and
13 that could occur as a result of transporting material
14 from say Atlas to wherever the material is going to be
15 resent. There's going to be chemicals associated with
16 that. I'm not sure -- informed the NUREG for that
17 address.

18 Those chemical issues are for an
19 operational ISL or traditional mill. They're what are
20 called hazardous bulk chemicals that are under the 29
21 CFR 1910 standard for bulk hazardous chemicals, the
22 PSM standard for which possibly your organization
23 could identify through those type of operations what
24 type of chemical operations that if released would not
25 only injure or potentially injure occupational workers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but if they released off site presents a hazard in
2 terms of the general population.

3 It seems that the only area whereby
4 chemicals -- where you seem to be addressing or
5 recognize have to do with stationary situations
6 whereby you're looking at groundwater chemistry or
7 groundwater chemicals affecting the environment, for
8 which I'm not sure how you really look at the risk
9 there in terms of risk assessment really having hazard
10 to anything but the environment and what level it is.
11 However, if you have a chemical release that harms the
12 population and that falls to the EPA domain and
13 potentially something called a chemical safety board
14 for which -- assesses blame and potential corrective
15 actions of not only the operator but the regulatory
16 agency.

17 So I seem to notice that your slides are
18 necessarily just chemical risk to populations.

19 MR. LAYTON: Yes. I'm Mike Layton with
20 the Uranium Recovery Program at NRC, and Louis's point
21 is well taken, and I would like to maybe expand a
22 little bit on what Bob presented when he referenced
23 the report that the Center for Nuclear Waste
24 Regulatory Analyses is working on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Chemical hazard to both worker and public
2 impacts was considered as a part of that analysis, and
3 the report is in the final stages of being completed
4 and should be available for public review very
5 shortly. And Pat Mackin, who presented the first
6 couple of questions has been working rather closely
7 with Brookhaven in bringing them up to speed with what
8 types of analyses and concerns that they evaluated in
9 their effort, so that is being caught and encompassed
10 in the effort that Brookhaven is pulling together on
11 this.

12 DR. RATHBUN: Louis, does that answer your
13 question or did you want to give us some more
14 suggestion?

15 MR. CARSON: I guess the principal
16 suggestion that would give me some comfort is to know
17 that in your assessments that you're looking at,
18 uranium recovery against the -- I think it's NUREG-
19 1501 standard for PSM chemical safety analysis that
20 the field cycle group has and that you're using that
21 type of protocol to look at chemical risk, because
22 even within that one of the documents referenced was
23 a risk assessment process that the chemical industry
24 uses, and I'm not sure NRC is necessarily using it,
25 particularly in the area of uranium recovery.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. RATHBUN: Thank you very much.

2 Next question? Gentleman in the blue
3 shirt.

4 MR. WEAVER: Ken Weaver, State of Colorado
5 Department of Public Health and Environment. And I
6 waited until the end because this is really a side
7 note or a footnote even to this, but it relates very
8 much to the uranium recovery facilities, the operating
9 uranium mill which we do have in Colorado, so there's
10 more than one.

11 These criteria seem not to be zero based.
12 They seem to begin instead with the current regulatory
13 framework as it would apply to existing regulated
14 facilities, just reading through that, and there's an
15 irony that might seem to appear, which is that the
16 safety goal might be what the doctors say, First do no
17 harm. In other words, don't change something that,
18 from an ALARA point of view, might be working.

19 In Colorado we've had decommissioning of
20 a nuclear power generating station. We've had
21 megacuries of cesium at our IO-tech facility and C&D
22 commissioning of that, so we know that magnitude of
23 risk.

24 But we also have a licensee, a public
25 water treatment plant required to remove uranium and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radium decay-series material to make people's drinking
2 water safer. The external radiation from the water
3 treatment residuals requires the treatment plant
4 operator to be a radiation worker, perhaps tens or
5 hundreds of millirem per hour in some places, and yet
6 a regulatory requirement or a piece of the framework
7 that we have, the regulatory approach that we have
8 really right now would prevent that radium-bearing
9 material, uranium series material, from going to a
10 tailings impoundment that is designed to withstand a
11 maximum credible earthquake.

12 It has a thick clay liner. It will be
13 covered with a thick cover that's designed to
14 withstand a probable maximum flood series, and has a
15 volume now or capacity of 1.8 million cubic yards, and
16 yet isn't able to take a few thousand or even tens of
17 thousands of cubic yards of this hundreds of
18 picocuries per gram radium material from several
19 drinking water supplies that want to treat and remove
20 that from the water.

21 And so the irony is that from the ALARA
22 point of view, there's something that would make the
23 water safer, and it would enable that radium-bearing
24 material to be away from those treatment plant
25 operators, perhaps not needing a license for that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 facility, and the material would be sequestered
2 permanently out of -- clearly out of harm's way.

3 And so it might be a reasonable safety
4 goal to have first in mind that you not stand in the
5 way of reducing risk in the spirit of reducing
6 exposure to individuals and releases to the
7 environment as low as is reasonably achievable.

8 I wanted to leave that logic here, but I
9 think it's a way to come to ground with some of the
10 decisions we make when we do radiation control through
11 our licenses, and the control is a little different
12 from the dose risk harm considerations. The
13 regulatory approach should enable that additional
14 control and support that and at least not interfere
15 with it.

16 DR. RATHBUN: Lawrence, do you have a
17 question?

18 MR. KOKAJKO: I want to thank you for your
19 comment. We appreciate what you're saying. You are
20 correct in your initial assumption that we are
21 assuming that the current regulatory framework is
22 intact. That was the guidelines that was given to me,
23 but however, within that hopefully we will look at
24 whether or not we need to change that, whether or not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we need to take a look at the rules or licensing
2 inspection or enforcement processes as we go on.

3 And this is not a -- we're not going to
4 get there in a couple of weeks, but hopefully this
5 time next year we may have something that may provide
6 some meaningful guidelines for just what you're
7 talking about, and if I'm invited back to the next,
8 maybe I'll have something to say to you then. So
9 thank you for your comment.

10 DR. RATHBUN: Okay. I guess that is our
11 last -- I'm not trying to cut you off.

12 MR. HAMRICK: My name's John Hamrick, and
13 I have something to share with you and also a comment,
14 and then a comment of another who was not able to make
15 it here to the meeting tonight.

16 But in part of what you're talking about
17 tonight you're talking about estimating risks for
18 workers, mill workers, that type of thing. I'm not
19 sure that you're aware that NIOSHA is undertaking an
20 epidemiology study, and they are close to proposing
21 their model that they're going to be using to analyze
22 their results with. I believe they're looking at some
23 time possibly in the next three months to have the
24 results of this epidemiology study available, so
25 that's something you may want to -- and I can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certainly provide you more information if you need
2 contacts. Dr. Thomas Bloom out of Cincinnati is
3 heading that up for NIOSHA.

4 Also, slide 18 -- focusing on one that was
5 talked about previously where we're talking about
6 chemical risks and perhaps industrial and
7 transportation risks -- in the nuclear industry we're
8 all familiar with the ALARA principle, but there is
9 not everyone agrees and there is some controversy
10 about whether ALARA is appropriate for chemical risks
11 where exposure thresholds may exist and that type of
12 thing.

13 The comment that I have from Anthony
14 Thompson is -- deals with slide 27. It says, Do other
15 factors exist which would preclude implementing a
16 risk-informed approach? And his comment has to deal
17 with an in situ leach situation where interveners
18 essentially in an informal atomic safety and licensing
19 board procedure were able to really throw a monkey
20 wrench into the system and into the process, and so
21 there are other factors that exist that would preclude
22 implementing, and in an informal process where
23 interveners were allowed to present many thousands of
24 pages of documents that then had to be considered in
25 an informal process is certainly such a factor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. RATHBUN: Thank you very much.

2 Next question?

3 MR. KOKAJKO: Thank you for your comment.
4 I appreciate it. I'd like to address your latter
5 comment from your associate who's not here.

6 In fact, the seven screening criteria has
7 been noted as perhaps being a little bit flawed just
8 for something you said. Adverse stakeholder reaction
9 would be something that could perhaps make it very
10 difficult to do. However, just because someone goes
11 before a hearing board it doesn't necessarily mean
12 that you shouldn't do it.

13 When we were thinking adverse stakeholder
14 reaction we were thinking something much broader
15 scale, such as a public outcry on below regulatory
16 concern, which the NRC tried to adopt back in the
17 early '90s. There concerned citizen groups,
18 environmentalists, and others banded together and
19 spoke with one voice, which doesn't happen very often,
20 and were able to get the ear of the Congress in a way
21 that got our commissioner's ears, and so that would be
22 a much broader scale type of thing.

23 We have identified the fact that we will
24 need to look at adverse stakeholder reaction in terms
25 of the seven screening criteria with a little more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fine eye. Just because one or two people are against
2 it doesn't mean that we can reject it, and we are
3 sensitive to that, and we will probably modify the
4 seven screening criteria just so that doesn't happen.

5 MR. WEBER: My name is Mike Weber from
6 NRC. I had a question and a comment. I'll start with
7 the comment then I'll go to the question.

8 My comment is I was struck by your
9 presentation on the availability of the risk
10 information and the techniques because you focused on
11 Atlas, and I think that's a good focus because there
12 is a lot of information available, somewhat recent
13 information in that area that can inform the analysis
14 of the case study per uranium recovery.

15 My comment is given that you want to
16 consider Atlas as part of your case study because in
17 fact there you have a case in point where perhaps we
18 did fairly elaborate, fairly effective risk analysis
19 but ultimately came to a conclusion that differed from
20 a conclusion reached by the US Congress, or at least
21 potentially reached by the US Congress for a variety
22 of reasons, and I think those reasons tend to be
23 informing to us in terms of how the process may work
24 outside of our little -- sometimes our technical
25 sphere address the outrage factors in a different way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than we as technical folks typically approach a
2 problem.

3 And indeed, that might be something you
4 want to look at in terms of defining risk: Is risk
5 just the technical risk, the hazard, as Dr. Saman
6 [phonetic] would refer to it, or is risk really
7 broader and includes outrage factor and how do we
8 factor that into our risk-informing decision making?

9 My question is in looking at health risk,
10 for example, from one vector alone, release of radon
11 and radon daughter products from uranium milling and
12 in situ mining what's the population and what is the
13 time frame over which we're considering the health
14 effects?

15 MR. BARI: In the study we're not
16 exclusively looking at White Mesa and Smith Ranch.
17 Atlas, to the extent that we have information to
18 enrich the case study, will be part of it. That will
19 definitely be the case. What we did find on it very
20 intriguing and interesting, and if we do find
21 information on other ISL's or mills, whether they're
22 operating or not, we'll include that where it's
23 relevant to the study.

24 As far as the risk parameters, with radon
25 goes -- from my point of view it's too soon to tell in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 terms of the risk study, but maybe I'll let Mike
2 Layton talk about what they do.

3 MR. LAYTON: I'll try to shed some light
4 on part of the question that Mike Weber had on what
5 kind of time frame we're looking at whenever we're
6 doing these evaluations for impacts from radon.

7 For in situ facilities which are -- I
8 would characterize more as like an operational
9 chemical facility, the type of exposure that we're
10 concerned about whenever we do the licensing is really
11 a life time risk to workers and members of the public.
12 That's a little bit different with the mill tailings
13 facilities, in which there are large volumes of low
14 activity radioactive material that are going to be
15 around for quite a long time, and the regulations that
16 we work under really consider that risk for quite a
17 long time, given that our design standard for control
18 of the mill tailings facilities are the design
19 standard of a thousand years to the extent practical,
20 but in no case anything less than 200 years.

21 So it's quite a wide range of time frame
22 as we're considering these risks.

23 DR. RATHBUN: Dennis?

24 MR. SOLLENBERGER: Dennis Sollenberger,
25 Office of State and Tribal Programs, NRC.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 One thing you may want to consider -- I
2 notice in your reference documents you referred to the
3 EIS for Appendix 8 of Part 40 the NRC issued. You
4 didn't mention the EIS in support of the EPA
5 standards, whether that was being considered, and
6 since the EPA did set a different radon standard than
7 NRC, there is a different risk base there for the
8 radon release.

9 And also I think in about 1988 if my
10 memory serves me right there was a study done by the
11 National Academy of Sciences that were looked at the
12 risk basis for the uranium industry regulation, and I
13 think that ought be looked at, because again, they had
14 some differences of opinion than those that were used
15 for the basis of the regulations, so I think that
16 would be worth your study, looking at that also.

17 MR. KOKAJKO: Thank you.

18 DR. RATHBUN: Do we have any more comment?

19 (No response.)

20 DR. RATHBUN: Okay.

21 MR. KOKAJKO: Pat -- Clifton, do you have
22 any comments tonight? Clifton is from NEI. He always
23 seems to have comments.

24 MR. FARRELL: Yes. My name is Clifton
25 Farrell from the Nuclear Energy Institute. I just had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 three items I wanted to ask you about, but first I
2 wanted to preface the comment on something Mike just
3 brought up, and I'm afraid if we try to start
4 evaluating the political risk associated with
5 decisions related to uranium recovery that's just
6 opening a quagmire. I don't know where in heaven's
7 name we'd ever start to try to provide some guidance
8 there.

9 My first question is pertaining to the ISO
10 recovery operations, the in situ mines, you made no
11 comments as to how you plan on proceeding to either
12 evaluate the existing risks at such facilities and how
13 to incorporate them into your evaluation of the seven
14 criteria, so I was hoping maybe you could tell us a
15 little about how you're doing that. And I think
16 perhaps there's a paper being presented tomorrow as I
17 understand from the Southwest Research Institute which
18 I gather is under -- has undertaken a study that
19 started before this Risk Task Group was incorporated,
20 and that might be very useful to really get our hands
21 around that.

22 I have spent the last few years working on
23 the risk informing of Part 70. That's the regulation
24 related to fuel fabrication and the Mox people and so
25 on, and this idea of the integrated safety analysis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was very thoroughly developed, and I think that's the
2 type of study we need, both for a conventional mine or
3 an ISO mine, but granted, the time and the scope of
4 your study will not enable you to do that, but at
5 least perhaps looking at some of the approaches that
6 the integrated safety analysis follows might be useful
7 there, again to get our hands on what are the true
8 risks to the public or the workers from a Part 40
9 operation.

10 I guess I would encourage us not to -- to
11 stay with your suggestion, to go for only a
12 qualitative statement of risk. I want to get us away
13 from trying to get a highly detailed quantitative
14 analysis, the PRAs that are used and are very
15 appropriate for reactors at least in Part 70 where we
16 do have a possibility of nuclear criticality the new
17 regulations under Part 70 do enable you to either stay
18 with a qualitative assessment or risk or you can go
19 quantitative if you wish, but I think in terms of --
20 we have to look at the overall risk of the operation
21 and what is an appropriate level of detail and study,
22 so that poses some just general comments on that.

23 I was a little curious about your comment
24 on the delay -- or your caution in proceeding too fast
25 with introduction of risk information into regulation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of Part 40 facilities. I think we have very good
2 information in the past from adding this approach to
3 the Part 50, the nuclear reactor licensees, the Part
4 70 licensees, which is just in progress, and to some
5 extend the Part 35 medical licensees, so I think we've
6 got a lot of good background to work on and I think
7 the impact on Part 40 licensees will be very positive
8 both from the regulatory point of view but also the
9 oversight point of view in terms of inspection,
10 enforcement, and so on to help the inspectors to
11 concentrate on issues of real risk significance as
12 opposed to issues of lesser safety significance, so I
13 think it's to our benefit to look at risk informing
14 performance based approach.

15 I guess one final comment. I'm just
16 wondering if our -- if the scope of work that you
17 outlined is a little too broad? For example, I'm
18 wondering if we should be spending a lot of time
19 looking at possible models for quantifying exposures
20 to the public or the environment or workers. I think
21 there's a lot of work done as a previous comment is
22 mentioned on that. I wonder also whether we should
23 worry at this stage about the -- I keep calling them
24 societal benefits or public perception. Granted, this
25 is very important, but I think at this first stage we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 need to know is there a possible application the risk-
2 informed principle to Part 40 licensees, and if there
3 is then I think we can advance to see if this can
4 satisfy the need for public understanding of what
5 we're trying to do.

6 Anyway, those are just a few observations
7 from -- I'm sorry they were a little bit disjointed
8 tonight, but things that I jotted down as you were
9 going on, but --

10 MR. BARI: Yes. Thank you for all of
11 those comments. In fact, I think they're very
12 valuable.

13 I should clarify the purpose of our study.
14 It's not to do a formal or even an informal risk
15 assessment of any of the facilities that we noted here
16 tonight. Really, we're taking a look at the broader
17 question of can you bring the risk-informed approach
18 to the waste and materials area in some vague similar
19 way to the way it's been done in the reactor area, and
20 that's really the challenge that's been put to us, so
21 we're asking that question.

22 So we're not really doing risk assessments
23 for each study and for each facility and then
24 reflecting back and lessons learned and how will we
25 use this in some regulatory context. In a perfect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 world we may do all of that, in a perfect world with
2 infinite time, but this is the approach heretofore, so
3 in terms of the breadth -- the scope and its breadth
4 it's really been fashioned to meet those goals as
5 enunciated in SECY 99-100.

6 So exposure models -- we'll certainly look
7 at those to the extent that we can in terms of
8 understanding how they're applicable. In other case
9 studies we've had we did take a look at how that might
10 play out. For example, the decommissioning area with
11 the types of models that have been used there.

12 In terms of my caution for going forward
13 too quickly, really what I'm trying to say there is
14 that one should not just graft on the risk paradigm of
15 the reactor area into the materials and waste area and
16 say we've got it, let's do it, and let's revolutionize
17 how we're doing our regulation in this area. It may
18 go quicker than I would think, but judging from what
19 has happened in the past one needs to reflect on what
20 one uncovers at each application, but I'm certainly
21 not going to advocate holding it back over many years.
22 So in terms of that question, that would hopefully
23 clarify it a little bit for you.

24 In terms of qualitative statement of risk
25 and safety goals, my personal sense of it is that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should develop first some overarching goals and then
2 if quantitative objectives are derived they should be
3 really derived with those in mind rather than putting
4 criteria out in the street, so I think we're in
5 agreement there.

6 I think I could pull together your first
7 few comments, which maybe to you seemed a bit
8 disjointed, but to me one really does follow from
9 another. As I mentioned, we are not doing risk
10 studies per se for each of the facilities. We're
11 trying to rely on existing risk information, and as
12 you correctly pointed out there will be a paper
13 tomorrow as we talked about, Pat's paper, and that
14 will certainly as more information becomes available
15 on that we will use that in our case study. I'm sure
16 it's going to be valuable information to us, so it
17 works in nicely with an absence of information on the
18 ISL side, and now it's being done, so I hope that's
19 helpful.

20 MS. BAILEY: I think I'd like to repeat
21 again what the purpose of the case studies are, and
22 that's number one, it's the draft screening criteria
23 so that we can finalize our tool for determining
24 whether a regulatory application can be risk informed.
25 The second purpose of the screening criteria is to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 examine whether safety goals are feasible for NMSS and
2 what the form of those safety goals would be, whether
3 it's just a quantitative statement or a qualitative
4 statement or a qualitative statement with some sort of
5 quantitative measures. At this point it's too early
6 to tell.

7 And then the third and fourth goals of the
8 case studies are to look at all these areas within
9 NMSS retrospectively and try to determine whether
10 there's some insights we can gain from them as to how
11 we can risk inform all of the processes in the waste
12 and materials arenas, the arena of recovery being one
13 of them.

14 DR. RATHBUN: Okay. Katie?

15 MS. SWEENEY: Katie Sweeney, National
16 Mining Association.

17 I'm glad you went over that again, because
18 I think I'm still confused. I guess I hate to be like
19 what's in it for us, but what -- how is this going to
20 help industry, or is this solely to help NRC?

21 MR. KOKAJKO: I was going to ask if you
22 had a question, by the way, because I called Clifton
23 and I was going to ask if you had one, and I
24 appreciate that comment. And I think I mentioned this
25 morning this is a very modest effort compared to what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has been done in NRR in the reactor arena. It took
2 NRR, depending on who you hear it from, 15 to 22 years
3 to develop safety goals. We're going to try to do it
4 in less than two, and it would be across a broad
5 spectrum of activities.

6 What it will -- safety goals I think it's
7 in the definition that you saw there -- I'd like to
8 when I get into more colloquial term I would rather
9 refer to it as how safe is safe enough? Would that be
10 of benefit to uranium recovery if we could define how
11 safe is safe enough?

12 MS. SWEENEY: Yes. Provide some
13 definition.

14 MR. WEBER: -- less than it is now.

15 MR. KOKAJKO: That's another point. I'm
16 glad Mike brought that up.

17 I will tell you a risk-informed approach
18 will -- I'm hoping we will get to where we can say how
19 safe is safe enough, but it's a two-edged sword.
20 There are points -- and we have talked this over with
21 other representatives of a number of regulated
22 activities, and I think they recognize that yes, we
23 might be able to reduce burden in one area or more, or
24 a lot of areas, but there may be something where they
25 and we have missed in our regulatory framework. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 said we should have been regulating this a lot more
2 than we ever thought we should have.

3 And that's why I said earlier that it's
4 just a tool. It's one tool to help us try to focus on
5 safety. And I think you are as concerned about safety
6 as I am, and in fact, maybe even more so, because you
7 ensure safety. I'm trying to assure it by being the
8 regulator, but the miners and the millers and
9 everybody else, those are the people that are ensuring
10 safety, and they're doing it on a day to day basis.
11 You guys know more about what is a real risk and how
12 to handle that than I can, and that's why we're having
13 this meeting by the way, but more importantly, I have
14 to rely upon you to help do that.

15 If in the regulatory processes you can
16 tell me -- if we can learn together how safe is safe
17 enough we will then have our benchmark by which you
18 can determine how you will go apply your programs, how
19 we will apply our programs.

20 Does that help?

21 MS. SWEENEY: Yes.

22 MR. KOKAJKO: And thank you for saying
23 something.

24 MR. WEBER: If I could just build on what
25 Lawrence said, even though I'm not up at the table,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 even if we never get to some broad, lofty safety goal
2 and even if we don't find that these criteria work --
3 I don't happen to think we'll come out at that point,
4 but let's say for the sake of discussion we conclude
5 they're not worth anything and throw them away, at
6 least one minimalist application of thinking about
7 risk informing our regulatory activities is that it
8 does change the mindset of the license reviewer, and
9 it changes the mindset of the inspector or at least it
10 should, so that as we go about doing or business, as
11 we strive to become more effective and efficient we
12 can hone in on those things that really contribute to
13 risk, and those things that don't contribute
14 significantly to risk, maybe those we ought to back
15 off on.

16 And that's -- I think that's the payback
17 to not only the license community but more broadly to
18 the American public, because if there are areas that
19 we don't need to be regulating as stringently then
20 under our performance goals of reducing unnecessary
21 regulatory burden and being more efficient and
22 effective we ought to back off. We're obligated to do
23 that under our regulatory program. So just my two
24 cents.

25 MR. KOKAJKO: Thank you, Mike.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. RATHBUN: Thanks, Mike.

2 Okay. Gentleman in the tan coat?

3 MR. PAULSON: My name is Oscar Paulson
4 with Kennecott Uranium Company, and the last two
5 speakers discussed the terms of real risk and what the
6 real risks are, and the fact that the people working
7 in the uranium recovery industry really understand
8 these real risks, and certainly from the perspective
9 of where I work and the things I see as well as being
10 around other uranium operators the real risks, the bad
11 and sometimes serious risks are not the ones that
12 necessarily related to radiological health and safety
13 and things like this, but the real risks for example
14 are things like transportation risks; a worker being
15 injured or killed driving a vehicle or piece of
16 equipment, or a member of the general public being
17 injured or killed in an automobile accident.

18 For example, when the Susquehanna tailings
19 pile near Riverton, Wyoming was moved to another
20 tailings repository there was an automobile fatality
21 involved during the course of moving those tailings,
22 and certainly that's a real risk, and it resulted in
23 a real fatality.

24 Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KOKAJKO: Thank you for your comment.
2 I'll note that same concept has been brought up in
3 another case study. It was the Trojan reactor
4 pressure vessel shipment case study where the licensee
5 in conjunction with not only the environmental groups
6 but the State of Oregon and Washington said, We only
7 want one shipment instead of 44, instead of cutting up
8 and having man-rem exposures and then having 44
9 additional shipments we want one and no exposure. So
10 we've -- coming across that already.

11 We also -- I think Lou Carson mentioned
12 earlier this evening that there may be other hazards
13 than radiological. We note that. We appreciate your
14 comment.

15 I need to add as just a caveat that part
16 of what we're doing -- we have to work within the
17 framework that we're given right now, and so I'm not
18 sure that I'm going to be able to address all the risk
19 associated with all the operations. However, it may
20 be something that requires further efforts on the part
21 of the staff to try to assess better, and we may make
22 some headway there, but I -- once again, we can't
23 solve that problem tonight or in the very near term.

24 But thank you for your comment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. RATHBUN: I just got the time-out
2 warning from Tim, so we probably have time for one
3 more, if there's one more question or comment.

4 (No response.)

5 DR. RATHBUN: If not, then I want to
6 personally thank you for coming here tonight and
7 giving up your evening to work with us. I certainly
8 appreciate it and I know the team members appreciate
9 it. I'd also like to thank you for being such good
10 sports about the microphone.

11 Lawrence has just a few closing remarks
12 for you and then enjoy the rest of your evening.

13 MR. KOKAJKO: Thank you, Pat.

14 I would like to thank you for
15 participating tonight. As Pat said, I realize you
16 have other things to do, and I appreciate your coming
17 and taking the time to spend with us on this cast
18 study stakeholder meeting on uranium recovery. We
19 view feedback from those outside the agency as well as
20 those from within to be an important ingredient in
21 implementing the case study plan. Your input
22 regarding the testing of the screening criteria and
23 possibly development of safety goals is important to
24 understanding what areas we can do to expand the use

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of risk information in the materials and waste arenas
2 at the NRC.

3 Before I finish tonight I want you to note
4 that we have started this back in April of 2000 and
5 we'll continue our integration meeting in October
6 2001, at which we will provide more information on our
7 review to date. Once again, I point you to the time
8 line here. May 11 we had our last case study meeting
9 in Rockville, Maryland, and if you go to the next
10 slide you see we've just now completed June 13
11 meeting, and we're going to be moving on as the
12 schedule shows.

13 Once again, if you did not sign the
14 attendance sheet I encourage you to do so so we can
15 contact you to invite you to that integration meeting
16 in October 2001. We hope to issue the reports at the
17 end of the calendar year, as I mentioned earlier, and
18 if feasible go into development and safety goals in
19 2002. I anticipate that we'll be having other public
20 meetings as we move through here to try to get more
21 input on these matters.

22 As I mentioned in my opening remarks, we
23 are interested in feedback on your views of how this
24 meeting went, and the feedback forms are available at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the back or you can talk to one of us directly, and I
2 think you can mail it in.

3 I'd also like to thank those involved in
4 coordinating and presenting this meeting tonight,
5 especially our facilitator Dr. Patricia Rathbun,
6 Marissa Bailey, Candace Drummond, also Jim Dana,
7 wherever he went to. Our subject matter expert, Mike
8 Layton and Dr. Robert Bari and Ed Grove from
9 Brookhaven National Laboratory, and I would especially
10 like to thank Katie Sweeney of the National Mining
11 Association for helping us get all this set up. Your
12 help was invaluable and we appreciate the opportunity
13 to be here today.

14 I'd like to seek your comments one more
15 time. Going once, twice.

16 (No response.)

17 MR. KOKAJKO: If there are no other
18 comments or questions this meeting is adjourned.
19 Thank you very much.

20 (Whereupon at 9:00 p.m. the meeting was
21 adjourned.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701