

NUCLEAR REGULATORY COMMISSION

ORIGINAL

Title: Advisory Committee on Reactor Safeguards
483rd ACRS meeting

PROCESS USING ADAMS
TEMPLATE: ACRS/ACNW-005

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Friday, June 8, 2001

Work Order No.: NRC-251

Pages 260-310

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

**ACRS Office Copy - Retain
for the Life of the Committee**

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

483RD MEETING

+ + + + +

JUNE 8, 2001

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Committee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B3, 11545 Rockville Pike, at 9:00 a.m., Mario V.
Bonaca, Vice Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

MARIO V. BONACA	Vice Chairman
F. PETER FORD	Member
THOMAS S. KRESS	Member
GRAHAM M. LEITCH	Member
DANA A. POWERS	Member
WILLIAM J. SHACK	Member
JOHN D. SIEBER	Member
ROBERT. E. UHRIG	Member
GRAHAM B. WALLIS	Member

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

COMMISSIONER PRESENT:

GRETA J. DICUS

ACRS STAFF PRESENT:

SAM DURAISWAMY

ROBERT ELLIOT

CAROL A. HARRIS

JOHN T. LARKINS

HOWARD J. LARSON

JAMES E. LYONS

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

<u>Agenda Item</u>	<u>Page</u>
Opening Remarks, Vice Chairman Bonaca	263
Opening Statement, Commissioner Dicus	263
Discussion	264
Adjournment	309

P-R-O-C-E-E-D-I-N-G-S

(8:55 a.m.)

1
2
3 VICE CHAIRMAN BONACA: It is a great
4 pleasure to welcome Commissioner Dicus who is here
5 today to discuss some items of mutual interest. We
6 understand that first you have some remarks to make
7 and then after that we will open the floor for
8 discussion. So without much ado, I will turn the
9 meeting to you.

10 MEMBER KRESS: George wanted me to remind
11 you that he's really sorry he couldn't be here.

12 COMMISSIONER DICUS: I spoke to him
13 yesterday. His daughter is graduating today.

14 MEMBER KRESS: That takes priority over
15 anything.

16 COMMISSIONER DICUS: That absolutely takes
17 priority over everything.

18 I really don't have any prepared opening
19 comments other than I do very much appreciate the
20 opportunity to come down and discuss whatever items
21 that you have on your mind that you first -- well,
22 hello.

23 MEMBER POWERS: Hi.

24 COMMISSIONER DICUS: I didn't think you
25 would make it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER POWERS: We were in discussing
2 plans to handle the steam generator tube probe problem
3 in the future and we snuck in a quick briefing here.

4 COMMISSIONER DICUS: Very good. You had
5 prepared and I had met with Dr. Apostalakis earlier
6 and did you have something in particular in mind you
7 wanted to talk about, what was the particular interest
8 that the Advisory Committee had and he brought in an
9 outline of some topics to go over, so those are the
10 topics that I think we might be interested in
11 discussing.

12 If you had a particular priority on those,
13 I sort of have my own priority, but obviously it would
14 start out with the health physics issues that you
15 identified particularly, any needs in research with
16 regard to actinides, toxicity, metabolism in the body
17 and then what are we ever going to do with the LNT.
18 I can start with those items and then we can go on to
19 some of the technical issues.

20 MEMBER POWERS: Yes, I think we've got
21 some specific -- we need some specific guidance in
22 connection with the actinides and the toxicity issue
23 because we have this MOX facilities staring us in the
24 face here and some of that stuff takes some lead time
25 to do.

1 COMMISSIONER DICUS: Right. Let me start
2 with that. With regard to plutonium oxide and uranium
3 oxide issues, there currently is no research that I'm
4 aware of at least being done. Quite a bit of research
5 has been done in the past. The only thing that is
6 on-going is some epidemiological work with the Joint
7 Coordinating Committee of the Radiation Effects
8 Research, the JCCRER work that I'm involved with in
9 the bilateral with Russia. The Russian workers did
10 have significant uptakes of plutonium in the early
11 days of their activities there and we are looking at
12 it from an epidemiological point of view.

13 The Russians have identified what they
14 characterize as plutonium pneumosclerosis which is an
15 interstitial lung disease that leads to lung
16 deficiency in capacity. The x-rays show basically
17 fibrosclerotic lesions in the lung of the Russian
18 workers.

19 It doesn't take very much. Basically, the
20 uptakes are almost in micro curie quantities, so
21 you're not talking about a great deal of uptake, but
22 the doses range anywhere from 500 to 3700 rem dose
23 equivalent for these workers.

24 This contrasts with the American workers
25 in the Manhattan Project that had uptakes, those that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 did have uptakes, had uptakes in the nanocurie range,
2 very, very small uptakes and the doses, effective dose
3 equivalents were somewhere between 10 and 720 rem and
4 we have not identified this issue of plutonium
5 pneumosclerosis that the Russians have identified,
6 but we're talking about a lot higher doses in the
7 Russian workers.

8 The work that was done with beagles you're
9 probably aware some years ago a tremendous amount of
10 work was done with beagles and at doses of around 800
11 rad. They did identify what they called radiation
12 pneumonitis in the beagles, but again, we haven't
13 identified that in any of our workers, but again, we
14 have relatively low doses of the workers in the
15 Manhattan Project.

16 Our annual limits of intake of plutonium
17 oxide and uranium oxide is taken from ICRP document
18 number 48 and the modeling from ICRP document number
19 30 and we use those documents. Those numbers continue
20 to stand. I don't know, to my knowledge, the ICRP has
21 not determined that they need to go back and re-look
22 at these numbers. Not that it might happen at some
23 point in the future, but it has not happened yet for
24 the plutonium uranium.

25 I have in front of me a memorandum that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dated October 6, 2000, an NRC memorandum. It is from
2 Eric Leeds who is the Acting Chief of the Special
3 Projects Branch, the Division of Fuel Cycle Safety and
4 Safeguards in NMSS and Cheryl Trottier who is the
5 Chief of Radiation Projection, Environmental Risk and
6 Waste Management in risk analysis and applications, a
7 branch of research and the conclusion from this
8 memorandum is that the NMSS staff concludes that the
9 annual limits of intakes published by the NRC in Part
10 20 and other available information on plutonium oxide
11 and plutonium oxide, uranium oxide radiobiology would
12 yield conservative dose estimates were they to be used
13 to prepare license application for MOX fuel
14 fabrication using weapons grade plutonium.

15 For this reason, NMSS staff does not
16 recommend that the proposed research proposed -- and
17 there was a proposal for research -- necessary for NRC
18 to reach a safety conclusion on the construction and
19 operation of a MOX fuel fabrication facility. So the
20 staff has concluded research is not necessary.

21 MEMBER POWERS: The contention that's come
22 to that particular memorandum, it seems to me, to
23 revolve around the issue of in vivo dissolution of
24 this plutonium uranium dioxide mechanical mixture and
25 whether that, in fact, you get a conservative estimate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 from those because the biological uptake might be
2 different and different not only for the plutonium,
3 but because of the americium decay in the plutonium
4 and what not.

5 And in my looking at it, it really came
6 down to how confident this Commission thinks we ought
7 to be when we go about attacking this, the challenge
8 of licensing this MOX facility.

9 What we have basically is a plausibility
10 argument in the memorandum that we're going to be
11 conservative and not a proof and so it's one of these
12 subjective decisions. I have to admit I haven't
13 looked at the length and the breadth of it, but it
14 really basically is how confident do we want to be
15 that we are, in fact, reaching a conservative decision
16 here because of the biological uptake problem. It
17 looks, I mean it seems pretty plausible that you would
18 get a different biological uptake with a mechanical
19 mixture than what we have based on the sought
20 solution.

21 COMMISSIONER DICUS: Now when you say
22 uptake, well, let's back up. The memorandum also, as
23 well as other information that I have read, discusses
24 the issue of transportability. Once the radionuclide
25 is in the body, all the research that we know can to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 take on what we have in front of us states, indicates
2 that the uptake, the organs of concern, obviously the
3 lung through inhalation, that's going to be the
4 pathway and the thoracic nodes.

5 The data so far indicate the
6 transportability irregardless of form to other organs
7 in the body is essentially nil.

8 MEMBER POWERS: Nil.

9 COMMISSIONER DICUS: That it does stay in
10 the lung and the thoracic nodes and there is where the
11 dose is going to be received. Transportability other
12 ways whatever class is used and they looked at Class
13 W transport and Class Y model parameters and still the
14 transportability doesn't -- so I think that's
15 conservative.

16 MEMBER POWERS: If you're not going to get
17 any transportability, then I don't care whether --
18 what the dissolution rates and what not are because
19 they're negligible.

20 COMMISSIONER DICUS: Right. Any other
21 questions? I think we always have to keep our minds
22 open and be sure some new piece of data -- we're
23 always finding new things, that we have the
24 possibility that at some time it would have to be
25 relooked at, but I'm comfortable because I really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 believe the transportability, the studies on
2 transportability --

3 MEMBER KRESS: Aren't these
4 transportability rates and the solubility though --

5 COMMISSIONER DICUS: Say again?

6 MEMBER KRESS: Aren't they dependent on
7 each other? They're not independent variables?

8 COMMISSIONER DICUS: Yes.

9 MEMBER KRESS: So it's hard for me to
10 separate the two.

11 MEMBER POWERS: I think it's dribbling
12 down to a plausibility argument that you've got to
13 inhale first. And then it's got to dissolve from the
14 sites that it deposits and go into blood stream or
15 something like that in order to move on.

16 MEMBER KRESS: Which means it has to
17 transport across the blood vessels.

18 MEMBER POWERS: Yes.

19 MEMBER KRESS: But that's the function of
20 solubility, to me.

21 MEMBER POWERS: Right.

22 MEMBER KRESS: Once it's soluble, so I
23 have trouble separating the transportability out from
24 the solubility. If it's not soluble, it's not going
25 to be transportable. But if it is highly soluble, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ought to be transportable.

2 COMMISSIONER DICUS: I think it's more --
3 I think the solubility is not that good.

4 MEMBER POWERS: It's low solubility.

5 MEMBER KRESS: I would think it's very
6 bad, yeah, and that's the saving --

7 MEMBER POWERS: The americium is going to
8 be a little more soluble than the plutonium which is
9 a little more soluble than the uranium. The uranium
10 is bottom of the list here.

11 MEMBER KRESS: It seems to me like if we
12 know that, then their conclusion that you're
13 conservative and don't need any more research is
14 fairly sound.

15 MEMBER UHRIG: Are these studies
16 independent of the isotope involved, whether it's 241
17 plutonium isotope?

18 COMMISSIONER DICUS: I don't know the
19 answer to that question.

20 MEMBER POWERS: Most of the --

21 COMMISSIONER DICUS: They did look at the
22 americium, etcetera. They looked at others, but what
23 isotope of plutonium, it was 239 to my knowledge --

24 MEMBER UHRIG: 239 would probably be the
25 logical one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 COMMISSIONER DICUS: Right.

2 MEMBER UHRIG: But when you get into
3 things like isotopic generators you get into 238 which
4 at least my impression is that it's more of a problem.

5 COMMISSIONER DICUS: I don't know the
6 answer to that.

7 MEMBER POWERS: It has a much more rapid
8 decay rate. For the facility itself, the facility of
9 interest here, it's only the 239 and it depends on
10 what -- where the database was generated. In the
11 United States, most of our data comes from the 239.
12 That's a small amount of the data. The European data
13 actually comes from the 240, 241s.

14 MEMBER SHACK: You were quoting data from
15 the Manhattan Project, but we must have vast amounts
16 of data on people working with plutonium since those
17 days in terms of the weapons -- are the limits --

18 COMMISSIONER DICUS: I don't have that
19 data.

20 MEMBER SHACK: Does DOE have that data?

21 COMMISSIONER DICUS: I hope they do. I
22 have my fingers crossed. I could find out that for
23 you.

24 MEMBER SHACK: I just wondered how these
25 limits, whether they were consistent with --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 COMMISSIONER DICUS: Why I used the
2 Manhattan Project is I was relating it to the Russian
3 workers shortly after that. That's why I use the
4 Manhattan data. Modern data certainly exists.

5 VICE CHAIRMAN BONACA: Any other questions
6 on this? If not, I would like to start with one issue
7 that clearly is interesting to us which is the impact
8 of national energy policy on the Agency and the
9 country. Last Monday and Tuesday we had a workshop,
10 as you know, that was reviewing new reactor designs
11 and clearly, there is a stirring of interest on the
12 part of this committee and the whole community
13 regarding this issue and the ties to this on national
14 energy policy. I wonder if you could give us your
15 insights?

16 COMMISSIONER DICUS: Sure. I'd be happy
17 to. Of course, the new energy policy, we're still in
18 the process of reviewing of what the real impact might
19 be on this Agency, but the obvious impact is new
20 energy policy underscores the need for additional
21 power plants to provide additional energy and that
22 nuclear will remain a viable part of the energy mix.

23 Given that information, coming out of the
24 energy policy and if that policy does finally see the
25 light of day for Congress and becomes the national

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 policy, I do anticipate that the Agency will be
2 impacted through additional renewal applications, by
3 possibly most of the plants, not all the plants,
4 coming in for renewal applications, hopefully not all
5 at one time. I hope they will pace themselves
6 accordingly.

7 But we do anticipate a strong potential
8 that we will get an application or a new reactor
9 perhaps in the next two or three years. Whether it's
10 going to be the pebble bed or not, who knows? That is
11 the decision for industry to make and decide what kind
12 of reactor, decide if they want to build a new reactor
13 and then what kind of reactor they want to build.

14 The challenge to the Agency, the
15 challenges to the Agency is if it's a pebble bed to
16 have the technical expertise to be able to do it and
17 be in front of the curve on that and I have a
18 confidence at this point that the staff is acutely
19 aware of this and I know staff has been to South
20 Africa following the activities there, getting up to
21 speed on the pebble bed.

22 There's going to be a challenge to the
23 Commission. We're going to have to address some very
24 interesting policy issues of the pebble bed reactor.
25 For example, containment. What are we going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 consider with regard to containment? I mean it
2 doesn't have one. It's a new breed of reactor.
3 Defense-in-depth is another issue that we're going to
4 have to come up and look at our policies on
5 defense-in-depth. Emergency planning becomes a policy
6 issue that we're going to have to look at because the
7 industry came in to talk to us about the pebble bed
8 and indicated, for example, a 2 mile EPZ, that is the
9 10 mile EPZ we are accustomed to. That's just off the
10 top of my head. Those are three major policy issues
11 for the Commission to deal with, so we have policy.
12 We have issues.

13 MEMBER KRESS: They outline several other
14 policy issues at our workshop. For example, how do
15 you deal with multiple modules on a given site. Is
16 that treated as one facility or several? And then
17 they had the whole list of financial kind of things
18 that I don't know whether it's in the purview of NRC
19 or not, things like the Price Anderson Act and --

20 COMMISSIONER DICUS: Yes. How much Price
21 Anderson money do you put aside for how many modules
22 you have?

23 MEMBER KRESS: But then there's the
24 question of the fees also, how do you --

25 MEMBER SHACK: That particular question,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is that an NRC question or is that a congressional
2 question?

3 MEMBER KRESS: I think that's
4 congressional, the Price Anderson.

5 COMMISSIONER DICUS: The Price Anderson is
6 congressional, but the fees --

7 MEMBER KRESS: The fees I think you can
8 deal with.

9 COMMISSIONER DICUS: Fees, we can deal
10 with, but the Price Anderson consideration would be
11 congressional.

12 I think one thing, in some ways, I think
13 the Commission is a little bit disappointed that talk
14 isn't about coming in with one of the designs that
15 we've already approved. We get all this work and
16 these things are sitting on the shelf collecting dust
17 and come on, people, it's not one of those off the
18 shelf. All that hard work we did, was it worth the
19 time and effort that we put into it.

20 MEMBER KRESS: That occurred to us.

21 COMMISSIONER DICUS: It could be very much
22 an application, an interest is growing in the AP1000
23 nuclear plant and so --

24 MEMBER POWERS: We haven't certified that
25 one yet. Look at the System 80.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 COMMISSIONER DICUS: We haven't certified
3 the AP1000. At any rate, it creates for us some very
4 interesting things. One of them is the resource
5 impact. If we got one or more applications and that's
6 one of the things on your list, can we deal with more
7 than one application and it's a resource call, with
8 all the other things that are on our plate and we have
9 to convince Congress that we've got to be in front of
10 the curve. We can't wait to have the application on
11 our desk and then start trying to hire the people. We
12 need the people a year in advance or so.

13 We have a little bit of leeway in our FTE
14 space that we could do a little bit of advanced
15 hiring. We're talking about this in terms of human
16 capital now at the Commission level. How do we
17 prepare ourselves for a variety of situations,
18 including the fact that approximately 40 percent of
19 our staff could retire don us and walk out the door
20 tomorrow. What are we going to do about that? How
21 are we going to replace these people from the pool out
22 there? It's not that big to find people.

23 MEMBER WALLIS: Well, maybe working on the
24 new reactor might encourage some younger people to
25 apply. It might be more exciting than the old stuff.

1 VICE CHAIRMAN BONACA: One concern that I
2 thought about is the thought that NRC has a lot of
3 talent and vendors will need talent to design and
4 implement these new reactors. That may be an
5 attraction for personnel, so there's also an issue of
6 totally retaining knowledgeable staff.

7 COMMISSIONER DICUS: That's one of the
8 human capital issues that we're addressing and some of
9 the fixes that may be possible will require some
10 legislative action to be able to do. We have the
11 issue that if there is, indeed, an upswing in the
12 nuclear industry and if the industry is going to be
13 competing for these people --

14 VICE CHAIRMAN BONACA: Absolutely.

15 COMMISSIONER DICUS: It's going to be a
16 very attractive situation, so we're very concerned
17 about that. There is perhaps a little bit of an
18 upswing. Students are beginning to show an interest
19 in nuclear engineering and associated fields. Texas
20 A & M University, their freshman class almost doubled.

21 MEMBER WALLIS: I wonder how many of those
22 are actually studying phenomena relevant to new
23 reactor design, whether the professors are stimulating
24 them to do that, whether the professors are still
25 teaching the old stuff?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: With respect to the
2 technology related to the pebble bed reactor, it's my
3 view, you can become up to speed in a hurry on that
4 one, so you've got enough bright people that with a
5 little homework, I think you could cover that one.
6 Some of the other concepts may be a little more
7 difficult. I hope I'm still on the ACRS when you have
8 to wrestle with this problem of the defense-in-depth
9 and the need for containment because I'm really
10 looking --

11 COMMISSIONER DICUS: You can tell which
12 ones are on my mind. That comes around a lot. The
13 financial issues are there, as well. Those are all --
14 they're different. When we start talking about
15 defense-in-depth, containment and things like that
16 from a policy perspective --

17 MEMBER POWERS: It's real simple. Just
18 tell them they have to have a containment.

19 (Laughter.)

20 MEMBER WALLIS: Dr. Kress said with a
21 little homework they could come up to speed. Maybe
22 the ACRS could write some of those homework problems.

23 MEMBER KRESS: That's a thought.

24 COMMISSIONER DICUS: That's a thought.

25 MEMBER POWERS: It is remarkable to me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that given all the troubles that the industry has that
2 they would want to engage in a battle over either
3 containments or EPZs. It seems to me that those are
4 -- they're guaranteed to be provocative and their low
5 level fights compared to other things that the
6 industry has to contend with. And they bragged about
7 how good their existing plants are. Just look at TMI.
8 Nothing occurred because of a good solid containment.
9 Look how terrible the Russians are because they had a
10 lousy containment unlike ours and then they said we're
11 going to get rid of it. It's a very peculiar battle.

12 COMMISSIONER DICUS: The arguments will be
13 made.

14 MEMBER POWERS: I think it's peculiar
15 economics on their part too because when I have looked
16 at containment costs as a fraction of plant costs,
17 you're talking about a 7 percent effect. And so if
18 you get rid of it totally, you change the cost by 7
19 percent. This doesn't look like a big change.

20 COMMISSIONER DICUS: Well, with the
21 Emergency Planning Zone it's likely, in my view, that
22 the first one or two to whatever design, if it's a
23 pebble bed, probably be constructed near or at a
24 distant site. Shrink it down.

25 MEMBER WALLIS: Well, you may plan for a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 small zone, but if there's an accident, the population
2 in a bigger zone may think that there's an emergency
3 for them too.

4 COMMISSIONER DICUS: Right. That's true.
5 We do expect to get some applications in this year for
6 early site permits.

7 MEMBER POWERS: Are those new sites or are
8 they locating plants on existing sites?

9 COMMISSIONER DICUS: I don't know.

10 MEMBER POWERS: Okay.

11 VICE CHAIRMAN BONACA: During the
12 presentation from NEI, there was an interesting
13 vu-graph where they were showing that they expect to
14 have over 10,000 megawatts of electric coming from
15 uprates and of course we are involved now in reviewing
16 uprates as well as reviewing life extension.

17 I would like to have your thoughts about -
18 - clearly, there's going to be a challenge with not
19 only licensing new plants, but maintaining current
20 plants operating at a higher rating and for longer
21 periods of times and working safely and efficiently.
22 So I don't know if you had any thoughts on this issue?

23 MEMBER KRESS: To get that kind of power,
24 it's going to take substantial uprates to 20 and 30
25 percent type levels.

1 COMMISSIONER DICUS: I think we'll have to
2 look at that. We are uprating. Some plants are going
3 already, I can't remember offhand which ones for
4 fairly high. I think Palo Verde may be going for a
5 fairly high uprate, but doing it in steps and that
6 might be maybe the way to go. That gives us a chance
7 to look at what the issues really are. I'm not up to
8 speed technically on what those issues are going to be
9 for uprates and some of the --

10 MEMBER WALLIS: Well, the manufacturers
11 assure us that there are very few issues.

12 MEMBER POWERS: I mean the argument that
13 gets advanced is that the FSARs for the plants were
14 originally for a much higher power than what they have
15 been operating at and I happen to know it's because of
16 some recommendations made by this Committee, these
17 many years ago that they operated at the lower power,
18 but they seem to not recognize that there have been
19 some changes in the way things are done at boiling
20 water reactor modes -- the big power uprates are all
21 boiling water reactors, that weren't recognized in the
22 early FSARs. And I think of things like outwash
23 recovery actions. We're going to drop the level of a
24 coolant down, introduce SLIC and then we're going to
25 bring it up.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now tell me about the lateral forces on
2 cool rods that you've operated at high burnups so that
3 they're nicely embrittled and the fact that the time
4 that you have to do this has decreased now because
5 you've been operating at a higher power. Those are
6 kinds of technical questions that I have not seen
7 addressed for these big power uprates and they're just
8 not incorporated in the FSARs because these things
9 have occurred since the original FSAR was written.

10 COMMISSIONER DICUS: Actually, I think one
11 of the things that you might consider doing is really
12 listing the issues that you see with these power
13 uprates. That would be useful to the staff in getting
14 that information because I hadn't heard that 10,000.
15 that's a lot.

16 I hadn't heard that figure. That gives me
17 a little bit of cause for concern that we're not just
18 beginning to run amok.

19 MEMBER POWERS: We have over a unit's
20 worth, over a thousand megawatt electrical on our
21 agenda right now, so 10,000 doesn't sound out of the -

22 -
23 COMMISSIONER DICUS: No, it doesn't, but
24 still, you know --

25 MEMBER POWERS: It's a bunch of plants.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 COMMISSIONER DICUS: It's one thing when
2 if we get this change in the future of nuclear power
3 is to be able to pace that change so that doesn't run
4 amok, say that we just suddenly there's a snowball
5 effect that -- then we have an error. We don't need
6 the error. That won't work for anybody. It won't
7 work for the American people. We're going to need the
8 energy. So I want us to be trying to look as far
9 ahead as we possibly can, pace this change. I think
10 the Committee -- it would be very, very helpful to the
11 Commission in thinking along those terms and trying to
12 identify the issues as you see them and keep this
13 process very mature and very capable of dealing with
14 change that may occur.

15 MEMBER POWERS: One of the things that's
16 snowballing, not a fair term, one of the things that's
17 moving along expeditiously nowadays is license renewal
18 and we're seeing increasing public concern, it seems
19 to me when they see on the one hand license renewals
20 being granted and on the other hand, numerous reports
21 of phenomena and processes occurring to the plant that
22 at least in their mind look like aging phenomena,
23 cracks in pressure vessel heads, cracks in nozzles,
24 that sort of thing. And they don't draw the
25 distinction between active components and nonactive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 components.

2 The question comes about is do we have a
3 public relations problem here or do we have rule
4 problem?

5 COMMISSIONER DICUS: I think we have a
6 public information problem. This is a perennial
7 problem. It's one of the things the Commission is
8 looking at as both our external and internal
9 communications has been tasked with dealing with this
10 issue, public relations, public information, public
11 communication concept.

12 We don't say and this is what we're not
13 getting this information out. I think when we go to
14 the sites and we have our public meetings and not
15 getting the information out, that we're not saying
16 that there will be no aging issues. Of course,
17 there's going to be aging issues. What we do in
18 license renewal is very carefully look at what the
19 licensee's program is to identify and deal with aging
20 issues, but there will be aging issues. If you've got
21 a vintage car, you work on it to keep it running
22 because it's going to have thing go awry.

23 I don't think, I don't know that the
24 public is getting that message that yes, there are
25 some issues. We have steam generator tube issues.

1 We've got the cracking issues. We may probably are
2 going to identify some other issues, but the point is
3 being we can't identify them and the licensees have
4 this aging management program in place and the
5 wherewithal to deal with it. I think we have a public
6 communication issue.

7 MEMBER POWERS: I think the licensees may
8 not serve their best interests when they get surprised
9 by an event and then say oh yeah, but we can run six
10 more cycles with cracks and things. Somebody who is
11 not intimately involved, it's not obvious that you
12 ought to run six cycles with cracks in your cylinder
13 heads.

14 COMMISSIONER DICUS: Right. I'm a little
15 concerned about that.

16 VICE CHAIRMAN BONACA: And I think it's
17 kind of difficult to reverse that perception in part
18 because for so long we have licensed plants for 40
19 years. I mean we have a built-in perception that after
20 40 years these plants must be retired, otherwise why
21 with only 40 years. And to reverse the perception is
22 going to be very hard.

23 COMMISSIONER DICUS: Yeah, because the 40
24 years was picked out of the sky.

25 VICE CHAIRMAN BONACA: Exactly.

1 COMMISSIONER DICUS: It was a financial
2 decision.

3 VICE CHAIRMAN BONACA: Absolutely.

4 COMMISSIONER DICUS: Well, in 40 years
5 they'll have it paid for, so we'll just license them
6 for 40 years. It had nothing to do with plant
7 viability.

8 VICE CHAIRMAN BONACA: That's right.

9 COMMISSIONER DICUS: And we didn't that
10 message out either.

11 VICE CHAIRMAN BONACA: That's right.

12 MEMBER WALLIS: While we're talking about
13 public perception, this Committee has discussed there
14 are various kinds of public. One tends to perhaps
15 think of the public as being John Q. Public, but there
16 are actually some quite sophisticated technical people
17 out there and they need to see some technical evidence
18 in the form of reports or something that the NRC is on
19 top of these subjects technically.

20 COMMISSIONER DICUS: In January, I was at
21 a conference. It was sponsored by NEA in Switzerland
22 and it was public perceptions of risk and public
23 communications and so forth and so on and that was one
24 of the themes that came out of that conference. It
25 was an excellent conference. It was by invitation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think there were about 70 of us there from around
2 the world, mostly Europe. And there are many
3 different kinds of public and you've got to talk to
4 those many different kinds of public stakeholders,
5 including the ones, the technical people, the
6 nontechnical people. It was a really good conference.

7 MEMBER SHACK: One of the last times we
8 had a meeting with the Commission you asked me whether
9 I thought we were still making sufficient progress
10 towards risk-informed regulation.

11 COMMISSIONER DICUS: Right.

12 MEMBER SHACK: I just wondered, what your
13 perception is?

14 (Laughter.)

15 COMMISSIONER DICUS: Turnabout is fair
16 play.

17 MEMBER SHACK: When you first came here,
18 we were talking about low hanging fruit.

19 COMMISSIONER DICUS: Right.

20 MEMBER SHACK: We're still picking that
21 low hanging fruit which just doesn't --

22 COMMISSIONER DICUS: It may have fallen
23 off the tree.

24 I think we're moving. It's slow.
25 Progress is very slow in risk informing. I don't know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 if it's the proper speed or not, whether we could move
2 a little faster or maybe we're moving at the right
3 speed because we're trickling over into such a new
4 arena for everyone, for us and for the industry itself
5 and whether or not the industry is actually going to
6 be able to use the risk-informed regulation.

7 We've stumbled over 5046. We hope to get
8 a paper some time, but we're not sure exactly -- the
9 staff is struggling with it, on how to do it and what
10 to do with it.

11 So we are dedicated to the concept we are
12 going forward. We do have issues. The industry has
13 issues with us. Sometimes we get criticism because
14 we're moving too slowly. Every once in a while I hear
15 someone say we're not sure we're ready to do, to go to
16 a risk-informed regulation. But I think we have to
17 leap out there, it may be a leap of faith, carefully
18 trying not to step in too many potholes as we go
19 forward.

20 It's going to be interesting when we get
21 some really good and working risk-informed regulations
22 out and see licensees make their decision if they're
23 going to use the risk-informed regulation or stick
24 with the old regulation because we will have two sets
25 of regulations which is going to be interesting, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think, from the Commission's point of view and how the
2 staff is going to deal with that.

3 But one of the things that we talk about,
4 talked about -- my staff talked about it with Dr.
5 Apostalakis is the quality and value of the PRAs that
6 we have and how that's going to interact with the
7 risk-informed regulation. It doesn't keep us from
8 risk informing our regulations, but it may keep
9 licensees from being able to use it because if they
10 don't have a very good PRA, they're not going to be
11 able to use a risk-informed regulation and hopefully
12 before too long we will have a standard and then we're
13 going to have take a look at those PRAs that don't
14 meet the standard and the licensees are going to have
15 to start making some decisions, so I would -- I get a
16 little bit concerned that we get on, get busy with
17 getting our regulations risk informed and deal with
18 these two sets of regulations that we're going to have
19 for each one of the issues and then very few licensees
20 go risk informed, be sort of like all the work we did
21 on certifying designs and no one seems to want to use
22 them.

23 I hope that doesn't happen.

24 MEMBER POWERS: It seems to me that the
25 regulations that we've considered risk informing up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 until now, that includes to some extent the fire
2 protection regulation with NFPA who insists that's not
3 risk informed. The regulation is some hybrid, but put
4 it in that category and now 5046, I don't think you're
5 going to see licensees jumping at this. Where you're
6 going to see continued licensee use is Reg Guide 1.174
7 for plant changes.

8 COMMISSIONER DICUS: Right.

9 MEMBER POWERS: That is already proving
10 its use. And already we are -- we keep running into
11 the problem that the PRA quality may be an issue, but
12 the scope is even a bigger issue and I think with the
13 emergence of the results coming out of the IPEEE, I
14 don't know whether you've had a chance to look at
15 those or not, but those are illuminating to me that
16 risk from the so-called external events which includes
17 internal fires which is a historical thing that adds
18 to challenges I think the public has in understanding
19 PRA are really quite commensurate with normal
20 operational risks and until we have people coming in
21 with PRAs that say yes, I take into account all of the
22 risks, not just the operational risks during -- when
23 the plant has power, but also these things in fire
24 which is a risk that people have a very intuitive
25 sense about, that you're going to have two kinds of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 difficulties, one, challenges from public and
2 challenges in using 1.174 to its full potential.

3 Getting back to the actual regulations,
4 you're not going to see people sweeping to those until
5 there's a much fuller set. One at a time, you're
6 going to have the out person do it.

7 COMMISSIONER DICUS: You are going to have
8 the out person do it and it may be that one of the
9 things, those regulations that tend to have a generic
10 approach or a generic basis may be -- if we can get
11 those out, then I think we can get wider use and I
12 think once a few plants or a few licensees really leap
13 off, take that leap of faith to get fully involved in
14 utilizing a risk-informed regulation, it will be like
15 license renewal. Once Calvert Cliff got the courage
16 up to take that leap of faith and thus tried to do
17 this, and it went well and Oconee went well, now the
18 flood gate is open. And I think the same thing will
19 happen, but it will take a while.

20 MEMBER POWERS: I think you will see 1.174
21 still being used a lot. It's proving to be an
22 attractive vehicle for making changes in plants.

23 MEMBER WALLIS: Can I make a connection
24 between the last two subjects, the public perception
25 and risk informed? We have a couple members of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 public here and they seem to be suspicious that
2 risk-informed regulation is a way to reduce the burden
3 on industry, whereas it seems to me that the drive for
4 risk-informed regulation really should come from the
5 public because this is where you actually face up to
6 the question of what is the risk and what's being done
7 about it and that's far better than some rather
8 arbitrary prescription. It's surprising that the
9 public can't sort of be better aware of the fact that
10 this is in their interest and perhaps they should be
11 more the driving force behind it.

12 COMMISSIONER DICUS: This is just another
13 example of whoever has the responsibility. In my RIC
14 speech, I'd put a burden on the industry. You people
15 should be out there talking about what you're doing in
16 the realm of safety. It's your responsibility to talk
17 about your safety records. It's not our
18 responsibility. It's our responsibility to ensure
19 that you are doing that, but you're the ones that have
20 to do it. The plant is your responsibility. And I
21 think what -- the words you just used, reduce burden
22 on the licensee, they hear burden, reduce burden.
23 They don't hear reduce unnecessary regulatory burden.
24 And the whole issue is that when we make essentially
25 everything the same importance, even if it's whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 or not how they signed off on a particular piece of
2 paper which literally has nothing to do with safety,
3 when we make that just as important as how well
4 they're taking care of their pipes and pumps and
5 everything else, then the same emphasis, they can't
6 put the emphasis and this is a message we're not
7 getting out to the public. They can put the emphasis
8 they should on those systems, structures and
9 components that are absolutely vital to safety because
10 they're having to spend time on something that is not
11 vital or even important to safety and what we're doing
12 is taking these things and putting them down here, got
13 to be done, but it's not as important as these things,
14 now you can put attention on here. We're not getting
15 that message out to the public. And the industry is
16 not getting that message out to the public. I don't
17 have an answer for that. But any time I can, when I'm
18 talking to the public, you know, and this question
19 comes up, you explain it, and then they do understand.
20 You don't discount the public that can't understand
21 these things. They understand them very well. If
22 they get the right information.

23 So it's a communication issue that we all
24 need to work a little bit better at.

25 VICE CHAIRMAN BONACA: The unfortunate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing is that, for example in the case of South Texas,
2 there are a number of exemptions resulting from risk
3 information and but if initial exemption means that
4 you're going to have to do any more or something that
5 you had to do before, and if you are ill-disposed, I
6 guess the technology, you jump to the conclusion very
7 easily and this can be so easily instrumentalized and
8 that's one of the issues that of course, whenever you
9 remove burden, the word unnecessary doesn't come to
10 mind in that case.

11 COMMISSIONER DICUS: Does not come in.

12 MEMBER LEITCH: Further on this area of
13 public perception, since joining the ACRS I've taken
14 to reading the daily event reports and I'm struck by
15 the number of medical administration issues,
16 industrial problems, radiography problems, misuse,
17 loss of radio isotopes. I don't really have a
18 historical perspective on that whole area. Did an
19 increase in these kind of incidents over the years are
20 at least stable --

21 COMMISSIONER DICUS: I think it's fairly
22 stable. It may, in fact, have gone down just a little
23 bit, but medical administrations probably running
24 pretty well what they normally run. I don't have
25 stats in front of me. There might be hills and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 valleys along, but there hadn't been what I would
2 consider a steady increase or a steady increase.
3 They're running about the same.

4 Lost or stolen sources, about the same.
5 One thing, I think we're going to see in the offering
6 source issue, I think we're going to see a real
7 improvement in the offering source issue because of
8 our registration program that we're going to put in
9 for general licensees.

10 That's going to make people start having
11 to really go out and find sources. In some cases,
12 they didn't even know they had a gauge in their
13 plants. It's sold two or three times and they're
14 going to be surprised when they get our letter saying
15 we have a record that shows you've got XYZ and they
16 say we didn't know we had this. And then they start
17 looking for them. But I think in two or three years
18 with that kind of accountability that we're going to
19 put in place, I think we will see a decline in some of
20 these gauges, etcetera, winding up in the public
21 domain.

22 So that part should improve. I think the
23 others run about the same. It was, I think, my first
24 speech that I gave at the RIC, first or second, at the
25 RIC. I talked about the fact that where we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unnecessarily irradiating workers and members of the
2 public is through the radioactive materials side of
3 the house and not in the reactor side of the house.
4 And that's where -- that's not recognized that much.
5 We just had the issue in Panama. That's not a U.S.
6 issue, but several patients have died as a result, who
7 were having radiation therapy because of still trying
8 to ferret it out, but they received more radiation
9 than they should have. And reasons for that still not
10 real clear, other than their own parameters were put
11 in. But why it's still unclear.

12 It is, and we continue to have medical
13 administrations with our best efforts to prevent it.

14 MEMBER SHACK: One thing that comes out of
15 the new reactors as we look at them, they appear to be
16 much safer than our existing --

17 COMMISSIONER DICUS: They have the passive
18 safety systems, yeah.

19 MEMBER SHACK: Right. Do you think that
20 would increase pressure to rethink our notion of how
21 safe is safe enough? That would be out in the future
22 that -- would our safety goal be something that people
23 would actually have to achieve, rather than aspire to?

24 COMMISSIONER DICUS: I don't know. But
25 it's a possibility.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Right now we're wrestling with safety goal
2 policy statements.

3 VICE CHAIRMAN BONACA: I imagine if the
4 number of new applications were many and the number of
5 reactors would be large numbers, then there would have
6 to be some important consideration.

7 COMMISSIONER DICUS: I think at some point
8 we would really have to relook at that and I think
9 that's the issue why there's some hesitation now on
10 the Commission's part to go further or at this point,
11 to add to a revised safety goal policy statement,
12 waiting to see more regulation is risk informed,
13 seeing what does, in fact, happen, whatever the
14 economics are that the nuclear power industry makes
15 decisions accordingly, and maybe at that point in time
16 we do need to take another look at the safety goal
17 policy statements, what we plan to do with them.

18 MEMBER POWERS: If the staff really runs
19 into a long-term hurdle in 5046, do you think they
20 ought to rethink their option paper to you?

21 COMMISSIONER DICUS: Yes.

22 MEMBER POWERS: I think so too. I mean --

23 COMMISSIONER DICUS: I think that's in the
24 works.

25 MEMBER POWERS: Is it?

1 COMMISSIONER DICUS: As far as I know.

2 VICE CHAIRMAN BONACA: Just thinking about
3 these new reactors. We had presentations that speak
4 about the system and again I was thinking about the
5 comments from Dr. Powers regarding fire, external
6 events. I think it will be important for us as a
7 Committee to really pay attention to those external
8 events which really create comment mode failure and
9 because the focus has always been so much on the
10 plant, specifically, and those external events are
11 truly the challenge that is not fully appreciated in
12 the existing plants.

13 In fact, the IPEEE were going to review
14 them now, the results of it, but there isn't such an
15 understanding of their impact, really, on the safety
16 as there is for internal events.

17 MEMBER POWERS: And you get these
18 remarkable things. As we move toward more risk-
19 informed regulation in a different reactor oversight
20 program and we look at corrective action programs you
21 always find that. The oldest things on the corrective
22 program are the fire protection stuff. They don't
23 produce kilowatts so they come up bottom on the list.

24 And they're producing risks that are
25 comparable to the normal operations. This is real

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 risk information here that's just not being used, but
2 a licensee --

3 VICE CHAIRMAN BONACA: The reason why I
4 bring it up is that their own paper, they can really
5 design something which is for internal events,
6 significantly and clearly safer than current plants,
7 but if you don't pay attention to the external events,
8 in the siting, for example, and other issues that may
9 affect the plant, still you have this component which
10 is not fully appreciated which is really the driver of
11 common cause. If you have -- and we will have to be
12 very sensitive to those kind of issues, otherwise,
13 we'll have a perception of much better plants, much
14 safer and maybe the perception is not correct.

15 COMMISSIONER DICUS: And because of the
16 perception that may cause a lax attitude on things
17 that ought to be, as you said, given a great deal of
18 attention because they can create the unsafe situation
19 in this safe plant.

20 VICE CHAIRMAN BONACA: That's right.

21 MEMBER KRESS: At the risk of being a dead
22 horse with a red herring --

23 COMMISSIONER DICUS: Just got back from
24 there.

25 (Laughter.)

1 MEMBER KRESS: How do you feel about the
2 need for a substantial improvement in the risk
3 assessment capability with respect to shut down risk?

4 COMMISSIONER DICUS: Well, everything that
5 I read, well, indicates to me that there are some
6 significant risks in low power and shut down from the
7 point of view that you may have some systems very
8 necessary for safety that are down. They're not
9 available to you, so if you have some event, external
10 or internal, that occurs that you need that system or
11 component, whatever, and it's not available to you,
12 then I think you have some element of risk. You don't
13 have the reactor running, okay, fine, but you can
14 still have something occur. That's what I read,
15 that's my understanding. Obviously, this isn't my
16 field and I'm very dependent upon what I learn
17 externally to understand these sort of things.

18 Now on the Commission, there are feelings
19 on both sides of the fence. There are strong feelings
20 that basically there are very few risks at low power
21 shutdown and it's just because the reactor is not
22 running. Everything can be handled because you have
23 time. Time is on your side. And that's true too,
24 probably. I just think -- I guess to make me have a
25 greater comfort level, I need it to be looked at and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 if I'm sure that the answer is no, there really isn't
2 a great deal of concern here at low power shut down
3 situations because it can be handled and I've got
4 little bullet items to tell me how that's going to be
5 done and I will have a comfort level. Right now, I
6 just don't quite have that comfort level.

7 MEMBER POWERS: It's examining what's
8 necessary because you're right, time is on your side
9 here. But if you look at what we have to go on right
10 now --

11 COMMISSIONER DICUS: We don't have much.

12 MEMBER POWERS: Well, that time has not
13 been factored in in any kind of realistic way, so
14 we're stuck right now with actually -- those people
15 that think everything is okay, don't understand.
16 We're making decisions based on information that says
17 things aren't okay because the original studies were
18 all very conservative. Examination of it is exactly
19 what needs to be done.

20 COMMISSIONER DICUS: Maybe we can put it
21 to rest one way or the other.

22 MEMBER POWERS: And you can and you have
23 to recognize there's a difference between scheduled
24 and unscheduled shut downs, that a scheduled shutdown,
25 I think the industry is doing a marvelous job with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scheduled shutdowns. And when we visited the plants,
2 it's only reinforced my view on how well they're doing
3 because they're very clever individuals.

4 The unscheduled shutdowns, however --

5 COMMISSIONER DICUS: That's different.

6 MEMBER POWERS: Don't have that kind of
7 planning. So it's really examining it. It's not
8 because you think that there's any imminent things
9 that have to be done, new regulations written. It's
10 finding out what the status is. It's really causing
11 a problem right now.

12 MEMBER FORD: As the newest and maybe most
13 gauche Member of this Committee, I'd be interested to
14 know what your views are for the longer term future,
15 for instance, right now we're proactively implementing
16 risk-informed policies. But what do you see happening
17 in five years? Ten years out, as far as what you'd
18 like this Committee to be focusing in, on that sort of
19 time scale?

20 COMMISSIONER DICUS: I think a couple of
21 things immediately came to mind. Say 5 to 10 years
22 from now, hopefully, we do have a full range or almost
23 full range, certainly in 10 years, of better risk-
24 informed regulations.

25 I think it's going to be incumbent on all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 of us and especially this Committee to be sure that
2 we're catching everything we need to catch, that the
3 risk-informed regulation is indeed being focused on
4 what is really important to safety and we haven't
5 dropped something or we have something that we've
6 declared important to safety that may not be that
7 keeping in mind that this is going to be a living
8 document, quite frankly, a living process. And we --
9 five years, I'd like to see us begin in five years and
10 then in the 5 to 10 year range refine it. And fix any
11 little problems that we see.

12 The other thing, of course, we really will
13 be getting well into control of aging issues. Some of
14 these plants will in 10 years beginning to start their
15 second 20 years or their new life and I think this
16 Committee would serve the Commission very well that
17 you are really looking out there, 5 to 10 years on
18 what might happen next, so there aren't any surprises.
19 And we can give a heads up to the licensees that we
20 think you better watch this, this could become a
21 problem. So that is where I think I would like to see
22 you put a lot of your effort.

23 MEMBER FORD: Bearing in mind the public
24 perception acceptance is an important part of your
25 cornerstones. What role do you think we should be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 playing in ensuring that there's not a problem
2 overseas?

3 If there's another major problem offshore,
4 that's going to impact the public perception in this
5 country. Should we be, we the NRC, be actively
6 involved in helping regulation? I say that advisedly,
7 obviously, you're not going to politically, from a
8 technical point of view situation in Japan or Russia
9 or --

10 COMMISSIONER DICUS: I'd like to give that
11 some thought. Now we are involved with several
12 countries through a variety of mechanisms to with
13 regulations, with exchange of information of maybe
14 from time to time we lend people to the IEEA on OSARS
15 and other kinds of reviews, regulatory reviews, so we
16 are involved. To what extent the ACRS has an
17 involvement, I don't know, other than clearly -- I was
18 surprised actually that the Tokamura accident didn't
19 get very much press in this country. The Panama
20 misadministration event, very little press in this
21 country. Something like Chernobyl, obviously, it
22 affected the world and it had an impact here in the
23 U.S. as well. That's going to get a lot of press and
24 a lot of attention.

25 We, through a variety of mechanisms,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mostly IEEE and NEA, like to see some of the unsafe
2 reactors that are in the former Soviet Union countries
3 not operate because we do feel that they have some
4 issues with them that the safety level is not what we
5 demand in this country and in other areas, but I mean
6 if you identified something that you think the
7 Commission must be aware of some place else, offshore,
8 as you mentioned, I think it would be incumbent among
9 you to let us know about that and then to what extent
10 we have an opportunity through the avenues that we
11 currently have in place to deal with that and I think
12 that would be valuable information and I would see it
13 from that point of view.

14 MEMBER UHRIG: There were a couple of
15 trends that were discussed in the advanced reactors
16 meeting we had this week. One of them is long-term
17 operation without shutdown, either through continuous
18 refueling like the pebble bed or in the case of the
19 IRIS, they're looking at an AE or fuel cycle,
20 something of this sort. And the other thing that was
21 discussed is automated operation for a minimum number
22 of operators involved where you have perhaps 10
23 modules, but only in the case of the South African
24 concept about three operators to handle all 10 of
25 those.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I wonder if you could give us your
2 thoughts on this type of thing for do we need
3 additional layers of assured safety associated with
4 this type of operation or is the present regime of
5 regulation adequate?

6 COMMISSIONER DICUS: For the refueling on
7 line for both instances that you talked about, longer
8 runs or in some cases being able to refuel while the
9 reactors at some level of power and then other is the
10 pebble bed and --

11 MEMBER UHRIG: Pebble bed is the
12 continuous.

13 COMMISSIONER DICUS: But less operators
14 with the pebble bed with more modules.

15 MEMBER UHRIG: Yes.

16 COMMISSIONER DICUS: So you want me to
17 address what I think our regulatory structure --

18 MEMBER UHRIG: There are two separate
19 issues here. One is manpower associated with the
20 operation and automated operation and the second one
21 has to do with long --

22 COMMISSIONER DICUS: I think we got into -
23 - I don't know if we need regulatory changes or not.
24 You get into reduced manpower and automated operation
25 might well be. Certainly, we're going to have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 address it from the safety point of view and the risk
2 point of view, so whether that would lead to a
3 regulatory change I think the study of looking at it
4 will tell us whether we need regulatory changes, might
5 well do with that.

6 As far as being, of course, the pebble
7 bed, putting that side as far as short -- longer runs
8 and being able to refuel, without total shutdown, that
9 is probably going to be a regulatory, something that
10 has to be done from that point of view. I don't know.

11 MEMBER UHRIG: The IRIS concept had an 8
12 year core.

13 COMMISSIONER DICUS: Uh-huh.

14 MEMBER UHRIG: And they would propose to
15 continue operation for 8 years before shutting down to
16 refuel. And this is unprecedented in any operation
17 that we've had in --

18 COMMISSIONER DICUS: I don't know. I
19 would have to get information on that. I just can't
20 answer the question at this point.

21 MEMBER UHRIG: Pebble bed was proposing,
22 I believe it was 7 years before they shut down for a
23 major overhaul, 7 or 8, something of this sort, so in
24 both cases, it was the order of 8 years.

25 MEMBER KRESS: It seems like it would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 impact your ability to monitor and inspect and find
2 out if anything is working its way towards disaster.
3 Might call for more instrumentation, at least.

4 COMMISSIONER DICUS: That will just be
5 part of our learning curve and some of the things we
6 ought to consider as we get into that sort, get into
7 those kinds of reactors and our staff will have to
8 come back, look to you for a lot of information on it
9 as well.

10 Anything else?

11 VICE CHAIRMAN BONACA: It seems as if we
12 are out of questions.

13 MEMBER POWERS: I am running out of
14 ability to take notes here.

15 (Laughter.)

16 COMMISSIONER DICUS: You've been taking
17 notes?

18 MEMBER POWERS: I'm hanging on every word
19 here.

20 VICE CHAIRMAN BONACA: We seem to have run
21 out of questions. Certainly, it has been a wonderful
22 exchange and very informative. We thank you for
23 coming and spending some time with us.

24 COMMISSIONER DICUS: Thank you. I
25 appreciate it. I know some of the issues because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're really technical, out of my field. I'm not
2 quite up on the concepts and the policies and things
3 of that nature. I've enjoyed talking about them with
4 you. You've got your work cut out for you, I think,
5 in your next 5 or 10 years. There's a lot coming down
6 the pike and we're going to look to you for a lot of
7 advice being an advisory committee.

8 Thank you.

9 (Whereupon, at 10:03 a.m., the meeting was
10 concluded.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE


This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

Name of Proceeding: 483rd ACRS Meeting

Docket Number: (Not Applicable)

Location: Rockville, Maryland

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



Jonathan Zilinski
Official Reporter
Neal R. Gross & Co., Inc.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701