## **Official Transcript of Proceedings**

## NUCLEAR REGULATORY COMMISSION



Title:

Advisory Committee on Reactor Safeguards Subcommittee on Reliability and Probabilistic Risk Assessment

Docket Number:

(not applicable)

PROCESS USING ADAMS TEMPLATE: ACRS/ACNW-005

Location:

Rockville, Maryland

Date:

Friday, June 22, 2001

Work Order No.:

NRC-277

Pages 1-284

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1323 Rhode Island Avenue, N.W. Washington, D.C. 20005 (202) 234-4433 ACRS Office Copy - Retain Orthon

	1
1	UNITED STATES OF AMERICA
2	+ + + + +
3	NUCLEAR REGULATORY COMMISSION
4	+ + + +
5	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)
6	SUBCOMMITTEE ON RELIABILITY AND PROBABILISTIC
7	RISK ASSESSMENT
8	+ + + + +
9	MEETING
10	+ + + +
11	FRIDAY,
12	JUNE 22, 2001
13	+ + + + +
14	ROCKVILLE, MARYLAND
15	+ + + +
16	
17	The subcommittee meeting was held at the
18	Nuclear Regulatory Commission, Two White Flint North,
19	Room T2B3, 11545 Rockville Pike, at 8:30 a.m., Dr.
20	George E. Apostolakis, Chairman, presiding.
21	
22	COMMITTEE MEMBERS PRESENT:
23	GEORGE E. APOSTOLAKIS Chairman
24	MARIO V. BONACA Vice Chairman
25	THOMAS S. KRESS Member
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1       COMMITTEE MEMBERS PRESENT: (cont'd)         2       GRAHAM M. LEITCH       Member         3       DANA A. POWERS       Member         4       WILLIAM J. SHACK       Member         5       ROBERT UHRIG       Member         6       ACRS STAFF PRESENT:       MICHAEL T. MARKLEY         9       Interface       Interface         10       Interface       Interface         11       Interface       Interface         12       Interface       Interface         13       Interface       Interface         14       Interface       Interface         15       Interface       Interface         16       Interface       Interface         17       Interface       Interface         18       Interface       Interface         19       Interface       Interface         20       Interface       Interface         21       Interface       Interface         22       Interface       Interface         23       Interface       Interface         24       Interface       Interface         25       Interface       Interface	1				2
2       GRAHAM M. LEITCH       Member         3       DANA A. POWERS       Member         4       WILLIAM J. SHACK       Member         5       ROBERT UHRIG       Member         6	1	COMMITTEE MEMBI	ERS PRESENT:	(cont'd)	
3     DANA A. POWERS     Member       4     WILLIAM J. SHACK     Member       5     ROBERT UHRIG     Member       6     ACRS STAFF PRESENT:     MICHAEL T. MARKLEY       9     MICHAEL T. MARKLEY     9       10	2	GRAHAM M	. LEITCH	Member	
4       WILLIAM J. SHACK       Member         5       ROBERT UHRIG       Member         6       ACRS STAFF PRESENT:       MICHAEL T. MARKLEY         9       MICHAEL T. MARKLEY       9         10	3	DANA A. I	POWERS	Member	
5       ROBERT UHRIG       Member         6	4	WILLIAM .	J. SHACK	Member	
6         7       ACRS STAFF PRESENT:         8       MICHAEL T. MARKLEY         9       10         10       11         12       13         14       15         16       17         18       19         20       21         21       23         22       23         23       COURT REPORTERS AND TRANSCRIBERS         124       25         NEAL R. GROSS         ISZ PRODE ISLAND AVE. N.W.         www.neshgross.co	5	ROBERT UI	HRIG	Member	
7       ACRS STAFF PRESENT:         8       MICHAEL T. MARKLEY         9	6				
8       MICHAEL T. MARKLEY         9       10         10       11         11       12         13       14         15       16         16       17         18       19         20       11         21       12         23       14         24       15         25       NEAL R. GROSS         132 RHOBE ISLAND AVE. NM.       WWW.nealingross.00         WWW.nealingross.00       WWW.nealingross.00	7	ACRS STAFF PRE	SENT:		
9 10 11 12 13 14 15 16 17 18 19 20 21 20 21 23 24 25	8	MICHAEL '	T. MARKLEY		
10         11         12         13         14         15         16         17         18         19         20         21         22         23         24         25         NEAL R. GROSS         NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         24         25         NEAL R. GROSS         NUMERING TON, D.C. 20005-3701         WWW.Realigross.co.	9				
11         12         13         14         15         16         17         18         19         20         21         22         23         24         25         NEAL R. GROSS         KEAL R. GROSS         XINDER ISLND AVE., NW.         X20 2324-4433       WWW.nealigross.col	10				·
12         13         14         15         16         17         18         19         20         21         22         23         24         25         NEAL R. GROSS         NEAL R. GROSS         SUBJECT FERS AND AVE. N.W.         (202) 234-4433       www.nealrgross.co	11				
13         14         15         16         17         18         19         20         21         22         23         24         25         NEAL R. GROSS         KEAL R. GROSS         (202) 234-4433	12				
14         15         16         17         18         19         20         21         22         23         24         25         NEAL R. GROSS         KURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE., NW.         (202) 234-4433         www.nealingross.com	13				
15         16         17         18         19         20         21         22         23         24         25         NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAD AVE., N.W.         WASHINGTON, D.C. 20005-3701	14				
16         17         18         19         20         21         22         23         24         25         NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE., N.W.         (202) 234-4433         www.nealigross.co	15				
17         18         19         20         21         22         23         24         25         NEAL R. GROSS         NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE., NW.         (202) 234-4433	16				
18         19         20         21         22         23         24         25         NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         122         23         24         25         (202) 234-4433	17				
19         20         21         22         23         24         25         NEAL R. GROSS         SOURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE., N.W.         WASHINGTON, D.C. 20005-3701         www.nealrgross.co	18				
20 21 22 23 24 25 NEAL R. GROSS NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701 www.nealrgross.co	19				
21 22 23 24 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.co	20				
22 23 24 25 <b>NEAL R. GROSS</b> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.co	21				
23 24 25 <b>NEAL R. GROSS</b> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.co	22				
24 25 <b>NEAL R. GROSS</b> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.co	23				
25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.co	24				
NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE., N.W.         (202) 234-4433         WASHINGTON, D.C. 20005-3701         www.nealrgross.com	25				
		(202) 234-4433	NEAL R. Court Reporters A 1323 Rhode Isla Washington, D	GROSS AND TRANSCRIBERS AND AVE., N.W. .C. 20005-3701	www.nealrgross.com

1		3
1	INDEX	
2	AGENDA ITEM	PAGE
3	Introduction	4
4	NRC Staff Presentation	
5	Introduction and Overview of Draft	5
6	NUREG-1742, Perspectives Gained	
7	from the IPEEE Program	
8	Seismic Insights	27
9	Fire Insights	133
10	High Winds, Floods, and Other	213
11	External Events	
12	IPEEE-Related Unresolved Safety .	234
13	Issue (USI) and Generic Safety	
14	Issue (GSI) Resolution	
15	Closing Remarks	265
16	General Discussion and Adjournment	269
17		
18		
19		
20		
21		
22		
23		
24		
25		
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www	nealrgross.com

	4
1	P-R-O-C-E-E-D-I-N-G-S
2	(8:30 a.m.)
3	CHAIRMAN APOSTOLAKIS: The meeting will
4	now come to order. This is a meeting of the Advisory
5	Committee on Reactor Safeguards, Subcommittee on
6	Reliability and Probabilistic Risk Assessment.
7	I am George Apostolakis, Chairman of the
8	Subcommittee on Reliability and PRA. Subcommittee
9	members in attendance are Mario Bonaca, Tom Kress,
10	Graham Leitch, Dana Powers, William Shack, and Robert
11	Uhrig.
12	The purpose of this meeting is to discuss
13	the staff's draft Individual Plant Examination for
14	External Events insights report, draft NUREG-1742.
15	The subcommittee will gather information, analyze the
16	relevant issues and facts, and formulate proposed
17	positions and actions, as appropriate, for
18	deliberation by the full committee.
19	Michael T. Markley is the cognizant ACRS
20	staff engineer for this meeting. The rules for
21	participation in today's meeting have been announced
22	as part of the notice of this meeting previously
23	published in the Federal Register on May 23, 2001.
24	A transcript of the meeting is being kept
25	and will be made available as stated in the Federal
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

,

ł ·

	5
1	Register notice. It is requested that speakers first
2	identify themselves and speak with sufficient clarity
3	and volume so that they can be readily heard.
4	We have received no written comments or
5	requests for time to make oral statements from members
6	of the public regarding today's meeting.
7	We will now proceed with the meeting, and
8	I call upon Mr. Alan Rubin of the Office of Research
9	to begin. Alan, welcome.
10	MR. RUBIN: Good morning. Thank you.
11	Good morning, and thank you, Professor
12	Apostolakis, members of the subcommittee. My name is
13	Alan Rubin. I have been the project manager for the
14	IPEEE program for quite a number of years, and I am
15	here to present introductory comments.
16	There are other members of the IPEEE team
17	who are with us this morning, including Brad Hardin
18	and John Ridgely of the staff, who you will hear from
19	later today, John Lehner from Brookhaven National
20	Laboratories, and Steve Nowlen from Sandia National
21	Laboratories. I just want to correct a typo I think
22	on the agenda for that. Steve told me this morning he
23	is not with Brookhaven.
24	(Laughter.)
25	By the way, there are quite a large number
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

I

6

other participants of contractors, the staff in both Research and NRR, others, some of whom are present in the audience this to acknowledge the just want morning. So Ι contributions that many people have made to this program over the years.

The outline of today's meeting -- I will give introductory comments that will include some of the background on the IPEEE program, so that we're all talking to the same base of the objectives of the IPEEE program. I'll discuss a little bit of what took place in the reviews of the submittals, the process that the staff went through in reviewing licensees' IPEEE analyses. I will discuss an overview of what's included in the draft NUREG-1742, the insights report.

The second presentation will be on the seismic perspectives by John Lehner, then probably followed by the IPEEE fire perspectives given by Steve Nowlen. After lunch Brad Hardin will discuss the high winds, floods, and other external events aspects of the IPEEE program. John Ridgely will then discuss the resolution of IPEEE-related generic issues, generic safety issues, and unresolved safety issues.

I will then conclude the program with a 24 examples of hòw the IPEEE 25 discussion of some

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

	7
1	information has been and may be used, and then give
2	some overall conclusions and observations.
3	We would like to the staff would like
4	to get a letter, if the Advisory Committee feels it
5	appropriate, on the IPEEE program. We'll leave it up
6	to you.
7	It might be helpful to us if we can get
8	some perspectives on the committee's views and whether
9	the if there's a feeling that the program has met
10	the intent of the objective of the IPEEE program,
11	perhaps some comments on the uses of IPEEE information
12	itself. But it's really up to the deliberations of
13	the subcommittee and the committee.
14	MEMBER POWERS: It seems to me that the
15	objectives that the agency had in asking for the IPEEE
16	effort were sufficiently qualitative, that there's a
17	good chance that the effort met that. There may be
18	some plants that are exceptions to that, but as a
19	general rule it looks like it's a pretty easy set of
20	requirements to meet.
21	There is another objective that I think we
22	ought to have for the insights report itself, and
23	that's to develop some intuition and understanding on
24	the risks associated with external events for the
25	agency's own thinking about risk-informed regulation.

**NEAL R. GROSS** 

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

I

8

And I wondered if you had set anv 1 objectives and had any -- you said you were going to 2 give examples on how it might be used, but do you have 3 any aspirations for what would be achieved by this 4 effort in order to develop that agency's understanding 5 of risk associated with these events? 6 MR. RUBIN: Well, let me -- let me answer 7 that question when I get to the examples. But, 8 basically, I think I agree with you that the -- at 9 least from our view we think that the objectives of 10 the IPEEE program has been met for all plants. 11 In terms of the uses of the information, 12 it has been and is being used, from what I've seen, I 13 think in an appropriate fashion. Just very briefly, 14 to use, in my view, the quantitative estimates of core 15 damage frequencies as a measure of a plant's risk, I 16 would view that with a little bit of maybe not --17 "skepticism" isn't the right word, but I'd look at 18 that with a -- see what kind of analysis the licensee 19 has done and what kind of a review and perspectives 20 the staff has given in our staff evaluation report and 21 technical evaluation reports. 22 So there's a lot of insights, I think, 23

that are available if one wants to know some plant-24 specific information, both -- that's included in the 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

licensee submittals, but that's only a piece of the picture. I think it's very important to also look at what the staff has written in our staff evaluation report and that it include in the technical evaluation reports for each submittal -- to discuss the strengths and the weaknesses of what we see is in the submittals.

And although we have concluded that each submittal has met the intent of the IPEEE program, there clearly are, I'd say, differences in the approaches that licensees have taken. And those insights are included in individual technical and staff evaluation reports.

It was not possible to bring all of those specific -- plant-specific insights into one document which we call the IPEEE insights report. But I just wanted to make that point.

And I think, Dana, when I go through the applications later this afternoon in my concluding statements we can discuss this further, if that's okay with you.

22 CHAIRMAN APOSTOLAKIS: Now, regarding the 23 IPEs, since you mentioned that you would like to have 24 a letter, we wrote two letters on the IPEEEs. one was 25 on the use of individual plant examinations in the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

14

15

16

17

	10
1	regulatory process, and the other on the potential use
2	of IPE results to compare the risk of the current
3	population or plants with the safety goals. That was
4	five years ago.
5	I guess you are asking us to write a
6	letter similar to the first one, the use of the IPEEE
7	now in the regulatory process
8	MR. RUBIN: Yes.
9	CHAIRMAN APOSTOLAKIS: because we
10	commented also on the quality.
11	MR. RUBIN: Yes. I think the first one
12	rather than the latter.
13	CHAIRMAN APOSTOLAKIS: The first one.
14	MR. RUBIN: Yes.
15	CHAIRMAN APOSTOLAKIS: This.
16	MR. RUBIN: Okay. Some of the background,
17	to be sure we're all up to speed a little bit. The
18	Generic Letter 88-20, Supplement 4, which was the
19	IPEEE request for licensees to do IPEEE analysis and
20	submit that information to the NRC, to identify plant-
21	specific vulnerabilities to severe accidents for
22	external events. That letter was issued in June 1991.
23	Gosh, and here we are in June 2001 saying that the
24	program is basically done.
25	At the same time the Generic Letter went
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

out, the staff issued a NUREG report, NUREG-1407, that 1 included procedural and submittal guidance for 2 licensees to conduct their IPEEE analyses. And also, 3 in September 1995, there was a Supplement 5 to Generic 4 Letter 88-20 that was issued that provided additional 5 quidance and clarification on the seismic -- the scope 6 of the seismic analysis for the IPEEEs. 7 I think we are all familiar with the 8 external events that are included in the IPEEE 9 Clearly, seismic events; fires; you will 10 program. hear the term HFO, which stands for high winds, 11 including tornadoes and hurricanes; floods, which is 12 external floods; and the O in HFO stands for other, 13 transportation, nearby facility which covers 14 accidents, and other plant-specific or unique types of 15 external events. 16 CHAIRMAN APOSTOLAKIS: I'm curious. When 17 you issue a letter, a generic letter, do you give a 18 deadline to the licensees, or sometimes you do, 19 20 sometimes you don't? MR. RUBIN: There was -- I think it was 21 three years. There was a number of years to respond. 22 CHAIRMAN APOSTOLAKIS: So why is it 10 23 years, then? 24 MR. RUBIN: Well, by the time we got the 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.neairgross.com

	12
l	licensees' submittals, that was I would say probably
2	at least a three- to five- or six-year timeframe.
3	There were extensions, not everybody submitted at the
4	same time, we couldn't you know, we don't have the
5	resources to review them all in parallel.
6	CHAIRMAN APOSTOLAKIS: I see.
7	MR. RUBIN: We had some at least two
8	dozen I'll get into this later Senior Review
9	Board meetings to review the licensees' submittals.
10	We've had at least one round and often two rounds of
11	requests for additional information.
12	Writing the technical and staff evaluation
13	reports is going through each plant review is
14	probably about a two-year process from the time we
15	start to writing the SER, roughly.
16	CHAIRMAN APOSTOLAKIS: Good.
17	MR. RUBIN: Okay. And 10 years flies by
18	when you're having fun.
19	The status of the program. In January
20	1988, the staff provided a preliminary IPEEE insights
21	report to the Commission. At that time, the report
22	was based on the review I should say the
23	preliminary review about one-third of the submittals.
24	There were 70 IPEEE submittals in total covering all
25	of the operating reactors in the U.S.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

At that time, following that preliminary insights report, I had given FIVE presentations to various ACRS subcommittees and the full committee on various aspects of the program, fire aspects, seismic, HFO aspects. And here we are back again. Now the program is basically completed.

We have completed reviews for all 70 submittals. One plant, Haddam Neck, has shut down. So what we actually did, we issued 69 staff evaluation reports. Included in those staff evaluation reports, as I said earlier, are technical evaluation reports which contain a lot of useful information on plantspecific issues and strengths and weaknesses.

You have in front of you -- it was passed 14 out and was issued in April 2001 -- draft NUREG-1742, 15 which is titled "Perspectives Gained from the IPEEE 16 Program, " and that was issued for public comment. It 17 has been given a very wide distribution. We have 18 distributed about 500 hard copies, including e-mail 19 distribution and announcements on the -- by e-mail, on 20 the website, in the Federal Register notice. 21

22 Copies have been sent to all utilities, to 23 various stakeholders, NRC staff, and others. The 24 comment period ends on July 31st, 2001. I should say 25 as of this date we have not received any public

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

ł	14
1	comments yet, but that's not surprising. Usually when
2	there's a deadline you try to get them to get comments
3	at the last minute.
4	And our schedule was to issue the final
5	NUREG-1742 in October 2001, taking into account public
6	comments.
7	MEMBER LEITCH: Changes in procedures, and
8	what not, made by the utilities as a result of this
9	study, changes there were a number of utilities
10	made various changes to procedures, in some cases
11	hardware. Were those changes voluntary on the part of
12	the utility?
13	MR. RUBIN: Yes.
14	MEMBER LEITCH: And it seems to me that
15	some of the insights here could be other utilities
16	could benefit from if Utility A made certain
17	changes, Utility B may have the same situation and not
18	have made those changes. This is just distributed to
19	the utilities and hope that they will see what has
20	been done here and try to apply it to their particular
21	situation?
22	MR. RUBIN: The candidate there's
23	nothing that the NRC is requiring or focusing on that.
24	But I was going to get to it in Volume 2 of the
25	draft report NUREG-1742, our plant-specific
	1323 RHODE ISLAND AVE., N.W.
İ	

information, the plant-specific tables, and the details, the types of improvements that each utility made.

One of the things consciously we tried to 4 staff and the Senior Review Board in 5 do, with reviewing the submittals, is not just on improvements, 6 but where there are similar plants why there were 7 You know, why does one plant come up 8 differences. with a certain area that is a large contributor to 9 risk and another one doesn't? Or another plant may 10 of the IPEEEs analyzed certain aspects 11 have differently, and we focused on that significantly. 12

13 So, I mean, in terms of what a licensee 14 chooses to do, the improvements are voluntary. The 15 Generic Letter itself is not a requirement. The 16 Generic Letter is a request.

17 VICE CHAIRMAN BONACA: But going on the 18 same issue, for example, in the fire area there were 19 only three utilities, I believe, that had identifiable 20 vulnerabilities.

21 MR. RUBIN: Yes. Two utilities, three 22 units, yes, correct.

VICE CHAIRMAN BONACA: And one of them
identifiable vulnerabilities in the turbine building,
if I remember, that were significant. And there were

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

www.nealrgross.com

	16
1	changes made to address those problems.
2	That plant has a number of sister plants
3	with identified vulnerabilities. There were also some
4	vulnerabilities tied to the design safety cables
5	coming through the turbine building area in locations.
6	Did you go back and check about sister plants to see
7	if they had the same configuration concern or just
8	simply was left to unaddressed? I mean
9	MR. RUBIN: Well, we'll get into the
10	vulnerabilities later on. But just let me briefly say
11	of those two three units, okay, two reactors at one
12	site, and one at another site, the first one was Quad
13	Cities, which we have I have talked about to this
14	committee before.
15	That first analysis that the utility did,
16	they went the licensee went back and redid their
17	IPEEE, the fire analysis, in its entirety. There was
18	a lot of visibility. There were a lot of discussions
19	with the staff. There were a lot of fire inspections.
20	There was quite a host of activities, both at the
21	utility and at the staff when this fire issue came up
22	several years ago.
23	The licensee revised their analysis. We
24	went out and did a site audit the staff and our
25	contractors of the revised analysis. We walked
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE., N.W.         (202) 234-4433       WASHINGTON, D.C. 20005-3701

around the plant. We went to see what they did. And we felt they did a very good job, in fact. Their first analysis was very, very conservative, I would say. That's when they came up with the fire vulnerability. There was a core damage frequency of five times 10<sup>-3</sup> just from fires. And that was a turbine building fire.

looked at What. we then -- we very 8 9 carefully other plants that -- whether they even looked at or discussed whether the cables -- safety 10 cables running through the turbine building. And 11 effectively as a result of our reviews, we questioned 12 a licensee that did not identify a vulnerability in 13 their turbine building, and as a result of the staff 14 questions they discovered one and made changes. 15

VICE CHAIRMAN BONACA: Okay. So --

17 MR. RUBIN: So that's sort of a short 18 summary of those vulnerability issues.

I'm sorry if I'm stealing your thunder, Steve, but the question came up.

VICE CHAIRMAN BONACA: No. It's -- I mean, understanding what the staff did with the information regarding other licensees.

MR. RUBIN: And by the way, that is an issue -- turbine building fires, that you brought up,

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

16

19

20

21

22

23

24

25

www.nealrgross.com

18 is a part of the aspects of the fire risk research 1 program also as well. 2 Let me just set the stage. The objectives 3 of the IPEEE program -- and Dana mentioned earlier 4 they seemed like kind of -- I don't know if a "low 5 bar" is correct, but they are not quantitative 6 7 objectives. Let me just read them. These were straight out of NUREG -- the 8 Generic Letter 88-20, and these objectives were all 9 for licensees. There was to develop an appreciation 10 of severe accident behavior for their plants. We hope 11 they would understand the most likely severe accident 12 sequences that could occur at their plants under full 13 power operating conditions. 14 The licensees were expected to gain a 15 qualitative understanding of the overall likelihood of 16 core damage in fission product release. It was not 17 quantitative CDF estimates that we were after. In 18 many cases, we did get quantification of core damage 19 frequencies. 20 lastly, and very importantly, Ι And, 21 should say, licensees would voluntarily reduce, if 22 23 necessary, the overall likelihood of core damage in fission product release when making modifications, and 24 either hardware or 25 plant improvements, be it

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

	19
1	procedural improvements, that could help prevent or
2	mitigate such severe accidents.
3	CHAIRMAN APOSTOLAKIS: I guess I have a
4	little of a problem with the qualitative understanding
5	of the likelihood. That means roughly what it is.
6	That's what it means?
7	MR. RUBIN: It means we wanted them to
8	understand what the dominant contributors were.
9	CHAIRMAN APOSTOLAKIS: It says
10	"likelihood."
11	MR. RUBIN: Right. Correct.
12	CHAIRMAN APOSTOLAKIS: It's a little bit
13	difficult to
14	MR. RUBIN: Would you have liked a
15	different term or
16	CHAIRMAN APOSTOLAKIS: Somebody at one
17	point asked a physicist to gain a qualitative
18	understanding of the speed of light.
19	(Laughter.)
20	I don't know. Go ahead.
21	MEMBER KRESS: It's fast.
22	CHAIRMAN APOSTOLAKIS: What?
23	MEMBER KRESS: It's fast.
24	(Laughter.)
25	MEMBER POWERS: Very fast.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

. •••••••••••

	20
1	MEMBER KRESS: Okay. You're right.
2	MR. RUBIN: Let me talk a little bit about
3	the IPEEE review process itself. After we received
4	submittals from licensees, they were reviewed to
5	determine whether the licensee met the intent of the
6	Generic Letter. That was clearly focused on the four
7	objectives that I discussed in the previous slide, see
8	whether the licensees followed the guidance that was
9	given in NUREG-1407, to see whether there were gaps or
10	weaknesses, and that they did a thorough job in
11	covering the different aspects of each of the areas of
12	the IPEEE.
13	The review process itself started with
14	initial screening reviews where we focused on the
15	quality and completeness of the submittals. And a
16	very important aspect
17	MEMBER POWERS: When you use the
18	focused on the quality, what does that mean?
19	MR. RUBIN: It means what we did not do,
20	we did not try to validate or verify the quantitative
21	results, go back and check calculations that were
22	included in the analysis. We wanted to see if they
23	were if they included the important aspects of the
24	program, but we didn't go and do a quality assurance
25	check.

**NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	21
1	MEMBER POWERS: You looked at the index to
2	see if they touched on the right topics?
3	MR. RUBIN: Correct.
4	MEMBER POWERS: Okay.
5	MR. RUBIN: And certainly, when there was
6	information that looked either inconsistent, we raised
7	questions. If they did not, for example, use
8	appropriate values, we raised questions, if we thought
9	those could contribute to a better understanding of
10	dominant contributors to risk. And you have several
11	examples of those later on in
12	MEMBER POWERS: I have to say that in the
13	text itself where you have highlighted those areas
14	where it goes the reviewers questioned this, and
15	they went back, that was very helpful.
16	MR. RUBIN: Okay. Thank you.
17	Let me just give an example. I think
18	examples help. But there was some generic guidance
19	that industry had put out, fire PRA implementation
20	guide that EPRI that staff had not reviewed. And
21	we went through quite an extensive review process with
22	industry on a generic basis to resolve those
23	questions, and it resulted in some additional and
24	improved guidance to utilities to respond to our RAIs.
25	An example is in the fire area on the use
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

of quantitative values now for heat release rates from cabinet fires, heat loss factors, and analysis of room heat-up calculations as a result of a fire. So I should -- you know, it was not that we didn't look at the quantitative information in the IPEEEs, but we didn't go back and doublecheck that, yes, they came up with the CDF estimates and we agreed with it.

I mentioned earlier we did also have a few 8 9 plants, selected plants -- four, in fact -- where we had site audits. These were additional reviews that 10 were beyond the screening analysis. For some plants 11 which either had poorly documented analyses and the 12 licensees asked us to come to their site, or there 13 were various technical issues that were in the 14 reviewer's mind. 15

One of these site visits was to Quad Cities as a result of their fire analysis. They had a very high core damage frequency estimate for fires. Just another example, we had a site visit to Susquehanna. They were on the other extreme. They had an extremely, extremely low core damage frequency estimate, on the order of 10<sup>-9</sup> for fires.

MEMBER POWERS: So why can't we all just follow Susquehanna's lead? That sounds good to me. MR. RUBIN: They did, as a result of our

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

16

17

18

19

20

21

22

23

24

25

	23
1	visit at Susquehanna, revise their analysis. They
2	came up with a couple orders of magnitude higher
3	estimate of core damage frequency, still on the low
4	side.
5	But we felt after our site audit that they
6	had identified the dominant where the dominant
7	areas were, and they actually made some procedural
8	improvements there as a result of that. So we
9	considered that a success.
10	I mentioned that there was a Senior Review
11	Board, which was a very important part of our review
12	process. The Senior Review Board was comprised of NRC
13	staff and contractors. Many of them are here in the
14	audience, and you will hear two presentations this
15	afternoon.
16	In the seismic area, that included Mike
17	Bohn of Sandia National Laboratory and T.Y. Chang of
18	the staff, who is in the audience. In the fire area,
19	it included Steve Nowlen from Sandia National Lab, who
20	will hear from later, Ed Connell, who is sitting over
21	here from NRR, and Nathan Siu from the Office of
22	Research who is also in the audience.
23	And the high winds, floods, and other
24	areas included Mike Bohn, also from Sandia, and Rob
25	Kornasiewicz who has since retired.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

L

1 But for a large part we had most of these 2 reviewers over the entire extent of the review process 3 which was very, very helpful, very useful. That provided both technical advice on the scope and 4 5 consistency of the individual reviews, and, more 6 importantly, helped to provide assurance that 7 vulnerabilities weren't overlooked. There were a lot of discussions back and 8 9 forth in these Senior Review Board meetings, and there were at least two dozen of them over the course of the 10 years focusing on RAIs and what were important issues 11 12 and important questions to pursue with licensees. VICE CHAIRMAN BONACA: Just going back 13 just for a question on technical decisions. Does that 14

just for a question on technical decisions. Does that mean if you had a surrogate element --

MR. RUBIN: In a seismic.

VICE CHAIRMAN BONACA: -- in a dominant -yes, in seismic, for example, you didn't consider that a technical deficiency, did you?

20 MR. RUBIN: No, because that was a 21 methodology that was approved. We considered that a 22 weakness, that you would not be able to -- in that 23 group of -- if the surrogate element came up to be a 24 dominant contributor, you would not be able to 25 identify what element that was at the plant.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

15

16

17

18

19

www.nealrgross.com

25 But sometimes if the overall risk were 1 2 low, even if the surrogate element is high, we felt it 3 may not be worth pursuing -- may not be necessary to 4 pursue. But it is pointed out so that in terms of, I'd say, uses or applications of the IPEEEs, 5 for 6 example, for risk-informed activities, if there is a 7 licensee that comes in with a request in the seismic area, and that plant -- particular plant has a 8 9 surrogate element as a dominant contributor, it might be hard, difficult, to determine, you know, should 10 they get some relief from some aspects in the seismic 11 12 area. So that information is -- I felt was very 13 important and very useful, and it is included in all 14 of the technical evaluation reports, if that were the 15 case. And, in fact, it is even included in Volume 2 16 of NUREG-1742, the dominant contributors, where there 17 are surrogate elements. 18 VICE CHAIRMAN BONACA: But would that give 19 you some kind of indication of the quality of the PRA? 20 MR. RUBIN: It was an accepted approach. 21 I don't know if -- it was nice when the surrogate 22

24

25

23

VICE CHAIRMAN BONACA: Okay.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

which was the case most of the time.

element did not come up to the dominant contributor,

(202) 234-4433

	26
1	MR. RUBIN: But we didn't require
2	licensees to go back and redo an analysis of those.
3	Just to touch base on the NUREG report,
4	the draft 1742. Volume 1 has the generic insights,
5	generic types of information primarily, and Volume 2
6	is a plant-specific database I call it from the
7	IPEEE program. The report itself describes the
8	overall process and the findings in each of the major
9	areas of the program.
10	It discusses identified vulnerabilities,
11	includes information on the quantitative findings,
12	such as the range of core damage frequency estimates
13	and the dominant contributors to plant risk in each of
14	the areas. It touches base and discusses the plant
15	modifications and improvements that have been
16	implemented or planned for each of the licensees.
17	It talks about the overall strengths and
18	weaknesses. Each plant-specific TER discusses those.
19	But in the insights reports also we discuss the
20	overall strengths and weaknesses and the very general
21	stance and the various methodologies that we used in
22	terms of models and assumptions for the analyses.
23	An important area that you will hear about
24	later is the resolution of the external event related
25	generic and unresolved safety issues that were, I'd
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE., N.W.         (202) 234-4433         WASHINGTON, D.C. 20005-3701         www.nealrgross.com

Sec. 2

I

say, a challenging part of the review process which 1 2 we've included in the IPEEE program. 3 The plant-specific database I mentioned. 4 The report talks about the success in meeting the intent and the objectives of the IPEEE program and 5 6 includes examples which I will discuss later on this 7 afternoon of the uses of IPEEE information by both industry and the NRC. 8 If there are no further questions, that 9 completes my introductory comments, and we 10 can continue on with the program, go into -- John Lehner 11 will discuss the seismic reviews. 12 13 MR. LEHNER: Good morning. I'm John Lehner from Brookhaven National Laboratory, and I 14 coordinated the effort at Brookhaven to review the 15 16 seismic portion of the IPEEEs and collect the 17 insights. I have also listed there some of the other 18 contributors of Brookhaven, the reviewers of the 19 20 individual submittals. And I should also mention that the first 20 plants were actually reviewed by ERI, 21 22 Energy Research Incorporated. What I want to present is an introduction 23 and background on previous seismic programs, how the 24 IPEEE relates to those programs, and discuss the 25 **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

vulnerabilities that were -- the way vulnerabilities were treated in the seismic portion of the IPEEEs and also discuss the improvements that occurred because of the seismic reviews -- I mean, the seismic reviews of the licensees.

Then I'll talk about some of the perspectives of the actual analyses, first discussing those elements which were common to the two types of analyses, and then go into the particular perspectives from the PRA analyses that were conducted, and then the seismic margin analyses that were conducted.

Finally, I'll make some comments about some of the perspectives on the methodologies used, and wind up with some conclusions.

Alan Rubin put up a slide that indicated 15 the objectives of the IPEEE program, and this just 16 summarizes the objectives of the insights program as 17 Basically, we it applies to the seismic portion. 18 wanted to look at the processes used and the findings 19 that the licensees had when they conducted their 20 analyses, look at the plant improvements that came out 21 of the seismic portion of the IPEEE program, look at 22 plant-specific design and operational features as they 23 might relate to the site-specific seismic hazards, and 24 describe the strengths and weaknesses of particular 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

	29
1	methodologies, and, finally, also look at the extent
2	to which the licensees met the intent of Supplement 4
3	to the Generic Letter.
4	Again, as was mentioned by Alan Rubin, the
5	insights program did not attempt to validate the
6	results of the licensees' submittals.
7	MEMBER KRESS: If one wanted to do that,
8	how would you go about it?
9	MR. LEHNER: To validate the results of
10	the submittals?
11	MEMBER KRESS: Yes.
12	MR. LEHNER: I think you'd need a more
13	indepth review than these screening reviews that we've
14	conducted, perhaps by duplicating selective
15	calculations, things like that, which were not carried
16	out in our screening review.
17	CHAIRMAN APOSTOLAKIS: How would you
18	validate the fragility curves?
19	MR. LEHNER: Well, I mean, there's
20	obviously a lot of uncertainty in the fragility
21	estimates. And, of course, for the IPEEE program, the
22	NUREG-1407 allowed the use of a mean fragility curve
23	as well as a mean hazard curve. So I think in most
24	PRA applications for the IPEEE the licensees basically
25	developed point estimates by using these mean curves.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	30
1	I think some of them had previously
2	existing PRAs where you probably had a more carry
3	along more uncertainty, let's say. But for the
4	IPEEEs, they really use they were allowed to use
5	the mean fragility curve.
6	MEMBER KRESS: How do you feel about
7	technical justification for that?
8	MR. LEHNER: For the use of the mean
9	fragility curve?
10	MEMBER KRESS: Yes, for mean fragility and
11	mean hazards, and combining the two to get a
12	MR. LEHNER: Well, I mean, it I think
13	for achieving the objectives of the IPEEE program, I
14	think it's a valid approach. I think you have to
15	MEMBER POWERS: Your text seems to be
16	fairly critical. I mean, it says I quote, "And the
17	use of simplified fragilities may have obscured
18	findings related to dominant contributors to seismic."
19	MR. LEHNER: Well, I think that refers to
20	the fact that some of the licensees well, some of
21	the analyses, the assumptions that were made for the
22	uncertainty and getting the I mean, you still have
23	to assume a combined beta value and
24	MEMBER POWERS: Combined beta value or
25	not, this seems to call into question that Mr. Rubin
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

said, that the study satisfied the objectives of the IPEEE effort.

1

2

11

12

13

14

21

22

23

24

25

3 MR. RUBIN: Let me just add one thing. These were instances in our reviews of individual 4 5 plants where the staff had asked for licensees to 6 submit examples of their calculations and analyses, 7 because we wanted to get some confidence if we had some questions on a particular plant, where the 8 9 reviews might have been sort of on the margin, the kinds of analyses and we did look at those. 10

We didn't validate the results. We actually got their calculations and looked at that as part of the review, not across the board for each plant, but for some selected plants.

MEMBER POWERS: Well, I thought one of the objectives was to understand what the dominant contributors to the various hazards were. And yet here it says that using these simplified approaches to fragility may have obscured findings related to the dominant contributors to seismic CDF.

I mean, it seems to say that they didn't do it. Maybe I'm misreading the sentence, but it seems to say these things didn't satisfy the objective of the IPEEE.

**NEAL R. GROSS** 

CHAIRMAN APOSTOLAKIS: What page is that

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	32
1	on?
2	MEMBER POWERS: You can find it in a
3	couple of places, George. But, in particular, on
4	page 20, second bullet from the bottom.
5	MR. LEHNER: I think, you know, it depends
6	how you interpret that statement. The "may have
7	obscured" I think is not meant to say that it had not
8	necessarily met the objective but that
9	MEMBER POWERS: It's plain language. I
10	mean, "may not have met," I mean, you can cast it any
11	way you want to. Either it did or it didn't. And
12	this says it didn't.
13	CHAIRMAN APOSTOLAKIS: Well?
14	MR. LEHNER: Well, I mean, the given
15	the limited objective of the Generic Letter, perhaps
16	that is too strong a statement. If you feel that
17	that's the that's what it says, then that's
18	VICE CHAIRMAN BONACA: Well, let me just
19	say that that was an issue I didn't raise. But
20	combined with the issue of the surrogate
21	MR. LEHNER: Right.
22	VICE CHAIRMAN BONACA: in some cases
23	being the dominant, etcetera, etcetera, there are a
24	lot of almost disclaimers within the text of this
25	NUREG as to the adequacy of any conclusions.
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE., N.W.         (202) 234-4433       WASHINGTON, D.C. 20005-3701

I mean, for example, when you compare as 1 a timeline CDF, due to seismic for plants, you get to 2 the conclusion that there hasn't -- you know, that 3 seems as if the programs have improved the older 4 plants such that -- that's rich because we know that 5 for the newer plants, really, they were not evaluated 6 I mean, there for the true strength that they have. 7 were some limits that they used to perform the 8 9 analyses. So I'm only saying that to reinforce what 10 Dana said, just there are a lot of disclaimers to the 11 text that gives you a sense of, well, this is very, 12 very soft. 13 MR. LEHNER: Well, I think the disclaimers 14 were put in there to ensure that if the -- these 15 results were used for other licensing issues that 16 there are a lot of caveats to be observed here. 17 That's the reason for the disclaimers, not 18 to leave the impression that the reviews that were 19 conducted to see if they met the Generic Letter 20 concluded that these analyses were then validated for 21 licensing issues. So I think that's why you have the 22 23 disclaimers. And the text VICE CHAIRMAN BONACA: 24 methodological issues, correctly identifies the 25 NEAL R. GROSS

> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

ł	34
1	page 244, you know. But one is there is a good
2	evaluation there, there is a good description, but one
3	is left with questions regarding the conclusions being
4	drawn from figures and tables, and so on.
5	MEMBER POWERS: Are we going to discuss
6	more on fragilities? Is this the appropriate time to
7	discuss more on fragilities?
8	MR. LEHNER: It probably is, yes.
9	MEMBER POWERS: There's this provocative
10	thing that says, "UHS shapes for component fragilities
11	calculated appear uncharacteristic when compared to
12	conventional spectrum shapes derived from observed
13	earthquakes." Point number 1. Point number 2, "As a
14	result, seismic analyses using UHS spectra resulted in
15	significant reduction in seismic demand as compared to
16	corresponding design basis calculations."
17	Well, I can certainly understand why the
18	design basis calculations might have a greater demand,
19	but it I mean, when it says that the UHS shapes for
20	component facilities are uncharacteristic, what are
21	you telling me? These are some figments of somebody's
22	imagination?
23	MR. LEHNER: Well, my understanding is
24	that I guess a problem there is that for the eastern
25	U.S this is only true of the eastern U.S. plants.
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVE., N.W.         (202) 234-4433       WASHINGTON, D.C. 20005-3701       www.nealrgross.com
1	

I mean, the western U.S. plants have UHSs that seems 1 But perhaps because of the lack of 2 appropriate. earthquake data the -- that's available for the 3 eastern U.S. --4 MEMBER POWERS: It says it is making the 5 comparison with observed earthquakes. Okay? I mean, 6 It that's what's interesting about the statement. 7 says you've got a fragility curve, has a spectrum 8 that's uncharacteristic -- that's different from what 9 you observe for earthquakes. I would assume that that 10 would be a fatal flaw. Apparently not. 11 MR. LEHNER: Well, our reviews did not --12 we didn't go back and -- we didn't have the ability to 13 go back and see how these UHS spectra were established 14 by the plants. 15 MEMBER POWERS: If somebody uses something 16 17 that doesn't match well with experimental data, I mean, it doesn't strike me that that is maybe the best 18 19 possible analytic technique. MR. LEHNER: Well, I would agree with you. 20 It doesn't go Right. MEMBER POWERS: 21 without passing. You said something here about that. 22 MR. LEHNER: Right. I think that's one of 23 the methodological issues that we've focused on. 24 Yes, I think there is a 25 MEMBER POWERS: **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. www.nealrgross.com (202) 234-4433 WASHINGTON, D.C. 20005-3701
	36
1	problem.
2	CHAIRMAN APOSTOLAKIS: Well, is this
3	appropriate to ask, about the methodological issues?
4	MR. LEHNER: I have a slide.
5	CHAIRMAN APOSTOLAKIS: You have a slide.
6	MR. LEHNER: Yes. Well, just by way of
7	background, this slide just discusses some of the
8	regulatory bases for seismic designs of nuclear
9	powerplants. 10 CFR Part 20, Appendix A, General
10	Design Criteria 2, talks about protection against
11	natural phenomena. Obviously, earthquakes is one of
12	those.
13	The idea of a safe shutdown earthquake is
14	in Appendix A of 10 CFR Part 100. And, of course, the
15	NRC has issued a standard review plan with many
16	updates and numerous regulatory guides that have been
17	issued on seismic issues as this area has evolved.
18	It's worthwhile mentioning some of the
19	seismic programs in the past that sort of led up to
20	the IPEEE program. The systematic evaluation program
21	recognized that some of the earlier plants had been
22	designed before seismic design criteria had really
23	matured, so that went back and looked at some of those
24	plants.
25	Bulletin 80-11 looked at specifically
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

masonry and block wall issues that applied to -- in nuclear plants. Then, the Charleston earthquake issue or the eastern U.S. seismicity issue of course raised the point that the U.S. Geological Survey informed the NRC that there may be higher seismicity in the eastern -- in some of the eastern U.S. sites than originally thought.

And this led to the development of hazard curves by Lawrence Livermore Laboratory and also by EPRI for the various nuclear plant sites in the eastern U.S. And these hazard curves were then used in the IPEEE for those plants that did seismic PRAs. MEMBER KRESS: My understanding is is they really all use the EPRI curves.

MR. LEHNER: They actually used both. Ι 15 think two plants actually only used the Livermore 16 curves, the revised Livermore curves. As you know, 17 the Livermore curves were then later revised in I 18 But most plants used the EPRI curves as 19 think '94. their base case, and then used the Livermore curves as 20 a sensitivity. 21

And they were asking -- I think NUREG-1407 actually asked that both sets of hazard curves would be used. And it turned out, as I'll talk about later on, that it did not make a significant difference in

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

22

23

24

damage frequency or in the dominant the core 1 contributors. 2 MEMBER KRESS: That raises a question of 3 using the LLNLcurves as а justification of 4 Is that a justified use of them? sensitivity then. 5

I mean, why stop there, is what I'm 7 sensitivity? saying, in terms of sensitivity. How do we know they balance the uncertainty some way? MR. LEHNER: Well, no, I mean, as I said, 10

Can you technically justify that as a use

the -- you know, the guidance in NUREG-1407 allowed the use of mean fragility and mean hazard curves and only asked for a use of the -- of both the EPRI and Livermore hazard analyses. I don't claim that it's a comprehensive uncertainty analysis, certainly.

MEMBER KRESS: What's bothering me is I'm afraid people are going to go back and misuse that as an uncertainty distribution.

CHAIRMAN APOSTOLAKIS: Which one? This? The Livermore curves do have uncertainty in them. They present families of curves.

MEMBER KRESS: I know. But they use the mean.

CHAIRMAN APOSTOLAKIS: Oh, they use the

mean.

(202) 234-4433

6

8

9

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

38

for

	39
1	MEMBER KRESS: Yes.
2	CHAIRMAN APOSTOLAKIS: Okay.
3	MEMBER KRESS: And I'm afraid that's going
4	to be misused as an uncertainty.
5	CHAIRMAN APOSTOLAKIS: Oh, all right. All
6	right.
7	MEMBER KRESS: When, really, you ought to
8	go to the full uncertainty in the Livermore curves and
9	propagate it through. But
10	CHAIRMAN APOSTOLAKIS: But that wouldn't
11	be an IPEEE, then. I mean, that's a major work, piece
12	of work to do that. I mean, you are doing full
13	scope
14	MEMBER KRESS: What I'm worried about is
15	misuse of the IPEEE results later on.
16	CHAIRMAN APOSTOLAKIS: You may think that
17	you have a bound when, in fact, you don't.
18	MEMBER KRESS: Yes.
19	MR. LEHNER: I agree with you that the
20	using the both sets of curves is simply a you
21	know, it's an interesting comparison, but it
22	doesn't
23	MEMBER KRESS: Well, it doesn't make much
24	difference, it doesn't seem like
25	MR. LEHNER: Right.
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	40
1	MEMBER KRESS: like you said, except
2	for one plant I think it was
3	MR. LEHNER: Yes.
4	MEMBER KRESS: which surprised me. Do
5	you know why that one plant made such a big
6	difference?
7	MR. LEHNER: Actually, I don't, no. I
8	mean, I think are you talking about the Seabrook?
9	MEMBER KRESS: Yes, I think it was
10	Seabrook.
11	MR. LEHNER: There was like an order of
12	magnitude difference
13	MEMBER KRESS: An order of magnitude
14	difference.
15	MR. LEHNER: in the CDF, yes. Yes.
16	Unfortunately, Seabrook was not well, we at
17	Brookhaven did not review Seabrook in detail, so we're
18	I'm not sure why that was.
19	The other seismic program, of course, is
20	the USI A-46 program, which looked at the seismic
21	adequacy of electrical and mechanical equipment in
22	plants. And that program was actually coordinated
23	with the IPEEE program in many plants, and the
24	procedures there developed by the seismic
25	qualification utility group, the GIP, the generic
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON D.C. 20005-3701

implementation procedures for seismic verification of 1 equipment, was also used in the IPEEE walkdowns quite 2 a bit. 3 Then, of course, the A-46 was a licensing 4 program, whereas the IPEEE program is not. But the 5 IPEEE program then, as I said, was coordinated with 6 A-46. And, of course, under A-46 you also had the 7 A-17, which was the spatial interaction issue, and the 8 seismic capability of above-ground tanks, A-40. 9 Also subsumed in the IPEEE program were 10 the external event part of A-45 and the Generic 11 mapping system in-core flux 12 Issue 131 for the applicable for Westinghouse plants. You'll hear more 13 in this afternoon's GSIs the USIS and 14 about presentation. 15 Now, let me CHAIRMAN APOSTOLAKIS: 16 Maybe you said it and I missed it. understand. 17 Important seismic-related programs undertaken by the 18 NRC and industry -- what does that have to do with the 19 These were undertaken as a result of the IPEEE? 20 findings, or there were --21 These were things MR. LEHNER: No, no. 22 23 that led up to the IPEEE. CHAIRMAN APOSTOLAKIS: Oh, way back. 24 MR. LEHNER: Yes. Yes. 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1	CHAIRMAN APOSTOLAKIS: Okay.
2	MR. LEHNER: And as I said, in other
3	words, the hazard curves used in the IPEEE came out of
4	the eastern U.S. seismicity issue. And the A-46
5	program a lot of plants for the A-46 program
6	older plants had to evaluate their electrical and
7	mechanical equipment, and they did it via a
8	developing a HCLPF for the plant, which is similar to
9	what they would do in a margin analysis.
10	They also developed this I'll talk
11	about this a little bit more later on, but this
12	success paths idea from EPRI. So when it came time
13	for the IPEEE, a lot of plants that used margin
14	analysis used the A-46 analysis as their basis and
15	built a little bit on that to satisfy the IPEEE
16	requirements.
17	MEMBER KRESS: Are you going to talk about
18	the HCLPFs any later, or is somebody? The question I
19	have is, we had one of our fellows do a study, and he
20	concluded that you can correlate HCLPFs with actual
21	effects on CDF. But if I look at the comparison of
22	the plants that did both the HCLPF and a CDF, I don't

23

25

**NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

see that correlation. And I was wondering if -- it

raises a question in my mind, was our fellow wrong, or

is there something wrong with the PRA or the HCLPF

(202) 234-4433

www.nealrgross.com

	43
1	analysis in the IPEEE?
2	MR. LEHNER: Well, I think there's a lot
3	of
4	MEMBER KRESS: It could be both, I guess.
5	MR. LEHNER: There's a lot of factors that
6	enter into that. I mean, you if you derive the
7	HCLPF from the PRA, then, I mean, there is I mean,
8	in the margin analysis, most of the HCLPFs were
9	derived by this CDFM method, the conservative
10	deterministic failure method, whereas if you're
11	deriving it from the PRAs then you are you are
12	deriving it from the fragility curves.
13	And, I mean, ideally, if you did
14	everything consistently you'd get similar results.
15	But I think that I know the if you're talking
16	about the figure that we have
17	MEMBER KRESS: I forget which figure that
18	was.
19	MR. LEHNER: Yes. I think you have to be
20	careful about the assumptions that went into those
21	calculations.
22	So the two analysis methods we've
23	already touched on this that the guidance in
24	NUREG-1407 allowed for were a margin analysis or a
25	seismic PRA, and they were both, of course, ways of
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

. . .

2

3

4

5

6

16

17

18

19

20

21

22

23

24

25

comparing seismic demand versus seismic capacity of the important SSCs in the plant.

comprehensive involved They both walkdowns, and they were both ways of identifying And the 1407 guidance also plant vulnerabilities. a qualitative containment called for at least 7 performance analysis.

The seismic PRA, as I said, 1407 allowed 8 mean hazard curves or mean fragilities, but it also 9 called for some enhancements in the sense that you had 1.0 to look at relay chatter, soil liquefaction if it 11 happened to be applicable at the site, and it also 1.2 asked -- all this was optional -- that -- that plants 13 with a SPRA calculator HCLPF, but most plants did not 14report a HCLPF that conducted the seismic PRA. 15

MEMBER POWERS: Let me ask you a question about soil liquefaction. Were there any constraints of what the licensee did there? I mean, do you have standard for how to treat soil liquefaction а displacements?

I think that's one of MR. LEHNER: No. the things that we mentioned, that there really doesn't seem to be an accepted methodology or accepted guidelines for, you know, what's an adequate soil analysis.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	45
1	MEMBER POWERS: And so you whatever
2	they did you just kind of had to accept?
3	MR. LEHNER: That's right.
4	MEMBER KRESS: Does that raise a need for
5	if we actually wanted to put seismic PR
6	contributions in the PRAs, is that a need that's
7	unfilled?
8	MR. LEHNER: Well, I think some plants
9	actually identified some problems in that area. Of
10	course, you know, a I think the question is: what
11	do you do about that? I mean, it's a very difficult
12	problem to fix.
13	CHAIRMAN APOSTOLAKIS: Now, most plants I
14	understand did margin analyses, didn't they?
15	MR. LEHNER: Yes.
16	CHAIRMAN APOSTOLAKIS: Is there a big
17	difference in terms of resources required between
18	doing a seismic PRA and a seismic margin analysis?
19	MR. LEHNER: Yes, I believe so.
20	CHAIRMAN APOSTOLAKIS: I mean, but is
21	there a big difference in the benefits as well? I
22	mean, it seems to me the margin analysis, after you've
23	done it, you've done it and it shows that you don't
24	have any major problems, it's useless.
25	And you can't use any of that in
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

``**~~**~~

	46
1	Regulatory Guide 1.174. Nothing. I mean, you don't
2	have an estimate of the core damage frequency, so you
3	save some money but you end up with nothing.
4	MR. LEHNER: Well, yes, that's an
5	interesting point.
6	CHAIRMAN APOSTOLAKIS: I don't know why
7	people prefer these things, because perhaps we don't
8	insist that they use a complete PRA when they request
9	other things so they could get away with it, because,
10	you know, it's the same thing with FIVE on fires.
11	MR. LEHNER: Yes.
12	CHAIRMAN APOSTOLAKIS: After you do it,
13	unless you go on and do a PRA on the unscreened
14	locations, you don't have results that can be used in
15	the future. You just showed that you don't have
16	vulnerabilities according to these rules.
17	MEMBER KRESS: One way to use those may be
18	Bill Shack's take on this is if the margins
19	analyses and the FIVE analyses shows you don't have to
20	worry about fire or seismic, then you don't have to
21	include them in your 1.174.
22	CHAIRMAN APOSTOLAKIS: Well, then, if
23	that's the case, I think you need a much more detailed
24	review than these guys were allowed to give those
25	MEMBER POWERS: It seems to me, Tom, I
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	47
1	mean, this is like analyzing one sequence. You come
2	out and you find out, well, that sequence is a 10 to
3	the minus sequence, so I threw it away. And I, in
4	fact, define my sequences so that they're all less
5	than $10^{-6}$ , so I can throw them away, so I have zero
6	risk from the plant. I mean
7	MEMBER KRESS: You're exactly right.
8	Especially if you're going to use importance measures,
9	you've got to worry about that, too.
10	MEMBER POWERS: Yes. And that's what
11	worries me here is that we're doing all of this
12	categorization of equipment, and we're not getting any
13	benefit out of this for the risk achievement or risk
14	reduction worth with respect to seismic and fire and
15	that categorization. And we'll never get it.
16	MEMBER KRESS: Yes. I was wondering if
17	anybody would bring up the concept that just because
18	it's relatively low contribution to the CDF, it may
19	not be a relatively low contribution to the
20	derivative, and that's what you're really finding in
21	1.174 is the derivative. And so, but anyway
22	CHAIRMAN APOSTOLAKIS: Well, I think we
23	should clarify this. Either we go back to 1.174 and
24	say external events are not to be included, or we do
25	a serious job here. I mean, you can't have it both
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1	48
1	ways.
2	MEMBER KRESS: If the intent is to use
3	this in 1.174, that might not be a
4	CHAIRMAN APOSTOLAKIS: Well, 1.174 says
5	the total CDF.
6	MEMBER KRESS: Oh, I know. But maybe
7	1.174 says don't use the IPEEEs. Go back and do a
8	real seismic analysis.
9	MEMBER POWERS: Yes, but we never mean
10	that.
11	CHAIRMAN APOSTOLAKIS: But we never mean
12	that.
13	MEMBER POWERS: We say total CDF, but we
14	never mean that, because we say that there's no risk
15	whatsoever due to shutdown events. And now we're
16	saying there's no risk due to seismic events. And
17	pretty soon we'll get around to saying there's no risk
18	due to fire events.
19	MEMBER KRESS: Might as well forget the
20	internal events, too, then.
21	(Laughter.)
22	MEMBER POWERS: Might as well leave them
23	out as well.
24	MR. LEHNER: I think some people actually
25	have proposed a way of getting a pseudo-CDF, something
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.neairgross.com

	49
1	like an analysis.
2	CHAIRMAN APOSTOLAKIS: But why? I mean,
3	I don't understand it. How much would it cost?
4	Because remember now, these guys are building on what
5	EPRI has done and Lawrence Livermore. They are not
6	starting from scratch. They are just implementing
7	something.
8	MR. LEHNER: And they also have the
9	internal events PRA, too.
10	CHAIRMAN APOSTOLAKIS: And they have the
11	internal events PRA. They have to do walkdowns
12	anyway, no matter which approach they take. So it's
13	a mystery to me. I mean, what is it because it
14	will take time to try to understand what Livermore
15	did? I don't understand this.
16	VICE CHAIRMAN BONACA: Well, I think in
17	part it's the timeframe when the IPEEE came.
18	CHAIRMAN APOSTOLAKIS: It was 10 years.
19	VICE CHAIRMAN BONACA: Well, the utilities
20	at that time were not allowed to use PRAs to justify
21	changes as we see today, as 1.174 allows.
22	CHAIRMAN APOSTOLAKIS: That may very well
23	be part of it, yes.
24	VICE CHAIRMAN BONACA: So that shift I
25	think would justify on our part now to raise our
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

expectations, because since, you know, we have right 1 now an STP that is coming, for example, with a 2 significant initiative that is based on PRA insights, 3 in higher should be a counterpart then that 4 I don't think we are seeing it, you expectation. 5 know, here -- because, again, it's the outcome of the 6 program that started 10 years ago. Things have 7 changed. 8 MEMBER POWERS: I think it's imperative to 9 understand that there's been a change in mindset 10 between when this Generic Letter was sent out --11 CHAIRMAN APOSTOLAKIS: That's right. 12 MEMBER POWERS: -- and today that's a 13 fairly significant change in mindset. And so those 14 people that undertook things promptly after reading 15 the letter really had no opportunity to respond to 16 that change in mindset. 17 VICE CHAIRMAN BONACA: But wouldn't it be 18 appropriate at this point for us to say they --19 Well, it depends on 20 MEMBER POWERS: to the risk-informed 21 whether they want to qo I mean, those are optional, so 22 regulations or not. 23 it's --CHAIRMAN APOSTOLAKIS: I think we're going 24 to end up with a standard thing that is going to say, 25 **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701

50

www.nealrgross.com

"These analyses will be upgraded as necessary in the 1 I don't think anyone will go out and say, future." 2 3 "Redo." MEMBER KRESS: I think we did exactly the 4 same thing in the IPE. 5 Yes. And it's CHAIRMAN APOSTOLAKIS: 6 happening, by the way. It is happening. I mean, they 7 are upgrading their IPE. 8 MEMBER POWERS: Yes. But the opposite is 9 happening, too, George. People are coming in and 10 saying, "Well, from the IPEEEs we get or" --11 CHAIRMAN APOSTOLAKIS: And those guys do 12 not find the staff very sympathetic, they don't think. 13 MEMBER POWERS: It's the staff that's 14 doing it. 15 CHAIRMAN APOSTOLAKIS: Then we should not. 16 VICE CHAIRMAN BONACA: The main concern I 17 have is what already Tom voiced on a specific issue. 18 This document will be used in the future to draw a lot 19 of conclusions, a lot of --20 MEMBER POWERS: I think this document 21 could be used to draw a number of conclusions, 2.2 probably none of which are intended by you, the staff, 23 or the industry. 24 Absolutely. And VICE CHAIRMAN BONACA: 25 **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701 www.nealrgross.com (202) 234-4433

	52
1	those conclusions might be, you know, solidly
2	incorrect, because it's just so limited.
3	CHAIRMAN APOSTOLAKIS: But it's really
4	I mean, coming back to the original question, it's
5	I'm a little bit puzzled by this tendency to do
6	margins analysis. I mean, you could call this a
7	screening analysis, which is a legitimate part of any
8	PRA and then say, "Now, the remaining stuff I'll
9	quantify."
10	MEMBER KRESS: That would be the right way
11	to do it.
12	CHAIRMAN APOSTOLAKIS: That's the right
13	way to do it.
14	MR. LEHNER: You know, I think my just
15	my own opinion, but I think the fact that, as I
16	mentioned earlier, that the A-46 program already
17	involved doing a basically a margin analysis, it
18	was very convenient for licensees to then do a
19	similar, somewhat enhanced thing for the IPEEE.
20	VICE CHAIRMAN BONACA: You know, margins
21	analysis was valuable for licensees in the early '80s
22	when they were building plants, and they were asked to
23	perform PRAs to demonstrate that the plant, as
24	designed, had significant margin involved, what was in
25	the design, and, therefore, no change had to be made.
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

· . . .....

	53
1	That was the purpose of, really, margin analysis.
2	For this purpose, I totally agree with you
3	that it doesn't give you the insights that you would
4	want to have.
5	CHAIRMAN APOSTOLAKIS: Are you saying that
6	anywhere?
7	MR. LEHNER: Well, we mention that
8	CHAIRMAN APOSTOLAKIS: I mean, you have a
9	Section 264, Seismic Evaluation Methods and Strengths
10	and Weaknesses. Are you saying anywhere that the
11	margins analyses are limited and that perhaps in the
12	new regulatory environment they will not be too
13	useful?
14	MR. LEHNER: No. We don't quite say that,
15	no. I mean, we talk about what a you know, what an
16	SPRA gives you and what a margin analysis gives you.
17	CHAIRMAN APOSTOLAKIS: Yes. But, again,
18	you are placing them on the same level.
19	MEMBER SHACK: When you read what he says
20	about the seismic PRAs, it does not inspire a whole
21	lot of confidence.
22	(Laughter.)
23	CHAIRMAN APOSTOLAKIS: Like give me a
24	characteristic sentence.
25	MEMBER SHACK: Well, page 254, "In some
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealroross.com

	54
1	cases, the use of simplified fragilities may have
2	obscured findings related to dominant contributors to
3	seismic CDF."
4	CHAIRMAN APOSTOLAKIS: Right.
5	MEMBER SHACK: You go back to 247.
6	"Because of the correlation between the analyst's
7	expertise and quality of the fragility calculations,
8	guidelines or criteria may be made so that only
9	analysts with sufficient qualifications will perform
10	the fragility calculations in future seismic PRAs."
11	You know, some of the fragility analyses
12	are good, and some of them aren't so good. It really
13	is not
14	MR. LEHNER: Actually, I think that's an
15	interesting point, because I think we also mention in
16	the report that overall the margin analyses were more
17	consistent among each other. I think it's because
18	and they're more comfortable with calculating
19	making those kinds of calculations.
20	MEMBER POWERS: Well, you also have a
21	guidance on how to do them, whereas there is no
22	guidance
23	MR. LEHNER: Right.
24	MEMBER POWERS: for how to do a seismic
25	PRA.
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

55
CHAIRMAN APOSTOLAKIS: No. But, I mean,
coming back to Bill's point
MEMBER SHACK: Well, I mean, one of the
conclusions I came to was roughly that that maybe
I'm one of these guys doing these conservative
assessments, because I didn't trust their ability to
do something as
(Laughter.)
MEMBER POWERS: Well, let me dissuade you
of that, because it turns out that sometimes they
follow the directions and sometimes they don't.
(Laughter.)
CHAIRMAN APOSTOLAKIS: Well, I don't think
the degree of use of expert judgment in the actual PRA
is that different from the margins. I mean, I'm sure
you can repeat the same sentences by changing one or
two words and make them applicable to do margins
analysis.
MEMBER SHACK: No. And perhaps it comes
back to at least it's consistent because there's a
guidance document that sort of
CHAIRMAN APOSTOLAKIS: Yes. But we are
MEMBER SHACK: That doesn't make it right.
CHAIRMAN APOSTOLAKIS: What you're saying
is we are producing consistently results we cannot
NEAL R. GROSS
(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

in the second 
L

1

1	use.
2	MEMBER POWERS: Well, I question about the
3	consistency, because I come back to this in some
4	seismic margin analysis submittals licensees did not
5	entirely follow the criteria for success path
6	development or their submittal did not contain
7	sufficient information to permit verification of the
8	appropriate application of the criteria. I mean
9	MR. RUBIN: May I make a comment, please?
10	MEMBER POWERS: this seems to be a very
11	flexible world we live in here.
12	MR. RUBIN: Maybe a couple of comments.
13	First of all, the point that was made that the Generic
14	Letter came out 10 years ago, way before Reg.
15	Guide 1.174, there was I don't even know if it was
16	an inkling in somebody's eye, but risk-informed
17	activities and the use of PRAs.
18	CHAIRMAN APOSTOLAKIS: In fact, we
19	wouldn't even be using the words IPEs and IPEEEs.
20	MR. RUBIN: Right. So, I mean, that was
21	not the intent of the IPEEE to use it for risk-
22	informed activities. But I certainly agree, if
23	someone has done a seismic margins analysis, it is
24	going to be difficult to come up with, you know, a
25	quantification to use in Reg. Guide 1.174.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

П

Some of the comments that you are -- the subcommittee is making in terms of sentences seems to cast great doubts on the IPEEEs and their success. I think the intent we were trying to put forward in the report is that not everybody did an A job on their IPEEES.

So we had to put some perspectives in this insight report to generalize or sort of characterize the flavor of the reviews. And what I said earlier is that you really need to go and look at the plantspecific staff evaluation reports and technical evaluation reports to see where these sentences apply.

I wouldn't broad-brush sentences that -that these kinds of statements apply across the board to all of the IPEEEs. But we didn't want to also say that everything was so rosy and glory that it was, you know, the best thing we could ever imagine for all of the plants.

So that's -- I think you need to keep that 19 in mind in looking at this report. It may be a hard 20 thing to -- to write or to characterize. But if 21 you've got some suggestions, I'd appreciate it. 2.2 That's I think the help -- if it helps you in looking 23 at the report, how we tried to put it together, that's 24 just a comment. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

	58
1	MEMBER POWERS: My quotations of the
2	language, not meant for criticism of the author's
3	language. I think you guys were refreshingly honest
4	in your presentation here.
5	MR. RUBIN: But I think it is taken a
6	little bit out of context also, because you
7	CHAIRMAN APOSTOLAKIS: Alan, let me ask
8	you another question.
9	MR. RUBIN: Yes. Okay.
10	CHAIRMAN APOSTOLAKIS: Because I realize
11	it's difficult to provide perspectives and comment on,
12	you know
13	MR. RUBIN: Yes. We're doing there are
14	69 perspectives in here, which we're not
15	CHAIRMAN APOSTOLAKIS: Okay. But do you
16	think that after this program your technical
17	opinion and that of your group after this program,
18	is there a unit out there that, in fact, might have a
19	vulnerability in the sense that the seismic-induced
20	failure would have a frequency of close to $10^{-4}$ or
21	even greater? Is there a chance for that after you've
22	done all of this?
23	MEMBER SHACK: Like Haddam Neck.
24	MEMBER POWERS: There is one.
25	MR. RUBIN: Haddam Neck is shut down, not
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	59
1	because of the IPEEEs by the way.
2	CHAIRMAN APOSTOLAKIS: But something that
3	is hidden, that we don't know about. I mean, the
4	level of review, the level of analysis is
5	MR. RUBIN: I've been sitting in on all of
6	these reviews. When I see the kinds of discussions,
7	series of discussions that have taken place at our
8	Senior Review Board meetings to go into these kinds of
9	issues and, yes, there's a chance that something
10	can slip through the cracks. We're doing a screening
11	review.
12	But I'd say we're doing a very with the
13	resources and the time, and there's nothing if
14	there's a substantial amount of resources for each
15	review I think we're doing a pretty good job to try
16	and there's no zero probability, but I feel fairly
17	confident that we have asked questions where there
18	were lots of problems in initial reviews.
19	You know, if somebody just takes a
20	submittal and uses that as the basis for
21	characterizing a plant, I think they could be way off
22	base without looking at the discussions on the RAIs
23	and the responses that are in the staff's technical
24	evaluation report.
25	So short response, I'd say the chance is
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

Sec. 1

	60
1	low but it's not zero. But don't ask me to quantify
2	it.
3	CHAIRMAN APOSTOLAKIS: Can you give me a
4	qualitative description of the margin?
5	(Laughter.)
6	MEMBER POWERS: A margin.
7	(Laughter.)
8	MR. RUBIN: Isn't low good enough?
9	(Laughter.)
10	Well, you know, we didn't see the $10^{-4}$ .
11	Haddam Neck was on the high end. But we saw close to
12	that. In fires we saw estimates of greater than $10^{-4}$ .
13	For CDF estimates, in the low $10^{-4}$ range. We didn't,
14	you know, consider or call that a vulnerability.
15	We felt that the licensee had made lots of
16	improvements, even in the seismic analysis. Where
17	they did seismic margins, the walkdowns led to lots of
18	improvements. I mean, John hasn't gotten to that yet.
19	But even though they can't quantify their PRA, they
20	did make a lot of fixes based on the IPEEE.
21	MEMBER SHACK: Well, I sort of see it the
22	other way. You know, I looked at the wide range of
23	results you got and this sort of you know, does
24	this sort of tell you that it's you know, you can't
25	go any further with generic regulations?
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	61
1	Everything is now so plant-specific that
2	you almost you know, you really do need a
3	performance basis. If you don't like what they have,
4	you somehow have to have a way to look at an
5	individual plant and tell them, you know, to get their
6	CDF number down.
7	MEMBER KRESS: Did I hear that right?
8	MR. RUBIN: I won't touch that one.
9	MEMBER KRESS: From Bill Shack?
10	(Laughter.)
11	MEMBER POWERS: These metallurgists are
12	steeped in rigor. Just wait until we get to 50.46;
13	you'll see rigor.
14	MEMBER KRESS: Okay.
15	(Laughter.)
16	MEMBER SHACK: Well, I didn't say these
17	analyses were rigorous. I just said they show a lot
18	of variability.
19	MEMBER POWERS: I didn't say the analyses
20	were rigorous either. I just said metallurgists are
21	steeped in rigor.
22	MR. RUBIN: Well, I think we do know that
23	there is vulnerability among the design, and we expect
24	variability among the PRA results. So that's not a
25	surprise. Doesn't mean you can't, you know, come up
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433   WASHINGTON, D.C. 20005-3701   www.nealrgross.com

	62
1	with generic regulations. But if you're doing
2	something on risk insights, you really better look at
3	the individual plant.
4	MEMBER LEITCH: Well, I'm left with the
5	question that although you did not try to validate
6	these results, when I look at the figure like that on
7	page 232, I see two and a half orders of magnitude
8	difference in the CDF results.
9	And I guess it seems to me that there
10	could be at least three possible reasons for that.
11	One is differences in methodology that was used,
12	differences perhaps in identification of issues as a
13	result of the walkdown, or perhaps just plain errors.
14	And I guess although you didn't really try
15	to validate their results, as I understand, would you
16	have looked at some of these outliers to see which of
17	those might be contributing to these? In other words,
18	are these really plant differences, or is it
19	methodology and
20	MR. LEHNER: Well, I think it's both. I
21	mean, certainly, you know, plants have been designed
22	to different criteria as seismic standards evolved.
23	But methodology also plays a role, and I think one of
24	the you know, one of the implicit outcomes of this
25	whole individual plant examination and risk-informed
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

i

www.nealrgross.com

	63
1	regulation is this idea of adopting standards to try
2	and perhaps eliminate some of the variation in the
3	in what's an acceptable methodology.
4	I believe the NS standard on seismic
5	analysis is either has been released or is about to
6	be released.
7	So in answer to your question, I think
8	there is both elements, but I think the recognition
9	that methodology played a role has also led to the
10	idea of trying to put out some standards that would
11	narrow those differences in methodology.
12	VICE CHAIRMAN BONACA: We just talked
13	about Haddam Neck with 2.3 $10^{-4}$ CDF from seismic.
14	It's not surprising. But there are now plants of the
15	same vintage still in operations, and they chose not
16	to perform a PRA. So you have only a seismic margin
17	analysis.
18	You know, there are issues left like that
19	that come to mind all the time as I read that. What
20	about that? Seismic margin seems to say that that's
21	okay, and yet some of these plants they are part of
22	the same vintage. Why would they be different from
23	Haddam Neck? They wouldn't.
24	MR. LEHNER: They wouldn't. I mean
25	well, I mean, you know, I don't want to categorically
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

 $\left\| \right\|$ 

	64
1	say that they would have the same core damage
2	frequency. But, yes, I mean, there were plants out
3	there even when the margin analysis basically I
4	mean, there are plants where the margin analysis did
5	not give them a large margin over their design basis
6	earthquake, as we'll get to later on.
7	So, certainly, plants seem to be up to the
8	there was no plant that had a HCLPF that was below
9	their design basis, but there were certainly plants
10	whose HCLPFs were below the review level earthquake.
11	All right. So just to conclude with this
12	slide here, basically two margin analyses, one
13	developed by the NRC, which is an event tree/fault
14	tree approach, and the other one by EPRI, which is the
15	success path approach. And almost all licensees that
16	did a margin analysis used the EPRI method. I think
17	there were only two licensees that did an NRC seismic
18	margin.
19	Now, the guidance in NUREG-1407 basically
20	binned the plants into various analyses categories,
21	and this was based on the seismic hazard associated
22	with a plant site as well as, to some degree, the
23	design of the plant.
24	Maybe it's easier to start out with a full
25	scope seismic margin analysis where the SSCs will be
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.neairgross.com

.

evaluated against a review level earthquake, which was basically 0.3 g for the eastern U.S. These plants had to do a detailed relay chatter evaluation, soil failure evaluation, and, of course, perform a walkdown -- a detailed seismic walkdown.

Most of the plants that did -- that were binned into the focused scope seismic margin category, here again, they had to evaluate their equipment against a review level earthquake. The relay evaluation was less rigorous in the sense that only relays that had been identified previously under the A-46 program as low ruggedness relays that were now in the IPEEE scope but not in the A-46 scope had to be examined.

And as far as the soil failures, these plants originally were asked to do a soil failure evaluation under Supplement 4. And so the ones that did their margin analysis early on did so, but most of the plants actually did not have to do a soil failure evaluation because Supplement 5, which was issued in the mid '90s, recognized the lower seismic hazard of the revised Livermore studies and eliminated soil failure evaluation from the scope of the focused scope seismic margin analysis.

And then there was also reduced scope

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

www.neairgross.com

seismic margin for those plants which were in very low 1 hazard areas. And here the plant basically did not 2 have to evaluate against the review level earthquake, 3 the 0.3 q earthquake, but basically had to evaluate 4 5 against their design basis, their safe shutdown So the safe shutdown earthquake became 6 earthquake. the review level earthquake in that sense. 7 And, of course, the plants in the western 8 U.S. either had to do a seismic PRA, or the 1407 also 9 let them do a 0.5 g review level earthquake margin 10 analysis. 11 CHAIRMAN APOSTOLAKIS: You said that some 12 13 were EPRI proposed and some NRC. From these, your scope of what -- which one is EPRI? 14 Either one. You could use MR. LEHNER: 15 either methodology --16 CHAIRMAN APOSTOLAKIS: To do any of these. 17 MR. LEHNER: -- to do any of these. 18 CHAIRMAN APOSTOLAKIS: Okay. 19 As I said, only two 20 MR. LEHNER: Yes. plants use the NRC margin analysis. But the scope 21 22 here could be accomplished using either one. This next slide shows how NUREG-1407 23 binned the plants and what they actually did. in 24 other words, on the left-hand side here, there were 10 25 **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	67
1	plants that were binned in the reduced scope category,
2	49 in the focused scope, eight in the full scope, and
3	four that had to do seismic PRAs.
4	As it turned out, many more plants did
5	seismic PRAs. A lot of the focused scope plants did
6	seismic PRAs, so we wound up with a total of 27
7	seismic PRAs out of the 71 submittals. One plant did
8	actually both analyses, did both a margin analysis as
9	well as a seismic PRA analysis.
10	A number of plants as you can see here,
11	the shaded area sort of indicates the minimum. If
12	they're in the shaded area they did something less
13	than what was specified in 1407, and there were a few
14	plants that in the reduced scope category sort of did
15	a plant-specific analysis which was a variation on
16	reduced scope.
17	And in the focused scope category there
18	were a number of plants that felt that the Supplement
19	5 allowed them to actually do a reduced scope. And in
20	those cases while the submittal was, let's say, less
21	than adequate to
22	CHAIRMAN APOSTOLAKIS: John, let me ask
23	you something
24	MR. LEHNER: Yes.
25	CHAIRMAN APOSTOLAKIS: because I don't
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433 WASHINGTON, D.C. 20005-3701   www.nealrgross.com

	68
1	quite follow. I look at the last column.
2	MR. LEHNER: Right.
3	CHAIRMAN APOSTOLAKIS: SPRA. And it says
4	it has four numbers 1, 18, 4, and 4. The total
5	is 27.
6	MR. LEHNER: Right.
7	CHAIRMAN APOSTOLAKIS: What does that
8	mean?
9	MR. LEHNER: Okay. If you look at
10	let's look at the second row, focused scope.
11	CHAIRMAN APOSTOLAKIS: Okay.
12	MR. LEHNER: Forty-nine plants were binned
13	into the focused scope bin in 1407. So those 49
14	plants could have done a focused scope margin analysis
15	and satisfied the requirements. It turns out that, of
16	those 49, 29 actually did a focused scope, 18 did a
17	PRA, and three did a reduced scope.
18	CHAIRMAN APOSTOLAKIS: But why, then, did
19	they end up in the focused scope bin if they did the
20	reduced scope?
21	MR. LEHNER: Well, that's what I was just
22	explaining, that they I mean, the bins were set up
23	ahead of the IPEEE process. The bins were the minimum
24	requirements the plants had to fulfill in order to
25	meet the intent of the IPEEE.
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433   WASHINGTON, D.C. 20005-3701   www.nealrgross.com

I

Most plants either chose to fulfill those 1 minimum requirements or did more, like those 18 plants 2 3 that did the PRA actually did more than they were required. In a few cases, plants did less than they 4 5 were required, and those are the ones in the shaded 6 area. CHAIRMAN APOSTOLAKIS: And they still 7 claim they did a focused scope? 8 Well, they claimed that 9 MR. LEHNER: Supplement 5 gave them relief from focused scope and 10 they could reduced which do scope, а а was 11 questionable interpretation. 12 CHAIRMAN APOSTOLAKIS: Well, then, how did 13 you decide to put a unit in the reduced scope bin or 14 the focused scope bin? That --15 Oh. Because when they 16 MR. LEHNER: presented their submittals, their submittals --17 So they declared CHAIRMAN APOSTOLAKIS: 18 19 it. MR. LEHNER: They declared themselves. 20 CHAIRMAN APOSTOLAKIS: Oh, I see. 21 Yes, MR. they declared 22 LEHNER: themselves. They stated how they met the IPEEE. 23 CHAIRMAN APOSTOLAKIS: So 49 licensees 24 declared they were doing the focused scope. 25 **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	70
1	MR. LEHNER: No. Forty-nine licensees
2	the guidance by the NRC said you 49 licensees have to
3	do at least a focused scope.
4	CHAIRMAN APOSTOLAKIS: Hmmm?
5	MR. LEHNER: The left-hand column is the
6	guidance by the NRC in NUREG-1407. It said you 49
7	licensees have to do at least
8	CHAIRMAN APOSTOLAKIS: So you told them
9	what to do.
10	MR. LEHNER: Yes.
11	MEMBER SHACK: Set a minimum.
12	MR. LEHNER: A minimum standard.
13	CHAIRMAN APOSTOLAKIS: For those 49.
14	MR. LEHNER: Yes. That was the minimum
15	standard for those 49 plants.
16	CHAIRMAN APOSTOLAKIS: So you
17	MEMBER SHACK: And then you guys went
18	further.
19	MR. LEHNER: Right.
20	CHAIRMAN APOSTOLAKIS: So you told four
21	licensees to do a seismic PRA.
22	MR. LEHNER: Yes.
23	CHAIRMAN APOSTOLAKIS: But, in fact, 27 of
24	them did it.
25	MR. LEHNER: Right. Exactly. So, you
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	71
1	see, it actually is it's actually a little bit
2	I mean, if everybody did the minimum you'd only have
3	four seismic PRAs out there.
4	CHAIRMAN APOSTOLAKIS: Anyway, I okay.
5	But did you see a clear difference between the
6	conclusions and insights that a seismic PRA offered
7	versus one that is a reduced scope? I mean, is it
8	clear that the licensee who did the seismic PRA
9	benefitted more?
10	MR. LEHNER: Oh, yes, I think so. I mean,
11	the seismic PRA would give you, you know, dominant
12	contributors. A reduced scope basically you know,
13	a reduced scope, the licensee did not even have to
14	calculate a HCLPF for the plant. They basically just
15	had to see that they met the review level earthquake.
16	And the justification was that these were plants in a
17	very low seismic hazard area.
18	CHAIRMAN APOSTOLAKIS: I'm sorry. Go
19	ahead.
20	MR. LEHNER: Sure. I was saying that
21	there is definitely, you know, greater benefit to the
22	seismic PRA because the PRA gave the licensees better
23	insights as to not just the core damage frequency but
24	also the dominant contributors during a seismic event
25	to core damage, whereas a reduced scope basically only
	NEAL R. GROSS
	(202) 234,4433 MASHINGTON D.C. 20005 3701 Manual performer com
ſ	

ł
	72
1	told them that their equipment was adequate for the
2	design basis earthquake.
3	CHAIRMAN APOSTOLAKIS: Okay. You have a
4	total of 21 viewgraphs and you are just completing
5	number 7, which is one-third. And you have been
6	talking for an hour.
7	(Laughter.)
8	MR. LEHNER: I'll try to speed it up here.
·9	(Laughter.)
10	All right. In the seismic area, nobody
11	really well, I shouldn't say nobody. The
12	vulnerabilities it was left to the plant to define
13	what constituted a vulnerability, and definitions
14	varied quite a bit. Many plants most of them that
15	did margin analysis did not define vulnerability but
16	said they had none anyway. And a lot of plants
17	avoided the term altogether.
18	In some cases, in the seismic area where
19	they did identify vulnerabilities, the kinds of things
20	that they identified were similar to what other plants
21	called outliers or open issues or anomalies. So, you
22	know, the bottom line is that the where
23	vulnerabilities were identified they were it would
24	be unfair to characterize those plants any differently
25	than the ones that did not identify vulnerabilities.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

Now, by the way, I think one reason that no serious vulnerabilities were identified was because of the fact of some of these other previous seismic programs, like A-46, where a lot of inadequacies have been addressed already and fixed. Be that as it may, even though very few licensees identified vulnerabilities, almost all licensees made some kind of fixes that related to outliers or open issues that they identified during their assessment.

And so a lot of improvements were made in the seismic area in response to their analysis. And this list -- some of those examples, they are basically improvements in the hardware area, in maintenance, housekeeping issues, or in procedures and training. Overall, 70 percent of the plants made some sort of improvements in response to their seismic analysis.

And you can see here the number of plants 18 that reported this type of improvement. For those 19 20 plants that had no IPEEE-related improvements, about 21 half of them had already made improvements under the A-46 program and felt there were no further fixes 22 And then, you know, about 10 23 needed under IPEEE. plants said that -- mainly the newer plants said that 24 there were no additional fixes that they had to make. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

www.nealrgross.com

MEMBER UHRIG: On the hardware, there were 1 sort of three generations of seismic hardware over the 2 3 years. Was this additional hardware coming in, or was it replacement with the more sophisticated hardware? 4 5 MR. LEHNER: I think in some cases it was replacement. For instance, in the relay area it made 6 some replacements. But additional -- but mainly it 7 was -- as indicated there, you know, strengthening 8 anchorages, bolting things down, bolting things 9 together, eliminating spatial interaction problems 10 where one component -- a non-safety-related component 11 could fail and fall onto a safety-related component, 12 13 that sort of thing. large exchange of it а 14 So not was As a matter of fact, most of these 15 equipment. improvements were low-cost improvements, you know, in 16 spirit with the Generic Letter, really. They were 17 low-cost improvements, but significant improvements, 18 effective improvements. 19 20 MEMBER KRESS: How did they reinforce 21 masonry walls? MR. LEHNER: How did they reinforce 22 23 masonry walls? MEMBER POWERS: Steel and wire. That's 24 25 the most common way to reinforce it. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1	75
1	MEMBER KRESS: Just build a frame in front
2	on each side of it?
3	MEMBER POWERS: All the way around it.
4	MR. LEHNER: At least to yes, to
5	prevent it from falling onto I mean, the masonry
6	walls issue, again, was only an issue if the masonry
7	wall would
8	MEMBER KRESS: If it falls onto something.
9	MR. LEHNER: fall onto some vital piece
10	of equipment. So if you could protect it
11	MEMBER KRESS: I would almost think you'd
12	have to have a framework to do it, rather than just
13	MEMBER POWERS: Well, usually just some
14	bars across it. Or weaken it on the other side, so it
15	would fall in the other direction.
16	(Laughter.)
17	MR. LEHNER: All right. Let me quickly go
18	through these elements that were common to all of the
19	seismic IPEEES. Screening was done both in the PRA
20	area and in the seismic margin area.
21	The screening level for those people
22	that did margin analysis, they basically used the
23	review level earthquake, g level, as the screening
24	level, and used the EPRI NP-6041 guidance. There are
25	tables in there that allow you to screen out
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON D.C. 20005-3701 MAMM Realigness com

I

1	76
1	components based on past experience.
2	In the PRAs, they also screened out in
3	some cases based on the review level earthquake; in
4	other cases, higher screening levels. And, in
5	general, in many PRAs they screened out the majority
6	of components. Obviously, that would reduce the
7	amount of analysis that had to be done.
8	The walkdowns were really I think one of
9	the most important benefits of the IPEEE program,
10	especially for those plants that did a reduced scope
11	analysis. It was really a walkdown that was the
12	essential outcome of the IPEEE, where they looked at
13	their SSCs, looked at capacity versus demand, and
14	looked for outliers, and quite a few outliers were
15	identified.
16	They checked anchorages, looked at spatial
17	interaction concerns, identified those, and there were
18	many I think most of the insights that the
19	licensees gained came out of the walkdown process.
20	I'll talk about the dominant contributors
21	and weak links a little later on. For relay
22	evaluation, because the relays had been evaluated so
23	thoroughly in the A-46 program, there were a few
24	significant low ruggedness relays that were identified
25	solely as a result of the IPEEE program.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	77
1	The IPEEE program scope was a little bit
2	bigger than the A-46 program, so there were more
3	relays included under its scope. But those relays
4	that were identified as low ruggedness usually proved
5	to be not important for the safe shutdown of the
6	plant.
7	MEMBER POWERS: I will say that in the
8	documentation on this, where you discussed this is
9	extremely confusing. What you've written up here is
10	very clear.
11	MR. LEHNER: Okay.
12	MEMBER POWERS: You might want to change
13	that language, because it took me forever to sort out
14	what you actually meant by the words in here. That
15	sentence is much better than the what you say
16	things like chatter or vulnerable relays in selected
17	success path circuitry that related only to the IPEEE
18	did not have adverse consequences. And that made no
19	sense to me. If it was a success path, it had to have
20	adverse consequences. Now I think I understand better
21	what you were saying.
22	MR. LEHNER: Yes. I understand what
23	you're saying, but the key phrase there is "related
24	only to the IPEEE."
25	MEMBER POWERS: Yes. That clause you say
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433   WASHINGTON, D.C. 20005-3701   www.nealrgross.com

-----

	78
1	has already been fixed
2	MR. LEHNER: Okay.
3	MEMBER POWERS: is what you need in
4	there.
5	MR. LEHNER: Right, right. Exactly.
6	Soil evaluation as I indicated before,
7	those sites that were located on those plants that
8	were located on soil sites did soil analyses for
9	liquefaction and slope instability. They looked at
10	stresses in buried piping. And as we discussed
11	earlier, there is no general consensus on the best
12	approach to look at liquefaction-induced soil
13	displacement.
14	But some sites had identified this as a
15	as actually, they identified it in their screening
16	analyses or I should say in their first analyses,
17	those sites that identified soil problems usually went
18	back and took a closer look and managed to allay some
19	of the concerns with their soil failure.
20	As far as non-seismic failures in human
21	actions, in the PRAs these were, of course, included
22	in the event trees and fault trees, because most
23	licensees that used seismic PRAs adopted their
24	internal events event trees and fault trees, and so
25	they had human actions and non-seismic failures
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	79
1	included.
2	And for the human actions they used a wide
3	variety of approaches to account for seismic stress.
4	Usually they had a multiplier on the human failure
5	rates that they used in their internal events, and
6	then had some g-level beyond which the action was no
7	longer considered credible.
8	MEMBER POWERS: I mean, it seems plausible
9	what they did, but how do you how do you have any
10	confidence that the multiplier or the scaling factor
11	that you've used has any bearing on reality?
12	MR. LEHNER: Well, that's a difficult
13	question. I mean, you know, it's hard to run a
14	simulation of a seismic event.
15	MEMBER POWERS: Well, actually, it's
16	probably pretty easy. We just don't do it.
17	MR. LEHNER: I think if you get the right
18	stress levels, it's
19	CHAIRMAN APOSTOLAKIS: That's a very
20	important point. In fact, on page 225, the report
21	says that no strong technical basis was provided for
22	the values chosen, which is an accurate statement.
23	But what is disturbing a little bit is that it was not
24	identified this issue of human error probabilities
25	was not identified anywhere else in the report as a
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	80
1	weakness of the methodology and as something that
2	something needs to be done about.
3	I think the guys who wrote 264, Seismic
4	Evaluation Methods and Strengths and Weaknesses, were
5	seismic people. And they have no appreciation of the
6	human error stuff; that's for somebody else. Yet we
7	are talking about seismic PRAs here, so the whole
8	thing is one thing. So to and the same thing
9	applies to fires, by the way.
10	But to say this that somebody says
11	and I multiplied by five because, you know, there were
12	bad conditions, and everybody says okay, that doesn't
13	make sense to me at all. And then
14	MEMBER POWERS: Well, we accepted an STP
15	for doing sensitivity studies.
16	CHAIRMAN APOSTOLAKIS: That's not the same
17	thing.
18	(Laughter.)
19	But then what's even more perplexing is if
20	you go to page 529, which deals with now you're
21	going to tell me somebody else is going to do that,
22	but this is for that somebody else IPEEE-related
23	aspects of common cause failures related to human
24	errors.
25	Okay. All of the 69 IPEEE submittals,
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-444 (202) (2

which excludes Haddam Neck, provided some treatment or discussion of non-seismic failures and human actions. Of the 69 submittals, 61 provided adequate information to resolve this issue -- this issue being part of Generic Safety Issue 172.

Two provided adequate information to partially resolve this issue, and six did not provide adequate information. And so what I would like to see is the details from one of the 61 submittals that provided adequate information using these non-sensical multipliers and to resolve a generic safety issue. How can that be?

On the one hand, we say that there is no 13 strong basis for these numbers. And then we say 61 of 14 69 provided adequate information to resolve this 15 issue. So maybe someone who will address the issue of 16 the generic safety issue later will explain this? I'd 17 like to see the details. I'm not really objecting to 18 this. It's just that it sounds like it's inconsistent 19 with the technical evaluation that went on before. 20

And, you know, if you look at -- I guess common cause failure and human error, if you look at page 525 where there's a figure, it's clear that common cause failure is an important element. So how did these 61 guys manage to resolve the generic safety

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

21

22

23

24

25

1	82
1	issue when the technical basis is not strong?
2	John, you can go on. Obviously, you're
3	not going to you are not the one to answer the
4	question.
5	But I you know, this is another case,
6	like the one we were discussing earlier regarding
7	total CDF. We say that human error is important; the
8	agency should do something about it. And then people
9	do these funny things, and we don't raise hell. And
10	we just accept it, and, you know, well, what can you
11	do? I mean
12	MR. RUBIN: Can I
13	CHAIRMAN APOSTOLAKIS: Yes.
14	MR. RUBIN: May I add a couple of points?
15	In many of the seismic submittals in particular, in
16	terms of human failure, human actions, the seismic
17	event was over quickly, and the procedures that the
18	licensees had in place were for operators in the
19	control room, for the large part.
20	There were instances I can think of an
21	example where a licensee was and we questioned this
22	the licensee was going to take credit in a seismic
23	fire interaction for going down into the plant and
24	shutting a valve for hydrogen in the line for a
25	seismic event. And we said, "Wait a minute. How can
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433 WASHINGTON, D.C. 20005-3701   www.nealrgross.com

	83
1	they take credit for that?" And we pursued that
2	further.
3	But for the large part, many of the
4	actions were in the control room. They're not remote.
5	The seismic event is over relatively quickly.
6	CHAIRMAN APOSTOLAKIS: But I
7	MR. RUBIN: We need to clarify the report,
8	I think.
9	CHAIRMAN APOSTOLAKIS: But I still would
10	like to see one or two representative cases from the
11	61 licensees.
12	MR. RUBIN: We'll try to get you some this
13	afternoon.
14	CHAIRMAN APOSTOLAKIS: That would be more
15	convincing, I think. That would be an uncertainty
16	analysis, sensitivity analysis. But perhaps the
17	people who write the conclusions on seismic and fire
18	should not be seismic and fire experts, because they
19	have no appreciation for everything else.
20	Okay. You can't say in one place the
21	numbers are arbitrary, and then when it comes to the
22	conclusions you don't even mention it. I mean, I
23	it seems to me based on what I read here, not on what
24	Alan said, there is very strong evidence in this
25	report that we really don't know how to quantify human
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	84
1	error period under these conditions. And we
2	should say that.
3	Now, that doesn't necessarily mean that
4	the IPEEEs are useless, because, you know, there may
5	be situations like Alan just described one or two
6	where, you know, that may not be the driving force.
7	But it should be emphasized, because it this you
8	know, anyway, I said enough.
9	MR. LEHNER: I think maybe what you're
10	saying, it should be one of the items that's mentioned
11	under some of the methodological issues.
12	CHAIRMAN APOSTOLAKIS: Yes. If some of
13	the dominant sequences involve human error, yes, it
14	should be. Even though it is not something that a
15	fragility expert will do
16	MR. LEHNER: Makes sense, yes.
17	CHAIRMAN APOSTOLAKIS: it's part of the
18	methodology.
19	MR. LEHNER: Well, in the
20	CHAIRMAN APOSTOLAKIS: When do you think
21	it's a good place to stop? I don't want you to be
22	there for two hours if we're going to take a break.
23	I mean, in terms of your presentation. Don't ask
24	other people.
25	MR. LEHNER: Well, let's see. Well,
	1323 RHODE ISLAND AVE., N.W.     (202) 234-4433   WASHINGTON, D.C. 20005-3701   www.nealrgross.com

	85
1	actually, maybe after these maybe after these
2	common elements would probably be
3	CHAIRMAN APOSTOLAKIS: Okay. So the next
4	one is SPRA results.
5	MR. LEHNER: Right.
6	CHAIRMAN APOSTOLAKIS: Okay. Fine.
7	MR. LEHNER: Now, just to mention
8	regarding non-seismic failures and human actions, in
9	the margin assessments, these were usually only
10	qualitatively well, not usually, they were only
11	qualitatively discussed. And sometimes we had to
12	specifically ask in our RAIs about the human actions.
13	And the licensee basically then explained
14	that about the location and timing of the human
15	actions that were involved in the success paths, and
16	those explanations were usually convincing that they
17	had chosen success paths where human actions were well
18	understood and were in the control room. And so I
19	think this reinforces what Alan said earlier.
20	So in that sense, you know, the
21	explanations in many cases that they furnished for the
22	human actions involved in the success paths were
23	reasonable.
24	Regarding seismic fire and seismic floods,
25	seismic-induced fires were the submittals indicated
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1

	86
1	that the licensees had looked at seismically-initiated
2	fires. They also looked at seismic actuation of the
3	fire suppression system or a degradation of the fire
4	suppression system from seismic events.
5	And a number of licensees had found some
6	outliers in this area, and they felt that some of
7	their significant plant improvements were revealed by
8	looking at these issues. These were things like
9	looking at hydrogen lines.
10	You know, they first looked at fire
11	sources and then looked at the vulnerability of those
12	sources, like oil tanks or hydrogen lines and how
13	vulnerable these were and some of the improvements
14	they made was to put added restraints on these things
15	and furnish protection from having these items
16	initiate fires due to the seismic event.
17	And, again, these came out of the
18	walkdowns where, you know, they looked at these plant
19	areas where there were fire sources and how vulnerable
20	they were, and that was one of the big benefits from
21	the walkdowns.
22	There were a few PRAs that actually looked
23	at the seismic-induced fires and seismic-induced
24	floods in their actual accident sequences, but most of
25	them were addressed as minor walkdowns.
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

Regarding containment performance, most of 1 assessments only looked qualitatively at 2 the 3 containment, looking at containment integrity, isolation, bypass. I mean, the guidance in NUREG-1407 4 5 was that they should look for containment failure 6 modes, you know, unique to a seismic event that they would -- that would be different from things that they 7 identified in the internal events PRA. 8 And there were a few seismic PRAs that 9 actually did a Level 2, and, as indicated there, there 10 were some -- the LERF frequencies identified in those 11 PRAs varied from  $10^{-7}$  to 1.6  $10^{-5}$  per year. 12 13 And, finally, all of the IPEs, as required by NUREG-1407, conducted an independent peer review to 14 ensure the overall quality of the submittal, and they 15 listed the review members. And some of them even 16 listed the questions that the review members had asked 17 and their replies to those questions. 18 If there are no questions, I --19 20 CHAIRMAN APOSTOLAKIS: Any questions from the members? 21 22 VICE CHAIRMAN BONACA: just had a Ι question about seismic fire and seismic flood. 23 The text specifically states that a few of the evaluations 24 included those kinds of consequences -- fire and 25 **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	88
1	flood. Most of them did not.
2	MR. LEHNER: The PRAs.
3	VICE CHAIRMAN BONACA: Yes, the PRAs.
4	Yes. In the PRAs that considered those, did they find
5	those issues to be significant in risk?
6	MR. LEHNER: I don't think they showed up
7	as dominant contributors.
8	VICE CHAIRMAN BONACA: Okay.
9	MR. LEHNER: I do not believe so. No, I
10	don't believe so.
11	VICE CHAIRMAN BONACA: Okay. Thank you.
12	MEMBER SHACK: Typically, who was on these
13	independent review peer review panels? I mean,
14	other utilities, consultants, internal or
15	MR. LEHNER: Usually, there were some
16	outside consultants, plus some internal staff members
17	who were not involved in the actual IPEEE.
18	MEMBER SHACK: But in all cases there
19	would be somebody from outside, then.
20	MR. LEHNER: Yes. Yes.
21	CHAIRMAN APOSTOLAKIS: Any other comments?
22	Okay. According to the schedule, we'll
23	reconvene at 10:45.
24	(Whereupon, the proceedings in the
25	foregoing matter went off the record at
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	89
1	10:24 a.m. and went back on the record at
2	10:45 a.m.)
3	CHAIRMAN APOSTOLAKIS: Ready to start
4	again, John?
5	MR. LEHNER: Yes. Turning now to the
6	quantitative results from some of the seismic PRAs
7	that were carried out, this viewgraph shows a
8	histogram of the various CDFs.
9	Now, as indicated there in the
10	parentheses, what's plotted here is the CDF values
11	that were obtained with both the EPRI and the
12	Livermore hazard data. In other words, many plants
13	appear twice on this histogram. One was their EPRI
14	CDF and one was their CDF based on the Livermore
15	hazard data.
16	And, I mean, in general you can see that
17	most of the CDFs fall between $10^{-6}$ and $10^{-4}$ , kind of
18	the range that previous seismic PRAs have shown.
19	Those three data points in the $10^{-4}$ to $10^{-3}$ range, two
20	of those points are the Haddam Neck plant that, as we
21	talked about earlier, has been shut down. And one of
22	them is the Seabrook CDF with the Livermore hazard
23	curve. But with the EPRI hazard curve it's the
24	Seabrook plant is in the $10^{-5}$ range.
25	This next viewgraph just indicates the
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

Ш

	90
1	comparison of the CDF based on EPRI versus Livermore
2	for those plants that used both hazard analyses. And
3	you can see that the difference, except for that one
4	point which happens to be Seabrook where there is an
5	order of magnitude difference in their CDF, the
6	CHAIRMAN APOSTOLAKIS: I don't understand
7	the figure. Can you make it horizontal? So what are
8	we looking at their? Seismic CDF-based
9	MR. LEHNER: We're plotting here
10	CHAIRMAN APOSTOLAKIS: Maybe you can use
11	the mobile microphone.
12	MEMBER POWERS: I mean, you do have it in
13	your viewgraph.
14	CHAIRMAN APOSTOLAKIS: Yes. But he wants
15	to stand up and discuss it. I mean, if he wants to.
16	MEMBER POWERS: Well, I mean, it's one CDF
17	quantity as to another CDF. You compute the CDF with
18	the one hazard curve, and then you compute it with the
19	other, and you plot them one to one.
20	CHAIRMAN APOSTOLAKIS: I knew there was
21	something simple about it.
22	(Laughter.)
23	And then the point tells us what? I mean,
24	the 45-degree line, it means that
25	MR. LEHNER: Well, if they were exactly
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	91
1	equal they would all fall on the 45-degree line,
2	right? So this shows you the difference that the
3	different hazard curves made. I mean, if we take any
4	one point here, this is the value of the CDF that was
5	based on the Livermore curve. And this is the value
6	of the CDF based on the EPRI hazard results.
7	CHAIRMAN APOSTOLAKIS: Right.
8	MR. LEHNER: So as I said, if they were
9	all if the results were all perfectly equal there,
10	they would be along this line. As you can see, this
11	is sort of the linear regression line through the
12	results that there in most cases there was not a
13	significant difference.
14	The one outlier at this point, which is
15	the Seabrook the one plant here, I mean, here
16	Seabrook has a $10^{-3}$ well, greater than $10^{-4}$ CDF
17	based on the Livermore curves, but a $10^{-5}$ CDF based on
18	the EPRI curves.
19	CHAIRMAN APOSTOLAKIS: So these are based
20	on mean curves, right?
21	MR. LEHNER: These are based on mean
22	hazards.
23	CHAIRMAN APOSTOLAKIS: All of them are on
24	the mean curves.
25	MR. LEHNER: Yes. Yes.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	92
1	CHAIRMAN APOSTOLAKIS: So, then, if we use
2	uncertainty we might see a greater dispersion.
3	MR. LEHNER: Certainly, yes.
4	MEMBER POWERS: What do you mean a greater
5	dispersion?
6	MR. LEHNER: I mean, I don't
7	MEMBER POWERS: There's no difference.
8	CHAIRMAN APOSTOLAKIS: What?
9	MEMBER POWERS: What you would find is
10	there's no difference if you put the uncertainties
11	CHAIRMAN APOSTOLAKIS: I don't think so.
12	No difference?
13	MEMBER POWERS: Yes, you would because
14	there's uncertainty in the seismic CDF on both the
15	horizontal and the vertical axes, the dots would be
16	huge and
17	CHAIRMAN APOSTOLAKIS: 95th percentile for
18	Livermore is higher than for EPRI. So I should see
19	some difference.
20	MEMBER POWERS: It would be
21	indistinguishable relative to
22	CHAIRMAN APOSTOLAKIS: It depends on what
23	I choose to plot. It depends on what I choose to
24	plot.
25	MR. LEHNER: Yes. I was going to say it
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	93
1	would depend on what you choose to plot.
2	CHAIRMAN APOSTOLAKIS: Of course it would.
3	MEMBER SHACK: But is this arising because
4	as you go to the lower frequency level the EPRI curve
5	is going a little bit I mean, you know, you get a
6	factor of three at the low
7	MEMBER POWERS: I think it's totally a
8	statistical sampling.
9	MR. LEHNER: I mean, there's a comment
10	MEMBER POWERS: If you calculated the
11	uncertainty in that slope, recognizing the uncertainty
12	in the values of the points, I guarantee you you would
13	find no way to distinguish that from a 45-degree line.
14	CHAIRMAN APOSTOLAKIS: So it will be a
15	scatter plot.
16	MEMBER SHACK: So there's a shift in the
17	mean curve if you
18	MEMBER POWERS: You might
19	MEMBER SHACK: use a lower frequency.
20	That's where
21	MEMBER POWERS: Well, I think that's what
22	they derive out of it, but I don't think it's a
23	meaningful shift.
24	MR. LEHNER: There's been some speculation
25	that the even though the curves are different that
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealroross.com

	94
1	the slopes of the hazard curves in those areas that
2	that control the you know, the seismic response are
3	not that different. That's one assumption.
4	MEMBER POWERS: The other thing I will
5	hasten to point out is the regression line is also
6	incorrectly calculated, because it assumes that the
7	horizontal axis is totally certain.
8	MR. LEHNER: It's only there as sort of a
9	guide to
10	(Laughter.)
11	CHAIRMAN APOSTOLAKIS: Now, why did, then,
12	two of the dots there are below the 45-degree line?
13	MR. LEHNER: Oh. That just means that it
14	turned out that their EPRI CDF was bigger than their
15	Livermore CDF.
16	CHAIRMAN APOSTOLAKIS: Yes. The question
17	is: why?
18	MR. LEHNER: Oh. Why?
19	MEMBER POWERS: It can happen in any
20	western state in the calculation.
21	CHAIRMAN APOSTOLAKIS: The widespread
22	belief is that if you use the EPRI curves you get
23	lower numbers.
24	MEMBER POWERS: It's eastern seismicity.
25	CHAIRMAN APOSTOLAKIS: And for the west
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 2005-3701 www.nealrgross.com

	95
1	it's the reverse?
2	MEMBER POWERS: It's not the reverse.
3	They are almost identical.
4	CHAIRMAN APOSTOLAKIS: So why are both the
5	dots below the line, then? One should be above.
6	MEMBER POWERS: George, they're below the
7	line by the width of a dot.
8	CHAIRMAN APOSTOLAKIS: So what does that
9	tell us, then? That for the eastern United States
10	Livermore is more conservative, right?
11	MR. LEHNER: Well, I think the the
12	conclusion that we'd like to draw is that it doesn't
13	make much difference which hazard curve you use.
14	CHAIRMAN APOSTOLAKIS: It doesn't make
15	much difference.
16	MR. LEHNER: As far as your CDF is
17	concerned. And it turned out that it didn't make much
18	difference as far as the dominant contributors either.
19	In other words, the ranking of the dominant
20	contributors didn't change
21	CHAIRMAN APOSTOLAKIS: But wait a minute.
22	Why doesn't it make much difference? Look at the
23	points on the left there.
24	MEMBER SHACK: Yes. But if you're at
25	10 <sup>-6</sup> , do you really care whether you're up or down a
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	96
1	little bit?
2	MR. LEHNER: Yes. I mean, let me maybe
3	another way to illustrate this
4	MEMBER SHACK: Where the action is they
5	come together on the 45-degree line.
6	MR. LEHNER: There's a different way of
7	looking at it. There's a figure out of the text. I
8	mean, this basically compares, you know, Livermore's
9	CDF versus EPRI's CDF.
10	CHAIRMAN APOSTOLAKIS: So this is the
11	revised Livermore now, right?
12	MR. LEHNER: Revised Livermore, yes. Yes,
13	revised Livermore.
14	MEMBER KRESS: And 14 and 15 are the two
15	that are below the
16	MR. LEHNER: Right.
17	CHAIRMAN APOSTOLAKIS: And you're sure
18	these are western plants? 14 and 15?
19	MR. LEHNER: No. These are no, because
20	we want some plants who use site-specific spectra.
21	CHAIRMAN APOSTOLAKIS: Okay. So it
22	happened, then, for the eastern United States, which
23	is an eastern maybe you have very strong values
24	for
25	MR. LEHNER: Well, I guess it depends on
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433   WASHINGTON, D.C. 20005-3701   www.nealrgross.com

	97
1	where their seismic response is. If you'd like I can
2	look up what plants those are.
3	MEMBER KRESS: I was wondering whether it
4	had anything to do with the uniform spectrum that
5	which gets kind of it gets convoluted with this.
6	MR. LEHNER: Well, yes. Pilgrim and
7	Oyster Creek.
8	CHAIRMAN APOSTOLAKIS: Oh, okay. So they
9	are both eastern United States.
10	MR. LEHNER: Yes.
11	CHAIRMAN APOSTOLAKIS: Maybe the reason
12	was that there were the analysts. Using EPRI and
13	Livermore doesn't mean that you are using a concrete
14	methodology. I mean, the analyst must play some
15	MR. LEHNER: Oh, certainly.
16	MEMBER KRESS: You have to have success
17	criteria, and you have to have the fragility of these
18	things, and look at the response to different spectra.
19	And I don't know. You know
20	MR. LEHNER: Yes. But, I mean, again
21	MEMBER KRESS: a lot of reasons you
22	could end up
23	CHAIRMAN APOSTOLAKIS: What's number nine?
24	MR. LEHNER: Number nine?
25	MEMBER SHACK: Seabrook.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	98
1	MR. LEHNER: That's Seabrook. Yes, that's
2	Seabrook.
3	CHAIRMAN APOSTOLAKIS: Okay.
4	MEMBER KRESS: You know, that almost has
5	to be in response
6	MR. LEHNER: Presumably, the analyst was
7	the same for both the EPRI and the Livermore analyses.
8	MR. RUBIN: John, the high one was Haddam
9	Neck.
10	CHAIRMAN APOSTOLAKIS: Nine was Haddam
11	Neck?
12	MR. LEHNER: No, nine was
13	MEMBER SHACK: No, Seabrook.
14	MR. LEHNER: Seabrook.
15	MR. RUBIN: I think 15 is Haddam Neck.
16	Yes, that's Haddam Neck. It's the one with the EPRI
17	curve. The EPRI is higher than the Lawrence
18	Livermore.
19	MR. LEHNER: Yes, that's right. The
20	highest one is Haddam Neck, but there is two
21	MEMBER SHACK: The second one I think is
22	Pilgrim.
23	MR. LEHNER: Yes, 11 and 14 11 and 14
24	have the EPRI higher than the Livermore. Those are
25	Pilgrim and Oyster Creek.
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433   WASHINGTON, D.C. 20005-3701   www.nealrgross.com

	99
1	CHAIRMAN APOSTOLAKIS: Bob, you have a
2	question?
3	MEMBER UHRIG: Well, just point out that
4	this is a logarithmic curve. And take number one
5	there, the difference looks very large, but it's
6	insignificant compared to something like, say, 13.
7	CHAIRMAN APOSTOLAKIS: The blue and the
8	red?
9	MEMBER UHRIG: Yes. You have to take that
10	logarithmic scale into account when you're looking at
11	those.
12	CHAIRMAN APOSTOLAKIS: But also now, since
13	you mentioned one, I look at one and I look at 14, 15,
14	or maybe nine, or the others, and there is a
15	difference in CDF that is two and a half to three
16	orders of magnitude. What are the two driving forces
17	behind this? Why such a wide variability? Is it the
18	design of the plants?
19	MEMBER POWERS: Where is this two and a
20	half orders of magnitude difference?
21	CHAIRMAN APOSTOLAKIS: Well, it's 10 <sup>-7</sup> in
22	one, two or three $10^{-7}$ , and then the other one 15
23	is two or three
24	MEMBER POWERS: Oh, you mean across the
25	spectrum.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-4443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-443 (202) 234-4443 (202) 234-4443 (202) 234-4443 (202) 234-4443 (202) 234-4443 (202) 234-4443 (202) 234-4443 (202) 234-4443 (202) 234-4443 (202) 234-4444 (202) 234-2444 (202) 234-4444 (202) (20

	100
1	CHAIRMAN APOSTOLAKIS: Yes. Yes. So what
2	is the driver? Is it the design, or is it the
3	analysis?
4	MR. LEHNER: Well, again, I think
5	CHAIRMAN APOSTOLAKIS: Or where they are?
6	MR. LEHNER: I think it's a combination of
7	those things. I mean, certainly the design and the
8	location are going to play some role. I think these
-9	are site-specific hazard curves. But the analysis as
10	well is going to you know, as we said before, the
11	variation in the analysis obviously I think plays a
12	role here, too.
13	VICE CHAIRMAN BONACA: Some of the older
14	plants like Haddam Neck had inside an auxiliary
15	building separated by walls, so there was very little
16	hiding certain components from system interactions.
17	And if you do an analysis, very vulnerable to that,
18	there isn't much you can do. And some of the very low
19	ones, of course, they were built and designed with
20	poor separation and different concrete walls and
21	structures that big difference comes from that, in
22	part.
23	MEMBER KRESS: When they use a seismic
24	hazards curve, do they have to estimate a distance
25	away from the fault line, to adjust the curve for
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

· · · ·

1

	101
1	that?
2	MR. LEHNER: Well, I mean, they I think
3	they make a variety of assumptions to generate this
4	family of hazard curves, including, you know,
5	distance, attenuation, and then put certain weightings
6	and probabilities on that. And that's why if you want
7	to if you want to take the uncertainty into
8	account, you should really propagate that whole family
9	of hazard curves. But in this case it was a mean
10	curve developed from a family of curves.
11	Listed here are the dominant contributors
12	that were identified from the seismic PRAs. The first
13	column is the seismic failures, and the second column
14	are the random failures, and the third are the
15	operator action errors that were identified as
16	dominant contributors.
17	So, as you can see, a majority of the most
18	frequently observed dominant contributors under the
19	seismic failures had to do with electrical systems.
20	You can see also listed here is the surrogate element
21	which showed up in a few PRAs as one of the dominant
22	contributors. We're going to talk more about that a
23	little later on.
24	Some buildings also I mean, some
25	structures like block walls and turbine building,
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com
	· ·

	102
l	auxiliary building, also showed up in the dominant
2	contributor column under the seismic failures.
3	In the random failure and operator action
4	area, the diesel generator random failure was, again,
5	prominent for both BWRs and PWRs. And the operator
6	action errors for PWRs aligning aux feed was an
7	operator action error that was high on the list.
8	For the BWRs it was mainly things related
9	to power recovery as far as operator errors go that
10	were identified as dominant contributors.
11	CHAIRMAN APOSTOLAKIS: "Random failures"
12	means they failed it was out of
13	MR. LEHNER: Not due to seismic, not due
14	to seismic event itself.
15	So summary conclusions from the PRAs as
16	I noted earlier, the electrical system components were
17	the most frequent contributors. In about half the
18	occurrences those were listed as dominant
19	contributors. Building and structural failures were
20	significant, and then the rest was made up by
21	frontline and support systems and tanks.
22	And in about six to eight percent of the
23	major contributors listed, the surrogate element
24	played a role. And the licensees modeled usually
25	you screened out
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433   WASHINGTON, D.C. 20005-3701   www.nealrgross.com

	103
1	MEMBER SHACK: Well, that's a funny
2	number. Just, you know, it's seven out of 27 PRAs,
3	but then you look at the fraction of the whole
4	submittals. Why don't you just look at the fraction
5	of the PRAs in which it was the significant element?
6	MR. LEHNER: Yes. Yes. That's true.
7	MEMBER SHACK: It's a lot more than six
8	percent.
9	MR. LEHNER: Yes. Well, wait a minute.
10	No, I'm this is where no, I think it I think
11	the six percent is only for the PRAs. I mean, seven
12	out of the
13	MEMBER SHACK: Twenty-seven PRAs had it as
14	a significant element.
15	MR. LEHNER: Okay. I'm sorry. Yes, I
16	guess that's right. Okay.
17	MEMBER SHACK: Well, at least that's what
18	the report says.
19	MR. LEHNER: Yes, that's right. No,
20	you're right. You're right, yes.
21	CHAIRMAN APOSTOLAKIS: So you did not
22	validate the results of the report. You just
23	MR. LEHNER: Actually, you're right. I
24	was confusing it with something else.
25	Regarding a surrogate element and we
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234 4433 IMASHINGTON D.C. 20005-3701 IMAMM Realityross com

1 can talk about that more later, but I should mention 2 here that most plants that use a surrogate element 3 used a single surrogate element for all of the 4 screened out components. 5 But there were some that were -- did a 6 little bit more discriminating, where they used 7 several surrogate elements, like one for the -- all of

the components in the aux building, another one for all of the components in the safe shutdown facility. So that gave you a little bit better insight into where the contributors lie.

We've already talked about the fact that the EPRI and Livermore hazard curves did not significantly alter CDF or the dominant contributors. And in general, we make the statement in the report that the CDF values did not necessarily trend upward with plant age.

And, you know, we mentioned that I think with some caveats that one could perhaps interpret this as saying that the seismic programs that have been implemented have helped to bring down the CDF of older plants to a reasonable level.

23 MEMBER POWERS: One would say that if they 24 were at an unreasonable level prior to the imposition 25 of the programs.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

8

9

10

11

12

13

14

15

16

17

	105
1	MR. LEHNER: Yes.
2	MEMBER POWERS: Do you know that?
3	MR. LEHNER: We don't know that, no.
4	MEMBER POWERS: So the alternate
5	conclusion is that the programs have been useless.
6	MR. LEHNER: Well, you could take a
7	positive view.
8	(Laughter.)
9	MEMBER POWERS: You may want to look at
10	that language in the report, because you do this
11	several times
12	MR. LEHNER: Yes.
13	MEMBER POWERS: when you're talking
14	about the SEP plants versus the more modern plants,
15	and you come to the conclusion that that activities
16	have made things better. There is the alternate
17	conclusion is still left open.
18	MR. LEHNER: Well, I mean, quite frankly,
19	we were struggling how to characterize that. And I'm
20	willing to listen to suggestions.
21	(Laughter.)
22	MEMBER POWERS: Okay.
23	MR. LEHNER: How to best state that.
24	All right. Turning to the margin
25	analysis, this is a histogram of the different HCLPF
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

ranges that were found in the margin analysis. And by the way, the only reason there are three figures here is just to distinguish the ranges a little bit better. I mean, people only reported HCLPFs to one or two places.

6 MEMBER SHACK: What was the cutoff at .3? 7 Why didn't you just let them report what they found? 8 MR. LEHNER: Well, the screening was done 9 at that level. In other words, the review level 10 earthquake was at .3 g, so they screen out anything 11 above that. So it would have taken a lot more effort 12 for them to not screen them.

But that's an important point in looking at this HCLPF data because, as you said, if they could -- if each plant would actually calculate a plant HCLPF as high as possible, then you would probably see a different trend than you do if you cut it off at the .3 level.

VICE CHAIRMAN BONACA: You will probably see a lower CDF -- lower CDF for more recent plants, maybe more --

MR. LEHNER: A higher HCLPF for more recent plants.

VICE CHAIRMAN BONACA: Yes.

MR. LEHNER: Yes.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

13

14

15

16

17

18

19

20

21

22

23

24

107
MEMBER POWERS: Is there a database that
I can go to that says, "Okay. Here is the calculated
HCLPF, and here is the actual performance of the
device under various seismic loads or system or
structure"?
MR. LEHNER: Well, I mean, the tables in
EPRI 60-41 were based on that kind of a
MEMBER POWERS: Yes. Okay. You're right.
You're right.
MR. LEHNER: I should also mention that
the HCLPF values shown here presume that the
improvements have been made. I didn't mention this
when we talked about improvements. But some of the
submittals were somewhat ambiguous as to when those
improvements would be in place. So the HCLPF values
reported here are
CHAIRMAN APOSTOLAKIS: Let me understand
again what this means.
MR. LEHNER: Okay.
CHAIRMAN APOSTOLAKIS: If I take the
second column from the right, .25, .299
MR. LEHNER: Right.
CHAIRMAN APOSTOLAKIS: I guess it's
your left I see that 10 plants do what? That I
have high confidence? What? What's my confidence,
NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com
----
1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Sec. 2

I

	109
1	So those plants that have a HCLPF of .3 or
2	greater, they have a 95 percent confidence that their
3	success paths will be available to shut the plant down
4	safely at
5	CHAIRMAN APOSTOLAKIS: Five percent of the
6	time.
7	MR. LEHNER: No, 95 percent of the time.
8	(Laughter.)
9	MEMBER KRESS: It's bad to have a low
10	HCLPF.
11	CHAIRMAN APOSTOLAKIS: So if my now,
12	review level, you said but what does that have to
13	do with the actual plant? The safe shutdown
14	earthquake?
15	MR. LEHNER: Well, the review level
16	earthquake is higher than the safe shutdown
17	earthquake. That's the whole idea of the IPEEE. In
18	other words, the safe shutdown earthquake is a design
19	basis earthquake. That's what the plants were
20	designed to.
21	So the review level earthquake was chosen
22	to see how much margin these plants have above their
23	design basis.
24	CHAIRMAN APOSTOLAKIS: It doesn't tell me
25	that. If my SSE is .2, how does that affect these
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 VVASHINGTON, D.C. 20005-3701 WWW.iledirgross.com

	110
1	figures? My SSE is .2.
2	MR. LEHNER: Well
3	CHAIRMAN APOSTOLAKIS: And I do a HCLPF
4	analysis with do I need the review level earthquake
5	for a HCLPF analysis?
6	MR. LEHNER: Yes.
7	CHAIRMAN APOSTOLAKIS: Okay. So I do it
8	for .3.
9	MR. LEHNER: Yes.
10	CHAIRMAN APOSTOLAKIS: So what does that
11	tell me?
12	MR. LEHNER: Well, it tells you what if
13	your HCLPF is .3, then you have a high confidence that
14	your plant will survive an earthquake that's, you
15	know, 50 percent higher than your safe shutdown
16	earthquake, if you have a safe shutdown.
17	CHAIRMAN APOSTOLAKIS: I don't know how
18	much margin I have. I just
19	MEMBER SHACK: It's your next plot.
20	MR. LEHNER: Yes. I was going to say,
21	let's go to the next plot. I mean, this basically
22	shows you this plots the ratio of the plant HCLPF
23	to the SSE value versus the SSE g level.
24	And the dashed line is you know, is at
25	one. In other words, those plants have a HCLPF that's
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433   WASHINGTON, D.C. 20005-3701   www.nealrgross.com

just equal to their safe shutdown earthquake. 1 And both of those plants are -- I mean, in some cases, 2 these are plants that did reduced scope analyses. And 3 in some cases they did not report a HCLPF, so by 4 default we just gave them a HCLPF that was equal to 5 their safe shutdown earthquake. 6 7 The solid line is the highest HCLPF that the plant could report because of what we talked about 8 9 a little while ago about the fact that the screening level was at .3 q. So a plant can't report a HCLPF 10 they've screened out the because 11 above .3 q, 12 components at the 3 q level, so they never evaluated those components. 13 So you have to assume a .3 g limit. But 14 this shows you the margins, basically, that the plants 15 have above the safe shutdown earthquake based on this 16 HCLPF calculation. 17 CHAIRMAN APOSTOLAKIS: So give us an 18 example. Pick one. 19 MR. LEHNER: Well, I mean, if we -- if we 20 pick this plant here, it basically says that its HCLPF 21 value is twice the value of the safe shutdown of --22 23 the design basis of the safe shutdown earthquake. CHAIRMAN APOSTOLAKIS: That still doesn't 24 tell me what the probability of failure is, though. 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	112
1	It just tells me that the HCLPF value is
2	MR. LEHNER: It doesn't well, I mean,
3	it says you have a high
4	CHAIRMAN APOSTOLAKIS: In terms of g, in
5	other words.
6	MR. LEHNER: Yes. I mean, you have the
7	high confidence
8	CHAIRMAN APOSTOLAKIS: I do, because I
9	already have high confidence for the review level. So
10	if you were down
11	MR. LEHNER: Well, but this shows you
12	that, yes, you have
13	CHAIRMAN APOSTOLAKIS: I don't multiply
14	I don't divide the probability by two. Okay? I mean,
15	I just I can only say that I have high confidence.
16	MR. LEHNER: Yes. I mean, you can't get
17	a quantitative yes.
18	CHAIRMAN APOSTOLAKIS: How much I have I
19	don't know.
20	MR. LEHNER: Right. That's right. I
21	mean, it does not tell you a it doesn't give you a
22	probability.
23	CHAIRMAN APOSTOLAKIS: Right.
24	MR. LEHNER: The other issue on this plot
25	is that we distinguish between plants who, in their
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON D.C. 20005-3701 WANN REPERTORS COM

analysis, use a new structural analysis or plants that simply scaled up their analysis from their SSE, because when plants use a new structural analysis they -- by eliminating many of the conservatisms that they used when they did the original design basis calculations, the actually reduced their seismic

And, therefore, the HCLPFs that they calculated would have been -- were different or higher than if they had used a more conservative method. So one has to distinguish between how to calculate it -that HCLPF, and that's why you've got the triangles -the solid triangles and the open squares.

Now, this is a list of the weak links that were the outliers that were found in the SMA. So this is not necessarily -- I mean, one can assume, as one does with a PRA, that these are the dominant contributors.

But, nevertheless, these are the -- in the success path, when they calculated the capacities of their SSCs and the success paths, these were the -those SSCs and the success paths that had the lowest capacity -- in other words, were the weak links in the analyses.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

CHAIRMAN APOSTOLAKIS: And the licensees

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

2.4

25

demand.

	114
1	did something about it?
2	MR. LEHNER: Well, I mean, they in some
3	cases they did, and in some cases they didn't. I
4	mean, the getting a plant HCLPF that was lower than
5	the review level earthquake was not a problem as far
6	as the IPEEE guidance was. In other words, it was an
7	assessment of the plant's capacity. It does not mean
8	that every plant had to have a plant HCLPF above the
9	equal to or above the review level earthquake.
10	Certainly, if the HCLPF was below the
11	design basis, then the plants would fix things so that
12	their HCLPF at least came up to the design basis. But
13	there were plants that have HCLPF values that were
14	below the review level earthquake value.
15	CHAIRMAN APOSTOLAKIS: So that did
16	something about it. I mean, the numbers that you have
17	shown us so far reflect those changes.
18	MR. LEHNER: Yes. Yes. These numbers
19	reflect those changes, and, as a matter of fact, as I
20	said, the in some cases, the analysis was done by
21	the plants before they had actually implemented those
22	changes. So, you know, one of the follow-ups here
23	would be to make sure that those changes were actually
24	implemented.
25	MEMBER LEITCH: This does not list
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433   WASHINGTON, D.C. 20005-3701   www.nealrgross.com

1	directly loss of offsite power.
2	MR. LEHNER: Well, in the margin analysis,
3	loss of offsite power was assumed as being
4	unrecoverable. So they that was part of the
5	guideline of the margin analysis. They basically
6	in a seismic margin analysis, you assume that you lost
7	offsite power and you are not going to recover it.
8	CHAIRMAN APOSTOLAKIS: I wonder about
9	are they concerned at all about the human performance
10	to the margins calculations?
11	MR. LEHNER: Yes. They the success
12	paths that the licensees chose the guidance was
13	that they should choose success paths that did not
14	require, you know, extraordinary human performance,
15	and that the the actions that would be required
16	would be reasonable to carry out under seismic
17	conditions.
18	And as I mentioned before, the margin
19	analysis talked about this to some degree. In many
20	cases, they elaborated on it when we we asked them
21	RAIs in this area, because this was an area that often
22	was not discussed thoroughly in the submittals.
23	But in responses to RAIs, they talked
24	about the timing and location of these actions, and
25	provided some justification why these actions were
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

.

feasible under the conditions that they were taking 1 But that was the way they addressed the 2 place. 3 actions. I mean, generally, you can see that the 4 5 weak links that are listed here are similar to the dominant contributors that were identified in the 6 7 seismic PRAs. Now, I should also mention here -- we 8 talked earlier about a statement in the report that 9 talked about the success path, the way they were 10 developed in the margin analysis, and that some 11 licensees did not completely follow the guidance 12 13 provided in EPRI 60-41. And that refers mainly to the fact that the success paths were supposed to be as 14 independent as possible, and some licensees described 15 success paths that used the same equipment for some of 16 the functions. 17 Basically, the success paths had to 18 identify ways of controlling reactor reactivity, 19 20 reactor pressure, reactor inventory, and decay heat And in some cases plants identified, as 21 removal. 22 redundant success paths, let's say, two different 23 trains of the same system. So the diversity that you wanted was not 24 necessarily there. And the reasons for this in some 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

plants was simply because they didn't have seismically qualified equipment to give you the diverse paths. In other cases, it seemed to be a -- well, there was perhaps a reluctance to go and do further analysis to establish a completely different success path, if you've had some seismically qualified equipment that could accomplish the safe shutdown.

MEMBER LEITCH: In considering the time for operator actions, do you know if they considered time for diagnosis? It's not always apparent that you've had a seismic event. I was telling some of the guys at the break that I was in charge of a plant that was in a fairly industrial area -- a fossil plant -and we had an earthquake. And it must have -- I was at home asleep at the time, and it woke me up and I called the plant.

It must have taken us half an hour before we figured out that we had an earthquake. I mean, we were, first of all, looking around for what might have exploded in the plant -- you know, things like aux boilers, generators, thinking a hydrogen explosion. Then we thought about, you know, some of the adjacent refineries, did they have some kind of a problem or --

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

MR. LEHNER: Yes.

MEMBER LEITCH: You know, it took a little

(202) 234-4433

1

2

3

4

5

6

7

8

· 9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

	118
1	while to say, "I don't know what else it was. It must
2	have been an earthquake." You know, but it took a
3	while to reach that conclusion.
4	MR. LEHNER: Well, I mean, the you
5	know, the need here is not necessarily to realize
6	you've got an earthquake, but to to respond to
7	whatever the problem in the plant is as far as getting
8	your safety systems in place.
9	But to answer your question, I think the
10	people that did PRAs usually adopted the human error
11	methodology that they used in the internal events.
12	And then, depending on the methodology they used, you
13	know, there was a diagnostic component. And then, for
14	their external events, they as we discussed
15	earlier, simply put multipliers on some of those
16	failure rates.
17	The margin analyses talked about time
18	available to do the action. They did not necessarily
19	talk about the different phases of the action, but
20	they certainly talked about the fact that they would
21	not credit actions that had to be done very quickly
22	under where you had to realize very quickly what
23	was wrong and take actions very quickly. So they did,
24	in general, use actions that you would have a lot of
25	time to implement.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	119
1	MEMBER POWERS: I'm wondering with
2	symptoms-based procedures why the multiplier is
3	different from one.
4	CHAIRMAN APOSTOLAKIS: In what? Systems-
5	based procedures?
6	MEMBER POWERS: Symptom-based.
7	CHAIRMAN APOSTOLAKIS: Oh, symptom.
8	Symptom.
9	MEMBER POWERS: In symptom-based
10	procedures, why is the multiplier different than one?
11	MR. LEHNER: The control room ceiling is
12	falling down here.
13	MEMBER POWERS: Those are one-time events
14	and it's over with. I went through the San Fernando
15	Valley earthquake, and we had to respond to chemical
16	problems. And I don't think our response was any
17	different than if we would have done anything else.
18	MEMBER KRESS: Could it be, Dana, that
19	when you have an earthquake that you actually invoke
20	multiple sequences at the same time?
21	MEMBER POWERS: Well, if that's the
22	case
23	MEMBER KRESS: And the symptoms are
24	confusing, then.
25	MEMBER POWERS: Well, I mean, if you have
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com
1	•

	120
1	a multiple if you have multiple events going on in
2	a control room at a time, when you do the human
3	reliability analysis you take that sort of thing into
4	account or should. And maybe or maybe it's just
5	more ordinary that's more ordinary in an earthquake
6	event. I don't know.
7	MEMBER KRESS: Yes, that would have been
8	my guess.
9	MEMBER POWERS: The fraction level was
10	high.
11	CHAIRMAN APOSTOLAKIS: The story Graham
12	tells is that they may not even realize it's an
13	earthquake.
14	MEMBER KRESS: Well, I sort of liked your
15	thing, too. You don't care. You just look at what is
16	going on in the plant, and that's what the symptoms-
17	based do. But I suspect if the earthquake is big
18	enough to give you substantial contribution to the
19	CDF, you probably have a lot of things going on, and
20	that's where the operator confusion might go in, and
21	induced LOCA and induced loss of offsite power at the
22	same time, that sort of thing going on
23	simultaneously it seems to me like.
24	MR. LEHNER: I think the multiplier
25	perhaps is a crude way of compensating for that sort
	NEAL R. GROSS
	(202) 234-4433   1323 RHODE ISLAND AVE., N.W.     WASHINGTON, D.C. 20005-3701   www.nealrgross.com

	121
1	of
2	MEMBER KRESS: Yes.
3	CHAIRMAN APOSTOLAKIS: It multiplies a
4	number that's
5	MEMBER KRESS: It's crude. If you
6	multiply a crude number by a crude number, you get a
7	really crude number.
8	MEMBER POWERS: Well, I'm still perplexed
9	how they picked the multiplier.
10	CHAIRMAN APOSTOLAKIS: It's an engineering
11	judgment.
12	MEMBER KRESS: Yes, that's perplexing.
13	MEMBER POWERS: I don't even know how they
14	have any judgment in this matter. Probably it's one
15	of those things that I can undoubtedly derive from the
16	superior work being done at the Haldrin program.
17	MEMBER KRESS: I'll tell you how it's
18	derived. You know it's bigger than one. Ten is too
19	big. So what do you do? You choose five.
20	CHAIRMAN APOSTOLAKIS: Actually, in Japan
21	I believe they did experiments where they put the
22	MEMBER POWERS: I mean, that's not
23	CHAIRMAN APOSTOLAKIS: But I don't know
24	what that means. I mean, this is almost like what is
25	indicated proposed about the gas reactor.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

I

	122
1	MEMBER POWERS: I mean, if you're going to
2	you have to remind yourself that an earthquake
3	occurs, and it's usually a substantial amount of time
4	hours before the next aftershock comes. Okay?
5	During that period, my experience with the earthquake,
6	actually things are kind of quiet and calm, because,
7	you know, traffic and what-not.
8	MEMBER KRESS: Best time of the day, isn't
9	it?
10	MEMBER POWERS: All the fans
11	(Laughter.)
12	and things like that. All you hear is
13	the blowing of the wind through the broken-out
14	windows.
15	MR. LEHNER: So turning to some insights
16	on the margin analyses, again, the electrical system
17	components were often the governing outliers.
18	Building and structural failures, especially block
19	walls, were significant as far as weak links go. And
20	then balance of the weak links went along the
21	frontline support systems.
22	As that figure previously showed, the
23	seismic margins in terms of the HCLPF being above the
24	design basis earthquake do vary significantly among
25	the plants. And similar to the PRAs there was no
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON D.C. 20005-3701 WWW realigness com

I

	123
1	observable correlation between the HCLPF values that
2	were calculated for the plant and the plant age.
3	But, again, as we talked earlier, that
- 4	statement has to be qualified with the fact that you
5	couldn't calculate HCLPFs higher than .3 g based on
6	the screening methodologies used.
7	And, finally, it's important to note that
8	with the improvements taken into account there were no
9	plants that had HCLPF values below their safe shutdown
10	earthquake value.
11	MEMBER KRESS: Okay. Is that true for the
12	plant on your slide four slides back that had a HCLPF
13	value in the range of .1 to .15?
14	MR. LEHNER: Yes. Matter of fact
15	MEMBER KRESS: That was this safe
16	shutdown?
17	MR. LEHNER: That plant as a matter of
18	fact, I believe that's Quad Cities. That plant
19	originally had a HCLPF of .09, but they committed to
20	making some improvements that got it into their view
21	range.
22	MEMBER UHRIG: One question on the
23	electrical system components here. Was this mostly
24	failure of the components? Was this the wires being
25	disconnected?
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433   WASHINGTON, D.C. 20005-3701   www.nealrgross.com

I

	124
1	MR. LEHNER: Well, some of it was relay
2	chatter.
3	MEMBER UHRIG: Relay chatter.
4	MR. LEHNER: Yes. But some of it was, you
5	know, diesel generator.
6	MEMBER POWERS: I thought you told us that
7	was all fixed.
8	MR. LEHNER: Well, but some of the weak
9	links were still those relays.
10	MEMBER POWERS: This will all be solved
11	when we go to digital systems, by the way.
12	(Laughter.)
13	MR. LEHNER: All right. The
14	methodological issues I think we talked about most
15	of these, actually all of these I guess. We've talked
16	about the fact you know, from hazardous spectrum,
17	some of the comments in the reports state that there
18	it's uncharacteristic as compared to conventional
19	spectrum shapes, and use led to a reduction in seismic
20	demand.
21	Use of surrogate elements in general,
22	this would not be a problem if it was used properly;
23	that is, if the screening level was set high enough so
24	that the element would not show up as a dominant
25	contributor.
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

**`** 

And by the way I should mention here that there were some plants that simply threw away their screened out components. I mean, they did not even include them in a surrogate element. So at least the ones that used surrogate elements have knowledge that there could be a contribution from those components.

We talked about the new SSI calculations versus scaling, and how the HCLPFs that were obtained should not be compared directly but should be compared with each other but not -- not necessarily across. And we also talked about the fact that the component fragility calculations varied in quality due to the -some of the estimates on the uncertainty and other things that went into those calculations.

MEMBER KRESS: Would you elaborate a little more on your second bullet? Why is that a problem? It's a dominant risk contributor. Because it may be overestimating the risk?

MR. LEHNER: No, because you don't -- I mean, the surrogate element lumps all of the things you screen out together.

MEMBER KRESS: Yes.

MR. LEHNER: So if the surrogate element shows up as a contributor, you don't know --

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

MEMBER KRESS: You don't know whether it

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

www.nealrgross.com

	126
1	was or not.
2	MR. LEHNER: well, which of those
3	things that you screened out.
4	CHAIRMAN APOSTOLAKIS: But it warns you to
5	go back and look, right?
6	MR. LEHNER: Well, that's true, yes.
7	CHAIRMAN APOSTOLAKIS: I mean, that's the
8	purpose of it.
9	MR. LEHNER: Absolutely. But what that
10	would mean is you would have to look at you would
11	have to set your yes, it was not
12	VICE CHAIRMAN BONACA: So you have a
13	surrogate element that is dominant, and you're saying,
14	wait a minute, what's here? And then you so what
15	do you do? You seismically qualify it. I mean, it
16	leaves you hanging there.
17	MR. LEHNER: I mean, I suppose what you do
18	is raise your screening level and
19	CHAIRMAN APOSTOLAKIS: Absolutely.
20	MR. LEHNER: screen in more components
21	and
22	MEMBER SHACK: Right. Well, again, if
23	your risk is 10 <sup>-6</sup>
24	MR. LEHNER: Right.
25	MEMBER SHACK: you know, there's the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	127
1	dominant element.
2	MR. LEHNER: Yes, you're absolutely right.
3	Exactly.
4	MEMBER POWERS: Unless it's a
5	metallurgical issue, in which case you can
6	MEMBER KRESS: But if you have a large
7	number of components that might fail simultaneously
8	due to something like the seismic, or might have a
9	decreased reliability all because of some common
10	reason, would that be a good way to determine an
11	importance measure like Fussell-Vesely or Rowell, if
12	you just used surrogate elements instead of trying to
13	do it for each individual one? Is that a legitimate
14	way to get an importance measure for those things?
15	MR. LEHNER: No.
16	MEMBER KRESS: This is another issue is
17	the reason I'm bringing it up.
18	MR. LEHNER: No, I don't think so. I
19	mean, I'm not sure I follow you completely, but I
20	MEMBER KRESS: I mean, it seems to me like
21	it gets the it adds up the importance of all of the
22	things you lumped into that surrogate and
23	MEMBER POWERS: Does it add them up, or
24	does it take the geometric mean?
25	MEMBER KRESS: Well, that's what I'm
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433   1323 RHODE ISLAND AVE., N.W.     WASHINGTON, D.C. 20005-3701   www.nealrgross.com

	128
1	trying to get at. I think it maybe takes the mean, so
2	it doesn't really add them up.
3	MEMBER POWERS: I mean, it's equivalent to
4	adding it up one of them is very important, and the
5	others are kind of in the I mean, that's the
6	equivalent.
7	MEMBER KRESS: I think you're probably
8	right.
9	CHAIRMAN APOSTOLAKIS: I think it's an
10	overestimate.
11	MEMBER KRESS: Yes.
12	CHAIRMAN APOSTOLAKIS: It's an
13	overestimate. So human error should be
14	MR. LEHNER: Yes, should be one of those
15	things mentioned.
16	MEMBER POWERS: Let me ask a question. In
17	the final analyses of these we saw quite a range of
18	assessments on the probability of bypass events being
19	created by seismic events. Within the PWR subset of
20	those things, when they analyze things like steam
21	generator tube behavior under accidents, did they
22	analyze the as-constructed tube behavior, or did they
23	look at the degraded tube behavior?
24	MR. LEHNER: I don't believe that they
25	looked at degraded tube behavior. As a matter of
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

	129
1	fact, let me ask Jimmy if he recollects. Did anybody
2	mention
3	MR. XU: No. No.
4	MR. LEHNER: I don't think anybody looked
5	at degraded.
6	MEMBER POWERS: So this pain that shows up
7	in this document to the how useful the walkdown was
8	to find the as-built/as-operated plant may apply in a
9	lot of areas, but it certainly doesn't apply to steam
10	generator tubes.
11	MR. LEHNER: I would agree.
12	MEMBER KRESS: It's kind of interesting
13	because you would expect they know pretty much how
14	degraded their steam generator is.
15	MEMBER POWERS: Yes. I mean, one of the
16	advantages of the current condition monitoring program
17	is you have a pretty good idea what your degradation
18	is. What they don't have I think is they don't have
19	a clue how shaking around of the support plates and
20	what not would affect things. I mean, all they know
21	is piston behavior.
22	That would be a difficult calculation to
23	do, but it probably casts real doubt on the bypass
24	fractions, which are spread. But I don't believe any
25	of them.
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

130 And bypass, by the way, is not a trivial 1 consideration here. Bypass accidents are consequence-2 producing things. 3 MR. LEHNER: All right. Coming up to the 4 last slide, here are the conclusions that are stated 5 the report. Well, no vulnerabilities were 6 in 7 identified by most plants. There were significant improvements made based on outliers and anomalies that 8 the analyses identified. The analyses basically took 9 account of these improvements. Seventy percent of the 10 plants proposed improvements of one sort or another, 11 12 and based on their seismic analysis. The walkdowns, as we talked about, were 13 probably a very important part of the IPEEE, with the 14 most important part for those plants that only did 15 evaluations, of the and many 16 reduced scope based those 17 improvements carried out on were walkdowns. 18 The margin analyses and the PRAs seem to 19 point to similar components as dominant contributors 20 in the PRAs as well as weak links in the margin 21 Based on these analyses, the age of the 22 analysis. plant was not, in general, found to be a major factor 23 as far as the seismic risk. And the submittals 24

indicated -- the submittals in the RAI responses, I

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

	131
1	should say, indicated that the IPE program was
2	successful in meeting the general intent of Generic
3	Letter 88-20, Supplement 4.
4	And the licensees did carry out a lot of
5	modifications that reduced their seismic risk, but it
6	should also be stated that the the way it's stated
7	here the success of the licensees varied, depending
8	on the methods and assumptions used. I think it's
9	fair to say that while everyone met the intent of the
10	Generic Letter, some licensees made a larger effort
11	than others and probably got greater benefits than
12	others from this.
13	MEMBER UHRIG: I find that one statement
14	a little puzzling. The seismic risk in the older
15	plants was comparable to the newer. And yet, when you
16	look at the seismic strengths, they went from very
17	simple things with an order of \$100 per unit to the
18	next generation it was \$1,000 per unit, and the
19	following generation it was \$10,000. Very
20	sophisticated seismic constraints. This implies that
21	was a waste of money.
22	MR. LEHNER: Yes. I think one I mean,
23	one point, again, to make is that probably if you
24	evaluated the HCLPFs, the plant HCLPF without having
25	this .3 g cutoff, we would find that the newer plants
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	132
1	would have substantially higher HCLPFs than some of
2	the older plants. That's my guess.
3	Any other questions?
4	CHAIRMAN APOSTOLAKIS: Any other comments
5	from the members? No?
6	Thank you very much, John.
7	MR. LEHNER: Thank you.
8	CHAIRMAN APOSTOLAKIS: I suppose we can
9	start with the fires now. We have to go until 12:30.
10	MEMBER POWERS: I will acknowledge to
11	members that I sometimes hang out with the speaker.
12	At least I know what he is.
13	But I will also point out that during the
14	course of him doing this study he absolutely would not
15	let me even see a hint of the thing. He jealously
16	guarded it as though it were actually a precious
17	commodity. I shall not forgive him for his
18	secretiveness.
19	CHAIRMAN APOSTOLAKIS: If you cannot
20	forgive, you cannot review.
21	(Laughter.)
22	MEMBER POWERS: What?
23	CHAIRMAN APOSTOLAKIS: If you cannot
24	forgive, you cannot review.
25	MR. NOWLEN: You'll have to recuse
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealroross.com

	133
1	yourself for having a grudge against me.
2	(Laughter.)
3	MEMBER POWERS: No. I just intend to get
4	even.
5	MR. NOWLEN: If you would prefer, we can
6	defer this. But
7	MEMBER POWERS: Were you talking about
8	deferring it until next week or
9	MR. NOWLEN: Until after lunch.
10	MEMBER POWERS: Oh. George, you know, if
11	you want to get started, we'll get started. If you
12	want to defer this until after lunch, we can. But
13	that's entirely your choice here.
14	CHAIRMAN APOSTOLAKIS: Why don't we start
15	and go for about half an hour.
16	MR. NOWLEN: Okay.
17	CHAIRMAN APOSTOLAKIS: You've got some
18	introductory stuff to show us?
19	MR. NOWLEN: Sure.
20	CHAIRMAN APOSTOLAKIS: Okay.
21	MR. NOWLEN: Of course. Okay. Well, my
22	name is Steve Nowlen. I'm with Sandia National
23	Laboratories. My role in the IPEEE process was
24	primarily as a member of the Senior Review Board. So
25	at that level, I participated in virtually all of the
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

 $\mathbf{x}_{\mathrm{exc}} \neq$ 

	134
1	reviews.
2	There were a couple of the very early ones
3	that I wasn't involved with, but after the first
4	couple I did get involved, so I was involved at some
5	level in virtually all of these. And I also led the
6	Sandia team that developed the insights report that
7	we're talking about today. It was a team effort, and
8	I'll acknowledge my team members as key contributors
9	as well.
10	The outline that I'm going to follow is
11	quite similar to the other portions of the
12	presentation. I'll give you some introductory
13	material. I'm talk about the vulnerabilities that
14	came out of the IPEEE process. I'll talk about plant
15	improvements, CDF perspectives.
16	We'll do some discussion of where the
17	dominant contributors came from based on the IPEEEs.
18	Some discussion of methods and modeling perspectives.
19	There is a lot of material in the report on methods
20	and modeling. We can't go into all of it, so we'll
21	cover some of that, and then I'll cover some
22	conclusions.
23	Okay. In the way of an introduction, one
24	thing to recognize is that all of the IPEEE submittals
25	did include an assessment of the internal plant fire
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com
1	•

scenarios.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

And all of the licensees chose some form of a probabilistic method to assess fire, but also recognize that their submittals vary almost as much as the plants themselves vary. I mean, there was a wide range of choices made in both general and specific methodologies, so it -- comparing one to another can be problematic in that regard.

In general, you can categorize the methods used in three ways. There were those licensees who relied almost entirely on FIVE. And FIVE is -essentially stops at the level of a quantitative screening analysis. So you get qualitative and quantitative screening. And if you stop FIVE that's basically where you stop.

Most licensees chose to go beyond that. Almost all of the licensees used FIVE to some extent, but most of them chose to go on, and they typically quantified the contributions from the unscreened scenarios. So they would not stop simply at screening; they would continue on.

And so you got into various forms of PRA, and some of these were new PRA studies, some of them were updates of old PRA studies, and then there were a couple of plants that actually used a fire event

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	136
1	tree approach, which was an update of very early risk
2	studies that were done. And so they were a little bit
3	unique. But, again, it was a probabilistic method,
4	albeit a very early probabilistic method.
5	MEMBER POWERS: Where within this spectrum
6	lies what is referred to in the report as F PRA IG?
7	MR. NOWLEN: The fire PRA implementation
8	guide would be two types. There were some utilities
9	who began with the FIVE methodology and then did their
10	PRA quantifications using the fire PRA implementation
11	guide. There were also a small number of licensees
12	who jumped straight into PRA based on the fire PRA
13	implementation guide.
14	So they would fall under the second group,
15	the various forms of PRA. That's one of those various
16	forms, or actually two of those various forms.
17	CHAIRMAN APOSTOLAKIS: When you say
18	updates of early analyses, what are these earlier
19	analyses?
20	MR. NOWLEN: Well, a lot of plants already
21	had preexisting PRAs. For example, the NUREG-1150
22	plants had preexisting PRAs that were out there. And
23	so rather than starting from scratch, they began with
24	that and updated it and submitted that as their IPEEE.
25	CHAIRMAN APOSTOLAKIS: So these were fire
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	137
1	PRAs, then.
2	MR. NOWLEN: Yes. Yes, in most cases.
3	CHAIRMAN APOSTOLAKIS: Because you make a
4	distinction there. You say fire event tree approach.
5	MR. NOWLEN: Yes, the fire well, the
6	fire event tree approach goes back to a very early
7	report published by an unnamed laboratory Sandia,
8	of course 1978. It was a methodology that was
9	published before the work at UCLA really hit the
10	streets very, very early event tree type approach,
11	more subjective.
12	CHAIRMAN APOSTOLAKIS: So some licensees
13	use that?
14	MR. NOWLEN: Yes. Two plants.
15	MEMBER POWERS: Those with good taste.
16	(Laughter.)
17	MR. NOWLEN: Well, I'll not comment yet.
18	There were two plants in particular that
19	had done preexisting risk studies using that method,
20	and so for their IPEEEs they chose to update those
21	preexisting analyses rather than start from scratch
22	with a new analysis. And so they followed the same
23	approach, updated the results, and submitted that as
24	their IPEEE. But it's not the quantitative PRA that
25	you're familiar with.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

×...-

	138
1	CHAIRMAN APOSTOLAKIS: Okay.
2	MR. NOWLEN: It's a different one.
3	When it comes to vulnerabilities, the
.4	situation is, again, similar to seismic. There wasn't
5	a specific definition of what constitutes a
6	vulnerability provided by the NRC, so the licensees
7	came up with their own definitions. In some cases
8	there was no explicit definition provided.
9	For those who did provide explicit
10	definitions there was a range of criteria applied.
11	These are more or less in the commonality, listed in
12	the frequency with which people used a particular
13	definition. The NEI severe accident closure
14	guidelines, for example, were the most commonly
15	applied.
16	And then there are a variety of other
17	criteria that people used in order to define what
18	constituted a vulnerability. Some the most recent
19	was singles. As long as I didn't have any areas that
20	led directly to core damage, I didn't have a
21	vulnerability, and that was a couple of plants use
22	that kind of a definition.
23	So when you look at what we got out of the
24	studies in terms of identifying vulnerabilities, we
25	did, in fact, have two cases. And both of these were
	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433   WASHINGTON, D.C. 20005-3701   www.neairgross.com

-

mentioned earlier this morning. The first one was Quad Cities, and based on their initial analysis -and, again, these are plants who at some point in the process defined the vulnerability and said, "Yes, we have a vulnerability," and I'll clarify that.

In their initial analysis, Quad Cities did conclude that there were potential fire vulnerabilities. It was associated with turbine hall fires, and, in particular, large oil fires in the turbine hall that led to loss of safe shutdown equipment and, in particular, cables that were routed through the turbine building to the reactor buildings.

There was a proximity issue associated 13 with their remote shutdown panels that were also 14 located in the turbine building. As a result of those 15 proximities to the fire, they took relatively low 16 reliability for their operator recovery actions to 17 take remote shutdown actions. And there was also a 18 fairly significant contribution from the reliance on 19 the sister unit equipment for shutdown, and the outage 20 time associated with the sister unit also turned out 21 to be a fairly significant factor. 22

23 What Quad Cities did is under considerable 24 attention from the NRC, both from Research and NRR, 25 there was a requantification analysis performed. And

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

the ultimate conclusion of that reanalysis was that there were, in fact, no vulnerabilities remaining at the plant.

The reanalysis relaxed some of the conservatism that was in the original analysis. For example, there was some additional cable tracing. They had assumed certain cables would be lost. They went back, traced, found out that they were in different areas and took credit for that.

There was also some relaxation of system impacts. They had assumed if any cable associated with a particular system were lost that system would be lost. They relaxed that to say, well, certain cables aren't as important as others. We may not lose the system function. We may lose an indication or something else, but the system function would be there. They took some credit for that.

And they also refined various aspects. 18 They dug a bit deeper. They sharpened their pencil. 19 They looked into aspects of the analysis that have 20 been handled in very simplistic ways and refined that. 21 And, in addition, there were some plant changes made 22 in response to the initial analysis that were also 23 credited in the reanalysis. So, again, based on the 24 reanalysis, they concluded that the vulnerability 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

· 4

5

6

7

8

9

10

11

12

13

14

15

16

17

www.nealrgross.com

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

23

24

25

didn't exist.

MEMBER LEITCH: Steve, my question would be: is Quad Cities unique in this situation? It would seem to me that many plants would have this kind of vulnerability. And is it true that they do not? Or was Quad Cities just -- just came upon this and others perhaps overlooked this vulnerability?

Because I guess what I'm saying is if Quad Cities made some changes to improve it, what about the other plants that might have similar vulnerabilities? MR. NOWLEN: Sure. There were some unique things about Quad Cities, clearly. There were aspects of the situation there -- in particular, the location of the remote shutdown panels in relative close proximity to these fires they were postulating -relatively unique.

the process, we did focus 17 In IPEEE considerable attention on turbine buildings. And so 18 we asked a lot of licensees very specifically about 19 their turbine buildings, and they typically responded 20 with answers that satisfied us that there was not a 21 similar situation there. 22

There are, of course, exceptions and one of them is our second vulnerability case, which was Millstone -- Millstone Unit 2. In the case of

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

Millstone the initial analysis concluded there were no 1 vulnerabilities. There was an outlier identified. 2 They didn't call it a vulnerability --3 they called it an outlier -- associated with storage 4 of some transient combustibles in proximities to some 5 important cables and they identified some resolution 6 7 paths for that. in part because of knowledge of 8 But members of the Senior Review Board about this plant 9 and things we had seen from Quad Cities, they were 10 specifically asked about their turbine hall analysis. 11 And in response they did come back and say, "Yes, 12 you're right. We found a vulnerability in the turbine 13 hall." 14 they focused case, on two 15 In this particular scenarios that each came in with an as-16 17 found estimate of risk that was very conservative CDF on the order of  $4E^{-4}$ , conservative analysis, 18 of conservative assumptions. The reason that they had, 19 then, missed in the original analysis was that they 20 had underestimated the CCDPs associated with these 21 particular scenarios. 22 And in this case it was the original 23 analysis that assumed these CCDPs would be two times 24

And when they went back and looked again at

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

25

2

(202) 234-4433

 $10^{-3}$ .

www.neairgross.com

143 what equivalent was going to be lost, they concluded 1 it was one times 10<sup>-1</sup>. So .1 -- very substantial jump 2 there. 3 And so as a result, they implemented some 4 In particular, the turbine driven improvements. 5 auxiliary feedwater vulnerability was fixed. This 6 basically derived from a vulnerability of that 7 particular system, and they implemented changes to 8 remove that vulnerability. 9 They weren't real explicit about exactly 10 what those changes were. But their requantification 11 ultimately showed that the CDFs were on the order of 12  $2E^{-7}$  and  $2E^{-8}$  for these two scenarios in particular. 13 So the fix really dropped the CDF quite considerably. 14 MEMBER LEITCH: But it seemed to me in the 15 Millstone case, from what I read hear, that initially 16 it was like  $10^{-7}$  or  $10^{-8}$ . 17 MR. NOWLEN: Yes. 18 MEMBER LEITCH: And then they --19 MR. NOWLEN: They screened, initially, in 20 fact. 21 And then there was 22 MEMBER LEITCH: Yes. some attention brought to bear on this by the NRC and 23 they --24 25 MR. NOWLEN: Yes. **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701 www.nealrgross.com (202) 234-4433
1       MEMBER LEITCH: looked at it and they         2       said, "Ah, it's 10 <sup>-4</sup> ." And then they did some fixes         3       and brought it back up to 10 <sup>-8</sup> again.         4       MR. NOWLEN: Correct. Yes.         5       MEMBER LEITCH: And I guess were these         6       was there special attention given to Millstone as         7       a result of the rest of the scrutiny that Millstone         8       was under at this time? I mean, I guess         9       MR. NOWLEN: No.         10       MEMBER LEITCH: what I'm wondering is,         11       would this have surfaced at another plant?         12       MR. NOWLEN: Yes, we believe so. Yes. We         13       asked a lot of licensees about their turbine halls.         14       Unless we got a really good analysis of the turbine         15       hall that said, "We've looked at it in detail, and         16       it's not important to us," or we got someone who did         17       a good analysis and said, "Yes, it's an important         18       area" and you'll see later that a lot of people did         19       identify the turbine hall as an important fire area.         20       We asked a lot of licensees about that
<ul> <li>said, "Ah, it's 10<sup>-4</sup>." And then they did some fixes</li> <li>and brought it back up to 10<sup>-8</sup> again.</li> <li>MR. NOWLEN: Correct. Yes.</li> <li>MEMBER LEITCH: And I guess were these</li> <li> was there special attention given to Millstone as</li> <li>a result of the rest of the scrutiny that Millstone</li> <li>was under at this time? I mean, I guess</li> <li>MR. NOWLEN: No.</li> <li>MEMBER LEITCH: what I'm wondering is,</li> <li>would this have surfaced at another plant?</li> <li>MR. NOWLEN: Yes, we believe so. Yes. We</li> <li>asked a lot of licensees about their turbine halls.</li> <li>Unless we got a really good analysis of the turbine</li> <li>hall that said, "We've looked at it in detail, and</li> <li>it's not important to us," or we got someone who did</li> <li>a good analysis and said, "Yes, it's an important</li> <li>area" and you'll see later that a lot of people did</li> <li>identify the turbine hall as an important fire area.</li> </ul>
<ul> <li>and brought it back up to 10<sup>-8</sup> again.</li> <li>MR. NOWLEN: Correct. Yes.</li> <li>MEMBER LEITCH: And I guess were these</li> <li> was there special attention given to Millstone as</li> <li>a result of the rest of the scrutiny that Millstone</li> <li>was under at this time? I mean, I guess</li> <li>MR. NOWLEN: No.</li> <li>MEMBER LEITCH: what I'm wondering is,</li> <li>would this have surfaced at another plant?</li> <li>MR. NOWLEN: Yes, we believe so. Yes. We</li> <li>asked a lot of licensees about their turbine halls.</li> <li>Unless we got a really good analysis of the turbine</li> <li>hall that said, "We've looked at it in detail, and</li> <li>it's not important to us," or we got someone who did</li> <li>a good analysis and said, "Yes, it's an important</li> <li>area" and you'll see later that a lot of people did</li> <li>identify the turbine hall as an important fire area.</li> </ul>
4       MR. NOWLEN: Correct. Yes.         5       MEMBER LEITCH: And I guess were these         6       was there special attention given to Millstone as         7       a result of the rest of the scrutiny that Millstone         8       was under at this time? I mean, I guess         9       MR. NOWLEN: No.         10       MEMBER LEITCH: what I'm wondering is,         11       would this have surfaced at another plant?         12       MR. NOWLEN: Yes, we believe so. Yes. We         13       asked a lot of licensees about their turbine halls.         14       Unless we got a really good analysis of the turbine         15       hall that said, "We've looked at it in detail, and         16       it's not important to us," or we got someone who did         17       a good analysis and said, "Yes, it's an important         18       area" and you'll see later that a lot of people did         19       identify the turbine hall as an important fire area.         20       We asked a lot of licensees about that
5       MEMBER LEITCH: And I guess were these         6       was there special attention given to Millstone as         7       a result of the rest of the scrutiny that Millstone         8       was under at this time? I mean, I guess         9       MR. NOWLEN: No.         10       MEMBER LEITCH: what I'm wondering is,         11       would this have surfaced at another plant?         12       MR. NOWLEN: Yes, we believe so. Yes. We         13       asked a lot of licensees about their turbine halls.         14       Unless we got a really good analysis of the turbine         15       hall that said, "We've looked at it in detail, and         16       it's not important to us," or we got someone who did         17       a good analysis and said, "Yes, it's an important         18       area" and you'll see later that a lot of people did         19       identify the turbine hall as an important fire area.         20       We asked a lot of licensees about that
<ul> <li> was there special attention given to Millstone as</li> <li>a result of the rest of the scrutiny that Millstone</li> <li>was under at this time? I mean, I guess</li> <li>MR. NOWLEN: No.</li> <li>MEMBER LEITCH: what I'm wondering is,</li> <li>would this have surfaced at another plant?</li> <li>MR. NOWLEN: Yes, we believe so. Yes. We</li> <li>asked a lot of licensees about their turbine halls.</li> <li>Unless we got a really good analysis of the turbine</li> <li>hall that said, "We've looked at it in detail, and</li> <li>it's not important to us," or we got someone who did</li> <li>a good analysis and said, "Yes, it's an important</li> <li>area" and you'll see later that a lot of people did</li> <li>identify the turbine hall as an important fire area.</li> <li>We asked a lot of licensees about that</li> </ul>
7       a result of the rest of the scrutiny that Millstone         8       was under at this time? I mean, I guess         9       MR. NOWLEN: No.         10       MEMBER LEITCH: what I'm wondering is,         11       would this have surfaced at another plant?         12       MR. NOWLEN: Yes, we believe so. Yes. We         13       asked a lot of licensees about their turbine halls.         14       Unless we got a really good analysis of the turbine         15       hall that said, "We've looked at it in detail, and         16       it's not important to us," or we got someone who did         17       a good analysis and said, "Yes, it's an important         18       area" and you'll see later that a lot of people did         19       identify the turbine hall as an important fire area.         20       We asked a lot of licensees about that
<ul> <li>was under at this time? I mean, I guess</li> <li>MR. NOWLEN: No.</li> <li>MEMBER LEITCH: what I'm wondering is,</li> <li>would this have surfaced at another plant?</li> <li>MR. NOWLEN: Yes, we believe so. Yes. We</li> <li>asked a lot of licensees about their turbine halls.</li> <li>Unless we got a really good analysis of the turbine</li> <li>hall that said, "We've looked at it in detail, and</li> <li>it's not important to us," or we got someone who did</li> <li>a good analysis and said, "Yes, it's an important</li> <li>area" and you'll see later that a lot of people did</li> <li>identify the turbine hall as an important fire area.</li> <li>We asked a lot of licensees about that</li> </ul>
<ul> <li>MR. NOWLEN: No.</li> <li>MEMBER LEITCH: what I'm wondering is,</li> <li>would this have surfaced at another plant?</li> <li>MR. NOWLEN: Yes, we believe so. Yes. We</li> <li>asked a lot of licensees about their turbine halls.</li> <li>Unless we got a really good analysis of the turbine</li> <li>hall that said, "We've looked at it in detail, and</li> <li>it's not important to us," or we got someone who did</li> <li>a good analysis and said, "Yes, it's an important</li> <li>area" and you'll see later that a lot of people did</li> <li>identify the turbine hall as an important fire area.</li> <li>We asked a lot of licensees about that</li> </ul>
10MEMBER LEITCH: what I'm wondering is,11would this have surfaced at another plant?12MR. NOWLEN: Yes, we believe so. Yes. We13asked a lot of licensees about their turbine halls.14Unless we got a really good analysis of the turbine15hall that said, "We've looked at it in detail, and16it's not important to us," or we got someone who did17a good analysis and said, "Yes, it's an important18area" and you'll see later that a lot of people did19identify the turbine hall as an important fire area.20We asked a lot of licensees about that
11 would this have surfaced at another plant? 12 MR. NOWLEN: Yes, we believe so. Yes. We 13 asked a lot of licensees about their turbine halls. 14 Unless we got a really good analysis of the turbine 15 hall that said, "We've looked at it in detail, and 16 it's not important to us," or we got someone who did 17 a good analysis and said, "Yes, it's an important 18 area" and you'll see later that a lot of people did 19 identify the turbine hall as an important fire area. 20 We asked a lot of licensees about that
MR. NOWLEN: Yes, we believe so. Yes. We asked a lot of licensees about their turbine halls. Unless we got a really good analysis of the turbine hall that said, "We've looked at it in detail, and it's not important to us," or we got someone who did a good analysis and said, "Yes, it's an important area" and you'll see later that a lot of people did identify the turbine hall as an important fire area. We asked a lot of licensees about that
13 asked a lot of licensees about their turbine halls. 14 Unless we got a really good analysis of the turbine 15 hall that said, "We've looked at it in detail, and 16 it's not important to us," or we got someone who did 17 a good analysis and said, "Yes, it's an important 18 area" and you'll see later that a lot of people did 19 identify the turbine hall as an important fire area. 20 We asked a lot of licensees about that
Unless we got a really good analysis of the turbine hall that said, "We've looked at it in detail, and it's not important to us," or we got someone who did a good analysis and said, "Yes, it's an important area" and you'll see later that a lot of people did identify the turbine hall as an important fire area. We asked a lot of licensees about that
hall that said, "We've looked at it in detail, and it's not important to us," or we got someone who did a good analysis and said, "Yes, it's an important area" and you'll see later that a lot of people did identify the turbine hall as an important fire area. We asked a lot of licensees about that
16 it's not important to us," or we got someone who did a good analysis and said, "Yes, it's an important area" and you'll see later that a lot of people did identify the turbine hall as an important fire area. We asked a lot of licensees about that
17 a good analysis and said, "Yes, it's an important 18 area" and you'll see later that a lot of people did 19 identify the turbine hall as an important fire area. 20 We asked a lot of licensees about that
18 area" and you'll see later that a lot of people did 19 identify the turbine hall as an important fire area. 20 We asked a lot of licensees about that
19 identify the turbine hall as an important fire area. 20 We asked a lot of licensees about that
20 We asked a lot of licensees about that
21 area and said, you know, "Look, we're not satisfied
22 with the analysis you've done here. Please give us
23 more." And we got a lot of good answers on that, and
24 so a lot of people did go back.
25 And in this one particular case the
1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

I

	145
1	vulnerabilities surfaced, but that was the only other
2	case where the vulnerabilities surfaced.
3	VICE CHAIRMAN BONACA: The reason why I
4	asked the question at the beginning of the morning,
5	the question that Graham is asking, because there are
6	some sister plants which are pretty much identical in
7	configuration, locations, etcetera. So the question
8	would be normally, when you have a finding like
9	this, you go back and ask the other guys exactly the
10	same issue.
11	Now, you were pretty unspecific about what
12	the fix was, except in the text it speaks of the
13	turbine-driven aux feed pump.
14	MR. NOWLEN: Yes. That was the for
15	Millstone that was the extent of the information we
16	got.
17	VICE CHAIRMAN BONACA: So, you know, I'm
18	left with the question did the other guys look the
19	same way? Didn't find it because of that? Or is it
20	something else?
21	MR. NOWLEN: Well, again, all I can say is
22	we did specifically focus licensees' attentions on
23	this issue. We directed them to consider what
24	happened at Quad Cities, and later what happened at
25	Millstone and Quad Cities. And we asked them to
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1 consider similar issues for their plants. And the 2 answers we got back were, "No, we don't have the same 3 kind of issue."

So we took that at face value and stopped, unless we had reason to, you know, say, "Well, wait a minute. Your analysis missed this one point." In some cases, we went back a second time and asked again, but ultimately in all of the other cases we were satisfied they had addressed it and didn't have a similar vulnerability. Okay?

So jumping to plant improvements, we did see quite a wide range of plant improvements identified by licensees. And it's worth pointing out that the status of these improvements, as in the case of seismic, isn't always entirely clear. It includes things that were considered and rejected. We've actually counted those.

There's a few cases of that where people 18 said, you know, we identified some things but decided 19 they weren't cost effective or weren't of sufficient 20 impact to pursue, things that were considered and 21 implemented, things that were being considered, things 22 that we're going to think about in the future, and 23 things that were simply identified as a potential 24 benefit without any real discussion of how that was 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

4

5

6

7

8

9

10

11

12

13

14

15

16

17

www.nealrgross.com

aning	- + ~
dorud	

1

2

3

4

5

6

7

8

9

10

11

1.2

13

14

15

16

17

18

19

20

21

22

be addressed.

But overall a majority of the licensees did identify at least one plant improvement. And this was -- 44 of the submittals, 44 of the 70 submittals included at least one fire-related plant improvement, and that represented 62 units -- those 44 submittals. And that's 64 percent of the submittals, so I think that's a good thing.

And the plant improvements, again, similar to seismic, they fell into three common categories and that's operating procedures and training practices. That was almost half of the improvements that were associated with that.

Maintenance procedures and practices, a smaller number -- about 12 percent -- were associated with that. And then physical design changes were fairly highly represented as well, and these ranged from minor things to fairly substantial things.

So, again, there's a range in each of these, but a fair spread. And, in particular, the physical design changes -- quite a good representation of changes beyond simple procedures.

MEMBER LEITCH: We're under the impression 23 made February San Onofre event was 24 that the considerably worse by the fact that there were 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	148
1	barriers missing between certain breaker compartments,
2	and the fire propagated from one to the other.
3	MR. NOWLEN: Yes. And really
4	MEMBER LEITCH: Has that kind of thing
5	surfaced as something which should be in a maintenance
6	procedure?
7	MR. NOWLEN: I can't recall anything like
8	that, and I'm not familiar with the San Onofre event,
9	so I don't have a lot of detail there.
10	MEMBER LEITCH: Okay.
11	MR. NOWLEN: But I don't recall things
12	along those lines, no.
13	MEMBER LEITCH: Okay.
14	MR. NOWLEN: Okay. Again, getting more
15	specific, there were a range of issues identified in
16	these improvements or addressed in these improvements
17	emergency procedures, enhancements to identify
18	or to address identified fire risk scenarios.
19	For example, they would take scenarios
20	that were identified in the IPEEE and look at their
21	procedures and adjust them to reduce the likelihood
22	that things would go bad in these events. Operator
23	training some of the licensees, for example, cited
24	that they were using scenarios from the IPEEE process
25	to develop new training scenarios for the operators,
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

specifically simulating some of the things they were 1 postulating in the IPEEEs in terms of scenario 2 3 development. Fire brigade training, an additional 4 5 detail -- or additional attention to the firefighting and dominant fire areas -- in particular, pre-6 7 planning, additional fire drills, that was fairly commonly cited. 8 General maintenance procedures tended to 9 things like housekeeping, transient 10 focus on requirements additional fire combustibles, for 11 watches, reduction of fire hazards, that sort of 12 13 thing. In terms of the physical changes, we saw 14 cases of relocating equipment and cables to remove 15 them from the critical fire area or to reduce the fire 16 hazard associated -- or the fire hazard presented to 17 Some fire protection 18 those pieces of equipment. system modifications and upgrades, 19 fire barrier 20 changes and upgrades that people were citing, and in 21 a few cases we saw electrical design changes, system design changes -- in particular, plants who looked at 2.2 spurious operation potential. 23 In a few cases we had plants that came 24 back and said, "Well, we've made a design change to 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	150
1	the system to reduce the likelihood of spurious
2	actuation in order to reduce particular scenarios."
3	MEMBER POWERS: The general category of
4	spurious actuations, do you find any difference
5	consistent difference between those plants that have
6	self-induced station blackout and those that do not?
7	MR. NOWLEN: It's a tough question. We
8	did have
9	MEMBER POWERS: I wouldn't ask it if it
10	wasn't hard.
11	MR. NOWLEN: Yes.
12	(Laughter.)
13	We didn't, and we did, in fact, question
14	a number of licensees regarding the issue of self-
15	induced station blackout. We did have access to the
16	Brookhaven report on that subject, and during each
17	review we would look at that report, and if it was a
18	plant that fell into one of the categories we would
19	specifically look at the submittal for that kind of
20	information.
21	We typically didn't see it in the original
22	submittals. It would not be discussed. We would then
23	go back to the licensee and ask them a question about
24	how they had addressed that.
25	This gets wrapped up a bit into the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

general issue of main control room abandonment and how 1 they did human factors for main control room 2 3 abandonment. The typical response we got back was that they considered that even looking at SSPO issues, 4 5 the number they've used for reliability of remote probability 6 shutdown reflects the that those 7 procedures would fail and that they consider it conservative. 8 Others provided us with some additional 9 10 detail as to what the SSPO procedures actually were and the rationale for concluding that their numbers 11 were bounding. But in general, I think it 12 was 13 discussed earlier today that human factors remains one of those areas that is something of a state-of-the-art 14 15 issue. CHAIRMAN APOSTOLAKIS: Human performance, 16 17 not --MR. NOWLEN: Human performance, yes. 18 I'm And I think we fall there here. 19 sorry. And, in 2.0 particular, with regard to control room abandonment, our ability to really analyze those in detail is still 21 an area of challenge for PRA. And I think that's 2.2 reflected here, and so the answer is a bit mixed. 23 MEMBER POWERS: I quess -- I mean, what 24 you've said is that it's a mixed bag for those that 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	152
1	have self-induced station blackout. What I was
2	interested in was in those that the differences
3	between those that do and those that don't in self-
4	induced station blackout.
5	MR. NOWLEN: You can't really tell,
6	because it's all wrapped up in the control room
7	abandonment. And everyone tended to take fairly
8	well, not everyone, but the majority of licensees took
9	fairly simplistic approaches to conservative analysis
10	of control room abandonment.
11	And so the distinction between SSPO and
12	non-SSPO plants it gets washed out by the almost
13	the relatively simplistic approach that people took to
14	conservatively estimating control room abandonment
15	contribution.
16	MEMBER POWERS: A lot of the text of the
17	document speaks of these conservative analyses, and I
18	was wondering, how do you know that they're
19	conservative? Is it plausibility arguments?
20	MR. NOWLEN: Plausibility, the combined
21	judgment of the Senior Review Board, the judgment of
22	the reviewers. You know, for example, if someone took
23	a one in 10 probability that a remote shutdown failed,
24	we generally said that's probably conservative and we
25	accepted it.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com