

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

BRIEFING ON READINESS FOR NEW PLANT

APPLICATIONS AND CONSTRUCTION

+ + + + +

PUBLIC MEETING

+ + + + +

Nuclear Regulatory Commission

One White Flint North

Rockville, Maryland

Thursday,

July 19, 2001

The Commission met in open session, pursuant to notice, at 1:30 p.m., the Honorable RICHARD A. MESERVE, Chairman of the Commission, presiding.

**COMMISSIONERS PRESENT :**

RICHARD A. MESERVE, Chairman of the Commission

GRETA J. DICUS, Member of the Commission

JEFFREY S. MERRIFIELD, Member of the Commission

EDWARD McGAFFIGAN, JR., Member of the Commission

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       **STAFF AND PRESENTERS SEATED AT THE COMMISSION TABLE :**

2       ANNETTE L. VIETTI-COOK, Secretary

3       KAREN D. CYR, General Counsel

4       **PANEL 1**

5       DR. WILLIAM TRAVERS, EDO

6       MR. WILLIAM BORCHARDT, Associate Director, Inspection  
7       & Programs, NRR

8       DR. ASHOK THADANI, Director, RES

9       DR. RICHARD BARRETT, Acting Director, Future Licensing  
10      Org., NRR

11      MR. THOMAS KING, Director, Div. of Risk Analysis &  
12      Applications, RES

13      MR. JOSEPH GIITTER, NMSS

14      **PANEL 2**

15      MR. MARVIN FERTEL, Sr. VP, Business Ops, NEI

16      MR. JAMES MUNTZ, VP Nuclear Project, Exelon

17      MR. EUGENE GRECHECK, VP Nuclear Support Services,  
18      Dominion Energy, Inc.

19      DR. REGIS MATZIE, Sr VP, Nuclear Systems, Westinghouse

20      MR. JOHN REDDING, Manager, Marketing & Public Affairs,  
21      GE Nuclear Energy

22      MR. WILLIAM MAGWOOD, Director, Nuclear Energy, Science  
23      & Technology, DOE

24      DR. EDWIN LYMAN, Scientific Director, Nuclear Control  
25      Institute

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

A G E N D A

1		
2		<u>PAGE</u>
3	Overview - EDO/NRR	5
4	Future Licensing and Inspection Readiness	
5	Assessment (FLIRA) - NRR	8
6	Research Advance Reactor Activities - RES	19
7	Marvin Fertel, Sr. VP, Business Operations,	
8	Nuclear Energy Institute	63
9	Jim Muntz, VP Nuclear Project, Exelon	75
10	Eugene S. Grecheck, VP, Nuclear Support	
11	Services, Dominion Energy, Inc.	82
12	Dr. Regis Matzie, Sr. VP, Nuclear Systems,	
13	Westinghouse	88
14	John Redding, Manager, Marketing and Public	
15	Affairs, General Electric Nuclear Energy	93
16	William D. Magwood, IV, Director, Nuclear	
17	Energy, Science and Technology, U.S. DOE	98
18	Dr. Edwin Lyman, Scientific Director,	
19	Nuclear Control Institute	103
20		
21		
22		
23		
24		
25		

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(10:30 a.m.)

1  
2  
3 CHAIRMAN MESERVE: Good afternoon. On  
4 behalf of the Commission, I'd like to welcome you to  
5 today's briefing regarding New Plant Applications and  
6 Construction.

7 A few years ago, any suggestion that the  
8 NRC would need to prepare for possible deployment of  
9 new nuclear plants would probably have been greeted  
10 with disbelief, to put it mildly. However, in the  
11 past year or so, a number of factors -- economic,  
12 technical, political -- have come together to cause  
13 serious consideration of the construction of new  
14 nuclear plants within the next few years. And if new  
15 nuclear plants are to be proposed, the NRC must be  
16 ready to perform comprehensive licensing reviews and,  
17 if licenses are issued, to oversee construction and  
18 operations.

19 The purpose of this meeting is twofold.  
20 First, we will hear from the NRC staff about the  
21 Agency's activities to assess our capabilities and to  
22 prepare for the possibility of activities in this  
23 area. Second, we will hear from NRC stakeholders, not  
24 only from the nuclear power industry but from the  
25 Department of Energy and a public interest group,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about these same issues. We very much look forward to  
2 this meeting this afternoon.

3 Let me turn to my colleagues and see if  
4 they have a statement.

5 COMMISSIONER MERRIFIELD: Mr. Chairman, I  
6 would make one statement. I appreciate the comments  
7 about the increased attention that this issue has  
8 gotten over the last year. I would note, however, I  
9 think that is a recognition of work that our staff and  
10 previous Commissions have conducted over a long period  
11 of time. The changes in our regulatory process, the  
12 allowances for reducing our regulatory burden, more  
13 transparency, more public confidence in what we're  
14 doing, and our ability to already have three licensed  
15 reactor designs are a lot of work already over the  
16 dam, so to speak, so while I agree with you that  
17 within the last year we've had a lot of attention on  
18 this, that's because of all the work we've been doing  
19 for a long time. Thank you.

20 CHAIRMAN MESERVE: If there are no further  
21 comments, Dr. Travers, you may proceed.

22 DR. TRAVERS: Thank you, Mr. Chairman. We  
23 are certainly glad to be here to brief you on the  
24 staff's activities relative to potential for future  
25 licensing and inspection readiness.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           It has been a while since we were in the  
2 midst of any significant activities in this arena. We  
3 don't feel we're as rusty as some may think, however,  
4 but we do recognize a number of challenges that we  
5 need to be prudently prepared for moving forward.

6           I think you'll notice from the  
7 presentation today that there's been, and continues to  
8 be, a high level of interoffice coordination and  
9 cooperation. The Office of Nuclear Regulatory  
10 Research, the Office of Nuclear Reactor Regulation,  
11 and the Office of Nuclear Material Safety and  
12 Safeguards have been principally at least working  
13 closely to ensure our readiness for future licensing  
14 and inspection activities, and to ensure that we have,  
15 in fact, an integrated approach for resolving issues  
16 associated with new technologies and new licensing  
17 projects, should they occur.

18           There is a team approach, we think, which  
19 is demonstrating itself in the meetings that we're  
20 conducting with industry, upcoming workshops,  
21 training, and even some international cooperative  
22 efforts. The team from the Program Offices have also  
23 been working with the Regions and with our Office of  
24 Human Resources, and with the Office of the General  
25 Counsel in reviewing some of the policy issues that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are attendant at this time to assessing our readiness.

2           Communications will obviously be an  
3 important factor, and the principal offices have  
4 established a joint communication plan to ensure that  
5 we in fact have good communications both internal and  
6 external to the agency. The offices have worked  
7 together to present information at the recently held  
8 ACRS workshop in June, and we have plans to hold  
9 internal and external stakeholder workshops next week.  
10 Based on the feedback from these workshops, we would  
11 expect to continue that sort of dialogue on specific  
12 technical issues.

13           As directed in the Commission's February  
14 13, 2001 Staff Requirements Memo, we have been working  
15 closely -- we have worked with industry to encourage  
16 as much information as we can get on the details of  
17 the timing and the scope and extent of which some of  
18 these activities may occur so that we can plan  
19 prudently and budget for without disrupting some of  
20 the other important initiatives that the Agency faces.  
21 And, certainly, I'd like to emphasize how important to  
22 your next panel this information is for our plans.

23           With me at the table -- and I'll start at  
24 my far left -- is Joe Giitter, from the Office of  
25 Nuclear Material Safety and Safeguards. We have Rich

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Barrett and Bill Borchardt from the Offices of Nuclear  
2 Reactor Regulation, and Ashok Thadani and Tom King,  
3 from the Office of Nuclear Regulatory Research. And  
4 with that, let me turn over the briefing to Bill  
5 Borchardt.

6 MR. BORCHARDT: Good afternoon. Slide 2,  
7 please.

8 (Slide)

9 I'll be covering the current status of  
10 activities requested in the Commission's February SRM.  
11 This will include future licensing and inspection  
12 readiness assessment, staffing, policy issues,  
13 regulatory infrastructure, current activities, and the  
14 challenges we see going forward. Following my  
15 presentation, Tom King will discuss pre-application  
16 activities and technology challenges.

17 The staff fully expects to be prepared to  
18 carry out our review and inspection responsibilities  
19 for early site permit, design certification review  
20 and/or combined license applications that are received  
21 within the next year. In fact, we're already actively  
22 engaged in several pre-application review activities.

23 Thanks to the work done in the '80s and  
24 early '90s, a regulatory structure is in place that  
25 will support the recent renewed interest in new plant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 construction. There is no doubt, however, that  
2 ultimate success will depend on effective  
3 communication between all stakeholders, high quality  
4 submittals on the parts of the applicants, and review  
5 discipline on the part of the staff. Slide 3, please.

6 (Slide)

7 The SRM of February directed the staff to  
8 assess its technical, licensing and inspection  
9 capabilities, and identify enhancements, if any, that  
10 would be necessary to ensure that the Agency can  
11 effectively carry out its responsibilities. In  
12 addition, the staff was directed to critically assess  
13 the regulatory infrastructure supporting both Parts 50  
14 and 52, and identify where enhancements, if any, are  
15 necessary. The Commission further directed the staff  
16 to integrate the tasks identified during this effort  
17 with the various related activities that are underway,  
18 and provide the Commission with a schedule for  
19 completing these tasks. Slide 4.

20 (Slide)

21 As stated in our May 1st response, we  
22 established the Future Licensing and Inspection  
23 Readiness Assessment Interoffice Working Group to  
24 assess the ability of the NRC to support future  
25 applications that might be submitted under Parts 50 or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 52. This group consisted of representatives from NRR,  
2 Research, NMSS, and the Office of General Counsel, and  
3 is also interfacing actively with the Regions, the  
4 Office of Human Resources, and other support offices.

5 The working group will provide an  
6 assessment of the areas shown on this slide to the  
7 Commission in September of this year. The areas  
8 covered will be postulated licensing scenarios for  
9 future application reviews, durations of the reviews  
10 that are linked to milestones, and resource estimates;  
11 the critical skills that must be available within the  
12 Agency or that can be accessed through contractual  
13 agreements to perform these reviews; the necessary  
14 interfaces within the staff as well as with the ACRS  
15 and external stakeholders; and any recommendations and  
16 follow-on activities.

17 Information from the industry regarding  
18 their plans and schedules is key to our ability to  
19 create these licensing scenarios and ultimately have  
20 the staff available to perform the work once it does  
21 arrive. Slide 5.

22 (Slide)

23 With respect to staffing, we have  
24 established a temporary organization within the Office  
25 of Nuclear Reactor Regulation called the Future

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Licensing Organization. It is composed of an SES  
2 Manager, Section Chief, and nine Project Managers, and  
3 one secretary. Its responsibilities include providing  
4 central points of contact within NRR for matters  
5 concerning future licensing efforts, managing certain  
6 related initiatives currently underway such as the AP-  
7 1000 Pre-Application Review and Rulemaking activities,  
8 coordinating efforts to perform a readiness  
9 assessment, interfacing with NEI working groups and  
10 other stakeholders. We have accomplished this new  
11 work by reprioritizing work using the PBPM process.

12 We are now in the process of establishing  
13 a permanent organization which will be called the New  
14 Reactor Licensing Project Office. It will retain the  
15 same organizational structure and responsibilities of  
16 the Future Licensing Organization.

17 I'd like to acknowledge the efforts of  
18 Rich Barrett who until very recently served as the  
19 Director of the Future Licensing Organization until a  
20 permanent Director could be assigned. Rich has done  
21 an exceptional job of laying a very solid foundation  
22 for us to move forward on all of these projects and  
23 establishing the good communication paths with all of  
24 our stakeholders, and I'd like to thank him. He has  
25 recently been relieved of those duties by Jim Lyons,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 who will be the permanent Director of the new  
2 Licensing Organization.

3 The Office of Research has established the  
4 Advanced Reactor Group. This group is responsible for  
5 managing the advanced reactor technology, Generation  
6 IV, and non-lightwater reactor pre-application  
7 assessment work. The Special Projects Branch in the  
8 Fuel Cycle Safety and Safeguards Division is the  
9 primary point of contact within NMSS. Their role is  
10 to support future licensing efforts in the area of  
11 fuel fabrication, transportation, safeguards and waste  
12 storage and disposal, with focus on any unique  
13 technical or regulatory issues associated with non-  
14 lightwater reactor designs and increased enrichment  
15 levels. Slide 6, please.

16 (Slide)

17 Slides 6, 7 and 8 list a number of policy  
18 issues that are affected by the structural changes  
19 within the industry and on the size, design and  
20 fabrication of new reactor designs. Industry has  
21 raised issues such as decommissioning funding  
22 assurance, antitrust reviews, and financial  
23 qualifications as those that are burdensome and could  
24 challenge the economic viability of merchant plants.

25 (Slide)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Slide 7 shows the impact of the modular or  
2 small plant issues, including Price-Anderson  
3 protection, the number of licenses that would be  
4 issued from multi-module type of designs such as the  
5 PBMR, operator staffing issues, and NRC annual fees.

6 (Slide)

7 Slide 8 shows two other issues,  
8 decommissioning funding formula and uranium fuel cycle  
9 for gas reactors, that are regulations that will need  
10 to be addressed for non-lightwater reactor designs.  
11 Slide 9, please.

12 (Slide)

13 In addition to the assessment of the  
14 staff's capabilities and the regulatory  
15 infrastructure, the February 13th Staff Requirements  
16 Memorandum directed the staff to integrate these tasks  
17 with related activities that are currently underway.  
18 I will briefing summarize the status of some of these  
19 activities -- Early Site Permits, Construction  
20 Inspection Program, rulemaking, and stakeholder  
21 interactions. Mr. King will also provide the status  
22 of other activities such as the pre-application  
23 reviews that are currently underway later in the  
24 briefing. Slide 10.

25 (Slide)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   We've been meeting with the NEI Task Group  
2                   in preparation for an early site permit application.  
3                   In addition to the three parts of the review -- site  
4                   safety, environmental and emergency planning -- the  
5                   staff will need to begin public meetings and site  
6                   characteristic studies nine to twelve months before an  
7                   application.     The staff will need information  
8                   regarding industry's plans early not only to conduct  
9                   the reviews, but also to plan and prioritize our work  
10                  and resource needs.   Slide 11.

11   (Slide)

12   In conjunction with our assessments, we've  
13                   begun to look at what it will take to reactivate the  
14                   Construction Inspection Program.   This effort will  
15                   include review and revisions of applicable inspection  
16                   manual chapters and development of associated  
17                   inspection guidance as well as the related training.  
18                   We will take into account the need for inspection and  
19                   plant components and modules at fabrication sites.  
20                   The Inspection Program will also be updated to  
21                   accommodate the provisions of Part 52 including the  
22                   verification of ITAAC.   We've been working closely  
23                   with the Regions on this activity, and it will be  
24                   covered in the Future Licensing and Inspection  
25                   Readiness Assessment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Since the May paper, additional  
2 information from the industry has highlighted the need  
3 for additional resources sooner rather than later to  
4 revise the Construction Inspection Program. In the  
5 May 25th letter, Exelon stated that it intends to  
6 provide the staff with a Combined License Application  
7 late in 2002 or early 2003 for the Pebble Bed Module  
8 Reactor. This new information requires us to expedite  
9 updating the inspection manual chapters and the  
10 detailed inspection procedures. This, again,  
11 highlights the importance of coordinating the efforts  
12 of the industry and the industry's plans with our  
13 resource projections.

14           On May 3rd, representatives from Energy  
15 Northwest briefed the staff on a viability study that  
16 it had commissioned to determine if the Washington  
17 Nuclear Project No. 1 project completion is feasible  
18 and cost-effective. The study is expected to be  
19 completed in August of this year, but the licensee  
20 stated that a final decision is not likely to be made  
21 for an additional three to 18 months.

22           The licensee requested that the NRC extend  
23 the expiration of the construction permit from June  
24 1st of this year until June 1st of 2011. That  
25 extension request is currently under review by the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 staff.

2 The staff issued a notice in the Federal  
3 Register recently seeking public comment on the need  
4 for and scope of ITAAC, Inspection Test Analyses and  
5 Acceptance Criteria, for programmatic areas.  
6 Additional actions will be taken following the receipt  
7 and evaluation of those comments. Slide 12.

8 (Slide)

9 With respect to the regulatory  
10 infrastructure, the staff is currently involved in a  
11 number of ongoing activities. These include an update  
12 to Part 52 to incorporate the lessons learned from the  
13 previous design certification rulemakings. While this  
14 update will improve the rule, the current Part 52 is  
15 adequate to proceed with review activities.  
16 Additional rulemakings involve amending Part 51,  
17 Tables S-3 and S-4, to address the higher enrichment  
18 and burnup, and to incorporate changes in the expected  
19 environmental impacts from nuclear fuel cycle. Also,  
20 a rulemaking on alternative site reviews to clarify  
21 our expectations on what should be considered when  
22 performing these reviews given the changes due to the  
23 electric deregulation is also being considered.  
24 Development of these rulemaking plans is in progress.  
25 Slide 13.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Slide)

2 I'd like to mention one final area that  
3 the staff has devoted resources to, and that has been  
4 the area of public interaction. We have established  
5 a Web Page for future licensing activities, and we are  
6 having our first public workshop next week, July 25th,  
7 beginning at 9:00 in the morning, and there will also  
8 be an evening session, and then again on July 26th  
9 from 9:00 to 1:00. This workshop will cover a wide  
10 range of topics for new licensing activities. We will  
11 also have additional workshops. as needed, to focus on  
12 specific topics. We have been providing time for the  
13 public to comment during meetings with the industry  
14 that we've had to date and, similarly, we have been  
15 aggressively working on communication with our  
16 internal stakeholders through internal meetings and  
17 workshops.

18 (Slide)

19 Slide 14 shows some of the major  
20 challenges. Clearly, hiring and maintaining critical  
21 skills will be an obvious challenge to the staff, not  
22 unique to this area, but very important, nonetheless.  
23 From the industry, as we've stated earlier, we need  
24 early and accurate scheduler information, high quality  
25 submittals and timely responses to requests for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information. Our budget and resource planning can  
2 only be as good as our understanding of the  
3 applicant's planned activities and submittals.

4 We're aware of the House and Senate  
5 actions to appropriate an additional \$10 million in  
6 support of new reactor licensing activities. We're in  
7 the process of evaluating how to best internally  
8 allocate the supplemental funding for fiscal year '02.  
9 The fiscal year '03 resource estimates for future  
10 licensing activities were included in the budget  
11 submitted to the Commission earlier this summer.

12 Finally, while we have some historical  
13 documents to build upon -- for example, a 1996 report  
14 on the Construction Inspection Program -- we have  
15 lessons learned from other successful processes to  
16 build on, such as license renewal, and are currently  
17 making enhancements to some of our processes, such as  
18 the rulemaking activities to amend Part 52.  
19 Enhancements to the processes will be iterative in  
20 that many of the processes within this Part 52 area  
21 have never been exercised before. We have had design  
22 certification rules, but we have not done an early  
23 site permit nor done a combined license review under  
24 the new Part 52.

25 To address these challenges, the staff is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 working with the Office of Human Resources and all  
2 other Program Offices to identify and hire resources  
3 to meet our critical skill needs. We will continue to  
4 interact with stakeholders to ensure that the staff  
5 has a clear understanding of upcoming application  
6 plans to establish the best resource estimates.

7 As stated earlier, the staff will continue  
8 to develop enhancements to the processes. We will  
9 inform the Commission of the results of its readiness  
10 assessment and those recommendations when the  
11 assessment is completed this fall. At that time, we  
12 will recommend appropriate activities, including  
13 refined schedules and resource estimates that are  
14 necessary to address the recommendations in that  
15 report.

16 Tom King will now continue the briefing.

17 MR. KING: Thanks, Bill. As Bill  
18 mentioned, I want to focus on the technical  
19 considerations that affect the ratings assessment,  
20 including key assumptions and potential policy issues  
21 that may emerge. A key part of the ratings assessment  
22 is to understand the technology, the designs, the  
23 safety issues, and the future plans of potential  
24 applicants.

25 (Slide)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In this regard, there are activities  
2 underway, as shown on Slide 15, that are providing  
3 useful input to the assessment. As well, these  
4 activities are also going to help facilitate the  
5 review if an actual application is received, by trying  
6 to identify and address up front some of the major  
7 issues that need to be resolved.

8           Quickly, the activities underway today are  
9 there's an AP-1000 pre-application review underway.  
10 We expect it to be complete in early calendar year  
11 2002. The goal was to identify what are the issues  
12 associated with scaling up from AP-600 to AP-1000, and  
13 what are the paths to resolution of those issues.  
14 There's a possible -- we understand it's possible  
15 Westinghouse may decide to submit a design  
16 certification application for AP-1000 sometime in  
17 2002. Likewise, there's a pre-application activity  
18 underway on the Pebble Bed Modular Reactor. We expect  
19 those to be complete in October of next year. Again,  
20 like AP-1000, they are directed toward identifying the  
21 issues and potential paths to the resolution.

22           As Bill mentioned, it's possible that an  
23 application for a combined license for the first  
24 Pebble Bed Module may be submitted late calendar year  
25 2002 or early 2003. Likewise, we have had preliminary

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 discussions on the general atomics design Gas Turbine-  
2 Modular Helium Reactor and the Westinghouse lightwater  
3 reactor design IRIS. I forget what it stands for.

4 COMMISSIONER MERRIFIELD: International  
5 Reactor Isolated and Secure.

6 MR. KING: Again, it's possible that we  
7 may get a request on both of those designs to initiate  
8 pre-application work in 2002. We've also been taking  
9 advantage of our international partners who have  
10 experience -- in some cases, more experience than we  
11 do -- in some of these areas.

12 As you recall, Ashok and I went to South  
13 Africa earlier this year to understand on the Pebble  
14 Bed Modular Reactor, the status of their technology  
15 and development. We've had discussions with the  
16 Regulator in the United Kingdom regarding their  
17 experience with their Advanced Gas Reactors, which are  
18 High-Temperature Graphite Moderated Reactors. We're  
19 planning a trip to Germany to get their experience on  
20 HTGRs, and we're initiating contacts with Japan and  
21 China to learn from their experience also in the HTGR  
22 area. Slide 16.

23 (Slide)

24 COMMISSIONER MERRIFIELD: If I might -- I  
25 corrected you and I may have corrected you wrong. For

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the record, it's International Reactor Innovative and  
2 Secure.

3 MR. KING: Thank you. On Slide 16, I  
4 wanted to point out that from the interactions we've  
5 had to date, it's clear that many challenges await us  
6 in the technical area, which need to be considered in  
7 the readiness assessment. Basically, what we're doing  
8 in the readiness assessment is looking at three  
9 factors. One, we're factoring in our understanding of  
10 the technology which is necessary to identify the  
11 skills and infrastructure needs. We're including in  
12 the readiness assessment a portion that deals with  
13 adding resources and infrastructure to be able to  
14 independently confirm the safety of the designs. We  
15 think that's important because that's related to being  
16 able to help us ask the right questions to give us  
17 information on which to judge the applicant's  
18 response, and to decide and set the appropriate  
19 acceptance criteria, and all of that is related to  
20 developing and maintaining the necessary skills -- in  
21 other words, what skills do we need to develop, and  
22 what's the best way to obtain them. And I'm going to  
23 discuss each of these in the next three slides.

24 (Slide)

25 Slide 17, on technology, it's clear that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in many cases the technology is going to be different  
2 that currently operating plants. In some cases, they  
3 will be non-lightwater reactor designs, there will be  
4 new materials, new phenomena to address, new operating  
5 regimes.

6 It's also clear that the safety, in many  
7 cases, may be accomplished in nontraditional ways.  
8 There's going to be greater emphasis on prevention  
9 versus mitigation of accidents. There are going to be  
10 longer response times, less reliance on operation  
11 action, inherent safety characteristics built into the  
12 design. All the future designs are being advertised  
13 as having one or more of these characteristics, and we  
14 need to understand the basis for those and be able to  
15 make judgments on whether we agree or disagree with  
16 what's being proposed. And we think these are  
17 certainly going to lead to some policy and technical  
18 issues which I'll get to later.

19 In some cases, the new technology may also  
20 be applicable to current plants -- advanced fuels,  
21 advance instrumentation and control systems, advanced  
22 nondestructive examination systems, for example.

23 (Slide)

24 Slide 18, the independent capability  
25 portion. As I mentioned, claims are being made for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 improved safety in these new designs, and we need to  
2 be able to assess those claims. Historically, many of  
3 our regulatory decisions have been supported by  
4 independent confirmatory analysis and data. AP-600  
5 review was a recent example where as a result of the  
6 staff's work it uncovered a potential design issue in  
7 AP-600 that subsequently was fixed.

8 We believe future plant licensing also  
9 would have the benefit of such capability and  
10 independent review. And we recognize that development  
11 of this independent capability takes time and  
12 resources. You need to understand the issues and  
13 phenomena, you need to be able to model those, develop  
14 and assess analytical tools, and perhaps provide some  
15 experimental confirmation or exploration in certain  
16 areas, and we think this aspect needs to be part of  
17 the readiness assessment. Slide 19.

18 (Slide)

19 Given the technology and given the desire  
20 to have some independent capability that leads to what  
21 are the skills that we need, we think certainly new  
22 skills are going to be required. Examples are graphite  
23 technology, HTGR fuel technology, there will be new  
24 materials -- different coolants, for example -- and  
25 the readiness assessment must address getting those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 skills, both how many and what types, as well as  
2 what's the best way to obtain -- is it hiring, is it  
3 using contractors, is it using training, using some  
4 other method? Slide 20.

5 (Slide)

6 There are certain key assumptions that are  
7 going into the readiness assessment, and I wanted to  
8 just highlight some of the major ones. Industry plans  
9 and schedules. The May 1st memorandum that we sent  
10 the Commission that gave a preliminary estimate of our  
11 needs was based upon industry plans and schedules, as  
12 best we knew them at that time, but these are a moving  
13 target.

14 Slide 24 contains a summary of the  
15 schedules that we assumed in the May 1st memorandum  
16 and shows where some changes have occurred at the time  
17 we put these Vu-graphs together. I'm informed now  
18 that even Slide 24 is out-of-date. Just in the past  
19 week it has changed, so I just want to emphasize that  
20 is a moving target.

21 In doing the readiness assessment, we will  
22 certainly take the best information available at the  
23 time in the report that comes out this fall.

24 High quality applications. We're assuming  
25 in putting together the rating assessment resource

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 needs that if we receive high quality applications  
2 supported by sufficient R&D, and that we're not  
3 planning in the schedules any hold-ups due to lack of  
4 information. We think the pre-application reviews  
5 will certainly help in that regard because they will  
6 provide our expectations and our needs in that area.

7 As I mentioned, NRC independent review  
8 capability is going to be part of the readiness  
9 assessment. It will include resources for that,  
10 although we're still, as part of preparing the  
11 readiness assessment, looking at the scope and nature  
12 of exactly what those resources will be, but that will  
13 be part of the readiness assessment.

14 And, finally, the case-by-case application  
15 of 10 CFR. In the past when we've reviewed reactors  
16 that were different than current generation lightwater  
17 reactors, we've taken the existing body of  
18 regulations, we've gone through and we've determined  
19 which ones are applicable, which ones aren't, and  
20 where there may be gaps, and how to fill those gaps,  
21 recognizing that many of the regulations today are  
22 LWR-oriented. In the near-term, in the readiness  
23 assessment, we're probably going to be doing that same  
24 process, that same procedure, so that will be built  
25 into what the resource needs are and the schedules,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but this is going to lead to a larger issue which is  
2 should we do something different in the future, and  
3 I'll get to that as we get to another slide.

4 (Slide)

5 Potential areas for policy issues -- I  
6 call this "potential" because we're still in the pre-  
7 application phase, we're still learning, we're still  
8 trying to formulate these issues, so I just wanted to  
9 highlight a few of the more major things that will  
10 probably end up being brought to the Commission as  
11 policy issues, just to give you an idea of the scope  
12 and nature of the things that are out there.

13 Bill had covered the legal and financial  
14 issues that have come out of the review so far, and I  
15 wanted to focus on the technical and what I call  
16 "institutional" issues.

17 Under technical, as I mentioned before,  
18 achievement of safety is done in nontraditional ways  
19 -- for example, longer response times, greater  
20 reliance on prevention versus mitigation. That's  
21 going to lead certainly to features in future plants  
22 that are not in current plants, and perhaps a lack of  
23 features in future plants that are not in current  
24 plants, and we expect issues like do we need to have  
25 high-pressure, leak-tight containment buildings on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 future reactors that's going to be a policy issue that  
2 will come to the Commission. The size of the  
3 emergency planning zone is another potential issue  
4 that would probably be brought to the Commission. The  
5 whole question of in the case of the HTGR where fuel  
6 quality is such an integral part of the safety case,  
7 how should we go about factoring that into a license,  
8 whether it's a combined license or a design  
9 certification license? Should it be an integral part  
10 of the design certification, for example.

11 Another technical issue, risk-informed,  
12 performance-based approach and criteria. By that, I  
13 mean -- I'll use the PBMR as an example -- what they  
14 are proposing is using risk criteria and using some  
15 deterministic acceptance criteria, coming up with a  
16 process by which you'd select design basis accidents,  
17 identify the safety classification of systems that  
18 would apply to the PBMR. We believe this process and  
19 the criteria that are used have a policy nature to  
20 them, and we'll probably be bringing those to the  
21 Commission for consideration.

22 Institutional issues, as I mentioned,  
23 we're doing case-by-case application of the current  
24 regulations today. Should we be considering a  
25 different way to license future plants? NEI is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 preparing a white paper on this subject, you'll  
2 probably hear about it when the next panel gets up  
3 here. But what we're doing in the readiness  
4 assessment is we're considering this as an important  
5 issue. We're going to discuss it to some extent in  
6 the readiness assessment, but we're also considering  
7 bringing forward a separate paper on this topic with  
8 some options, and get Commission feedback and guidance  
9 on whether we want to proceed developing such a clean  
10 sheet of paper approach for future plants, technology  
11 neutral perhaps.

12 And infrastructure needs. As I mentioned,  
13 we're going to plan in the readiness assessment to go  
14 forward and put in resources to develop this  
15 independent capability. We'll keep the Commission  
16 informed of any issues that come out of that as well  
17 as the scope and nature of what we have in mind.  
18 That's just an example of some of the things that are  
19 coming down the road.

20 (Slide)

21 Slide 22 and 23 are -- what we tried to do  
22 there was put down the milestones that are going to be  
23 coming to the Commission over the next 12 to 15  
24 months, and these will either be information items or  
25 items of a policy nature. I'm not going to go through

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 all of these, but I just want to point out, for  
2 example, Bill's presentation mentioned legal and  
3 financial issues. We're planning a paper to the  
4 Commission in November on the policy aspects of those  
5 issues. This Pebble Bed licensing approach that I  
6 just mentioned, we're also planning a paper to the  
7 Commission in November on that.

8 (Slide)

9 On Slide 23, on the Pebble Bed technical  
10 issues itself, a paper in April of next year and  
11 September of next year, one on technical issues and  
12 one on policy issues. So there are a number of things  
13 that are going to cross your desk over the next 12 to  
14 15 months that we just wanted to try and point out  
15 here.

16 With that, I think Bill Travers wanted to  
17 make some closing remarks.

18 DR. TRAVERS: Just one quick one. One  
19 element of our program that we think is going to be  
20 particularly valuable is the fact that we've  
21 negotiated with the Department of Energy a  
22 reimbursable research agreement to address a number of  
23 generic technical issues related to gas technology,  
24 and may Bill Magwood will address some of that with  
25 you this afternoon.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Ashok, did you want to make a quick  
2 comment?

3 DR. THADANI: I just also wanted to  
4 acknowledge Rich Barrett's contribution. He brought  
5 a great deal of intellectual thinking to these early  
6 issues, and also the exceptional interaction that's  
7 taken place between the offices, I want to acknowledge  
8 that immense contribution.

9 DR. TRAVERS: And that completes our  
10 presentation, Mr. Chairman.

11 CHAIRMAN MESERVE: I'd like to thank you.  
12 Obviously, this briefing, given the wide range of  
13 activities, could only give us a sampling of what  
14 might be headed in our direction. It's a little  
15 intimidating, I think, but in any event it's exciting,  
16 and thank you for very much for the presentation.

17 Commissioner Merrifield, it's your turn to  
18 go first.

19 COMMISSIONER MERRIFIELD: Thank you, Mr.  
20 Chairman, I appreciate that. The first question I  
21 have for Dr. Travers and his staff, the overview that  
22 was talked about referenced the February Staff  
23 Requirements Memorandum, of course, which came out of  
24 the comment I wrote last October. The initial  
25 response to that was in May, which is relatively high

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 level and gave the Commission some overview of what  
2 future plant orders or restarts would require relative  
3 to resources and staffing. You further indicated that  
4 in September we're going to get a further more  
5 detailed update as to the meaning of that.

6 I guess I'm interested in you were  
7 articulating a little bit more carefully whether that  
8 would provide sufficient analysis from a budgetary  
9 standpoint and a staffing standpoint the Commission to  
10 see the various elements and initiatives industry  
11 might have underway and what that would require of us.

12 And as part of that, I also am personally  
13 cautious about a lot of this given the fact that even  
14 the assumptions that you have on page 24, which have  
15 been updated from May, have further changed this week.  
16 And I think all this plays into the recollection that  
17 there is quite a bit of tealeaf reading that goes  
18 along with this, and my own concern that we not get  
19 too far ahead of ourselves in overcommitting resources  
20 that ultimately must fall back on our licensees.

21 But my direct question is, what is that  
22 September memo going to look like and will it provide  
23 us the details necessary to make more of a project-by-  
24 project analysis?

25 MR. BORCHARDT: Well, it's our intent to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 give you a lot more detail than you've seen before  
2 and, frankly, a lot more detail than we have developed  
3 to date. We don't have a lot of answers to give you  
4 today, but it will develop what we think are the most  
5 likely scenarios and develop schedules for each of  
6 those scenarios, along with resource loadings for each  
7 of those. And we will react to the best knowledge  
8 that we have at the time when we have to put the final  
9 touches on that document. So we're going to be  
10 looking at what critical staffing shortages we have in  
11 expertise areas, then look at what we think are the  
12 most likely scenarios, and then how we would go about  
13 accomplishing those with resource loadings and  
14 schedules associated with each.

15 COMMISSIONER MERRIFIELD: Great. On Slide  
16 11, it talks about the reactivation of WNP-1. I'm  
17 just wondering if you could share some of the insights  
18 you have about what voids we may have to fill in our  
19 Construction Inspection Program.

20 MR. BORCHARDT: Well, for WNP-1, being as  
21 that's a Part 50 construction permit, we don't have  
22 some of the issues I was referring to earlier about  
23 verifying ITAAC, but neither have we done an  
24 inspection program or picked up a project in this  
25 stage before. So, frankly, we're going to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 developing some new guidance to the Inspection staff,  
2 trying to rebaseline the Inspection Program, see what  
3 we can take credit for from what was done several  
4 years ago, and then take up a construction program  
5 that can lead forward to eventual decisions regarding  
6 an operating license. I think it's just the novelty  
7 of the issue that has us a little bit on edge right  
8 now.

9 COMMISSIONER MERRIFIELD: On Slide 23, you  
10 indicate you intend to make a recommendation on  
11 programmatic ITAACs in March of '02. I'm wondering if  
12 you could give an update in terms of ongoing  
13 activities and what could turn out to be, and what is,  
14 I think, a very important area going forward.

15 MR. BORCHARDT: Where we are in  
16 programmatic ITAAC now is we have a Federal Register  
17 Notice out to request comments and begin the exchange  
18 of views on that. We will then, as a result of that,  
19 prepare a Commission paper for our final policy  
20 decision on how we will deal with the subject of  
21 programmatic ITAAC. That's in the spring.

22 COMMISSIONER MERRIFIELD: That's a key  
23 issue and one obviously that's going to take a lot of  
24 careful effort on the part of the staff. This one is  
25 directed toward, I think, probably Steve Burns. In

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the next panel, Mr. Grecheck -- I hope I'm pronouncing  
2 that correctly -- indicates in his testimony that  
3 Dominion has identified no legal or procedural barrier  
4 or impediment to proceeding in a fashion which would  
5 accommodate the design certification early site permit  
6 and/or combined operating license processes proceeding  
7 in parallel, and I'm wondering if I could get your  
8 thoughts on that particular issue.

9 MR. BURNS: Yes. I think to answer the  
10 question, you really have to look at Part 52, and I'd  
11 start with the regulation on the combined license,  
12 52.79, and what 52.79 does is it gives you an option.  
13 It says when you submit the application, that the  
14 application must either contain -- for example, let's  
15 just take the Early Site Permit -- either give you a  
16 reference to the Early Site Permit that you're  
17 referencing, or provide the information within the  
18 application that you would otherwise have.

19 Similarly, for design certification, you  
20 can either reference the FSAR of a final design,  
21 standardized design certification, or you can provide  
22 all the information that would otherwise be provided  
23 as part of the design cert.

24 What I don't think that regulation  
25 contemplates if that you have a hole that you then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 later fill because I would have some question to think  
2 about is whether, in effect, you actually have a  
3 docketable application for a combined operating  
4 license, if what you have is nothing but a hole and a  
5 promise to provide a future Early Site Permit or a  
6 future design certification.

7 I think in terms of the contemplation --  
8 again, the rule does not preclude going in parallel in  
9 the sense that one can pursue various aspects of the  
10 trio of types of permits or licenses provided under  
11 Part 52. But when you come to the combined operating  
12 license, I think what it contemplates is the one of  
13 the two alternatives.

14 I guess I would add the one thing I think  
15 you'd have to ask yourself is -- and, again, going  
16 back to what was the purpose, what is the purpose of  
17 the Early Site Permit, or what is the purpose of the  
18 design certification? It is, in part, to provide  
19 issue resolution. Now, the design certification  
20 obviously might be used at a particular site in  
21 Virginia, it might be used for one in Maine, or  
22 California, wherever, and then it's adapted to a  
23 particular site. But, again, it's meant to provide  
24 issue resolution, and if you don't have in the COL an  
25 Early Site Permit or design cert, you don't have the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issue resolution as to those matters. They are  
2 resolved, in a sense, in the context of the combined  
3 operating license, since that is a process that under  
4 Part 50 or under Part 52 you can proceed to.

5 So, the question is -- and I haven't had  
6 any interaction on this -- I'd be interested to know  
7 what is thought to be the advantage of doing that  
8 because, again -- I come back to the issue resolution  
9 -- you don't have it on those pieces when you're going  
10 with the combined operating license.

11 COMMISSIONER MERRIFIELD: Thank you very  
12 much, Mr. Chairman.

13 CHAIRMAN MESERVE: I've noticed that  
14 several of the slides make reference to the human  
15 capital issue, need to have skills and develop skills,  
16 I think that's obviously appropriate. I think it  
17 appears in five or six of the slides that you've given  
18 us today. And I think we all recognize that's a huge  
19 challenge, but it's one that isn't unique to this area  
20 in that we have, to a lesser degree, have that same  
21 problem across the Agency in terms of making sure that  
22 we have the capacity as the years go on to keep the  
23 competent, capable staff that we have today. And as  
24 you know, there's a major effort that we've had  
25 underway with the HR group to be able to deal with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that issue. And I'm curious of the extent to which  
2 there's been some cross-fertilization between your  
3 activities and the Agency-wide activities, and you  
4 have made some skills that you need here that exist,  
5 but in unusual places in the Agency that you may not  
6 know about, and there may be some skills that you need  
7 to develop that we could use elsewhere, and that gives  
8 us some flexibility to deal the point that  
9 Commissioner Merrifield appropriately mentioned, that  
10 there is some uncertainty in this area. So, I'd like  
11 to have your thoughts on that.

12 MR. BORCHARDT: Well, we are working with  
13 HR on the -- in coordination with the Agency's overall  
14 staffing issues. And one of our first activities  
15 within the future licensing area is to send out a  
16 survey to the staff to identify where those -- what  
17 the needs are and where some of that expertise  
18 resides, even though they may not currently be filling  
19 a position that would use the expertise that we'll  
20 need for future licensing activities.

21 CHAIRMAN MESERVE: This is an integrated  
22 activity --

23 DR. TRAVERS: Yes. The only thing I'd add  
24 to that, as Bill mentioned earlier in his  
25 presentation, there's also looking forward, we can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 look to see where we might contract some of this and  
2 perhaps in environmental review much the same as we  
3 are doing in license renewal. There are specific  
4 needs in gas technology reactors and some in the  
5 construction realm where we haven't been too active of  
6 late, and so we're looking to see if we can balance  
7 incorporating the need for staff resources versus the  
8 contracted route.

9 DR. THADANI: If I may add, it is indeed  
10 integrated with the HR approach, but we also happen to  
11 have some knowledge of some capability within the  
12 Agency, for example, in gas technology and so on, and  
13 we've been somewhat successful in getting that kind of  
14 capability into our organization, at least on a  
15 temporary basis, to help us through what we're doing  
16 now, but it is indeed integrated approach.

17 CHAIRMAN MESERVE: It seems to me that if  
18 we are confronted with a gas reactor, that we're going  
19 to have particular challenges in a variety of areas so  
20 different from what we're doing, and I'm -- it  
21 occurred to me as I was reading through the slides  
22 that there might be something more aggressive that we  
23 ought to do in an international area, in that we have  
24 a situation where the British have operating gas  
25 reactors. The Germans have experience at least with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the fuels. The Chinese are interested in the Pebble  
2 Bed, working in a Pebble Bed --

3 DR. THADANI: They have an operating  
4 reactor, actually.

5 CHAIRMAN MESERVE: The South Africans have  
6 this interest. Russians, obviously, with General  
7 Atomics, are engaged. I've read something that the  
8 French are interested in gas reactors. We are all  
9 confronting a whole series of issues, and it does seem  
10 to me there is a lot of information that we would all  
11 need in common, and I wonder whether there's any  
12 thought been given that this is going to go forward  
13 whether there's some sort of more concerted  
14 international program that would reduce costs,  
15 leverage facilities in various countries, and get the  
16 information in a more timely fashion.

17 DR. THADANI: There are a number of  
18 ongoing activities. At Nuclear Energy Agency, they  
19 are planning to have a workshop on high-temperature,  
20 gas-cooled reactors early next year. A number of  
21 countries would be invited. I would certainly hope  
22 that many of the member countries in IAEA would also  
23 participate in that workshop. We're exploring  
24 ourselves the idea of going and talking to certain  
25 individuals that we know have extensive background in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 graphite gas technology. We're considering a number of  
2 options. One would be some sort of technical support  
3 to us in some capacity. We're even looking at some  
4 options where some individuals may be able to come and  
5 join us for periods of six months or so, particularly  
6 if they have had extensive experience in this  
7 technology. And, Mr. Chairman, my personal view is we  
8 almost have to do that because that's where a  
9 significant amount of capability is. So, we're  
10 looking at a lot of ways to help us move in a fairly  
11 effective manner.

12 CHAIRMAN MESERVE: You described -- I'm  
13 sure you're doing sensible things, but it seems sort  
14 of ad hoc, and if many of these countries are going to  
15 be confronting these types of reactors, maybe an  
16 integrated international program might be useful to  
17 consider, at least. This is not to suggest to design  
18 it right at this moment, but it occurred to me as I  
19 was reading the materials and saw that the French are  
20 also interested in gas reactors.

21 One of the issues that is apparent when I  
22 look through some of the presentations we're going to  
23 get in the second panel is that some of the  
24 individuals we're going to talk to are going to  
25 suggest time limits or time frames within which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 decisions are going to be expected. I saw with the  
2 Pebble Bed that there was an expectation of a combined  
3 operating license within 28 months, with an SER within  
4 12 -- the AP-1000, if that goes forward, it would be  
5 with less than three years to complete that.

6 Has there been consultation with the staff  
7 on these schedules, and where are we in your thinking  
8 about those matters?

9 MR. BORCHARDT: Well, that's one of the  
10 areas that the readiness assessment is working on. We  
11 have had numerous meetings with a number of potential  
12 applicants over the last several months, that's how  
13 we've gotten some of the information that we're  
14 already aware of.

15 Frankly, we don't have enough information  
16 on our own review schedule to tell whether or not we  
17 can meet any of those. I mean, that's part of why  
18 we're doing this readiness assessment. So, it's  
19 really premature for me to make much of a statement  
20 regarding our capability to meet any particular  
21 milestone.

22 CHAIRMAN MESERVE: Well, obviously, let me  
23 just say, I'm sure for all the Commission the job will  
24 have to be done right rather than done fast, and so  
25 the staff has to bear that in mind. Commissioner

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Dicus.

2 COMMISSIONER DICUS: Thank you. Just as  
3 an aside before I get into some questions, sometimes  
4 I'm amused or taken back maybe by some of our  
5 acronyms, and "ESP" comes to mind -- Early Site  
6 Permits. I hope that our stakeholders, public and  
7 industrial and otherwise, don't think that maybe what  
8 we're doing here is extrasensory perception, but it  
9 may be given the uncertainties with our schedules.

10 CHAIRMAN MESERVE: It might come in handy.

11 COMMISSIONER DICUS: This question would  
12 go both to NRR as well as to Research, and it really  
13 has to do with what I think all of us so far have  
14 brought up, and I would imagine that Commissioner  
15 McGaffigan will lay in on this as well, and it's how  
16 we handle our resources with the uncertainties that we  
17 do have with schedules, with what we may have coming  
18 down the pike, and you've addressed this in your  
19 presentation as well, but the question that I have is  
20 to what extent do you feel that you've built in the  
21 flexibility to resource up or to resource down,  
22 depending upon what we get? Do you feel that you're  
23 prepared to do that, or are we still will have to work  
24 that out?

25 DR. TRAVERS: I'll just make a general

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 comment. I think we've been, and are continuing to  
2 be, prudent in approach, recognizing that if things do  
3 take off we'll need to up source. At the same time,  
4 if you look at what we've done in both NRR and  
5 Research, which are sort of the principal offices with  
6 responsibilities in this area, we've in NRR started  
7 out with a temporary organization with temporary  
8 people, and have begun to move into a permanent or  
9 semi-permanent organization that's just been  
10 established. They contain about 12 people right now.  
11 The expectation is that we might need to be ready to  
12 increase that if things develop in the way -- a lot of  
13 what we're doing in thinking about contracting and  
14 working with HR is intended to put us in a good  
15 position should that come into play a little bit more,  
16 but it is a very balancing act that we're in the midst  
17 of doing, you know, recognizing that we have to  
18 recover in the main all of our fees from licensees  
19 and, at the same time, carry out a number of very  
20 important initiatives that the Commission is vitally  
21 interested in, including licensure on power, you name  
22 it.

23 So, I think we've got a flexible approach,  
24 but it's likely to be challenging no matter what  
25 happens, I suspect.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   COMMISSIONER DICUS: Okay. To follow-up  
2 on that just a little bit before you have a chance to  
3 answer, in a previous briefing when we were discussing  
4 human capital at some point, we brought up the fact  
5 that we may think we have Project A coming down the  
6 pike, but we've got to have particular skills to deal  
7 with that. I think you've identified what skills --  
8 I think, in your Slide 4 you talk about critical  
9 skills needed, and we hire those skills, or we  
10 contract for them, and then Project A doesn't happen.  
11 So, it's just a caution on how that -- but you  
12 probably want to respond, I think you should maybe  
13 want to respond.

14                   MR. BORCHARDT: Just to supplement what  
15 Dr. Travers said specific to NRR, I wanted to clarify  
16 that the Future Licensing Organization that's being  
17 permanently established now, is a project management  
18 organization. The vast majority of resources within  
19 NRR that will be dedicated -- or allocated, I should  
20 say -- to future reactor licensing activities will be  
21 matrixed to the technical staff within NRR.

22                   So, should a new application not come in,  
23 those resources could be utilized for core work, and  
24 so it's only the project management function that's  
25 specific to future reactors.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. THADANI: Commissioner, first of all,  
2 indeed, the September paper is -- I hope, would  
3 provide additional information in this area, but I do  
4 want to note that the idea behind pre-application  
5 reviews is to try and get sufficient understanding of  
6 the technology and to lay out what needs to be done,  
7 what information needs to be collected, and we would  
8 have clearly a much better idea of cost and so on, I  
9 think, at that point.

10 Now, in terms of -- there are some  
11 additional benefits. Some of the technology issues in  
12 new designs would likely be applied in existing  
13 designs, particularly areas such as highly advanced  
14 digital technology control room designs and so on.  
15 So, it seems to me we would have to also bring that in  
16 as a measure for prioritizing where we ought to  
17 continue to work and perhaps where we ought to back  
18 off, those will be factors that we will build in in a  
19 planning consideration.

20 COMMISSIONER DICUS: Okay. On the  
21 critical skills needs for both NRR and Research, you  
22 mentioned what some of yours are. Have either one of  
23 you, or are you at the point where you can, given the  
24 fact we may not know for sure what walks in the door,  
25 prioritize what the most important skills are?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BORCHARDT: I don't think we can, at  
2 this point, give you a firm list.

3 DR. THADANI: For us, for new  
4 technologies, we're going to have to pay extra  
5 attention -- Tom touched on graphite issues, gas,  
6 general gas technology issues -- but I want to  
7 emphasize in particular the high temperature material  
8 issues. I think those are -- I believe those are  
9 going to be very challenging issues for us.

10 And the other area where we are going to  
11 be paying more is going to be in the area of chemistry  
12 issues, which I think we are going to have to better  
13 understand as well.

14 COMMISSIONER DICUS: Okay. Thank you, Mr.  
15 Chairman.

16 CHAIRMAN MESERVE: Commissioner  
17 McGaffigan.

18 COMMISSIONER MCGAFFIGAN: To follow up on  
19 a couple of questions that the Chairman asked, I'm  
20 recalling a hearing that he testified at where Senator  
21 Bingaman asked him a question about the amount of time  
22 it would take us to deal with an application. And the  
23 Chairman, I think very correctly, distinguished  
24 between an existing certified design at an existing  
25 site compared to a new technology. But I'm just going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to test you guys.

2 If we were to get an Early Site Permit in  
3 three months, what would you recommend to us be the  
4 amount of time to be allocated for you to complete the  
5 process, the staff process -- not the hearing process  
6 that might be associated with it, but the staff  
7 process -- what would be a reasonable period of time  
8 if it's an existing site?

9 DR. TRAVERS: I was just going to ask you  
10 that question.

11 COMMISSIONER MCGAFFIGAN: Okay.

12 MR. BORCHARDT: I think our very rough  
13 estimations are two to three years for an Early Site  
14 Permit. Given an existing site, it's clearly closer  
15 to two than three.

16 COMMISSIONER MCGAFFIGAN: Why that long?  
17 What sort of issues might arise that didn't arise  
18 during the siting of the reactors that are already  
19 existent at that site?

20 MR. BORCHARDT: I don't know that there  
21 would be new reactors -- I mean, new issues. I think  
22 it's the passage of time, you know, issues of just how  
23 the environment may have changed in the vicinity of  
24 that plant since the original licensing activity.

25 COMMISSIONER MCGAFFIGAN: Environmental

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issues that would have to be considered in an --  
2 there's an Environmental Impact Statement that goes  
3 with an Early Site Permit?

4 MR. BORCHARDT: Right.

5 DR. TRAVERS: And since NEPA is an  
6 disclosure rule under law --

7 COMMISSIONER MCGAFFIGAN: Right. Okay.  
8 So, basically this is driven -- your two to three year  
9 guesstimate is driven by the NEPA process, that it  
10 would take you a while to scope and do an EIS, a draft  
11 EIS, hold public meetings, deal with the comments to  
12 a final EIS, it's more driven by the EIS process than  
13 by -- is there a safety evaluation in a case of an  
14 Early Site Permit?

15 DR. THADANI: There are some safety issues  
16 that you have to consider and, again, they relate --  
17 for example, seismic considerations. You have to  
18 build in whatever you have learned over the  
19 intervening years, and does that have any significance  
20 or not. So, you have to consider those facts.

21 MR. GIITTER: Back in '91, the staff -- at  
22 that time, DOE was proposing the staff look at what it  
23 would take to review a green site, and the staff  
24 developed a task force. In SECY 91-41, it outlines  
25 the steps that would be followed --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 COMMISSIONER MCGAFFIGAN: This is for a  
2 green site.

3 MR. GIITTER: For a green site, but we  
4 actually looked at a couple of different cases. One  
5 was a green site, and one was a site that had already  
6 been reviewed, you know, by the staff for a  
7 construction permit, and although the numbers may have  
8 changed since then, the process that the staff would  
9 have to go through in conducting an Early Site Permit  
10 is laid out in that SECY.

11 COMMISSIONER MCGAFFIGAN: And what were  
12 the numbers just for disclosure, because I haven't  
13 read the '91 SECY, to be honest with you.

14 MR. GIITTER: For the maximum -- I believe  
15 it was 16 FTE total -- here we go -- for the green  
16 site, 24 FTE for the green site and I believe 16 for  
17 the site that had already been reviewed by the staff.

18 COMMISSIONER MCGAFFIGAN: But how much  
19 time was it going to take?

20 MR. GIITTER: In the timeline we have in  
21 here -- and, again, there may have been some things  
22 that have changed since -- you know, in the last ten  
23 years, but we looked at two years from the date of  
24 submittal of the Early Site Permit application to the  
25 actual issuance of the Early Site Permit.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 COMMISSIONER MCGAFFIGAN: For either case,  
2 or for the existing case?

3 MR. GIITTER: I need to go back and look.  
4 I believe that was for the existing case.

5 COMMISSIONER MCGAFFIGAN: Okay. Let me  
6 just ask the next question. This is interesting. If  
7 I come into you with an existing site, but I do -- I'm  
8 taking Mr. Burns' counsel earlier to Commissioner  
9 Merrifield into account -- I apply for the -- I come  
10 in with an application without an Early Site Permit,  
11 but with a certified design, how long is that going to  
12 take me -- because I'm now going to combine -- I mean,  
13 as I understand Mr. Burns, now part of my application  
14 is essentially all the material that would have been  
15 in the Early Site Permit, so I don't have the benefit  
16 of this two-year process that would have certified the  
17 site, but I'm anxious to get going and so I want --  
18 I'll tell you what the third question is going to be,  
19 the third question is, if I have an Early Site Permit  
20 and a design cert, how long is it going to take me?  
21 I can then do arithmetic here.

22 DR. BARRETT: I can give you the  
23 arithmetic, but the question of whether these things  
24 can go on concurrently is a question for OGC. But our  
25 estimate is that if you have a design certification

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and an Early Site Permit, what you're basically doing  
2 is a review of the qualification of the licensee and  
3 the compatibility between the design certification and  
4 the site, and the estimates that we've made is that  
5 that would take about a year.

6 COMMISSIONER MCGAFFIGAN: That would take  
7 a year. Okay. So now we're down to the middle on  
8 that I asked. If I come in and I don't have the Early  
9 Site Permit -- it's two years plus one year, it's  
10 three years through that process --

11 DR. BARRETT: If you can do them  
12 concurrently. It would be driven by the limiting  
13 case, which would be the two years for the Early Site  
14 limit.

15 COMMISSIONER MCGAFFIGAN: But if I come in  
16 without the Early Site Permit, how long will that  
17 take? I have a certified design, one of the three  
18 certified designs, but I don't have an Early Site  
19 Permit because obviously nobody has one, but it's an  
20 existing site.

21 DR. BARRETT: If you can do the Early Site  
22 Permit and the combined operating license reviews  
23 concurrently and efficiently, then it would be limited  
24 by the amount of time needed to do the Early Site  
25 Permit, which would be the two years.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   COMMISSIONER McGAFFIGAN: So that would --  
2                   if the reason we're doing it concurrently is only  
3                   because we're having to consider both within the same  
4                   context, it isn't -- you're saying you're driven --  
5                   the siting issues drive the process, if you have a  
6                   certified design, is what I interpret your answer to  
7                   say. I guess Mr. Burns may want to say something.

8                   MR. BURNS: I think your hypothetical,  
9                   one, it said in terms of the review times -- I'll  
10                  speak as a lawyer -- I'm not going to go there. We're  
11                  accused of that all the time on both -- let me  
12                  suggest, in this scenario, the scenario you posit,  
13                  that it seems to me what -- and the staff may be able  
14                  to say review time for this, if you reference  
15                  certified design, other than the fact you've got to  
16                  look at some of the site-specific things -- for  
17                  example, the rule speaks specifically to the service  
18                  water intake and the ultimate heat sink -- and then  
19                  you have to deal with the integration portions of the  
20                  design. Otherwise, your safety review -- you know, in  
21                  theory, the safety review for that design is done,  
22                  okay? So, it seems to me when you're focusing on that  
23                  aspect under this scenario where really the advantage  
24                  you've taken under the Part 52 process, the design  
25                  cert, that's where you conceivably save some time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Now, on the siting one, I think it's kind  
2 of interesting. What your hypothetical was is you  
3 don't have an Early Site Permit, but what you do have  
4 is an existing site.

5                   COMMISSIONER McGAFFIGAN: And a certified  
6 --

7                   MR. BURNS: Well, let's just deal with the  
8 site. What you do -- I think in that circumstance,  
9 although I think what the applicant has to provide you  
10 is the information required for the site. You don't  
11 have to -- you know, you can't ignore the reality that  
12 you have a site there, you had one for which at some  
13 point in time findings have been made by this Agency.  
14 The regulations would require, for example, with  
15 respect to -- let's talk about a site maybe that was,  
16 you know, licensed and had an EIS in the mid-'70s.  
17 That EIS is not -- just because it's old doesn't mean  
18 it's not any good, but it does need under our  
19 regulations to be supplemented or it would have to be  
20 a supplement to the original EIS or a supplemental  
21 EIS, and even CEQ regulations account for that kind of  
22 tiering.

23                   So, you may be looking at updating on the  
24 environmental side that aspect of the review. You're  
25 probably not going to -- my guess would be you're not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to save a lot of time on the environmental  
2 review because you have to go through that process.  
3 But on the other side, the other aspect of the siting  
4 thing, I think the interesting question is, what is  
5 the baseline? And from that baseline, what has  
6 changed? And I think you have to look at what has  
7 changed since, let's say, 1975, and now, and in terms  
8 of the requirement. Recall, we do have, for example  
9 -- without sort of opening this up broader -- we do  
10 have some plants at some site that, for example, with  
11 respect to design basis and a safe shutdown  
12 earthquakes, have different ground motion and  
13 different design earthquakes. It's those type of  
14 things that I think the staff would have to recognize  
15 --

16 COMMISSIONER MCGAFFIGAN: I would defer to  
17 Commissioner Merrifield, with the permission of the  
18 Chairman.

19 COMMISSIONER MERRIFIELD: If I could  
20 interrupt for a second, in its initial complication,  
21 your first example, and that is -- this is probably  
22 more appropriately directed to the licensees -- but  
23 the intention -- with some, the intention to come in  
24 for an Early Site Permit is going to require a  
25 bounding analysis, so it's not focused on one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 certified design, it would be take the three certified  
2 designs we have and using a bounding analysis to allow  
3 any of those three designs to quality under your Early  
4 Site Permit, the follow-up question you might want to  
5 ask is, does that have any impact on that timetable  
6 you pin them down to.

7 COMMISSIONER McGAFFIGAN: This is an  
8 interesting one. What I take from this, if I were  
9 listening in the back and I was actually anxious to  
10 build one of the existing certified designs, is I  
11 would risk one hearing. I wouldn't go for the Early  
12 Site Permit, I would come in for the combined license,  
13 build any permitting issues -- the siting issues will  
14 be treated as part of the combined operating license  
15 application, and then I only face one hearing, right?

16 MR. BURNS: Right. And, again, that's --

17 COMMISSIONER McGAFFIGAN: But is I want to  
18 just bank a site and I don't -- and I'm not going to  
19 actually be building anything until 2010, then I  
20 probably would want to go --

21 MR. BURNS: With the procedural site  
22 permit, bank the site that way.

23 COMMISSIONER McGAFFIGAN: I've used up all  
24 of my time. The second part of the question -- Corbin  
25 McNeill answered for the Chairman how long would it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 take us to do a Pebble Bed, and I think he said --

2 CHAIRMAN MESERVE: Not for me, he said --  
3 he said it for himself.

4 COMMISSIONER MCGAFFIGAN: He said it was  
5 17 months, right? This is Mr. "Six-Month" McNeill  
6 telling us that we can do this in 17 months.

7 CHAIRMAN MESERVE: You wouldn't have  
8 something called "McNeill Years" --

9 (Laughter.)

10 COMMISSIONER MCGAFFIGAN: Well, yeah, if  
11 any of these are like dog years. Is there any  
12 conceivable way that we could possibly, getting a  
13 license application in late 2002 or early 2003 for  
14 combined operating license, for a site that presumably  
15 doesn't have an Early Site Permit because it's less  
16 than two years from now, and presumably doesn't have  
17 a certified design, is there any way on God's green  
18 earth that we could deal with that in anything like 17  
19 months, and the answer is no, so what would be --

20 (Laughter.)

21 MR. BORCHARDT: Thank you for the answer.

22 COMMISSIONER MCGAFFIGAN: What would be a  
23 guesstimate as to how long that that could possibly  
24 take? I mean, you must have these discussions with  
25 these people. I know you had two days of discussions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the last couple days with -- you know, how long will  
2 it take in any sort of realistic scenario?

3 DR. BARRETT: Let me say that that we've  
4 had a lot of discussions about the individual issues  
5 that might drive those schedules, but I don't believe  
6 we've had any discussions where we've actually talked  
7 about the schedules.

8 MR. KING: We haven't committed to any  
9 schedules. We've listened to their proposals. We've  
10 talked about pros and cons of their sequencing the way  
11 they do things, but we've committed to no schedule.

12 DR. TRAVERS: An important consideration  
13 that we've also talked about are some of the policy  
14 issues that we made reference to here. I mean, when  
15 you enter into this realm of talking about the  
16 possibility of, you know, a nonpressure retaining  
17 containment, that's not a position the Commission's  
18 been approving. That's not to say you all wouldn't,  
19 but it's a function --

20 COMMISSIONER MCGAFFIGAN: But the way the  
21 process will work, as I understand it, I doubt we're  
22 going to make that decision by December 2002, and once  
23 they have their license in and once there's a hearing  
24 started -- but we'll make the decisions through an  
25 adjudicatory process, you know, and so you won't have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 any guidance from us other than you'll have to make  
2 your mind up, take a position, the licensee will take  
3 a position, the Board will take a position, we'll  
4 review the Board decision. So, the faster they get it  
5 in, the fewer of these issues are likely to be  
6 resolved -- I'm not sure -- resolving it in a way that  
7 would stand up in a hearing, a lot of these policy  
8 issues would take a finite period of time. If you try  
9 to generically resolve an issue before the hearing  
10 starts, before the license application comes in, that  
11 takes some time.

12 MR. BURNS: Well, it takes some time, but  
13 the Commission has done that over the years, and it's  
14 established -- it's adopted rules, it has gone through  
15 rulemakings while operating license applications have  
16 been under review, and applied the outcome of those  
17 rulemaking proceedings to the review.

18 COMMISSIONER MCGAFFIGAN: So that's a  
19 situation we could find ourselves in if we have early  
20 application, would be the -- would the rulemaking try  
21 to deal generically with what the rules should be for  
22 the reactor, like whether it meets the containment or  
23 not, while simultaneously the staff is reviewing the  
24 application?

25 MR. BURNS: Well, again, I think you've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 got -- design certification is set up as a rulemaking  
2 process, but I think you have -- it depends, again,  
3 how you're proceeding in terms of a rule -- if you're  
4 proceeding in the design certification, that's the  
5 sort of the question Commissioner Merrifield raised,  
6 and I say it's somewhat problematic because what I  
7 think Part 52 asks for in the application for the COL  
8 is the complete design in the COL absent a reference  
9 to a design certification. And where I think it  
10 becomes more difficult -- and, remember, too, because  
11 in a design certification process, you basically have  
12 a broader, a wider potential stakeholder participation  
13 in the design certification than you do in a COL which  
14 is more classically site-specific standing.

15 Remember, too -- Larry's been whispering  
16 to me to tell you, keep reminding you -- two is that  
17 with the design certification when it's referenced in  
18 the COL, you have -- you can't lose sight of the fact  
19 that integration of the design into that specific  
20 site, into the reactor built, has to be accounted for  
21 and is an issue within the context of the COL.

22 COMMISSIONER MCGAFFIGAN: One question --  
23 I'll just finish with that, I've used too much time --  
24 but the -- I was talking to a former Japanese  
25 regulator, and he was asking me the question I said

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'd just ask you, are we at all concerned -- you know,  
2 he's well aware that when we did the existing  
3 generation of reactors, we had, you know, pretty  
4 robust research capability and we really did do  
5 independent safety analyses, independent tests various  
6 places, but mostly in this country. We were not  
7 relying on data from overseas. And he asked whether  
8 we were comfortable with the notion that much of the  
9 data that we will get on the gas reactors, if one is  
10 built in South Africa, will be coming from South  
11 Africa, and how we intend to -- you know, are we going  
12 to have a say in how the tests are designed and are we  
13 going to have an independent ability to review them  
14 and all that. So, have you done any thinking about  
15 how that process will work, which is different from  
16 what we did, you know, 30-40 years ago when we were  
17 dealing with lightwater reactors?

18 DR. TRAVERS: I think we've already relied  
19 on that to an extent in the recently reviewed advance  
20 reactors and certified designs. We departed from that  
21 classical approach that was used early on, in fact, to  
22 rely on data from Japan and other facilities around  
23 the world. So, I think we'd have to look at it in  
24 particular instances, but I think we've already set  
25 the stage for the stability of reliance on sources of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that sort of information from elsewhere.

2 COMMISSIONER MCGAFFIGAN: How do you make  
3 sure it's good?

4 DR. THADANI: Fundamentally, we're not  
5 doing, and we don't expect to do things much  
6 different. Under AP-600, we did have our own tools.  
7 We had cooperative agreement with Japan. Obviously,  
8 for budgetary reasons, we thought it was the most  
9 effective way to go.

10 We had some of our staff spend some time  
11 over there. We were involved from the beginning in  
12 the definition of -- in terms of what the facility  
13 could reasonably do, and specific tests that would  
14 have to be done. We also had a contractor stationed  
15 there for -- I'm trying to remember -- a year or two,  
16 being part of the organization actively engaged.

17 By the way, we did that also at Panda in  
18 Switzerland, for SBRW design work.

19 COMMISSIONER MCGAFFIGAN: I won't extend  
20 the thing. You think there's a protocol whereby you  
21 can do this and do it reliably and get the information  
22 you need, but it involves following these models that  
23 you already have in place, and the short answer --

24 DR. THADANI: That's right.

25 COMMISSIONER MCGAFFIGAN: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           CHAIRMAN MESERVE: I'd like to thank the  
2 staff. We do have a second panel. We've been going  
3 about an hour and a quarter now. Let me suggest we  
4 take a five-minute break before we proceed with the  
5 second panel.

6           (Whereupon, a short recess was taken.)

7           CHAIRMAN MESERVE: We now have our second  
8 panel which consists of Marvin Fertel, who is the  
9 Senior Vice President of the Nuclear Energy Institute;  
10 Jim Muntz, who is the Vice President of the Nuclear  
11 Project for Exelon; Eugene Grecheck, Vice President  
12 for Nuclear Support Services for Dominion Energy; Dr.  
13 Regis Matzie, Senior Vice President for Nuclear  
14 Systems, Westinghouse; John Redding, Manager,  
15 Marketing and Public Affairs for General Electric  
16 Nuclear Energy; William D. Magwood, IV -- I've never  
17 seen the IV -- Director of Nuclear Energy, Science and  
18 Technology, U.S. Department of Energy; and Dr. Edwin  
19 Lyman, Scientific Director for the Nuclear Control  
20 Institute. We very much appreciate your joining us  
21 this afternoon on a subject that is of enormous  
22 importance to the Commission, and we're very pleased  
23 that you're here to share your views with us.

24           Mr. Fertel, would you like to proceed?

25           MR. FERTEL: Thank you, Mr. Chairman. The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 previous panel discussion was so rich, I was tempted  
2 to cede our time and just continue to sit back there  
3 listening.

4 (Laughter.)

5 Let me first concur with Commissioner  
6 Merrifield's statement about the work that was done  
7 over the last decade in both certifying the three  
8 designs and also putting in place Part 52 as a very  
9 good foundation. But I think from the industry  
10 standpoint, too, we're very impressed with the  
11 initiative of both the Commission, and particularly  
12 the staff now, on what they've done literally over the  
13 last six to nine months to get ready for new plant  
14 applications, and I think they are to be commended for  
15 that.

16 I'd offer the observation, listening to  
17 the discussion on the organization, that creating a  
18 Future Licensing Organization I think is a wonderful  
19 step. I think looking at how you achieve the  
20 integration that the Chairman asked for on the  
21 international front just within the Agency here is  
22 something you should look to do. I mean, we work in  
23 matrix organizations ourselves, and they work  
24 sometimes. So, the more you have committed resources  
25 to something, the better the commitment of those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 resources to that something are, and I would just  
2 offer that as an observation.

3 The industry is fully committed to moving  
4 forward to build new plants here in the United States  
5 and, as you know, at our annual meeting two months  
6 ago, we unveiled Vision 2020, which said that we were  
7 looking to add 50,000 megawatts by the year 2020. A  
8 couple of observations on that.

9 Those will be standardized plants. They  
10 also will probably be families of plants, whether they  
11 are gas reactors or they are certified ALWRs. I think  
12 that offers an opportunity for maybe more expeditious  
13 licensing. Certainly, we are looking at it as  
14 offering an opportunity for more expeditious  
15 construction and deployment, and then efficient and  
16 safe operation, and I think that's something to keep  
17 in mind as you go down the road. It won't be  
18 customized 103 different reactors this time.

19 The other thing that I know you were  
20 struggling with at the last meeting -- and, believe  
21 me, we're struggling with on our side -- is all the  
22 uncertainty. What's coming when, and how much? And  
23 I guess my observation on that is it's going to stay  
24 a little bit dynamic for the next couple of years, but  
25 it's not going to stay dynamic for the next ten years.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In the next few years, it's going to  
2 settle down to really understand what we're going  
3 forward with and how fast, and there's some stuff I'll  
4 mention and you're going to hear from my colleagues  
5 some real things that are happening over the next year  
6 or two, but if we are going to build 50,000 megawatts,  
7 or anything near it, it's going to start to happen  
8 within the next three years in some sort of concerted  
9 way where you can see things happening and coming down  
10 the road, and attempt to ramp-up for doing that. So,  
11 I'd say we need to move down the road effectively, but  
12 I think we'll get more clarity within the next couple  
13 years on a whole bunch of these things.

14           I'm not using the slides now, but if he's  
15 up there, if you could go to the third slide.

16           (Slide)

17           I think what this shows is just a  
18 significant -- go to the next one.

19           (Slide)

20           This shows the breadth of activity on the  
21 industry side, as we are looking at all the things  
22 that are happening, and when my colleagues talk, they  
23 are going to talk about specific applications, but  
24 just a few points.

25           Within a year from now, you're going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 see applications coming in for Early Site Permits.  
2 So, a year from now, over that following year, you're  
3 going to see two to three, maybe four, applications  
4 for Early Site Permits coming in. And I think  
5 Commissioner McGaffigan correctly pointed out that one  
6 of the reasons you're doing that is you're banking  
7 sites because you're not sure when you're going to  
8 actually deploy there. If I were sure I was going to  
9 deploy immediately, I might not want to go through two  
10 hearings, but I think right now we're expecting to see  
11 three to four applications starting about a year from  
12 now, over the next year.

13 And on the comment that Bill made about  
14 NRC getting involved nine months to a year ahead of  
15 time, within a month we're going to engage the staff  
16 on guidance for the submittal of an ESP application,  
17 and we would really appreciate the staff's input in  
18 what they think they need early on, and in the  
19 application, so that they can be most prepared to deal  
20 with it.

21 I'd offer the observation that while we  
22 also understand that existing sites are not all cut  
23 from the same cloth, an existing site has an awful lot  
24 of information and you don't necessarily have to look  
25 at an existing site the same way you looked at it when

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you were first licensing a plant there, or if it were  
2 a green field site, and I'm sure that the staff is  
3 going to take that into consideration.

4 I think the other thing I would say on the  
5 stuff that we're looking is that, again, depending  
6 upon how you go down the road, whether it's a gas  
7 reactor or it's an ALWR, within a year to two, you're  
8 going to see COL applications and how quickly they can  
9 be reviewed. I think the staff's answer was a good  
10 one, they are beginning to look at that. I think the  
11 discussion that Commissioner McGaffigan was a good  
12 one. My guess is that it's a year or less, if you've  
13 got a certified site. If you've got a banked site and  
14 a certified design, it's hard to see why it should  
15 take a lot longer even with full public participation  
16 at that point. So, we think that that's really the  
17 way to go.

18 If you'd go to the next slide, please.

19 (Slide)

20 The breadth of things that we're looking  
21 at cover everything from how you look at the economics  
22 of the plant to how you create the business case for  
23 the plants, through the regulatory arena, and  
24 certainly in how we build both public and policymaker  
25 support, and then ultimately to what you talked quite

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a bit about, which is the whole infrastructure  
2 including the capital formation for people. And we're  
3 working with NRC on some of the people issues right  
4 now, and will continue to work across the industry on  
5 that.

6 I think a comment that we at NEI are  
7 making very broadly in both public and policymakers  
8 and Wall Street and other places is that when you look  
9 at the future for nuclear power in our country, you're  
10 not going to build one unit, you're going to build a  
11 lot of units. Our projection of 50,000 new megawatts  
12 was honestly predicated at looking at how do you just  
13 maintain the current portion of our generating  
14 capacity of 30 percent as emission-free. And in order  
15 to maintain just 30 percent of our generation at  
16 emission-free capacity, we found we had to build  
17 50,000 new megawatts, plus upgrades, plus license  
18 renewal, plus some hydro relicensing, in order to stay  
19 there. And that was sort of helping to define a little  
20 bit what we were looking at. Also, it maintained  
21 nuclear in about the 23 to 25 percent range of our  
22 demand portion.

23 So, what we see is this is a real business  
24 and an industry and you're going to move forward  
25 building multiple plants or, in all honesty, you may

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not move forward building very many plants, but  
2 building one is probably not something you're going to  
3 do.

4 So, I think in planning, I'd say, over the  
5 next two or three years, you'll see what the track  
6 looks like, and then you'll be able to plan for  
7 staffing and everything else to deal with it. And the  
8 families of plants will hopefully help in looking at  
9 how you can be more efficient licensing, how we can be  
10 more efficient submitting applications. Go to the  
11 next slide, please.

12 (Slide)

13 One of the things we're facing is the  
14 uncertainty in both demand and economics in dealing  
15 with some of the factors we have. Obviously, there  
16 are some uncertainties related to the regulatory  
17 process. Clearly, Part 52 provides a tremendous  
18 foundation for addressing uncertainties. Certifying  
19 designs, banking sites, clearly provides both  
20 opportunity for public participation at the front end  
21 and greater certainty to the developers of the project  
22 that they will be able to license and operate it when  
23 they build it, and we think that's real good.

24 The comments made by Bill about looking at  
25 financial and other legal issues, he related those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 strictly to Pebble Bed. I'd say that there were  
2 specific Pebble Bed issues or modular reactor issues.  
3 I don't think they're just specific to Pebble Bed,  
4 they are to modular reactors, whether it's the GA  
5 reactor or the Exelon reactor that exists, but I think  
6 that many of the financial and legal issues are  
7 actually applicable to any new plant, any merchant new  
8 plant. So, we see trying to resolve those as soon as  
9 we can, working with the NRC staff -- and, again, I  
10 think that they've been very receptive to input. I  
11 think we'll continue to do that and, at some point,  
12 I'm sure the Commission will have to get involved.  
13 Next slide, please.

14 (Slide)

15 If we look at what are probably examples  
16 of our priorities right now that we would like  
17 attention paid to, they are on this slide. Bill  
18 mentioned that the staff is planning to resolve the  
19 programmatic ITAAC somewhere in the March '02 time  
20 frame. Our encouragement would be that the Federal  
21 Register request for comments -- I think the period  
22 ends in about two or three weeks -- we would suggest  
23 you try to resolve that within 90 days after that. I  
24 think that the arguments on all sides have been well  
25 ventilated. I think they are well articulated, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they exist.

2 Now, if the Federal Register Notice  
3 develops new information which makes it more murky,  
4 then maybe it's going to take longer, but I'm not sure  
5 it needs to take much longer unless there's some  
6 really new stuff developed out of that Notice, and I  
7 would suggest you move down that road as quickly as  
8 you can, since it provides a basis for trying to  
9 really define what's the bottom bullet on that slide,  
10 which is how do you actually implement the ITAAC  
11 process. Obviously, it's a different implementation  
12 scheme if it's got programmatic factors in it versus  
13 if it doesn't, so we think that's important.

14 With regard to the two middle bullets, you  
15 may or may not be aware of this. I know General  
16 Counsel's Office is. We submitted two petitions for  
17 rulemaking which arrived here, I think, this morning,  
18 to address both of those bullets. And our  
19 encouragement there would be to include those  
20 petitions in the September Federal Register Notice on  
21 Part 52, to receive public comment on them, and then  
22 try to move down the road and address them. I think  
23 our petitions are reasonably solid. I'm sure people  
24 will have other comments on them, but I think they  
25 provide a very good basis for moving forward to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 address both the NEPA issues and the Early Site Permit  
2 issues that are listed on those petitions.

3 I think on the cooperation, a few thoughts  
4 on sort of the last slide now.

5 (Slide)

6 Clearly, in a number of fronts over the  
7 last year -- last few years, in all honestly -- the  
8 Commission has exhibited tremendous leadership,  
9 whether it's in implementing the reactor oversight  
10 process or it's implementing the license renewal  
11 process, and I think that's been done with much a  
12 greater focus on safety. I don't think it's been done  
13 with any degradation of safety, I think it's enhanced  
14 safety. And I would say the same involvement by the  
15 Commission -- as I said, I was willing to cede my time  
16 because I thought your discussion was so rich with the  
17 staff -- I think the same involvement by the  
18 Commission on new plants would continue to be very  
19 helpful. I think the staff is committed to moving  
20 forward, they are doing a lot of the right stuff, but  
21 it's going to require some policy determinations by  
22 you all, so I would encourage your continued  
23 involvement.

24 I think we are prepared to exercise  
25 whatever process the staff and you all think is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 appropriate for all stakeholders for interactions. We  
2 are obviously doing a lot of things right now and will  
3 continue to put those into the process, whether it's  
4 petitions for rulemaking, guidance for our  
5 applications, or communications among our industry  
6 sources.

7 It may turn out that we need to follow a  
8 process that was similar to license renewal, where you  
9 formed a panel of senior folks that interacted pretty  
10 regularly with the industry. That may be something to  
11 consider as we go down the road. Or it may be that we  
12 need to go down a process that's similar to what we  
13 did on the reactor oversight process where we had  
14 pretty regular meetings to discuss things and try to  
15 resolve issues in an open forum. And I reserve  
16 judgment on what the right path is, but just say that  
17 we ought to keep our minds open and exercise those  
18 earlier rather than later because I believe that some  
19 of the determination on what the industry does in  
20 moving forward on buying new plants and doing things  
21 will be significantly influenced by the certainty in  
22 the regulatory process. The sooner we all figure out  
23 what the issues are and resolve them, the sooner we'll  
24 be able to feed back to you what your workload looks  
25 like and what our plans are. So, I think that there's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a mutual benefit of us working as closely as we can  
2 together there, and from an NEI standpoint I fully  
3 commit to that.

4 I understand your need for priorities, and  
5 I think that during the questoinings, if you have  
6 questions on priorities and we can help answer those,  
7 we will. If we can't, it means we honestly don't know  
8 the answer right now, but we'll try to work with you  
9 to help establish priorities so you can allocate  
10 resources appropriately.

11 With that, I thank you for your attention.

12 CHAIRMAN MESERVE: Thank you. Mr. Muntz.

13 MR. MUNTZ: I'd like to thank the  
14 Commission for this opportunity to present our views  
15 today. As you've obviously heard, Exelon is  
16 considering the PBMR. First slide, please.

17 (Slide)

18 We are -- this is a high temperature gas  
19 modular design, nominally 110 megawatts electric, we  
20 think, based on proven technology. We are a minority  
21 investor in PBMR PTY, which is a venture of Eskom. As  
22 we examine our core competencies, we don't find being  
23 a reactor vendor one of them, however, we don't mind  
24 investing in a successful venture. We do find nuclear  
25 operations and wholesale power trading to be among our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 core competencies, and that is our real interest in  
2 this venture. The other investors include  
3 BNFL/Westinghouse, Eskom, the State Utility in South  
4 Africa, roughly the size of TVA, and the Investment  
5 Development Corporation of South Africa, a government-  
6 sponsored entity charged with creating infrastructure  
7 and jobs in South Africa.

8 Exelon and the other investors expect to  
9 make two decisions in approximately the December time  
10 frame. The first one involves proceeding with a full-  
11 scale demonstration reactor in South Africa. That  
12 decision would kick off a three-year construction  
13 program, followed by a nominally one-year test  
14 program.

15 The other decision involves proceeding  
16 with the U.S. licensing process, specifically the  
17 preparation of an Early Site Permit, and then a  
18 Combined Operating License application, with  
19 anticipated time frames at this time of mid-2002 for  
20 an Early Site Permit, and early 2003 for the Combined  
21 Operating License application.

22 We view the PBMR as merchant nuclear  
23 power. It will not be in a rate base, and it will  
24 operate in a deregulated environment at the wholesale  
25 level. We find the PBMR ideally suited for that due

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to the lower incremental investment, and also the much  
2 faster return with eventually, we believe, an 18-month  
3 construction time per module.

4 We also believe the ability to size a site  
5 to the market that you're participating in, and then  
6 expand it when the market expands is also attractive.  
7 Next slide, please.

8 (Slide)

9 Since we've engaged the letter in January  
10 to the NRC, we've seen some identification of some  
11 solid points of contact, some dedicated points of  
12 contact in the NRC. We've seen project managers  
13 assigned in Research and NRR. We've seen evidence of  
14 support from the Material Section and also OGC on  
15 specific issues. We've seen the FLO created,  
16 obviously, and staffed, we believe, very  
17 appropriately.

18 We've seen funding obtained from the DOE.  
19 We've also had very rich dialogues about funding going  
20 forward and how much things will cost. This is  
21 important not only to us, but for us to take back and  
22 inform the other investors as to how much it might  
23 cost to license this technology in the U.S.

24 We've established monthly meetings for  
25 some key legal and economic and technical issues.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We've had four of those over the last two days in this  
2 room. Our process now is evolved to where we'll  
3 introduce two or three topics each month and we'll  
4 follow up on any questions and issues that linger from  
5 the previous introductions.

6 To summarize, to date the response of the  
7 staff has been appropriate and adequate. In our view,  
8 they appear to be positioned to proceed on the  
9 schedule that we have discussed with them. We have the  
10 concern about the specific technological expertise not  
11 only on the staff, but on our part as an  
12 owner/operator of this technology. Next slide,  
13 please.

14 (Slide)

15 In the pre-application period which we  
16 believe has been mutually beneficial, if we stand  
17 back, we see one recurring issue that usually  
18 manifests itself as the NRC desiring more and final  
19 information before any comment or opinion can be  
20 offered and, as Exelon PBMR desiring to hear what the  
21 requirement will be based on the PowerPoint slides  
22 that we've presented to the NRC. Obviously, in our  
23 view, neither of those approaches will be acceptable.  
24 This is not meant as a criticism of the process and,  
25 in fact, as an observation. We believe we have learned

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to maximize the value of this interaction and it's  
2 evident from the quality of the dialogue that's taking  
3 place in these interactions, they have been steadily  
4 improving.

5 The Pebble Bed we believe will be licensed  
6 on the current set of regulations. The staff  
7 recommendations and Commission policies are expected  
8 to form the basis for licensing the PBMR. We are not  
9 engaging in rulemaking for two reasons. One, we  
10 believe the time frames associated with that would  
11 take this out of being a commercially viable venture,  
12 and we also believe it is unnecessary.

13 We do expect some exemptions, but as our  
14 initial review of this would indicate, we think there  
15 would be a normal amount analogous to the last plants  
16 that were licensed in the U.S. Next slide, please.

17 (Slide)

18 Two of the most important issues both in  
19 the pre-application space and, obviously, once we  
20 submit application, are going to be certainty and  
21 timeliness. We are starting with some of the big  
22 deal-breakers, things that we need to have an  
23 understanding of how they will impact the cost of this  
24 technology. They are listed there. We've talked  
25 about them. I believe you are familiar with those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issues. We've gotten some feedback already from the  
2 staff on those.

3 We are also -- and I'll call those the  
4 legal/economic issues. We are also attempting to work  
5 from the bottom up and get into some of the more  
6 technical issues. We are just starting to introduce  
7 those into the pre-application discussions. Our view  
8 is it's never going to be easier to change a design  
9 than it is now. We want to make sure the design is  
10 licensable when it eventually gets there.

11 Our expectations at the end of pre-  
12 application space, as we've defined it, is nominally  
13 September '02. We'd like to have the Commission  
14 position issues on policy issues known, and we'd like  
15 to have the Commission process established to support  
16 our application, and by that we mean how will the  
17 Commission stay engaged on an application such as  
18 this? How will we move forward when we get stuck?  
19 Our confidence that this process can be established  
20 and understood is very high. Based on our experience  
21 at Exelon, with life extension and license transfers.

22 Now, if we submit a COL, it's going to be  
23 because we believe there's a reasonable chance of  
24 successful licensing in a known time frame that  
25 provided our design meets all the issues and aspects

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and criteria that we have discussed in pre-  
2 application's phase and the requirements for what is  
3 sufficient don't change much, that we would believe  
4 that we'd have a reasonable chance of success. We do  
5 not expect to have 100 percent on those discussions or  
6 on those results, and we know there are going to be  
7 changes as we go once we submit an application, but we  
8 want to get a reasonable understanding of what the  
9 process will look like. Last slide.

10 (Slide)

11 Just a word on schedule. For our combined  
12 operating license which, again, we intend to submit in  
13 early 2003, we are going to need to believe in the  
14 technology, we are going to need to believe in the  
15 safety of the technology, and we are going to need to  
16 believe in the commercial viability of the technology,  
17 before we submit a license. We are not there on any  
18 of those at this point, and we're going to certainly  
19 need to get there before December, before we decide to  
20 invest anymore money in this.

21 All the partners in this venture believe  
22 that the expediency is to find out what the issues are  
23 as early as possible, both from a licensing and from  
24 a technology point of view. If the answer is going to  
25 be it's not licensable or that it's not going to work

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because of certain key components such as our turbine  
2 generator, we want to get to that answer and  
3 understand that as soon as possible so that we can  
4 look elsewhere for our sources of generation.

5 Now, I also would want to mention that  
6 Exelon has to balance the risks of building here in  
7 the U.S. shortly after the South African prototype,  
8 i.e., being the first customer, and the risks of  
9 building more than one unit here, which certainly this  
10 is about building a lot of units, we need to balance  
11 the risk of that with the benefits to the venture that  
12 you get from economies of scale from a large early  
13 order, whether that's Exelon or others around the  
14 world. And that's another risk that factors into our  
15 consideration of schedule. That's the end of my  
16 presentation.

17 CHAIRMAN MESERVE: Thank you. Mr.  
18 Grecheck?

19 MR. GRECHECK: Good afternoon. Thanks for  
20 the opportunity to come here today and discuss with  
21 you both the activities that Dominion is undertaking  
22 at the present time to evaluate future options to  
23 provide energy for our customers, and also some of the  
24 issues that we are looking at in the regulatory scheme  
25 as we evaluate whether nuclear, indeed, is a viable

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 option among that collection. First slide.

2 (Slide)

3 On June 1st, we did formally kick off an  
4 ESP project within the company. There is a project  
5 organization in place. That organization really as  
6 two major goals at the present time. One is to  
7 validate the Part 52 licensing process and, in  
8 particular, the ESP process which, of course, is  
9 untested and hasn't been demonstrated before and,  
10 second, and concurrently, to evaluate available  
11 reactor technologies that are out there in the  
12 marketplace. So, not only are we looking at sites,  
13 but we are engaged in discussions with all of the  
14 various technology vendors, looking for what those  
15 options might be.

16 I think it's important to note that this  
17 is not a commitment by the company to order a new  
18 nuclear unit, or even proceed with an application  
19 because, at the present time, we are simply evaluating  
20 whether the process makes sense for us, but there is  
21 ongoing effort to actually do that evaluation.

22 We are also looking at other siting  
23 possibilities. On the next slide, I'll talk about what  
24 we are currently looking at, but it is important that  
25 there are many, many flexible options still available

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and, as Mr. Fertel said before, as time goes on, we'll  
2 have more certainty. As more certainty develops on  
3 both sides, we'll be able to solve some of those  
4 problems. We understand that your concern is what  
5 resources to assign. Our concern is that as things  
6 are uncertain, that uncertainty develops risk factors  
7 which at the present time are too great to proceed  
8 forward with any kind of definitive announcement.  
9 Next slide.

10 (Slide)

11 Now, the approach that we're currently  
12 using is, first, the feasibility study. Today, what  
13 we are doing is evaluating our two existing sites at  
14 Surry and North Anna in Virginia. Both of those sites  
15 currently have two operating units on them. Back in  
16 the 1970s, they had construction permits at each of  
17 those sites for additional two units, so they were all  
18 licensed for four units per site. What that means is  
19 that both of these sites have been evaluated from a  
20 site perspective two times. We are now, of course,  
21 looking at it a third time.

22 Now, once we make that decision, which we  
23 would expect to make by the end of this year -- the  
24 next bullet there -- the management decision is do we  
25 go forward with an ESP application. What would that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be predicated on? Well, one, of course, is the site  
2 suitability. Second would be our continuing analysis  
3 of what the marketplace is doing in terms of energy  
4 requirements, what we believe costs and schedules look  
5 like. And, finally, the cost of doing the ESP  
6 application itself, if that is an investment that the  
7 company wants to make at that point. So, currently we  
8 believe that we will make that decision in December or  
9 January.

10 Let's assume for the moment that we do  
11 make the decision to proceed. We're estimating  
12 currently that it will take about 12 to 14 months to  
13 prepare that application, which would mean that we  
14 would be in a position to be making an application to  
15 the Commission in the first quarter of 2003. Now,  
16 that schedule is pictorially represented on the next  
17 slide.

18 (Slide)

19 You can see that up at the top we're  
20 currently in the six-month feasibility study. We have  
21 a decision right at the end of the year, 14 months for  
22 the application submittal in March of 2003. The next  
23 bar on there is we're showing 18 months for NRC  
24 review. Now, there was some discussion with the  
25 previous panel as to what that time would look like.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Let me tell you where that 18 months came from.

2 We looked at the process and we said given  
3 the questions that need to be asked, what the legal  
4 requirements are, we believe it can be done in 18  
5 months, but I would say that that 18 months is really  
6 an outer bound. As I pointed out before, both of  
7 these sites that are on our candidates list have been  
8 looked at extensively before. There are operating  
9 reactors on them. We do not believe that there have  
10 been substantial changes in the environmental or  
11 demographic conditions around those sites that would  
12 make extensive reanalyses required.

13 So, therefore, the challenge really is how  
14 do we use all of that information that is already on  
15 the docket in previous proceedings to expedite the  
16 process, and we are certainly looking forward to  
17 working with the staff to try to do that. So, using  
18 that 18 months as an outer bound, that would show that  
19 by the end of 2004 we should have an approved site in  
20 place. Now, if you go to the next slide -- and this  
21 gets to some of Commissioner Merrifield's questions  
22 before.

23 (Slide)

24 As we know, Part 52, as it was written,  
25 envisioned a very specific sequence for all of this to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 happen, that the vendors would be busy certifying  
2 designs, various applicants would be looking for  
3 sites, getting those sites approved, and then with  
4 both of those on the shelf, an applicant will then  
5 pick up a bank site and a certified design, come into  
6 the Commission and ask for a combined operating  
7 license. That's a very neat and logical process, but  
8 part of the problem that we see right now is that the  
9 marketplace is changing rapidly. Even the schedule  
10 changes that you've seen just happening over the last  
11 several weeks are all a reflection of the fact that  
12 there is very little certainty as we look forward over  
13 the next year, two years, five years, ten years, and  
14 some of the built-in time frames that go into that in  
15 some cases may preclude consideration of nuclear as a  
16 viable option, if you have to build in procedural or  
17 process-driven delays into the overall application  
18 sequence.

19           So, it is possible that an applicant could  
20 have an ESP application proceeding, and make a  
21 decision during that time that a particular technology  
22 is now the technology of choice, and come in ready to  
23 make a COL application. Now, it might be a COL  
24 application with an existing certified design, or it  
25 might be an application with a design that is perhaps

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the process of getting a design certification.

2 I think it's important for all of us that  
3 that we figure out exactly how all that would work.  
4 What does the process look like? How can we make  
5 these processes proceed without built-in delays as we  
6 would wait for some other process to finish or to come  
7 to fruition.

8 In addition, we did make a comment in a  
9 letter that we sent to the Commission I believe in  
10 January, that we do need, I think, to study formally  
11 what are the procedural issues that would be involved  
12 in looking at an ESP for a previously licensed site.  
13 I think we need to come to some understanding about  
14 what those issues are, what are the deltas, where do  
15 we look for those differences, and how do we expedite  
16 that process.

17 So, again, thanks for the opportunity, and  
18 we're looking forward to working with you.

19 CHAIRMAN MESERVE: Dr. Matzie.

20 DR. MATZIE: Thank you very much,  
21 Commissioners, for the opportunity to speak to you  
22 today. My name is Regis Matzie, and I'm responsible  
23 for Westinghouse's new plants. That includes those  
24 under construction in Asia, as well as those under  
25 design in licensing. Slide 2.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Slide)

2 I would like to speak briefly to the  
3 subjects on this slide, with the principal emphasis on  
4 AP-1000. Next slide.

5 (Slide)

6 You are already familiar with the  
7 Westinghouse System 80+ and the AP-600 designs which  
8 have been successfully through the Part 52 design  
9 certification process. Because of the dramatic  
10 changes in the electrical supply market that have  
11 occurred since these plants were designed and  
12 certified, Westinghouse has increased the power level  
13 of the AP-600 design to over 1,000 megawatts electric,  
14 to allow it to compete with other energy sources in a  
15 deregulated electricity market.

16 Westinghouse has applied for a pre-design  
17 certification review for this incremental modification  
18 of the AP-600 design that we now call AP-1000. If  
19 that pre-certification review is satisfactory, we plan  
20 to apply for a formal design certification early in  
21 the next calendar year. Next slide.

22 (Slide)

23 The power increase for AP-1000 was  
24 accomplished by making the minimal changes in selected  
25 components that are needed to achieve the power

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 upgrade. We have retained the overall footprint, the  
2 overall nuclear island layout in the vast majority of  
3 the design detail of AP-600 in this approach. Our  
4 strategy was to minimize changes to the design that is  
5 already certified in order to make the review for AP-  
6 1000 certification as efficient as possible. We  
7 believe that upwards of 80 percent of the existing  
8 design certification, as listed in the AP-600 design  
9 control document, can be used directly with no more  
10 changes than simply changing the name. The other  
11 approximately 20 percent obviously changes with the  
12 power level and the safety analysis transience, et  
13 cetera.

14           The scope of the pre-certification review  
15 is basically to address three key areas. The first,  
16 are the AP-600 test programs that were used in the  
17 certification of that design applicable to AP-1000?  
18 Second, are the safety analysis codes used to certify  
19 AP-600 applicable to AP-1000? And, thirdly, as the  
20 other two certified designs used, can we also use  
21 design acceptance criteria in some areas where, for  
22 AP-600, we actually provided the full design detail?

23           We believe that the targets on this slide  
24 relative to schedule and cost of review are achievable  
25 if the NRC and Westinghouse apply the efficiencies

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that are available to us to incrementally convert the  
2 AP-600 certified design to an AP-1000 certified  
3 design. Next slide.

4 (Slide)

5 At the risk of getting into another  
6 energetic discussion on schedules as we had in the  
7 previous panel, I'd like to provide this slide as  
8 motivation for our schedule for the certification of  
9 AP-1000. Basically, we would like to be ready with a  
10 certified design around the end of the calendar year  
11 2004 so that it could be coupled with an Early Site  
12 Permit and go through a rapid COL process with  
13 possible first deployment of the design sometime in  
14 the year 2005 or very shortly thereafter. Next slide.

15 (Slide)

16 We believe that we have reached basic  
17 agreement on the path to complete the pre-application  
18 review of AP-1000 with the staff. This slide lists the  
19 four major submittals that Westinghouse has provided  
20 as part of the pre-certification review, and on which  
21 we have held meetings with the NRC staff, and these  
22 are the reports that address the key issues that I had  
23 mentioned earlier.

24 Over 40 RAIs have already been received  
25 thus far. Some have already been responded to and we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are continuing to have dialogue even today with the  
2 staff and discussions on the responses to close the  
3 remaining RAIs. Next slide.

4 (Slide)

5 I'd like to turn now briefly to another  
6 design, IRIS, which was mentioned earlier in the  
7 previous panel. Unlike AP-1000 which started with an  
8 already certified AP-600 design as its design and  
9 licensing basis, IRIS is started with a clean sheet of  
10 paper. The design has both DOE and substantial  
11 international support, and strives to meet the  
12 objectives of Generation IV program, but hopefully in  
13 a nearer time frame.

14 A conceptual design has been completed,  
15 and already introduced to the NRC staff in May and  
16 June. Emphasis thus far has been on technical aspects  
17 in the safety approach. The team has not yet  
18 formulated a licensing plan, but will shortly turn  
19 attention to this detail.

20 The schedule shown here is admittedly  
21 aggressive on this slide, but we are hopeful that it  
22 can be achieved so that the plant will be ready for  
23 deployment early in the next decade. Next slide.

24 (Slide)

25 As you would expect, Westinghouse is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 active in a variety of areas involving future plants,  
2 with NEI, DOE and some of our customers, and these are  
3 shown on this slide. Next slide.

4 (Slide)

5 In summary, there's a lot of excitement in  
6 the industry as the Government, the public, the  
7 electricity industry come to grips with the demand for  
8 electrical energy in a deregulated environment.  
9 Nuclear power currently plays a vital role both in  
10 reliable power and clean energy, and the prospects for  
11 its continuing in this role depend on the industry  
12 providing designs that can safely and economically  
13 compete in a deregulated environment. That, in turn,  
14 places substantial burden on the NRC to be prepared to  
15 review the new designs and obviously the potential new  
16 sites in a cost-effective manner, with qualified staff  
17 and processes that are efficient and timely. Thank  
18 you for your attention.

19 CHAIRMAN MESERVE: Thank you. Mr. Redding.

20 MR. REDDING: Good afternoon, Chairman  
21 Meserve, Commissioners. You'll be happy to know that  
22 GE does not plan to submit a new design for your  
23 review. We like the one that we have.

24 (Laughter.)

25 Imagine, if you will, that you're the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 individual that has to go to your Board of Directors  
2 and say, "Here's the reason why we should build a new  
3 nuclear plant", and the kind of questions you can  
4 expect to get, I think, are, "Well, is this plant  
5 going to generate the revenue that you say it's going  
6 to, is there going to be some technology issues that  
7 we don't know about". They are going to ask, "are the  
8 costs that you've laid out here what you say they are  
9 going to be, or will there be cost overruns, schedule  
10 overruns, so on and so forth". So, in other words,  
11 there's a lot of project risk that you can't  
12 eliminate, but you have to convince your Board of  
13 Directors you can manage before they'll ever give you  
14 the go-ahead to build a new nuclear plant. And, of  
15 course, one of those is in the licensing arena, and  
16 that's the context I think in which we're having this  
17 discussion, not that Part 52 is somehow insufficient  
18 -- and let me tell you, compared to some other  
19 countries where we do business, it is absolutely  
20 terrific -- but, rather, are there some appropriate  
21 steps that can be taken to reduce some of the  
22 uncertainties, just like, you know, you can reduce  
23 some uncertainties in cost and schedule, so that's the  
24 context in which I want to make my remarks.

25 (Slide)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 U.S.-based, U.S. developed technology and  
2 advanced lightwater technology has not gone unused in  
3 all these years, and the first slide shows the first  
4 application, which is the Advanced BWR in operation at  
5 Kashiwazaki, and the NRC had a role to play in this.  
6 If you recall, the NRC and many Japanese regulators  
7 were meeting on a six-month basis while the ABWR was  
8 being reviewed here and the ABWR was being reviewed in  
9 Japan, and that was a good interchange which resulted  
10 in a better plant design in both countries. And as  
11 you can see from this slide, our Japanese customer has  
12 been pretty happy with the plant in terms of safety  
13 and performance. There's about -- I think there's four  
14 that have been approved for more, and many more that  
15 have been planned. Next slide.

16 (Slide)

17 This slide shows that nuclear power can  
18 survive the political process, too. In Taiwan, you  
19 know, we've had our ups and downs. Thankfully, the  
20 project has been restarted -- it was suspended, as you  
21 know, and it's been restarted, and we're finally  
22 delivering equipment again. This plant is more truly  
23 based upon the U.S. certified design. There's been a  
24 few changes on the turbine side, but that's been about  
25 it. So, a lot of credit can be spread around. GE, of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 course, doesn't mind taking a little bit of credit.  
2 The NRC had a role in this, in certifying this design.  
3 DOE was instrumental in supporting it, as was EPRI and  
4 the U.S. utility. So, I think Taiwan, the Lungmen  
5 project when it gets done, we can all take some pride  
6 in that project.

7 (Slide)

8 This is just a reminder, the ABWR is the  
9 product of a lot of our efforts, as I was saying. The  
10 ABWR was certified way back in September of '96. We  
11 thought that day would never come, and now it's five  
12 years ago already -- four years ago.

13 Anyway, the point here is that the ABWR,  
14 we think, is ready for a project right now in the U.S.  
15 All we need is a customer. And I think -- and this is  
16 GE's opinion -- that there is a window of opportunity  
17 -- three or four years in my opinion -- in which the  
18 nuclear industry can prove that it's a player, that it  
19 can contribute to solving the nation's energy shortage  
20 to help rebuild America's electricity infrastructure.  
21 And so I think that demands challenges are all  
22 certified designs into play as soon as possible.

23 And the rest of my comments, I think, echo  
24 those of the previous speakers. I appreciated Marvin  
25 Fertel's remarks which talked about reducing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 uncertainty and risk, and that's really my comments.  
2 I have some specifics there that I don't think I'll go  
3 into because they've been addressed already, but  
4 anything that the Commission can do to reduce the  
5 uncertainty in how we apply ITAACs, how we eventually  
6 structure and go through the COL process in an  
7 appropriate way -- obviously, nobody is asking for  
8 something that is not appropriate or that would short-  
9 change safety in any way -- but if there's anything  
10 that's appropriate that can be done to reduce  
11 uncertainties, that will make the decision to build a  
12 new plant just a little bit easier to make.

13 I remember -- because I've been around  
14 this industry for 25 years -- ten years ago when  
15 Marvin Runyan was the head of TVA, he had this idea he  
16 wanted to build a new nuclear plant. I guess he had  
17 this thing about building big buildings, like the Post  
18 Office. Well, anyway, he met with Jack Welch, the CEO  
19 of General Electric, and they had a conversation, and  
20 Mr. Welch reportedly said, "Okay, here's the deal.  
21 I'll build you an ABWR for cost plus \$1.00". And  
22 Marvin looked at him and said, "What's the catch?" He  
23 said, "Well, you have to take all the risks." And  
24 Marvin said he declined on that offer. One reason was  
25 at that time TVA had an estimate of how long it would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 take to get a COL -- and they went to an outside law  
2 firm, so take it for what it's worth -- but the  
3 estimate that came back was six to twelve years, with  
4 best estimate of eight years, and that really put them  
5 off. I think that's when our discussions went from  
6 being serious to be idle chit-chat.

7 So, anything that can be done to if not  
8 shorten the COL or ESP process but to build  
9 predictability into it, I think that's what we're  
10 looking for. Thank you for your attention, appreciate  
11 this opportunity to talk to you.

12 CHAIRMAN MESERVE: Thank you. Mr.  
13 Magwood.

14 MR. MAGWOOD: Thank you, Mr. Chairman.  
15 It's a pleasure to appear before the Commission today.  
16 I've actually not done this before. I don't it  
17 escaped, but maybe it's because nuclear hasn't really  
18 been a burgeoning issue in the last few years, and  
19 it's a pleasure to be sitting here with this panel  
20 talking about the future of nuclear not as a long-term  
21 theory, but really as almost an near-term certainty.

22 I should point out, however, that you have  
23 reached a threshold point at this point in the panel.  
24 From this point on, no matter what plant gets built,  
25 nobody makes any money.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 I also, Mr. Chairman, need to apologize.  
3 I was unable to get out of my 4:00 o'clock  
4 appointment, so I will need to leave. Fortunately,  
5 Mr. Johnson, Shane Johnson, my Associate Director for  
6 Technology, is here and can answer questions after the  
7 panel is done speaking.

8 I would like to begin by recognizing that  
9 since I've been in Federal service seven years now,  
10 which seems a lot longer than I had in mind, quite  
11 frankly -- some of you probably feel the same way --  
12 I don't think that DOE and NRC have had a closer  
13 relationship. I think it's become a very, very  
14 instructive and important relationship that is  
15 actually becoming more and more important as time goes  
16 on. Dr. Travers and Dr. Thadani have both been  
17 instrumental in making that happen, as have members of  
18 the Commission, and I appreciate that over the last  
19 few years.

20 We are working very hard right now to make  
21 the Commission as busy as we can manage. We are  
22 working with the industry and we are working with the  
23 international community to bring nuclear technologies  
24 to the forefront in the United States, and I think  
25 that some of the discussions you've heard today are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the result of some involvement by DOE. In fact, I  
2 think almost all the discussion you've heard today is  
3 the result of some DOE involvement at one time or  
4 another, except Dominion who almost never asked for  
5 money from us, unlike some of these other folks.

6 We are very interested in seeing new  
7 nuclear power plants deployed in the United States in  
8 this decade, and we tend to think about the future of  
9 nuclear energy divided up between two blocks of time  
10 -- before 2010 and after 2010. Before 2010, we see a  
11 tremendous opportunity, a window of opportunity, as  
12 Mr. Redding pointed out, for advanced lightwater  
13 reactors and possibly some gas-cooled reactors,  
14 hopefully the Pebble Bed in particular, to become --  
15 to serve the energy needs of the United States. And  
16 we are working with both the Commission and the  
17 industry, and also others, to try to encourage that to  
18 happen.

19 We have put together a task force called  
20 the Near-Term Deployment Working Group, which is  
21 working under our Advisory Committee, the Nuclear  
22 Research Advisory Committee, that is making  
23 recommendations and working very closely together to  
24 try to lay out what are the barriers keeping us from  
25 building nuclear plants sooner rather than later, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they have made specific recommendations, and some of  
2 those have already been made public, but we're still  
3 working with them on developing those.

4 One of the things that they have  
5 recommended is that DOE become directly involved in a  
6 cooperative activity to demonstrate the ESP process,  
7 as well as the COL process, and we are interested in  
8 doing that. We are exploring that, and may actually  
9 do that sooner rather than later.

10 There is also some interest in having us  
11 involved in some technical activities. For example, we  
12 are working with Westinghouse and thinking about the  
13 issue of salability between the AP-600 and AP-1000,  
14 and we've been involved in some of those activities,  
15 and I think that's been fruitful.

16 And as Dr. Travers pointed out, we are  
17 also working with the Commission staff directly  
18 supporting the effort to develop a gas reactor  
19 framework which I think is laying the groundwork for  
20 the future, and we've had a lot of discussion today  
21 about both the G-IV reactor and also the Pebble Bed  
22 Reactor, and we're hopeful that we can see our way  
23 through some of the complicated policy issues that Dr.  
24 Travers mentioned, and we think that DOE and NRC can  
25 work together to try to resolve those, so we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looking forward to that.

2 We also look at the world post-2010, and  
3 for that we have developed the Generation IV  
4 initiative that we think will help stimulate both  
5 research and technology an entry of students in the  
6 United States as well as hopefully resulting in some  
7 very practical energy technologies that can be  
8 deployed in the not too distant future.

9 We have -- I don't know that this has been  
10 publicly announced yet, but effective Monday, the  
11 generation for an International Forum, a collective of  
12 countries including the United Sates, France, Japan,  
13 Korea and others, have made that official. The  
14 generation for International Forum now exists. We're  
15 very pleased about that. We believe this will be the  
16 framework through which we'll be able to work closer  
17 with international partners to develop these new  
18 technologies and see them deployed quickly.

19 International cooperation is going to be  
20 the hallmark of a lot of DOE activities, and we  
21 encourage the Commission to work in the same manner  
22 because it's essential that we think of these new  
23 technologies not as U.S. technologies, but as world  
24 technologies, because unless we are able to build  
25 reactors not just for the U.S. market, but for a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 larger international market, we'll never see them be  
2 economically competitive. So, we're very interested  
3 in seeing the AP-1000, the IRIS, the Pebble Bed, and  
4 other technologies be available to the world market  
5 the same way the ABWR has been available to the world  
6 market.

7 I think I will close pretty much with  
8 that. I will say that we are interested in  
9 maintaining the relationship we've built with NRC. We  
10 expect to continue funding some of the gas reactor  
11 framework work that has been going on this fiscal year  
12 and the next fiscal year, and hopefully we'll be able  
13 to work together in bringing these technologies to  
14 reality, and looking forward to working with you  
15 towards that goal. Thank you.

16 CHAIRMAN MESERVE: Thank you very much.  
17 Dr. Lyman.

18 DR. LYMAN: Thank you. I appreciate the  
19 opportunity to present the views of the Nuclear  
20 Control Institute before the Commission again. Our  
21 organization is focused primarily on nuclear  
22 nonproliferation and nuclear terrorism issues, but as  
23 the only member of the public interest community on  
24 this panel -- and I must say it is very lonely up here  
25 right now -- I feel obligated to bring up some other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issues that are in the general realm of nuclear safety  
2 that other organizations have expressed in the past.  
3 May I have the second slide, please.

4 (Slide)

5 The overarching framework of my concern is  
6 that without public subsidy -- and most of the  
7 activities that Mr. Magwood just described, in my  
8 view, fall into that category notwithstanding -- new  
9 nuclear plants are only going to be built in the  
10 United States if they can meet the desirable economics  
11 of gas turbines, and that includes low capital cost,  
12 short construction time modularity. Next slide,  
13 please.

14 (Slide)

15 And a chief question in my mind is, can  
16 this really be done safely, or are these objectives  
17 fundamentally incompatible with nuclear technology and  
18 maintaining the level of safety that we now enjoy.  
19 NRC policy decisions will play a decisive role in  
20 determining the economic viability of new plants. I  
21 think the public is justifiably concerned that this  
22 puts into -- this challenges the NRC's ability to  
23 remain independent of promotion since the future of  
24 the industry may well depend on some of these  
25 decisions. Next slide, please.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Slide)

2 Some of the regulatory challenges that  
3 have to be faced are that these economic imperatives  
4 do not adversely affect safety, the risk of  
5 radiological sabotage, waste management issues, non-  
6 proliferation, and the ability for full public  
7 participation. Next slide, please.

8 (Slide)

9 Unfortunately, the first new reactor  
10 that's coming down the pike, a lot of the issues that  
11 have been discussed, or the framework that has been  
12 described for this reactor, are not consistent with  
13 maintaining a lot of the objectives in the previous  
14 slide. First of all, the PBMR characteristics that  
15 are fundamental to its economic viability deviate from  
16 traditional defense-in-depth. One is the lack of the  
17 high-pressure containment that's capable of resisting  
18 combustible gas detonations. Another is the  
19 significant reduction in safety-related SSCs and,  
20 finally, a 40-fold EPZ decrease which was proposed.  
21 Next slide, please.

22 (Slide)

23 All of these really depend on a much more  
24 accurate determination of the accident source terms  
25 that can be expected, that simply has not been done

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 yet and may take a lot of time to resolve. First of  
2 all, the Pebble performance is very sensitive to  
3 initial conditions. The robustness of the Pebble Bed  
4 fuel is now being oversold by its promoters, and a  
5 quick review of the existing literature shows fission  
6 product release can occur significantly level well  
7 below the fuel degradation temperature of 2000 degrees  
8 Celsius.

9           On that point, I'd also like to stress the  
10 quality control issue for the fuel, and Exelon itself  
11 has said that quality control is the heart -- or the  
12 fuel is the heart of the safety case for the reactor.  
13 In that case, I think that a programmatic ITAAC in  
14 quality control is really essential for that reactor.

15           Last issue is the safeguards. I just  
16 learned that the safeguards resources associated with  
17 the South Korean Candu monitoring, that it's about  
18 five times, or six times greater safeguards resources  
19 are required for online refueled reactors than for  
20 conventional LWRs in South Korea, and although IA  
21 inspectors don't come into our country unless we ask  
22 them to, it is a demonstration of the relative  
23 vulnerability and proliferation risk associated with  
24 online fueled reactors like the Pebble Bed. Next  
25 slide, please.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Slide)

2 With regard to sabotage, which is an  
3 ongoing concern of our organization, no matter how  
4 inherently safe a reactor design, it cannot be  
5 rendered inherently safe from sabotage with a  
6 sufficiently informed malevolent actor. For instance,  
7 to cause a deliberate graphite fire is a possibility,  
8 even though it may be precluded by design from  
9 accidents. Next slide, please.

10 (Slide)

11 So, in that context, features like the  
12 absence of leak-tight containment and the other issues  
13 I referred to have to be evaluated in the context of  
14 a potential sabotage event as opposed to the risk of  
15 an accident. This raises issues, for instance, the  
16 protective strategy for a site that contains 10  
17 reactor cores for the same energy generation as one  
18 large reactor, that would require a fundamentally  
19 different approach to physical protection of that  
20 site, and I'd like to point out this isn't only a  
21 domestic issue, the NRC really has to be concerned  
22 with the impact of its licensing of this design on  
23 international exports and the potential for export of  
24 these reactors to areas of greater concern both from  
25 a proliferation and sabotage point of view. Next

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 slide, please.

2 (Slide)

3 So, we think that sabotage resistance  
4 really has to be incorporated advanced plant design at  
5 the outset, and the ACRS actually recommended that in  
6 1988. Such an effort has not been done, in my view,  
7 for the Pebble Bed and other designs that have been  
8 proposed and, therefore, target set analysis for new  
9 reactor designs really has to be a high-priority  
10 activity for NRC involving the NRR Reactor Safeguards  
11 people at the outset, and I don't think that's been  
12 done either. Next slide.

13 (Slide)

14 As far as waste disposal goes, the spent  
15 PBMR pebbles cause a considerable waste problem  
16 compared to LWR fuel that produce a volume and weight  
17 of spent fuel which are 10 times greater, leading to  
18 a proportionate increase in storage and transport  
19 needs. And, therefore, I think that Exelon's assertion  
20 that the Waste Confidence Rule applies in a generic  
21 also to Pebble Bed fuel really doesn't have a  
22 technical basis. Next slide.

23 (Slide)

24 Price-Anderson, a contentious issue, but  
25 I think a number of members of the public need to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 convinced that if the new reactor designs are so safe,  
2 why does the industry still need a liability limit.  
3 And Exelon has requested that they get a break in the  
4 Price-Anderson assessment, retroactive assessments,  
5 and I think that more appropriately everyone else's  
6 assessment should be increased by a factor of 10  
7 instead because that would probably bring the total  
8 assessment more in line with the more accurate  
9 estimates of what the total damages to a severe  
10 reactor accident would be. Next slide, please.

11 (Slide)

12 Public confidence, I think, is probably  
13 better enhanced by "gold-plating" reactors rather than  
14 trying to eliminate a whole lot of safety features at  
15 once, which seems to be the direction that Exelon is  
16 going in and, also, as far as public participation, of  
17 course, there's ongoing concern among the public that  
18 the Part 52 proceedings as well as proposed  
19 elimination of formal hearing requirements overall,  
20 reactor licensing is going to really cut short the  
21 ability of the public to raise safety issues that have  
22 not been adequately considered in the licensing  
23 process. Next slide, please.

24 (Slide)

25 So, as far as resource, I think time is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really the most important resource, and that's what  
2 the industry seems to want to cut short the most, and  
3 I think NRC really has to resist the false sense of  
4 urgency for expedited new plant licensing that's being  
5 fostered by a so-called "energy crisis" which is  
6 rapidly evaporating as the price of natural gas  
7 plummets, and also the short attention span of  
8 deregulated utilities, which should not drive the  
9 ability of the NRC to take deliberate time in  
10 resolving safety issues. Next slide, please.

11 (Slide)

12 For instance, the aggressive licensing  
13 schedule for the Pebble Bed which has been remarked  
14 on, the 20-month construction period is really  
15 inappropriate for an immature technology. And to  
16 suggest that certainty in the absence of risk is  
17 required in advance is ridiculous because risk is  
18 going to be a part of innovative technology, and  
19 that's something that a utility should be willing to  
20 accept to put the research and development effort into  
21 resolving all the outstanding safety issues. Next  
22 slide, please.

23 (Slide)

24 For example, for the Pebble Bed, I think  
25 severe accident fuel testing at the maximum burnup

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 should be required. That's something that should be  
2 done domestically, and that's going to take quite a  
3 bit of time and resources.

4 So, in summary, I think NRC really has to  
5 proceed cautiously and ensure full resolution of all  
6 technical concerns before proceeding with advanced  
7 reactor licensing. Thank you.

8 CHAIRMAN MESERVE: I'd like to thank you  
9 all for your presentations. This has been a very  
10 interesting afternoon. Let me just make a comment at  
11 the outset that several of the presentations had  
12 presented, I think, a dilemma that we need to work --  
13 all work together to resolve, and that is that in  
14 order to make decisions, you would like to have some  
15 regulatory certainty with regard to the environment  
16 and exactly how the context in which the regulation  
17 will proceed.

18 On this side of the table, we have a hard  
19 time justifying the allocation of resources until we  
20 have a better sense of what your decisions are going  
21 to be because we need to prepare for the  
22 circumstances, but we don't want to squander resources  
23 if they are needless. We sort of have a chicken-and-  
24 egg problem that is in front of us, and it seems to me  
25 the only way to resolve this is to continue to have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the sort of interaction it's obvious you have had with  
2 the staff so that each is aware of the problems and we  
3 work through the issues, including the issues that Dr.  
4 Lyman has presented, as ones that we confront and deal  
5 with so that we can mutually have a sort of sensible  
6 approach where we don't on either side spend resources  
7 with an expectation of actions by the other that end  
8 up not being possible for one reason or another.

9 Mr. Fertel, I was puzzled by one aspect of  
10 your job in that you had emphasized that the  
11 resolution of the issue of the programmatic ITAAC was  
12 something that was of very high priority and needed to  
13 be resolved quickly. I appreciate the significance of  
14 the issue, but the question I have for you is -- let  
15 me just express my appreciation to Mr. Magwood for  
16 joining with us this afternoon, the members appreciate  
17 it. And I apologize that we've gone a little over in  
18 our time.

19 As to the programmatic ITAAC, I understand  
20 the significance of the issue, but I don't quite  
21 understand its urgency in that this is something that  
22 only would kick in after whereas, in fact, a  
23 construction application filed in the context for  
24 that, and we seem to be some ways away from that.

25 MR. FERTEL: It's a great question, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 let me try and clarify why we think it's high  
2 priority. You started with the dilemma of  
3 uncertainty. Probably the thing that brings  
4 significant certainty or uncertainty to new plant  
5 deployment under Part 52 is how you implement the  
6 entire ITAAC process. So, if you remember the slide I  
7 had where that was the first bullet, the last bullet  
8 was to work carefully and closely with the staff over  
9 the next year or so to come up with the verification  
10 process for the ITAAC implementation.

11 If programmatic ITAACs are in, the  
12 verification process is a very different verification  
13 process, probably a much more complex one,  
14 programmatic ITAACs are not in. So, one thing we're  
15 looking at in order to give confidence to the people  
16 that are looking to deploy plants is that the ITAAC  
17 process has a lot of certainty. I mean, it should  
18 have tremendous rigor, should be done right, but it  
19 should have certainty.

20 So, the sooner we can define with the  
21 staff and get agreement on how that process goes  
22 forward, the greater the certainty in at least one  
23 major aspect of the regulatory process that could be  
24 addressed absent an application at this point, and may  
25 actually stimulate applications down the road, and if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 programmatic ITAACs hang out, it affects our ability  
2 to do that.

3 I think the other thing, Mr. Chairman, is  
4 that we honestly believe that unless something came in  
5 on the record from this Federal Register Notice that  
6 creates a whole new path to go down, the information  
7 exists to resolve it.

8 So, again, looking for action that says  
9 yes, you can deal with policy issues -- whichever way  
10 you want to deal with -- we obviously have a view that  
11 it can be resolved one way versus another. The sooner  
12 you do that and you do it in a concrete way, the more  
13 confidence you give that other policy issues can be  
14 resolved. So, those would be the two reasons, one to  
15 allow us to really deal with this verification process  
16 substantively and, two, to demonstrate that the  
17 process when the information exists can get to a  
18 decision.

19 CHAIRMAN MESERVE: That's helpful. I was  
20 really trying to understand whether the context for  
21 your 90-day recommendation was that there really was  
22 a 90-day deadline or whether this was a Corbin McNeill  
23 deadline.

24 MR. FERTEL: Well, I thought it was  
25 interesting. McNeill Years, I think, are six months,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 so I guess this is half a McNeill Year we're asking  
2 for. And there's nothing magic about 90 days, but  
3 it's better than saying let's start thinking about it  
4 form March of '02.

5 CHAIRMAN MESERVE: I had understood from  
6 some of the materials that had been submitted to us  
7 from the staff in anticipation of this meeting, that  
8 NEI was contemplating the submission of a Petition for  
9 Rulemaking in December of this year, that would sort  
10 of provide the foundation for a suggestion that we  
11 move from a deterministic regulatory system to a more  
12 risk-informed, performance-based approach for future  
13 plants, basically the clean sheet of paper approach.  
14 Is that still your intention, and how important is it?

15 MR. FERTEL: Our intention is by the end  
16 of the year, December of this year, to have gotten  
17 agreement on the industry side on an approach to a new  
18 risk-informed, performance-based licensing framework  
19 for new plants, for new reactors, and whether it will  
20 take at that point the form of a Petition for  
21 Rulemaking or whether we would think at that point we  
22 would submit a white paper and try and enter into a  
23 more substantive dialogue like we did on the reactor  
24 oversight process, I think the jury is still out on  
25 our side as we evolve into -- and we obviously are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to be talking with the staff between now and the  
2 end of the year, too. So, the only thing I would say  
3 is by the end of the year we would plan on giving you,  
4 giving the Commission, something that would define  
5 what we think is a good process for the future,  
6 whether it's a Petition for Rulemaking, I withhold  
7 judgment on that right now because we may want to have  
8 more dialogue before we get to that point.

9 CHAIRMAN MESERVE: That obviously would be  
10 a very major undertaking on both sides. It may be the  
11 right thing to do, I don't want to suggest it isn't,  
12 but if that's something that's really seriously viewed  
13 as important, that's the kind of activity for which  
14 advanced planning in terms of resources is going to be  
15 important.

16 MR. FERTEL: We'll provide you our best  
17 guess as you get into the budget cycle for the next  
18 fiscal year, on what we think might be coming down on  
19 that particular activity. And right now, the way we're  
20 looking at it is obviously we have applicants like  
21 Exelon that's going down the process absent this, so  
22 we're not saying it's essential to have in place for  
23 what's going on for the near-term reactors, but we do  
24 see if we move further down the road, if we get to  
25 Bill Magwood's Generation IV reactors or whatever, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think that having a new part in Title X that actually  
2 defines a risk-informed effective licensing process  
3 for new plants rather than try to apply Part 50 all  
4 the time under the 52 banner, would be a good thing to  
5 do, but we do recognize the impact on resources, so  
6 I'll do what I can to give you enough warning on how  
7 aggressive we think that needs to be.

8 CHAIRMAN MESERVE: Appreciate that.

9 Mr. Muntz, I have a factual question for  
10 you, and I don't want to ask you to answer a question  
11 you can't answer for whatever reason, you had  
12 indicated that you expected a Board decision in  
13 December of 2001 both as to whether you would proceed  
14 in South Africa and as to whether you would proceed in  
15 the United States. Is it possible the Board would  
16 decide not to proceed in South Africa but still to go  
17 forward in the U.S.? Are these linked decisions in  
18 your strategy?

19 MR. MUNTZ: That is not possible now. We  
20 do not have the right to proceed with the technology  
21 absent the South African -- if the South African  
22 project has gone ahead, we cannot proceed here without  
23 proceeding there.

24 CHAIRMAN MESERVE: Mr. Johnson, one of the  
25 things that Mr. Magwood had talked about was the Near-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Term Deployment Group and its activities, and I  
2 recognize perhaps because the group is still working,  
3 you may not be able to answer this question, but I'm  
4 curious to the extent to which they are addressing  
5 issues that bear on regulation issues that are  
6 intended to be input to us as we think through these  
7 processes that we've been discussing today.

8 MR. JOHNSON: Thank you, Mr. Chairman.  
9 The Near-Term Deployment Working Group is looking at  
10 and addressing the institutional regulatory barriers  
11 to the near-term deployment of new nuclear capacity in  
12 the United States. The regulatory aspects that  
13 they've been addressing to date and the  
14 recommendations that they have made in an interim  
15 report to the Department has focused primarily on the  
16 demonstration of the NRC's Early Site Permit process  
17 and the Combined Operating License process. There is  
18 a feeling amongst the industry that given the  
19 uncertainty and the fact that no one has started down  
20 those paths, that they would like to enter into a  
21 cooperative cost-share program with the Department in  
22 a manner not unlike the certification of the ALWR  
23 designs.

24 So, I'm not sure that the product from the  
25 Near-Term Deployment Working Group is going to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 something that really has a tremendous value to the  
2 Commission more so than what it has for both the  
3 industry and the Department.

4 And if I might add, their final report is  
5 due to be completed in September of this year.

6 CHAIRMAN MESERVE: Thank you. Dr. Lyman,  
7 several of your slides dealt with the issue of a  
8 pressure-retaining containment and the fact that the  
9 PBMR was not envisioned to have such a containment.  
10 And this is really a question for my education.

11 If it could be demonstrated that a  
12 nonpressure retaining arrangement is sufficient to  
13 prevent the dispersal of radioactive material in the  
14 event of a severe accident, is there any reason why we  
15 shouldn't find that acceptable?

16 DR. LYMAN: Thanks for the question.  
17 Well, I think the key really is the sabotage issue in  
18 connection with how you define the design basis and  
19 beyond design basis accidents that you regulate for.  
20 There is going to be some mechanism that will provide  
21 for a dispersal of a more severe destruction of the  
22 core than may occur in anything but an incredible  
23 accident. And so if there is a viable path by which  
24 a saboteur could destroy the core, damage the core to  
25 the extent that you would have a greater fission

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 product release than is predicted from the maximum  
2 credible accident, then I would say a containment is  
3 always prudent.

4           There are also other issues -- the design  
5 itself -- the designers have argued that you really  
6 can't have the conventional kind of containment  
7 because that would impeded heat removal in their  
8 design basis depressurization. Therefore, it is  
9 actually inconsistent with having such a containment.  
10 I think if that's the case, then the design itself if  
11 flawed.

12           CHAIRMAN MESERVE: I only know about this  
13 from what I've been reading, and I read the same  
14 things that you do, and I've seen recently that the  
15 claim has been that if it were constructed, it would  
16 be constructed with something I guess they are calling  
17 a "citadel", which would be a heavily reinforced  
18 structure that if it's what I believe, is what I  
19 understand it is from what I've seen in the popular  
20 press, would be something that would be able to deal  
21 with an aircraft collision with the structure, and  
22 presumably to deal with sabotage events, but they  
23 would still not be pressure retaining -- apparently  
24 that's inconsistent with a safety case -- but there  
25 would be filtered capacity to be able to prevent the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 release of radioactive material. And I'm just going  
2 to push you a little bit, why in principle isn't that  
3 an acceptable way to proceed, if it could be  
4 demonstrated. I mean, I recognize it hasn't been  
5 demonstrated yet.

6 DR. LYMAN: Well, if you could demonstrate  
7 that the functions of a conventional lightwater  
8 reactor containment are not required to protect the  
9 public health. I'm just not sure what it would take  
10 to demonstrate that to the degree that you would want.

11 I guess one issue is the accumulation of  
12 carbon monoxide if the graphite does ignite and the  
13 fact that they could explode both causing mechanical  
14 damage to the core and failing this building, unless  
15 it were sufficiently pressure resistant. That's  
16 certainly one mechanism.

17 And I'm also concerned not only simply  
18 with the containment issue, but --

19 CHAIRMAN MESERVE: But wouldn't that be  
20 helped by it not being pressure retaining -- I mean,  
21 that you'd have the capacity to relieve that pressure.

22 DR. LYMAN: Well, that depends, I guess,  
23 on the time, the repetitive ignition -- I'm certainly  
24 not an expert in that -- but I would like to see the  
25 analysis first that would demonstrate that you don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 need what the Commission now believes is required for  
2 the existing generation of plants. I think that's a  
3 determination that will take much more work than has  
4 already been done on this design.

5 CHAIRMAN MESERVE: I don't want to suggest  
6 that we've done that work, prejudged it, I just want  
7 to understand the principles of your position here.

8 DR. LYMAN: And, again, it's not just the  
9 containment, but also do you eliminate the containment  
10 and at the same reduce the emergency planning zone by  
11 a factor of 40 and at the same time reduce the  
12 redundancy in safety? I mean, it just seems they are  
13 really asking for too much at once. It should be more  
14 of an incremental process, and I, as you demonstrate,  
15 as you have more confidence in certain aspects of the  
16 design, then you get relief in additional areas, but  
17 not all in one package.

18 CHAIRMAN MESERVE: Commissioner Dicus.

19 COMMISSIONER DICUS: Thank you. Mr.  
20 Muntz, your December time frame that you've suggested  
21 that you would go to the Board or the Board will make  
22 a decision about the Pebble Bed, how firm is that?  
23 What kind of delays, how is the project in South  
24 Africa that that might --

25 MR. MUNTZ: That is absolutely firm. That

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is Exelon's Board and the other investor Boards will  
2 consider the detailed feasibility report which has  
3 been produced and distributed to the shareholder  
4 companies. There's no reason to delay that at all at  
5 this point.

6 The South African Government will also be  
7 reviewing the detailed feasibility study, and in our  
8 view that is a potential source of delay as the  
9 Government considers do we want to go forward with  
10 this venture, basically.

11 COMMISSIONER DICUS: Okay. I think the  
12 other question that I want to ask will be very brief  
13 here. We've heard what might be some of the barriers  
14 to an application for a new license, a new facility,  
15 whatever it might be. Excluding economics, Yucca  
16 Mountain and other things, I'm interested in whether  
17 or not there are other issues you would like to make  
18 us aware of that are regulatory in nature, that you  
19 have not made us aware of yet?

20 CHAIRMAN MESERVE: Let me intrude for just  
21 a minute. Mr. Redding has indicated that he does have  
22 to depart.

23 MR. REDDING: I'm very sorry.

24 CHAIRMAN MESERVE: We welcome your joining  
25 us here this afternoon.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. REDDING: It's my pleasure, and if  
2 there are any questions for me, I'd be happy to answer  
3 them at another time. My apologies.

4 CHAIRMAN MESERVE: Thank you very much for  
5 joining us.

6 COMMISSIONER McGAFFIGAN: Mr. Redding and  
7 Dr. Magwood made the mistake of actually believing our  
8 schedule here, which we of course never do. Excuse  
9 me.

10 CHAIRMAN MESERVE: Was that --

11 COMMISSIONER DICUS: To anyone here.

12 MR. MUNTZ: I believe from Exelon and  
13 PBMR's point of view, through the interactions that  
14 we've had, we've surfaced the issues that we believe  
15 will be relevant.

16 MR. GRECHECK: I would say that from our  
17 perspective, I think the issues have come up, and I  
18 just want to reiterate again how important an element  
19 of certainty is to the process. The more uncertainty  
20 there is, the less likely it is that decisions could  
21 be made in the near-term when we are faced with having  
22 to make decisions about what kind of generation we  
23 need to build in order to meet the needs, and the  
24 country's energy needs are clear, we know that that  
25 needs to be addressed, but as was said before, when

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you go to the Board and say, "We have a project we  
2 want to do", all those uncertainties mount up and you  
3 have to understand where we are going. So, we are  
4 certainly willing to participate to the maximum extent  
5 that we can to try to resolve all those uncertainties,  
6 that's the major reason we're embarking on this  
7 project now. Even in advance of any recognized need  
8 to build a nuclear station, we still think that it's  
9 necessary to get into this process now and try to work  
10 through the issues and through the procedures that  
11 when it actually becomes necessary, there is some  
12 element of certainty as to what it will take.

13 COMMISSIONER DICUS: Dr. Lyman, our staff  
14 spoke to us earlier this afternoon about stakeholder  
15 interactions. We've heard more about stakeholder  
16 interactions. Do you have any impressions that you  
17 would like to leave with us about stakeholder  
18 interactions?

19 DR. LYMAN: Yes. I think, in general,  
20 over the years there seems to be --

21 COMMISSIONER DICUS: On this issue.

22 DR. LYMAN: On this issue in particular,  
23 I think that the public -- that the staff is making a  
24 very great effort to engage the public and encourage  
25 their participation in meetings and workshops. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think the issue really goes beyond what NRC can do and  
2 has to do with the resources of the public interest  
3 community. You know, we are not well paid, we're  
4 small in number, and it's hard to marshall the  
5 resources to deal with every issue, the whole myriad  
6 of issues that arise in any one area that the NRC  
7 covers. So, I have no complaint with the staff's  
8 attempt to involve the public, but simply the issues  
9 are more institutional in nature.

10 One concern I do have, it may not apply to  
11 this issue because interactions are at a relatively  
12 early stage, but the interaction of NEI with the  
13 Commission in general, NEI does have -- and the  
14 industry do have the resources to sustain a level of  
15 commitment that it's hard for the public to match, and  
16 that's just a reality of the situation, but the NRC  
17 might want to rethink the level of interaction that it  
18 has with NEI and industry people at this point.

19 COMMISSIONER DICUS: Thank you.

20 CHAIRMAN MESERVE: Commissioner  
21 McGaffigan.

22 COMMISSIONER McGAFFIGAN: I can't let that  
23 last go. We have to deal with people who are asking  
24 us for licenses and for certifications, and we have to  
25 do that, and I appreciate that there are about five

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 people in the public interest groups and it's -- I'm  
2 sure it appears unfair combat, but we have to conduct  
3 our business, and we encourage people to be involved,  
4 and we get great benefit out of it at times. I mean,  
5 I think, David, in the revised oversight process, your  
6 involvement in some of the safeguards issues has been  
7 very useful in keeping us on our toes, even if we  
8 don't always agree on everything. So, I appreciate  
9 that.

10 But let me just go back to Mr. Fertel  
11 first. We have a model that worked on license  
12 renewal, but it took a lot of years of preparation to  
13 get to the point where license renewal worked.  
14 Calvert Cliffs did come in, what was it, '98 or '99 --  
15 I guess it was '99 -- with their application -- '98 --  
16 but that had been preceded by -- we had an SRP that  
17 was in some sort of draft. We decided we wouldn't  
18 finalize it but get some experience -- we now have  
19 finalized it in 2001. We had had enormous amounts of  
20 discussion with industry. NEI had been putting  
21 together a template for applications, which you hadn't  
22 gotten consensus on, that we now in 2001 do have  
23 consensus, but all of that work prior to 1998 helped  
24 Duke and Calvert at least get their arms around what  
25 an application should include and how the NRC, at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 least the first order, was going to deal with it.

2           It seems to me in this case we don't have  
3 a lot of that, and one of your suggestions, the ITAAC  
4 one, was one that had a short time, but it sounded  
5 like you were also essentially asking for us to  
6 develop in partnership with you perhaps, as we did in  
7 license renewal, an application format for an Early  
8 Site Permit, and perhaps, on our part, a standard  
9 review plan which we should do ourselves, for  
10 evaluating an Early Site Permit. And in the ideal  
11 world, I suppose we'd have an application template for  
12 a combined operating license which the ITAAC, or an  
13 important part of verification for, and we would have  
14 a standard review plan for how you would deal with the  
15 COL, although that's a little harder because it has  
16 all these trees in it as to whether it's referencing  
17 an Early Site Permit or referencing a certified  
18 design, and presumably must already have some sort of  
19 a process for doing certified design, since we have  
20 done three of them.

21           But should we be putting our emphasis at  
22 this stage, you know, we face the other folks at the  
23 table, who you also represent, but who are saying,  
24 "Focus on me, focus on me", and then we have, you  
25 know, you also saying "Focus on the process", and I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think some of them are saying focus on the process --  
2 Mr. Grecheck is -- and get a process in place with as  
3 much predictability as possible. So, if we look at  
4 the license renewal model, it did take years to get  
5 all those things in place. Is that where our focus  
6 should be, and perhaps trying to shorten those years  
7 or whatever?

8 MR. FERTEL: I think, Commissioner, you  
9 laid out the program, I think, that we're talking  
10 about. We're planning on developing, as I mentioned  
11 already, an Early Site Permit guidance for putting  
12 together an application. The same thing for COL  
13 guidance on our side. And what we'd look to do is  
14 engage with the NRC staff to the maximum degree they  
15 can to make sure their expectations are being met by  
16 the guidance we're developing for the applications.  
17 And I think the experience on license renewal -- and  
18 it was some very bad experience early on, which we  
19 remember with both Northern States and Yankee -- led  
20 us down a path where what we saw were the benefits of  
21 doing things which brought more certainty. And I  
22 think as Gene has said, and John and everybody else,  
23 for at least those who don't right now have an  
24 application, I think Exelon has a specific plan that  
25 they're moving down, and that should continue on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 whatever track they can proceed on and you can respond  
2 to, but I think in parallel with that for  
3 fundamentally the rest of the industry that's looking  
4 at ALWRs or other types of gas reactors, more  
5 certainty to the process adds tremendous value to the  
6 decisionmaking, and I think taking into account  
7 comments like Ed makes, I just have to offer an  
8 observation that from an NEI standpoint, but maybe  
9 more from a personal standpoint, I consider myself a  
10 member of the public, and I basically think I want to  
11 operate reactors as safe as anybody else in this  
12 country, including you and David, and that's why I  
13 listen to you and David a lot.

14 So, I don't think having dialogue with  
15 anybody from NEI or anybody from the industry, in my  
16 mind, undermines the goal of safe operations, it only  
17 enhances it. You may add value to things we haven't  
18 thought about, and that's wonderful, but that doesn't  
19 mean we don't want to operate as safely as possible.  
20 So, I just think that's important.

21 COMMISSIONER McGAFFIGAN: The question,  
22 though -- the applications that you're going to come  
23 up with, the format for applications for an ESP, for  
24 a COL, are you going to submit those as we did in  
25 license renewal to us for us to endorse? Isn't that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what we did --

2 MR. FERTEL: I think that would be the  
3 intent. That would be the intent, is to engage with  
4 the staff, get it to a point where they could endorse  
5 it.

6 COMMISSIONER McGAFFIGAN: Wasn't there a  
7 bit of a -- I mean, you also had the SRP to be  
8 glancing at to say, "Okay, this is what they're going  
9 to judge us against, so this has to be in the  
10 application". Is there an SRP effort underway? I  
11 should have asked the staff for an Early Site Permit  
12 or for a COL, so that you could go out and get  
13 comments on? The answer is no. Okay.

14 It strikes me that that's the way to get  
15 some certainty. I mean, if we don't have a standard  
16 review plan as to how we're going to review an Early  
17 Site Permit application, then that's our bible around  
18 here, as I understand it.

19 MR. FERTEL: In some respects, I'm sure  
20 the staff is looking at readiness. What you do for a  
21 site permit isn't a lot different than what you did to  
22 license a site in the first place.

23 COMMISSIONER McGAFFIGAN: So it could  
24 build off of that.

25 MR. FERTEL: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   COMMISSIONER McGAFFIGAN:     Okay.     Dr.  
2     Lyman, a lot of your comments were about the Pebble  
3     Bed. I guess I'll ask a leading question, knowing the  
4     answer. Does that mean that if one of these folks  
5     wanted to take one of the certified designs at an  
6     existing site, and Advanced Lightwater Reactor, that  
7     would be clean sailing?

8                   DR. LYMAN: Well, my organization does not  
9     have a position on that per se. I haven't looked at  
10    the certified designs in detail, really, to judge  
11    their safety, but the larger issue we see in a  
12    wholesale expansion of nuclear power now has to do  
13    with the nonproliferation issue and whether society is  
14    really ready to support an extension and an expansion  
15    of the technology that does produce weapons using the  
16    material as a byproduct of its operation. So, in that  
17    general sense, I think that issue has to be factored  
18    in more to larger policy decisions that society has to  
19    make about the expansion of nuclear power on a  
20    particular reactor application.

21                   COMMISSIONER McGAFFIGAN: This nation did  
22    produce a fair amount of weapons-grade plutonium, but  
23    I don't think we ever did it in a lightwater reactor,  
24    and it would be a very inefficient way to do it, so I  
25    -- but there's no nonproliferation issue in the United

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 States. If we wanted to produce plutonium, which we  
2 don't, we're trying to get rid of it, we would know  
3 how to do it.

4 DR. LYMAN: Well, there is a longer-term  
5 issue, though, and I don't want to belabor this point,  
6 but the growing stockpile of spent fuel with a  
7 declining radiation barrier will eventually pose a  
8 greater proliferation problem than it does now, and,  
9 again, the rest of the world, the issue is prominent  
10 as well in a re-examination of nuclear power in this  
11 country does have international impacts.

12 COMMISSIONER MCGAFFIGAN: Again, anybody  
13 who is -- I won't get into a debate, I'll pass.

14 CHAIRMAN MESERVE: Commissioner  
15 Merrifield.

16 COMMISSIONER MERRIFIELD: Thank you, Mr.  
17 Chairman. Mr. Fertel, I want to follow up a little  
18 bit on a direction the Chairman started making with  
19 his question. When you were giving your opening  
20 presentation, you used a quote, "NEI and its  
21 membership presumably are fully committed to building  
22 new plants".

23 Well, one of the things that we -- and I  
24 mean the five of us on this side of the table -- are  
25 grappling with right now is our 2003 budget. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there's a lot of different things that the membership  
2 of NEI is talking about in the new plant orders, a lot  
3 of ducks in the air, so to speak.

4 Now, I am a fiscal conservative, and I  
5 intend on imposing the same discipline to my review of  
6 the budget in 2001 as I will this year. But for the  
7 purposes of NEI, there's been a conflict here. In  
8 years past, NEI has been very active in working with  
9 the Commission saying you've got to reduce the fees,  
10 you've got to reduce the amount of money you're  
11 spending on various things and impose fiscal  
12 discipline into all these things that potentially we  
13 may or may not have to grapple with in new plant  
14 orders.

15 And so how -- I only want a more directed  
16 answer from you -- how are we as a Commission, given  
17 the past history of NEI telling us to keep things  
18 down, are going to balance off with all the possible  
19 things that you may want from us with new licensing  
20 issues in terms of trying to determine where we're  
21 going to spend some money in the Fiscal Year 2003  
22 budget?

23 MR. FERTEL: I think we still want you to  
24 balance things off and to be a fiscal conservative and  
25 make sure you expend your resources appropriately.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So, I don't think the fact that we see new things  
2 happening means we want to deter from that approach.

3 COMMISSIONER MERRIFIELD: But is there a  
4 recognition among the membership of NEI that all of  
5 these requests come with a cost, and it's possible  
6 they're borne by NEI, and that we're going to have to  
7 find more money -- and that's not necessarily just  
8 finding it out of our current resources, it means more  
9 than what we have now.

10 MR. FERTEL: There is \$10 million put in,  
11 and we certainly haven't fought the \$10 million being  
12 put in, so that's an indication that we think more  
13 money might be necessary. I think the other thing  
14 that I would say is necessary -- and we have said this  
15 on the record in testimony and letters to the  
16 Commission -- is a harder look at how the money is  
17 being spent today because the vast bulk of it is in a  
18 lump sum, sort of almost overhead account, the way  
19 it's dealt with for license fees, and I think that the  
20 more diligent looking at that, Commissioner, you may  
21 find that there is money. Now, your problem I don't  
22 think is only money, I think it's what Dr. Travers and  
23 others and the Chairman spoke about, which is the  
24 right resources, the right experience to put on the  
25 task that you have. So, I actually think money is only

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 part of the issue, it's the skill and the capability.

2 For your next fiscal year, two  
3 observations I'd make. One is there's some things for  
4 sure that are coming up the next fiscal year that I  
5 think the people at this table have identified that  
6 will happen. There are some things that were  
7 discussed that are iffy, they may or they may not  
8 happen. And I think you could plan for the sure stuff  
9 and you could raise questions on what it would take to  
10 take the next step and ask us maybe by when we could  
11 get you better information on the iffy things.

12 The other thing that I said during my  
13 comments and I think is true, is that a lot of the  
14 uncertainty on our side will clear up over the next  
15 three years, but it will stay uncertain and fuzzy over  
16 the next three years because companies are trying to  
17 make decisions on what they want to do, how they want  
18 to do it. There's a lot going on looking at how you  
19 actually pull together companies that will do things  
20 jointly to move down the road, but that is still  
21 cooking. It is still being put together. People are  
22 thinking about it, you know, what does it mean --  
23 where is the AP-1000 going to be, where is the Pebble  
24 Bed going to be -- a year from now.

25 COMMISSIONER MERRIFIELD: I appreciate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that, and I'll defend the Commission and the staff,  
2 and I think we impose great discipline on how we spend  
3 money around here, and that we challenge our staff,  
4 and they do continue to find ways in which to improve  
5 our resources and our efficiencies to make greater use  
6 of what we have. We can have a whole debate on that  
7 another day, which I think we need not have right now,  
8 but I raise this because there is a double-edged  
9 sword. The more to which we are conservative in the  
10 ways in which we are limiting the amount of money that  
11 we are spending, the more difficult it will be to meet  
12 the kind of deadlines and expectations that are being  
13 raised by the members of NEI. You can't have it both  
14 ways, and I just sort of lay that out.

15 MR. FERTEL: Let me be clear, we don't  
16 want to have it both ways, so you need to tell us what  
17 you think you need, as the Chairman did in his letter  
18 to the Hill, in order to meet the things that we're  
19 asking to be done, and at least let us either tell you  
20 we've decided we don't want you to do that anymore or,  
21 yeah, we fully support you and we'll help you get  
22 those resources. And my comment on efficiency, I  
23 think the staff has been very efficient in a lot of  
24 things. My comment is almost on how you are  
25 accounting for stuff when you look at the license fees

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 charged to licensees and you look at the two bins, one  
2 bin is very specific, but it's a small portion.

3 COMMISSIONER MERRIFIELD: And we can get  
4 into the whole issue --

5 COMMISSIONER McGAFFIGAN: If EPRI were  
6 here, all the exemptions -- you know, the number of  
7 exemption requests we get from folks is quite large,  
8 which pushes everything into the annual fee. The more  
9 exemptions we get, the more --

10 COMMISSIONER MERRIFIELD: This could go on  
11 for a long time. I want to refocus on a bullet you  
12 had on Slide No. 4 and talk about the four focus  
13 areas, one of them being maintaining robust  
14 infrastructure for current and future plants, and one  
15 of the subjects which is hardware.

16 Now, given the fact that we, as a nation,  
17 really don't have the kind of infrastructure that we  
18 had before to manufacture many of the large reactor  
19 components, we don't manufacture any steam generators  
20 in the United States, for example. How is NEI  
21 addressing this matter as it's going forward with a  
22 potential for new plants being ordered, and to what  
23 extent have you thought about the regulatory  
24 implications that might occur from having so many of  
25 the larger components potentially being manufactured

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 internationally?

2 MR. FERTEL: I think going to your comment  
3 on how you set priorities given what we're asking for  
4 there, similarly within our shop and within the  
5 industry, right now the focus on infrastructure is  
6 very heavy on human capital, and there's a lot of  
7 things happening this year trying to figure out what  
8 the human capital needs are over the next decade or  
9 more. On the hardware side, we haven't kicked off any  
10 aggressive effort, but it was going to be focused on  
11 getting the suppliers together and sitting down with  
12 them and the construction folks and figuring out where  
13 right now you actually do get these resources. I  
14 think your comment on the regulatory implications, to  
15 be honest, was one that was not prominent in my mind.  
16 It may have come up certainly once we started the  
17 process and I'll factor it in, but we're probably --  
18 embryonic would be actually further along on the  
19 hardware side right now than giving it credit. We are  
20 moving aggressively on human capital, and then we're  
21 going to kick off something later this year on the  
22 hardware side, and I think I'll factor in your  
23 comments and keep you informed.

24 COMMISSIONER MERRIFIELD: Dr. Lyman, I  
25 want to go to your Slide No. 6. You, in commenting on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Pebble Bed fuel performance, you stated that the  
2 robustness of the fuel is being oversold in that  
3 significant fission product release can occur well  
4 below fuel degradation temperature.

5 Now, as the Chairman has mentioned,  
6 there's a lot of information that's been provided in  
7 the public media and other information has been  
8 provided to our staff about this fuel and what it may  
9 or may not do. And I'm just wondering if you have  
10 anymore meat that you could put on the bones of those  
11 statements and upon what you are basing that  
12 particular theorem.

13 DR. LYMAN: Yes, at an ACRS workshop on  
14 this last month I showed some of the graphs. The  
15 bottom line is that public meetings Exelon is going  
16 around saying that the reactor can't meltdown. It's a  
17 walkaway safe reactor. It has it's loss-of-coolant  
18 accident. The fuel will never reach a temperature at  
19 which it's threatened, and that's it, then you don't  
20 need a containment, et cetera. But if you look at the  
21 actual performance of the fuel from German and from  
22 Japanese reactors, you find out that cesium does leak  
23 out of the fuel at temperatures which are below --  
24 they are above the 1600 degree Celsius maximum  
25 temperature they've defined, but they are well below

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 2000 degrees which is when the fuel actually starts to  
2 degrade and gross failure occurs.

3           And so then the question -- so this starts  
4 occurring at maybe 1700, so the question is, what are  
5 the error bars associated with the maximum fuel  
6 temperature in accidents and those things. So, I  
7 think just looking at the actual data, the public  
8 claims being made in the media and other public fora  
9 by the licensee are exaggerated. I don't think that  
10 helps the debate. I understand that NRC eventually  
11 will require that data, but it's going to be a  
12 somewhat time-consuming process, and some of that test  
13 work, as I said in my presentation, might have to be  
14 done, I would think, domestically on the actual fuel  
15 which its plants have used for the reactor, which is  
16 different from the German fuel which was thorium-based  
17 at least in the larger reactor.

18           COMMISSIONER MERRIFIELD: Thank you,  
19 that's helpful. My final question is for Mr. Matzie.  
20 In your slides, you discussed moving forward with the  
21 IRIS pre-application review in Fiscal Year 2002.  
22 We're obviously going to have a lot going on in the  
23 work that we're doing in AP-1000, and I was wondering  
24 if you had given much thought to the issues of NRC  
25 resource implications over the next couple of years in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dealing with IRIS vis-a-vis dealing with the resources  
2 associated with AP-1000. We do have a limited number  
3 of folks around here, and we certainly don't want to  
4 rob Peter to pay Paul, and I'm wondering if you've  
5 thought about that in the bigger context of all the  
6 other things that we have going on underway at the  
7 NRC.

8 DR. MATZIE: Commissioner, yes, we have  
9 quite a bit of thought on that. It's very clear  
10 within Westinghouse our top priority is AP-1000  
11 licensing on the kind of schedule that I had  
12 presented. If it became a real resource limitation,  
13 that would be the signal we'd give you, and I'm in  
14 fact giving you that now.

15 On the other hand, we believe the  
16 interaction on IRIS will be relatively small for  
17 several years. It's more to continue the  
18 familiarization, it's more to properly ensure that if  
19 we go into testing that, the matrices and the tests we  
20 do would be sufficient to give the confidence to the  
21 staff. So, IRIS will be low-level of resource  
22 requirements probably until around 2005, at which case  
23 we believe, or certainly are very hopeful, that all  
24 the real AP-1000 licensing would be over.

25 COMMISSIONER MERRIFIELD: Thank you, Mr.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Chairman.

2 CHAIRMAN MESERVE: Thank you. Mr. Burns  
3 has sent me a note to say that he would like to give  
4 some further thoughts on his response to one of the  
5 questions he was asked about earlier.

6 MR. BURNS: And I want to slightly amend  
7 my answer to Commissioner Merrifield. In paging  
8 through Part 52 here during the discussion, I notice  
9 there are two provisions, one in the subpart on Early  
10 Site Permits and one in the subpart on Design  
11 Certifications, which do allow an applicant to  
12 reference a design certification application that has  
13 been docketed but not granted, or an Early Site Permit  
14 which has been docketed but not granted. And for some  
15 reason, we didn't put that into the contents in 52.79,  
16 but this is what it says: "An applicant for a  
17 construction permit or a combined license may, at its  
18 own risk, reference such an application". And so  
19 although it does indicate you could do that, when it  
20 says "at its own risk", you still have this issue.  
21 You don't have issue resolution until that design  
22 certification becomes final, or that Early Site Permit  
23 becomes final. And, really, I think, in context of  
24 the combined operating license, if you have those  
25 three going at once, the last one out the door would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 necessarily be the combined operating license, could  
2 not be resolved until those others are done. And so  
3 you really don't have a parallel path that I think  
4 they all come to resolution at once, but I wanted to  
5 make that amendment. For some reason, the  
6 subparagraph is buried in sections called "Duration of  
7 Certification", which I'm not quite sure why we wound  
8 up putting them there ten years ago, but they are in  
9 there, so I leave it at that.

10 CHAIRMAN MESERVE: You mean as an aspect  
11 of our regulations that's confusing?

12 (Laughter.)

13 I'm shocked. Well, on behalf of the  
14 Commission I would like to thank the staff and the  
15 stakeholders who have joined us this afternoon for a  
16 very informative discussion. You've helped us to  
17 frame some of the key issues, and we have learned a  
18 lot, and they are issues that I think we will face and  
19 it's obvious that you are going to be facing as well,  
20 and we look forward to working with all of you. With  
21 that, we are adjourned.

22 (Whereupon, at 4:40 p.m., the meeting of  
23 the Commission was concluded.)

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701