

1 MR. WU: As you may have noticed, the
2 entrainment rate test has a lot of irregularities in
3 the slug and oscillation. But the entrainment onset
4 data is grouping very well. At least our data, the
5 Maciaszek correlation predicted our data reasonably
6 well.

7 And also Schrock and Smogleie's
8 correlations also was predicted their small branch of
9 data very well.

10 So we think we have the hope here to do
11 some more research modeling to bridge these two models
12 and to try to find the physics behind it.

13 What we did here is we followed
14 Maciaszek's approach. Basically what his approach is,
15 which is the wavy ring, the diameter, you go to the
16 off-take diameter. And we think the liquid level goes
17 far away from the break. The wavy ring is getting
18 bigger and bigger, so we try to use importation flows
19 theory to find that ring change.

20 So what we did is we used a mirrored
21 distributed sink using potential flow to find the
22 velocity distribution, allowing this X line.

23 Like Dr. Schrock pointed out, if we can
24 find that somewhere the velocity goes to maximum, that
25 means the pressure there is minimum, then we say,

1 well, the bumps are supposed to -- the wave will crest
2 -- is supposed to be at that location. So that's our
3 rationale.

4 So we write -- we wrote this velocity
5 distribution using potential for theory. And we tried
6 to -- well, we kind of get the analytical solution.
7 So we went to a numerical solution to check it.

8 The upper corner of the figure is the
9 velocity at the -- the velocity on the interface
10 versus over the velocity in the average velocity in
11 the branch. And this is so a distribution, allowing
12 the interface, go away from this interface.

13 We found the crest can never move into
14 this break. That means when they -- this varies.
15 This -- that should be -- all you can say is a liquid
16 very approach to the break, then that mandates you go
17 to the D. But when the level go away from the break,
18 then maximum point is drifting away.

19 So we're trying to find the maximum point,
20 velocity maximum point. That's the dotted i on the
21 right side of the figure. And you say, well, that's
22 when -- that's the limiting case is you go to wall.
23 That means the diameter of that wave crest, you go to
24 the diameter.

25 And the way it's drift away, the

1 asymptotic condition matches the point sink, mirror
2 point sink, sink condition. That's one point -- the
3 square root of 2 of h_b .

4 So that's -- basically you say, well, the
5 wave crest diameter is equal to the -- A is
6 proportional, directly proportional to the gas chamber
7 height.

8 So if we put this number into the
9 correlation originally Maciaszek developed, we found
10 that the number is this term. When the h_b over d ,
11 that means the -- a gas chamber height versus the
12 break side is getting very big, then this correlation
13 approaches to what the Smoglie and Schrock's
14 correlation, as it goes to the fifth power.

15 And when this h_b over d approach to zero,
16 that means the level approach to the break, this term
17 goes away. Then you get the one here. That means the
18 correlation approach to Maciaszek's correlation
19 gathers the one-third power and the diameter of the
20 bottom.

21 So we thought that this is a nice approach
22 to this bridge this small-break correlation and
23 large-break correlation. And both of them proved
24 right.

25 And then we -- we just have one adjustable

1 coefficient, similar like what they did. With this
2 coefficient, .5, and the theoretical value of this
3 coefficient is .4. So we were very, very satisfied.
4 It brings them together and both are satisfied.

5 However, when we look at this we still
6 have a scattering. Again, make -- Kent, Mr. Welter
7 pointed out, KFK data has a lot of scattering.
8 Schrock's data and our data has risen in the group
9 very well.

10 So if we take out these blue squares, I
11 think this correlation is -- and we did the
12 sensitivity analysis. The standard deviation of this,
13 only Schrock's data and our data, it's like 30 percent
14 off. By the way, Smoglie's data then, the error is
15 standard. It goes to like 15 percent.

16 Well, this approach, like Dr. Wallis
17 pointed out, is for the flat -- flat top without the
18 confinement of a side confinement. And our approach
19 didn't consider the side confinement.

20 So basically our approach, you say, well,
21 the infinite place, the liquid velocity is -- the gas
22 velocity is supposed to be zero. Then for our case
23 gas is confined in the main pipe. And the infinite
24 place is so that the gas velocities are supposed to
25 not be zero. So we modified that.

1 Then we got a new correlation, is the
2 same. But it has two adjustable parameters. I don't
3 like it because if you get an x for parameter, you can
4 fit everything. So -- but, nevertheless, what is
5 necessary what's is a collapse of -- it's like a 20
6 percent standard dev- -- very well the data.

7 So as a summary of entrainment on the --
8 before we go further, I still want to go back to visit
9 this flow regime transition.

10 And the red line, solid line is the symbol
11 of Wallis' slug flow transition. And we use a --
12 since we don't know the -- which flow direction come,
13 we say, well, all the gas flow in the branch coming
14 from one side of.

15 So it's all this in this plot, our data
16 follows this very well for all regime transition.

17 And also Schrock's data -- one group of
18 Schrock's data also follow this line very well. And
19 the way I checked it, it's the -- the diameter is the
20 -- the break diameter is about 17 --

21 CHAIRMAN WALLIS: So I'm trying to figure
22 this out. Which of these is this slug transition?

23 MR. WU: The red and solid line.

24 CHAIRMAN WALLIS: That one that goes
25 through your data?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WU: Yeah. And then I have a 20, 20
2 percent. And then a bracket dashed line is the
3 Smoglie and Schrock correlation.

4 CHAIRMAN WALLIS: They seem to be just two
5 different families that are completely unrelated --

6 MR. WU: You see here you have some...

7 CHAIRMAN WALLIS: -- on this plot.

8 MR. WU: Yeah. This plot doesn't have the
9 diameter effect inside. Well, I show this plot as the
10 -- one purpose is to say, well, if we treated this as
11 a small break and this as a large break, I think
12 anything should be between these two.

13 So if you run a sensitivity calculation in
14 your code, you can treat this as two asymptotic
15 conditions, like we just discussed for the
16 theoretical. So anything else should happen between
17 these two.

18 CHAIRMAN WALLIS: So the mechanism of a
19 small break is this sort of potential flow sucking out
20 from the surface. And the mechanism for the big break
21 is sort of similar, but it's really a civility of the
22 big-wave criteria.

23 MR. WU: Interface, because we -- we based
24 on the interface wave a gross, that delta gross, so
25 it's -- it --

1 CHAIRMAN WALLIS: The momentum of the gas
2 and the -- it's a Froude number in both cases.

3 MR. WU: Yes.

4 CHAIRMAN WALLIS: But it's a different --

5 MR. WU: Yes, sir.

6 MR. SCHROCK: Now the coordinates on this
7 graph seem to be the same as in an earlier slide where
8 you showed the Berkeley data.

9 MR. WU: That's right, yeah.

10 MR. SCHROCK: And somehow magically now
11 it's separated into two groups, which seems strange.
12 I don't understand how you managed that.

13 MR. WU: No.

14 MR. SCHROCK: Coordinates are unchanged,
15 but now the data seem to plot as two distinct groups.

16 MR. WU: No. It changed -- this to the
17 Froude number in the main pipe based on the velocity
18 in the main pipe, the superficial velocity in the main
19 pipe, and the Froude number.

20 In the previous one, your model and --

21 MR. SCHROCK: Well, you don't put numbers
22 on your pages, but I go back to one that's got a big -
23 - three test results, onset of entrainment, -- that's
24 quite a ways back -- has exactly the same coordinates
25 as this one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WU: Yeah, that's right. We used the
2 two group of --

3 MR. SCHROCK: FR1, the square root of rho
4 g1 over delta rho. It's the same thing, but --

5 MR. WU: Yeah, this figure. Is that what
6 you...

7 MR. SCHROCK: That's the one.

8 MR. WU: Yeah, that's the same -- same
9 coordinates. Using this Froude number is based on the
10 superficial velocity in the main line, not based on
11 the velocity in the branch.

12 MR. SCHROCK: Well, look, you've got to
13 define your terms and use notation to convey what you
14 mean. You can't expect we're going to understand
15 different interpretations for the same notation.

16 MR. WU: Well, this is a different
17 approach. The one we go through -- went there the
18 model development, that one, is following you and
19 Maciaszek.

20 This one is just to show you the finding
21 we found, to say, well, it's basically -- the
22 horizontal 9 has a Froude transition for the larger
23 break. It matches what our argument is, an
24 entrainment happens, so for the larger break is like
25 an interface, a wave,, instability on the interface.

1 And for the small-break case, maybe a potential for
2 the large going up.

3 So it's -- eventually I want to say this
4 is the two-boundary condition. One is to emphasize
5 what I say, for small break and the larger break, it's
6 a true asymptotic condition. And the real data should
7 lie between these two. That's from --

8 MR. SCHROCK: Let me try one more time.

9 MR. WU: -- a larger point of view to
10 argue my point.

11 MR. SCHROCK: Let me try one more time.

12 In engineering communications we have
13 certain principles that have to be followed. And one
14 of them is that you define your terms clearly. You
15 set down the notation and define what the notation
16 means physically.

17 MR. WU: Um-hum.

18 MR. SCHROCK: And then you don't use the
19 notation redundantly. And I think what I've heard you
20 explain is that FR1 on one graph is different than FR1
21 on the other graph.

22 MR. WU: No, no. We use only one FR1
23 here. We didn't use any other FR.

24 MR. WELTER: Sir, this is Ken Welter.

25 These are -- this is for the onset of

1 entrainment. The graph we showed you previously was
2 for entrainment rate, so those are different datasets.
3 This is for the onset of entrainment, this graph. The
4 graph that we were previously discussing is for
5 entrainment rate. So they're different datasets, but
6 it is the same FR1.

7 MR. SCHROCK: This -- this one is onset of
8 entrainment.

9 MR. WU: Yes.

10 MR. SCHROCK: The one that began this
11 discussion is number 5, model improvement.
12 Entrainment onset criterion.

13 MR. WU: Yes.

14 CHAIRMAN WALLIS: That's where it's the
15 same FR1.

16 MR. WELTER: Could you go to the last
17 slide that we were at?

18 CHAIRMAN WALLIS: I think we're mixed up
19 here.

20 MR. WELTER: One more.

21 MR. SCHROCK: Well, I'm -- I'm trying to
22 resolve in my mind what you've done that produced the
23 result that --

24 MR. WELTER: Okay. That was wrong --

25 MR. SCHROCK: -- that our Berkeley data --

1 MR. WELTER: Is that right?

2 MR. SCHROCK: -- separated into two clear
3 and distinct groups, which I never saw in our data.

4 CHAIRMAN WALLIS: Where are the two
5 groups?

6 MR. SCHROCK: Well, it's the --

7 MR. KRESS: On this curve you've got --

8 MR. SCHROCK: It's the sort of ghosty
9 dots.

10 CHAIRMAN WALLIS: "...ghosty"?

11 MR. SCHROCK: Yeah. Light colored gray
12 dots. There's a set of them on each of those lines.

13 MR. KRESS: Down here and also down here.

14 CHAIRMAN WALLIS: Oh, those are Schrock's
15 up there?

16 MR. SHACK: Yeah.

17 CHAIRMAN WALLIS: Well, I think that's a
18 mistake.

19 MR. KRESS: There must be some mistake.

20 MR. SCHROCK: Well, is there a mistake?

21 MR. WU: No.

22 CHAIRMAN WALLIS: I'm really puzzled by
23 these ghostly data. The Schrock data lie exactly on
24 both curves, so that's pretty well. That's really
25 strange.

1 MR. WU: You mean these lines?

2 MR. SCHROCK: Well, they always lie on
3 whatever curve you choose.

4 CHAIRMAN WALLIS: Something is very
5 peculiar.

6 MR. WU: Well, this -- this is a different
7 --

8 MR. KRESS: It's a quantum effect.

9 MR. WU: This is based on the main line
10 superficial velocity. It's not based on the branch
11 line super- -- I just tried to present this from a
12 different perspective, from the flow regime transition
13 perspective. It's different from what we just
14 discussed about the entrainment from the vertical.

15 CHAIRMAN WALLIS: Oh, I see what you mean.

16 MR. WU: Yeah.

17 CHAIRMAN WALLIS: It's these strange gray
18 things, though. And Smoglie doesn't have any data.
19 So those are the Schrock data, those square things, or
20 those are the Reimann data?

21 MR. SCHROCK: No. Those are -- those are
22 KFK data, Reimann and Kahn.

23 MR. WU: Square KFK data.

24 CHAIRMAN WALLIS: So the mystery is why
25 there's some Schrock data on the Wallis line. That's

1 the thing which is the mystery.

2 MR. KRESS: There you go.

3 CHAIRMAN WALLIS: And why this?

4 MR. SCHROCK: We never would have expected
5 that.

6 (Laughter.)

7 MR. WU: Well, sometimes it has to agree
8 with you again.

9 CHAIRMAN WALLIS: On the wrong line.

10 MR. WU: And this is -- we weighted -- we
11 just -- what we did is your branch gas flow rate we
12 are showing as coming from one side. And this data is
13 a relatively larger break, and it's coming from --
14 that's -- we didn't do anything.

15 It's the same abiscus for the previous
16 sets of data, but we just changed the perspective. We
17 changed the velocity for -- from the branch to the
18 main line.

19 What I would like to say this figure is,
20 again, I want to say is one-fifth and one-third all
21 here is for the flow regime transition. It's
22 represented to boundary condition. I think the --
23 anything should happen between these two, and that was
24 what we did to bridge these two together.

25 So as a short summary of this model

1 improvement for entrainment, the onset criteria, for
2 Smoglie and Schrock's correlation, it's based on --
3 well, Smoglie did -- single-point sink, no interface
4 effect, and the effect was far from a break or small
5 break case.

6 For the Maciaszek, based on Wallis'
7 interface instability argument, he uses a wave crest
8 interface instability kind of option and chooses a
9 crest, wave crest, as the basing and as the break
10 diameter. And it is effective for the larger break or
11 the liquid level is very close to the break.

12 For the new model we proposed, wave crest,
13 this basing is a function of the onset height. And
14 you -- and valid for both and it can be reduced to
15 Maciaszek's situation and Smoglie and Schrock's
16 correlation's case.

17 So that's what -- it was a challenge to us
18 because we cannot come up with something without
19 considering the previous contribution.

20 So I think we have the physical
21 interpretation here, and it's -- the data is -- not
22 much irregularity there because -- so we think this is
23 a good model.

24 For the further improvement, improvement
25 data, based on what we say is the velocity in the --

1 gas velocity in the pipe is different from the open
2 kind of case of flat pipe. So we made a further
3 improvement.

4 However, that made the correlation more
5 complicated. And we have two adjustable coefficients.

6 And for slug flow transition, I don't know
7 if we can use it a whole lot. We need to go do a
8 further analysis. Until we know which side, how much
9 gas is coming from which side, then we can revisit
10 that kind of argument.

11 But for previous KFK data and the Smoglie
12 data, they -- I show them as coming from one side, but
13 the aperture is -- the break is so small, so basically
14 the gas flow velocity in the main line doesn't
15 contribute too much.

16 So we -- it is suggested one of the
17 logical, we just jump -- tried to jump out of the loop
18 seal, is there any other simpler option for us to
19 take. That's it.

20 For the model improvement of entrainment
21 rate, again we -- we have -- we follow the similar
22 approach, argument of h over h_b , the actual gas
23 chamber height versus the entrainment onset.

24 The rationale, as I say, any excess of
25 this kinetic energy of a gas or that contribute to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressure difference from the interface to the break,
2 overtakes the gravity. That excess of kinetic energy
3 is going to the liquid kinetic energy.

4 And when this liquid velocity and mass
5 velocity is equal to zero, left aside, this equal to
6 zero, that gives us the entrainment onset condition.
7 Using this argument, we derived -- the equation
8 quality in the branch is equal to this function. It's
9 a function of density ratio. And the function for the
10 h over h_b , plus there's another one, is the diameter
11 effect of the break.

12 MR. SCHROCK: Is that derivation available
13 to us?

14 MR. WU: Yes. Yes. It's simply, just put
15 that k in front of this group, the right-hand group.
16 Then we can straightforward again.

17 CHAIRMAN WALLIS: Then you must use some
18 kind of a one-dimensional theory, or something,
19 because --

20 MR. WU: Yeah. The --

21 CHAIRMAN WALLIS: Or does the k take
22 account of two dimensionality, or...?

23 MR. WU: No. The only thing coming from
24 this part, that's the -- say were the -- we are shown
25 the -- a liquid of void fraction in the branch is a

1 function of h over h -- 1 minus of h over h_b .

2 CHAIRMAN WALLIS: But these V_f3s , V_g1s ,
3 these are averages across the whole area. It's a
4 one-dimensional --

5 MR. WU: Yeah, that's right.

6 CHAIRMAN WALLIS: -- approach.

7 MR. WU: That's right.

8 What --

9 MR. SCHROCK: What I asked is, is the
10 derivation available to us? Can you tell us, are we
11 going to have that derivation? Is it in a report that
12 we're going to get?

13 MR. WU: I can do it right now here, if
14 you --

15 MR. SCHROCK: Hmm?

16 MR. WU: I can do it right on the
17 blackboard, if you prefer.

18 CHAIRMAN WALLIS: Now is this compared
19 with data somewhere?

20 MR. WU: No.

21 CHAIRMAN WALLIS: The new --

22 MR. WU: It cannot solve that jump. So
23 what we compare with Smoglie -- Schrock's correlation,
24 for the D -- this -- this 9 can be treated as you have
25 fixed the gas flow rate. And as you change the liquid

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flow rate to change the quality.

2 In such a case the h_b is a constant
3 because that's based on the gas flow rate. And you
4 see the diameter ratio is when this is about
5 one-hundredths of the h_b should be, that's very close
6 to Smoglie's situation.

7 The KFK correlation actually exactly is
8 shaped like this. Unfortunately, we didn't put on
9 that figure because it has the densi- -- has several.
10 I don't know. Previous, last year we put on a figure.

11 This year we -- I can't -- in a final one,
12 I will show you how this -- and also for Schrock's
13 data, it's about 17 to 30. So this is a tenth of it.
14 So it's -- the correlation goes through it.

15 When that break is getting bigger, then
16 it's going up like this. It's more like our data
17 case.

18 CHAIRMAN WALLIS: You said there was
19 Smoglie correlation down the bottom there that we
20 can't see?

21 MR. WU: Smoglie, no, we didn't put it
22 here.

23 CHAIRMAN WALLIS: You said he was close to
24 the bottom curve?

25 MR. WU: Yeah, that's right.

1 CHAIRMAN WALLIS: The .01h?

2 MR. WU: Yeah. It's the --

3 CHAIRMAN WALLIS: Smoglie is down there?

4 MR. WU: They have a data only in this --
5 in this shortened mix, very high quality data. And
6 their correlation, all of the way we extrapolate it to
7 zero quality. That was in Schrock's report, too, to
8 mention to the KFK.

9 And this correlation doesn't express one
10 thing -- let me -- okay. In our data we have a jump
11 like this. What this give us the trouble is for one
12 h liquid level you have two qualities. That means
13 using there's -- like you said, before you mentioned,
14 maybe it's related to liquid flow rate or gas flow
15 rate explicit and beside the h_b .

16 And otherwise, only use the information of
17 h, we can't gather this bump like that. And that's
18 what we are working on, trying to see averages.

19 You will see later a behavior, see if we
20 can -- and amazingly we -- we found these -- out of
21 the turbulence here you will see -- in this region is
22 actually -- I will say the ration occurs (phonetic).
23 And the way it's flattened out is like a high gas,
24 very -- no liquid flow rate. The oscillation
25 disappear.

1 So the bump itself, it's coming from that.
2 It was initiation behavior. And we try harder to get
3 an average parameter to represent it. And we are
4 still working on.

5 CHAIRMAN WALLIS: Are you sure there's a
6 curve. Earlier where h over h_p was bigger than one.

7 MR. WU: Yes.

8 CHAIRMAN WALLIS: And here it's less than
9 one. Are these different data or something?

10 MR. WU: No, no, no. Then we use the
11 average h -- h in that previous --

12 CHAIRMAN WALLIS: In the other one. No,
13 this is the h on the --

14 MR. WU: We are trying to say this is the
15 high side.

16 CHAIRMAN WALLIS: So this is the h on the
17 reactor side here?

18 MR. WU: Or 4 times vessel size.

19 CHAIRMAN WALLIS: Vessel size.

20 MR. WU: Oh, no, the steam generator size.
21 That's the higher part, because it was originally --
22 when you see -- when you saw the experiment at lunch
23 time, there was initiation actually occurs downstream
24 of the branch.

25 CHAIRMAN WALLIS: So if you're going to

1 use this in a system-solving computer model, you'd
2 have to somehow predict h over h_b , then you'd predict
3 h -- x^3 from that; is that what you'd do? And the
4 problem with yours --

5 MR. WU: This is the traditional approach.

6 CHAIRMAN WALLIS: The problem with your
7 curve is you don't know which one to pick. And the
8 fact that it's going to curve up again, you get three
9 x s for the same h or h_b .

10 MR. WU: Yes. So that's got to be related
11 to the gas velocity or liquid velocity. That's what
12 we are -- we are trying. Right now we only use this
13 simply -- simple representative. If you don't
14 consider the other, then you've got this -- you cannot
15 find this bump, and you can't -- and that means use h
16 over h_b and x as a correlation, you miss something
17 important.

18 CHAIRMAN WALLIS: Well, my comment in all
19 of this is what I saw in the experiment. It seems to
20 me you need a dynamic analysis, so the rate of
21 build-up of liquid in the plug which goes to the steam
22 generator, when it comes back, you sweep some out the
23 pipe, how long it takes to sweep that out depends upon
24 sort of the length of the pipe to the -- to the
25 air-water separator, or something.

1 All these things are very system
2 dependent, aren't they? So you really need a system
3 model in order to predict the entrainment.

4 MR. ROSENTHAL: Yeah. And why don't we
5 let him finish the presentation, and then Steve can
6 make some comments about our intent, how we can
7 ultimately use this and track that.

8 MR. BAJOREK: One question on that last
9 figure. The bump there, --

10 MR. WU: Yes.

11 MR. BAJOREK: -- does that include the --
12 both the -- with the block steam generator and without
13 the steam generator? Is that all the data together?

14 MR. WU: Yes. Waves of -- but waves of
15 the steam generator with a returning line, it's
16 calmer, but it still have a bump.

17 MR. BAJOREK: Would you still get that
18 bump --

19 MR. WU: Even Schrock's data has a small
20 bump there. If we go back. Please, go back. Go
21 back. I think go more, just go ahead. Go. Go. Go.
22 Okay.

23 You see this, you called it ghostly. It
24 has some...

25 CHAIRMAN WALLIS: This is the one where

1 the Schrock correlation has no relationship to his
2 data, or not much.

3 MR. SCHROCK: I haven't gotten it figured
4 out yet.

5 MR. WU: It's actually published in the
6 left --

7 MR. BAJOREK: Well, you see the hump even
8 more when you plot it in what you call h2, in the
9 other one. That is when you don't use the average the
10 hump is even more.

11 MR. WU: That's in your --

12 MR. BAJOREK: Yeah.

13 MR. WU: -- actually we tried to see which
14 side we're going to use. When we use h2 we brought it
15 down. But in this one we didn't know it.

16 In your handouts actually have a lot --
17 has a lot -- another figure. It's -- I use a steam
18 generator side of the gas chamber, and it can bring it
19 to about below one.

20 Well, we can go back.

21 MR. SCHROCK: Well, my recollection of our
22 data is that they did not look like this against our
23 correlation. I'll have to dig that out and refer to
24 it to understand what's wrong here.

25 MR. WU: Shall I proceed?

1 As a summary, we built our database that
2 actually covers all the branch separation cases. And
3 we picked out the material related to the vertical
4 branch entrainment. And we found the data is -- the
5 correlation works for small breaks, but it doesn't
6 work for the larger break.

7 We build our percentages relatively
8 complicated in that like Dr. Schrock and Dr. Wallis
9 pointed out. And it's amazing, we run a test of
10 entrainment now, said the test, the correlation
11 actually two ends meet -- it's -- there's not much
12 irregularity there for entrainment onset case.

13 And in that length we varied the form to
14 .7 to 4.7. It doesn't have much impact within the
15 test range. And also the downstream structure or
16 steam generator, with a steam -- with a steam
17 generator and without a steam generator. That means
18 we're being flooded.

19 It does have the effect because of the
20 wave bouncing back and so of course the entrainment
21 and that lower. But the gas flow rate direction from
22 the downstream in this case has negligible effect, but
23 we cannot quantify it. We didn't put a flow meter
24 there. And that's what we are doing right now after
25 this.

1 And for the steady-state entrainment case,
2 a downstream structure or steam generator affects the
3 entrainment rate. And the gas flow from downstream
4 changes so the entrainment rate is substantial. And
5 also we need to quantify how much a gas flow from the
6 downstream side and get a better data.

7 And for the model evaluation, the model of
8 Smoglie and Schrock, this is used in RELAP5, is
9 effective for relatively small breaks that was
10 evaluated from their experiment data.

11 Maciaszek's model works well for larger
12 breaks. That's what our case.

13 And for the entrainment rate model, model
14 of Schrock that is used in RELAP5, it seems it does
15 not collapse our test data. Like Dr. Schrock pointed
16 out, what h_b is going to use, we don't know what h_b is
17 going to use because in the new phenomenon you have
18 two levels there. And we use either one of them and
19 we use the average of them, still can work.

20 So we think there is room to do some more
21 work if we want to predict this phenomena using our
22 system code.

23 In the model improvement for the
24 entrainment onset model, we did a potential flow
25 analysis. We found Maciaszek and Schrock, Smoglie's

1 correlation can be interrelated if we consider a
2 wave-crest size as a function of the liquid level
3 height. And it's two asymptotic condition anything
4 have, and it should be covered within this -- within
5 this range. So it's one --

6 MR. SCHROCK: I'd like to make a comment
7 about one of your conclusions. And that is that the
8 correlation form that evolved earlier is okay for
9 small breaks but not for larger breaks.

10 I think that that conclusion is misguided.
11 And I say that because having seen the experiment in
12 operation now I'm convinced that you're dealing with
13 a completely different phenomenon that had been
14 addressed in our work and in the work at KFK, totally
15 different phenomena involved.

16 I do believe that if we tested with a
17 larger diameter break on our apparatus that we would
18 get consistent results with those already taken in
19 that apparatus.

20 So I would not conclude from the
21 combination of what you've learned from what we did,
22 what was done at KFK, and what you've done in these
23 experiments, that it is the diameter, the larger
24 diameter of the break line that causes disagreement
25 with the correlation.

1 The fact is if -- if you had the kind of
2 surging, pulsating slugs of liquid moving back and
3 forth in the test section with the smaller diameter
4 breaks, you would not expect the results to agree with
5 the correlation that we've developed for the
6 stratified flow case.

7 MR. WU: So, well, the oscillatory effect
8 only happened --

9 MR. SCHROCK: So your conclusion I think
10 is wrong and for the reasons that I just stated.

11 MR. WU: The oscillation for the
12 entrainment onset, you don't see oscillation. When
13 you went to see the experiment for the onset, it's a
14 little bit wavy interface. There's no oscillatory for
15 onset correlation. There's some -- no such a
16 complication or irregularity.

17 Only for the entrainment rate tests we
18 observed this step phenomena. So you try to mix these
19 two together to justify our conclusions, I don't agree
20 with that.

21 MR. SCHROCK: Well, maybe you can make
22 that apparatus produce a smooth stratified interface.
23 What you showed us did not include that kind of
24 interface, did not.

25 MR. WU: No. It -- for the entrainment

1 onset we don't have --

2 MR. SCHROCK: Yeah.

3 CHAIRMAN WALLIS: Even for onset it was
4 not smooth.

5 MR. SCHROCK: No.

6 MR. WU: And it's a little bit wavy, but
7 you don't see the jump like that. One side is
8 substantially higher than the other side. And we
9 measure, we use our probe with the measure to --

10 MR. SCHROCK: The onset that you
11 demonstrated was distinctly pulsating. It was not a
12 more or less continuous two-phase flow into the break
13 line. It was a highly-pulsating flow.

14 MR. WU: No.

15 MR. SCHROCK: That's what I saw.

16 MR. WU: Onset, there is nothing happened.
17 What we called the onset is the pulsating, everything
18 stops. There's nothing being drawn into the branch.
19 If you see the pulsing, that's still being entraining.
20 That's in the process. It's not stopping.

21 So if that's the case, then we -- it's not
22 our entrainment onset and measurement yet. Only when
23 it stops, that's what our value of entrainment onset.

24 When you say something's been drawn into
25 the branch, the entrainment is still there. That's

1 not our entrainment onset condition.

2 So when you say, well, say later and
3 there's some pausing and being pulled out, that's not
4 the entrainment onset condition yet.

5 MR. KRESS: Well, you do have -- as you
6 approach the condition of no entrainment, you do have
7 wavy surfaces.

8 MR. WU: Yes, that's right.

9 MR. KRESS: And what he's saying is even
10 then your entrainment is possibly not the same
11 mechanism as his was. So when you stop that, --

12 MR. WU: Yeah.

13 MR. KRESS: -- you're stopping something
14 different than what his is stopping.

15 MR. WU: If you have like 10 meters --
16 five meters of gas blowing over a surface you don't
17 expect that surface is calm. There is a capillary
18 wave which is being developed there. So that one, if
19 you say that's the case, that we cannot make it a --

20 CHAIRMAN WALLIS: Well, I think the waves
21 are coming from the reactor vessel.

22 MR. WU: Yes.

23 CHAIRMAN WALLIS: And you have this
24 bubbling and frothing, and there's sort of a big plume

25 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: That's right.

2 CHAIRMAN WALLIS: -- of stiff arising
3 which is stirring up the surface. And that goes into
4 the pipe, which is much bigger than these capillary
5 waves.

6 MR. SCHROCK: You said you've simulated
7 AP600, but in fact -- you say it's scaled to AP600 --
8 but in fact I think these big disturbance waves that
9 are entering that horizontal pipe from the vessel
10 depend significantly on the geometry of that entry.

11 You've joined two cylindrical surfaces
12 with sharp edges. That doesn't exist in the reactor.

13 MR. WU: I agree.

14 CHAIRMAN WALLIS: Now when you're
15 correlating your rate of entrainment, are you doing it
16 with this one-inch bypass, and so on? You're not
17 doing it with the closed end, because you get
18 different answers.

19 MR. WU: We did close it. We opened it,
20 opened --

21 CHAIRMAN WALLIS: But your correlation is
22 for the open end with the bypass?

23 MR. WU: Yes. We did open. We did close
24 it. And we did it with one-inch --

25 CHAIRMAN WALLIS: Yeah, but your

1 correlation that you're offering --

2 MR. SHACK: No, but it's for the steam
3 generator. Sometimes you have the loop seal and
4 sometimes you don't, right, but don't include the
5 blind data.

6 MR. WU: Oh, we close the -- with the
7 steam generator there, we close the three-inch and the
8 one-inch. That's what these -- that's with the
9 loop-seal case.

10 CHAIRMAN WALLIS: Yeah, but that's not
11 what's being correlated. The data for entrainment do
12 not include the one where you shut off the --

13 MR. WU: Can you go back? Go back to the
14 --

15 CHAIRMAN WALLIS: You can't, because
16 they're two different groups. I mean you can't
17 correlate the same thing --

18 MR. WU: No. That one is blind flooded as
19 dif- -- if we blind flood it, it's then coming from a
20 different group. For the other case with the steam
21 generator, we have three case. One is a three-inch
22 and line open, one is one-inch line, and all of the
23 line being closed. That's all the line closed --

24 CHAIRMAN WALLIS: But these data here are
25 for the three-inch line open, or the one-inch line

1 open, or something?

2 MR. WU: Go back.

3 Both -- all of them group with --
4 together. There's no effect --

5 MR. SHACK: Well, the peak -- the peak
6 there is for the closed-return line, right?

7 MR. WU: No. You are talking about an
8 entrainment onset or entrainment rate?

9 CHAIRMAN WALLIS: Apparently this is a
10 phenomenon even with an open line.

11 MR. WU: So this case is --

12 MR. SHACK: But for -- are we talking
13 about entrainment rate, because --

14 CHAIRMAN WALLIS: Yeah, this is
15 entrainment rate here. Yeah.

16 MR. WU: Are we talking about the
17 entrainment rate. If it's entrainment rate, this bump
18 will come --

19 MR. SHACK: When I look at the one with
20 the data on it, I mean I see that huge peak with the
21 --

22 MR. WU: That's for the --

23 MR. SHACK: Isn't that really with the
24 closed line?

25 MR. WU: Yeah, that's for the closed line.

1 Yes.

2 MR. SHACK: So he gets two -- he does get
3 distinctly different results with the line --

4 CHAIRMAN WALLIS: Well, the steam -- he
5 even has this awkward one with the open line.

6 MR. WU: I got a little bit like that, but
7 what I -- when I did the conclusion I was the first to
8 mention the entrainment onset correlation first.

9 CHAIRMAN WALLIS: So when we saw the
10 experiment this thing was chugging like a steam
11 engine, the thing there.

12 MR. WU: Yeah.

13 CHAIRMAN WALLIS: That was with the closed
14 -- something was closed?

15 MR. WU: Closed the returning --

16 CHAIRMAN WALLIS: But it's not -- it's not
17 ended. There's not a plug. You actually can go into
18 the steam generator and come back again?

19 MR. WU: That's right. That's right.

20 CHAIRMAN WALLIS: So it simply means you
21 close the valves in the three-inch and one-inch line.

22 MR. WU: That's right.

23 CHAIRMAN WALLIS: It's not as if you --

24 MR. WU: No, see -- okay.

25 CHAIRMAN WALLIS: -- block the end.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WU: No. No.

2 CHAIRMAN WALLIS: So there's a big
3 difference between having those valves closed and
4 having them open.

5 MR. WU: That's right.

6 But that doesn't affect the entrainment
7 onset data.

8 CHAIRMAN WALLIS: No. No, no. We're
9 talking about rate.

10 MR. WU: Yeah. That was my conclusion
11 when --

12 CHAIRMAN WALLIS: We should probably go
13 on.

14 MR. WU: Yeah. For the entrainment com-
15 -- go to the previous page, please.

16 So for the entrainment onset model, again
17 the model of Smoglie and Schrock uses the RELAP. That
18 is used in -- RELAP5 is effective relatively for small
19 breaks. And Maciaszek models works well for the
20 larger break.

21 And for the entrainment, we already
22 covered that.

23 And the model improvement, we see the
24 entrainment onset model. What we did is we bridge
25 these two together. And we try -- we figured out a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 way to sink that wave crest. The maximum pressure
2 point, it's a ring type. And that is a function of
3 the liquid level. And the --

4 CHAIRMAN WALLIS: I think you should --
5 excuse me. You should do an experiment where you
6 don't put the air in through the bottom of the reactor
7 and bubble it up, but you put it in through the head.
8 You have the same flow rate, but you wouldn't be
9 bubbling it through the surface and disturbing the
10 surface. You'd get a very different answer probably,
11 or a different answer.

12 MR. WU: You mean...

13 CHAIRMAN WALLIS: Depending on how you put
14 the air in.

15 MR. SHACK: Just do a genuine gas flow.

16 CHAIRMAN WALLIS: I mean the gas flow's
17 more like -- it's just more like what Schrock did.

18 MR. SCHROCK: Yeah.

19 MR. SHACK: A separate effects test.

20 MR. WU: Yeah, we can run that. That --
21 yeah, we were -- originally we run this to simulate
22 the prototypic. Yeah, we can run that. We put up a -
23 - bring on that --

24 CHAIRMAN WALLIS: And you'd probably get
25 a different group of data.

1 MR. REYES: Jose Reyes of Oregon State.
2 Just a brief comment.

3 I think one thing that is happening with
4 this data and what we've seen in the APEX test this
5 morning during the 25 uncovering series is that this
6 data matches our test.

7 And so we're seeing the same kind of
8 dynamic behavior that's giving us this over -- an
9 increase entrainment rate in their facility as we see
10 in ours.

11 CHAIRMAN WALLIS: What you're -- he's
12 correlating something which is very much like AP600 in
13 terms of end condition.

14 MR. REYES: That's right. That's right.

15 CHAIRMAN WALLIS: Right. It really
16 doesn't apply to a separate-effects type of thing.

17 MR. REYES: That's right. It basically is
18 -- geometry is -- it's a realistic geometry to try to
19 predict what's going on in a very specific case, the
20 AP600.

21 MR. SCHROCK: Well, it's superficially
22 realistic, but I mentioned the differences in the
23 entrance into the horizontal pipe. Sharp edges versus
24 a well-rounded entrance. It makes a lot of
25 difference. And I don't think you want to sweep that

1 under the rug.

2 MR. REYES: No, no. I think you're right.

3 There are some geometry differences
4 between our facility and even in the air warp
5 facility. We have upper internal structures, for
6 example. So I know that changes some of the
7 entrainment rate behavior.

8 MR. KRESS: Yeah. The real question is
9 for this kind of phenomena of entrainment, have you
10 used the right scaling parameters with respect to
11 AP1000.

12 MR. REYES: Right. And --

13 MR. KRESS: You may have scaled the wrong
14 things, because you weren't thinking of this
15 phenomena.

16 MR. REYES: Yeah. What we measure -- so,
17 for example, we do see a hydraulic jump in our -- in
18 our hot leg, just like they see, because we do measure
19 level on both sides. So we're seeing familiar
20 phenomena.

21 Now the question is let's look maybe more
22 closely at that to determine: Is that what we'd
23 expect to see for the AP600.

24 CHAIRMAN WALLIS: Well, in your results
25 for your APEX facility, you did see oscillations in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that --

2 MR. REYES: Absolutely.

3 CHAIRMAN WALLIS: -- that relief line.

4 MR. REYES: There was a chugging behavior.

5 CHAIRMAN WALLIS: ABS-4 relief line.

6 MR. REYES: In fact, we put a transparent
7 line in a portion of that.

8 CHAIRMAN WALLIS: And isn't that -- isn't
9 that because of the slugs, and the pulses of liquid,
10 and all that stuff?

11 MR. REYES: Right. You see -- you see --
12 you don't see a stratified smooth interface. You see
13 a very wavy energetic interface.

14 MR. SCHROCK: Well, given that, it seems
15 unlikely that an analysis based on the cartoon in page
16 number 5 model improvement should succeed, that that
17 would be very surprising and yet --

18 MR. REYES: Yeah. I think what we're
19 seeing --

20 MR. SCHROCK: -- you're saying essentially
21 that fortuitously it does succeed.

22 MR. REYES: Yeah. Yeah. I think what
23 we're seeing is that we're hitting a limit like a
24 slug. In essence, he's looking at a transition limit.
25 And I think that might be what's allowing us to

1 collapse the data at that higher point, which was a
2 surprise, I think, even when Dr. Wu looked at --

3 MR. SCHROCK: I want to ask, once again,
4 to have a copy of the derivation. Don't take the time
5 to put it up there, but I'd like to see that, please.

6 MR. WU: In consideration for future
7 effort, it's the test of liquid gas flows through the
8 main line is more general case or more general or --
9 okay.

10 A test for the smaller main line for
11 probably a noninnerflow case, because we are running
12 only the intermittent flow case. A test of ward down
13 -- downward break, branch and break, and also will
14 have an effect of gas flow from the downstream and the
15 effect of gas flow through the main line. And so we
16 just think about the possibilities. It's not to say
17 we are going to do it.

18 And one more phenomenon we would like to
19 point out is the pool entrainment. In our case when
20 the mixture level is way below the hot leg in that,
21 it's about, say, six inches below the hot leg in that.
22 Under the entrainment, pool entrainment, pool droplet,
23 and since this hot leg is the ADS-4 line is very close
24 to the inlet, some droplets go in through this ADS
25 line and have been transported to the upper plenum.

1 So we think the pool entrainment there is
2 one of the mechanisms, those with our inventory. And
3 we have one still. Right now it's trying to use the
4 existing model to predict this flow rate we measured.

5 And APEX was also run the data in last
6 year and also found the entrainment down continues so
7 when the mixture level is below the hot leg.

8 That concludes my presentation. Thank
9 you.

10 CHAIRMAN WALLIS: You have no theory to go
11 with this? This is just an observation?

12 MR. WU: We have some models selected from
13 publication and we are trying to simplify it, because
14 it's --

15 CHAIRMAN WALLIS: It looks like a very low
16 flow rate, what, .01 kilogram a second. Is that --
17 that's about a pint a minute, or something.

18 MR. WU: Yeah. Yeah, that's right. But
19 as it now running it goes... It's a mechanism.

20 MR. KRESS: Is that --

21 MR. WU: Those -- those are water
22 inventory.

23 MR. KRESS: Is that kind of entrainment
24 very important for the nuclears' side?

25 MR. WU: I think so. I think so because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that carry the droplets is not vapor going -- going
2 through the break. So you actually know the water
3 inventory faster than you just depressurize the vapor.
4 So that actually should be considered, I think.

5 MR. KRESS: Yeah, that looks like it's
6 such a low rate of liquid being lost that it wouldn't
7 --

8 MR. WU: That's a per second --

9 MR. KRESS: -- wouldn't -- it wouldn't
10 impact the rate at which you lose inventory by
11 vaporization. It seems like it's very, very
12 negligible compared to the vaporization rate in terms
13 of mass. So it may not be important for accident
14 sequences, it seems to me like.

15 MR. WU: We need to calculate the numbers
16 to this 1,000, like a kilogram per thousand. You're
17 right.

18 MR. BAJOREK: I think the gas flow right
19 there may also be low.

20 MR. WU: Um-hum.

21 MR. BAJOREK: We've run into this type of
22 a problem before at Westinghouse at hot-leg
23 switchover, where you have a period where you may not
24 be putting as much liquid into the vessel as you
25 normally would and you have a period of time where

1 boil-off and potential entrainment could drop that
2 level. It's only two or three feet down to the top of
3 the core. I think the gas velocities are also fairly
4 low there. If that goes up the liquid entrainment --

5 MR. WU: Yeah.

6 MR. BAJOREK: -- would also go up quite a
7 bit.

8 MR. KRESS: In the business of how
9 suppression pools extract aerosols from steam rising
10 up through it, one of the problems is how much liquid
11 carryover you get, because it carries over part of it.
12 And there's some data in that field. And a lot of it
13 has to do with the bubble size that goes up through
14 and --

15 MR. WU: That's right.

16 MR. KRESS: -- it's the --

17 MR. WU: A burst.

18 MR. KRESS: -- it's the film -- it's the
19 film that breaks, that kicks up -- kicks up the stuff.

20 MR. WU: That's right. The burst.

21 MR. KRESS: And there's basically two
22 populations of droplet sizes that's seen. But you
23 might want to look into that field --

24 MR. WU: Thank you, sir.

25 MR. KRESS: -- to see.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WU: Thank you.

2 And also I think if we want to do a
3 thorough investigation, maybe we need to add the
4 internal, because droplets, or some of them are
5 deposited down in the re-entrainment, and so we need
6 to see.

7 Thank you, sir.

8 CHAIRMAN WALLIS: Thank you.

9 Are we ready to move onto pressurized
10 thermal shock? Any more questions or points about
11 this program?

12 MR. ROSENTHAL: Yeah. I thought that the
13 staff ought to make a summary statement about how we
14 intend to use the work and --

15 NRC STAFF REPORT ON INTENTIONAL USE OF OSU WORK

16 MR. BAJOREK: Sure. I guess first this
17 program initiated a couple of years ago. It was in
18 response to, I think, largely an ACRS concern and also
19 a co-development concern that the entrainment model,
20 the face separation models in RELAP and other codes
21 were deficient.

22 It was a problem in AP600 that was
23 resolved primarily because there was so much other
24 water in the system for the conditions, the power
25 level of AP600, you wouldn't suspect entraining so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much to challenge the top of the core.

2 It remains an important problem. With a
3 high uncertainty in AP600 it will become more of a
4 concern and problem in the AP1000 when the gas
5 velocities go up.

6 Our long-term intent is to use this data
7 and similar data to develop better models for TRAC and
8 RELAP. Clearly we're not there yet.

9 In looking at the data, what we saw in the
10 lab, there's still a lot of problems in our
11 understanding of what are the true physics of
12 entrainment and what's going on in this system right
13 now.

14 It's not solely entrainment off of a very
15 steady interface that is dominating the physics, but
16 it's clearly related to system effects, dynamic
17 oscillations in the hot leg.

18 They may be affected by geometry and
19 scaling of the facility itself. The split between
20 what goes down the hot leg from the vessel versus the
21 steam or air that goes through the rest of it and the
22 size of these waves relative to the size in the pipe.

23 It's not clear that we've really addressed
24 that total scaling issue at this point.

25 Our long-term intent, however, is to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continue to use this data, to look at the data, to try
2 to develop better models out of it; potentially to
3 refine the facility; and to deal with and better
4 understand the system effects before we get a model
5 that's going to be put into TRAC and/or RELAP.

6 As Dr. Wu mentioned, the long-term goal
7 does go beyond AP600. We've talked about that and the
8 AP1000.

9 Your limiting small break usually is
10 determined from a small branch line at the bottom of
11 the cold leg. That type of an orientation.

12 If we're ever going to be successful with
13 code consolidation and improving the codes, we're also
14 going to have to understand the side-oriented branch.
15 Practically that's important in several plants.
16 There's not a whole lot of those that have side
17 orientations, but there's a lot of experimental tests
18 primarily in the ROSA facility that would be
19 absolutely vital for co-development.

20 That unless we can get the side branch
21 correct we'll be forever dealing with the
22 compensating-error issue. So we need to be able to
23 get the top branch, the side branch, and the bottom
24 branch right in the long-run.

25 MR. SCHROCK: Well, we have data for the

1 side branch. But I think that, again, you'll find
2 that if the upstream conditions in the actual system
3 looked more like in the OSU mock-ups of the system,
4 that the data would not be applicable.

5 I certainly wouldn't want to argue those
6 data for anything that looks like this sort of
7 churning, pulsating flow in that horizontal pipe.

8 CHAIRMAN WALLIS: Okay. Do you want a
9 break?

10 MR. ROSENTHAL: I think it would be fair
11 to the presenters, et cetera, if we could take a short
12 break, if you wouldn't mind. I mean it's your
13 meeting.

14 CHAIRMAN WALLIS: Well, we just got back
15 from lunch. So I was thinking of having a break at
16 about the time that was originally anticipated, --

17 MR. ROSENTHAL: It's your meeting.

18 CHAIRMAN WALLIS: -- halfway through,
19 otherwise -- see, we're a little bit -- we are late.
20 I mean you can get up and walk around, whatever. We
21 don't have to sit here all the time.

22 MR. ROSENTHAL: I will.

23 CHAIRMAN WALLIS: Okay. I think that
24 Jose's been dying to get up there.

25 PRESSURIZED THERMAL SHOCK RESEARCH

1 MR. REYES: Okay. Now I'll get into the
2 pressurized thermal shock research. This presentation
3 is to give you a -- I've actually combined three of
4 the presentations to save a little time.

5 That includes the research objectives, a
6 little bit of the prior work that's been done on PTS,
7 and then a discussion of what test matrix was
8 performed.

9 So I'll to jump straight into some of the
10 -- does this go backwards.

11 So we'll talk about overview; give you a
12 little bit about our research program, what's been
13 done; and then I'll mention what tests have been
14 performed and what calculations have been performed,
15 and just a brief summary. So this is by way of an
16 introduction to what you'll be seeing in more detail.
17 So each of these areas will be discussed in detail by
18 the different presenters.

19 CHAIRMAN WALLIS: And a lot of this stuff
20 we won't see 'til tomorrow, right?

21 MR. REYES: Correct. Correct.

22 Now on the overview there are 10 slides on
23 what's been done in the past. And I think this is an
24 optional area, and I'll leave it to the discretion of
25 the Chairman. We --

1 CHAIRMAN WALLIS: Does it matter? Does it
2 matter to the present?

3 MR. REYES: I think we can jump 'til -- we
4 can jump to slide 12, and we'll gain some time.
5 Basically -- what it does is discuss what's been done
6 in the past.

7 And then beginning on slide 12 there it
8 discusses the results of my review of the previous
9 work. Does that sound fair?

10 CHAIRMAN WALLIS: Okay. That's fine.
11 Let's do that. Let's do that.

12 MR. REYES: That'll advance us --

13 CHAIRMAN WALLIS: I think that we were
14 most interested in what you have done.

15 MR. REYES: Okay.

16 CHAIRMAN WALLIS: And then at the end we
17 might see what everybody's done and tells us about the
18 conclusions we should be drawing.

19 MR. REYES: Right. So let's -- we'll jump
20 to page number 12, please. And so basically what I've
21 done is I've gone through and looked at what's been
22 done in the past. And of course I already had some
23 familiarity. And this would be the results of my
24 review of the previous research.

25 So I looked at integral system research

1 that had been done previously. Well, the integral
2 system work really was related to calculation. So
3 what we had were calculations performed by TRAC and
4 RELAP for the Oconee and the H. B. Robinson and the
5 Calvert Cliffs plants. So all we had were
6 calculations. There was no integral system test data
7 available specifically for the PTS scenarios of
8 interest.

9 So as a result of the review of the prior
10 work there was a need to benchmark the system analysis
11 codes to determine their ability to predict loop
12 stagnations, train the system pressure and downcomer
13 temperatures. So we'd like to have some benchmark
14 data for those codes.

15 We'd like to be able to integrate the
16 separate effects test results with the integral system
17 behavior. What we had were two sets of experiments.
18 We had -- well, actually all we had were the
19 separate-effects experiments. We didn't have integral
20 system tests.

21 And I think what you'll see is that they
22 do link together and that some of the separate LOCA
23 behavior affects loop stagnation, which is an integral
24 behavior. And so we'll be talking about that later
25 on. So that was one of the motivations for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 research.

2 Also there was an effort to examine the
3 effect of core heat, heat transfer on downcomer fluid
4 temperatures. The pre-separate-effects tests were --
5 essentially modeled the cold leg, loop seal,
6 downcomer, the lower plenum, and then they had a stand
7 pipe. So there was no core sitting behind the barrel
8 wall to heat up the core barrel wall.

9 So heat transferred from the core barrel
10 to the fluid is going to be examined also in this
11 study. So that was another thing that we noticed that
12 was missing from past research.

13 In the area of separate-effects testing we
14 need to obtain some fluid mixing data for low-flow
15 HPSI operation in a side injection cold-leg geometry.
16 So we didn't find in the existing literature any
17 low-flow HPSI for a Palisades-type geometry. So we
18 actually have done some flow visualization testing,
19 and we'll demonstrate some of that for you tomorrow.

20 We also saw the need to develop a
21 criterion for the onset of loop seal cooling. In
22 these plants you actually have a -- as John will show
23 in a little bit -- you have a reactor cool pump with
24 a lip on it that prevents the -- that keeps a layer of
25 cold fluid on the bottom of the cold leg essentially.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And when that spills over it has a
2 particularly important effect in cooling the loop seal
3 and it affects the loop behavior. So we need a
4 criterion for that.

5 Also we want to assess some of the advance
6 CFD Code capabilities. We've seen a tremendous
7 increase in speed. Back in '85 when we were trying to
8 run SOLA-PTS and some of the other CFD Codes, it was
9 painstakingly slow.

10 And the nodalization, we were able to get
11 maybe 4,000 nodes in the downcomer, and it was taking
12 10 hours to run maybe 10 seconds of transient. So it
13 was -- and of course at the time we needed to perform
14 amounts of 200 transients for 7,200 seconds apiece.
15 And you do the math and you figure, well, not in my
16 lifetime, I don't think.

17 So -- but what we've seen now is the CFD
18 Codes have been -- are much more robust now. They are
19 -- the computational speeds are much better. And
20 you'll be seeing some fairly-heavily meshed systems
21 later on in the presentations.

22 Okay. So now we set up this research
23 program here at OSU. We want to perform some integral
24 system and some separate-effects tests to address the
25 earlier research limitations. We've got -- we've had

1 a very good cooperation in place. It's worked very
2 well. From the NRC Research, Dave Bessette, Gene
3 Rhee, Sarah Colpo, Chris Boyd. Those folks have been
4 very supportive of what we're doing.

5 They have allowed us to -- it's allowed us
6 to be able to work with Oak Ridge and with Consumers
7 Energy -- I was misspelling it. Oak Ridge of course
8 is had interest in where we put our thermocouples to
9 measure our temperatures. And they have been helpful
10 in providing input in that area.

11 Consumers Energy, the Palisades Plant,
12 they've been very helpful in providing plant data.
13 And they've also done some other work in having us
14 have discussions with their operators so we know how
15 operators realistically respond to main stream line
16 breaks and small break LOCAs. And we'll talk about
17 that a little bit more later.

18 So this is by way of the structure of our
19 research plan. And it might be hard to read on there,
20 so I'm just going to talk about the big, the overall
21 headings.

22 We essentially started off with a review
23 of what had been done. Did a scaling analysis to see
24 whether or not our APEX facility could be modified to
25 give us behaviors or to produce a geometrically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 similar system to the Palisades Plant. That was the
2 plant selected.

3 We found that it was geometrically
4 similar, remarkably so, that the CE 2-by-4 design is
5 very, very similar to the AP600 design.

6 So in scaling that cross-section flow
7 airs, the volumes, we're essentially using a constant
8 factor all the way around the loop, so it was very
9 nice.

10 We did some facility modifications, and
11 then we were able to perform our testing. We've had
12 two types of tests, as I mentioned before, integral
13 system tests, and then we also did some
14 separate-effects test.

15 In the area of thermal hydraulic analysis
16 we're using RELAP5, the NRC version, the Gamma
17 version. And we're using REMIX and STAR-CD to do more
18 detailed LOCA separate-effects types of analyses.

19 So what we plan to present to you is the
20 summary of all this work in each of these areas and
21 try to provide you with some result in each of these
22 areas that will be helpful to the overall PTS
23 reevaluation.

24 So I mentioned the scaling analysis. I
25 won't get into a lot of details. We established that

1 the degree of geometric similarity between Palisades
2 and APEX was -- the plants are similar geometrically.

3 We developed a detailed scaling basis for
4 looking at the -- for assimilating the onset of loop
5 stagnation. So our flows, and our injection flows,
6 and our cold-leg flows under natural circulation
7 conditions are maxed so that we're able to get the
8 onset of loop stagnation under the same conditions.

9 The onset of thermal stratification, the
10 cold legs. This has been interesting. We've learned
11 a lot from our tests here. Both the flow
12 visualization and the APEX-CE test. We'll talk more
13 about that.

14 We have also did some scaling in the area
15 of thermal fluid mixing. And that also required doing
16 some separate-effects tests in APEX. We did some
17 very, very simple benchmark tests on those.

18 Now we developed scaling bases for
19 comparing the main steam line break and a small break
20 LOCA in our facility to Palisades. And we also
21 identified which of the PTS PIRT phenomena would be
22 adequately simulated in APEX-CE.

23 Facility modifications. The APEX design
24 was modeled, of course, after the AP600. What we've
25 done is we've added loop seals to this design to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 simulate a Palisades plant. We've changed the
2 configuration of the cold legs to simulate the
3 Palisades Plant.

4 We've eliminated all the -- in essence,
5 all the passive safety systems of the AP600. And
6 we've changed the logic. We've isolated all the logic
7 of the AP600 to come up with a design that was similar
8 to Palisades.

9 We've also added four safety injection
10 lines on the cold legs in prototypic geometry,
11 including the check valves on those lines, to simulate
12 the inactive emergency core cooling system.

13 The types of integral system tests that we
14 performed, we -- in all the tests we measured
15 downcomer fluid temperatures and of course the
16 corresponding system pressures. And we did a series
17 of small break LOCAs and what are called excess steam
18 demands on main steam line breaks, a stuck-open
19 atmospheric dump valve test.

20 And in these tests we've tried to identify
21 the conditions that lead to primary loop stagnation.
22 And we've nailed those down pretty well, I think.

23 This is our test matrix just for the
24 integral system test. We start off very simply with
25 just a natural circulation flow benchmark test, making

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sure that all of our loop resistances were similar to
2 the Palisades.

3 We did a stepped inventory reduction test
4 which was reminiscent of the semiscale tests done back
5 in the, I guess it was, late '70s, early '80s. We
6 were able to duplicate that work. Again we're trying
7 to characterize single-phase and two-phase natural
8 circulation in our loop. And I'll show you those
9 results later on.

10 And then, of course, we did the small
11 break LOCA tests. We had a -- it's actually -- we did
12 a 1.4-inch hot-leg break from full power conditions.
13 And actually number 8 was a two-inch hot-leg break
14 from full power conditions. So that test -- that's an
15 old test nomenclature. So that was actually a
16 two-inch break that was performed, number 8.

17 We did the stuck-open pressurizer 4 from
18 full power; 10 was revised also. We did stuck-open
19 pressurizer power with a combination stuck-open
20 automatic atmospheric dump valve. So some of these
21 have changed, and I guess we didn't catch it on this
22 slide. Sorry.

23 We did do two main steam line breaks, one
24 from full power and one from hot and zero power. And
25 then test number 13 we still need to perform. That's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one where we have an opportunity to do something a
2 little bit different there.

3 We're looking at HPSI injection in a
4 partly-voided downcomer. Now you've got level in a
5 downcomer. And we're essentially pouring cold water
6 into it. So it's a little bit different than what's
7 been done in the past. And we do need to get a little
8 bit of guidance on the best way to perform that test.
9 But that's all that's left from our original integral
10 system test matrix.

11 And we also performed some
12 separate-effects test in APEX, APEX-CE. And these
13 were steady-state HPSI tests. And these were similar
14 to what was done at Creare in their half-scale
15 facility. And we also simulated those in our
16 transparent loop. We wanted to see the thermal
17 stratification in the cold legs.

18 We wanted to study the plume development
19 interaction in the downcomer. And we wanted to look
20 at plume heat transfer downcomer walls. And so this
21 was an APEX-CE, so we were at full pressure. We were
22 injecting -- essentially it is a constant HPSI flow
23 rate.

24 And these were done with no core power, so
25 it was very similar to what was done at Creare. And

1 we'll show some of the differences that we've seen
2 from our data and what was done at Creare in the past.

3 Our test matrix, Tests 3, 4, 5, and 6, 3
4 was essentially a parametric study. And that was
5 safety injection under natural circulation fluid
6 mixing conditions. So we've looked at 16 different
7 conditions there.

8 And 4, 5, and 6 were just like the Creare
9 half-scale type test. We did it with one HPSI
10 injection and then with four at two different flow
11 rates. And the big difference there is we do see some
12 of the effect of the core barrel stored energy
13 release, and it plays a significant role.

14 And then in the flow bridge relation
15 series, we're still continuing to do some of those.
16 We're looking at onset of rear wall spillover and how
17 to go about modeling that.

18 In terms of analyses, we're doing two
19 types, of course. We're doing integral system
20 analyses and we're doing separate-effects analyses.
21 We're using RELAP5, the NRC, the Gamma version to do
22 the integral system analyses.

23 We've performed actually five analyses
24 there. One was a steady-state natural circulation.
25 The other one was Test Number 2, which was a reduced

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inventory.

2 Then we've done two main steam line break
3 analyses and one small break LOCA analyses. So Dr.
4 Lafi will be presenting that later this afternoon.

5 In the area of separate-effects analysis,
6 we used STAR-CD to do some analyses there. And this
7 was kind of a very good experience for our students.

8 What we did, we said, here we have some
9 folks with some good basic engineering background. We
10 hand them the code and say, "You have a year to learn
11 this code," and to try to get -- to benchmark it
12 against existing data to see if it works. "I want you
13 to report back to me all your difficulties, all your
14 experiences, and how difficult it was to learn this
15 type of code to get to a point where you feel
16 proficient and able to use it to come up with
17 predictions for a new geometry."

18 So they've got some feedback and some
19 lessons learned there.

20 And we also used the REMIX Code for
21 predicting some of our separate-effects test. That's
22 one that had been used in the past in the previous
23 effort. It's a regional control volume type of
24 analysis technique that's used and had been used in
25 the past to predict the downcomer temperatures and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually the -- all the way through the downcomer and
2 out the exit of the downcomer. And we've got some
3 calculations to show you there.

4 This mentions the tests that had been
5 performed or analyzed using RELAP. Again, we have
6 four there. And there was an additional one which was
7 basically our benchmark -- a benchmark case. And that
8 has the right nomenclature there with the two-inch
9 hot-leg group.

10 So you'll be seeing -- you'll be seeing
11 some of those calculations later today.

12 For the STAR-CD calculations, we did
13 benchmark the code against the Creare half-scale test,
14 MAY 105. You'll see that result.

15 And then we have also looked at
16 OSU-CE-0003 as one of the parametric studies that
17 included flow in the cold leg, a natural circulation
18 flow rate.

19 For the REMIX calculations we'll be
20 showing three of those today. OSU-CE Number 4, 5, and
21 6. And those are similar to what had been done in
22 Creare, except now we are doing an integral loop with
23 some of the heat transfer from the core barrel going
24 to the plenum. And we see that it does make a -- it
25 does impact the results quite a bit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay. So this is an outline of what
2 you'll be seeing. Okay. I wanted to show you the
3 overall structure. We had integral system testing.
4 We had separate-effects testing. And then we had
5 modeling approaches or analysis approaches for each of
6 those areas. RELAP for the integral system, STAR-CD
7 and REMIX for the separate-effects test.

8 So we performed those analyses, and you'll
9 see those today. We were able to modify the facility,
10 and we think it scales quite well. We've got eight
11 integral systems tests that have been completed. We
12 have one test, number 13, lucky number 13, which
13 remains to be performed.

14 We have four separate-effects tests which
15 have been performed, and it includes one parametric
16 study which has actually 16 separate conditions. And
17 then we're right now continuing to do a series of flow
18 visualization tests in our transparent loop.

19 And that's that. Any questions on what
20 you're about to see?

21 So that's an overview of our research plan
22 and what's been done. I think the next thing on the
23 Agenda is to start describing working through this.
24 So the facility, I think, description is next.

25 CHAIRMAN WALLIS: Now we're due to have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 break after you stop talking; is that still
2 appropriate?

3 MR. REYES: I'm sorry?

4 CHAIRMAN WALLIS: We're due to have a
5 break after you stop your series of presentations. Is
6 that still appropriate?

7 MR. REYES: Sure, that will be fine.
8 We'll take a short break. So I have stopped talking.

9 What I've done is I've combined those
10 three presentations into one. So I've talked about
11 test matrix, what was performed.

12 CHAIRMAN WALLIS: Yes. Right.

13 MR. REYES: I talked about our research
14 plan. And what I skipped a bit of was the prior work
15 and the PTS research that's been done. But I did
16 summarize the results of that or the areas that we
17 felt we could contribute.

18 CHAIRMAN WALLIS: Are you going to give --
19 are you going to give John Groome's presentation?

20 MR. REYES: So now John Groome is ready to
21 present.

22 CHAIRMAN WALLIS: Okay.

23 MR. GROOME: Would you like me to present?

24 CHAIRMAN WALLIS: Sure.

25 MR. GROOME: Okay.

1 CHAIRMAN WALLIS: And then what do you
2 have to do after that, before --

3 MR. REYES: Well, then it's a separate
4 presentation -- oh, I see. The break's after my
5 second, okay. Yeah, the second presentation.

6 CHAIRMAN WALLIS: Your second
7 presentation. We'll see how long John Groome talks.
8 We may --

9 MR. GROOME: I'll try to go real fast.

10 OSU PTS TEST FACILITIES AND PALISADES OPERATIONS

11 MR. GROOME: Good afternoon. My name's
12 John Groome. I'm the Director of Facility Operations
13 on the APEX Test Facility.

14 I've outlined what we're going to talk
15 about. And I'm just going to go fairly fast. And if
16 you have any questions you can certainly slow me down
17 to ask.

18 I'm going to talk about the APEX-CE Test
19 Facility, some of the modifications that we performed
20 to the facility, a basic description of the facility.
21 I'll also show some slides of the flow visualization
22 loop.

23 I'll talk briefly about the NRC meeting at
24 Palisades. We traveled with NRC to Palisades, and we
25 actually observed the operators perform main steam

1 line breaks and small break LOCAs at their simulator.

2 And we learned -- what we tried to do --
3 the AP600 philosophy was hands off, the plant logic
4 takes care of the plant during an accident scenario.

5 Palisades is more like a traditional plant
6 where the operators actually interface with the plant
7 during the accident. And so we tried to incorporate
8 some of those operator actions into our tests.

9 And I'll talk briefly about some
10 conclusions.

11 CHAIRMAN WALLIS: Are we only doing this
12 work for CE plant?

13 MR. GROOME: Well, the facility that we've
14 -- the APEX facility was modeled after the Palisades
15 CE plant.

16 CHAIRMAN WALLIS: All right. But the
17 conclusions are going to be applied to pressurized
18 thermal shock in some other plants, or what's the NRC
19 going to do?

20 MR. BESSETTE: Yes. Well, the reason we
21 -- you know, the scaling was done to compare APEX to
22 CE plants because the APEX configuration falls very
23 close to the CE configuration. The other plants we're
24 doing analysis on were Oconee and the Westinghouse 3
25 Loop Plant, Beaver Valley.

1 So -- but in terms of, you know, looking
2 at -- some of these phenomena, of course, should be
3 generic, like the interruption of loop flow, you know,
4 flow stagnation.

5 CHAIRMAN WALLIS: Well, the method of
6 injecting ECC is different.

7 MR. BESSETTE: The method -- the method of
8 -- you know, the injection is similar.

9 CHAIRMAN WALLIS: It's different in
10 different plants.

11 MR. BESSETTE: Yeah.

12 CHAIRMAN WALLIS: A side injection is
13 rather unusual.

14 MR. BESSETTE: Yeah. You know, the plants
15 will have any -- all configurations, from top to side
16 to bottom.

17 CHAIRMAN WALLIS: I thought some CE plants
18 have top injection, don't they?

19 MR. BESSETTE: Possibly.

20 CHAIRMAN WALLIS: I think so, yeah.

21 MR. BESSETTE: But basically you can find
22 every configuration.

23 Now the other aspect is the general
24 question of code assessment is part of the objective.
25 So we look at different kinds of secondary side and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 primary side transients with steam line break and
2 small break LOCA.

3 So, you know, we picked, let's say, the
4 most PTS-significant types of transients to run as
5 integral to the experiments.

6 Again I think, say, for a steam line
7 break, phenomena are similar. Small hot-leg breaks,
8 again the phenomena are going to be similar.

9 CHAIRMAN WALLIS: But you're going to
10 rewrite some PDS rules, aren't you, for all plants?
11 Isn't that in the offing?

12 MR. BESSETTE: Yes. Yeah, because the PTS
13 rule applies to all the plants generically.

14 CHAIRMAN WALLIS: So you're going to have
15 to show some sort of generic applicability of this
16 work.

17 MR. BESSETTE: Yes, -- well, you know, the
18 --

19 MR. KRESS: These methodologies, though,
20 would show up in a Reg. Yeah, they would show up in
21 a rule, wouldn't they?

22 MR. BESSETTE: So I think, you know, the
23 -- what we do is we say, well, the phenomena are going
24 to be -- the dominant phenomena are going to be the
25 same for different plant designs. We're doing some --

1 we're also incorporating -- let's say part of the
2 objective here is to assess RELAP. We've got the same
3 down on phenomena, so presumably the assessment is
4 going to be valid for those different plants.

5 Like I say, when we did the scaling eval-
6 -- when, you know, Jose did his scaling evaluation, he
7 did it looking at the geometric similitude of APEX
8 with respect to CE plants.

9 Was that an answer?

10 CHAIRMAN WALLIS: But RELAP doesn't model
11 this stratification, does it?

12 MR. BESSETTE: Some of these phenomena,
13 you know, of course RELAP can't do.

14 CHAIRMAN WALLIS: That's right. So how
15 can you test RELAP on phenomena you can't model?

16 MR. BESSETTE: Well, if we can show that
17 the downcomer temperatures -- if it turns out that
18 downcomer temperatures calculated by RELAP are similar
19 to the experiments, then we can argue that -- if
20 that's so, then we can argue that the phenomena it
21 can't calculate it don't seem to be that significant.

22 If there are differences, I think we have
23 to supplement the RELAP analysis with the CFD and/or
24 REMIX.

25 CHAIRMAN WALLIS: Okay.

1 MR. GROOME: The APEX-CE Test Facility is
2 geometrically similar to the Palisades Plant. It
3 includes a reactor vessel with a 48-rod
4 electrically-heated bundle. We have two hot legs,
5 four cold legs with reactor cold pumps, and we added
6 high-pressure safety injection nozzles on a side
7 orientation, similar to Palisades.

8 One pressurizer. Two inverted U-Tube
9 steam generators, a feed-water pump. And we have a
10 programmable logic controller that we actually use to
11 model the Palisades Plant logic.

12 This is a brief summary of the
13 instrumentation. We have thermocouples. We added
14 approximately 50 thermocouples to the downcomer to
15 measure the plume temperature distribution for the PTS
16 work.

17 We have pressure and differential pressure
18 detectors. Some of our differential pressure
19 detectors are actually used to measure level and pipes
20 in various tanks.

21 Primarily for our liquid flow we use
22 magnetic flow meters. We use vortex flow meters for
23 measuring of steam flow. Some of our tanks have load
24 cells to actually get a mass.

25 And we installed Coriolis flow meters,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mass flow meters, on our four injection lines that we
2 added to the plant.

3 Testing capabilities in the CE
4 configuration include hot-leg breaks, cold-leg breaks,
5 main steam line breaks, stuck-open pressurizer safety
6 relief valves, and stuck-open steam line atmospheric
7 dump valves.

8 OSU modified the APEX to simulate the
9 Palisades' 2-by-4 PWR. Again we added four cold-leg
10 high-pressure injection lines. We actually modified
11 our cold legs to include a loop seal.

12 We looked at the Palisades Plant, and I'll
13 show you a slide here in a minute, and we added a weir
14 wall in our cold leg to simulate the Palisades'
15 primary-cooled pump housing lip.

16 And what that does is it prevents the cold
17 leg from completely draining. And we added again
18 approximately 50 additional thermocouples and 12
19 loop-seal thermocouples to our loop and four mass flow
20 meters to the injection nozzles.

21 This is an elevation view of the
22 Palisades' loop. And you can see the -- I'll just
23 point. This is the primary cooler pump lip here we're
24 talking about. The cold-leg nozzle would actually
25 inject -- would actually come off the screen here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 perpendicular that prevents the cold leg from
2 completely draining.

3 CHAIRMAN WALLIS: So there's no loop seal
4 in this --

5 MR. GROOME: Well, I'll show you a side
6 view. So this is an artist's rendition of the APEX-CE
7 configuration.

8 One of the things that's different, this
9 is a planned view here showing the similarities
10 between the two plants. Here's an elevation view.

11 One of the things that's different is our
12 reactor coolant pumps were made specifically for the
13 APEX, the AP600 configuration, and they mounted
14 vertically to the bottom of the steam generators.

15 Typically on a PWR they're mounted
16 vertically upright on the top of the loop seal. What
17 we did is we dropped the pump vertically at the bottom
18 of the loop seal. And then there at the flange right
19 on the discharge on the vertical section or the
20 horizontal section of the cold leg, we added a weir
21 wall in the cold-leg pipe to simulate that lip of the
22 Palisades' primary coolant pump.

23 We also built a flow visualization loop to
24 help us understand the mixing in the cold leg. Again
25 it was constructed of clear PVC pipe. The test loop

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 includes a single cold-leg piping geometry
2 representing APEX-CE, a high-pressure safety injection
3 nozzle on the side with a check valve, a weir wall in
4 the cold leg, and we have a 50-gallon salt water
5 mixing tank that we use to simulate the difference
6 between the hot and cold streams.

7 Our high-pressure injection pump is
8 capable up to 20 gallons per minute and our cold leg
9 flow pump is capable of 500 gallons per minute.
10 Typically we ran the flow visualization tests at much
11 reduced flows.

12 CHAIRMAN WALLIS: This salt water mixing
13 is only for a separate-effects test?

14 MR. GROOME: Correct. It was just for
15 visualization.

16 And here is a side view of the test loop.
17 The green dye is actually in the salt water when we
18 inject it. This is actually a post-test. You can see
19 the weir wall right there. Right there's the weir
20 wall in our clear test section.

21 If we had a pump here that simulated the
22 APEX-CE, the pump would actually be installed down
23 here. But we just took a -- we have a test pump there
24 in the facility, and we just took a flow off of the
25 pump that's mounted on the floor there to simulate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 natural circulation flow rates. And we could vary
2 that parametrically up and down.

3 CHAIRMAN WALLIS: Are you going to show us
4 this, or are you --

5 MR. GROOME: Well, you kind of saw it if
6 you --

7 CHAIRMAN WALLIS: Yeah, it was there.

8 MR. GROOME: -- when you were there, but
9 we didn't actually put on a demonstration. But we can
10 do that for you.

11 MR. SCHROCK: Now what does the weir wall
12 simulate?

13 MR. GROOME: The weir wall simulates the
14 loop, the lip seal.

15 Can you make me go back there, Brandon, to
16 where that picture was? One more maybe. Two more.
17 There you go. There's the mouse.

18 So this is the lip here that I'm talking
19 about that exists in the primary coolant pump casing.
20 And right here projecting perpendicular from the
21 screen is the cold leg nozzle.

22 And so what it does is it prevents you
23 from draining, completely draining this cold leg if
24 you were to open up a drain valve. In other words, in
25 order to spill over into the loop seal you have to get

1 by this lip.

2 And since our pumps are at the bottom of
3 the loop seal we added this lip here on the horizontal
4 section of our cold-leg pipe to simulate this lip of
5 the Palisades' primary coolant pump housing.

6 MR. SCHROCK: In what way does it simulate
7 it? It's got the same height restriction or --

8 MR. GROOME: The same -- it's the same
9 elevation. It doesn't simulate necessarily the
10 roundness of the geometry. It's just a vertical plate
11 that's welded on the inside of the pipe.

12 And again this is a top-down elevation of
13 the flow visualization loop showing the side injection
14 nozzle there.

15 We also traveled to Palisades to -- we
16 found out where Kalamazoo is. If everybody ever wants
17 to know where Kalamazoo is, it's in Michigan. And --

18 CHAIRMAN WALLIS: It's a Covert operation.

19 MR. GROOME: Yeah, it's in Covert. The
20 plant's actually in Covert, but you fly into Kalamazoo
21 to get to Covert, which we had to look at a map for
22 quite a while to figure out where that was at.

23 But we actually talked with the Palisades'
24 operators trying to understand the logic that they do
25 for their accident scenarios and when they train on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the simulators.

2 We actually observed, I think, about four
3 tests, two main steam line breaks and two small break
4 LOCAs. And based on discussions with the Palisades'
5 operators and our observation and understanding of the
6 scaling limitations of the facility, we developed a
7 set of test procedures for the APEX-CE tests that we
8 performed as part of our NRC work.

9 And I'm just going to briefly just kind of
10 -- Dr. Reyes wanted me to talk a little bit about just
11 to give you kind of a feel for what Palisades'
12 operators would do during tests.

13 We looked at some of their emergency
14 operating procedures, their standard post-trip
15 actions: Loss of coolant, accident recovery
16 procedure, an excess steam demand, their functional
17 recovery procedures, and some of their EOP supplements
18 when we were developing our test procedures.

19 And this is just a general outline for
20 Palisades for a small break LOCA, their general
21 sequence of events that you would see.

22 They normally would manually scram the
23 reactor whenever their second charging pump was
24 started. They have three charging pumps that can vary
25 the flow from anywhere from 30 to 150 gallons per

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 minute.

2 They manually tripped two reactor coolant
3 pumps at 1300 PSI, one on each loop. And they tripped
4 a second pair of reactor coolant pumps whenever they
5 approach less than 25 degrees subcooling margin. And
6 typically that will happen about five minutes.

7 Depending on the scenario that they're
8 running, typically will happen about five minutes
9 after tripping the first reactor coolant pumps.

10 And the operator determines this by
11 looking at T hot and temperature to core and
12 pressurize the pressure. And they actually have a
13 screen, and I don't have a viewgraph, but they
14 actually part -- I do have a little bit of a viewgraph
15 showing the operator trends as they depressurize.

16 And typically the reactor coolant pumps
17 are not restarted during a small break LOCA, even if
18 subcooling is regained. And that's because -- well,
19 this assumes -- for a steam break inside a
20 containment, they lose cooling water to the reactor
21 coolant pumps.

22 And so whenever they're isolated they have
23 about five minutes to regain cooling to the reactor
24 coolant pumps, otherwise they have to go to a warm-up
25 procedure that takes them about 30 to 40 minutes to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 warm up before they can open up the cooling water back
2 to the reactor coolant pump. So they just go ahead
3 and lose the second pair, and they don't immediately
4 worry about restarting the reactor coolant pumps.

5 Monitor. They monitor the pressurizer and
6 reactor pull, reactor pressure level. The small break
7 LOCA does not adequately remove decay heat, so they
8 use the steam generators to remove decay heat via the
9 turbine bypass valve or atmospheric dump valves. The
10 turbine bypass valves are limited to five percent.
11 And then they manually control aux feed water to
12 maintain the steam generator level.

13 There's no automatic steam generator
14 isolation. And when the T hot approaches about 550
15 degrees Fahrenheit, they secure the main feed pumps.
16 And note this is approximately after the test T hot or
17 after the small break LOCA, the temperatures are
18 approximately 530 degrees Fahrenheit immediately
19 following the reactor trip.

20 The turbine bypass valve is -- the set
21 point is 900 psia, which is approximately Psat for
22 532. So the turbine bypass valve will open up and
23 start to dump steam also.

24 The main steam line break. They get their
25 signal either on a containment pressure greater than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 four PSI inside a containment. They will isolate the
2 main feed pumps and main steam. Auxiliary feed water
3 and atmospheric steam pump valves are available.

4 They manually trip the reactor or allow it
5 to trip on a set point, but they will get a
6 power-to-flow set point scram.

7 They'll determine the affected steam
8 generator and isolate on excess steam demand or tube
9 rupture. So they have a procedure where they try to
10 determine if it's a U-tube rupture or a main steam
11 line break. They'll isolate the aux feed water.

12 And for our tests we were not
13 conservative, and we assumed that it took them about
14 10 minutes to isolate aux feed water to the affected
15 steam generator.

16 And they'll also isolate the atmospheric
17 dump valve, turbine bypass valve, and the safety
18 isolation valves. And they'll allow the affected
19 steam generator to blowdown.

20 They'll stabilize the plant. They'll cut
21 back on the charging pumps when the pressurizer level
22 is gained to 40 percent if it's a main steam line
23 break in the containment; and 20-percent pressurizer
24 level if the break is outside the containment.

25 They'll maintain the normal steam

1 generator -- the normal steam generator level on the
2 intact steam generator by using aux feed water.

3 When the steam generator pressure is less
4 than 800 PSI, they'll close the main steam isolation
5 valves.

6 The reactor coolant pumps are on unless
7 the excess steam demand is inside the containment.
8 And again what happens there is that the containment
9 is isolated and they lose coolant water to the reactor
10 coolant pumps. And the reactor would most likely trip
11 on their power-to-flow set-point.

12 Palisades has a set of pressure and
13 temperature limit curves that are available to the
14 operator on a CRT screen. These curves are basically
15 designed to help them avoid a PTS event.

16 This is a look at the pressure and
17 temperature curves from one of their emergency
18 operating supplements. There's three curves on the
19 bottom there. You could perhaps read a little bit
20 better from your notes.

21 The bottom curve is the saturation curve.
22 The curve right above it here is the 25-degree
23 subcooling curve. So if they got down to this curve
24 here they would secure the sector of reactor coolant
25 pumps during a small break LOCA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And this third curve that's right above it
2 that actually crosses over the 25-degree subcooling
3 curve is their minimum-pressure temperature for
4 reactor coolant pump operation. And this is just an
5 abbreviated screen. This actually goes -- there's
6 another page that actually goes all the way out to 50
7 degrees Fahrenheit.

8 The upper limits of these curves, there's
9 a 200-degree subcooling curve. And there's this VLTOP
10 curve which is their variable limit for temporary
11 overpressure protection. I like to refer to this as
12 the brittle fraction prevention curve here, so that
13 when they're shut down this is the set-point that
14 would actually open up their primary power-operating
15 relief valves to avoid exceeding the pressure for the
16 temperature that they're at.

17 Normally this curve is not -- the VLTOP
18 curve, when they're operating, is not in play. They
19 use a 200-degree subcoolant curve until it comes down.

20 And the operator -- I'll show you a screen
21 here. This is from the actual main steam line break
22 simulation. And this is just -- there's a wide
23 variety of information on this CRT when you're
24 actually looking at it. And we just pulled one image
25 off. But this is their pressure and temperature limit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 curves.

2 Number 2 here and 3 are the hot and
3 cold-leg temperatures. So what they're doing, as the
4 main steam line break is progressing, the operator is
5 trying to control pressure and temperature to maintain
6 the plant within the two limits, the subcooling curve
7 here and saturation curve, and their 200-degree
8 subcoolant curve here on the top or the VLTOP curve.

9 The APEX plant operating procedures and
10 the plant actions were generally realistic with the
11 following very important exceptions. We did not allow
12 -- for our test procedure we did not allow throttling
13 of the high-pressure safety injection. So we just
14 started our high-pressure injection safety, and we
15 modeled the full flow during the whole entire test.

16 Isolation of the feed water flow to the
17 broken steam generator was assumed to take 10 minutes.

18 And no effort was made to keep the plant
19 within the pressure and temperature band, scaled, as
20 required by Palisades' emergency operating procedures.
21 So we essentially just let the plant behave as it
22 would with no operator actions once we started the
23 scenario.

24 The APEX-CE Test Facility includes all the
25 key components needed to simulate the Palisades'

1 thermal hydraulic overcooling behavior.

2 The transparent loop provides
3 visualization of the fluid-mixing behavior in the
4 APEX-CE cold legs.

5 The NRC meeting at Palisades in March and
6 the emergency operating procedures provided valuable
7 insight into operator actions during the main steam
8 line breaks and small break LOCAs.

9 The Palisades' emergency operating
10 procedures are designed to avoid a PTS event. The
11 APEX-CE test procedures were based on Palisades'
12 emergency operating procedures, discussion with plant
13 operators, and actual observation of plant
14 simulations.

15 The APEX-CE operator actions were
16 generally realistic with a few very important
17 exceptions designed to produce PTS test conditions
18 needed to benchmark codes.

19 And I believe that's my presentation. Are
20 there any questions?

21 CHAIRMAN WALLIS: Not at this time
22 probably.

23 MR. GROOME: Thank you.

24 CHAIRMAN WALLIS: Thank you very much.

25 So you train your operators to simulate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Palisades or something, or do you put it in the
2 computer ahead of time, or...?

3 MR. GROOME: Actually we did both. For
4 the most part, for repeatability we programmed it in
5 our programmable logic controller.

6 But actually during the performance of
7 this test we had an equipment failure where we lost
8 our main feed pump. And so we had to use our pump
9 that we use for high-pressure safety injection for our
10 main feed pump. We have that capability. And so we
11 actually performed operator actions because of that
12 equipment failure at this plant.

13 MR. KRESS: The operators, their actions
14 are intended to keep you away from pressurized thermal
15 shock --

16 MR. GROOME: Correct.

17 MR. KRESS: -- or at least minimize it.
18 But your test, you're trying to see what happens here
19 in a pressurized thermal shock.

20 MR. GROOME: Exactly right.

21 MR. KRESS: So you don't really want to do
22 everything they do.

23 MR. GROOME: Exactly. That's what we did.

24 MR. KRESS: Yeah.

25 MR. GROOME: We looked at the actions that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they performed during the test, because it was quite
2 a bit different than the AP600. You know AP600,
3 basically the operator's dead. Plant logic takes care
4 of itself. There's no operator actions at all.

5 Palisades, there's operator actions that
6 affect the outcome of the test. So what we did was we
7 -- to understand that, we traveled to Palisades, read
8 and reviewed their emergency operating procedures,
9 talked to their operators, and incorporated some of
10 those operator actions into the test procedures.

11 For example, you know, we assumed that it
12 took a minimum of 10 minutes to isolate aux feed want
13 are.

14 MR. KRESS: Um-hum.

15 MR. GROOME: But we didn't try to --
16 unlike Palisades' operators, they'll actually try to
17 control temperature and pressure to keep the plant
18 within the two bounds of the P and T curves. We did
19 not do that. We let the test just progress after that
20 point.

21 MR. WOODS: Could I -- I'm Roy Woods. I'm
22 in Research, NRC. I just wanted to point out that
23 what these gentlemen are talking about, we take the
24 PRA contractors and the HRA contractors, and we've
25 gone to each of the plants that we are analyzing.

1 And one of the main things we do when we
2 go to these plants is go through some simulator
3 exercises so our HRA people and our PRA people can see
4 what the important human actions are and see how the
5 training the plant operators get corresponds to the --
6 whether or not they'll actually do those actions, and
7 whatever.

8 So you gentlemen went on the trip because
9 you were analyzing Palisades. And we also have
10 already gone to two other plants for the same kind of
11 purpose.

12 So the fact that they saw these human
13 actions and then chose not to simulate them, you know
14 that's okay. I mean they were looking for one purpose
15 and we were looking for a different purpose.

16 MR. KRESS: Yeah, that's what I get.

17 MR. REYES: Any other questions?

18 No.

19 SUMMARY OF INTEGRAL SYSTEM OVERCOOLING TEST RESULTS

20 MR. REYES: Let's proceed. What I'd like
21 to do is just start off with our integral system tests
22 and just give you the -- we'll start off with kind of
23 the big picture.

24 For PTS we're interested in the system
25 pressure and the downcomer temperatures, so we'll talk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a little bit about that.

2 In the presentations that will follow
3 we'll talk more about the details of how we got to
4 those temperatures and what's happening specifically
5 in the downcomer. So let's start with just an
6 overview.

7 So we'll look at downcomer fluid
8 temperatures, at some of the temperature and pressure
9 extremes for all the integral system tests that were
10 performed. And I'll just give you some conclusions
11 based on the big picture.

12 So you'll be seeing several presentations
13 looking at the specifics of the downcomer fluid
14 temperature under different conditions. So that will
15 -- that's to follow.

16 But in general the fluid temperatures were
17 relatively uniform around the downcomer at about eight
18 cold-leg diameters down into the downcomer. So we saw
19 good mixing for all the integral system tests at 8D.

20 And for the most of the tests at 4D, four
21 cold-leg diameters down, we saw good mixing. So
22 that's just perhaps a rule of thumb that you can keep
23 in the back of your mind.

24 MR. SHACK: Where does that put me
25 relative to the beltline?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. REYES: The beltline for this
2 particular plant, their beltline wells were right
3 about five cold-leg diameters down. Their centerline,
4 beltline -- well,...

5 Several of the tests that did experience
6 axial thermal stratification in the downcomer.

7 So we saw a cold temperature on the bottom
8 stratified all the way up to the top. But radially
9 they were all relatively uniform.

10 Here's the six integral system tests that
11 we performed. And this is just kind of trying to pick
12 the extremes. The minimum downcomer temperature for
13 that particular test and then in the column next to it
14 what the minimum pressure was.

15 And again in terms of scaling, you might
16 want to think of it this way: 360 psig would
17 correspond to about 1200 psig in the Palisades Plant
18 on a pressure-scaling basis. Okay.

19 So what we saw was an minimum downcomer
20 temperature for the smallest break, the 1.4-inch small
21 break LOCA, which was off of the hot leg, the minimum
22 downcomer temperature is about 255 degrees Fahrenheit.
23 We initially were at 420 degrees. It came down.

24 And the minimum pressure -- temperature --
25 the pressure at that minimum temperature was about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 131. You can look at all the numbers there.

2 In terms of the case which produced the
3 most -- the highest pressure at the lowest
4 temperature, we're looking at the main steam line
5 break at hot zero power.

6 And I think that's consistent with what we
7 saw in the previous analyses that were done almost 20
8 years ago -- about 10 years ago.

9 So the minimum downcomer temperature is
10 about 230 degrees Fahrenheit and about -- we
11 repressurized essentially on that test, okay.

12 And what I'll do now is I'll show you the
13 plots of each of those scenarios, the pressures and
14 temperatures, so we can do a little bit of a
15 comparison.

16 CHAIRMAN WALLIS: What's the last column
17 there?

18 MR. REYES: Oh, thanks --

19 CHAIRMAN WALLIS: You actually observed
20 stagnation for part of the time, or something?

21 MR. REYES: That's right, yeah. So if the
22 cold leg experienced stagnation anytime during the
23 transient, we identify which cold leg's that.

24 CHAIRMAN WALLIS: But they're not all at
25 the same time then?

1 MR. REYES: Right. And we did see some
2 asymmetric loop stagnation, and that was very
3 interesting phenomenon. We can explain that. There
4 will be a whole separate presentation just on loop
5 stagnation mechanisms. We've isolated those,
6 identified what causes loop stagnation for this
7 design.

8 MR. SHACK: What are we really talking
9 about when we say the "main steam line break" here?

10 MR. REYES: Right. In this test we were
11 doing, it was the equivalent of a one-square-foot main
12 steam line break.

13 MR. SHACK: Oh, one square foot.

14 MR. REYES: And the assumptions that were
15 involved in that, we had -- we assumed a
16 one-square-foot break on the main steam line. It was
17 assumed to be inside containment. And so we used the
18 operator or the -- the operator actions that would
19 correspond with a break inside containment. So that
20 requires isolating containment.

21 And when you isolate the containment what
22 happens is you lose your component cooling water to
23 the reactor coolant pumps. You lose your ceiling, so
24 you basically trip your pumps. And so we followed
25 that logic there.

1 So we performed two of these cases, one at
2 hot zero power which essentially assumed that the
3 plant had been scrammed about -- for a period of about
4 100 hours. And then full power, which assumes that an
5 immediate scram going to a decay curve.

6 For the hot zero power case we essentially
7 picked the -- we picked the power at 100 -- scaled
8 power at 100 hours. And essentially that power varies
9 very, very slowly at that point. And so for our test
10 we just used a constant low power.

11 For the full-power case we went to a decay
12 curve.

13 So we can see the two different scenarios
14 there. For the full-power case, we're looking at
15 pressure. That's in the solid black line there. The
16 red-dash line is the case for the hot zero power.

17 We see that because we're initially at a
18 lower power. We get -- so we wind up at a lower
19 pressure. What brings the pressure back up in this
20 scenario -- okay, the main steam break force drives
21 the pressure down in the primary side -- what brings
22 it back up is just the action of the high-pressure
23 injection system.

24 Unlike Palisades in their scenarios where
25 they would throttle and just keep bringing pressure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 down, we just let the system run and, given enough
2 time, the plant would repressurize. So this would be
3 -- this is a good benchmark case for RELAP Code, to
4 try to see if it could match these curves. So again
5 it's more severe than what you would see in the real
6 plant.

7 Now this is for the same test, same pair
8 of tests, what we saw for the downcomer temperatures.
9 And this is at the eight-diameter location, 8 cold-leg
10 diameter down into the downcomer.

11 And we see that the full power case,
12 because we still have core decay heat being generated
13 at a fairly substantial rate -- actually not only did
14 it repressurize, but it also reheated.

15 For the hot zero power case we stayed
16 fairly low in temperature.

17 We also did some of the small break LOCA
18 tests. And so here's the three scenarios that we did.
19 We did a 1.4-inch hot-leg break, a simulation of a
20 1.4-inch hot-leg break.

21 Then we did a large break, a two-point --
22 a two-inch small break LOCA.

23 And then we also did a stuck-open safety
24 relief valve on the pressurizer, which was the
25 smallest of the breaks. And so we can see -- an

1 interesting phenomena for the 1.4 inch. That's the
2 solid line that has kind of this jagged behavior. In
3 that case the HPSI pumps are capable, can actually
4 keep up with the break flow.

5 And so we see kind of a pressurizing and
6 then we fill up the pressurizer volume. And then we
7 would sweep all the liquid out again and repressurize.
8 And so we saw kind of a isolated behavior for that
9 one.

10 So if your pumps are able to keep up with
11 the break-flow rate, you see kind of a
12 repressurization in this kind of a jagged behavior.

13 When we went to a larger break, a two-inch
14 break, we see the pressure basically just come down
15 and it just keeps coming down.

16 MR. SCHROCK: How do you simulate the SRV
17 of the actual plant? What valve do you have and how
18 do you go about qualifying it as a simulation of the
19 actual plant valve?

20 MR. REYES: Right. Yeah, that's a good
21 point. All we do is we have a flow nozzle which is
22 sized to the diameter, a scaled diameter. And that's
23 -- it's well characterized, so we know the loss
24 coefficient for that flow nozzle. So all we can do is
25 characterize that. It's not -- it doesn't represent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the geometry of the valve throat in the real plant.
2 So that's a good point.

3 MR. SCHROCK: So you assume that critical
4 flow behaves in the same manner as loss coefficients
5 for incompressible flow?

6 MR. REYES: Come again? You said the
7 critical flow?

8 MR. SCHROCK: Yeah. It's critical flow
9 through the SRV.

10 MR. REYES: Right, that's correct.

11 MR. SCHROCK: And that's unrelated to a
12 loss coefficient ordinarily. So --

13 MR. REYES: Right, right.

14 MR. SCHROCK: -- when you say you have the
15 same loss coefficient, what's the significance of
16 that?

17 MR. REYES: In terms of loss -- what we do
18 is we characterize the flow nozzle for a range of
19 conditions. So we look at critical-flow conditions,
20 but we also look at essentially a subcritical flow.

21 For critical flow, of course we do have a
22 -- what this allows us to do at least with a code like
23 RELAP is specify what the conditions are at the valve.
24 So we're not giving it a complicated structure at the
25 valve to analyze, in essence.

1 So we don't -- to make the long answer
2 short, we don't simulate the geometry of the actual
3 SRV for Palisades. But we have -- but we know what
4 our geometry is, and we can characterize it.

5 MR. SCHROCK: But the scaled leak flow is
6 somehow demonstrated to be related to the, or the same
7 as in the plant for their actual valve?

8 MR. REYES: The data that we have for
9 their valve, they give a -- for a given pressure
10 condition in their plant, they give a given steam-flow
11 rate, and so we scaled to that.

12 So -- but they only give us that top
13 limit, so we know that their maximum -- we're given
14 pressure in their plant and what the flow should be
15 for that plant, but it's only one value.

16 And then it does behave quite well as a --
17 it's very close actually to a perfect gas behavior.

18 For the same three tests the small break
19 LOCA is looking at the downcomer temperatures. Again
20 this is somewhere down below the beltline weld.

21 CHAIRMAN WALLIS: Are you going to show us
22 the 4D ones, too?

23 MR. REYES: The -- oh.

24 CHAIRMAN WALLIS: Well, you said 8D. I
25 mean this --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. REYES: Right. Right, yeah.

2 CHAIRMAN WALLIS: You measured the various
3 Ds presumably.

4 MR. REYES: Well, we'll have several
5 presentations looking just at the downcomer fluid
6 temperatures. So I picked one in particular just to
7 -- as a characteristic like --

8 CHAIRMAN WALLIS: So we're going to
9 revisit that?

10 MR. REYES: Oh, absolutely. Absolutely.
11 We'll spend quite a bit of time in the downcomer.

12 The downcomer temperatures for the small
13 break LOCA, again looking at which would be -- gave us
14 the lowest temperatures. A two-inch break of course
15 because you're depressurizing gave us the lowest
16 condition there, followed by the 1.4 inch, and then
17 the smaller -- the small -- so we're just following a
18 saturation curve there.

19 We did do one combination test, and this
20 was kind of interesting. It was a stuck-open
21 pressurizer and the safety relief valve followed
22 immediately by a stuck-open or single stuck-open
23 atmospheric dump valve on the main steam line. Okay.

24 So we basically have a break on both sides
25 of the plant. And this is what we saw. Again initial

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 immediate depressurization, and then it gradually
2 tapers off, and then it just flattens off at a fairly
3 low pressure.

4 In terms of temperature we see somewhat of
5 an exponential-type decay which would go with a
6 primary side depressurization. And then a relatively
7 linear plot after that or trend after that.

8 The SRV is fairly small compared to the
9 other breaks. They have a fairly small valve size
10 that they use for that.

11 MR. SCHROCK: These are test data and yet
12 you get rather sharp changes in the slope of the
13 pressure curve. Not in this graph but in a previous
14 one.

15 MR. REYES: In the previous?

16 MR. SCHROCK: Yeah.

17 MR. REYES: Right.

18 CHAIRMAN WALLIS: Presumably something
19 happened to that point.

20 MR. REYES: Right.

21 CHAIRMAN WALLIS: TMI is low, though.
22 Something happened. The valve opened or closed, or
23 someone did something. A very sharp change in
24 pressure.

25 MR. REYES: Right. Yeah. This test I

1 don't recall if we fed the steam generators at some
2 point in the test.

3 MR. SCHROCK: So you've got about three,
4 four, five, six of those.

5 MR. REYES: So we have the -- we have a
6 sequence of events for each one of these tests. We
7 have a lot of details we can provide you. But I want
8 to give you kind of the big picture, the big picture
9 being that --

10 CHAIRMAN WALLIS: And you're going to show
11 us that RELAP predicted exactly?

12 MR. REYES: Yeah. We won't go there yet.

13 And this is one that we did not use to --
14 we have not benchmarked our RELAP against this one.
15 This is a prechallenging test.

16 Okay. So what we saw overall was that the
17 fluid temperature's relatively uniform around the
18 entire downcomer at about the 8D location, and for
19 most tests at the 4D location we saw that. So we're
20 seeing good mixing up in those regions.

21 So plumes appeared to be relatively well
22 mixed by the 4D axial location.

23 Test Number 11 resulted in the lowest
24 downcomer temperatures while at repressurized
25 conditions. And that was the main steam line break,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one-square-foot main steam line break at hot zero
2 power.

3 So that kind of gives you -- of the
4 scenarios we performed, that gives you a feel for
5 which one was, in essence, in terms of PTS probably
6 the most limiting.

7 That doesn't mean that there are other
8 pressures that could be of importance, though. We
9 looked at one that repressurized. Others kind of
10 tapered off to a lower pressure. But in terms of PTS
11 I'm not sure what, what the limit is --

12 CHAIRMAN WALLIS: So these were mixed four
13 diameters. And four cold-leg diameters below the cold
14 leg everything is mixed out?

15 MR. REYES: Right. So we look at the
16 temperatures all --

17 CHAIRMAN WALLIS: So pretty rapidly.

18 MR. REYES: -- the way around the
19 downcomer.

20 CHAIRMAN WALLIS: It's a pretty
21 rapidly-spreading plume, is it not?

22 MR. SCHROCK: These are diameters of the
23 vessel?

24 MR. REYES: Cold-leg diameters. Cold-leg.

25 MR. SCHROCK: Cold-leg diameters.

1 CHAIRMAN WALLIS: You're never going to
2 get eight diameters down.

3 MR. SCHROCK: My gosh.

4 MR. REYES: Yeah, yeah. So -- and when we
5 talk about the plume, the characteristics of the
6 plume, you will see that the injection flow rates are
7 very low in this design. And so they're fairly --
8 they tend to be weak plumes that break up relatively
9 quickly.

10 MR. SHACK: Oh, yeah. Is that -- I mean
11 is that related to the wimpiness of the high-pressure
12 injection system?

13 MR. REYES: Correct. Yeah. And then
14 we'll look at some other conditions where you're able
15 to preserve the plume a little bit further.

16 MR. SHACK: A very low flow rate out of
17 these safety injection systems, right, relative to
18 other systems?

19 MR. BESSETTE: Especially a CE plant.

20 MR. BAJOREK: Especially a CE.

21 MR. SCHROCK: So how does that work out?
22 The circumferential spacing of the cold legs is how
23 many Ds?

24 MR. REYES: The circumferential spacing of
25 each -- what are their angles on our plant, John? Are

1 we on 90s?

2 MR. GROOME: I believe we're 90, but I'm
3 not -- I'd have to look to answer the question
4 correctly.

5 MR. REYES: Yeah.

6 CHAIRMAN WALLIS: It would be good if you
7 showed -- maybe you will -- show an unwrapped annulus
8 and --

9 MR. REYES: Right. Right. And that --

10 CHAIRMAN WALLIS: -- an unwrapped
11 downcomer with all the pipes and --

12 MR. REYES: Absolutely. Right, that'll
13 show the configuration.

14 And we'll see that we've used -- well,
15 we've used STAR-CD and we've used REMIX to try to
16 benchmark those codes to see how well they predict our
17 behavior with the hope that maybe they could be
18 extended to other, other plant designs and conditions.

19 With that do we have any other questions?

20 MR. SCHROCK: Well, you've got uniformed
21 fluid temperature, but what about the metal
22 temperatures?

23 MR. REYES: Right. We do -- we have a
24 region of the vessel which is measuring metal
25 temperatures. And it's an outside wall temperature.

1 And it's mostly in the vicinity of the upper
2 downcomer. And we do see a distribution of
3 temperatures there.

4 Now our vessel wall, of course, is very
5 thin. We're a half-inch-thick wall compared to
6 Palisades, which has a half-inch of -- or quarter-inch
7 of stainless steel with about six-inch of
8 carbon-steel-based metal. So it's a significant
9 difference in our wall behavior.

10 So we focused primarily on the fluid,
11 fluid temperatures.

12 MR. WACHS: To answer your question about
13 the separation, the peak diameter is that -- it's I
14 guess --

15 MR. ROSENTHAL: You need to speak into the
16 mic here. Identify yourself, too, please.

17 MR. WACHS: I'm Dan Wachs. And to answer
18 the question about the separation of the cold legs, I
19 believe it's about eight diameters between each one.
20 You have about a 25-inch radius. I guess that's going
21 to be 16. if you just pi times the diameter, divide
22 by three-and-a-quarter inches.

23 CHAIRMAN WALLIS: They're closer together
24 than you think, I think.

25 MR. SCHROCK: Well, what he's saying is

1 they're far apart in comparison to what the data show
2 produces complete circumferential mixing. Surprising.

3 CHAIRMAN WALLIS: It seems very rapid
4 mixing to me.

5 MR. SCHROCK: Yeah, right. That was why
6 I asked. It seemed very rapid.

7 MR. REYES: Now we'll look at some cases
8 where, in fact, part of it is because the flow rates
9 are so low in this plant. Even on these low-flow
10 rates there are some cases where we'll see that loop
11 flow, natural circulation loop flow, acts to preserve
12 the plume. And so we'll talk about that a little bit
13 later. That's kind of an interesting effect.

14 CHAIRMAN WALLIS: So you're keeping all
15 that exciting stuff for tomorrow, are you?

16 MR. REYES: Yes. That way I'll be sure
17 you come back.

18 CHAIRMAN WALLIS: I have a question. Is
19 this a good time to take a break?

20 MR. REYES: Sure, I think this is perfect.

21 CHAIRMAN WALLIS: Then let's do it. We'll
22 take a 15-minute break, and we'll start again at 3:25.

23 (Recess taken from 3:08 p.m. to 3:25 p.m.)

24 MR. LAFI: Shall I start?

25 CHAIRMAN WALLIS: Yes, please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NUMERICAL SIMULATION FOR APEX-CE MSLB AND SBLOCA
2 TESTS USING RELAP5/MOD 3.2.2 (GAMMA VERSION)

3 MR. LAFI: My name is Abd Lafi, and I'm an
4 Assistant Professor at the Nuclear Engineering
5 Department at OSU.

6 My presentation will be focused on
7 numerical simulation for APEX-CE main steam line break
8 and the small break LOCA tests using RELAP5, Model
9 3.2.2, Gamma version.

10 The outline of my research will include
11 objectives, input modifications, APEX-CE model
12 nodalization, RELAP5 calculation matrix, RELAP5 run
13 strategy, and then mention and discuss some
14 comparisons between the tests that I analyzed.

15 These tests will include a one-foot-square
16 main steam line break from hot zero power. This is
17 OSU-CE-11.

18 And then the second test is
19 one-foot-square main steam line break from full power.
20 This is OSU-CE-12. And then two-inch hot-leg break,
21 OSU-CE-08.

22 I will end up with some conclusion after
23 each of these tests.

24 The objectives of all of these analyses is
25 to assess the ability of RELAP5, Model 3.2.2, to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 predict transient overcooling behavior. Actually, in
2 particular, I will focus on the onset of loop
3 stagnation during the integral tests under
4 considerations; and then I will discuss some finding
5 about the general behavior or general trend of
6 downcomer fluid temperatures and system pressures.

7 We use our version of the input -- and the
8 reason I say "our version," is because the original
9 input deck was developed up by our new -- this input
10 deck was adopted by Science Tech to analyze some of
11 the NRC tests that was conducted at OSU.

12 Now this was input related to the original
13 APEX with the new APEX-CE geometry that's required and
14 necessitated a lot of changing.

15 Also after I explain the modification
16 briefly to the whole input deck, I adapted also some
17 modification, according to the operating condition and
18 the geometrical configuration of each test.

19 So the first modification was to isolate
20 its own APEX, AP600 passive safety system and DVI
21 lines. There were ADS systems, there were CMTs,
22 accumulator, IWST, PRHR. All of these components were
23 isolated.

24 And I isolated these components in
25 addition to all the input related to these components.

1 Also elimination of all APEX AP600 safety
2 system actuation logic. As you recall, with the APEX
3 Test Facility, there was, for example, ADS, which were
4 actuated based on the CMT level and sometimes CMT
5 level plus time, as the case with ADS-4. So there
6 will be no LOCA CMT, no ADS, too. So all of these
7 logics were eliminated. This is just one example of
8 these logics that we no longer use it.

9 Also with the new configuration we added
10 the new seals, and a lot of piping associated with it,
11 and also some heat structures, some tables, some --
12 also, for example, the loop seal and the changing of
13 dropping the pumps down.

14 It was originally connected directly to
15 the steam generator on one side and the other side
16 directly to the cold leg. In this configuration we
17 dropped it by almost 18.75 inch.

18 So this needed some changes in the pumps.
19 Also the other side was connected to the loop seal.

20 In addition to this we added the
21 high-pressure safety injection head curve. And the
22 nodalization diagram that I used. This shows just the
23 primary. The secondary is not shown in this diagram.
24 As you see, there are loop seals and there are four
25 injection systems.

1 RELAP5 calculation matrix, as I mentioned
2 in the introduction, we analyzed almost five tests.
3 But I want to present, since the topic was just focus
4 on main steam line break and the small break LOCA, I
5 will discuss three tests which is two actually for the
6 main steam line break and the second one for this hot
7 -- of the top of hot leg number one, a break which is
8 called APEX-CE-08.

9 I have the result, and I can also offer a
10 conclusion of my finding in the other two tests.

11 I adapted the same strategy that was
12 adapted by Science Tech. Actually this strategy
13 includes running RELAP, a steady-state case. And the
14 purpose of this run is just to establish the initial
15 condition for each test.

16 In these kind of runs, I introduced some
17 control volumes and control runs and some
18 time-dependent volumes. The purpose of this is just
19 to bring the facility fast to the initial condition of
20 each test. These additions will be dropped later.

21 Then I run usually each test for 1200
22 seconds until I see just some stable initial condition
23 that fits or close to the real test. Then I stop.
24 This is 1200. From experience I found that sufficient
25 to reach stable initial condition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Sometimes you reach it within 400, 500.
2 It's just because I introduce what I mentioned just
3 before, introduced some time-dependent volume that
4 accelerate the calculation.

5 I run another -- after actually the
6 steady-state test, I initialize and I zero the time
7 just out in the steady-state case to make the 1200
8 second is just zero. So the initial point or the time
9 equal to zero will be the initial condition at the
10 1200 second.

11 Another -- I didn't mention this, but I
12 run another one which is called null transient. I
13 just run the transient for short time, just to see
14 whether whatever I adapted in the control of the
15 steady state, the time different in that I added, does
16 not affect the transient case. So to see whether the
17 transient case will hold. And that's why we call it
18 null transient.

19 The real transient comes after, which is
20 called restart run, sometimes runs, not run, because
21 sometimes -- actually all the time I monitor the kill
22 the condition. If I see some abnormal condition, I
23 stop RELAP, look to the problem, fixing it, and then
24 I run restart run to continue.

25 The first test is called RELAP5

1 calculation for all OSU-CE-011. And some brief
2 description of this test. It was simulated,
3 one-foot-square main steam line break conducted at a
4 constant power.

5 Steam generator number one, the
6 power-operated relief valve was open to simulate the
7 main steam line break. And then upon the initiation
8 of the break, the reactor coolant pumps were tripped
9 and the power brought from 100 kilowatt to the 54.8
10 kilowatt.

11 The pressurized heaters were allowed to
12 cycle on and off based on the pressure of the
13 collapsed liquid -- pressurizer liquid level. In this
14 test we turned it off when -- the test turned it off
15 when the pressurizer liquid level reached 16. And
16 then it turned on when the pressurizer collapsed
17 liquid level reached 26-inch.

18 The auxiliary feed water was maintained
19 for the broken steam line for 10 minutes, and it was
20 isolated from the intact steam generator.

21 This is a brief description of the test.
22 And the sequence of events will be discussed along
23 with the RELAP sequence of events when I come to the
24 comparison.

25 The steady state. As I said, each test I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 run steady-state analysis to initialize the input deck
2 to start with the correct initial condition that match
3 the real test.

4 The code was run for 1200 second,
5 time-dependent for volumes and some controls that were
6 added, as I said.

7 I run it for 1200 second and the results,
8 the calculated versus much of initial condition, as
9 you see it, is almost similar exactly. The power 100
10 kilowatt. Pressurizer pressure 370 for both. The
11 hot-leg temperature almost the same. The cold-leg
12 temperature. The steam generator 1 and 2, 272 psig,
13 which is the case with the calculation.

14 Pressurizer level, steam generator water
15 level, and the steam generator feed water temperature,
16 the steam generator feed water mass flow rate, all of
17 these almost even. The cold-leg natural circulation
18 flow is almost comparable. There is an -- I put 15.3.
19 As I recall the test, it was 15.29.

20 So this is the transient case comparison
21 between the pressurizer pressure. The red line is the
22 test. The dotted line is the RELAP calculation. It
23 shows the comparison. The general trend is
24 acceptable, except faster depressurization with the
25 RELAP calculation. I would connect this, the impact

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of this on other calculated parameters.

2 The general trend of the broken steam
3 generator was almost an accurate agreement. This is
4 the pressurizer level. And the high pressure
5 injection system is almost for the first part.

6 (Comments off the record re pointer.)

7 MR. LAFI: This chart comprises all the
8 four high-pressure injection system flow rate RELAP
9 calculation. As you see before this point is almost
10 comparable except with this, because here the
11 high-pressure injection system comes into play when
12 the pressure reach 360 psig.

13 That's why I initiated almost at 160
14 seconds at the beginning, but when it reach the 360 it
15 initiated when it drop below 360. When it reached
16 360, the high-pressure injection system flow rate will
17 be zero.

18 So the reason for this discrepancy is due
19 to the pressure prediction with RELAP reach the 360
20 later, different from the real test. But the general
21 behavior is acceptable.

22 CHAIRMAN WALLIS: I would think the
23 integral under the curves has to be the same because
24 this is -- maybe not.

25 MR. LAFI: What? What is it?

1 CHAIRMAN WALLIS: No, it's not. No, it's
2 not. Okay, that's all right. Forget that question.

3 MR. SHACK: The pressure's not the same.

4 CHAIRMAN WALLIS: No.

5 MR. LAFI: Shall I continue?

6 CHAIRMAN WALLIS: So we conclude that the
7 comparison is pretty good? Is that what you conclude?

8 MR. LAFI: I think so, yeah. The
9 comparison between -- this is -- because the
10 high-pressure injection system is pressure system
11 dependent. Okay

12 There is impact in this area on the end of
13 the temperature, for example, but for the most part
14 it's acceptable.

15 The break flow rate, the general one, is
16 -- looks acceptable. The maximum flow rate comes
17 immediately after you initiate the break. And then in
18 the test it seems to reach a cutoff area, which is
19 corresponding to almost 120 cubic feet per minute,
20 while in the test and the RELAP prediction it's almost
21 150. This cutoff, it sounds, the test they used
22 vortex flow meter. And this is -- reach zero and
23 reading.

24 I don't know whether the RELAP adapted
25 some cutoff in this area or not, but it sounds similar

1 behavior. It reaches a certain point and then at a
2 drop zero. I will make sure about whether there is
3 anything adapted.

4 MR. SCHROCK: Well, the difference is
5 quite large at certain times.

6 MR. LAFI: The difference in the --

7 MR. SCHROCK: And one has to wonder, is
8 there an error in the stagnation state that's causing
9 that?

10 MR. LAFI: Actually I will mention the
11 stagnation first, but it sounds to me the opposite.
12 The stagnation is affected by whatever discrepancy I
13 saw earlier.

14 So if -- because here, if you look to
15 this, -- by the way, the stagnation or the onset of
16 stagnation happened in the main steam line break -- in
17 this test happened in cold leg 2 and 4.

18 The stagnation didn't occur in cold leg 1
19 and 3, which are both in the same side of the plant.
20 And the reason for this, I tried to find some cause in
21 the calculation. I plot the hot leg number 1 against
22 the steam generator number 1, the cold side of the
23 steam generator against the hot leg, which is the hot
24 leg side of the steam generator.

25 If you look to the hot leg, the steam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generator number 1, the test data, the red color, all
2 the time it's below this hot leg number 1. That means
3 still there is natural flow from the primary to the
4 secondary. In other words, still the steam generator
5 is acting as a sink to the primary.

6 This is the same situation, even little
7 bit different. If you look to the hot-leg temperature
8 prediction for RELAP, this one, this scale, against
9 the steam generator RELAP, number 1 RELAP calculation,
10 all the time also -- even the difference is not as
11 significant as in the real test -- all the time you
12 see the hot-leg temperature is higher than the steam
13 generator temperature.

14 This is -- it makes sense that I can
15 conclude that because of not having the stagnation in
16 cold leg 1 and 3 -- by the way, this is just a plot
17 for hot leg 1 against steam generator 1, just to
18 represent the behavior of cold leg 1 and cold leg 3
19 corresponding to the steam generator number 1.

20 This make me convinced that the reason for
21 this not having a stagnation, still I have a flow from
22 the primary to the secondary. If I go to the hot leg
23 number 2 against the steam generator number 2, just to
24 find a reason why we had stagnation in cold leg 2 and
25 4, if you look to this, whether RELAP or whether the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 test, you see the steam generator 2, the first part
2 here is almost -- at almost 100 or 200 second you see
3 the hot-leg temperature is higher than the steam
4 generator temperature.

5 After that you will see the steam
6 generator, whether the test or the steam generator in
7 the RELAP calculation, you see is higher than the
8 temperature of the hot leg number 2.

9 This make me feel that now at this moment
10 the steam generator is acting as a heat source to the
11 primary. That's why it develop some potential to
12 reverse the flow. That's why we conclude that the
13 stagnation is due to this situation.

14 And if you go to the plot of the flow rate
15 for the cold leg number 2, you see the stagnation
16 happened almost at 500 second or so. It's actually
17 subjective. For the test maybe you can consider it at
18 this point, while for RELAP you can consider it later.

19 But the general behavior and the
20 stagnation occurred really in the RELAP calculation.
21 So RELAP predicted the stagnation like what happened
22 in the real test.

23 This is cold leg number 2. I said
24 stagnation happened 2 and 4 -- and also on 4. This is
25 the test against the experimental data.

1 CHAIRMAN WALLIS: The stagnation means no
2 flow rate; is that right?

3 MR. LAFI: Yes. The stagnation --

4 CHAIRMAN WALLIS: So the red is never
5 really zero unless there's an error in the plot. It
6 jiggles around as a negative and it crosses -- I guess
7 it crosses very, very briefly there. Does that --

8 MR. LAFI: Yeah. We --

9 CHAIRMAN WALLIS: Is that stagnation 4
10 long enough to really make any difference?

11 MR. LAFI: I consider -- I don't know. I
12 consulted the experimental team. They think that the
13 stagnation or when the flow meter read like negative
14 value, that means is it reverse or...

15 MR. REYES: The flow meters that we have
16 now installed, the electronics do allow us to
17 calculate or measure reverse flow.

18 CHAIRMAN WALLIS: Yes.

19 MR. REYES: -- reverse flow. Whenever it
20 says --

21 CHAIRMAN WALLIS: You're worried about
22 stagnation because it leads to the maximum or the
23 minimum temperature of the cold fluid going into the
24 vessel; is that --

25 MR. REYES: That was the -- the original

1 assumption was that --

2 CHAIRMAN WALLIS: That was the idea.

3 MR. REYES: -- was that if you stagnate
4 the cold legs you get stronger plumes in the
5 downcomer.

6 We're going to show tomorrow a little bit
7 of -- that's not always true.

8 CHAIRMAN WALLIS: So there's nothing
9 really magic about stagnation. It's not necessarily
10 the worst case.

11 MR. REYES: Correct, not for this plant.

12 CHAIRMAN WALLIS: It looks as though
13 there's quite a difference here. That in the test the
14 flow is getting very low. This RELAP is giving these
15 other bursts of flow in the two directions.

16 MR. LAFI: Yeah. It's isolated. But if
17 you compare it to this, for example, --

18 MR. REYES: Excuse --

19 MR. LAFI: You can't compare the previous
20 one to this one. I say there is no stagnation in cold
21 leg 1 or cold leg 3. This is true; there is no
22 stagnation. While in this...

23 MR. SCHROCK: That spike is the test data.

24 MR. ROSENTHAL: What's the accuracy in
25 your flow meter? Are we just looking -- should we be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 painting this with a paint brush, with a... You're
2 talking about being off by two, three gpm.

3 MR. LAFI: Yeah, but I think if you take
4 the average -- this is my thinking -- that RELAP
5 calculation isolated actually from positive to
6 negative.

7 CHAIRMAN WALLIS: Well, should we care
8 about it?

9 MR. LAFI: At least the stagnation
10 occurred, but at different time. Even if you consider
11 the stagnation here, but I think -- but this will
12 contradict the temperature against -- the hot-leg
13 temperature and steam generator temperature will plot.

14 So that's why I thought the mechanism
15 behind the stagnation is whenever the steam generator
16 -- actually not exactly, because even in the test the
17 stagnation occurred not at exactly when this steam
18 generator exceeded the hot-leg temperature, that there
19 is some time in order to develop some potential to
20 reverse the flow.

21 That's why actually almost when the
22 temperature in RELAP, the temperature difference
23 between the steam generator and the hot leg reach
24 almost 80 degree, then the stagnation occurred. This
25 is what I saw even in the test, almost there is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 60-degree difference then the stagnation occurred.

2 MR. ROSENTHAL: Can you flip back to slide
3 20; would you mind, 20, if you -- that's good. So you
4 see if you go out about 1800 seconds you will see that
5 steam generator 2 RELAP versus --

6 MR. LAFI: This is --

7 MR. ROSENTHAL: That's good.

8 MR. LAFI: This one?

9 MR. ROSENTHAL: Yes, please.

10 -- about 1800 seconds --

11 MR. LAFI: Yes.

12 MR. ROSENTHAL: -- is a difference of like
13 100F. So that's --

14 MR. LAFI: The difference --

15 MR. ROSENTHAL: Okay. Now -- I'm sorry.

16 MR. LAFI: You say that --

17 MR. ROSENTHAL: No, between the blue --

18 MR. LAFI: Yes.

19 MR. ROSENTHAL: -- and the top --

20 MR. LAFI: And the top.

21 MR. ROSENTHAL: -- is about 100F.

22 MR. LAFI: Yeah. This is the difference
23 between the RELAP -- that's why there is discrepancy
24 between the RELAP prediction of the steam generator
25 temperature in both calculation and the test.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But there is in both, the test and the
2 RELAP prediction, the case occurred when the steam
3 generator temperature exceeded the hot-leg
4 temperature.

5 There is difference between RELAP
6 prediction for the steam generator temperature and the
7 test. But this does not mean that there is a case
8 when the -- this difference, whatever happened, for
9 example, in real test, when the temperature difference
10 exceeds 60 or 63 degree or almost -- I think 63 degree
11 the stagnation in the test occurred.

12 A RELAP calculation, and this is almost
13 here, when at 500 something, between 420 and -- almost
14 80 degree between the steam generator and the hot leg.
15 So this is where I saw stagnation, or at least I
16 considered the stagnation.

17 But if you talk about the discrepancy
18 between the RELAP prediction for the steam generator
19 temperature, I say there is a discrepancy.

20 Again I'm talking about -- I'm looking for
21 the cause of stagnation.

22 And if you look to this, also the steam
23 generator -- RELAP prediction for the steam generator,
24 not as good as the test, but all the time during the
25 test the steam generator temperature did not exceed

1 the hot-leg temperature. That's why we couldn't get
2 stagnation in both the test and the calculation.

3 CHAIRMAN WALLIS: So we can go on now?

4 MR. LAFI: Yeah. This is just the
5 stagnation, and this is another stagnation in cold leg
6 1 and cold leg number 3. And actually this is
7 supported by the fact that the steam generator during
8 the stagnation was full. And this is the plot of the
9 liquid volume fraction --

10 CHAIRMAN WALLIS: It's always liquid.
11 It's full of liquid; is that right?

12 MR. LAFI: Full of liquid, yes.

13 CHAIRMAN WALLIS: Or is it full of vapor?
14 Which is which?

15 MR. LAFI: No. This is liquid volume
16 fraction.

17 CHAIRMAN WALLIS: Liquid?

18 MR. LAFI: Yes.

19 CHAIRMAN WALLIS: Okay.

20 MR. LAFI: In RELAP they call it voidf.
21 The portion regarding the downcomer
22 temperature prediction by RELAP. I saw within 2,000
23 second RELAP prediction for the downcomer temperature
24 is in good agreement with the test.

25 And also I didn't notice this is the case

1 at 8 diameter in the downcomer and the same position
2 in RELAP. I plot different spot at 1.3 diameter; 2
3 diameter; 3, 4, 5 diameter; 'til 8 diameter. And I
4 saw the temperature profile. There is no significant
5 -- or actually there is no stagnation -- no
6 stratification.

7 This is the cold leg number 1, and the
8 same case with cold leg number 2.

9 As conclusions, the trend of the
10 pressurizer pressure is similar for the OSU-11 test
11 and RELAP5 prediction, although the depressurization
12 RELAP5 calculation was faster. This is what was
13 indicated in the first figure that I showed you.

14 RELAP5 successfully predicted the general
15 trend of the broken steam generator, starting with the
16 maximum flow rate, gradually decreasing to the cutoff
17 area, similar to what we notice in the test.

18 The steam generator pressure, the broken
19 one, was almost in a very good agreement. The flow
20 rate through the cold legs, the main steam line break,
21 the high-pressure injection system, and the downcomer
22 temperature almost in good agreement.

23 RELAP successfully predicted the
24 stagnation. Noted the same exact point. If we have,
25 for example, the pressurizer pressure here for exactly

1 and the injection system, which we say is
2 system-pressure dependent, then we will have
3 everything exact, but this is the problem with the
4 RELAP prediction.

5 CHAIRMAN WALLIS: How big is the cold --
6 is the injection nozzle?

7 MR. LAFI: The injection nozzle? The
8 high-pressure injection nozzle?

9 MR. REYES: I think it's about 1.3 inches.

10 CHAIRMAN WALLIS: How big?

11 MR. REYES: About 1.3.

12 CHAIRMAN WALLIS: It's this size hole?

13 MR. LAFI: Yeah, it is.

14 CHAIRMAN WALLIS: It's dribbling in at .1
15 gpm. It's hardly got any velocity at all. This is
16 scaled from a real plant?

17 MR. REYES: So the maximum flow rate, it
18 goes from about 1.1 gallons per minute per cold leg to
19 zero.

20 CHAIRMAN WALLIS: What?

21 MR. REYES: The maximum is 1.1.

22 MR. BESSETTE: It comes in at a low
23 velocity in the plant. It's about a -- something like
24 a foot a second in the plant.

25 CHAIRMAN WALLIS: The figure we have here

1 is -- yeah. It's one foot a second in the plant?

2 MR. BESSETTE: Something like that, yeah.

3 CHAIRMAN WALLIS: I thought it came in
4 gangbusters, hundreds of feet a second. It came
5 really in. I mean it's got several hundred PSI
6 driving it, isn't it, or is this not?

7 MR. BESSETTE: You see, it comes in at a
8 fairly large -- it comes in -- in the plant it comes
9 in at about a seven-inch pipe.

10 CHAIRMAN WALLIS: Well, this must be a
11 very different plant from the kind we used to -- we
12 did -- you know, Creare did experiments with cold-leg
13 injection and stuff trying to simulate fast. I think
14 we had a fairly small scale, but the water still came
15 pouring in through that injection nozzle at a pretty
16 high velocity.

17 MR. BESSETTE: It will. In the B&W Plant
18 it comes in at about 20 feet a second or so.

19 MR. REYES: Right.

20 CHAIRMAN WALLIS: So it's a completely
21 different beast?

22 MR. REYES: Right.

23 CHAIRMAN WALLIS: Okay. All right.

24 MR. LAFI: The hot leg number 2 and the
25 steam generator number 2 temperature histories

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 indicate that the steam generator became a heat source
2 at almost 180 second into the test in both the test
3 and calculation.

4 Loop flow continued for another 320 until
5 we reached the thermal potential, enough to reverse
6 the flow. So the difference at that time it was in
7 the RELAP calculation 80 degrees between the hot leg
8 and the steam generator. And then the primary loop
9 stagnation occurred.

10 Hot leg number 1, steam generator number
11 1 histories indicate that all the time hot leg number
12 1 exceed the temperature of steam generator number 1.
13 And this varies in -- there was no stagnation.

14 It can be concluded that the action of
15 steam generator number 2 as a heat source was the
16 cause of stagnation in cold leg 2 and 4, given that
17 the steam generator was full as indicated by liquid
18 volume fraction, the one that I showed you.

19 By comparing the steam flow rate out of
20 the break we can find the following: That the maximum
21 is almost -- happened exactly at the time when you --
22 when we initiated the break.

23 The flow experienced some sharp drop at
24 120 cubic foot a minute for the test, while for the
25 calculation it was 150.

1 There was similar gradual decrease in
2 between. Further assessment for the parameters
3 controlling the break flow in RELAP5 is being
4 conducted because there are some parameters that
5 affect the flow out of the break.

6 CHAIRMAN WALLIS: This is just a steam
7 flow, is it? It's not a two-phase flow?

8 MR. LAFI: This is the steam flow.

9 CHAIRMAN WALLIS: So you would expect to
10 be able to predict it quite well?

11 MR. LAFI: Actually I am trying to play
12 with the -- because here there is some parameters --
13 this is what I expect for --

14 CHAIRMAN WALLIS: I'm sorry to -- when you
15 say "cfm," that means that's some condition? I mean
16 it's not a mass -- usually it's a mass flow rate that
17 you want.

18 MR. LAFI: This is part of --

19 CHAIRMAN WALLIS: Because I don't know
20 what the condition is and we're valuating the cfm at.
21 I guess you can do cfm. Was it standard cubic feet
22 per minute, or something, or is it... What is it,
23 velocity times area; without --

24 MR. LAFI: This is volume --

25 CHAIRMAN WALLIS: -- any reference to

1 density?

2 MR. LAFI: -- actually cubic foot per
3 minute, right?

4 CHAIRMAN WALLIS: So it's volumetric load.

5 MR. LAFI: Is it 120, it was.

6 MR. SHACK: But is it reduced to a
7 standard condition, or is it just v times a?

8 CHAIRMAN WALLIS: Velocity times area? It
9 must be.

10 (Comments off the record.)

11 MR. LAFI: Converted to mass flow rate?

12 MR. REYES: The flow meter rate, I
13 believe, is the standard.

14 CHAIRMAN WALLIS: It's just velocity times
15 area?

16 MR. REYES: The vortex. That's it.

17 MR. LAFI: Is the vortex flow meter --

18 MR. REYES: So the vortex flow meter is
19 standard.

20 CHAIRMAN WALLIS: It's kind of strange,
21 because I mean if you were dropping the pressure and
22 you can get sort of the same velocity, but a lot less
23 mass flow rate -- no. Maybe you can -- that's going
24 to be all clear when we read the report?

25 MR. LAFI: That test is 12, which is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 similar to 11.

2 CHAIRMAN WALLIS: I think the ACRS has a
3 preference for never using cfm or gallons per minute
4 as a unit-to-flow rate, because different gallons and
5 different pressures and temperatures. If you use
6 mass, then it's clearer what you -- what's going on.

7 MR. SHACK: Sometimes gallons are nice,
8 but...

9 CHAIRMAN WALLIS: Well, gallons of cold
10 injection are quite different from gallons of hot
11 ejection in terms of mass flow.

12 MR. SCHROCK: In your detailed comparisons
13 you have some poor results for hot leg -- or for steam
14 generator number 2 temperature. And then you have
15 some poor results for the collapsed liquid level
16 beyond 2,000 seconds. But those poor predictions
17 don't seem to be reflected in your summary
18 conclusions.

19 MR. LAFI: Actually the poor prediction
20 for the pressurized level actually -- in the first
21 portion it was good comparison, while in the -- almost
22 1, 3, 16-inch in the test, that was -- after it
23 reached the 26-inch the pressurizer heater turned on
24 for --

25 MR. SCHROCK: It what?

1 MR. LAFI: In the real test, when the
2 pressurizer level reached 26 amps, the heater -- the
3 pressurizer heater turned on.

4 For RELAP this 26-inch -- and I can show
5 you.

6 MR. SCHROCK: I don't understand what the
7 heater on or off has to do with the level.

8 MR. LAFI: So you're asking me about the
9 poor prediction of RELAP for the pressurizer level?

10 MR. SCHROCK: Yeah. I just looked at your
11 comparisons of test data against predictions, and I
12 see it made poor predictions of collapsed liquid level
13 beyond about actually 1500 seconds. And it made poor
14 predictions of the steam generator number 2
15 temperature.

16 But, as I listened to your summary
17 descriptions, it seemed as though those rather poor
18 predictions are not reflected in your summary.

19 MR. LAFI: I -- my --

20 MR. SCHROCK: Are they regarded as
21 insignificant, or what's the -- what should be --

22 MR. LAFI: Actually --

23 MR. SCHROCK: -- interpreted from that?

24 MR. LAFI: -- I expect, my conclusion that
25 the general run of RELAP predictions and, of course,

1 all acceptable agreement with the first.

2 Consequently, I don't expect from RELAP to
3 match exactly what happened in the test.

4 MR. SCHROCK: Well, the difference in
5 pressurizer level of 70 and less than 50 is a
6 significant amount of water.

7 MR. LAFI: Yeah.

8 MR. SCHROCK: And so I would think that
9 would have some -- if I didn't know anything else
10 about the test, I'd suspect that there's something in
11 the calculation that needs to be made better in order
12 to get reliable predictions from that code.

13 CHAIRMAN WALLIS: Well, that's the problem
14 with all of these comparisons. We don't have a
15 criterion for saying what's good enough, and what you
16 have to do, and how you're actually measuring the
17 goodness of RELAP with all these various wiggles, and
18 squiggles, and lines, and curves, and things. I mean
19 --

20 MR. SCHROCK: Yeah. But I keep --

21 CHAIRMAN WALLIS: -- that's the always the
22 problem.

23 MR. SCHROCK: -- noticing these things and
24 I mention them when I notice them.

25 CHAIRMAN WALLIS: Yeah. Well, I think you

1 really ought to -- really the NRC should start off
2 with some kind of an intellectual roadmap which says
3 how do we make these comparisons, what are we looking
4 for, and --

5 MR. BESSETTE: The thing about pressurizer
6 level, and it may -- it may be due to this difference
7 in the HPI flow between the -- see, pressurizer level
8 in this case is an effect of something else. So this
9 --

10 CHAIRMAN WALLIS: The extra water has to
11 go somewhere.

12 MR. BESSETTE: Yeah.

13 CHAIRMAN WALLIS: So that's a good, simple
14 principle.

15 MR. BESSETTE: So it looks like it goes
16 back to this difference in the HPI calculations.

17 CHAIRMAN WALLIS: Because this is the only
18 -- pressurizer is the only place which can accommodate
19 extra water.

20 MR. BESSETTE: Yeah, right.

21 CHAIRMAN WALLIS: The rest of it's solid.

22 MR. ROSENTHAL: And let me point out that
23 50 percent versus 70 percent of the pressurizer volume
24 is a much -- it looks like a lot, but the pressurizer
25 is, what, 10 percent or something of the total system

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 volume, so it really isn't that big of a deviation.

2 MR. BESSETTE: So I mean it's got to
3 relate back to a difference in --

4 CHAIRMAN WALLIS: I think we have
5 something similar with the next one, too. We have a
6 similar difference with the pressurizer level and come
7 back to that.

8 MR. BESSETTE: It can only be due to a
9 difference in the RELAP calculation of the injection
10 or the system temperature.

11 CHAIRMAN WALLIS: As long as RELAP is
12 conserving mass.

13 (Laughter.)

14 CHAIRMAN WALLIS: Maybe it's conserving
15 gallons of something. We're in trouble.

16 MR. BESSETTE: There you go. Conserving.

17 CHAIRMAN WALLIS: Okay. We should go on,
18 I think.

19 MR. LAFI: The next test is CE-12, which
20 is similar to one-foot-square main steam line break
21 initiated from 610 kilowatt from full power.

22 Steam generator number 2 power-operated
23 relief valve was open to simulate the break. And then
24 upon initiation the break, the same thing, the reactor
25 coolant pumps were tripped. The power and state of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 test 11, it was kept constant at low pressure -- lower
2 power. Here it converted or switched to a decay mode.
3 And this decay was included in the input.

4 The pressurizer heater were tripped upon
5 the collapsed liquid level of the pressurizer, were
6 turned off -- switched between on and off. Again 16
7 under 26.

8 The auxiliary feed water was maintained
9 for the broken steam generator, which is the case of
10 11, for 10 minutes. And it was isolated from the
11 intact one. And this is the sequence of events of the
12 real test. And again the RELAP Code was run for
13 steady -- was run for steady-state for 1200 second.
14 And we established the initial condition, which was
15 almost similar to the initial condition of the real
16 test.

17 The mass, the auxiliary -- the feed water
18 mass flow rate is higher in this case. And this is
19 almost -- the pressure is different. In the previous
20 test it was 272, this one 232. Almost -- the other
21 parameter is close to each other, so this make me
22 satisfied that I will start my transient case.

23 So the comparison, also the behavior of
24 the pressurizer pressure not exactly but similar to
25 what I saw before, the depressurization rate and RELAP

1 prediction is faster, especially in this area.

2 And the steam generator pressure of the
3 broken one, RELAP prediction just in good agreement
4 trend-wise with the test.

5 This is the pressurizer level.

6 CHAIRMAN WALLIS: So you got the same
7 problem as with the previous one?

8 MR. LAFI: The same thing.

9 CHAIRMAN WALLIS: Except the HPI
10 prediction is okay. Look at that one after this. It
11 looks as if you're predicting the injection rate
12 right. Where is the water coming from or going to?
13 Maybe it's a question of getting the temperature
14 right.

15 MR. LAFI: Can I -- could I just one...

16 CHAIRMAN WALLIS: You're not -- you're not
17 losing water, are you, from this?

18 MR. LAFI: Actually I'm not losing water
19 in this test.

20 MR. ROSENTHAL: Well, then something's
21 hotter.

22 CHAIRMAN WALLIS: Something's hotter.
23 This is the steam -- the water is more -- expanded
24 more somewhere.

25 MR. ROSENTHAL: Someplace.

1 CHAIRMAN WALLIS: Yes. Okay.

2 Well, maybe we should move along. But I'm
3 not sure we learned -- what did we learn from that?

4 MR. LAFI: This is --

5 CHAIRMAN WALLIS: What are you testing,
6 that RELAP conserves mass, or something?

7 MR. LAFI: The high-pressure injection
8 system RELAP predicted well, compared to the test
9 data.

10 CHAIRMAN WALLIS: Presumably, unless
11 there's one of these traces which is invisible. I
12 mean there are eight traces, and I can't see eight.
13 I assume they're all on top of each other.

14 MR. LAFI: Yes. This is the RELAP
15 prediction, the solid line. This one. You cannot
16 recognize, but this is RELAP.

17 The stagnation occurred in this test in
18 cold leg 1 and 3. In the previous test it occurred in
19 2 and 4. Now 2 and 4, no stagnation. This is 4, no
20 stagnation.

21 And 1 and 3, you will see some kind of a
22 stagnation and resumption of the flow in both test and
23 RELAP prediction. So RELAP in this situation, this
24 case, it predicted what we saw in the test,
25 stagnation, and then followed by resumption of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flow.

2 And when I tried to look for the reason,
3 it sounds the same reason, the same mechanism, when
4 the steam generator becomes a heat source, you would
5 have stagnation. When it goes back to the normal
6 situation, the flow will be resumed or will resume.

7 This is similar to what I saw in cold leg
8 3, stagnation and resumption of the flow in both tests
9 and a RELAP prediction, although at different times.
10 And this is the reason again. This is supported by
11 the plot of hot leg number 1 against steam generator
12 number 1.

13 You will see that the steam generator
14 number 1 for the test. And this is the hot leg number
15 1 -- what is it -- for the test. This one.

16 So when the steam generator higher in
17 temperature than the hot leg, then you will have the
18 stagnation. Whenever you have the hot leg exceed the
19 steam generator temperature, then the flow will
20 resume. This has happened in this point and this
21 point with RELAP prediction.

22 So at this point the hot leg temperature,
23 also predicted by RELAP, exceeded the steam generator
24 temperature. That's why the flow was resumed.

25 And these spots is corresponding to the

1 time of occurrence of stagnation and resumption that
2 I showed you.

3 Even, again, the steam generator
4 temperature is not exact between RELAP prediction and
5 test, but all the time this condition hold. You have
6 heat sink, steam generator as a heat sink. You would
7 have stagnation. When it comes back it will go to the
8 normal flow.

9 For steam, for not having stagnation in
10 hot leg number 2 and number 4, this is the reason that
11 hot leg temperature all the time exceed the steam
12 generator temperature.

13 Again, again, the temperature of the steam
14 generator not as exact -- as exact or similar to the
15 test.

16 This is supported also by being in the
17 steam generator at that time. When the stagnation
18 occurred it was full. There is no voiding.

19 The temperature profile for the downcomer.
20 This is at eight diameter. And it match the test to
21 this portion exactly, while after that it match the
22 trend of the temperature profile.

23 This has happened also with the cold leg,
24 because here at RELAP the downcomer was divided into
25 sectors, so each -- when I say cold leg 2 downcomer it

1 is corresponding to the sector that is in the cold leg
2 number 2 side. So this is the temperature profile in
3 the downcomer corresponding to the cold leg number 2.

4 And again I tried all of the cold legs,
5 and it seems the cold -- the downcomer temperature is
6 well mixed and there is no stratification.

7 I plot some data at 4 and at 6 and at 8.
8 There was no stratification. But when I plot the
9 downcomer temperature, even it does not show, there is
10 some almost 20-degree or maybe 30- --

11 CHAIRMAN WALLIS: It seems to me the
12 conclusions from this experiment are much like the
13 conclusions you drew from the previous experiment.

14 MR. LAFI: Exactly.

15 CHAIRMAN WALLIS: So maybe we don't need
16 --

17 MR. LAFI: Except -- except the
18 resumption, and actually --

19 CHAIRMAN WALLIS: So maybe we don't need
20 to read through all the conclusions.

21 MR. LAFI: Okay.

22 CHAIRMAN WALLIS: Is there something new
23 in the conclusions?

24 MR. LAFI: I think there's no significant
25 --

1 CHAIRMAN WALLIS: It's very similar to the
2 last conclusion.

3 MR. LAFI: The only -- what? The only
4 difference is I think the resumption of the normal
5 flow. This is what happened in this test.

6 Now the last test is the OSU-CE-08, which
7 is a break. That is located at the top of the hot leg
8 number 1, which is two-inch break.

9 Again this test, not all the reactor
10 coolant pumps were tripped at the same time. Two of
11 them, called pump 1 and 4, were tripped. And then the
12 second and fifth were tripped based on subcooling.

13 The pressurizer heater also allowed to
14 cycle on and off based on the pressurizer low level.

15 The sequence of events for this test will
16 be explained in the comparison.

17 A steady-state test was run like before
18 for 1200 seconds.

19 CHAIRMAN WALLIS: You've got flow rate
20 stagnating all of the cold legs --

21 MR. LAFI: Yes. Yes.

22 CHAIRMAN WALLIS: -- at the same time?

23 MR. LAFI: No. At different times.

24 CHAIRMAN WALLIS: But they -- you don't
25 have it stopping. Does it -- so I guess that, in your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sequence of events, cold leg 1 stops. There seems to
2 be a long period when there's no flow in any of the
3 cold legs, right? You take away that thing, will you?
4 That thing between 1841 and --

5 MR. LAFI: This is not RELAP prediction,
6 by the way.

7 CHAIRMAN WALLIS: It seems to me between
8 4723 and 5326, we have no flow in any of the cold
9 legs, because none of them are restarted yet; is that
10 right?

11 MR. LAFI: For the real test, tell --

12 CHAIRMAN WALLIS: They all stagnated at
13 the same -- they're still all stagnated -- at 4723
14 they are all stagnated?

15 MR. LAFI: From 1841 until 4,723.

16 CHAIRMAN WALLIS: They are all stagnated?

17 MR. LAFI: Yes.

18 CHAIRMAN WALLIS: So there's -- what's
19 cooling the core, just the HPSI dribbling in? The
20 HPSI's over, too, isn't it then?

21 MR. LAFI: Let's see, HPSI at that time --

22 CHAIRMAN WALLIS: It's finished.

23 MR. LAFI: -- if it is injecting.

24 CHAIRMAN WALLIS: So there's nothing
25 happening. It's just sitting there. Where's the heat

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going? It's going out the break? It's just boiling
2 it? Is the pot boiling it out the break and there's
3 no circulation through anywhere?

4 MR. BESSETTE: That's right. The break is
5 big enough to take out the decay heat.

6 CHAIRMAN WALLIS: Okay.

7 MR. BESSETTE: And the HPSI is on the
8 whole time.

9 CHAIRMAN WALLIS: HPSI's on the whole
10 time?

11 MR. BESSETTE: Yeah. Or starting at 40
12 seconds earlier.

13 CHAIRMAN WALLIS: So you don't want to
14 close the break and repressurize.

15 MR. LAFI: HPSI all the time except if it
16 reach above the 360 psig there's no HPSI.

17 MR. BESSETTE: If you did close the break,
18 at some point those generators would become active
19 again.

20 MR. SCHROCK: Well, why have they got all
21 these ADS things?

22 MR. LAFI: They're calculated versus
23 measured initial condition, as shown in this table.
24 The pressurizer pressure behavior trend was predicted
25 by RELAP but, as you see, there is some -- at the

1 first portion it was acceptable.

2 Here it reach a certain plateau for both
3 of them, the test, and the RELAP prediction. And then
4 it goes -- it decrease in both tests and RELAP
5 prediction.

6 CHAIRMAN WALLIS: Well, now the pressure
7 in the system is determined by the heat generation
8 rate and the flowing out the break, isn't it? And the
9 pressure it takes to drive that flow right out the
10 break to carry out the heat essentially.

11 MR. LAFI: So that's --

12 CHAIRMAN WALLIS: You've have a certain
13 amount of heat making a certain amount of steam and it
14 has to go out the break, so the pressure is big enough
15 to get that right out the break. I'm saying that it
16 looks simple enough. You ought to be able to predict
17 the pressure pretty well.

18 MR. LAFI: Actually even this -- this will
19 reflect, this discrepancy between RELAP prediction and
20 the test will reflect on the flow rate of the break.
21 You will see big difference --

22 CHAIRMAN WALLIS: Yeah, that's right. You
23 ought to be able to predict that pretty well, or is it
24 --

25 MR. LAFI: No, it's not very well.

1 CHAIRMAN WALLIS: Is it because you can't
2 predict the liquid carry over out the break just like
3 what we talked about this morning, or what is it
4 that's difficult about the break flow? It's a
5 two-phase flow out the break? It's a two-phase flow.

6 MR. LAFI: It should be two-phase.

7 CHAIRMAN WALLIS: So the difficulty is
8 because you can't predict the two-phase flow very well
9 out the break, but you have these deviations here?

10 MR. LAFI: Actually what I know, that
11 maybe the critical flow model at the break, this led
12 to this problem because, as I understand, Henry
13 Foskey's particular model is adapted by this version
14 of RELAP. This is -- so I am thinking to look for
15 that parameter that control, for example, the
16 discharged coefficient or...

17 I will show you the break flow later.

18 This is actually the feed water flow.
19 This is just -- I used whatever the test used. And
20 this is the feed water mass flow rate RELAP and the
21 test. And the injection, since the pressure is
22 different, the injection now funnels because, as I
23 said, the HPSI is system-pressure dependent.

24 So if you look to the top here is the test
25 results, while the lower is the RELAP prediction.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: So those four RELAP5 are
2 all in that one bottom curve, are they?

3 MR. LAFI: Actually four for RELAP. This
4 is --

5 CHAIRMAN WALLIS: The fuzzy curve is the
6 four tests, right? That bottom curve is -- all the
7 RELAP5 are on top of each other; is that right?

8 MR. LAFI: Yes. The level one is four
9 RELAP prediction while the top is four HPSI. The test
10 --

11 CHAIRMAN WALLIS: This is presumably
12 because you have the pressure system pressure wrong?

13 MR. LAFI: Exactly, different.

14 CHAIRMAN WALLIS: Right.

15 MR. LAFI: So it behaves -- if you look,
16 the pressure goes like this and down, it's different
17 from the test. That's why this is a discrepancy.

18 CHAIRMAN WALLIS: They don't cross at the
19 same point, but they...

20 MR. LAFI: As I told you, the break flow
21 is not predicted except at the beginning, but the
22 behavior reached maximum, then go down and then
23 oscillate.

24 MR. SCHROCK: What is the test measurement
25 of break flow?

1 MR. BESSETTE: But how is the break flow
2 measured?

3 MR. REYES: The break flow --

4 MR. BESSETTE: It goes --

5 MR. REYES: -- on --

6 (Simultaneous discussion held among others
7 in the room off the record.)

8 MR. REYES: We are using a separator
9 system. This is all --

10 MR. BESSETTE: So he runs it through the
11 separator, and he measures the -- you measure the
12 liquid flow --

13 MR. REYES: The closed end and cfms.

14 MR. BESSETTE: And the vapor flow.

15 MR. REYES: Correct.

16 MR. SCHROCK: And you get these kinds of
17 oscillations.

18 CHAIRMAN WALLIS: I don't know which is
19 the test and which is the RELAP.

20 MR. SCHROCK: The liquid coming out of the
21 separator.

22 MR. KRESS: Well, I can tell you which.
23 This is the test and this is the RELAP.

24 MR. LAFI: The problem is the test --

25 CHAIRMAN WALLIS: So we have a question

1 now. We say that RELAP is predicting more flow out
2 the break, about twice as much as in the test, so I
3 gather from this curve. When I go back to page 58 --

4 MR. LAFI: Yeah. It's overpredicted --

5 CHAIRMAN WALLIS: Overpredicted the break.

6 MR. LAFI: Yes.

7 CHAIRMAN WALLIS: We go back to page 58.

8 RELAP is holding the pressure up higher.

9 Do you think if it's predicting more flow
10 out the break it would depressurize faster? It
11 doesn't seem right.

12 MR. BESSETTE: It seems peculiar.

13 MR. SHACK: Yeah, something's wrong.

14 Yeah.

15 CHAIRMAN WALLIS: Something seems strange.

16 I don't know if it's wrong. It's just strange. I
17 mean --

18 MR. LAFI: What's this conflict?

19 MR. BESSETTE: Could you flip back to the
20 pressure comparison?

21 CHAIRMAN WALLIS: This --

22 MR. BESSETTE: Page 58.

23 CHAIRMAN WALLIS: RELAP holds the pressure
24 up.

25 MR. LAFI: RELAP within 1,000 seconds --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: In the early part.

2 MR. (SPEAKER): Oh, in the early part.

3 CHAIRMAN WALLIS: The early part up to
4 about 5,000, RELAP is predicting a higher pressure
5 than reality. And yet RELAP's also predicting a
6 higher break-flow rate, which is consistent with
7 having a higher pressure.

8 But if you look at -- you'd expect the
9 higher flow out the break to depressurize faster.
10 That's why it doesn't seem to make sense.

11 MR. HAN: How about HPI in comparison?

12 CHAIRMAN WALLIS: HPI is being predicted
13 pretty well.

14 MR. LAFI: Yeah. It follows this one.
15 Look, it follows this --

16 CHAIRMAN WALLIS: I guess this is the
17 first time we're able to see something we can latch
18 onto which we can get cause and effect and try to
19 figure it out. I'm not sure we really need to pursue
20 it, but it does look a bit odd.

21 So it's something for you to think about
22 this. Can we leave it at that.

23 MR. SCHROCK: I have a question about your
24 initial conditions. The RELAP prediction of initial
25 conditions seems to me to be impressively good with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one exception, and that is the steam generator number
2 1 and 2 water level, seems to be off by quite a bit,
3 not just in this particular experiment but in the
4 others, too.

5 Is there an explanation for that?

6 MR. LAFI: Actually I noticed this. Even
7 if I start with the same volume of the steam generator
8 level, like the test, it leads me to higher volume.
9 And I couldn't find out what's the reason, but this is
10 what happened in many cases.

11 For example, if I see the initial steam
12 generator 15 and I set it as 15, it run --

13 CHAIRMAN WALLIS: To 27.

14 MR. LAFI: -- for a few seconds and then
15 it goes to 25, or something.

16 CHAIRMAN WALLIS: And you can't even blame
17 Bill Gates for that.

18 MR. LAFI: No.

19 (Laughter.)

20 MR. LAFI: As I said, the stagnation
21 occurred in all cold legs, similar to the test but at
22 different times.

23 And even I can't conclude, because it
24 sounds to me subjective whether I consider the
25 stagnation in the -- for example, in the test, it is

1 clear for RELAP. I don't know what I --

2 CHAIRMAN WALLIS: You have to stand by the
3 mic or you -- we lose the transcription.

4 MR. LAFI: It sounds to me subjective to
5 determine which is as far as that. I will -- but I
6 thought without the test, I will choose some point,
7 but this is what happened. RELAP predict the
8 stagnation, but at different time.

9 Not predicting the stagnation at its exact
10 time is due to other discrepancy in other factors.

11 CHAIRMAN WALLIS: I guess what really
12 matters here is what difference does it make to your
13 assessment of pressurized thermal shock if you have
14 these kinds of differences. And I have no idea.

15 How accurately do you need to know this
16 sort of -- is it stagnated, or is it close to
17 stagnation, and all that, in --

18 MR. LAFI: Actually --

19 CHAIRMAN WALLIS: -- order to assess
20 pressurized thermal shock?

21 MR. LAFI: It seems the stagnation -- I
22 found no stratification in the cold -- in the
23 downcomer temperature after stagnation. And this is
24 what we noticed in the test. Also the temperature in
25 the downcomer is uniform during the entire test.

1 CHAIRMAN WALLIS: Everywhere?

2 MR. LAFI: Huh?

3 CHAIRMAN WALLIS: It doesn't stratify
4 vertically, or anything; it's uniform everywhere?

5 MR. REYES: There are some tests where we
6 see vertical stratification. And as far as the timing
7 of when stagnation occurs, in this plant we -- because
8 of the low injection flow rates, we see a relatively
9 good mixing under stagnant conditions.

10 In other plants stagnations are important
11 because if you have high injection flow rates under
12 stagnant conditions you may see more penetrating
13 plumes. So the timing becomes an issue.

14 Tomorrow I'll be presenting. We'll look
15 at this scenario again and go --

16 CHAIRMAN WALLIS: See, I have no criterion
17 for deciding is this good, or bad, or indifferent, or
18 what shall I conclude, or --

19 MR. REYES: Right.

20 CHAIRMAN WALLIS: -- why should I worry,
21 or should I.

22 MR. REYES: Tomorrow what we'll do is
23 we'll look at loop stagnation mechanisms. That'll be
24 the first talk. And we'll come back to this, what was
25 causing stagnation in this particular test. And we'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relate that to some of the separate-effects tests and
2 what we were seeing there.

3 MR. LAFI: This is cold leg 4. And
4 actually what I discovered through a RELAP calculation
5 that the mechanism of stagnation in this test is
6 different from the mechanism of stagnation in your
7 tests, as I will show it to you. This is -- again
8 stagnation occurred but different time.

9 This is cold leg 3. And if you notice
10 this, the hot leg temperature number 1 against steam
11 generator number 1 temperature is almost higher, the
12 hot leg temperature higher than the steam generator
13 temperature, except it reach a point when they are the
14 same.

15 And at this point, when I discovered the
16 steam generator voided, empty. And that's why I
17 conclude that the mechanism of the stagnation
18 according to RELAP calculation for this test is the
19 voided of the steam generator. This is supported by
20 this figure.

21 CHAIRMAN WALLIS: Now this -- wait a
22 minute. This is TF 143 is a thermocouple in the hot
23 leg?

24 MR. LAFI: Yes. 143, yeah, in the hot
25 leg.

1 CHAIRMAN WALLIS: And it has these
2 enormous dives that go off the picture and the one
3 picture before that. Is that real, or is that a
4 glitch in the instrumentation? Why do those things go
5 down to the bottom of the graph there?

6 MR. LAFI: This one, this figure or --

7 CHAIRMAN WALLIS: Yeah. There's -- the
8 color I can't describe.

9 (Comments off the record.)

10 CHAIRMAN WALLIS: Whatever you call that.

11 MR. LAFI: TF 143?

12 MR. SHACK: Teal.

13 CHAIRMAN WALLIS: Teal. Teal, or
14 something.

15 CHAIRMAN WALLIS: Yeah, Teal.

16 Why does it go down to -- is that a real
17 thing, or is that a...

18 MR. LAFI: With the temperature profile?

19 CHAIRMAN WALLIS: The temperature plunges.
20 It comes back.

21 MR. SHACK: The measured thermocouple
22 response.

23 MR. SCHROCK: Right there.

24 MR. LAFI: This one?

25 MR. SHACK: Yeah.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: And it's in a hot leg.
2 Why does it do that? Does it suddenly sees a slug of
3 cold liquid?

4 MR. LAFI: Is this the --

5 MR. REYES: I don't -- I don't believe
6 that's --

7 CHAIRMAN WALLIS: If you see something you
8 don't like, you don't believe it?

9 MR. REYES: No, no. There are -- there
10 were two thermocouples that we were looking at
11 earlier. One was giving us spikes in the high
12 direction. And, of course, we want to look at both of
13 those, but --

14 CHAIRMAN WALLIS: So --

15 MR. REYES: So the --

16 CHAIRMAN WALLIS: Give them a break and
17 let them have low ones, too.

18 MR. REYES: That's right. We think there
19 might be some noise problem with --

20 CHAIRMAN WALLIS: It's a noise problem.
21 It's not a real thing?

22 MR. SHACK: Just put a bigger averaging in
23 the circuit.

24 MR. SCHROCK: Somebody put a little ice
25 water in there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LAFI: This condition, again, occurred
2 with hot leg number 2 and steam generator number 2.
3 And this is when the stagnation occurred when you have
4 the hot leg temperature as equal to the steam
5 generator temperature, which is corresponding now to
6 the voided of the steam generator.

7 This is steam generator number -- what is
8 it? The -- this one 225, which is the steam generator
9 number 2, this one. And this one's steam generator
10 number 1.

11 So this is the time when the stagnation
12 occurred. I didn't, and I doubt RELAP can predict
13 what is happening in the other location. But this is
14 what I connected the stagnation cause because of the
15 voidage of the steam generator going from volume
16 fraction 1 to zero.

17 And the downcomer temperature profile is
18 acceptable, except RELAP overpredicted the downcomer
19 profile.

20 And this is the cold leg to downcomer,
21 which is the sector corresponding to the area when the
22 cold leg number 2 connected to the downcomer.

23 As the conclusion, RELAP predicted general
24 behavior of the system depressurization, the
25 high-pressure injection system, feed water, and the

1 break-flow rates. Just in general for the break-flow
2 rate. We see -- we saw some significant difference.

3 By comparing the break flow rate one can
4 notice that the maximum break-flow rate at the
5 beginning of the test was 12 ga- --

6 CHAIRMAN WALLIS: So this is a two-phase
7 flow, not the break?

8 MR. LAFI: Out of the break, I suppose.

9 CHAIRMAN WALLIS: It's a two-phase flow?

10 MR. LAFI: I suppose two-phase flow.

11 CHAIRMAN WALLIS: What's a gallon of
12 two-phase? I don't understand the break flow of
13 gallons per minute.

14 MR. REYES: You're looking at the liquid
15 flow as the --

16 MR. LAFI: This is the RELAP prediction
17 liquid.

18 MR. REYES: Liquid?

19 MR. LAFI: Yes.

20 CHAIRMAN WALLIS: The beginning of the
21 test it's all liq- --

22 MR. LAFI: Because the mass flow rate
23 for... However, RELAP5 overpredicted.

24 CHAIRMAN WALLIS: This break flow in the
25 two-phase is still measured in gallons per minute?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. REYES: Basically what we have is a
2 separator with a loop seal. And the magnetic flow
3 meter on that loop seal measures in gallons per
4 minute.

5 CHAIRMAN WALLIS: So you're measuring the
6 -- okay.

7 MR. REYES: So I think what he's comparing
8 there then is just that flow meter liquid --

9 MR. LAFI: Comparing not after leaving the
10 break.

11 CHAIRMAN WALLIS: So it's the liquid flow.

12 MR. LAFI: After separating the liquid
13 from the two-phase.

14 CHAIRMAN WALLIS: So this is the liquid
15 flow out the break?

16 MR. LAFI: Yes.

17 CHAIRMAN WALLIS: Then the steam flow
18 isn't counted?

19 MR. LAFI: No. This is what -- the data
20 I think -- after I think the separation, right? Yeah,
21 it depends.

22 MR. REYES: So in RELAP were you comparing
23 just the liquid?

24 MR. LAFI: The mass -- the mass flow rate
25 for the liquid RELAP. That's why I compared this to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 --

2 CHAIRMAN WALLIS: So the steam isn't
3 counted in some way?

4 MR. LAFI: There is control volume. It
5 occurred in RELAP to calculate the mass flow rate for
6 the vapor, for the steam.

7 CHAIRMAN WALLIS: So you have a phase
8 separator?

9 MR. REYES: Right.

10 CHAIRMAN WALLIS: You measure the water
11 and steam flow rates?

12 MR. REYES: Separately.

13 CHAIRMAN WALLIS: And you measure them
14 both in gallons per minute?

15 MR. REYES: No. They're -- the magnetic
16 flow meter is in gallons per minute. The vortex flow
17 meter is in the standard cubic feet per minute.

18 CHAIRMAN WALLIS: Standard cubic feet per
19 minute? Standard cubic feet per minute?

20 MR. GROOME: Well, most flow experts do
21 not measure mass. Only Coriolis measured mass. So
22 the raw data is in volumes. If you want mass, there's
23 --

24 CHAIRMAN WALLIS: It drives me up the
25 wall. And graduate students get always very confused

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 by all flow meters because they have these stupid
2 measurements, like standard cubic feet per minute
3 which no one understands. People are always
4 misunderstanding.

5 MR. REYES: I agree.

6 CHAIRMAN WALLIS: Okay. Sorry.

7 MR. LAFI: RELAP5 predicted flow
8 stagnation in all cold legs at different times, as was
9 the case during the test.

10 The stagnation cause in this test is not
11 similar to that of the main steam line break tests.
12 It is believed that the cause of stagnation here is
13 the voiding of the steam generator tubes.

14 RELAP5 prediction for the downcomer
15 temperature profile is in good agreement with the
16 test. RELAP5 is one-dimensional cold. Therefore,
17 studying the stratification that occurred during the
18 test in the cold legs and the loop seals was not
19 possible.

20 I think this is the end of my
21 presentation.

22 CHAIRMAN WALLIS: Thank you.

23 That's the end of the day's presentations,
24 Jose?

25 MR. REYES: That's correct.

1 CHAIRMAN WALLIS: So we're finished ahead
2 of time. And we're going to go and look at the
3 experiment now?

4 MR. REYES: We can do that for a short
5 while.

6 CHAIRMAN WALLIS: Yes. I think that would
7 be very appropriate, while it's cold and we can get in
8 there.

9 MR. REYES: That'd be fine.

10 CHAIRMAN WALLIS: Then we're going to see
11 it tomorrow when it's hot and running?

12 MR. REYES: Hot and running.

13 John has guaranteed it.

14 MR. GROOME: Well, I don't know. We're
15 going to be in gallons per minute.

16 (Laughter and comments off the record.)

17 (Whereupon, the meeting was adjourned at
18 3:05 p.m. on July 17, 2001, to resume on Wednesday,
19 July 18, 2001 at 8:15 a.m. in Corvallis, Oregon.)

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

Name of Proceeding: ACRS Thermal Hydraulic

Phenomena Subcommittee

Docket Number: (Not Applicable)

Location: Corvallis, Oregon

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



Nancy Palmer
Official Reporter
Neal R. Gross & Co., Inc.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701