

NUCLEAR REGULATORY COMMISSION

PROCESS USING ADAMS
TEMPLATE: ACRS/ACNW-005

Title: Advisory Committee on Reactor Safeguards

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, September 5, 2001

Work Order No.: NRC-004

Pages 1-132/196-303

Closed Session pp 135-195

**ACRS Office Copy - Retain
for the Life of the Committee**

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

ORIGINAL

TROY

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
485th MEETING
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
(ACRS)

+ + + + +

WEDNESDAY,

SEPTEMBER 5, 2001

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, Rockville, Maryland, at 8:30 a.m., Dr. Mario V. Bonaca, Acting Chairman, presiding.

PRESENT:

MARIO V. BONACA, Acting Chairman

F. PETER FORD

THOMAS S. KRESS

DANA A. POWERS

STEPHEN L. ROSEN

WILLIAM J. SHACK

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PRESENT (Continued):

JOHN D. SIEBER

GRAHAM B. WALLIS

ACRS STAFF PRESENT:

JOHN T. LARKINS, Executive Director

SHER BAHADUR

PAUL A. BOEHNERT

SAM DURAISWAMY

CAROL A. HARRIS

HOWARD J. LARSON

AMARJIT SINGH

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

C-O-N-T-E-N-T-S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

Opening Remarks, Dr. Bonaca 4

Proposed Resolution of GSI-191, Dr. Rosen 7

 Michael Marshall 9

 Art Buslik 42

EPRI Report on Resolution of Generic Letter

96-06, Waterhammer Issues, Dr. Kress 69

 Jim Tatum 83, 132

 Vaughn Wagoner 101

Reactor Oversight Process, Mr. Sieber 214

 Michael Johnson 215

 Mark Satorius 221

 Doug Coe 257

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m.)

CHAIRMAN BONACA: Good morning. The meeting will now come to order.

This is the first day of the 485th meeting of the Advisory Committee on Reactor Safeguards. During today's meeting the committee will consider the following:

Proposed resolution of genetic safety issue, GSI-191, assessment of debris accumulation on PWR sump pump performance;

EPRI report on resolution of generic letter 96-06, waterhammer issues;

Reconciliation of ACRS comments and recommendations;

Reactor oversight process;

Proposed ACRS reports.

A portion of this meeting may be closed to discuss EPRI, information applicable to EPRI report and resolution of waterhammer issues.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Dr. John Larkins is the designated federal official for the initial portion of the meeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We have received no written comments or
2 requests for time to make oral statements from members
3 of the public regarding today's sessions.

4 A transcript of portions of the meeting is
5 being kept, and it is requested that the speakers use
6 one of the microphones, identify themselves, and speak
7 with sufficient clarity and volume so that they can be
8 readily heard.

9 I will begin with some items of current
10 interest. First of all, a list of topics for the
11 meeting with the Commissioner Merrifield tomorrow
12 morning has been distributed to you and also has been
13 E-mailed to you. The expectation is that the
14 subcommittee chairmen responsible for the individual
15 items which are in the list will take the lead in the
16 discussion during the meeting with the Commissioner.

17 A second item, I'm sorry to announce the
18 death of an ex-ACRS member, Mr. Jeremiah Ray. He was
19 an ACRS member between 1978 and 1983. He served as
20 Vice Chairman in 1982, and as Chairman in 1983. He
21 retired in 1984 due to health reasons. He passed away
22 on August 2001.

23 We will, I think, prepare a card and
24 circulate it for signature from individual members and
25 then mail it to his wife.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 With regard to the items we have in front
2 of us, the first presentation is going to be on the
3 proposed resolution of GSI-191. The staff does not
4 have yet the proposed resolution. So the intent here
5 is to listen to the presentations and then make a
6 decision on our part whether or not we want to write
7 a report at this time.

8 Okay. So we'll decided after the meeting.

9 Another item, you have in front of you
10 items of interest. In the first page you'll see there
11 is a list of five Commissioners' speeches, and also
12 under miscellaneous items, you'll see the last item is
13 the announcement of the 29th Nuclear Safety Research
14 Conference in October 22nd-24th, 2001, and the result
15 of the registration form are attached.

16 I also believe that there is an
17 introduction we want to make, and for that I turn to
18 John.

19 DR. LARKINS: Yes. I'd like to introduce
20 our latest member to the staff, Scott Sunn, and Scott
21 is a senior computer science major at the University
22 of Maryland. He's going to be co-oping with the ACRS
23 ACNW staff for the next four or five months.
24 Hopefully he'll have an opportunity to learn
25 something, but if anybody needs any help in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 computer or ADP area, Scott --

2 (Laughter.)

3 DR. LARKINS: -- is more than willing and
4 quite capable of helping out. So I'd like to
5 introduce him.

6 Thank you.

7 CHAIRMAN BONACA: Welcome aboard.

8 With that we'll move to the first item on
9 the agenda is the proposed resolution of the generic
10 safety issue, GSI-191. Steve Rosen is responsible for
11 that.

12 DR. ROSEN: Thank you, Mario.

13 It's an important issue that we heard a
14 briefing on in July, and I understand this briefing
15 will follow onto that perhaps with a slightly
16 different slant.

17 Please go ahead.

18 MR. MAYFIELD: Mr. Rosen, if I might, I'm
19 Mike Mayfield from staff.

20 I just wanted to touch on a couple of
21 points before we started. Since the July meeting,
22 staff has been fairly busy trying to finalize the
23 parametric evaluation that we briefed you on in July
24 and completing the risk and cost benefit analyses.

25 And Art Buslik is with us this morning to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 describe those analyses.

2 The other thing that we did since the July
3 meeting was reached a management decision to
4 transition this GSI from the old process under a
5 particular office letter to the Management Directive
6 6.4 process.

7 The committee has been briefed previously
8 on that process, and we felt like this was a good time
9 since the staff is getting ready to make 6.4 the
10 accepted process for handling genetic safety issues.
11 We're at a point in the management of GSI-191 where
12 the old process and the new process most closely
13 align. So instead of the resolution step, this is now
14 the technical assessment step, but it's fundamentally
15 the same thing, although there are some substantive
16 differences.

17 One of the things Mike is going to
18 describe for you today is the difference between those
19 two processes and the benefits, such as they are, in
20 making the transition at this time.

21 This was a management decision that we
22 reached in August, and we apologize for not having
23 gotten this to you sooner, but it was something that
24 we felt like this was the appropriate time to make the
25 transition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, under Management Directive 6.4, there
2 isn't an explicit request for a letter from the
3 committee at this juncture. However, that is an
4 issue, as we discussed this with Mr. Thadani
5 yesterday. This is an issue that he feels like needs
6 to be revisited in the management directive. He
7 doesn't think that it is in the best interests of the
8 staff, the committee, or the public to move forward
9 from the technical assessment step to the -- I've
10 forgotten what they're called.

11 MR. MARSHALL: The regulatory guidance.

12 MR. MAYFIELD: The regulatory guidance
13 step without having some explicit feedback from the
14 ACRS on whether or not you believe the proposed
15 approach, as this moves from research to NRR. He
16 feels like it is appropriate to request a letter from
17 the ACRS at this juncture.

18 So that's a step in the management
19 directive we are going to be revisiting in the very
20 near future, but it is something that we would request
21 a letter from the committee if you're so inclined to
22 write one at this juncture.

23 With that, I'd like to turn the
24 presentation over to Mike Marshall and Art Buslik.

25 MR. MARSHALL: Good morning. My name is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Michael Marshall. I'm the project manager for Generic
2 Safety Issue 191, and Art Buslik and I will be making
3 a presentation today.

4 I will be talking about the change from
5 the old process to the new process: how does it
6 affect Generic Safety Issue 191? I'll describe the
7 proposed recommendation we'll be sending to NRR for
8 resolution of Generic Safety Issue 191.

9 And Art will build on our technical basis
10 for that, for our recommendation, and at the July
11 meeting we talked about the work that LANL did for us
12 with the parametric evaluation.

13 Here in Research, we had Sid Feld do our
14 cost estimates for us. Art did our benefits estimates
15 and the core damage frequency contribution estimates,
16 and he'll be covering that at the latter of the
17 presentation today.

18 And this is just to reiterate. Almost
19 everybody is familiar with Generic Safety Issue 191
20 since we are looking to see if debris accumulation on
21 sump screen strainers causes problems for long-term
22 recirculation. From our last briefing we've
23 concluded, yes, there's a possibility. Well, yes,
24 that's a credible concern.

25 But because of the variations, large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 numbers of variations from plant to plant, we can't
2 say specifically if a particular plant has a problem.
3 So our recommendation -- I'll give a little bit of it
4 away -- is that plant specific analyses are required
5 to make that determination.

6 But before going on to our recommendation,
7 talk about the change in the generic safety issue
8 process. Under the old process, and the status of new
9 process essentially is the management directive
10 administration essentially are checking to make sure
11 it's in the right format, and so it should become
12 final very soon.

13 And under the old process, the first three
14 stages of both processes line up very nicely, and
15 after the third stage they don't line up as nicely
16 again, and so we thought this was a fine time to move
17 Generic Safety Issue 191 from the old process to the
18 new process for a couple of reasons.

19 Because Management Directive 6.4 has been
20 receiving a lot of circulation within our office
21 reviews and such, a lot of managers and staff actually
22 might seem a little bit more familiar with the process
23 that we're about to implement than the older process,
24 and some of the discussions we're having between the
25 offices we found out we would end up losing a number

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of time because we're talking one process and the
2 other parties, assuming this management directive is
3 what is going to be guiding the agency's generic issue
4 process.

5 And so we found out we were talking past
6 each other even though we agreed on technical details
7 and how things should follow after that, and so that
8 was one reason for switching processes, was just
9 clarity internally.

10 Another reason is Generic Safety Issue
11 191, at this point we are not going to close it with
12 no new actions or no new requirements with saying that
13 there's no additional actions. So it's going to go on
14 for another couple of years possibly, and under the
15 old process, at this point we would have resolved
16 Generic Safety Issue 191 and officially on the books
17 it would have been closed.

18 In reality, we would have still been
19 working sump block, again, for maybe a couple of
20 years, where under the new process -- and this is one
21 of the things we think we're taking advantage of -- is
22 that they'll be tracking all the way through the
23 verification so that it will be clear that the safety
24 concern, the concern 191, was addressed then from
25 outside the stakeholder's point of view. They can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look at it and track 191 to see how it was fully
2 implemented.

3 DR. WALLIS: You mentioned the word
4 "closed." Now, when is the issue closed? It used to
5 be closed around the resolution point in the old
6 process.

7 MR. MARSHALL: Right. Under the old
8 process, it would have been closed under the
9 resolution, at the resolution process. Now an issue
10 is closed when we determine that no further action is
11 required.

12 For instance, we went through our analysis
13 and determined that there's nothing here. There's no
14 need for backfit. There's no safety benefit with this
15 issue, and we'll close it with that finding.

16 For issues that at the end of the
17 technical assessment stage, where we say, "Hey,
18 there's something here. There's something that needs
19 to be addressed," we won't close it at that point
20 because it was truly before never closed, and then
21 we'll keep working the issue.

22 And if you're interested in the Generic
23 Safety Issue 191, you won't have to grope around for
24 finding what's the new identifier.

25 DR. WALLIS: Would you then close it at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the verification stage if you had to take action?

2 MR. MARShALL: Well, any point along -- it
3 will be closed any point along here if it was
4 discovered. For instance, let's say NEI and the
5 Westinghouse Owners Group, they do additional work and
6 decide, hey, we've found out that this isn't as big of
7 a concern as you thought. We don't need to do any
8 additional action, and they provide that to us.

9 And we might close it saying, "Hey, the
10 industry says, has proven to us that this isn't a
11 legitimate concern," or we begin. It goes all the way
12 through where there's hardware modifications, and at
13 that point it would be at the verification where we go
14 back and check either through inspections or audits of
15 selected utilities that it was implemented as we
16 expected.

17 CHAIRMAN BONACA: But, you know, if I
18 compare those two tables, I could be drawn to conclude
19 that before you reached a resolution without
20 performing a technical assessment, of course, you need
21 to perform a technical assessment, right? I mean, a
22 technical assessment was part of the resolution
23 process.

24 MR. MARShALL: Yes.

25 CHAIRMAN BONACA: And all you did, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expanded. I'm still confused about what is new about
2 the new process, I mean.

3 MR. MARShALL: Well, what's new if we go
4 to the next page, the key differences between the new
5 process and the old process is not giving the
6 perception that something has been closed when it's
7 actually still being worked.

8 CHAIRMAN BONACA: Okay.

9 MR. MARShALL: That's the biggest
10 difference, and I believe that was probably rooted
11 more as a public confidence type of concern.

12 CHAIRMAN BONACA: Okay.

13 MR. MARShALL: Another one is just, again,
14 for ease of tracking. The generic safety issue
15 designation will live on with the issue all the way
16 through verification, where in the current process at
17 the end of the resolution stage, the generic safety
18 issue designation is no longer used as it goes through
19 the remaining stages of imposition, implementation,
20 and verification.

21 In the past usually that was turned into
22 what's termed a multi-plan action.

23 CHAIRMAN BONACA: Okay.

24 MR. MARShALL: Now, the practical impact
25 on us from moving from the old process to the new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process, and it boils down to two things. At the end
2 of the technical assessment stage we won't have a
3 resolution that's the agency position on this is what'
4 going to be done.

5 What happens here is Research will send a
6 recommendation to NRR with our proposed recommendation
7 for resolution, and that will be the next slide. So
8 instead of the consensus that we're sending to the EDO
9 saying, "Hey, this is how Generic Safety Issue 191
10 will be resolved," or sending a recommendation over to
11 NRR, and so instead of -- and the couple I'd already
12 mentioned it -- there's no longer a memo to the EDO at
13 the end of the stage. It's an interoffice memo.

14 DR. WALLIS: What is the driving force for
15 finishing the job? These things in the past have hung
16 around.

17 MR. MARSHALL: Right now the driving
18 force, I would say, for finishing the job is a couple.
19 There's a lot of oversight for generic safety issues.
20 Internally there's a lot of office level attention
21 given to our deadlines.

22 Working these, there's a lot of emphasis
23 on finishing them in a timely manner.

24 DR. WALLIS: So there's some incentive for
25 some manager to say it's being done or there's some --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what's the --

2 MR. MAYFIELD: If I might, this is Mike
3 Mayfield from the staff.

4 There is a congressional oversight group.
5 Senator Dominici receives a monthly report on the
6 status of each and every generic safety issue, and
7 this is something that at very senior levels in the
8 agency has taken quite seriously.

9 So there is significant impetus to
10 continue and not lose momentum on pursuing these
11 issues.

12 MR. MARSHALL: And by going to the new
13 process, it keep sit in that. It keeps that
14 visibility on this generic safety issue.

15 Okay. I just want to cover the last
16 bullet on page 5. I think we've addressed the first
17 two already, and so at the end of this month, by the
18 end of September, we plan on sending our
19 recommendation via memo to the office director of NRR,
20 and at that point, in addition to closing the
21 technical assessment stage, we will also be
22 transferring the lead for Generic Safety Issue 191
23 from the Office of Research to the Office of Nuclear
24 Reactor Regulation.

25 And the proposed recommendation we plan on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sending to NRR is on page 6, and there's two parts to
2 our recommendation.

3 There's two parts to our recommendation.
4 The first part is to conduct the plant specific
5 analysis, determine whether debris accumulation will
6 impede or prevent ECCS operation during long-term
7 cooling, during recirculation.

8 And the second part is if you discover a
9 vulnerability during that assessment is to implement
10 appropriate corrective actions.

11 DR. KRESS: Now, since the staff was
12 unable to actually do this on its own, do you think
13 the licensees have the capability to make this
14 determination?

15 MR. MARShALL: Well, we think they have
16 the capability. Yes, we do think they have the
17 capability.

18 DR. KRESS: Do you think they can actually
19 track, determine the source of this debris and track
20 its transport and end up with how much and what the
21 characteristics of the debris is that reaches their
22 sump? Do you think they have that capability?

23 MR. MARShALL: Yes, I do.

24 DR. KRESS: Is there guidance that is
25 given to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARShALL: Not specifically for PWRs.
2 We had issued guidance for BWRs, and there's quite a
3 bit of overlap in the guidance, considering it's
4 usually done at a performance base level.

5 And essentially the guidance boils down to
6 identify the debris, estimate how much transports, and
7 then estimate what the head loss would be.

8 DR. KRESS: Yes, of course.

9 MR. MARShALL: And that's more or less it.
10 Now, the specifics of what particular debris they have
11 in there is something we would leave up to the
12 licensees to determine or whoever is conducting that
13 analysis would determine.

14 DR. KRESS: That's probably a plant
15 specific issue anyway.

16 MR. MARShALL: Right. That's true.

17 DR. KRESS: When each licensee makes this
18 look to see if they're vulnerable, what happens then?
19 Do they come back to you with a report or do they fix
20 it and you review the fix or what is the next step?

21 MR. MARShALL: That hasn't been decided
22 yet. That's where NRR will enter in the next stage of
23 the process. They'll map out how it's implemented.

24 DR. KRESS: Okay. That's up to NRR to do.

25 MR. MARShALL: So that's still to be done.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: Let me ask more about this
2 debris, and some aspects of it certainly could be
3 plant specific, I imagine. Different types of
4 insulation get torn off in the blow-down process, but
5 I would suspect that some of it is very generic in
6 nature.

7 Do we have guidance on what that generic
8 component of it is?

9 MR. MARSHALL: Let me answer your question
10 slightly differently. I think we would look at the
11 debris from the way it's created, not at a specific
12 material. For instance, debris would be created by
13 direct impact from the jet. The possibility debris
14 would be created by the environment in the
15 containment, and that will include chemical reactions
16 possibly.

17 And that's where we would direct probably
18 our guidance if we started assembling guidance.
19 That's what we would probably recommend. Then we
20 could say specifically what jet impact would have to
21 look at different types of materials.

22 The main one we focus on a lot because
23 it's a large source is thermal insulation. Then,
24 again, we would recommend fire barriers possibly,
25 especially if there's any fibrous content with that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then we could point out what would be
2 the more problematic debris types. Again, that would
3 be a fibroblast, your calcium silicate. So be very
4 careful when you're doing your assessment of sources
5 that you identify these types of debris because they
6 tend to be the worst actors.

7 And coupled with that would be
8 particulates. Again, that would be generated possibly
9 from the environment of the containment. During
10 normal operation you might have some of that material
11 generated and also with the jet impact.

12 DR. POWERS: There's been within this
13 general field a lot of discussion of gelatinous
14 material. Do you give them any guidance on that?

15 MR. MARShALL: Yeah. Well, specifically,
16 we would recommend that people look at right now --
17 this is Michael Marshall if I'm sitting taking notes
18 back from the guidance.

19 DR. POWERS: Okay.

20 MR. MARShALL: Again, point out chemical
21 reactions, then give examples of where this has been
22 seen, and then again, leave it up for licensees in
23 case we miss something to look for similar type of
24 debris generation, or whoever is doing the analysis.

25 DR. POWERS: Gee, I wonder how you look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for that. I mean, can you go to the Journal of
2 Chemical Phenomena during reactor accidents and say --

3 (Laughter.)

4 MR. MARSHALL: What we did was we did our
5 literature search, and we started looking for just
6 chemistry following a LOCA, and there was a number of
7 things we found, such as zinc precipitates, and we
8 started collecting that information.

9 So there's some things that wasn't done
10 specifically for debris clogging, and again, if you
11 just start out with a broad literature search, you
12 start finding work, and we found work that the Finnish
13 regulators had done in this area that was very
14 beneficial. We shared that with industry on the 26th
15 and 27th of July of some of the sources that you can
16 look at.

17 And again, some of it when we went through
18 it, we didn't use everything we discovered during our
19 literature searches and our reviews, and so that's
20 another area where we'll probably have to do a little
21 more documentation than we planned to so that people
22 will be fully aware what we learned during this
23 process.

24 Because as we mentioned in the July
25 meeting, we didn't use everything we learned to prove

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 our case that this is a concern that we need to worry
2 about. So we know we might have collected a few more
3 bits of information that we haven't shared, and that's
4 one of the major comments we get from industry is,
5 "Please tell us what you know. Please tell us what
6 you know. Please tell us what you know."

7 And so in order to facilitate that, we've
8 accelerated our documentation of the work we've done,
9 and we right pretty much have tried by the end of
10 November to distribute everything we've collected.

11 DR. POWERS: Rain dump.

12 MR. MARSHALL: Yes.

13 CHAIRMAN BONACA: Now, one thing I
14 remember when this issue was raised in 1995, '96, or
15 whatever, a number of plants did a calculation which
16 were plant specific, and one of the findings was that
17 they really had marginal NPSH and was not an uncommon
18 condition to have the situation, which tells me if you
19 have any degree of blockage, you could have no NPSH at
20 all.

21 So isn't there some sense of urgency
22 behind this resolution of this issue?

23 MR. MARSHALL: Well, I speak for the
24 Office of Research. There's a strong urgency from my
25 office director down with regards to this issue. Yes,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there is a sense of urgency.

2 DR. WALLIS: Now, thinking back to your
3 presentation last time and the report that your
4 consultants did, there seemed to be a lot of
5 assumptions made about how the debris got to the sump.
6 I mean, you can get a sense of understanding of how
7 jets affect -- steam jets and so on -- affect fibrous
8 insulation.

9 But then the transport mechanism, I think
10 there was a lot of almost hand waving, UI mean, sort
11 of assumptions and so on. So there's a lot of
12 potential here for some licensees to hire some smart
13 consultants who will do some other kind of an analysis
14 with fancy transport equations and solving and proving
15 that never gets to the sump because we don't really
16 have a very good basis for knowing how the material is
17 transported to the sump.

18 So there's going to be a lot of debate
19 perhaps, and I'm wondering how that gets resolved.

20 MR. MARSHALL: Well, after the last
21 presentation, I was taken aside by my colleagues and
22 lectured that I didn't give enough credit for the
23 amount of work we did with transport. There are
24 certain areas of transport we're pretty sure once
25 we've published our results, especially once the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 material gets in water. There's a very strong case
2 that it will make it to the sump spring if it's of a
3 particular size.

4 We've also done work in trying to estimate
5 what that size is, and we believe we're going to get
6 debris of that size, and then we rely a little bit on
7 our work we did with BWRs on estimating how debris
8 transports in a dry well to the wet well, and we use
9 that to estimate how much would actually get into the
10 water.

11 So there's enough work we've done out
12 there not just on this study, but when we're working
13 on BWRs which demonstrates that the plausibility of
14 debris getting into the pool of water on the
15 containment floor, then transporting to the sump
16 spring, and in this analysis we made it even easier on
17 ourselves by we essentially at the very beginning
18 excluded debris that could transport and just focused
19 on the smallest debris that would accumulate uniformly
20 on the sump screen.

21 So, again, some of the stuff that would
22 transport sliding on the floor we didn't include in
23 our analysis to make it simple, but even without that
24 debris, with the stuff that's more transportable
25 because it's very fine and accumulation formally on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the screen.

2 So in our analysis we didn't actually
3 include all the different debris.

4 DR. WALLIS: So you don't anticipate some
5 real technical issues coming up where the licensees
6 have a different analysis. You think your technical
7 basis is so sound that they will essentially do the
8 same thing.

9 MR. MARSHALL: I'm not going to assume
10 they're going to do the same thing. Some licensees,
11 for instance, the plant that we got some of our cost
12 estimates from, they did things differently because
13 they had different licensing constraints that they
14 weren't willing to change, and so they made
15 assumptions that whatever was destroyed got there.

16 And as a regulator, I don't think we would
17 argue with that, and the same thing with the BWRs.
18 There's a whole different range of ways that
19 individual plants handle this. I doubt there will be
20 a lot of uniformity as this goes forward. There might
21 be three, four, maybe five different approaches, and
22 then there will be variance on those approaches, but
23 for a BWR experience, everybody kind of did it based
24 on a little bit of what they thought was right and
25 what was their licensing basis and how much did they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 want to deviate or try to request changes from that.

2 It's the only fixed increase in the screen
3 area?

4 MR. MARSHALL: No, there's a combination.
5 One reason we picked the increase in the screen area
6 as a fix that's one not only with regards to the BWRs,
7 but through other countries, that was the favorite
8 solution. Other solutions were minimizing your
9 debris, and there's a couple ways to do that.

10 When we're doing debris generation testing
11 with the Canadians, with Ontario Power Generation, one
12 thing they started considering was essentially put
13 another sheet of jacket over top of some of their
14 insulations, and that significantly in our testing
15 reduced the amount of debris generated.

16 Another approach is to switch from -- and
17 this was an approach used, I think, by the Finns a
18 good bit -- was they looked at the fiberglass and the
19 more problematic materials, and they decided, let's
20 switch to the RMI.

21 One thing from our parametric evaluation,
22 the cases that were predominantly RMI, they didn't
23 show up as -- they weren't ones labeled very likely.
24 They were mostly either unlikely or at the most
25 possible for a large LOCA. So changing your debris,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 minimizing your debris is one solution.

2 Other things I would expect that seem
3 reasonable measures to take is to reevaluate your net
4 positive suction head margins. I would assume people
5 would do that, see if they have credit for containment
6 over pressure, if that's allowed or if they think
7 that's defensible.

8 Another one might be operational changes.
9 There's a couple of things. You've got your debris,
10 and then you have the flow rate, and so if you were to
11 use flow rate, you actually would decrease the head
12 loss across the screen, but some people might not want
13 to attach that because it attaches a strong philosophy
14 with regards to how to respond to an accident. You
15 probably don't want to start off by cutting off pumps.

16 CHAIRMAN BONACA: Are we looking at some
17 scenarios that might be more likely than others? For
18 example, the CRDM housing breaking and debris from the
19 location and could happen, just understand. You know,
20 obviously later on in the presentation there are
21 evaluations of initiating event frequencies and so on
22 and so forth, and they would be interesting to
23 understand. For example, debris generation from an
24 event of that type, there may be something more likely
25 than others.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARShALL: During the study we didn't
2 consider the CRDMs, and I think the bulletin that went
3 out, they were asking for the type of materials in
4 that area. So at least we would have a feel for what
5 type of materials we would consider.

6 CHAIRMAN BONACA: Yeah, that's what I was
7 looking for. I mean the kind of debris that you would
8 get from the kind of break.

9 MR. MARShALL: Just to go back to the
10 presentation for a moment, our technical basis boils
11 down to two things: the presentation we gave you last
12 July, which is the parametric evaluation, and the work
13 that Art will be presenting today on the risk and cost
14 benefit considerations.

15 Now, we've shared all of this work, except
16 for the cost estimate, with the industry on July 26th
17 and 27th. Actually over two days we were able to get
18 a lot more detail, and unfortunately -- not
19 unfortunately-- we actually covered more detail than
20 we actually had published in the report we released
21 earlier.

22 That was one of the comments that we got
23 back from NEI, the industry in general through NEI,
24 and they provided several other comments we plan to
25 address.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But if you're interested, I could cover
2 the first -- just recap the parametric evaluation or
3 we could jump straight into the benefit and cost
4 estimates. I would recommend doing that.

5 DR. WALLIS: Well, let me ask you. Is
6 there agreement from the industry with your
7 conclusions? You made this presentation. Did they
8 say, "Gee, whiz, you're right," or, "no, you're
9 wrong," or what?

10 MR. MARShALL: They haven't told us we're
11 wrong. I think that's a fair statement.

12 With regards to whether we're right or
13 not, they would like, again -- their major comment
14 would be, "We know you did more than you shared with
15 us in writing so far. Please give us the rest of it
16 so we could make a better determination if we agree
17 with you or disagree with you."

18 So their position -- well, I'm going to
19 speak for them -- their position right now is we
20 probably don't have enough information to say if we
21 agree with you or disagree with you. We don't see
22 anything on the surface that seems obviously wrong,
23 but again, we don't have all of the information.

24 I think that Kurt Cozens is coming up to
25 answer us.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COZENS: This is Kurt Cozens, from
2 NEI.

3 In all fairness to Mike, was it just
4 Friday that we sent you the letter with the comments?

5 MR. MARShALL: Yes, right.

6 MR. COZENS: So he's just received those
7 probably about the time he was wrapping up his
8 presentation material here, and we would be happy to
9 provide a copy of this letter to the staff.

10 Mike has properly characterized our
11 overall findings that we do not have enough of the
12 specific data to agree or disagree with the findings
13 that the staff has done. They have provided us a lot
14 more information in the meetings that we had at the
15 end of July that were not in the draft report that
16 they had put together, and you know, we are continuing
17 to look at that, and we'll do that once that's
18 publicly available.

19 And we would be happy to provide ACRS a
20 copy of that letter today.

21 Mike, do you have a copy that they could
22 have?

23 MR. MARShALL: I have a copy with me if
24 you'd like to.

25 MR. COZENS: Okay. So that will help you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guys, and you can see the full range.

2 DR. WALLIS: So that means that you folks
3 didn't have an assessment of your own to compare with
4 the NRC assessment?

5 MR. COZENS: We do not have the technical
6 details that the staff has, and we were asked to
7 comment on the --

8 DR. WALLIS: You must have some technical
9 evaluation from your engineers as to whether or not
10 this is a problem.

11 MR. COZENS: We are still in the process
12 of seeing the data. We have not seen the data yet.
13 So it would be inappropriate for us --

14 DR. WALLIS: You haven't seen anybody's
15 data but your own. You must have some sort of a
16 position as to whether or not you think it's a
17 problem, or has it just been something that no one has
18 worried about at all?

19 MR. COZENS: We are continuing to look at
20 it, and we've had questions about it, but we have not
21 finalized it to make a formal industry position.

22 DR. WALLIS: Well, that's a little
23 disconcerting if this is a real technical problem and
24 industry has no position.

25 MR. COZENS: There is an industry group

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 working on this, but until we have the technical data,
2 we are not able to finalize our conclusions.

3 MR. BUSLIK: Okay. I'll start on the --

4 DR. KRESS: Well, before you start,
5 Michael if we wanted any more information on the
6 parametric study since we had previously reviewed it.
7 I'd like to have you refresh my memory on just what
8 parameters were varied and why -- not the actual
9 ranges of those, but why -- what was the basis of
10 choosing the ranges of the parametric variations?

11 MR. MARShALL: Well, I'll go ahead and
12 leave that up.

13 In the parametric evaluation, we varied a
14 number of things, and usually the basis for the range
15 we chose was the industry survey we collected. NEI
16 helped us with collecting information on, let's see,
17 sumps, sump screen area size, height of debris curves
18 in containment, times that licensed plants would
19 expect to switch from RWST to the sump.

20 Sump water height was another factor we
21 considered, and again, that was all based on responses
22 to the survey.

23 DR. KRESS: Did you vary the -- does your
24 parametric variation include the source of debris?

25 MR. MARShALL: The only variation we had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the source of debris was usually the amount of
2 debris, and we varied the combinations of debris
3 depending on how we -- on the varieties we saw at
4 different plants, but we didn't vary the debris types
5 beyond fiberglass, reflective metallic insulation, and
6 calcium silica.

7 And then we had a reasonable amount of
8 particulate debris, but the amount of those varied
9 from different cases, and so we had cases that were
10 mostly RMI, which again would show up as -- in most of
11 the cases showed up as not being a -- showed up as
12 being unlikely.

13 Then we had cases where the plants were
14 cases where 100 percent fiberblast, and again,
15 depending on the net positive suction and margin, size
16 of the sump screen area, that ranged from probably
17 possible to very likely.

18 DR. KRESS: So you took plant specific
19 information.

20 MR. MARSHALL: We took plant specific
21 information. We coupled that --

22 DR. KRESS: And then coupled that with --

23 MR. MARSHALL: We coupled that with
24 information we collected from two volunteer plants.
25 So from the volunteer plants we got the piping

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 configurations, and so we assumed for all 69 cases
2 they had one of these two piping configuration.

3 Now, both of those configurations were
4 four-loop Westinghouse units. Again, so when you look
5 at a two loop, as far as the capacity of the screen to
6 accumulate debris, we did a really, really good job
7 there, and that's something I would recommend industry
8 take because it doesn't require you to know how much
9 is just transported and how much is generated.

10 You can sit down and do a calculation of
11 if you have this type of material in your containment
12 and you assume how much of it do you need to get on
13 your sump screen to exceed your net positive suction
14 margin. That's one thing I liked about the approach
15 we used, is regardless of transport amount of
16 generation, you can always go back and look at what we
17 call the threshold value.

18 And is that threshold value 100 cubic feet
19 or is it just two cubic feet? And I would say those
20 of us that worked on the evaluation are very confident
21 with that point of the evaluation.

22 And then, of course, there's the box. I'm
23 assuming people remember the presentation from last
24 time when I referred to the box.

25 Then there's that box where we had the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unfavorable and favorable assumptions, and that sort
2 of gave a feel for how much we actually thought would
3 get transported to the sump screen, how much would be
4 generated, and then we compared that to the minimum
5 threshold.

6 DR. KRESS: Thank you. That helps.

7 DR. ROSEN: Mike, do I understand that in
8 this transition to NRR that's coming up, that NRR will
9 make a determination at that point or after they get
10 it and study the issue for some time as to whether or
11 not they're going to issue a bulletin? Did you say
12 something about an NRR bulletin that I didn't
13 understand?

14 MR. MARShALL: No, I was referring to the
15 bulletins on CRDMs that went out.

16 DR. ROSEN: Okay. So there is no bulletin
17 planned on this yet.

18 MR. MARShALL: No. Right now what -- and
19 I'll speak for NRR, and please correct me if I'm wrong
20 -- right now we're going to send over our technical
21 basis in this information, and NRR wants time to
22 consider again input from other industry groups with
23 regards to our work, and then they'll decide on what's
24 the appropriate regulatory path to take.

25 Is it a generic communication? If it's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generic community, is it a bulletin generic letter?
2 Is the industry going to step up and propose something
3 which would, again, that the agency might not have to
4 issue a formal -- take formal regulatory action?

5 DR. ROSEN: Okay. I understand that.
6 That will be decisions made by NRR.

7 MR. MARSHALL: Right.

8 DR. ROSEN: Now, let me just ask again
9 about the approach of not issuing detailed guidance.
10 I know this is a little early, but that was probed a
11 moment ago by some of the members, and your response
12 was, no, we would not issue detailed guidance on how
13 to do the analysis, the plant specific analyses.

14 MR. MARSHALL: What we would avoid doing
15 is issuing prescriptive guidance. It would probably
16 be performance, and as a debate of whether how quickly
17 we can get guidance out there.

18 MR. MAYFIELD: This is Mike Mayfield.

19 The issue of guidance, do you issue a reg.
20 guide or is there some other vehicle? A reg. guide,
21 regulatory guidance, that specific kind of document
22 takes about two years to get out the door in a final
23 form, and there was some, I think, a question earlier
24 about some sense of urgency on this.

25 We think it's not in anybody's best

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interest for the staff to take two more years to
2 promulgate a regulatory guide. So if we set aside a
3 regulatory guide is something that we're probably not
4 going to pursue at this stage.

5 What kind of guidance would the staff do
6 presumably if we were going to issue some sort of
7 generic communication? That would provide some
8 information, the collection of reports and analyses
9 that Mike and his colleagues have worked on would be
10 available and could be -- we could point to that as
11 one method that could be followed.

12 So it's not to just go out to the industry
13 with a suggestion they might go do something. We have
14 some -- you know, a fairly specific set of analyses
15 and approaches that will be published and in the
16 public domain and that could be used, and I think in
17 that body of reports, there's a lot of information and
18 a lot of guidance on what -- at least how we did the
19 analysis.

20 So we're not asking people to just embark
21 on something in a blind fashion. As the same time, we
22 don't see publishing a regulatory guide, at least not
23 in a time frame that would support the industry going
24 off and doing something on this issue.

25 DR. ROSEN: Well, there clearly is a need

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for prompt action on this. I think everybody thinks
2 that there is some urgency here.

3 There is also a need for putting out
4 enough guidance so that you don't get apples and
5 oranges responses that are not into comparable.

6 MR. MAYFIELD: Yes, we agree. And, again,
7 if the staff chose to go down a path of some sort of
8 generic communication, a combination of information
9 that would be included in that document as well as
10 references to the reports that Mike and his colleagues
11 are getting ready to put out would provide the level
12 of guidance to provide the kind of consistency you're
13 talking about.

14 DR. WALLIS: Sorry to go back to this, but
15 I've just read this NEI letter which we see here which
16 was sent on August 31st, and all of the comments are
17 critical. It seems to me that we've been talking
18 here as if your conclusions are acceptable, but it's
19 not at all clear that that is the industry position.

20 I think you may have quite a fight on your
21 hands, in which case it's not clear that things are
22 going to be quite as smooth as has just been
23 discussed. You just sort of go ahead, and now I was
24 going to accept your conclusions, and you know, some
25 regulatory action will be taken. You may have quite

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a debate going on in the next year or so.

2 That's my sense of the NEI letter.

3 MR. MAYFIELD: This is Mike Mayfield.

4 Based on some other dialogue we have had
5 with members of the industry and some of the staff at
6 NEI, we think that while there are many questions and,
7 indeed, the comments you see in the letter tend to the
8 critical or questioning side of the spectrum, we
9 weren't surprised by those. In fact, that's pretty
10 much what we would have anticipated. I think that's
11 what we were looking for is where they saw soft spots
12 or areas that they thought should be expanded.

13 This is an issue that will require, I
14 suspect, some extensive dialogue and a fair bit of
15 interaction. It is -- the piece of work we did is not
16 all that conclusive. It was a parametric evaluation.
17 It was a scoping evaluation to decide if there's
18 something there that should be pursued. We think that
19 the piece of work makes that case.

20 We will have some discussions with the NRR
21 staff and management as we go forward. If we were all
22 in complete lock step on this, then I'm not quite sure
23 what presentation we'd be making to the committee or
24 how it would differ, but the fact is there's a
25 process, and we've embarked on it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 To suggest to you that, like I say,
2 everyone is in lock step would be incorrect. At the
3 same time, we think there is a good case that's been
4 made to pursue the activity.

5 MR. COZENS: This is Kurt Cozens from NEI.

6 With regards to the letter that we
7 provided staff, the letter was provided in response to
8 a specific request that we provide them comments on a
9 draft research report that had been written. The
10 draft research report had been accelerated, and it
11 appeared that many of the assumptions that were taken
12 in it and the analyses that were performed to provide
13 the more conclusions and the underpinnings of that
14 were not provided in that particular report.

15 The letter that we submitted identified
16 specific areas where we wanted to see more detail as
17 to how those were arrived and the logic behind those
18 selections. We had the process of very thorough
19 evaluation and have not been able to go over those in
20 detail as of yet.

21 However, I will note that on the was it
22 July 26-7th meeting we had with the staff? Many of
23 those details were, indeed, discussed at that meeting,
24 but they are not in the report at this point in time,
25 nor are they in a format that we can actually review

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 them.

2 So, you know, I would like to compliment
3 staff on its efforts to coordinate its activities with
4 industry. We've gotten a lot of benefit out of that.
5 We have provided the staff with a great deal of
6 information to make this study possible, everything
7 from the basic survey of where industry is through the
8 effort of identifying volunteer plants to give very
9 explicit detail which made the study even possible.

10 So we have been an active participant in
11 this. You know, we are still evaluating the data,
12 however.

13 MR. BUSLIK: Concerning the risk and cost-
14 benefit analysis, the work that I did had to do with
15 calculating the decrease in the core damage frequency,
16 and doing the benefit analysis as per the reg.
17 analysis guidelines. Sid Feld did the costs
18 associated with fixing the problem, and there was an
19 uncertainty analysis.

20 An outline of the approach, I'm going to
21 calculate the difference in the core damage frequency
22 given before the fix and after the fix, and basically
23 you would have to look at the event sequences on an
24 event tree where it matters whether the sump clogs or
25 not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And these basically are given as follows.
2 You have a LOCA. You're not able to cool down and
3 depressurize and use your RHR system as you would in
4 a normal shutdown. The sump clogs to the point where
5 you fail emergency coolant recirculation, and
6 emergency contingency action type recovery actions
7 fail. These are, for example, in the emergency
8 response guidelines of Westinghouse, ECA-1.1.

9 There are various size LOCAs. There are
10 also very small LOCAs and stuck open pressurizer
11 safety valves which are not considered here because,
12 as I'll indicate later, they don't contribute.

13 The initiating event frequencies I used
14 came from NUREG CR-5750, and the large LOCA frequency
15 comes from assuming that from taking the number of
16 leaks in large piping that have occurred and
17 estimating the probability of going to a rupture from
18 a leak.

19 The means and the five percent/95 percent
20 bounds are given there. For the reactor coolant pump
21 seal LOCA basically there's an error factor of three
22 so that the lower bound is 5.60 minus four and the
23 upper bound is 5.4 E minus three, according to the
24 table in NUREG CR-6750.

25 As far as the control rod drive mechanism,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whether it would be important or not would depend on
2 the kind of plant and how big a LOCA would be.

3 Also, the type of insulation may tend to
4 be more reflective metal, metallic insulation in most
5 plants. That would be the most benign, but you would
6 have to look at each plant.

7 I did look at the seismic contribution to
8 the initiating event frequencies for Surry using
9 fragilities from the old NUREG 1150 study and also
10 using the revised Lawrence Livermore hazard curves.
11 They were smaller than the initiating event frequency
12 listings, although there was some contribution for
13 large LOCA.

14 However, since we have arrived at the
15 conclusion that it's cost beneficial without seismic,
16 it won't make any difference if we include it.

17 For recirculation and nonrecovery,
18 basically you're going to have to go to sump
19 recirculation for large and medium LOCAs as I indicate
20 later. So these are only important for small break
21 LOCAs and reactor coolant pump seal LOCAs.

22 And it depends -- how successful you'll be
23 will depend on the kind of plant you have. If you
24 have a large, dry containment, emergency fan coolers,
25 and large refueling water storage tanks, then the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chances of being able to cool down and depressurize
2 before you've exhausted your -- you've gotten to the
3 point on the refueling water storage tank level where
4 you're forced to switch is fairly good.

5 For a subatmospheric plant, the RHR at
6 least at Surry, it's inside containment, and it's not
7 environmentally qualified. So there would be
8 questions as to whether you could actually go on
9 residual heat removal there.

10 And plants with ice condensers, the
11 containment spray goes on at a very low pressure, and
12 you would exhaust the refueling water storage tanks.
13 So again, there's no chance.

14 Some of this material in the next slide
15 I've already covered. For medium and large LOCAs you
16 have to go to sump recirculation. For very small
17 break LOCAs, the chances of needing to go to
18 recirculation was negligible.

19 I mean, it was pointed out to me that, for
20 example, if all your charging pumps failed, then you
21 probably would be forced to, but that's a low
22 probability event, and I just didn't consider it.

23 CHAIRMAN BONACA: And I want to let you
24 go. You know, you're presenting us with the cost-
25 benefit analysis, and I'll be very interested in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seeing this, but I'm trying to understand the whole
2 logic now.

3 The FSARs or these power plants state that
4 you have high pressure injection and low pressure
5 injection. You run through half of your RWST. Then
6 you switch to recirculation and you depend on that
7 recirculation for preventing core damage.

8 Now, it is a commitment of the FSAR. Now
9 we have doubt that the analysis provided in the FSAR
10 is adequate, I mean, and there is reasonable -- there
11 are reasons to doubt because the analysis does not
12 address sufficiently debris or because we find that in
13 some cases MPSH was very marginal, and so on and so
14 forth.

15 So there is a reasonable position that the
16 NRC is raising here that is basis from the analysis
17 done at some plants that there is a concern. I'm
18 trying to understand why would you need a cost-
19 benefit.

20 MR. BUSLIK: The reason is, and I can't
21 quote the exact document, but even for issues of
22 compliance, which is what you're talking about --

23 CHAIRMAN BONACA: Yes.

24 MR. BUSLIK: -- compliance with
25 regulations, we're supposed to do a cost-benefit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis.

2 CHAIRMAN BONACA: Okay.

3 MR. BUSLIK: This has been for a couple of
4 years now. I think there was some SECY paper where it
5 was mentioned, and there was an agreement with
6 industry, the idea being that if the issue really
7 doesn't have any safety significance, that you may
8 want to avoid -- you may want to basically have a
9 waiver of some sort.

10 CHAIRMAN BONACA: Okay. Thank you.

11 DR. WALLIS: It's a way of risk informing
12 the regulations.

13 MR. BUSLIK: Yes.

14 DR. WALLIS: Without definitely changing
15 them, you know; modifying them.

16 MR. BUSLIK: That's right.

17 CHAIRMAN BONACA: But in any case you
18 would perform a cost-benefit.

19 MR. BUSLIK: Yes. I don't think it has to
20 be as elaborate as a cost-benefits analysis for a
21 backfit.

22 Now, stuck open pressurizer safety valves
23 are a special case because the discharge from a safety
24 valve would be routed to the quench tank, and if it
25 got into containment, it would be through a rupture

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 valve there, and I am told that because of the
2 location of a quench tank and other things, there's
3 very little likelihood that that would cause a
4 clogging of the sump. So that was neglected.

5 Now, as far as the probability of some
6 clogging is concerned, the LANL draft report, which
7 you've has a presentation on, assigned -- I believe
8 you did -- assigned qualitative, very likely, likely,
9 possible, and unlikely designations for whether the
10 sump would clog on various size LOCAs, separate for
11 different size LOCAs.

12 After consulting with Mike Marshall and
13 D.V. Rao at Los Alamos, I assigned these
14 probabilities. More recent probabilities are possible
15 as .4 instead of .3. It will not make any difference,
16 and the direction that it would go, it's small, but
17 the direction that it would go would be to make it
18 even more cost beneficial.

19 I considered three aggregates of the
20 plant. The idea here is for any individual plant
21 there may be uncertainties because of lack of plant
22 specific information, but you consider the fact that
23 if you consider an aggregate of plants, these
24 uncertainties will somewhat cancel.

25 So we consider a case which at that time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 had 23 plants, and according to more recent
2 information has 25. There are some clogs on all size
3 LOCAs, and there are 18 large drives and five
4 subatmospherics there.

5 The 32 plant case --

6 DR. WALLIS: Excuse me. That means that
7 they clog with any kind of a LOCA?

8 MR. BUSLIK: Even the reactor coolant pump
9 seal LOCA, yes.

10 DR. WALLIS: The reactor pump seal
11 actually --

12 MR. BUSLIK: I mean, they're relatively
13 large.

14 DR. WALLIS: -- actually produces jets
15 which remove enough material?

16 MR. BUSLIK: That was the question which
17 Westinghouse asked, and I don't really know.

18 PARTICIPANT: We're still collecting
19 marketing.

20 MR. BUSLIK: Yeah. I mean, it will come
21 out the top of the shaft, I guess, and so the 32 plant
22 case, there are some clogs with fuzzy certainty for
23 large LOCA and medium LOCA, and it can or cannot clog
24 with various probabilities for small break, and in the
25 40 plant case, it had a probability of one for large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 LOCAs and either one or .6 for medium LOCAs.

2 Now, the change in the core damage
3 frequency, the mean change in the core damage
4 frequency associated with the 23 plant item is all
5 about one E minus four, and that indicates that
6 there's a substantial safety benefit, but we still go
7 on with the cost-benefit analysis.

8 DR. WALLIS: But it seems to me that
9 industry could easily come back with numbers which
10 instead of probability one, one, and one were
11 probability .2, .2, .2, and it would turn out that
12 nothing matters at all.

13 MR. BUSLIK: Yeah, I know, but if you look
14 at -- I mean, you need really D.V. Rao or somebody to
15 answer that, but if you look at some of the curves,
16 you have a little box which has the range of
17 particulates, and you have a place where if you're on
18 the right side there's failure and on the left side
19 there's not.

20 In some cases there's such an extreme
21 difference that --

22 DR. WALLIS: There's one or nothing?

23 MR. BUSLIK: Yeah, in that case for that
24 plant it would be the one.

25 DR. WALLIS: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: I mean, certainly an
2 argument could be that, you know, a large LOCA, it's
3 clear it can break and it is unlikely and so on and so
4 forth. So you would want to have some realistic
5 estimation of debris accumulation for break sizes that
6 are not going to be in contention. It would be
7 interesting to have some.

8 So it would probably have some sensitivity
9 as a function of break size.

10 MR. BUSLIK: Well, the --

11 CHAIRMAN BONACA: You have a meeting.

12 MR. BUSLIK: These probabilities are by
13 break size. That came from the report.

14 CHAIRMAN BONACA: Yeah, I understand.

15 MR. BUSLIK: So I didn't do any
16 sensitivity on the probability of some clogging,
17 except for you'll see later that it's easy to see that
18 it's cost beneficial even if for the ones where it
19 wasn't one, it was zero instead of .6 and .3.

20 CHAIRMAN BONACA: Okay.

21 MR. MAYFIELD: Art, excuse me, if I could.
22 Just to pursue that point, the break frequencies that
23 Art used came out of the NUREG 5750. One of the
24 points that we've talked about, without trying to
25 insult my colleagues that did that piece of work, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't think there's any question they did their sums
2 properly.

3 The problem with those frequencies is they
4 can only capture experience up to the point in time
5 when they did the analysis. It can't capture new
6 degradation phenomena. It doesn't capture new aging
7 phenomena that we haven't seen yet, and there's no way
8 it could.

9 So the frequencies that Art has used, they
10 reflect service data up to a point what, four or five
11 years ago?

12 He noted on the one slide that they made
13 an attempt to include the recent V.C. Summer
14 experience and just a one crack in a largish pipe made
15 a significant difference in that break frequency, but
16 there's a lot of additional analysis that goes into
17 that. So we wouldn't want to put forward these break
18 frequencies as the definitive statement the staff is
19 making on break frequency, but it's something to work
20 with for this kind of analysis, and it reflects
21 service experience, perhaps except the most recent
22 events.

23 MR. BUSLIK: And, of course, if we used
24 higher numbers like I've been using in the past in
25 PRAs, it would be even more cost beneficial.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: So you are not using those
2 PRA numbers?

3 MR. BUSLIK: For the initiating event
4 frequencies. Instead I was using these, the
5 initiating event frequencies from NUREG CR-5750, which
6 are smaller basically.

7 DR. WALLIS: One would expect PRAs which
8 are evolving to be more reliable.

9 MR. BUSLIK: But the initiating event
10 frequencies, my guess is that they're originally from
11 -- for LOCAs, originally came from expert judgment.
12 It hasn't been changed that much.

13 Okay. So to go into the monetized
14 benefits, the kinds of things you have to consider
15 according to our regulatory guidance are expected
16 averted population dose to 15 miles, monetized at
17 \$2,000 per person-rem, expected averted off-site
18 financial cost, expected averted on-site cost, and
19 expected averted on-site occupational dose.

20 The largest contributor is the on-site
21 cost, clean-up and decontamination and replacement
22 power. It's about 80 percent of the benefits.

23 The expected averted population dose to 15
24 miles is about 17 percent. If you look at -- if I --
25 it would not be cost beneficial if this were a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 backfit, now, if we only consider the expected averted
2 population dose, but it's not a -- I mean, that's not
3 what our guidance is.

4 And of course, in a sense, the expected
5 averted on-site costs should be subtracted from the
6 cost that the utility has to make anyway, even if you
7 have to consider it.

8 DR. WALLIS: This simply gives you dollars
9 per CDF, doesn't it?

10 MR. BUSLIK: This --

11 DR. WALLIS: Average plant.

12 Do you have to do this calculation every
13 time? Don't you have a sort of rule of thumb of
14 dollars per CDF?

15 MR. BUSLIK: What I did was dollars per
16 person-rem.

17 DR. WALLIS: Yeah, but eventually you're
18 going to relate it to CDF.

19 MR. BUSLIK: Oh, yes, yes. The CDF is
20 included there.

21 DR. WALLIS: So it is dollars per CDF.

22 MR. BUSLIK: That's right.

23 DR. WALLIS: What is the dollars per CDF
24 number, just so that I can sort of --

25 MR. BUSLIK: Well --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Do you have it? If you don't
2 have it, it doesn't matter, but it seems that's what
3 eventually --

4 MR. BUSLIK: Yeah, I have it.

5 DR. WALLIS: -- it comes down to, doesn't
6 it?

7 MR. BUSLIK: Well, first of all, it would
8 depend, in general, whether it's a core damage
9 frequency, which has a large contribution, a large
10 early release fraction or not, but early containment
11 failure basically.

12 But for this study 23 plants gave a
13 benefit -- I mean, I don't have the numbers right in
14 front of me. I think maybe I do, as a matter of fact,
15 but --

16 DR. WALLIS: It's just very useful for the
17 future when we're making these assessments if we have
18 a rule of thumb that we can think about.

19 MR. BUSLIK: Okay.

20 DR. WALLIS: Maybe at the end of the talk
21 or something.

22 MR. BUSLIK: Yeah. I mean, I have a slide
23 that I could compute it from, but --

24 MR. MAYFIELD: Why don't we take that as
25 something that we can get back to you on, Professor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Wallis, if that's acceptable?

2 DR. WALLIS: All right, and there's no
3 need to do it now.

4 MR. BUSLIK: Yeah, okay. Because the
5 numbers I have depend on the number of years of
6 operation of the plant and things like that.

7 We can skip this slide, I think.

8 The cost analysis, the data, of course,
9 that's used are given on this slide, and the cost
10 elements consisted of three parts: up front
11 analytical activities; the physical modification; and
12 other cost elements.

13 The up front analytical activities, each
14 plant would have to do them. So it's independent of
15 the number of plants that have to make the fix.

16 Physical modifications are proportional to
17 the number of plants that have to make the fix, and it
18 was assumed that audits and inspections were also
19 independent of the number of plants that had to make
20 the fix.

21 So that --

22 DR. WALLIS: How big are the up front
23 activities as a fraction of the cost?

24 MR. BUSLIK: Okay. You'll see it on the
25 next --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: It will come?

2 MR. BUSLIK: -- the next slide.

3 DR. WALLIS: I was wondering if the
4 analysis doesn't cost more than the --

5 MR. BUSLIK: Well, it depends. If no
6 plant had to make fixes, then obviously it would, but
7 it's a linear function, and this is taken down to 2001
8 dollars. The assumption is made that the analysis is
9 done in two years from now and the fix is made in
10 three years from now, and it's discounted to the
11 present at a seven percent discount rate, which is the
12 value we're supposed to use.

13 And so you have six times ten to the fifth
14 dollars, in other words, \$612,000, for making the fix
15 at each plant, and an up front cost of \$9 million.

16 DR. ROSEN: That's aggregate for the whole
17 industry or is it per plant?

18 MR. BUSLIK: The aggregate for the whole
19 -- the nine million is an aggregate for the whole
20 industry, but you get an idea here. When this was
21 done, it was assumed that 50 percent of the plants
22 would go to license renewal, and there were some rough
23 assumptions. Really the way you should do it is you
24 should look at every plant, know how many more years
25 left, and make some decisions as to whether it is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to go to license renewal or not, and do that.

2 But we did it in a rough way, which is
3 probably okay, but I'm told that industry may plan to
4 have much more than 50 percent of plants go to license
5 renewal. That would make it even more cost beneficial
6 because there would be more years with the fix in
7 place.

8 DR. ROSEN: So the hardware fixes are
9 about 600,000 per unit.

10 MR. BUSLIK: Per unit, that's right.

11 DR. ROSEN: And the aggregate analysis
12 costs for the industry are about \$9 million.

13 MR. BUSLIK: That's right.

14 DR. ROSEN: And what are you expecting
15 that \$600,000 to buy in the plants? Is there a
16 specific fix that that is supposed to be the cost
17 estimate of?

18 MR. MARSHALL: What we assume is that the
19 fix would be is increasing your sump screen area, and
20 the costs were based on estimates of one utility that
21 already did that. Then estimates we got from other
22 vendors on how much they would charge the utility for
23 doing that type of work.

24 MR. BUSLIK: Yeah. What was the plant
25 that was -- Diablo Canyon?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARSHALL: Yes.

2 MR. BUSLIK: Yeah, Diablo Canyon had
3 actually done such a fix.

4 What you get is for the 23 plants where
5 there was a probability of one of the LOCA on every --
6 for every size LOCA, the benefits were about \$50
7 million, and the costs, 23 million. You can see that
8 if I considered only those 23 plants in a sense, that
9 has enough benefit to take care of the 32 plant case
10 and, in fact, the 40 plant case using mean values.

11 So basically even if every case where it
12 is possible or likely for the sump to clog, you set it
13 equal to zero, you would still be cost beneficial for
14 all of the three cases.

15 DR. WALLIS: But if I'm NEI, I'm going to
16 come back and say you've made conservative
17 assumptions. The benefit is really, you know, half of
18 that and the cost really twice that. So it's not
19 worth doing.

20 MR. BUSLIK: Well, right. And it all
21 hinges on the probability of the sump clogging and
22 whether they can argue --

23 DR. WALLIS: Except I wonder if it's
24 really -- any prediction is within a factor of two.
25 So it's going to be --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BUSLIK: Aside from that probability
2 of the sump clogging, and I think probably for some
3 plants the probability of the sump clogging being one
4 is fairly robust just because of where the little box
5 is compared to the failure line, and that's my own
6 opinion, but --

7 DR. WALLIS: Probably nothing in nuclear
8 is ever one, is it?

9 MR. BUSLIK: No, it isn't one, but if it's
10 .99 it doesn't matter.

11 DR. WALLIS: Well, it seems to me a bit
12 surprising that these things have operated all this
13 time and engineers have looked at things and now
14 you're coming up with something with a probability of
15 one which hasn't been considered before.

16 MR. BUSLIK: Well --

17 DR. POWERS: It must have been considered
18 or it wouldn't have been screened.

19 DR. WALLIS: Well, if it's been considered
20 before, then we must consider the probability to be
21 very small. Otherwise they would have done something
22 about it.

23 DR. POWERS: Well, I think the discovery
24 was that that at Barseback they could produce a lot of
25 debris from the process itself.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BUSLIK: That's right.

2 DR. POWERS: I mean, I think it's the
3 magnitude of the debris.

4 DR. WALLIS: So it's a new piece of
5 knowledge which changed this assessment from
6 negligible to one.

7 MR. MARShALL: Yes. When it was
8 considered before, there's a few changes.
9 Barseback -- well, yeah, there's a few things we knew
10 from Barseback that we didn't know back in 19 --
11 actually the agency addressed this explicitly back in
12 1980, 1985, that time frame.

13 And what Barseback showed us was that our
14 amount of transport, the type of debris we were
15 considering, not the type, but the shape and size of
16 it was in error.

17 And so when we went back from what we knew
18 with Barseback and applied it and a few more things we
19 learned along the way, such as filtering of
20 particulate debris, we end up with drastically
21 different --

22 DR. WALLIS: Was Barseback some event that
23 actually happened?

24 MR. MARShALL: Yes.

25 DR. WALLIS: When did it happen?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARShALL: A Swedish BWR in 1992.

2 DR. WALLIS: '92?

3 MR. MARShALL: yes.

4 DR. WALLIS: So it's going to take ten
5 years before anything is done?

6 DR. POWERS: It'll take more than that.

7 DR. WALLIS: Well, there are going to be
8 no hardware modifications.

9 DR. POWERS: I understand you're talking
10 about --

11 MR. MARShALL: Well, actually the NRC did
12 this in two steps. We addressed our BWRs first, and
13 all those had made modifications. The agency has
14 audited those modifications, have closed out,
15 essentially went through -- if the BWRs was handled as
16 a GSI, that would have been concluded probably
17 beginning of this year.

18 So we took it in two steps. We took the
19 BWRs first, and then we went back and looked at the
20 PWRs, and so we've been active sine Barseback, and
21 we've addressed our BWR population, and we're in the
22 process now of addressing our RPEs.

23 DR. WALLIS: Thank you.

24 MR. BUSLIK: I guess it was less clear
25 that there was a problem with BWRs, and yes, there are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some screens, but the assumption was that they would
2 get to be clogged only 50 percent, and in some cases
3 it's much more than that.

4 DR. POWERS: Also in fairness, Graham, the
5 first four years that I was on this committee, I got
6 to listen to just about every meeting a request from
7 Mr. Carroll on when was the staff going to do
8 something about the Barseback incident.

9 DR. WALLIS: So you're seeing in back in
10 person again.

11 MR. BUSLIK: Okay. These are the
12 uncertainties of the large and medium LOCA frequencies
13 here. They were on an earlier slide as well, except
14 for the median values, which are given there.

15 The values for the reactor cool pump from
16 sealed LOCA are not there. They were given. The
17 upper bound is 5.3 minus three. The lower bound is
18 5.6 E minus four, and I think the error factor is
19 three. So that the difference between the mean and
20 the median for reactor cool pump sealed LOCA would be
21 about 25 percent.

22 Okay. In some cases the probability of
23 the sump clogging may be conservative. I mean, they
24 use the licensing criteria for loss of net positive
25 suction, but in some cases it probably wouldn't make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any difference at all, but I don't know on the average
2 how it would affect it.

3 DR. WALLIS: Excuse me. There's one
4 screen or something? Are the screens in different
5 places? There are several intakes for pumps, aren't
6 there? There isn't just one.

7 MR. MARSHALL: It depends on the plant.
8 There's one plant that has three distinctly separate
9 sump screen -- sumps with three separate sump screens.
10 More typical would be two sumps per plant, and then
11 that will vary between two distinctly separate sump
12 screens or two sumps that share a sump screen area.

13 I don't believe there's any -- no, there's
14 no single sump plant. So most of them have two, and
15 it's whether they have two physically separate sump
16 screens or --

17 DR. WALLIS: Doesn't it help you -- isn't
18 there a preference for debris from a particular
19 accident to be in a particular place, or is it
20 everywhere?

21 MR. MARSHALL: Again, this would be one of
22 the plant specific things. Depending on the break, it
23 could be preferential in one location versus another,
24 and also depending on --

25 DR. WALLIS: Does that come into your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis, the LANL analysis, or do they just assume it
2 goes everywhere?

3 MR. MARSHALL: We pretty much assume it
4 goes everywhere.

5 MR. RAO: My name is D.V. Rao. I work at
6 Los Alamos. I'm the principal investigator.

7 Actually sump screens changed quite --
8 sump screen designs are unique to each plant, I guess.
9 They vary quite much.

10 In our analysis we did take into
11 consideration sump screen location as relates to how
12 close it would be to the pipe locations where the
13 insulation is. In some plants it's in the remote as
14 packed away in some parts, and in some it could be
15 feet away from, literally under a recirculation line.

16 So we tried to take that into
17 consideration.

18 Also, another aspect that we took into
19 consideration is whether the sump screen is above the
20 floor or below the floor. In some plants, the sump
21 screen just looks like a storm drain of such where
22 it's in a pit in which the sump screen is. So the
23 debris actually tends to go into the pit and,
24 therefore, deposit, and in some plants, on the other
25 hand, it is a vertical screen located on the floor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Therefore, the debris had to go up and build.

2 We tried to take some of these factors
3 into consideration and be very -- and we still have
4 some other experimentation and others going on on
5 those issues, but I do believe we tried to address
6 that.

7 DR. WALLIS: Thank you.

8 MR. MARSHALL: I didn't go into that kind
9 of detail, but there's essentially no two sumps alike
10 between different sites.

11 DR. WALLIS: Which indicates that every
12 plant is going to have to do its own analysis and
13 someone is going to have to review that for technical
14 credibility.

15 MR. MARSHALL: And that led us to our
16 recommendation of plant specific.

17 DR. ROSEN: I think that's absolutely
18 true, Graham, and my comments earlier were about every
19 plant has to do its own analysis, and every plant is
20 different. Then the need for guidance, it seems to
21 me, is absolutely clear in the sense that you will get
22 analyses that you won't -- that will look -- the
23 answers will be very different, and the configurations
24 may be the same. And then what do you do with that?

25 MR. RAO: Actually, may I say one other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 point? It is true that every plant may have to do
2 separate analysis, but depending on the fix, you know,
3 a lot of our discussions that I've been seeing here
4 are going on what the status is right now.

5 It is, in fact, true that the sumps are
6 designed differently, but that doesn't necessarily
7 mean that the new sumps that are to be replacing the
8 present ones, as in the screens and others, could not
9 be generic or could not be more -- they share features
10 common to different plants, in which case it is not
11 necessary that you have to do analysis to that level
12 for each plant.

13 We need to think about that, that is, that
14 at the present time they're different from each site
15 or each plant, doesn't necessarily mean in the future
16 analysis that they have to do will have to be the same
17 either.

18 I don't know if I made my point clear.

19 CHAIRMAN BONACA: Just a note. We have
20 less than ten minutes left. So we should --

21 MR. MARShALL: If you don't mind, I would
22 like to skip to just --

23 CHAIRMAN BONACA: Okay.

24 MR. MARShALL: Just finish a couple of
25 slides there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BUSLIK: All right. I did an
2 uncertainty analysis, and using Sapphire (phonetic),
3 and to get some idea on the core damage frequency,
4 this was only for large, dry plants. And you get 6.7
5 E minus five per year for the mean and 1.8 E minus
6 four per year for the upper bound.

7 And if you go to -- now, this is for one
8 plant, one large dry. Presumably if you're
9 considering the average core damage frequency for a
10 set of, say, the 18 large dry -- this, by the way, was
11 for a case where the sump clogged in all size LOCAs --
12 presumably there the uncertainties would tend to
13 cancel out. The uncertainty in an average is less
14 than the uncertainty in an individual sample.

15 And that's to be indicated here. So it
16 looks like it's very highly likely that it's cost
17 effective. The only problem is, of course, if the
18 probability of some clogging instead of one is .2 or
19 something like that.

20 CHAIRMAN BONACA: I just want to ask you
21 a question about it. You know, when I look at the
22 cost-benefit analysis here, the benefit is all coming
23 from averted costs. Assume that for the case where
24 you have sump blockage and you give the probability of
25 one. That means that all the money that is going now

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in supporting high pressure injections, sit tanks
2 (phonetic), testing, everything that a tech. spec.
3 requires and everything else; so much is driven by the
4 requirements of LOCA in the power plant.

5 All of these costs are totally lost, is
6 being wasted today because you're saying that --

7 MR. BUSLIK: It is all plant protection.

8 CHAIRMAN BONACA: Yeah. So wouldn't the
9 costs also have to be considered or it's just simply
10 simplification you don't consider that?

11 I mean, it seems to me that that's --

12 MR. BUSLIK: I don't understand what
13 you're saying.

14 CHAIRMAN BONACA: What I am saying is that
15 there is a lot of cost associated with running all of
16 the other ECCS systems in the expectations that they
17 will be successful. If you are telling me that when
18 you go to recirculation, you will not have success,
19 then why bother with everything else you have for
20 LOCA?

21 And I'm saying that all that is being
22 invested there, which is --

23 MR. BUSLIK: Well, in a sense, this is
24 included in the -- in the -- well, I'm not sure how
25 that's included. It's the plant which makes power,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and if you lose the plant, you lose the replacement
2 power. I mean you need to replace the power.

3 CHAIRMAN BONACA: Sure, I understand.

4 MR. BUSLIK: And there's decontamination.
5 I'm not quite sure how you --

6 DR. WALLIS: Well, that cost has already
7 been --

8 CHAIRMAN BONACA: I'm only saying --

9 DR. WALLIS: -- is gone. You've spent it
10 already. If you had to build the LOCA system today
11 and you had to figure that in, then you might well
12 figure out it wasn't worth doing it.

13 CHAIRMAN BONACA: Well, that's --

14 MR. BUSLIK: Well, at least for -- yes,
15 you might figure that for large break LOCAs you don't
16 need as elaborate a system or something like that.

17 DR. ROSEN: You know, Mario, I'm a little
18 troubled by the emphasis both in the analysis and in
19 the committee's time on the cost-benefit analysis. If
20 a plant has a high likelihood of sump clogging, it
21 would seem to me to be irrelevant whether or not, you
22 know, there's a two to one cost-benefit ratio or three
23 to one cost-benefit ratio.

24 They should simply verify that they do and
25 take appropriate measures to fix it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: I agree with you, and I
2 think actually, you know, I recognize we have had
3 previous presentation here that was quite informative
4 on the generic analysis done. So but you're right.
5 I mean the focus today has been on cost-benefit, and
6 I agree with you that if there is a problem, the issue
7 of compliance is significant in that case.

8 MR. BUSLIK: Yes. I think as long as you
9 know there's a significant safety benefit, you don't
10 really -- they've figured that that's sufficient.

11 DR. ROSEN: Well, I take it even one step
12 further than you do, Mario, and you brought to the
13 issue of compliance, and I bring it to the issue of
14 responsibility for the nuclear --

15 CHAIRMAN BONACA: Of course.

16 DR. ROSEN: -- safety of the public and
17 the plant workers and the investment. Responsible
18 management faced with the finding that their plant has
19 a high likelihood of sump blockage, I think would take
20 prompt action to remedy the situation.

21 CHAIRMAN BONACA: Sure. That's why I
22 spoke before of urgency. I mean, there is some
23 urgency here, and --

24 MR. MARShALL: One reason we presented the
25 risk and the cost-benefit considerations is even

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 though this would have been very important for safety
2 enhancement, even if this was treated as a safety
3 enhancement, it still bolsters the case that this is
4 something that merits attention.

5 Even based, if this was a safety
6 enhancement, we would still have a case of moving
7 forward with it, and again, as Art pointed out, we're
8 required to consider or at least prepare the cost
9 estimate for the decision makers to look at also.

10 So we're presenting all of the information
11 we're going to be presenting to NRR as they take
12 action on our recommendation.

13 DR. ROSEN: Don't take my comments that
14 this work was not required, but I think we look at it
15 and then we get past it.

16 MR. MARSHALL: Okay.

17 DR. WALLIS: Well, I like your sentiment.
18 It seems to me that responsible plant management ought
19 to figure out what to do no matter what the NRC does.
20 Now that there's a problem that seems to be there,
21 they ought to respond with the appropriate action no
22 matter the NRC may be doing in the meantime.

23 And it may be that their response will be
24 to show that it's not a problem, but no matter what it
25 is, they can't do nothing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: And even -- I mean, I
2 think the lack of specific guidance should not be an
3 obstacle either. They know what the configuration of
4 the plant is. They know what the installation is, and
5 they have AEs that have done the original analysis.
6 They can be repeated with certain considerations.

7 And so I think that I agree with you.

8 MR. ELLIOTT: Can I mention something from
9 past experience?

10 My name is Rob Elliott, and I had the lead
11 for the Bulletin 96-03, which was issued to implement
12 the modifications to resolve the issue for BWRs.

13 At the time we issued the bulletin, there
14 wasn't detailed guidance out for the BWRs either. The
15 BWR owners group took the lead, prepared that
16 guidance. We reviewed and approved it after the
17 bulletin had been issued.

18 And licensees managed to implement all of
19 their hardware modifications within two and a half
20 years of the bulletin being issued.

21 So, I mean, if we get everybody working on
22 the issue, we can be working on the detailed guidance,
23 you know, almost immediately if there's agreement that
24 we need to address the issue. That's what we need to
25 get to.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARShALL: The important thing I think
2 Rob mentioned was the detail guidance was actually
3 prepared by the BWR's owners group. It wasn't
4 prepared by the NRC. We prepared, again, like a very
5 performance type guidance, but some people didn't feel
6 that was detailed enough to work from, and so they
7 took it upon themselves to provide their members
8 detailed guidance to follow, and it provided options
9 on A, B, C, D, on how to address debris generation.

10 MR. ELLIOTT: And transport.

11 MR. MARShALL: And they submitted that to
12 our office for NRC review, got an SER on it. So the
13 individual utilities had confidence if they followed
14 this and submitted it to the NRC, it would be
15 acceptable.

16 Just in closing because I think I ran out
17 of time a minute ago --

18 CHAIRMAN BONACA: That's okay.

19 MR. MARShALL: -- I just want to reiterate
20 our proposed recommendation: again, plant specific
21 analysis, and if a problem or vulnerability is
22 determined, implement an appropriate corrective
23 action.

24 And that's what we'll be sending to NRR
25 during this month.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. ROSEN: And for the committee's point
2 of view, what I understand from this is that you do
3 want an ACRS letter --

4 MR. MAYFIELD: That is correct.

5 DR. ROSEN: -- on the basis of what we've
6 heard today.

7 MR. MAYFIELD: That is correct, sir.

8 CHAIRMAN BONACA: What's the sense of the
9 membership? I think we should have one.

10 DR. WALLIS: Well, I'm a little concerned
11 because we only have one side of this. We have this
12 one report which does have assumptions in it. So we
13 don't have any kind of other view that says -- it
14 seems to have a vague statement that these assumptions
15 are conservative. We don't have a basis for knowing
16 what's really realistic. We just have to either
17 believe that LANL report or we have nothing to go on.

18 CHAIRMAN BONACA: Well, we received the
19 presentation here and read a report. It was quite
20 detailed and had a generic treatment of the issue.
21 There were representations of certain types of sumps,
22 one that would flush and then stepped up and different
23 heights of those, and they were pretty detailed
24 insofar as the generic representation of sumps.

25 I was left at the time with the sense that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all that could be done generically was done, and we
2 had to move into plant specific already. That's why
3 today I was surprised at the beginning that we were
4 not facing that kind of recommendation immediately.

5 Then I saw it coming through, but it seems
6 to me that we know enough to justify this
7 recommendation. Now, you had a different sense from
8 it, Graham?

9 DR. WALLIS: No, I just am saying I'm
10 anticipating that there will be another view of the
11 problem when eventually industry gets around to it.
12 It may look rather different.

13 CHAIRMAN BONACA: And on a plant specific
14 you might find that there are no problems or there are
15 problems, and that will be --

16 DR. WALLIS: And then it will come to us
17 again presumably. We may have to arbitrate between --

18 CHAIRMAN BONACA: I think we'll have to go
19 away from genericity and go to specificity for the
20 plants.

21 DR. ROSEN: Well, I think we clearly have
22 to make a choice. I think anything we write now would
23 have to be an interim letter. It will not be our
24 final word on it.

25 So we have to choose whether we want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 say something on the interim, on the basis of the
2 interim work we've heard about and seen so far or hold
3 off.

4 DR. KRESS: There's not much chance this
5 committee will get a chance to look at all of the
6 individual plant specific analyses that come in. We
7 need probably to make this our final letter, probably.

8 CHAIRMAN BONACA: Yeah, I think so, too.
9 I mean, do we believe that this is an issue that would
10 deserve, in fact, this recommendation?

11 DR. KRESS: That's the issue, I think.

12 CHAIRMAN BONACA: That's the issue, and
13 you know, I personally believe that. So I'm
14 supporting of a letter that will recommend that.

15 But I accept that the studies that we've
16 done to date may have limitations and you know.

17 DR. KRESS: Yeah, I think I would support
18 that conclusion also. I think the point of debate for
19 our letter might revolve around the need for guidance
20 and what that might take.

21 DR. ROSEN: Certainly that will be a point
22 of debate and how clear we come out on that point will
23 be important. But I think also, as Graham suggests,
24 we haven't heard the industry reaction yet, and we may
25 get some important input that could cause us to revise

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what we might say this week.

2 DR. KRESS: If we get such input. We're
3 quite often faced with that situation though, and we
4 go ahead and make our judgments based on what we know,
5 and that's more likely to be the case here, I think.
6 We've got the final work probably before we write a
7 letter.

8 So I suspect we ought to resolve ourselves
9 to making our judgment based on what we've already
10 heard.

11 MR. MAYFIELD: If I could, this is Mike
12 Mayfield.

13 As part of the generic communication
14 process, there are opportunities for the committee to
15 be briefed on and comment on generic communications
16 that might issue from this.

17 DR. KRESS: Yes.

18 MR. MAYFIELD: So as the process proceeds,
19 there will be another look at this potentially.

20 CHAIRMAN BONACA: Any other comments from
21 members or points of view?

22 (No response.)

23 CHAIRMAN BONACA: Okay. If not, I think
24 we are done. So we will recess the meeting for 15
25 minutes and take a break until 10:20.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Whereupon, the foregoing matter went off
2 the record at 10:03 a.m. and went back on
3 the record at 10:21 a.m.)

4 CHAIRMAN BONACA: Okay. Let's resume the
5 meeting now with the next item on the agenda. That's
6 the EPRI report of resolution of generic letter 96-06,
7 waterhammer issue. I believe Dr. Kress is the
8 responsible individual.

9 Dr. Kress.

10 DR. KRESS: Thank you, Mr. Chairman.

11 We had a Thermal Hydraulic Phenomena
12 Subcommittee meeting on this issue August 22nd and
13 23rd of this year. Not many members were there. So
14 we have quite a bit of time on today's agenda to try
15 to cover the issue.

16 To refresh your memory, there is a report
17 on the subcommittee meeting, handout 311, that you
18 may have already read, but to refresh your memory
19 anyway, this is a compliance issue for a design basis
20 event. A large break LOCA combined with the loss of
21 off-site power or a main steam line break combined
22 with the loss of off-site power sets up a condition in
23 which you're likely to get a waterhammer event in the
24 fan cooler units of containments.

25 And such an event could give you the loss

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the function for the cooling and might even set up
2 a bypass path from the containment.

3 So the generic letter in 96-06 requested
4 that plants evaluate their vulnerability to this
5 issue, and the work that was done by EPRI and industry
6 in a collaborative effort was to provide guidance to
7 licensees to do an individual plant evaluation or a
8 specific plant evaluation of their vulnerability to
9 this issue.

10 And the work they did was to develop a
11 methodology for making the determination, and this
12 methodology has in it a component of determining the
13 amount of air and steam that makes a pocket in this
14 event, and it's very important to know how much, what
15 size this pocket is, and what its constituents are
16 because it's a major factor in ameliorating the
17 intensity of the waterhammer.

18 So we previously had a subcommittee
19 meeting on this in which we looked at their
20 methodology, and we had basically three issues with
21 it.

22 One of them was the determination of our
23 release fraction that made this void region as the
24 event occurred. We felt the experiments that the
25 release fraction was based on was apparatus dependent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and might be difficult to scale to the FCUs that are
2 actually in the plant.

3 The other one is --

4 DR. POWERS: Can I ask -- I sent you an E-
5 mail asking some specific questions about the details
6 of the experiment on that air release fraction. Did
7 we ever get any clarification on that?

8 DR. KRESS: I was hoping we could ask that
9 question at this meeting and get it clarified. I've
10 not --

11 DR. POWERS: And there's a lot of problems
12 of nucleation and whatnot in trying to get gases out
13 of water in dynamic events.

14 DR. KRESS: Yeah.

15 DR. POWERS: There just didn't seem to be
16 enough discussion on that to me.

17 DR. KRESS: Yeah. I definitely think when
18 we get to the discussion of the termination of the
19 release fraction that you need to bring that up again,
20 Dana.

21 The other problem that we had previously
22 was to determine the amount of steam that gets
23 condensed and its effect on the amelioration. It was
24 experiments to determine an hA term for condensation
25 where condensation was hA delta T, and so we thought

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that might also lack enough technical basis to be
2 scalable, and in general, scalable for the test data
3 to the full size was our problem.

4 So at the subcommittee meeting, the EPRI
5 group attempted to address these issues, and I think
6 they will also address them further in this meeting.

7 So with that as a preliminary, I guess
8 I'll turn it over to Jim Tatum of NRR.

9 MR. HUBBARD: This is George Hubbard,
10 Acting Branch Chief for Plant Systems Branch.

11 Before Jim gets up or Jim can go ahead and
12 start going forward, just Dr. Kress mentioned this
13 methodology. I wanted to bring in focus a couple of
14 things is this is not for the entire industry, as Jim
15 will point out in his slide. This is for about 24
16 plants.

17 I think most of the other plants have
18 addressed this issue, and they have satisfactorily
19 accepted their resolution of the issue, but for these
20 plants that EPRI is focusing on is they decided to go
21 into a group to develop this methodology.

22 The other thing that I'd like to point out
23 is that this is a low pressure system. It's probably
24 up to about 100 psi so that we're not dealing with the
25 high pressure waterhammers that we generally think of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the, you know, 800,000 or, you know, high
2 pressures.

3 So I wanted to bring those two points out,
4 and then I'll turn it over to Jim, and he'll bring us
5 up to speed on the issues, a brief introduction, and
6 then EPRI.

7 Thank you.

8 MR. TATUM: Good morning. My name is Jim
9 Tatum. I'm from the Plant Systems Branch.

10 What I'd like to do, I think, just to make
11 sure everyone is on the same page here on this issue
12 is to provide a brief introduction as far as what the
13 issue is, and then defer to EPRI. I think they have
14 additional explanation that they would like to give
15 us, and upon completion of that, go ahead and discuss
16 the staff perspective on this thing.

17 Let's see. Now, in the way of
18 introductions, Generic Letter 96-06 was issued just
19 about five years ago.

20 DR. WALLIS: Excuse me. Do we have copies
21 of your presentation?

22 MR. BOEHNERT: You should have it in front
23 of you there.

24 MR. TATUM: Hopefully.

25 MR. BOEHNERT: It's a single page. If you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't, I have copies for you here.

2 MR. TATUM: Okay. About five years ago we
3 issued the generic letter in response to some work
4 that was done at Diablo Canyon and Westinghouse in
5 looking at the fan cooler system and an issue that was
6 identified.

7 The specific scenario that we're talking
8 about has to do with a LOCA, large enough LOCA to
9 provide significant heat input into containment and
10 transfer that heat to the cooling water system.

11 Typical fan cooler units, this is a pretty
12 good schematic I borrowed from the EPRI document. I
13 think it came from Volume 2, but typically what
14 happens is you have a loss of power. You lose the
15 service water pumps or the cooling water pumps,
16 whatever the case may be, that is providing flow
17 through the fan cooler system, and at the same time,
18 the fans that are blowing air through the fan coolers
19 are winding down.

20 There is a timing difference, however.
21 The pumps will coast down much more rapidly than the
22 fans will coast down, and so what you have is a
23 situation in the containment where you have the heat
24 from the LOCA that's released rather quickly, and you
25 have the fans continuing to wind down, transferring

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that heat into the fan coolers through the fan
2 coolers, which are very efficient heat exchangers.
3 They're designed to transfer heat, typically have
4 copper tubes that have fins on them, and so you get a
5 rather rapid, immediate heat transfer into the fan
6 coolers themselves.

7 As you get the heat transfer in there, the
8 concern was whether or not you would have a
9 significant amount of steam formation, and if that
10 steam formation could lead to some significant
11 condensation induced waterhammer event, thinking back
12 to the days when we were looking at the waterhammer
13 events associated with steam systems, steam
14 generators, feed rings, that sort of thing.

15 And not knowing a whole lot about the
16 response of low pressure systems and whatnot, we
17 thought for a level of comfort, make sure that these
18 systems wouldn't be compromised during the event, that
19 licensees really should take a look and see if their
20 systems were robust enough to be able to handle the
21 event.

22 DR. WALLIS: Jim, this is a very idealized
23 picture, and in reality, as we've said before, these
24 fan coolers are connected with all sorts of piping
25 that goes up and down. It goes into big headers, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 each plant has very specific piping.

2 MR. TATUM: That's true.

3 DR. WALLIS: Very specific connections,
4 very specific ups and down, and this sort of gets lost
5 in all this work and the connection between this
6 reality and some idealized view is being lost to some
7 extent throughout this work.

8 MR. TATUM: That's true, and I think EPRI
9 can talk a little bit about what they've done in the
10 way of the participating utilities. I mean, they have
11 surveyed and tried to get a pretty good feel for what
12 the specific piping arrangements are for the plants
13 that are involves with this particular study that's
14 been done.

15 But you're right. I mean, the plant
16 designs are very plant specific. There's not a
17 standard design. You can have the fan coolers at a
18 high point. You can have them at a low point.

19 Typically I think it's more common that
20 you see them at a high point in the system. You do
21 have headers that feed into the fan coolers, and off
22 of those headers then you have small tubes that form
23 the majority of the fan cooler itself where the heat
24 is transferred.

25 But you're right. There are different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 turns, maybe different systems that are cooled by the
2 cooling water system in containment. It may not just
3 be the fan cooler. So there are some complications
4 that have to be considered in all of this.

5 MR. SIEBER: Let me ask a question. When
6 you have a LOCA, the containment temperature and
7 pressure changes pretty rapidly, but not
8 instantaneously. Did you take into account the
9 profile of containment temperature with time and
10 compare it to the time that that the service water is
11 not flowing?

12 MR. TATUM: Yes. Typically what the
13 plants have done is they have looked at their
14 containment profiles for the design basis LOCA, and
15 based on those profiles, they've maximized the heat
16 input typically to get the maximum steam volume that
17 you might be able to get from the heat that's in
18 containment.

19 That's a little bit idealized because
20 obviously there's difficulties in determining where in
21 containment the heat is being disbursed. You know,
22 there's going to be some complications with just
23 getting down to how rapidly it is going to be
24 transferred through the fan cooler.

25 So the process that utilities have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 typically used is to look at worst case type
2 conditions, take a look at the profile, assume that
3 heat is there available to the fan coolers, transfer
4 the heat into the cooling water systems just kind of
5 as an approach to try to get past, well, yeah, you
6 have the LOCA. How is that heat being conveyed
7 through the containment? How long does it take to get
8 to the fan coolers?

9 I mean, there are questions that can be
10 asked that we really didn't go -- it wasn't the
11 purpose of this generic letter really.

12 Our feeling when we issued the generic
13 letter was that the bounding case, the limiting case
14 would be maximum steam formation with the potential
15 for a condensate induced waterhammer event. That's
16 really what our concern was going into the generic
17 letter, this aspect of it.

18 MR. SIEBER: Well, if the licensee would
19 respond to the generic letter by doing an analysis
20 that's time dependent, I presume you would accept that
21 kind of analysis.

22 MR. TATUM: If it were justified. I mean,
23 from the staff's perspective though, it would be
24 difficult because we look at design basis scenarios,
25 and so as design basis we look at the temperature

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 profile, and we go by, well, at this point in time you
2 have this temperature in containment, and we assume
3 that it's disbursed uniformly throughout containment.

4 So you know, we don't get, and I think it
5 would be very difficult to try to model exactly where
6 that heat would be at any point in time. So we have
7 to make some simplifications.

8 I put up another diagram here to --

9 MR. HUBBARD: Jim, let me add one comment
10 on that. This is George Hubbard.

11 I think part of the reason the utilities
12 went together is they all realized that for their
13 situation, that there would be this input, and they
14 could have the problem, and therefore, they went to
15 form this group to address it.

16 So from their own evaluation they felt
17 they had the problem, and they, you know, wanted to,
18 you know, approach it with this methodology.

19 MR. TATUM: I've put this slide up to
20 illustrate a little bit more of what Dr. Wallis was
21 speaking to. The header configuration that you could
22 expect to see for a fan cooler unit, you have the
23 pipes, the main pipes that bring the water into the
24 fan coolers, but then those pipes transition into
25 individual unit boxes that make up the cooler, and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cooler itself is composed of copper tubing typically
2 with fins and very long lengths and winding, making
3 several paths through each box.

4 That's kind of the arrangement that we
5 were looking at.

6 DR. WALLIS: Even this figure is a bit
7 strange because your left-hand one shows a supply
8 coming in presumably on the left, going out on the
9 right, both at the bottom. But on the right-hand
10 picture the return is at the top.

11 Now, where is the return? Is it at the
12 top or the bottom in the fan cooler?

13 MR. TATUM: Well, typically I believe this
14 is -- if you look at the diagram, I think the larger
15 diagram over on the side there, you have a header that
16 comes in, and this is very plant specific. I mean,
17 this isn't meant to be generally applicable to all
18 plants, but for this particular case, I mean, it's
19 showing the return coming in at the bottom and going
20 out at the top.

21 I wouldn't say that that's the case --

22 DR. WALLIS: They both go out at the
23 bottom on the left, right?

24 MR. TATUM: Well, if you look on the left
25 side --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: They both go out at the
2 bottom.

3 MR. TATUM: -- it's probably hard to tell.

4 DR. WALLIS: They come in and go out at
5 the bottom, don't they, on the left?

6 MR. TATUM: Well, I mean it's hard to tell
7 from the isometric, I think, really, but it should be
8 showing it coming in similar to what you have here.
9 I mean, coming in at the bottom, going out at the top.

10 DR. WALLIS: And in the EPRI experiment,
11 they have a pipe, and then it all comes out and
12 bubbles up into something.

13 MR. TATUM: Yeah, well, they show -- and
14 I'll defer comments on that. I think EPRI --

15 DR. WALLIS: Maybe they will tell us how
16 their experiment is related to this sort of picture.

17 MR. TATUM: Right. I think they'll be
18 prepared to discuss the experiment and how it relates
19 to the actual header configuration and that sort of
20 thing.

21 But I just wanted to make sure everyone is
22 familiar at least generally with the system that we're
23 talking about.

24 DR. WALLIS: The headers, the big headers
25 that go around containment are at about the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 level. So that return if it's up has to come down
2 again to go into the header.

3 MR. TATUM: That's correct. That's
4 correct. If it's in a high point, typically the
5 piping will come back down to where the main header
6 is.

7 DR. WALLIS: It comes down. It doesn't go
8 up.

9 MR. TATUM: Right. Now, in those cases,
10 and I think there may be a couple where you have the
11 fan coolers at the low point in which case the piping
12 would go up to go back to the header.

13 DR. WALLIS: All right.

14 MR. TATUM: So it can be very plant
15 specific that way.

16 DR. FORD: Could I just ask another
17 question?

18 MR. TATUM: Sure.

19 DR. FORD: I'm assuming SS is stainless
20 steel. Stainless steel tubes with copper fins; does
21 it change from plant to plant? Do you have copper all
22 the time -- sorry -- stainless steel tubes all the
23 time, or do you have carbon steel headers?

24 MR. TATUM: Well, no, the piping -- the
25 headers themselves would typically be some sort of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 carbon steel.

2 DR. FORD: Okay.

3 MR. TATUM: Typically. Service water
4 system, that kind of an arrangement. The tubing
5 itself typically, they would be what you'd find in a
6 heat exchanger, copper tubing, possibly fin.

7 This one, this particular example from the
8 EPRI manual is for a particular plant, and in this
9 case, they're talking about stainless steel, but it
10 varies from plant to plant.

11 DR. FORD: Okay. So you could have just
12 plain carbon steel tubes.

13 MR. TATUM: Well, not the tubes so much.
14 The header that goes into the fan cooler.

15 The fan coolers themselves, I think, are
16 typically originally commercial type units for
17 transferring heat. There wasn't anything special
18 about the design of the fan cooler itself.

19 DR. FORD: Okay.

20 DR. WALLIS: Now, while this release is
21 occurring, is there flow through the system or is it
22 stagnant pretty well?

23 MR. TATUM: Well, typically what we're
24 looking at for the Generic Letter 96-06 scenario is
25 that you have a stagnant cooling water system. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pumps stop, loss of power, and you have the air
2 continuing the containment atmosphere continuing to
3 blow through the heat exchanger as the fans wind down.

4 DR. WALLIS: But in this part, in the
5 water supply here --

6 MR. TATUM: Right.

7 DR. WALLIS: -- there's no flow through
8 there during this event or the pumps are coasting
9 down. So there is a flow through here.

10 MR. TATUM: Well, they coast down very
11 rapidly. So essentially it's no flow, yeah, no flow
12 through on the water side. And so you may have column
13 separation, you know, if you have a system that's high
14 in the containment and, you know, would expect boiling
15 to occur rather rapidly, that sort of thing.

16 DR. KRESS: Now, what's the general source
17 of this water supply?

18 MR. TATUM: Well, it varies. I mean, the
19 open loop systems, you can have the source from a
20 reservoir. It can be from a river, a lake. You know,
21 the pump service water system basically, it's that
22 kind of a system. It would take a suction from a body
23 of water, whatever is available.

24 DR. KRESS: So it very well could be
25 fairly dirty water. It's not --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TATUM: It could be fairly dirty
2 water, and in fact, we've acknowledged that and
3 recognized that previously by issuing Generic Letter
4 89-13. So there are -- you know, problems with dirty
5 water systems have been addressed. I don't expect
6 that to be a complication for this issue per se as far
7 as degrading the system, aging, and that sort of
8 thing.

9 DR. KRESS: Yeah. Well, I had in mind how
10 that might affect the higher release fraction.

11 MR. TATUM: The heat transfer and whatnot.

12 DR. KRESS: Yeah, and the heat transfer.

13 MR. TATUM: Right. Yeah, the quality of
14 water varies, and you can have silting and different
15 things going on there with the water supply or marine
16 growth, organisms, that sort of thing. But those
17 issues for the most part I think we've addressed with
18 Generic Letter 89-13.

19 Getting back here to just basically
20 introductory comments, let's see. I wanted to just
21 back up now with the EPRI initiative that was proposed
22 in August of '98. As George has already mentioned,
23 there were a group of utilities that were interested
24 in trying to come up with a less conservative
25 methodology than what was suggested by Generic Letter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 96-06, that being NUREG CR-5220. That's a very
2 bounding approach that was offered in that NUREG.
3 Typically it goes straight from Joukowski, does not
4 credit air or recognize air and cushioning, that sort
5 of thing.

6 The industry felt like they could take
7 advantage of some of the margins and conservatisms and
8 maybe reduce the amount of modifications that would
9 have to be done to address the issue, saving the
10 industry money and whatnot and still providing
11 confidence to the staff that they had adequately
12 addressed the issue.

13 And, of course, we were very interested in
14 proceeding with that effort. It was really a
15 cooperative effort with the NRC. We observed much of
16 the testing that was done.

17 We've had discussions with them at many of
18 the meetings. We were involved with the development
19 of the PIRT analysis that was done and whatnot. So
20 we've provided guidance and suggestions along the way,
21 but the work that was done, the analysis and whatnot,
22 that's strictly EPRI's, and we're going to defer to
23 them to discuss that part of it.

24 DR. WALLIS: Did you ask the kind of
25 technical questions that we've been asking?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TATUM: Yes, we have been asking those
2 kind of technical questions. Unfortunately the staff
3 has evolved. You know, this has been kind of a long-
4 term project, and originally we had Al Serkiz who was
5 working with us, and of course, he was a key player
6 from our side, making sure the right issues were being
7 addressed at least from his perspective for
8 waterhammer, and he was our expert at the time for
9 waterhammer.

10 Now we have Walt Jensen in Reactor Systems
11 Branch and Gary Hammer doing the review. So we've
12 transitioned in personnel, but we've tried to maintain
13 continuity.

14 We've all looked at the same documents,
15 and we have asked the technical questions. And I
16 would say that in the meetings with the subcommittee,
17 obviously the questions that have been asked have been
18 good and helped us focus also on some areas, some I
19 think that we were also aware of even at the time you
20 were asking some of the questions as well.

21 So we're trying to move on with this thing
22 at this point, but there are about 24 plants involved
23 with this initiative, and these are for the most part
24 the plants that have not really addressed the
25 waterhammer issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The other plants for the most part are
2 those that do not credit the fan coolers, and they're
3 able to take alternative measures. For example, they
4 can put in the procedures, restrictions on using the
5 fan coolers so that they don't have to worry about the
6 waterhammer event, and they've been able to address it
7 that way.

8 There are a few, handful of plants that
9 aren't involved with this initiative, a couple that
10 have tried to apply RELAP. We're still reviewing
11 those. We have not come to a conclusion on those
12 other plants yet.

13 MR. SIEBER: Just a question, I guess. A
14 lot of plants can't use the fan coolers after a LOCA
15 because the containment atmosphere density is too high
16 and it's too big a load on the fans. So when you get
17 a containment isolation, the fans usually trip and,
18 except for a smaller number of PWRs, they don't
19 restart.

20 So the real issue is if you have the
21 waterhammer and you rupture part of the piping, do you
22 bypass containment?

23 I think to answer that you have to know
24 what kind of a rupture you have. For example, if you
25 just split a seam someplace, service water pressure is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 higher than containment pressure. So leakage is in
2 rather than out.

3 Has that been taken into account, any of
4 these factors?

5 MR. TATUM: Well, we have considered that.
6 There are many different kinds of scenarios. The
7 containment bypass is one, and that can be very
8 complicated because depending on the plant design, you
9 may have to have more than one rupture in the system
10 to get a containment bypass.

11 Typically service water systems are easily
12 isolated from outside the containment. So there are
13 different mitigating factors to consider here.

14 Also, the service water system, what you
15 mentioned with the load on the fan coolers and
16 whatnot, that's true. It's kind of plant specific
17 that way, but in fact, what many of the plants do is
18 they will operate the fan coolers in the plants
19 involved with this particular initiative, typically
20 will shift to a low speed on the fans in order to be
21 able to handle the load.

22 And so they credit those fan coolers in
23 some fashion. It may be just for long-term cooling of
24 containment. If it's a small containment, maybe it's
25 in clipping the peak pressure a little bit. It varies

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from plant to plant, and you have to get into the
2 details of each specific plant in order to see to what
3 extent they're crediting the fan cooler.

4 MR. SIEBER: Well, the containment
5 atmospheric pressure can triple during a large LOCA,
6 and that really changes the load on the fans, and so
7 typically you don't put fan coolers on at all until
8 after the first hour to get the spray down and deep
9 pressurization. I think that makes a difference.

10 MR. TATUM: Well, it does, and for some
11 plants that the case, and for those plants, in
12 particular, it wouldn't be an issue, and those would
13 be among the group that we've already closed.

14 MR. SIEBER: And I guess another comment
15 is that a lot of things happen during the first minute
16 or so of a large LOCA, and even though you probably
17 have a radiation detector on the outlet of the service
18 water, I think that's pretty far down on the list of
19 things to look at, and so isolation is, you know,
20 maybe it happens; maybe it doesn't.

21 MR. TATUM: Well, it would be late on.
22 The question is, you know, if you're looking at the
23 severity of the event, how long do you have? And if
24 you're talking about a split in the seam somewhere
25 where it's not a major thing, you've got a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time, whereas if you're talking about a major rupture
2 of the piping system and a direct path, maybe it's
3 more significant.

4 So there are a lot of variables that go
5 into this, and I think that's one of the points I
6 think that needs to be appreciated here, is just the
7 complexity and the number of variables we're talking
8 about, but that's pretty much all I have in the way of
9 introduction.

10 I'd like to turn it over to Vaughn
11 Wagoner.

12 DR. WALLIS: Does the staff have a
13 position on this work? Are you accepting it?

14 MR. TATUM: Yes, we do have a position,
15 and I'd like to defer discussion of that until we hear
16 from EPRI because they're going to attempt to provide
17 additional information, and I think for continuity of
18 the discussions here it would be good to have what
19 they intend to say here available to the other
20 members, and then we can go on to the staff
21 perspective on this.

22 MR. WAGONER: I guess I get the honors
23 now. Is there a microphone? Am I hot?

24 Okay. Good morning. I'm Vaughn Wagoner
25 with Carolina Power & Light Company, and I chair the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Utility Advisory Committee that is composed of the
2 members of the utilities that have been supporting
3 this project with EPRI, and let's see. Well, I'm here
4 this morning and joining with me are Tom Esselman and
5 Greg Zisk from Altran Corporation and Tim Brown from
6 Duke Energy, and Peter Griffith was going to be here
7 with us this morning, but unfortunately could not make
8 it at the 11th hour. So we'll have to try our best to
9 fill in if questions get to that level.

10 So I just want to give a brief
11 introduction here. Let's see, Tom. What do I do?

12 MR. ESSELMAN: Page down.

13 MR. WAGONER: Page down. Oh, that's why.
14 I paged up, and it wouldn't work. Okay.

15 Okay. Very briefly this morning, what we
16 want to do with you is go through an overall
17 description of what we've done in this thing just to
18 be sure everybody is on the same page, and then get
19 into some specifics that we've been talking with with
20 the Thermal Hydraulic Subcommittee, particularly in
21 the areas of air release and heat transfer and the
22 scaling issues. These seem to be continuing
23 questions, and we want to try to get at those and
24 address them for you this morning.

25 First, I just want to give you a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bit of background. When we started out in this thing,
2 as you've heard, there were utilities or plants
3 generally fell into two or three groups: those that
4 just flat didn't have the problem because of whatever,
5 over pressure in their systems or whatever. They
6 didn't have a problem and didn't have to address it.

7 Others that had some facet of the program,
8 but could address it in terms of either operational
9 changes or other changes to the plant.

10 And then a third grouping of plants that
11 had -- that appear to have the issue, create the steam
12 voids, et cetera, but whose piping systems were very
13 close to being qualified in using classic systems with
14 the theoretical loads that you could calculate.

15 So then the question became is there some
16 mechanism or is there some activity because these are
17 aerated systems for the most part and there's boiling
18 going on; is there something going on there that we
19 could take advantage of?

20 DR. WALLIS: Well, let's ask you. You're
21 assuming these are aerated systems. Do you monitor
22 how much air is in the water in these plants or do you
23 just assume it's there?

24 MR. WAGONER: Well, there's fish that live
25 in the pond and they don't die. So there's got to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some oxygen in there.

2 (Laughter.)

3 DR. WALLIS: But they aren't all like
4 that. Don't some of them have a storage tank and they
5 recirculate and so on?

6 Do they all bring in water from the
7 outside?

8 MR. WAGONER: The open systems that I'm
9 familiar with --

10 DR. WALLIS: Are all open?

11 MR. WAGONER: -- as far as I know, all
12 participating in this study are all --

13 DR. WALLIS: Are all open systems?

14 MR. WAGONER: They're either open or they
15 are closed systems, but we treat a closed system
16 differently with respect to the potential for gaseous
17 release.

18 DR. WALLIS: So are we talking only about
19 open systems here or are we talking also about --

20 MR. WAGONER: Yes, sir. We're talking
21 about both open systems and closed systems, but in the
22 technical basis report and the user's manual, there
23 are differences.

24 DR. WALLIS: So in the closed system we
25 don't have an idea of how much air is in there?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WAGONER: Well, we do have an idea.

2 DR. WALLIS: But we don't have a
3 measurement or something?

4 MR. WAGONER: Well, you've got -- you know
5 there's air in the water that's put in. Then
6 typically there's some kind of oxygen scavaging added
7 to the -- because it's a closed loop to prevent rust
8 and stuff like that. So what you're left with then is
9 the other.

10 DR. WALLIS: So you're taking oxygen out.

11 MR. WAGONER: Right. So what you're left
12 with are things like nitrogen and what other small
13 constituents of things that aren't removed by oxygen
14 scavaging chemicals.

15 DR. POWERS: So when you say, "Okay. I've
16 got this water" -- do you say you have some idea how
17 much dissolved gas there is? How do you come up with
18 that idea?

19 MR. WAGONER: Typically you would -- we
20 don't typically take measurements of it on a routine
21 basis, but then again, it's large bodies of water,
22 surface area exposed to air. So you --

23 DR. POWERS: Yeah, I know, but now I still
24 need a number.

25 MR. WAGONER: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: How do I get that number?

2 MR. WAGONER: And that number is that we
3 would look in a textbooks and see what the typical
4 dissolved gas would be.

5 DR. POWERS: Okay, and I look in those
6 textbooks and they give me the number for pure
7 distilled, 23 meg water. Okay? And that's a number.

8 Now, if I looked farther in the textbooks,
9 they would tell me there are section now coefficients
10 that will tell me how dissolved salts will reduce that
11 number. Do you take that into account?

12 MR. WAGONER: Dissolved salts?

13 DR. POWERS: Un-huh.

14 MR. WAGONER: Do you mean things that
15 might be dissolved in the water?

16 DR. POWERS: Right.

17 MR. WAGONER: Not necessarily. I guess
18 the question would be, you know, how much effect is
19 it. Does it take it all out or a little bit?

20 DR. POWERS: Well, I guess I'm asking you
21 what the effect is.

22 MR. WAGONER: And I guess I can't answer
23 that.

24 DR. POWERS: Oh,

25 DR. WALLIS: When these pumps pump the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stuff around, there are regions of low pressure where
2 maybe you get air bubbles coming out and so on. So
3 there are mechanisms that influence the air content of
4 the water. It's not as if you just take the figure
5 6.7, solubility of air and oxygen at one atmosphere in
6 distilled water and use that. I mean, there are other
7 things going on.

8 MR. WAGONER: I'll acknowledge that. I
9 guess I would disagree that there are pockets of low
10 pressure between the pump and discharge.

11 DR. WALLIS: Well, it's just the thing
12 that so surprises me is that you just sort of take
13 this curve and it's assumed it applies without further
14 discussion.

15 MR. WAGONER: Let me ask. Have there
16 been any measurements that you guys are aware of that
17 have actually been made in water or any other thing?

18 MR. ESSELMAN: Vaughn, this is Tom
19 Esselman.

20 The specific amount of gas, whether it be
21 nitrogen or air, that's in a plant dependent situation
22 depends on the plant, depends on whether you have a
23 bond or a cooling tower or a closed loop system with
24 a tank, whether it's a nitrogen blanketed tank or not,
25 and all of those things will enter into -- and what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the temperature is of the lake. That's clearly
2 different in Minnesota than Texas; what the pressure
3 is, whether you're taking it from the bottom of the
4 lake or the top of the lake.

5 All of those details are not dealt with by
6 us. What we're providing is a general recommendation
7 that says you need to determine how much dissolved
8 gas, whether it be air or nitrogen or whatever, is in
9 your plant at the beginning of the event.

10 And the kind of factors that we're talking
11 about are plant specific, and many of the things that
12 we're talking about are going to depend on the details
13 of the tower or the pond, and that has to be
14 determined, and it's clearly identified as needing to
15 be determined by the utility that's using this
16 information.

17 DR. KRESS: Your experiments determine the
18 fraction of the air that's in the water that gets
19 released, but they started out using clean, saturated
20 water.

21 MR. ESSELMAN: We use --

22 DR. KRESS: Water saturated with air. Do
23 you think that fraction that you determined
24 experimentally might have some dependence on the
25 initial concentration of air in the water or --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ESSELMAN: We looked at the way that
2 air and nitrogen would come out of solution with an
3 increase in temperature. We saw that the behavior of
4 the different gases that could be in there is similar,
5 and that the representation or the using oxygen,
6 because we had a normally aerated water system; we
7 used tap water. We measured the oxygen and used
8 oxygen as an indicator of what was being released as
9 a percentage.

10 I think given the -- we will discuss this
11 in more detail, but given the way that we did the test
12 and the range of data, we believe that it applies to
13 a highly aerated or a moderately aerated or a highly
14 nitrogenated or a moderately nitrogenated system.

15 So the steps is, number one, the plant
16 needs to determine what they start with, and then they
17 need to determine how much water is affected, and then
18 they can calculate how much air would be released from
19 that, how much gas, noncondensable gas would be
20 released.

21 DR. WALLIS: You use oxygen as the
22 indicator. I'm not clear that you ever measured air.
23 You used oxygen.

24 MR. ESSELMAN: We didn't. We used oxygen
25 as an indicator. That's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: And the assumption is that
2 nitrogen behaves exactly the same way.

3 MR. ESSELMAN: We don't presume that it
4 behaves exactly the same way. We know that it behaves
5 differently. We looked at how nitrogen and air and
6 oxygen behave, and their behavior is similar enough
7 that we were confident that using oxygen as an
8 indicator was representative.

9 But we jump ahead.

10 MR. WAGONER: So I guess the correct
11 answer to your question was that it is a plant
12 specific determination.

13 Thank you, Tom.

14 And that is in the user's manual.

15 DR. POWERS: But, I mean, I guess what's
16 distressing is you don't tell the user that he needs
17 to worry a little bit about things other than handbook
18 values. Pure water solubility just isn't going to cut
19 it for most of these. Most of these external water
20 sources are going to have a certain amount of
21 dissolved material in them. It's going to affect the
22 activity of oxygen strongly and nitrogen more
23 moderately.

24 MR. WAGONER: But is it not true that
25 within the tech. manual or within the user's manual it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 does say that on a plant specific basis you need to
2 look at the --

3 DR. KRESS: If we assume the extraction of
4 the air during the process of the event, the boiling
5 event and so forth, was a stripping mechanism, which
6 is generally described in mass transfer texts as a
7 product of some sort of mass transfer coefficient and
8 a surface area and a driving force, the driving force
9 being the concentration in the difference between the
10 liquid and what's in the --

11 DR. POWERS: Activity.

12 DR. KRESS: -- activity. Okay. But --

13 DR. POWERS: Activities count in this.

14 DR. KRESS: Yeah, okay. But my point is
15 it seems to me like that activity is concentration
16 dependent. It depends on the concentration in there,
17 and you're saying --

18 DR. POWERS: But, I mean, the subtlety of
19 water is it's not dependent on the concentration of
20 oxygen. It's dependent on the concentration of
21 everything else.

22 DR. KRESS: Yeah, yeah.

23 DR. POWERS: I mean that's why water is
24 different than usual solutions.

25 MR. WAGONER: So I guess the question then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would be whether or not in your minds or our minds
2 that if, given the conditions that exist within the
3 fan coolers during this transient event, is there,
4 other than the total amount, is there anything that's
5 going to preferentially act on or not act on the
6 ability of oxygen, nitrogen, and whatever else is in
7 there to get out of the water?

8 And when you're taking it down to darn
9 near zero pounds absolute and then boiling the heck
10 out of it, I'm not sure that was -- I guess the
11 question is: is there any significant differences in
12 what's going to happen with the ability to --

13 DR. WALLIS: Well, it's not zero pound --
14 it's about half an atmosphere, isn't it?

15 MR. WAGONER: Well, it eventually gets up
16 to half an atmosphere, but it --

17 DR. WALLIS: Well, it goes through
18 something lower before that?

19 MR. WAGONER: Well, as the pumps fall away
20 and as the steaming starts, you have a pressure
21 decrease as nature is taking the water column down to
22 its normal 32 or what --

23 DR. WALLIS: So it goes down to about
24 zero?

25 MR. WAGONER: So it's headed down, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then the steaming process starts, and then the
2 pressurization starts chasing the depressurization.

3 DR. WALLIS: And so all of your
4 experiments are done at half an atmosphere. Isn't
5 that the case?

6 MR. WAGONER: I believe that's correct.

7 DR. WALLIS: Which was chosen for some
8 reason?

9 MR. WAGONER: Somewhere between the
10 starting point of zero and roughly atmospheric that
11 some of these systems go to. So we tried to pick a
12 point that didn't give too much credit to just
13 degasification.

14 DR. WALLIS: But this is plant specific,
15 isn't it? I mean, this pressure history is plant
16 specific.

17 MR. WAGONER: Generally, yes.

18 DR. WALLIS: And so you're claiming that
19 your experiments all are operating at one half an
20 atmosphere are somewhat typical of all plants no
21 matter what the history of the pressure in that plant?

22 MR. WAGONER: Because of the fact that the
23 pressures are not -- we're not talking about hundreds
24 of pounds of difference. We're talking about, you
25 know, three to five pounds difference absolute, across

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the range of plants. Because generally there's
2 various elevation differences, and you only go to zero
3 on the depressurization side, and then the
4 repressurization side is generally around an
5 atmosphere or less.

6 DR. WALLIS: Well, you're saying this, and
7 I'm not sure this is in the report. I mean, you read
8 the report. Someone did experiments at half an
9 atmosphere, and it's never really -- maybe it is. I
10 didn't find it -- sort of explained why this is
11 representative of what you're talking about here,
12 which is a history of pressure which can be quite
13 variable from plant to plant.

14 MR. WAGONER: I thought that we had
15 discussed that in the original reports. Perhaps
16 I'm --

17 MR. ESSELMAN: I would comment briefly
18 that we have looked at both the effect of
19 depressurizing a system and the effect of boiling a
20 system, and there are papers and references that deal
21 with how water behaves when it's depressurized and
22 agitated. The amount of gas that's given off within
23 this time period, which is about 30 seconds, is very
24 small in comparison to what we measured from the
25 results of boiling.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This material, including that pressure, we
2 will go through when we deal with the boiling test,
3 which is on the agenda. I guess we might defer the
4 details until we get --

5 DR. WALLIS: You're saying something which
6 sounds credible. If you had done the experiment at,
7 say, one atmosphere and a half an atmosphere and got
8 the same amount of air because the boiling process
9 dominates, that would be convincing. It would be nice
10 to see it. I mean, you're sort of assuming there.

11 MR. ESSELMAN: We ran at a half an
12 atmosphere because we wanted to remove the air in the
13 system prior to the start of the test, and we did that
14 by running steam through it and then closing and
15 allowing that to condense. So we started with an air
16 free system that was at a half an atmosphere.

17 We also researched the release that we
18 would have expected by pressure beforehand and
19 concluded that whether we ran it half an atmosphere or
20 one atmosphere would be immaterial, and we ran the
21 test on that basis and --

22 DR. WALLIS: This is on a theoretical
23 basis.

24 MR. ESSELMAN: Well, based upon testing
25 that had been performed by others, yes, not by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 testing that we had performed. But yet we looked at
2 that; we referenced that work in the technical basis
3 report.

4 MR. WAGONER: Okay. Let me move on
5 through what we're trying to accomplish in the
6 program, and four things that we were trying to do.

7 One was understand the behavior of the
8 system, and you heard the overviews of what went on.
9 And we wanted to understand in general how that
10 worked, what happens in terms of coast-down. Did flow
11 ever really quit? What happens in terms of fan coast-
12 down? Did fans die rapidly or did they die away
13 slowly such that it really was an issue?

14 And then where did water go? Is steam
15 created? Where does it go? How far does the bubble
16 go, and those kinds of things, and how we go about
17 tracking those?

18 We wanted to determine the safety
19 significance of the issue. Frankly, as you heard,
20 there was a lot of data around on high pressure
21 waterhammers. There wasn't much around on low
22 pressure waterhammers and what happens here.

23 And so we wanted to try to understand
24 that, and basically there's three things we had to
25 deal with. One is retaining cooling capability of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fan coolers at whatever post accident requirements
2 that are there; maintaining containment integrity,
3 such that it didn't set up a bypass for containment;
4 and then maintaining or not flooding the containment,
5 not creating a flooding path for containment.

6 So that was the three things that we try
7 to deal with, and then we wanted to provide a
8 methodology to assure that we do maintain these
9 pressure boundaries and also, again, as you heard
10 mentioned, we want to minimize modifications that we
11 didn't have to make. We were willing to do anything
12 that we needed to do, but if we didn't have to, then
13 we wanted to try to pursue that.

14 And frankly, as we worked through that,
15 and that was the reason that a bunch of us utilities
16 got together, even though that we determined -- had
17 the potential for the problem; when we looked at it,
18 even using some Joukowski type loading, we were close.
19 It got down to trying to qualify the steel in the pipe
20 supports, and we were darn close. So we were just
21 looking for a little bit.

22 And you've heard the numbers, 20, 30
23 percent in load interaction with the piping support
24 system, and if that was possible, then we wouldn't
25 need to make modifications to the plant, and frankly,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the intuitive feeling is, and my experience with
2 waterhammers up to about 300 pounds or so, the stiffer
3 you make the system, the more trouble you get into.

4 I spent two years chasing one in the wrong
5 direction, and we went back and chased it in the other
6 direction and put rod hangers on the pipe, and it's
7 been banging for 15 years, and we don't have a
8 problem. The more steel I put in it, the more
9 concrete we tore out of the wall.

10 Okay. But moving along -- I'm sorry? Oh,
11 I'm sorry. I thought I heard someone.

12 Anyway, we put -- in order from an
13 industry perspective, we got Altran Corporation
14 together and assembled an expert panel to provide us
15 an independent perspective of what it was we're doing.
16 We wanted to get the very best in the industry that we
17 could, but unfortunately you're all on the ACRS. So
18 we had to go with --

19 DR. POWERS: Flattery, sir, will get you
20 anywhere you want to go.

21 (Laughter.)

22 MR. WAGONER: So we did assemble these
23 folks with a lot of experience, and I can tell you,
24 and I think most of you have had interaction with
25 them, they are independent. It didn't matter who was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paying the bill. We had some quite informative and
2 lively discussions on what it was we were trying to do
3 and acknowledged right off that we don't know
4 everything about the science and the details of the
5 interaction, but what we think we have done is provide
6 a reasonable approach that helps us to adjudicate the
7 loading, and that's what we're really working at.

8 And we had this utilities steering
9 committee. I chaired it, and we were active in it,
10 and our focus was to be sure that we were looking at
11 that stuff that would help us where the rubber meets
12 the road, if you will, and look at safety significance
13 and then look at applicability of the results to the
14 power plant.

15 Let me drop down two slides in your
16 handout, and I'll come back.

17 DR. WALLIS: Well, the one that you didn't
18 show us.

19 MR. WAGONER: Well, I was going to come
20 back to that one, if you'll -

21 DR. WALLIS: You're going to come back to
22 it?

23 MR. WAGONER: Yes, sir, I will. Okay?
24 Only because it's -- well, I'll get to it here.

25 I want to wrap up my part with just a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 perspective on where I think we are in this situation.
2 First off, we're dealing with a very low probability
3 event, and the combination of LOOP-LOCA or LOOP-main
4 steam line break, when you sum them all up, for all
5 the plants that are participating, it's less than ten
6 to the minus six. Actually it's much less than ten to
7 the minus six because this ten to the minus six on
8 frequency is over a 24 hour period.

9 This thing is over in 60 seconds, and when
10 you do that, you take it down another couple order of
11 magnitude. So we're dealing with something at ten to
12 the minus eight, ten to the minus nine probability of
13 even happening, and in fact, as you know, there are
14 efforts underway to eliminate simultaneous LOOP-LOCA
15 as a design basis event. So --

16 DR. POWERS: I mean, I think what you're
17 saying is that the mean value of the probability is
18 very low, but if I asked my blacksmith friends if they
19 are very certain about that number, they say, "Well,
20 no." And so when I ask them about 95 percentiles,
21 those probabilities come up fairly dramatically, don't
22 they?

23 MR. WAGONER: Come up to -- bring them up
24 to -- bring them up two orders of magnitude, but then
25 take it down to the real time of the event, which is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 60 seconds, and you add back three orders of
2 magnitude. So I think realistically any way you cut
3 it, the initiating event is pretty low probability.

4 DR. WALLIS: But you're not asking us to
5 evaluate the risk. You're asking us to evaluate a
6 technical report on waterhammer.

7 MR. WAGONER: Yes, sir, I am, but what I'm
8 asking you to do is look at a perspective that is at
9 a reasonable judgment to use to mitigate the
10 theoretical loading versus understanding everything
11 that's happening right at the interface. That's where
12 I'm coming from from a risk perspective.

13 DR. ROSEN: What you're saying is that if
14 you don't have a loss of off-site power, you have a
15 LOCA, but you don't have a loss of off-site power; you
16 don't have this event.

17 MR. WAGONER: The event never happens.
18 That's right.

19 DR. ROSEN: And I think it's generally
20 understood and believed that loss of coolant accidents
21 don't cause losses of off-site power. Generally
22 plants, even when they trip, as they would in a loss
23 of coolant accident, the grid is typically unaffected
24 by that. The plants continue to receive off-site
25 power, and in that case, this event wouldn't happen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because the fans would never coast down. They would
2 be starting if they weren't running, and the component
3 cooling water or whatever service water would never
4 stop.

5 DR. POWERS: Isn't there a lower bound on
6 this just given by the seismic hazard? You can never
7 go lower than the seismic hazard on this one?

8 DR. ROSEN: I think that's fair because
9 losses of off-site power would occur during a major
10 seismic event that was strong enough to cause a LOCA.

11 MR. WAGONER: So anyway, I think we're
12 starting with a low probability event. We looked at
13 the risk of pipe failure, again, looking at our three
14 safety functions, maintaining coolant capability,
15 bypassing containment or flooding containment. Those
16 last two require you to do something to the integrity
17 of the system.

18 And we think there are significant margin,
19 and that's why I go back to the slide that you thought
20 I was going to skip over, relative to the structural
21 integrity. If we looked at a typical tubing or
22 typical typing material, steel --

23 DR. POWERS: People never do that though,
24 do they?

25 MR. WAGONER: Huh?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: I mean when we go through
2 ASME codes and things like that, we never look at
3 typical. We look at lower bound numbers, don't we?

4 MR. WAGONER: I've lost you. What's --
5 this is typical piping that's used, is carbon steel,
6 standard wall, .375 thickness. It might be eight,
7 ten, 12, 14 inch. So that's why I say this is
8 typical.

9 DR. POWERS: Well, you're going to go
10 through these various stresses numbers here. Are
11 those typical values or are they lower bound values?

12 MR. WAGONER: Well, these numbers are
13 right out of the code.

14 DR. POWERS: Okay.

15 DR. WALLIS: Well, it doesn't say use S^{ult} .
16 It says use S_{allow} , isn't it, which their number
17 doesn't become 3,000? It becomes less than 1,000.

18 MR. WAGONER: Okay, and that's true, but
19 you can use ultimate if you're looking at an
20 operability issue or looking at a real world behavior
21 of the pipe.

22 MR. BROWN: Vaughn, this is Tim Brown,
23 Duke Energy.

24 That's a faulted event. So ASME lets you
25 use 2.4 S_H , which is very close to $S_{ultimate}$.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: It lets you use S^{ult}?

2 MR. BROWN: It's very close to S-ultimate.

3 MR. WAGONER: Thank you, Tim.

4 But anyway, there's some margin. These
5 numbers you'd have a factor of about six. Take it
6 down a little bit and you've got a factor of two,
7 three, four, five.

8 DR. WALLIS: Now, this 600 -- sorry.

9 DR. FORD: I was about to say is B-280 as
10 a copper?

11 MR. WAGONER: That's right.

12 DR. FORD: Copper, copper-nickel?

13 MR. WAGONER: Yeah, that's typical copper-
14 nickel tubing, which in fact is typically what's in
15 the heat exchanger. Some of them have been changed to
16 a stainless steel.

17 DR. FORD: Have any of these analyses been
18 done on degraded piping?

19 MR. WAGONER: These are always -- these
20 are done -- well, this is a typical wall thickness.
21 All of these systems are monitored for degradation,
22 but through Section 11 of ASME code. So heat
23 exchangers, the tubes are monitored for degradation.
24 The piping systems are monitored for degradation.

25 DR. FORD: Is there not concern though,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Vaughn, that, for instance, B-280 -- when it goes
2 through that U bend, there will be erosion presumably
3 at that U bend. So at that point that's the thing
4 that's going to be hit by the waterhammer.

5 MR. WAGONER: Un-huh.

6 DR. FORD: So at that degraded U bend,
7 which is presumably eroded, after 20 years or
8 thereabouts in 8 ppm oxygenated water, what is the
9 safety issue then? Did not that degraded U bend be
10 now exposed to that waterhammer pressure? Would it
11 stand it?

12 MR. WAGONER: It could be, but again,
13 we're monitoring these systems. We run eddy current
14 (phonetic) probes through those heat exchangers to see
15 what the tubes look like.

16 DR. FORD: And that has been done?

17 MR. WAGONER: Yes.

18 DR. FORD: And there is no degradation at
19 that U bend?

20 MR. WAGONER: If there is, you have to --
21 you have to address it.

22 DR. FORD: How often is it inspected?

23 MR. WAGONER: Well, that depends on what
24 you find. If you've gone ten years and haven't seen
25 anything, then you -- through ASME, you're allowed to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- through the code you're allowed certain inspection
2 intervals, you know, based on your findings.

3 DR. FORD: Presumably the -- okay, and the
4 same applies to the carbon steel header which is
5 essentially a closed tube?

6 MR. WAGONER: Closed with respect to the
7 loop that it's in, yes.

8 DR. FORD: And it would be a welded closed
9 end.

10 MR. WAGONER: Right, typically, yes.

11 DR. FORD: Okay. And that is inspected
12 also?

13 MR. WAGONER: Yes.

14 DR. FORD: Because that will degrade.

15 MR. WAGONER: Yep. And there have been
16 replacement programs that you heard last time. Some
17 folks have had to replace sections of piping due to
18 monitoring and indications of degradation, and that's
19 typical of the whole steam system.

20 DR. FORD: Just assume that what with the
21 ISI inspection periodicity you had a waterhammer
22 effect and it hadn't been inspected and it hadn't been
23 replaced. How would that affect the whole safety
24 evaluation?

25 MR. WAGONER: Well, actually --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. FORD: Could a degraded pipe, whether
2 it be the piping, the A-106 header, or the copper-
3 nickel tubing -- it was degraded, hadn't been replaced
4 -- could that withstand that water pressure?

5 MR. WAGONER: And, yes, it would be a
6 multi-degradation scenario, but in fact, from a
7 personal perspective, I talked with some of our
8 operations folks at one of the plants and said, "Okay.
9 What if?"

10 And there's a couple of things that
11 happen. One is our emergency operating procedures are
12 all symptom based. So a couple of things could
13 happen. You could have a containment bypass that
14 would be harder to detect, but it would be indirectly
15 indicated because you'd have to also have a loss of a
16 service water flow in order to get a containment
17 bypass.

18 Then the other possibility would be
19 containment flooding, and that's right in the EOPs
20 because those are all symptom based, and you would be
21 looking at, you know, your levels and things that are
22 already going on.

23 So the symptom based EOPs don't care where
24 the water is coming from. They just address it from
25 a flooding issue if need be.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: It seems to me that
2 degradation in those systems was mostly through mic.
3 attack, microbiologic --

4 MR. WAGONER: Yeah, there has been. I
5 think mic. has shown up in stainless steel systems on
6 occasion.

7 MR. SIEBER: It really shows up in carbon
8 steel piping.

9 MR. WAGONER: Oh, okay.

10 MR. SIEBER: And the ISI program uses an
11 ultrasonic thickness gauge, which is a spot
12 measurement.

13 MR. WAGONER: Yes.

14 MR. SIEBER: Those numbers there are min.
15 wall numbers, okay, for typically that's Schedule 80
16 piping, and so when you measure the thickness in the
17 manufacture, there's a corrosion allowance built into
18 it.

19 MR. WAGONER: Okay.

20 MR. SIEBER: And all of the stress
21 allowances are based on min. wall. Okay? So that's
22 how you get a service life out of it. You could
23 actually calculate the degradation and the bursting
24 pressure if you're below min. wall, but the code says
25 you've got to replace it when you hit min. wall or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 below it.

2 MR. WAGONER: Okay.

3 MR. SIEBER: And you have to measure at
4 more places if you find one place that's below min.
5 wall.

6 MR. ESSELMAN: The 600, is this with air
7 in the lines or is that without air in the lines?

8 MR. WAGONER: No, that's just an
9 assumption at 20 feet per --

10 DR. WALLIS: That's just an assumption?

11 MR. WAGONER: Well, it's at a 20 foot per
12 second --

13 DR. WALLIS: Is this the Joukowski
14 pressure or is this with air?

15 MR. ESSELMAN: This is Tom Esselman again.
16 That is uncushioned. It's without air.
17 That's just the straight Joukowski --

18 DR. WALLIS: Then why do we worry?

19 MR. ESSELMAN: The purpose of this is to
20 say that a failure mechanism that we need to address
21 is not one that is frequent in waterhammers of much
22 larger pressure which causes the tube or a pipe to
23 burst. And in these systems, 600 psi waterhammer is
24 greater than any of the waterhammers we expect to see
25 because we have a controlled velocity of closure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The closure velocity is determined by the
2 pumping characteristics. So that this is the largest
3 pressure that we can see from this event that we're
4 talking about here, again. The burst pressure which
5 does have to -- which has to be augmented clearly by
6 satisfying all of the ASME code requirements not only
7 for burst, but for bending, but that burst pressure
8 just is shown to indicate the margin that we have been
9 the pressure that we will see in this event and what
10 it takes to burst the pipe.

11 Now, bursting the pipe is one of the
12 mechanisms that have to be considered. The other is
13 a traveling wave that has pulled supports out of the
14 wall for other kinds of waterhammer, and even for this
15 waterhammer at those magnitudes, it has the potential
16 to do that.

17 But yet from an integrity point of view,
18 a piping integrity point of view, what we would like
19 to -- what we're trying to point out here is that
20 we're not concerned -- obviously we have to be
21 concerned, but yet this waterhammer cannot challenge
22 the burst pressure of the typical components. What we
23 are focusing on is the traveling wave, the conversion
24 of those waves into support forces, which is Vaughn's
25 second bullet, if I may, that says that we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 focusing on support failure and subsequent deformation
2 of the piping system that would be required to
3 challenge the pressure boundary integrity.

4 We have to evaluate for burst pressure,
5 but we're so far away in this case that we are
6 focusing much more on how to track this pressure wave
7 through the system and get to the point where we can
8 calculate support forces because that's the line of
9 defense.

10 Before pressure boundary integrity can be
11 challenged, you have to cause the support to fail, and
12 then you can subsequently challenge the pressure
13 boundary integrity. That's a much more difficult
14 failure mechanism to occur.

15 DR. WALLIS: This is very interesting to
16 me. We spent about two thirds of our time, and we
17 have yet to get to the EPRI report, which is the whole
18 focus of our meeting, isn't it?

19 Are you up here to take all of the shots
20 before we get to EPRI?

21 MR. WAGONER: I was going to give a brief
22 introduction. Let me just make one more point and
23 I'll quit, and that is I think to why are we worried.
24 Dr. Wallis, frankly, I have the same question. Why
25 are we worried?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Because we're really down to dealing with
2 a compliance issue. We're trying to make the
3 mathematics work in our piping analysis system.
4 That's where we are.

5 I don't believe -- we've got a low
6 probability event. I don't think we have a safety
7 significant issue, and we're down to trying to make
8 the mathematics work so that we can say that we have
9 a system that is our piping support system meets
10 design basis so that we're in compliance with our
11 design basis. I think that's all we're dealing with,
12 frankly, and we need a little bit to do that, 20, 30
13 percent, and that's what we're trying to get out of
14 this cushioning thing.

15 And with that I'll move on. Thank you.

16 Tom, you're up.

17 MR. BOEHNERT: Now, I understand we have
18 to go into closed session; is that correct?

19 MR. WAGONER: Yes, the next slides do
20 contain proprietary information.

21 (Whereupon, at 11:25 a.m., the meeting was
22 adjourned into closed session, to reconvene at 12:32
23 p.m. in open session.)

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TATUM: Okay. Jim Tatum again from
2 Plant Systems Branch.

3 Staff perspective on this, first of all,
4 we would agree with the points that were raised by the
5 subcommittee. Obviously when you take a look at it,
6 there are shortcomings in the testing apparatus. The
7 hA is a very difficult value to come up with. Even if
8 full scale testing were done, the correct analytical
9 approach for calculating and coming up with a value
10 that would be applicable to other pipe sizes would be
11 questionable no matter what.

12 So there's uncertainty, and there's going
13 to continue to be uncertainty from that perspective.
14 But I do want to acknowledge that points raised by the
15 subcommittee are valid. We agree, and where do we go
16 from there?

17 And basically in looking at generic letter
18 9606 and resolution and whatnot, there are other
19 factors that we need to consider, I think, from a
20 perspective of regulation, public health and safety
21 and whatnot. We really need to try to put this in
22 perspective in trying to determine where do you want
23 to go from here.

24 Now, in looking at the other factors, the
25 other factors that come to bear here, first of all, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do recognize and appreciate that this is a complex
2 phenomenon. It's very difficult to model. There's
3 going to be uncertainty, and we need to be able to
4 deal with that somehow.

5 We believe it's important to appreciate,
6 I guess, the work that EPRI has done, the involvement
7 of the expert panel and that's gone into it. I think
8 by and large they've done a pretty good job with the
9 resources that have been available, and the effort
10 that they've put into it.

11 They're kind of at the end of the rope --
12 end of the road on this. We understand their --

13 DR. POWERS: Or the end of the rope,
14 either one.

15 MR. TATUM: Yeah.

16 (Laughter.)

17 MR. TATUM: They're as limited in
18 resources as we are.

19 DR. WALLIS: Which end of the rope are
20 they on?

21 MR. TATUM: Yeah. Maybe that was a
22 Freudian slip. I don't know.

23 (Laughter.)

24 MR. TATUM: Anyway, they're limited on
25 resources. They're having difficulty getting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 additional funds from participating utilities. We can
2 appreciate that. We hear that on our end as well.

3 The NUREG CR-5220 waterhammer loads, if
4 you'll look at what's calculated in that approach,
5 which is a bounding approach, the Joukowski approach,
6 what EPRI is proposing in their methodology gives you
7 a reduction by a factor of 1.2 to possibly 1.6. If
8 you look at the NUREG, it talks about the fact that
9 the evaluation by NUREG CR-5220 could be a factor of
10 two to ten conservatively, depending on what's going
11 on, air cushioning, steam condensation, that sort of
12 thing.

13 Unfortunately it doesn't qualify how much
14 reduction to expect for different facets of the
15 waterhammer event. However, I think what EPRI is
16 proposing is certainly reasonable, and it's within the
17 expectations at least that I would have in looking at
18 what is said in NUREG CR-5220 and what they're
19 proposing. I don't think it's out of line.

20 LOOP events, I think in the testing and
21 analyses that have been done, the waterhammer group
22 here has shown rather convincingly that the LOOP
23 event, LOOP only without steam, would be bounding.

24 Okay. If we take a look at just the LOOP
25 event, that takes us back to USI A-1 basically. That

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was reviewed previously, and we considered that part
2 of the resolution. I think it was 927, Rev. 1, talks
3 about resolution in there, and we acknowledge that
4 plants have during start-up phases experienced those
5 waterhammers due to LOOP, due to LOOP testing.

6 Any plant design weaknesses or
7 vulnerabilities due to LOOP have been identified
8 during early start-up days and whatnot, and those
9 problems have been corrected. So at least in my mind
10 the situation with steam in the piping is a step
11 removed really in significance from just the loop
12 event.

13 And if we were going back to resolution of
14 USI A-1, I'd just remind you we really didn't go out
15 to the plants and have them do anything to address
16 this issue, and I don't think it is our purpose, nor
17 was it our purpose, in issuing Generic Letter 96-06 to
18 have plants go and address this issue. It was really
19 the concern relative condensate induced waterhammer
20 that drove the waterhammer issue in Generic Letter 96-
21 06.

22 So we have sort of transitioned here in
23 the work that's been going on from what our concern
24 was to a different aspect of the concern, something I
25 think that is a little removed from what our real

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concern was to begin with. We were thinking that
2 condensate induced waterhammer would be the real
3 severe issue that needed to be addressed, and I think
4 what we've learned based on the work that EPRI has
5 done is that, no, for low pressure systems we really
6 don't have to be so concerned about that. It's really
7 the loop event, and that brings us back to USI A-1,
8 and I don't think we want to try to force the industry
9 into doing something that we didn't ask them to do
10 originally and really wasn't part of the generic
11 letter consideration. So we do have to be a little
12 bit sensitive to that.

13 Again, I'd emphasize cooling water systems
14 are maintained not only for in-service testing and
15 ASME code or other standard requirements, but also
16 Generic Letter 89-13 was issued in recognition of the
17 problems that we were seeing, reports that were made,
18 LERs and whatnot with degradation and vulnerabilities
19 that were being identified by utilities over the years
20 with service water systems and cooling water systems.

21 So we have asked utilities, and we have
22 done inspections to confirm that they are implementing
23 programs to satisfy those concerns to make sure they
24 know what the vulnerabilities are, what the
25 degradation mechanisms are.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If it's mic, they're identifying that, and
2 they have established programs to address that.
3 Obviously those degradation mechanisms are very plant
4 specific. It depends on the water quality, et cetera,
5 but the plants are responsible to know what's going on
6 in their system and to implement programs to maintain
7 the quality of the system and the integrity of the
8 system.

9 And we're confident that they are at a
10 point where they're doing that. We've performed
11 inspections to satisfy ourselves of that.

12 Also, we would agree with what Vaughn
13 Wagoner and EPRI have said. We believe that this is
14 of low safety significance, primarily just looking at
15 the numbers for LOOP plus LOCA.

16 But if you go beyond that, if you had a
17 problem with service water in containment, we've had
18 other evaluations, other initiatives where you look
19 at, well, what is the robustness of containment, how
20 much can it take during, for example, maybe a hydrogen
21 explosion, and the containments can take more
22 typically than what we give them credit for, which
23 tells us that, well, okay; you do have some margin
24 there to heat up containment. If you did have a break
25 in the service water system, in the cooling water

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system, typically those are isolatable from outside
2 containment. I wouldn't expect that to be a problem.

3 So there are actions that can be taken
4 should the event occur, which also helps to put this
5 in a different kind of a risk perspective, and early
6 on we were hoping to be able to address it from that
7 perspective.

8 Unfortunately, it becomes such a plant
9 specific evaluation that it's not something that our
10 staff, that the Risk Assessment staff could handle on
11 a generic level, and so we deferred to industry and
12 asked that they consider risk, and that's why, partly
13 why, I think, Vaughn mentioned that, was because it
14 was requested by the staff to see if they could handle
15 that or deal with that more handily than we could.
16 That was the reason for that.

17 MR. SIEBER: Let me ask a simple question.
18 If condensation induced waterhammer is just a small
19 fraction of the forces that pump driven waterhammer
20 has, and since start-up testing for every plant that
21 I know, which isn't all of them, for sure, has already
22 tested pump driven waterhammer and all of the
23 deficiencies corrected, why can't the issue be
24 resolved just on the basis of that logic?

25 MR. TATUM: Well, that's certainly a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 possibility and something that could be considered.
2 It's not something the industry has proposed, but it
3 is something that I think is within the realm of
4 possibility.

5 We're still reviewing the issue and trying
6 to see how it fits together, but it's our expectation
7 that for LOOP, the plants, in fact, are able to handle
8 those events.

9 MR. SIEBER: That's right.

10 MR. TATUM: They have shown that during
11 the start-up testing and whatnot.

12 The complication maybe that you get into
13 there is the combined loads and what's required by the
14 FSAR design basis. Would you require plants to
15 combine those loads somehow?

16 So you get into the design basis base and
17 FSAR requirements and being able to address that. And
18 it's a possibility it's something that certainly the
19 industry can suggest. We have discussed it, but not
20 really gone into detail on that.

21 MR. SIEBER: Thank you.

22 MR. TATUM: So having considered these
23 other factors, I'll just put up my last slide here,
24 which would give you our preliminary conclusions. As
25 I've said, we haven't completed our review. We do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have a number of open items. One has to do with air
2 content.

3 We believe that for the work that has been
4 done, that the proposed amount of air is conservative.
5 However, we're looking at differences in plant
6 arrangement, for example, that maybe would explain or
7 argue that, well, maybe the amount of air for one
8 arrangement versus another may not -- maybe you
9 wouldn't credit that much, and we just need to think
10 through in our evaluation the different plant
11 arrangements that we would expect to see and whether
12 or not the proposed amount of air release would be
13 conservative.

14 At least we believe it would be
15 conservative for the different plant arrangements. So
16 we're looking really at that kind of a level or that
17 type of a review for air.

18 However, for the testing that was done and
19 for the limited scope testing, you know, representing
20 basically a stagnant tube, but without the continued
21 flow and whatnot, we do believe rather convincingly
22 that it is conservative, and it may not be the right
23 number, but part of what we're considering is, well,
24 is it a conservative approach and do we believe that
25 it would give us confidence that if the utility used

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this approach, that they would give us an answer or
2 come up with a load that is conservative with respect
3 to the waterhammer condition.

4 It's not just is it the right number, but
5 is it a conservative number, and I think the
6 subcommittee has pointed out very well that it may not
7 be the right number, probably is not the right number,
8 certainly not exact, but we're tending to look more on
9 whether or not it's conservative and whether or not we
10 can base our evaluation on the work that was done and
11 use that in resolving or closing out this issue for
12 these plants.

13 DR. ROSEN: Jim, I only have one remaining
14 residual, remaining concern, and that is that post
15 LOCA-LOOP emergency operating procedures are specific
16 enough to assure that plant staffs will isolate
17 faulted fan coolers if that should happen, even though
18 these analyses say it probably won't.

19 Is that something you're thinking about?

20 MR. TATUM: Well, it's not something --
21 you know, the emergency response was touched on a
22 little bit by EPRI, and you do get into the symptoms
23 based or symptoms driven response, and to the extent
24 the operators are able to identify the reason for the
25 symptom, they can address it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But you get into real complications with
2 operator response and human error and human factors
3 and whatnot, and we really haven't gone into that
4 level of detail. We have not involved emergency
5 response people.

6 I don't know. Our feeling is that it's
7 relatively low safety significance. We don't know
8 that it really warrants that level of review at this
9 point. That's kind of where we are on that.

10 CHAIRMAN BONACA: I had a question. Do
11 you expect us to write a report on this issue? I
12 mean, at the end you're telling us these are
13 preliminary conclusions. You told us that there are
14 a number of open issues, and I think you have some
15 judgment you're making regarding conclusions, and I am
16 left, you know, with a question in my mind. Are we
17 ready to write a report of this or should we?

18 MR. TATUM: Well, obviously the
19 conclusions I'm giving you here are the staff's views
20 on what we've seen, our understanding of the work
21 that's been done and the report as it has been
22 presented in our review to date.

23 We do have, as I say, some open issues,
24 but we do not think that the shortcomings of the
25 analytical derivations or the experimentation and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues that have been raised by the subcommittee, we
2 do not believe that those shortcomings really are show
3 stoppers with respect to being able to use that report
4 and credit it for analyzing waterhammer events at
5 these plants.

6 We think that to the extent we do identify
7 significant issues during our evaluation, and like I
8 say, the air is one. We have pulse rise time, I
9 think. We're considering single pulse, multiple
10 pulse. You know, getting back to our review of the
11 document itself, we may find the need to impose
12 certain restrictions on how the report is used.

13 One restriction that we know we would
14 impose is that the report would only be used -- we
15 would only accept it for resolution of 96-06
16 waterhammer. It would be allowed for any other
17 application because the testing is pretty specific to
18 96-06 for fan cooler systems. It would not be
19 applicable to RHR or other systems that typically
20 experience waterhammer.

21 So we're going to be very specific on
22 where we allow it. It's only this limited use
23 application, but we think that industry has provided
24 sufficient argument. It's convincing, I believe, to
25 provide reasonable assurance to us that if the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 utilities use that methodology, they can at least come
2 up with a value for support loads and whatnot that's
3 realistic, credible, and something that we can use to
4 resolve the issue.

5 CHAIRMAN BONACA: Okay.

6 MR. HUBBARD: This is George Hubbard.

7 I'd just like to reemphasize that; that I
8 think really the question is: is the user manual that
9 they will be providing to industry -- does it provide
10 a reasonable method for a plant to take, do plant
11 specific analysis, and use this methodology to
12 determine their waterhammer loads? Does that provide
13 a reasonable method for them to use and considering,
14 in particular, the low safety significance of this
15 event?

16 And I think, you know, if you were to
17 write a letter, we would be looking for the ACRS to
18 tell us yes or no, that the use of this user manual is
19 reasonable.

20 DR. WALLIS: Usually what happens is the
21 staff takes a position and we see something written
22 from the staff, and then we write a letter saying we
23 agree with the staff or whatever.

24 In the absence of this final statement
25 from the staff, you're sort of asking us to be the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff and to write a review of the document. It's not
2 really our job.

3 MR. HUBBARD: Okay. I guess the point is,
4 I think, from the management perspective we're seeing
5 that this with maybe some limited -- being limited to
6 the containment fan coolers from a management
7 standpoint; we're seeing that this does provide a
8 reasonable approach, and that any restrictions we
9 would be putting in our safety evaluation on how they
10 apply it.

11 But basically, considering the safety
12 significance of this issue, I think they've got a
13 reasonable approach for dealing with this.

14 DR. ROSEN: In fact, we do have your final
15 conclusions on this.

16 DR. WALLIS: I have another question.
17 This document, this EPRI report, is this going to
18 eventually be a public document?

19 MR. TATUM: Yes, it is.

20 DR. WALLIS: So that means that in the
21 presentation we kept being promised improvements to
22 the report, and I think that the real driving force
23 for that is that eventually it's going to be out there
24 in the public. So it's got to be a convincing
25 document.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TATUM: Well, it will be proprietary,
2 and there will be a non-proprietary version. We also
3 have editorial comments that we've found and we will
4 be sharing with EPRI, corrections that need to be
5 made. They will prepare a final version, and also, I
6 think, put their own corrections and also add the
7 additional detail that they've promised the
8 subcommittee.

9 But once they've put that final version
10 together, then they will also prepare the
11 nonproprietary version and made that submittal.

12 DR. WALLIS: So I think there are sort of
13 two issues here. One is is this a safety issue and is
14 this good enough to resolve the safety issue. The
15 other one is is this the sort of report you want to
16 see out in public as typical of what the NRC accepts.

17 They're sort of different questions.

18 MR. TATUM: Yeah, and as I say, I mean,
19 the staff really doesn't have a problem accepting the
20 report for the specific limited application. We would
21 have a problem obviously accepting it as a way to
22 evaluate waterhammer in general

23 MR. SIEBER: Maybe I can ask one more
24 question. Is there a list of plants that have
25 resolved this issue outside of the methodology of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 EPRI process?

2 MR. TATUM: I do have a listing of plants.
3 I can't tell you off the top of my head what they are,
4 but there have been quite a number of more plants that
5 have resolved it outside this process.

6 MR. SIEBER: Okay, and of course, there's
7 a list of the members of the group who would intend to
8 resolve it this way. If I take those two lists, does
9 that include all of the plants subject to the generic
10 letter?

11 MR. TATUM: All except I'd say maybe about
12 half a dozen.

13 MR. SIEBER: What happens to them? You
14 know, what are they doing?

15 MR. TATUM: Now, the half a dozen that are
16 left, a couple of them have submittals in house that
17 we're reviewing. They have used RELAP and were not
18 comfortable with their use of RELAP, and so we need to
19 take a close look at it. So those are in process.

20 Others that we're looking at, I think your
21 concern is, well, what if they wanted to use this EPRI
22 methodology.

23 MR. SIEBER: Well, that would be one
24 concern, or what happens after this group has spent
25 maybe a million bucks or whatever to do this, and then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 somebody else devises some, you know, very simplistic
2 approach. What is the criteria by which you would
3 accept all of these various methods?

4 MR. TATUM: Well, a particular utility is
5 always free to propose an approach, and we obviously
6 are obligated to review that. And, in fact, that's
7 what brought us here to begin with. Utilities were
8 trying to make submittals on their evaluations that we
9 felt were just not adequate, and we asked the
10 questions. We would ask the same questions that we
11 asked in the beginning about the evaluation. What
12 were the assumptions and considerations that went into
13 it, whether or not they followed Joukowski, if they
14 were proposing some other approach and what was the
15 justification; that's what drove this group of
16 utilities together to form the working group and to
17 develop this methodology.

18 It wouldn't be a trivial matter for a
19 single utility to come in on their own and say, "Well,
20 we'd like to use this other approach." We'd expect
21 the same kind of effort and expense, I would expect,
22 to justify that approach.

23 MR. SIEBER: Okay. Thank you.

24 MR. TATUM: Any other questions?

25 (No response.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TATUM: Okay. Well, thank you very
2 much.

3 DR. KRESS: Thank you.

4 And I turn the floor back to you, Mr.
5 Chairman.

6 CHAIRMAN BONACA: Yeah, I think we should
7 postpone any further discussion to the afternoon.

8 DR. KRESS: Yeah, I think that's correct.

9 CHAIRMAN BONACA: And with that I think
10 we'll recess for lunch now. Well, we do have some
11 discretion because the two meetings we have in the
12 afternoon, the first two are just internal matters.
13 One is reconciliation of ACRS comments.

14 I would propose that we do that when we
15 reconvene, say, at 1:45, and then after that -- and we
16 will do the subcommittee report at 4:00 p.m., at the
17 conclusion of the reactor oversight process.

18 Okay. With that, then the meeting is
19 recessed until 1:45.

20 (Whereupon, at 12:55 p.m., the meeting was
21 recessed for lunch, to reconvene at 1:45 p.m., the
22 same day.)

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 (2:30 p.m.)

3 CHAIRMAN BONACA: Let's resume the meeting
4 now. The meeting will come to order again.

5 And we're going to review the reactor
6 oversight process. We have presentations by the NRC
7 staff, and I'll turn the meeting to the Chairman of
8 the subcommittee, Jack Sieber.

9 MR. SIEBER: Okay. I'll be very brief.
10 Actually we have had four previous meetings on this
11 subject where we have looked at various components of
12 03-05 and how it fits together, and today is a review,
13 which is necessary for us because we have an SRN that
14 we need to answer, dated April 5th, 2000.

15 And you'll notice on the board that it's
16 rated A plus, which means get it done or stay here
17 forever, and so what I'd like to do is we will discuss
18 performance indicators, initial implementation,
19 significance determination process, and the technical
20 adequacy of the significance determination process to
21 contribute to the reactor oversight process.

22 And since we are going to put out a report
23 at this meeting some time, I would encourage members
24 to ask the pertinent questions that they feel are
25 matters of concern to them so that we can have the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 advantage of the staff's response.

2 And with that, Mike.

3 MR. JOHNSON: Thank you.

4 My name is Michael Johnson from the
5 Inspection Program Branch, and I'm joined at the table
6 by Mark Satorius, who is the Chief of the Performance
7 Assessment Section, and Doug Coe, who is the Chief of
8 the Inspection Program Section.

9 And as was indicated, we are here to talk
10 about the reactor oversight process. I ought to
11 mention that also at the side table we have Don
12 Hickman, who is, as you are aware, our performance
13 indicator lead. Chris Nolan is here representing the
14 Office of Enforcement, and in fact, throughout the
15 room are a number of folks from my branch and who
16 serve in various capacities, and also Steve Mays from
17 the Office of Research.

18 So we've got a pretty good spectrum of
19 folks in the room to listen in on and possibly
20 contribute on the discussion of reactor oversight
21 process.

22 As was mentioned, we have had several
23 briefings throughout the first year of initial
24 implementation for the ACRS, and those briefings have
25 focused on areas, I think of key importance to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACRS in preparing for this letter writing opportunity
2 that you have for the Commission.

3 And we focused in on the important areas,
4 I think, that are of interest to you. We focused in
5 on performance indicators, significance determination
6 process. We went through a fairly exhaustive
7 presentation, I think, and tried to demonstrate for
8 you the use of the SDP.

9 We talked about in a session, I think, in
10 July the action matrix and tried to respond to your
11 questions and provide you a good overview of what we
12 intended to do with respect to the action matrix and
13 the reactor oversight process.

14 At our last meeting in July, we also took
15 the opportunity to try to forecast for you what we
16 were going to -- then, at that time, we were
17 previewing what we were going to tell the Commission,
18 that we ended up telling the Commission in fact on the
19 20th of July about the reactor oversight process.

20 At that time we really used some of the
21 high level slides that captured the results that we
22 documented in the Commission paper and the fact that
23 we, again, did, in fact, discuss with the Commission.

24 Those overall results, and I'll just
25 repeat them briefly, right now is that based on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 input that we got from internal stakeholders and
2 external stakeholders, based on a very, very thorough,
3 I think, use of self-assessment metrics and internal
4 feedback through a Federal Register notice and an
5 internal survey, reached the conclusion that the
6 reactor oversight process, while not perfect, does do
7 what we intended it to do, in that it makes steps in
8 the direction of improving its ability to be more risk
9 informed, understandable, predictable and objective,
10 and in fact, goes towards meeting the agency's NRC
11 performance goals, maintaining safety, efficiency, and
12 effectiveness, those goals that you're well aware of.

13 Having said that, we did learn lessons
14 throughout the first year. We tried to characterize
15 those lessons for you, and in fact, we had planned
16 actions that we described in the Commission paper, and
17 we talked about those planned actions in July.

18 And so the point that we tried to leave
19 with in July, and I want to start off with perhaps
20 today, is, again, while we know the process isn't
21 perfect, we believe and have told the Commission and
22 I think the Commission recognizes that the ROP is a
23 step in the right direction. It does represent an
24 improvement over the previous process, and we ought to
25 go forward and make improvements, and that's our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mantra, the mantra that we carry for the staff, with
2 the staff, is that we are going to continue to improve
3 the ROP in this next year, in fact, the year that
4 we're already in, the second year of implementation of
5 the ROP.

6 I ought to also mention by way of
7 background that in addition to, you know, talking
8 about the status in that last briefing, we did
9 something that I thought was very useful, that is, the
10 ACRS subcommittee did something that was very useful
11 for us, and that was that we went around the table,
12 and each of you told us, each of the subcommittee
13 members told us what their primary concerns were with
14 respect to the ROP, and we wrote those down, and we
15 listened to those concerns.

16 And they dealt with things like confusion.
17 There's confusion with respect to, for example, what
18 is meant by a green PI and how that differs from a
19 green inspection finding and how we treat those
20 consistently through use of the action matrix.

21 We talked about, the ACRS subcommittee
22 talked about the consistency of the treatment of
23 issues in various cornerstones, if you will. In fact,
24 we talked about the ALARA cornerstone, the
25 occupational safety cornerstone, and the ALARA SDP and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where that gets you with respect to the significance
2 of issues and whether or not that's equivalent when
3 you look at the reactor safety SDP and where you come
4 out with respect to that. That was an issue.

5 We talked about the treatment of safety
6 conscious work environment and all of the cross-
7 cutting issues and the concern on the part of the
8 subcommittee members at that time with respect to
9 those issues in the ROP.

10 We talked about the plant specific
11 thresholds for performance indicators or the fact that
12 we ought to be moving in the direction of plant
13 specific PIs or plant specific thresholds, I should
14 say, associated with performance indicators.

15 There was a concern about rewarding the
16 good performance in this process, and really a
17 concept, I think, on at least some participants' minds
18 that the old process, the SALP process used to provide
19 something in terms of incentive for licensees to
20 improve their performance, and in fact, the ROP, the
21 existing ROP that we've gone to, does not.

22 There was a concern late in the meeting
23 about the consistency of ROP implementation, the issue
24 being that are we, in fact, at the threshold for
25 documentation level at the identification of green

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues and white issues. Are we consistent among the
2 very regions in terms of how we implement the ROP?

3 So we talked about those issues. Those
4 were among the issues that we raised, and, in fact,
5 there are other issues that we're aware that the ACRS
6 has continued to raise and that we've continued to
7 take action on.

8 In fact, one of the things I wanted to
9 tell you is that as you'll hear in a few minutes we
10 have taken or are taking action and moving in the
11 direction to address many of the concerns that you've
12 raised in the past, and in fact, I feel very positive
13 with respect to the role of the ACRS in terms of
14 shaping the direction of the staff with respect to
15 improving the implementation of the --

16 Has the word gotten out that we're easily
17 swayed by flattery?

18 MR. JOHNSON: The flattery is almost over.
19 So let me --

20 (Laughter.)

21 MR. JOHNSON: The last point I would make,
22 and then I'll shut up and let Mark talk, is that I do
23 want to tell you that we are prepared today to talk at
24 a very high level with respect to the ROP, and we'll
25 touch on all of the areas that are of interest to you,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and we'll do our best to answer your questions.

2 I do want to tell you though that we did
3 not bring the cast that I would have brought if we had
4 the time to do the very detailed reenactment of some
5 of the earlier presentations that we had for the ACRS,
6 for example, the SDP discussions and those kinds of
7 things.

8 So I simply tell you that to say that
9 welcome your questions. We'll do our best to address
10 your questions, although I don't think the time is
11 going to allow us to delve into a lot of detail on any
12 of the issues that we've talked about in the past.

13 Having said that, let me turn it over to
14 Mark, and Mark will start off the discussion, a very
15 brief presentation, I might add, on lessons learned
16 and actions that we're going to take on the major
17 areas of the ROP, and then we'll be quiet and
18 entertain your questions.

19 MR. SATORIUS: Thanks, Mike.

20 I'm going to talk about both performance
21 indicators and also assessment. But like Mike
22 indicated, we're here to do our very best to answer
23 your questions as they develop and to give you a good
24 briefing on where we've come thus far.

25 I would like to point out that unlike Mike

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and Doug and the majority of the folks in the
2 Inspection Program Branch, I'm a relatively newcomer
3 and been in the branch for three months. So I don't
4 have, I guess, the bench strength in my memory that
5 some of my colleagues do. So like I said --

6 MR. SIEBER: Which probably won't help you
7 here.

8 (Laughter.)

9 MR. SATORIUS: I suspected as much.

10 I thought I'd start on performance
11 indicators with just a very brief background just to
12 kind of frame the performance indicator issues, and
13 that is we put together some guidance with NEI in a
14 working group that we had empaneled to develop some
15 reporting guidance, and that was NEI 99-02, and that
16 first revision was then revised again based on input
17 from the working group, and also our stakeholders in
18 the spring of 2001 after the first year of initial
19 implementation.

20 The working group primarily was put
21 together to provide resolution on PI issues as they
22 developed, insights as to where problems existed with
23 the PIs, and also as an avenue to develop any needed
24 replacement PIs should it become evident that they
25 were necessary.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 With respect to the first bullet, that was
2 a replacement scram PI indicator that at the onset of
3 the ROP and initial implementation there was an issue
4 involving whether we had identified the appropriate
5 scram performance indicator, and that was the first
6 performance indicator that we took on to conduct a six
7 month pilot.

8 We performed that six month pilot in the
9 spring of this year, came to a conclusion that the
10 proposed pilot PI did not contain any advantages to
11 the original PI, and it was the staff's view that we
12 would retain the original PI for use.

13 Due primarily to some industry senior
14 executives' interest in this matter, we have drafted
15 a letter that would address our position on how this
16 PI should be retained, and that letter is at the
17 Commission right now for their review and consultation
18 prior to issuance.

19 Once that's issued, it would be our intent
20 to go ahead and inform the industry via a regulatory
21 information summary that would indicate that we will
22 retain the PI that was originally put into place.

23 MR. SIEBER: And I guess the difference
24 between the original industry position and your
25 current position relates to whether manual scrams are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 included or not.

2 MR. SATORIUS: That's exactly right, and
3 the replacement PI proposed to do away with what's
4 termed unintended consequences that develop as a
5 result of manual scrams counting. There were some
6 positions that there would be unintended consequences
7 as a result of potentially an operator hesitating or
8 possibly not inserting the manual scram, and the
9 replacement scram we concluded to a large extent did
10 not remove the potential for unintended consequences.
11 There were unintended consequences that were developed
12 as a result of that new replacement PI, and that was
13 the conclusion.

14 MR. SIEBER: Well, as a former operator,
15 I think that when you count automatics and manual
16 scrams just as a scram, the operator doesn't care one
17 way or another.

18 MR. SATORIUS: We got that.

19 MR. SIEBER: The difference is if you
20 don't count manual scrams and the operator is more
21 likely to manually scram the plant where the automatic
22 set both takes it off.

23 So I don't know whether that's good or
24 bad, but that's what the original argument was.

25 MR. SATORIUS: Some of the feedback we got

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from pros was that the operators would do the right
2 thing irrespective of whether they were counted or
3 not.

4 MR. SIEBER: I think that's true.

5 MR. SATORIUS: And we got that indication
6 from a lot of operations managers in direct contact
7 with various licensee staffs during the first year of
8 initial implementation.

9 MR. SIEBER: With regard to that indicator
10 though I think that one thing that I note is that the
11 threshold between green and white is such that it's
12 not particular risk significant. Okay? You know, a
13 plant is designed to deal with an automatic or a
14 manual scram so that you actually have -- before it
15 becomes risk significant to any appreciable extent,
16 you have to get into the more serious thresholds.

17 Another indicator that's like that is the
18 loss of heat sink. For example, you have to lose heat
19 sink to get to a red indicator three times a day every
20 day for three years, and boy, if your plant is in that
21 bad a shape, you know, I would say that indicator
22 doesn't tell me much

23 MR. JOHNSON: Yeah, and, Don, you're
24 welcome to jump in at this point or you can wait if
25 you want to a more opportune moment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HICKMAN: Okay.

2 MR. JOHNSON: But let me just say a couple
3 of words before you do, Don.

4 One clarification is that we're going to
5 count -- both indicators count manual scrams. If you
6 look at the primary change in the replacement PI, you
7 won't find the word "scram" at all. You'll find a
8 shutdown, and then we've gone through the effort to try
9 to define a shutdown that is a rapid shutdown like a
10 scram without saying the word "scram."

11 And if you look at --

12 MR. SATORIUS: And it introduces a 15
13 minute period in there, in other words, a rapid
14 shutdown within 15 minutes, and I think our view was
15 when all is said and done, the potential for
16 unintended consequences associated with that 15
17 minutes is probably more than the operator -- and like
18 you say, you haven't been an operator. In the heat of
19 battle in the control room, he's going to reach up and
20 do the right thing.

21 MR. JOHNSON: So I guess the point I was
22 making was that we're going to count manual scrams.
23 We think it's important to count manual scrams.

24 Now, your point is well taken with respect
25 to the thresholds. Typically what we find is if a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plant is going to begin to have problems with scrams,
2 we'll see performance problems showing up that are
3 reflected in other indicators, and in fact, for
4 example, there's a special inspection going on right
5 now where the plant had a scram and then had some
6 other complications.

7 And so we'll do an event follow-up type
8 inspection to look into that issue. So we're not --
9 that takes me into a good point, and that is to say
10 that the performance indicators are a part of the
11 indication that we have about the overall performance
12 of the plan, but it's not the sole indication.

13 MR. SATORIUS: I'll go now to just the
14 unplanned power change PI. The original PI read the
15 number of unplanned power changes in reactor power
16 greater than 20 percent within 7,000 critical hours,
17 and there were a number of questions within our
18 working group on that.

19 The industry and NEI had proposed a
20 different unplanned power change PI that they intended
21 to bring to the table to be piloted at some time this
22 summer or fall.

23 We had also developed one ourselves and
24 had entertained whether it might be useful to pilot
25 both of them at the same time. Through our working

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 group NEI has taken those, our proposed, their
2 proposed and, I guess, they're framing them or they're
3 collecting data and seeing as to where those would all
4 fall out, and they haven't gotten back to us with
5 their proposed unplanned power change PI.

6 We've gone ahead and developed ours and
7 would propose that at the next meeting that we have
8 with them, to go ahead and pilot that at some point in
9 the fall and early winter.

10 The last issue involves improving the
11 safety system unavailability PI. We've established a
12 separate working group to work on that specifically.
13 Part of the problem that we have with this one is the
14 fault exposure hours associated with an unknown as to
15 when the initiating event was.

16 In other words, for example, you may have
17 an 18 month surveillance where the previous time you
18 might have had an opportunity to identify that you had
19 a problem would have been 18 months ago, and it's --
20 using the standard T over two gives you nine months of
21 fault exposure time, and on any diesel that's going to
22 put you into rad.

23 And the consistency issue that we have
24 here, and we discussed this with the subcommittee
25 before, was a lot of times if you look at this demand

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 failure, in other words, during the surveillance and
2 you plug that into an SDP because of the chance for
3 operator successes, because of the chance or
4 opportunities for off-site power to be restored,
5 you'll oftentimes get a green SDP finding on a red PI
6 finding, and we recognize that as a consistency
7 problem.

8 Industry also has identified that, and
9 this safety system unavailability group is working to
10 develop a pilot PI that we would intend to begin
11 piloting. I believe it's in January, isn't it, Don?
12 Yes, January.

13 In the interim though, recognizing that
14 there are some challenges, especially from a
15 consistency standpoint, we're going to take interim
16 steps where for any demand failure, such as the
17 example I just gave, the diesel, that we would, in
18 fact, use the SDP to determine the actual significance
19 because it more closely ties it to risk significance
20 as opposed to the counting of hours and the use of T
21 over two, although T over 2 is pretty consistent from
22 PRA and also in the ASP analysis.

23 But that is an interim step that we plan
24 on taking until we can get -- and that interim step
25 would continue throughout the piloting of the PI and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 until we would be able to develop a PI that would more
2 accurately measure this unavailability issue.

3 MR. SIEBER: If you continue to use T over
4 two in the SDP process, would you --

5 MR. SATORIUS: Yes.

6 MR. SIEBER: -- not come up with the same
7 result that you come up with out of the PI?

8 MR. SATORIUS: No, you don't, and the
9 reason is that the SDP takes a look at, and then Doug
10 probably can talk to this better than I, but the SDP
11 takes a look at other matters outside the simple
12 counting of hours. It looks at the ease or the
13 ability of an operator to take compensatory action and
14 how likely that is to be successful. It takes a look
15 at, for example, if you were to have a diesel that
16 would fail 12 hours into its full power run. If you
17 were to have an actual scenario with a loss of off-
18 site power, the chances for the recovery of off-site
19 power within 12 hours are relatively high.

20 So you take that, coupled with the
21 potential for operators to take -- it gives you a
22 better scenario and the SDP more accurately
23 categorizes it or addresses it from a risk
24 perspective.

25 MR. JOHNSON: This is just another one of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those advertisements that I'll try to throw in. This,
2 I think is one of the most substantial improvements to
3 the ROP in the area of performance indicators that
4 goes a long ways towards addressing a number of the
5 concerns and the recommendations of the ACRS in the
6 past in that I think at the end of the day what we
7 will have in this revised SSU is something that is
8 clearer, that does provide consistency in the use of
9 the definition of unavailability.

10 We've got all of the right folks in this
11 working group. We're talking to the PRA folks. We've
12 got Research participating. We've got the maintenance
13 rule folks participating. We've got a representative
14 from INPO/WANO.

15 And so we'll have a standard definition of
16 unavailability that will be used for this performance
17 indicator. And so when you apply this performance
18 indicator, again, you'll have consistency. It'll be
19 easier for the operators, and it will get us to the
20 right result.

21 And when you go to run through an SDP, a
22 finding that would reflect an unavailability for the
23 PI, you'll end up at the same spot. So that scratches
24 a lot of itches, and so we think that's a very good
25 change.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yeah, sine you have
2 performance indicators and you're moving to other
3 issues, I would like to just ask a question regarding,
4 again, one issue that has been brought up by this
5 committee many times and our Chairman who is not here
6 has raised this issue and I somewhat am representing
7 his thoughts, too.

8 The fact that this PI is a known plant
9 specific; they are generic. Okay? And you know, we
10 went through an exercise yesterday, just some chatting
11 about it, and for example, take the high pressure
12 injection system, which is a significant system in all
13 power plants because it's an element of LOCA
14 mitigation.

15 And you know, I can think of specifically
16 a group of early C plants out there, like St. Lucie
17 and Calvert Cliffs, known things, that have two high
18 head pumps in that system, 50 gpm each, that provide
19 very little floor, high head. Therefore, those plants
20 are vulnerable more than others to small break LOCAs
21 because the pressure may hang up there, and you may
22 not be able to add water in it.

23 I mean, that's a known thing technically,
24 and in fact, the PRAs reflect the importance of that
25 scenario in the risk, as well as the importance of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that system for the plant. Okay?

2 They also happen to be pretty limited in
3 auxiliary feedwater. So, therefore, you know, if you
4 look at the PRA, it shows a very significant
5 contribution, and you know, so here I have some very
6 specific insight on the safety aspects of that plant
7 tied to that system.

8 I also have the latest generation of
9 Westinghouse plants like CBER. With five I had
10 injection pumps that provide, I believe, 375 gpm each,
11 at the 2,300 psi. Two of them are charging pumps.
12 Two of them are self-injection pumps. One of them is
13 a back-up. They're interchangeable.

14 Tremendous capability up there, and
15 clearly that shows in that the fact that small break
16 LOCA is not a dominant sequence in those plants. You
17 know, these are the specifics.

18 Now, so if I really looked at getting
19 insights from PRAs and from risk regarding these two
20 things, I would treat the self-injection very
21 differently for the St. Lucie type plant than I would
22 call for this Westinghouse type plant. They're
23 telling me very different things.

24 I would set probably the thresholds in
25 different locations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I would also even put a multiplier maybe
2 on the C type plant, given that the system is so
3 fundamental, important for the plant, and yet if I
4 look at the PIs, the way they are defined right now,
5 they don't discriminate at all in that sense.

6 I mean we discussed this issue to death
7 already, and they're not plant specific, and by the
8 way, when I look at the question, number one, from the
9 Commission that says if the PIs provide meaningful
10 insight into aspects of plant operation that are
11 important to safety, they don't provide insight at
12 all.

13 And yet the PRAs are providing that
14 insight right now that there is this strength for the
15 Westinghouse type plants, and there is this weakness.
16 Let me call it that way.

17 And I wanted to provide this example
18 simply because I think it's poignant in indicating how
19 much more one could get from existing risk information
20 from these plants that is not present in the current
21 PIs.

22 DR. ROSEN: let me before you answer that,
23 Mark, take the same point from a slightly different
24 angle. What we really want to measure in these
25 indicators is the overall risk of plant operation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701