

**NUCLEAR REGULATORY COMMISSION**

**ORIGINAL**

Title: Advisory Committee on Reactor Safeguards  
Thermal-Hydraulic Phenomena Subcommittee  
Duane Arnold Energy Center Power Uprate  
Request

PROCESS USING ADAMS  
TEMPLATE: ACRS/ACNW-005

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, September 26, 2001

Work Order No.: NRC-033

Pages 1-177

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

TROY

**ACRS Office Copy - Retain  
for the Life of the Committee**

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SEPTEMBER 26, 2001

The contents of this transcript of the proceedings of the United States Nuclear Regulatory Commission's Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS  
THERMAL-HYDRAULIC PHENOMENA SUBCOMMITTEE MEETING  
DUANE ARNOLD ENERGY CENTER POWER UPRATE REQUEST

+ + + + +

WEDNESDAY

SEPTEMBER 26, 2001

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The ACRS Thermal Phenomena Subcommittee  
met at the Nuclear Regulatory Commission, Two White  
Flint North, Room T2B3, 11545 Rockville Pike, at 1:00  
p.m., Dr. Graham Wallis, Chairman,  
presiding.

COMMITTEE MEMBERS PRESENT:

DR. GRAHAM WALLIS, Chairman

DR. F. PETER FORD, Member

DR. THOMAS S. KRESS, Member

DR. DANA POWERS, Cognizant ACRS Member

DR. STEPHEN ROSEN, Member

DR. WILLIAM SHACK, Member

DR. VIRGIL SCHROCK, ACRS Consultant

1 ACRS STAFF PRESENT:

2 PAUL A. BOEHNERT, ACRS Staff Engineer

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## I-N-D-E-X

<u>AGENDA ITEM</u>	<u>PAGE</u>
Introduction . . . . .	4
Duane Arnold Power Uprate Presentation . . . . .	7
Concluding Remarks . . . . .	176

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

P-R-O-C-E-E-D-I-N-G-S

(1:00 p.m.)

CHAIRMAN WALLIS: The meeting will come to order. This is A meeting of the ACRS Subcommittee on Thermal-Hydraulic Phenomena. I am Graham Wallis, Chairman of the Subcommittee.

Dana Powers will be the ACRS Cognizant Member for this meeting. Other ACRS Members in attendance are Peter Ford, Thomas Kress, Stephen Rosen, and William Shack. The ACRS Consultant in attendance is Virgil Schrock.

The purpose of this meeting is for the subcommittee to review the license amendment request of the Nuclear Management Company for a core power uprate for the Duane Arnold Energy Center.

The subcommittee will gather information, and analyze relevant issues and facts, and formulate the proposed positions and actions as appropriate for deliberation by the full committee. Mr. Paul Boehnert is the Cognizant ACRS Staff Engineer for this meeting.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the Federal Register on September 19th, 2001.

Portions of this meeting may be closed to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the public as necessary to discuss information  
2 considered proprietary to General Electric Nuclear  
3 Energy. Please let us know if and when that is the  
4 case.

5 The transcript of this meeting is being  
6 kept, and the open portions of this transcript will be  
7 made available as stated in the Federal Register  
8 notice. It is requested that speakers first identify  
9 themselves, and speak with sufficient clarity and  
10 volume so that they can be readily heard.

11 We have received no written comments or  
12 requests for time to make oral statements from members  
13 of the public. I have a brief opening comment.

14 The ACRS, before this meeting, received  
15 stacks of paper which amounted to over a foot in  
16 height. We obviously don't have time to read and  
17 digest every word.

18 So I think that it is very important that  
19 the speakers focus on what issues the ACRS needs to  
20 consider and what information we are going to need to  
21 reach decisions on those issues. And I believe that  
22 Dr. Ford has a statement to make.

23 DR. FORD: Yes. I am a GE retiree, and  
24 therefore I have a conflict of interest.

25 CHAIRMAN WALLIS: Now I would like to ask

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 my colleague, Dana Powers, to take over my job for a  
2 while and to run the meeting.

3 DR. POWERS: Thank you Professor Wallis.  
4 We are going to be looking at one of the first of the  
5 major power updates that we seem to have coming along  
6 the pike here. This is a truism that the boiling  
7 water reactors in this country typically operate at  
8 powers that are less than what they were originally  
9 conceived of operating at.

10 And in part that was because of a historic  
11 -- a long time ago many ACRS' before this current  
12 version of it had particular concerns about DWR  
13 stability at the higher power.

14 What we are going to try to cover is a  
15 huge amount of material. Professor Wallis' is over a  
16 foot, and he must have only gotten half of it if he  
17 only had a foot.

18 CHAIRMAN WALLIS: Over a foot. I was  
19 being conservative.

20 DR. POWERS: And the plan of attack is  
21 that we are going to listen to the applicant this  
22 afternoon, and then tomorrow we are going to listen to  
23 the staff tell us why we should have believed  
24 everything that was told to us from the applicant.

25 And so I am going to turn now to Ron

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 McGee, the power uprate project manager, to start the  
2 presentation, and you will introduce the additional  
3 speakers as the need arises.

4 And remain cognizant that should we have  
5 to deal with proprietary material, that creates a huge  
6 disruption. So you have to let us know beforehand.

7 MR. MCGEE: Good morning then. My name is  
8 Ron McGee, of the Nuclear Management Company at the  
9 Duane Arnold Energy Center. I would like to thank the  
10 committee for taking the time to review our submittal  
11 and for meeting with us today.

12 We recognize the importance of power  
13 updates as part of the solution to meeting the  
14 country's future energy needs, but foremost we must  
15 ensure that public safety is not jeopardized.

16 We believe that through our engineering  
17 evaluations and the staff's review process the DAEC  
18 application for a power uprate has shown an adequate  
19 amount of operational design and safety margin for the  
20 various facets of the project.

21 Today, we have been asked to present the  
22 following topics. I will be presenting the plant  
23 changes and modifications, and then we will talk  
24 quickly about the regulatory compliance, the analysis  
25 performed as part of the project, and then we have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1       been asked to discuss margins, which I will get to  
2       here in a minute.

3               Then we go through the operator training  
4       that we have applied. Then we will have discussions  
5       on thermal hydraulic stability, the ATWS response, and  
6       ATWS instability fuel response, material degradation  
7       issues, the containment analysis, the effects of power  
8       uprate on the steam separator and dryer, ECCS analysis  
9       as part of the project.

10              And then the last presentation is the PRA  
11       analysis, and then we will have concluding remarks and  
12       a wrap up of any open issues that come up.

13              CHAIRMAN WALLIS: Did you rehearse this so  
14       that it can be over in two hours?

15              MR. MCGEE: Two hours, no. We have --

16              CHAIRMAN WALLIS: You are supposed to  
17       allow two hours for our questions.

18              MR. MCGEE: We have accounted for four  
19       hours, including questions. We believe that the  
20       presentation material, including questions, should be  
21       concluded within four hours.

22              DR. POWERS: It is going to be so clear  
23       that that we will have no questions whatsoever.

24              MR. MCGEE: The first presentation will be  
25       where we go over the power uprate modifications that

1 we performed as part of this project. The safety  
2 related modifications -- and I will point out that  
3 these are the only safety related modifications that  
4 were necessary to accommodate the power uprate.

5 These were installed in our recent outage,  
6 and we installed new APRM cards, installed higher  
7 range main steam line flow implementation, and we  
8 through a previous amendment, we have increased our  
9 required boron concentration for a standby liquid  
10 system.

11 The balanced plant modifications. We  
12 installed higher capacity transformer; coolers --  
13 improved cooling capacity on our hydrogen coolers for  
14 our main generator.

15 A major modification was that we replaced  
16 the high pressure turbine, and the feed water level  
17 control for the feed water heater system had to be  
18 modified to accommodate the higher capacity. As part  
19 of the ELTR, we have installed flow induced vibration  
20 monitoring.

21 CHAIRMAN WALLIS: What does Phase One  
22 mean?

23 MR. MCGEE: As part of our uprate, we  
24 intend to go up from 1658 megawatt thermals, our  
25 current license power level, and we intend to operate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at 1790 megawatt thermal. And then following a future  
2 outage, we plan to ascend to the rest of the license.

3 CHAIRMAN WALLIS: So you are applying for  
4 the whole thing?

5 MR. MCGEE: That's correct. We are  
6 applying for the license to 1912 megawatts thermal.  
7 But a balance of plant modifications will only  
8 accommodate operation up to 1790 for this interim  
9 period.

10 MR. BOEHNERT: What are the percentages,  
11 Ron? Do you know roughly?

12 MR. MCGEE: Approximately halfway each  
13 time; 8-1/2 percent right now, and then another 8-1/2  
14 percent on top of that. Feed and condensate pump  
15 breaker, protective relaying set point, condensate the  
16 demineralizer capacity as part of the feed water flow  
17 stream.

18 And the main condenser tubes because of  
19 the increased steam flow, and added structural  
20 support.

21 CHAIRMAN WALLIS: I actually have to agree  
22 on the language. I noticed in this staff review that  
23 they are talking about 120 percent increase?

24 MR. MCGEE: The 120 percent that is from  
25 original license --

1 CHAIRMAN WALLIS: No, no, no.

2 MR. MCGEE: Oh, increase.

3 CHAIRMAN WALLIS: A twenty percent  
4 increase.

5 MR. MCGEE: Yes.

6 CHAIRMAN WALLIS: The staff was talking  
7 about 107 percent, and it is really mind-boggling.

8 MR. MCGEE: That would be Unit 2.

9 DR. KRESS: You went by one of our slides  
10 a little too fast. You talked about whether one of  
11 the mods was a MELLLA APRM card, and I know what the  
12 MELLLA is and all of that, but his this card an  
13 automatic controller to make sure that you go along  
14 the MELLA line? What is the card?

15 MR. MCGEE: The card actually monitors  
16 your flow by SCRAM set points, and supplies the trip  
17 function into your RPS system, reactor protection  
18 system.

19 DR. KRESS: Okay. That's what I thought,  
20 but I wanted to make sure.

21 MR. MCGEE: That's correct. The next  
22 slide. Continuing with our balanced plant  
23 modification; isophase bus temperature monitoring for  
24 the electrical load increase; and monitor the  
25 temperature.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And the main steam line relief value  
2 snubber was one support that we needed to increase.  
3 One of our feed water heaters was going to have a  
4 significant increase in its load carrying capacity,  
5 whereby bypassing the flow to the main condenser.

6 And control room indications and alarms  
7 have been modified to accommodate the previous  
8 modifications that you have seen here.

9 Phase Two, when we go from 1790 up to  
10 1912, preliminarily, we have identified feed water  
11 system capacity, and we will need to increase the  
12 system capacity from about 8.1 million pound mass to  
13 something just greater than 8.75 million pound mass  
14 per hour.

15 Feed water heaters. Their load bearing  
16 capacity will need to increase, and so we are  
17 anticipating the need to increase various feed water  
18 heaters. And then our isophase bus to carry the  
19 increased electrical loading.

20 MR. ROSEN: You said the increased feed  
21 water, and the slide says replacement. Are you going  
22 to replace the heaters?

23 MR. MCGEE: We do plan to replace feed  
24 water heaters, certain ones.

25 MR. ROSEN: But not all of them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MCGEE: But not all of them, that's  
2 correct. Some will be at the upper -- increased at  
3 the EPU power level, and will be within their design  
4 to carry the amount of increased loading, but the  
5 three, four, and five heaters -- we have six heaters,  
6 and the 3, 4, and 5s right now looks like they will be  
7 marginal. So we will be looking at a wholesale change  
8 outs of those.

9 MR. ROSEN: Those are the low pressure  
10 heaters?

11 MR. MCGEE: Those are high pressure  
12 heaters.

13 MR. ROSEN: And the low pressures are all  
14 right, but the high pressure heaters need to be  
15 changed?

16 MR. MCGEE: The ones and twos are the  
17 lowest pressure, yes, that's correct. Those are okay.

18 MR. ROSEN: So you are saying that you are  
19 looking at it. It is curious language. You are  
20 looking at replacing them.

21 MR. MCGEE: Yes. We are planning to  
22 replace all of the heaters. We are looking at designs  
23 and depending on how and which ones you replace, that  
24 will determine the need to replace others. Next  
25 slide.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The next topic was regulatory compliance.  
2           Our application was a deterministic application, and  
3           it is not a risk-informed application. It was  
4           performed in accordance with previously approved ELTRs  
5           1 and 2.

6           The process for the application and the  
7           studies includes a feasibility study, which was  
8           conducted in late 1999. Engineering evaluations  
9           throughout the year 2000, et cetera. The licensing  
10          reports, which you have seen most of, I believe, if  
11          you have gotten a foot of paper.

12          The hardware modifications that we have  
13          just reviewed, and then post-approval, and we have  
14          testing to perform, and we have performed preliminary  
15          testing up to our current license power uprate.

16                 CHAIRMAN WALLIS: You said this was not a  
17          risk-control, and yet one of the major consequences  
18          here is the operator reaction time during ATWS. One  
19          of the major concerns in that seems to be resolved on  
20          a risk basis rather than some sort of compliance.

21                 MR. MCGEE: We do have a presentation that  
22          will include discussion of that topic if you would  
23          like to wait for that.

24                 CHAIRMAN WALLIS: Okay. You will address  
25          that at that time?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MR. MCGEE: We will.

2 MR. MCGEE: The analysis performed. The  
3 general topics were the reactor operating conditions,  
4 accidents and transients, the radiological  
5 consequences of a power uprate, component system  
6 capacity, including NSS and BOP; instrumentation and  
7 controls; the environmental impact of the power  
8 uprate.

9 And then a review of the station programs.  
10 For instance, PSA, environment qualifications, station  
11 blackout, et cetera.

12 The generic topic of margins. We were  
13 asked to discuss that. And what we have done is  
14 included a discussion in the rest of the presentations  
15 today to address the impact on margins on the specific  
16 topics.

17 And then if the committee would like to  
18 follow on with questions during those times, I would  
19 propose that is how we address those. And next will  
20 be Steve Kottenstette.

21 MR. KOTTENSTETTE: Hi. I am going to be  
22 talking about operator training. My name is Steve  
23 Kottenstette, and I am an operations shift manager on  
24 loan to the power uprate project.

25 We started out using classroom training.

1 We took the material from the power uprate project and  
2 we discussed with the operators how the procedures are  
3 going to change, and how the tech specs will change,  
4 and the testing that we will do as far as the power  
5 uprate probe.

6 And then we moved into the simulator,  
7 where we took what we believed would be the best guess  
8 on how the plant will operate, and use a simulator,  
9 and through the various operational transients that we  
10 would see a trip over recirc pump, a trip of the feed  
11 pump, turbine trips, reactor SCRAMS.

12 And then we also went into some of the  
13 accident scenarios, where we went through an ATWS and  
14 showed the operators the benefits of injecting standby  
15 liquid control early on in the scenario, and then  
16 showed what would happen if we didn't inject standby  
17 liquid control, or had a failure to inject.

18 We did a turbine trip and SCRAM scenario,  
19 and then we also did an MSIV closure, and did show the  
20 operators how much it did change. And for the most  
21 part, there was very little change as far as our  
22 actions and how the plant responded once a plant was  
23 shut down.

24 DR. SCHROCK: Could you embellish a little  
25 on what you mean by your best guess as to how the

1 plant is going to perform?

2 MR. KOTTENSTETTE: We took the model or  
3 the design information of the plant modifications, and  
4 the change out of the conset pumps and the feed pumps,  
5 and the reactor model, and we basically gave it our  
6 best guess on how it should respond.

7 And then we also benchmarked it against  
8 the accident analysis that we got from GE, as far as  
9 this is how the plant should respond to a turbine  
10 trip, or an MSIV closure.

11 And we looked to see how the simulator  
12 responded, and it pretty much matched up to what we  
13 saw or the information that we got from the analysis.

14 CHAIRMAN WALLIS: Do you have any sort of  
15 feedback for how well the operators responded to this?  
16 I mean, you trained them and you would tell them these  
17 various things, and then it is supposed to change  
18 their performance in some way or their reaction at the  
19 time, or whatever.

20 Do you have a measure of how well they did  
21 after training?

22 MR. KOTTENSTETTE: During the training, it  
23 was obviously observed during the training that the  
24 operators responded per our procedures, and as far as  
25 containing the scenario and responding to it, there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was no marked decrease in operator performance.

2 CHAIRMAN WALLIS: So you don't try to  
3 measure the probability of them doing the right thing?  
4 This is somehow only an analytical assessment?

5 MR. KOTTENSTETTE: As far as how the  
6 operators responded, or --

7 CHAIRMAN WALLIS: There are numbers that  
8 are given to us in the paperwork about the probability  
9 of human error during an ATWS, and the numbers have  
10 increased.

11 And I just wondered if there was any  
12 measure from this training to show whether or not the  
13 operators were under more pressure, and made more  
14 mistakes or whatever with the power uprate than you  
15 would get from the simulator experience.

16 MR. KOTTENSTETTE: We didn't see any  
17 increased errors.

18 CHAIRMAN WALLIS: But did you look for  
19 any?

20 MR. MCGEE: This is Ron McGee once again.  
21 The operators during their training scenarios have  
22 critical tasks that they have to perform in their  
23 dynamic scenarios, and the operators on the power  
24 uprate tasks all successfully performed the critical  
25 tasks.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   There were no operator failures or  
2 remediations necessary during the power uprate phase  
3 of the test of the classroom or simulator training.

4                   MR. ROSEN: I think we will hear later  
5 that the time for action, taking the required actions,  
6 is shortened by this uprate, but that what you are  
7 saying is that the operators were able to take the  
8 necessary actions in spite of the shortened times  
9 allowed.

10                  MR. KOTTENSTETTE: Yes, because there is  
11 a very simple process of actually initiating standby  
12 liquid control.

13                  MR. ROSEN: It is all right there in front  
14 of them, the keys and the mode switch?

15                  MR. KOTTENSTETTE: The keys and the mode  
16 switch, and take it out of the mode switch and put it  
17 in the switch for the controls for the pumps.

18                  MR. MCGEE: And we specifically monitored  
19 for that, for the operator taking those appropriate  
20 actions on standby liquid. And all of the currently  
21 licensed crews were able to perform that action  
22 satisfactorily.

23                  MR. ROSEN: And I think we will hear more  
24 about that in the PSA discussion I assume?

25                  MR. KOTTENSTETTE: Yes, you will.

1 MR. MCGEE: Yes, that's correct.

2 CHAIRMAN WALLIS: I'm sorry, but you have  
3 your schedule. When are we going to get into other  
4 questions that are not on your plans, such as the  
5 stresses in the components and a question that we  
6 might have about something that is not in your  
7 outline? Do we leave that to the end?

8 MR. MCGEE: That is an option.

9 DR. SHACK: It seems to me that we ought  
10 to bring them up when they are appropriate, Graham.

11 CHAIRMAN WALLIS: Well, if they never  
12 raise the issue, we are going to have to bring in up  
13 sometime.

14 MR. KOTTENSTETTE: There is a section on  
15 material issues, and that may be the appropriate time  
16 to do that.

17 CHAIRMAN WALLIS: Well, I had a very basic  
18 question, which is that this is going to be a constant  
19 pressure power uprate?

20 MR. KOTTENSTETTE: That is correct.

21 CHAIRMAN WALLIS: And I just wondered why  
22 the stresses went up in things like the main closure  
23 flange, the vessel and the head if there were no  
24 changes in pressure? And they go up by 10 percent or  
25 more than 10 percent, and why is that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MCGEE: Gary is looking. We have  
2 several people looking.

3 CHAIRMAN WALLIS: Well, maybe we can after  
4 the break come back to this question. That is a very,  
5 very basic question that I had to raise at some time.  
6 So, think about it.

7 DR. POWERS: It had to be a flow. It  
8 can't be anything else.

9 MR. BROWNING: Carrying on, next we are  
10 going to talk about the thermal-hydraulic stability,  
11 and my name is Tony Browning, and I am from Duane  
12 Arnold.

13 We will have General Electric and Jason  
14 Post here to my right giving part of the presentation;  
15 and Mr. Kottenstette said he will get back up and talk  
16 about the impact on the operations of the power plant.

17 So we will kind of go through a little bit  
18 of quick background and the calculational methodology.  
19 Then I will get back up and discuss the analytical  
20 results. Then we will get into some of the issues  
21 that the committee has raised about the Solomon  
22 monitoring system.

23 And then the operational aspects as I said  
24 by Mr. Kottenstette, and then we will have a quick  
25 conclusion. Our purpose here is to demonstrate to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 committee that we have adequate operational and safety  
2 margin at the EPU conditions. So with that, I will  
3 turn it over to Jason.

4 MR. POST: Good afternoon. My name is  
5 Jason Post, and I am with GE. Stability solutions.  
6 The general design criteria is that GE C12 does  
7 neither prevent or reliably and readily detect and  
8 suppress reactor instabilities.

9 Duane Arnold has stability option 1-D,  
10 which does both. So they have features that both  
11 prevent and detect, and suppress. Their prevention  
12 feature is in an exclusion zone in the power flow map.

13 It is down in the low flow and high power  
14 corner of the power flow map. It is defined with the  
15 frequency -- the main model, and it has a very  
16 conservative decay ration margin, .8.

17 So, of course, we wouldn't expect an  
18 oscillation to grow and continue to grow until the  
19 decay ratio was 1.0 or higher. But they have a .8  
20 decay ratio, and so there is margin built in right  
21 there.

22 And they have a buffer zone outside of the  
23 exclusion region. Of course, as an exclusion region,  
24 you cannot operate in that region at all. If you  
25 enter that region, you have to immediately exit.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The buffer zone is five percent of power  
2 and flow outside of that region, and so that would be  
3 even a more conservative, and even a more lower decay  
4 ratio value for that.

5           And you can go into that if you are sure  
6 that you have a low decay ratio, and that is from the  
7 SOLOMON code. It is an on-line monitor based on the  
8 ODYSY code, and that is how you ensure that you  
9 maintain a low decay ratio in that region.

10          CHAIRMAN WALLIS: This exclusion zone is  
11 based on theory isn't it at this stage? You have not  
12 built these cores with flux and higher power, and so  
13 we don't yet know when oscillation is actually going  
14 to occur with these cores do we?

15          MR. POST: Well, we have had instabilities  
16 in cores, and so we have a pretty good idea of where  
17 they occur, and the most recent one was at the  
18 Columbia Power Plant back in about 1995, I believe.

19          And so we have seen them, and we have a  
20 pretty good idea. We benchmarked those cases with our  
21 models, and so we have a pretty good idea.

22          DR. KRESS: But those aren't at the power  
23 densities that you are talking about, at the power  
24 levels and the flows. They are at the original  
25 values, right? The question is does that instability

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 region expand or change?

2 MR. POST: Right, and we do expand it  
3 based upon the same models.

4 DR. KRESS: You use the models to expand  
5 it?

6 MR. POST: Right. The key factor is  
7 really the highest license rod line. So the change to  
8 EPU is not as significant as the change from ELLLA to  
9 MELLLA.

10 In fact, we already have plants that are  
11 operating with MELLLA. So, it is not a significant  
12 extension of the methodology. It is consistent with  
13 what we have already operated plants at.

14 CHAIRMAN WALLIS: And presumably when you  
15 start up this plant, you use some sort of a warning  
16 that the are exclusions that we have calculated, and  
17 if you get close to it, you had better be observant.

18 MR. POST: Exactly, and Steve -- and later  
19 in here we have a start-up map to show how they go  
20 outside the region and discuss how the SOLOMON code is  
21 used as they come up outside the region. So that is  
22 a specific part of this in a couple of more slides.

23 CHAIRMAN WALLIS: So you might have to  
24 modify SOLOMON based on what you actually observe, or  
25 is that independent?

1 MR. POST: The modification is simply in  
2 terms of the inputs to the code to make sure it knows  
3 what the operating conditions are. The code itself  
4 doesn't have to be modified.

5 So that is the prevention features. The  
6 detect and suppress features. It is important that  
7 the oscillation for Duane Arnold is proven to be only  
8 a core-wide mode, and so the entire core is going up  
9 and down at the same time; as opposed to a harmonic,  
10 where you get a side to side.

11 And if you had a side by side, then the  
12 average power tends to be flattened out, and your  
13 APRM, which is your average power range monitor, gives  
14 a relatively flat response.

15 But if it is a core-wide mode, then the  
16 oscillation is easily picked up by the APRMs. So that  
17 existing hardware is where we demonstrate that that  
18 existing hardware does provide adequate protection of  
19 the safety limit.

20 MR. ROSEN: And you are sure that the  
21 Duane Arnold core will respond in a core-wide mode  
22 because of its tight neurononic coupling?

23 MR. POST: That's correct, and that is  
24 part of the demonstration; that the core-wide remains  
25 the predominant oscillation mode.

1 MR. ROSEN: Will you say more about why it  
2 is tightly neutronically coupled?

3 MR. POST: We will say a little bit more,  
4 and we will make sure and see if you have any more  
5 questions about that.

6 MR. ROSEN: Okay.

7 MR. POST: Next slide. So the prevention  
8 methodology is the ODYSY code. When the stability  
9 solutions were initially developed, we used the FABLE  
10 code, which was another frequency to the main model,  
11 and ODYSY is just a much better code.

12 It was initially applied for another  
13 stability solution, the enhanced Option 1-A solution,  
14 which is a prevention solution. And so we extended it  
15 to Option 1-D, and the SER for that was just issued in  
16 April.

17 So the Duane Arnold extended power uprate  
18 is the first application, and Duane Arnold is  
19 operating in Cycle 18 right now for their current  
20 license power, with stability regions based on the  
21 ODYSY code.

22 It is important to note that when we  
23 licensed ODYSY that we replicated the results with  
24 FABLE, and the way that we did that was by adding an  
25 additional .15 margin in the decay ratio criteria. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 while we say there is a .8 criteria, really .65 is  
2 what is being calculated by ODYSY as our limit for the  
3 exclusion region.

4 And then we add .15 just as an adder to  
5 get the .8 that we are using on the stability  
6 criterion now. And as I said before, ODYSY is also  
7 the basis for SOLOMON. Next slide.

8 So this is the stability criteria map, and  
9 in the lower right-hand side is where you have a high  
10 channel decay ratio, and a low core decay ratio.

11 That is the type of condition where you  
12 can get a channel flow instability, and the fuel is  
13 specifically designed to avoid or to ensure that that  
14 cannot happen.

15 And then in the upper left-hand side, that  
16 is where you have a high core decay ratio and a low  
17 channel decay ratio, and that is where you get a core-  
18 wide mode instability.

19 And then where the cupus is taken out in  
20 the upper right-hand corner, that's where you have  
21 relatively high core and channel decay ratio, and  
22 that's when the higher harmonics can cause a regional  
23 mode instability.

24 So we use the 0.56 as the stability  
25 criteria and as the dividing line between when a core-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 wide mode and a regional mode instability can occur.  
2 And this stability criteria has been around for a long  
3 time.

4 It goes back to the time when the LaSalle  
5 instability happened or before, and it has been  
6 supported by various tests and events to show that  
7 that is the difference between when core-wide and  
8 channel instabilities occur.

9 So we don't do a separation type  
10 calculation, for example. We don't go into all those  
11 other arguments. We just use that as long as the  
12 channel decay ratio is below .56 when the core decay  
13 ration exceeds .8, that that is a basis for  
14 demonstrating that core-wide is the predominant mode.  
15 And I will turn it back over to Tony.

16 MR. BROWNING: And this gets into some of  
17 the things that we have talked about, and we will walk  
18 through them fairly quickly. The development of the  
19 exclusion zone power to flow map was a critical piece  
20 of this.

21 Jason just discussed the confirmation that  
22 we were still having core-wide oscillations only, and  
23 our maximum channel decay ratio was a value of .36,  
24 which you can see is well below the .56 acceptance  
25 criteria that you just saw on the stability maps.

1                   So we are still predominantly core-wide.  
2                   We also integrated the new flow bias trips from going  
3                   from ELLLA to MELLLA, and you will see that has the  
4                   biggest impact on the results. Not so much the power  
5                   uprate itself, but it is more driven by the change to  
6                   MELLLA.

7                   And then we go through the confirmation  
8                   that the flow bias SCRAM at the MELLLA level will  
9                   protect the safety limit, minimum power critical power  
10                  ratio in the fuel, and that is a critical part of the  
11                  analysis.

12                  And then we will go through a little  
13                  comparison of pre-EPU and EPU results so that you can  
14                  see that change. Okay. Steve. Here is the power to  
15                  flow map that we have been talking about, and as Jason  
16                  mentioned, the exclusion zone is the area where we are  
17                  not allowed to operate in steady state, and it is in  
18                  the high power low flow portion of the power flow map.

19                  And one of the other things that I would  
20                  like to point out --

21                  CHAIRMAN WALLIS: That zone has boundaries  
22                  that go all the way around it. It is above the red  
23                  line?

24                  MR. BROWNING: You are not allowed to  
25                  operate in this region. You have to state on this

1 side of the line. The exclusion zone is inside --

2 CHAIRMAN WALLIS: Up there?

3 MR. BROWNING: In here. And the other  
4 thing that we would like to point out is we keeping  
5 talking about the change from ELLLA to MELLLA. The  
6 black line is the ELLLA current load line.

7 And then you see the impact of MELLLA.  
8 And while it is fairly dramatic at the top end at  
9 rated power, down here in the stability region, you  
10 will notice that it is not that dramatic, and that  
11 really explains later why you are not seeing a huge  
12 change when we go from ELLLA to MELLLA, or going into  
13 power uprate.

14 And that's because we are talking about  
15 this area down here, and you can see that the impact  
16 is not that big. Next slide. And what we do is we go  
17 through the APR flow by flux trip, and like we said,  
18 going from ELLLA to MELLLA, we raise all the trip  
19 points up consistent with that.

20 And then the impact, of course, is that by  
21 doing that we have moved slightly further away for the  
22 SCRAM. So when we get into the oscillation  
23 calculations, and look at the hot bundle oscillation  
24 magnitude at the H BOP, it takes just a little bit  
25 longer for the automatic SCRAM to terminate the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 oscillation, because we have moved that much further  
2 up away from that corner of the power flow map with  
3 the automatic trip.

4 And that is the predominant thing that we  
5 see. Looking at the impact, and I know that this  
6 slide is a little busy, but we are trying to show that  
7 all the changes we made aren't that dramatic.

8 When you look at where the current power  
9 level rated exclusions and buffer zones are, and how  
10 they just shift slightly with the uprate. You will  
11 notice that they are almost anchored on the natural  
12 circulation line, because almost nothing changes  
13 there, and slightly greater sub-cooling has a slight  
14 effect down here.

15 But the biggest impact is shifting up from  
16 the ELLLA to MELLLA point. You just take it and you  
17 drag it over.

18 CHAIRMAN WALLIS: Well, I think you ought  
19 to explain some things to me. I mean, if I am  
20 starting up a plant, and I have no flow and no power.  
21 I am at zero. How do I get here?

22 MR. BROWNING: We are going to show you  
23 that.

24 CHAIRMAN WALLIS: Because it looks to me  
25 as if you can't get there without -- you know, I don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 see any reason that you are allowed to operate in it.

2 MR. BROWNING: Steve will show you that  
3 shortly. We have a power flow map that actually shows  
4 that.

5 CHAIRMAN WALLIS: But that lower code, the  
6 one you call natural circulation.

7 MR. BROWNING: Yes.

8 CHAIRMAN WALLIS: You have to be to the  
9 right of that, or the left of it, or what?

10 MR. BROWNING: We are going to be to the  
11 right of it. We are going to come up this way.

12 CHAIRMAN WALLIS: Then you have got to be  
13 below that other black line haven't you?

14 MR. BROWNING: Yes, we have to clear the  
15 feed water protection line here on the recirc pumps.

16 CHAIRMAN WALLIS: And you have to be below  
17 that?

18 MR. BROWNING: Yes. We have to be above  
19 it.

20 MR. MCGEE: That is at minimum.

21 MR. BROWNING: We have to clear this line  
22 before we can increase recirculation flow. So we pull  
23 rods and heat up the plant on minimum pump speed, and  
24 clear this interlock, and then we can increase in flow  
25 and go in this direction.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 And then continue to pull control rods out  
2 and go up on this side of the exclusion zone. And we  
3 will show you a power flow map where we have an  
4 example of that.

5 DR. KRESS: And then when you get up on  
6 the MELLLA line, that is strictly a flow power. You  
7 don't have to pull the rods out there anymore?

8 MR. BROWNING: Right. You get as high as  
9 you can on the load line, and then you just cruise on  
10 up with the recirculation flow. That's correct.

11 Now we are going to talk about SOLOMON a  
12 little bit because we had some inquiry from the  
13 committee about the SOLOMON software, and the  
14 stability monitor. As Jason has already said, it is  
15 the ODYSY model.

16 It has been integrated into the plant core  
17 physics monitoring software. It is an integral part  
18 of it. It does not run separately. It runs with it,  
19 and it takes its input from it.

20 Its purpose? It is a backup for what are  
21 called power shaped controls, because back in the  
22 original days of this stability, one of the things  
23 that was of a concern was that the power shapes that  
24 were modeled in the bundles, how did we know that we  
25 were going to stay in that operating environment, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 be bounded by what was assumed in those analysis?

2 So we have what are called backup power  
3 shaped controls. So other options use things like  
4 boiling boundary. For the Option 1-D plants like us,  
5 we use the SOLOMON software and the buffer zone as our  
6 backup power shaped control to maintain that margin.

7 And what it does is that it merely allows  
8 us to sustain operation in the buffer zone and the  
9 power flow operating maps. So that little band that  
10 we were talking about adding on of the 5 percent, when  
11 SOLOMON is available, the operators are allowed to  
12 transgress through that area and go through it.

13 If the SOLOMON software is not available,  
14 it becomes an extended exclusion zone, and they are  
15 not allowed to operate there.

16 MR. ROSEN: Is the ODYSY code actually  
17 running in the background, or is it SOLOMON looking up  
18 results, and pre-store the results of ODYSY?

19 MR. BROWNING: It is actually running, but  
20 it is not real time. It takes a while to do the  
21 calculation. So it takes its input from the core  
22 physics program, and then runs its time domain  
23 calculation, and comes out with the decay rations.

24 MR. MCGEE: Frequency domain.

25 MR. BROWNING: I'm sorry, frequency domain

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 calculations, and comes up with a decay ratio, and  
2 this displayed to the operators.

3 MR. ROSEN: So it is possible for the  
4 operators, if they are moving very quickly, to outrun  
5 ODYSY and SOLOMON, or how do you prevent that?

6 MR. KOTTENSTETTE: You mean as far as --  
7 you know, if I change the power real fast, then --

8 MR. ROSEN: If ODYSY sees you changing  
9 power, it goes back and tries to calculate the new  
10 outputs, but you have changed again before it ever  
11 catches up with you.

12 MR. MCGEE: Are you talking about a  
13 predictive capability?

14 MR. ROSEN: yes.

15 MR. BROWNING: That is one of the things  
16 here. It is a predictive capability. You can look  
17 ahead and the reactor operators do that on a rod  
18 sequence exchange, or a start up. They will have  
19 planned the sequence that they are going through in  
20 the start up process.

21 And they will have done predictive SOLOMON  
22 cases ahead of time, and tried to map out exactly  
23 where they are in stability space as part of their  
24 normal package that they bring up to the control room  
25 for the operators to use during those operational

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 scenarios.

2 And it is because of this, because it is  
3 not real time, and exactly what we were talking about.  
4 It can't keep up. It just can't do the calculation  
5 fast enough.

6 And the other thing that we need to  
7 understand is that it is not monitoring the in-core  
8 neutron detectors in a time domain. It is not  
9 actually looking for an oscillation. It is doing a  
10 predictive calculation in the frequency domain, using  
11 the inputs from the physics, just like you would run  
12 it to do it for a reload.

13 CHAIRMAN WALLIS: But you need this rather  
14 than just having a code which is permanent because of  
15 changes in the burn up or something? Why do you need  
16 to have any calculation at all if you have already  
17 calculated it once?

18 MR. POST: Can I answer that?

19 MR. BROWNING: Sure.

20 MR. POST: Jason Post again. When we  
21 first proposed Option 1-D to the staff, they wanted an  
22 extra measure of protection to make sure that you were  
23 maintaining your stability condition with a loaded K  
24 ratio and with the core-wide mode as the predominant  
25 mode. So it was added as an extra feature at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 staff's request.

2 CHAIRMAN WALLIS: And so it follows the  
3 burn up changes and changes in power distribution or  
4 something?

5 MR. POST: All that is built into it from  
6 the input.

7 DR. POWERS: From the physics.

8 MR. ROSEN: So the operators know how to  
9 start up and avoid the instability region, and they  
10 also have SOLOMON cases which they have run along the  
11 line of their intended path to full power.

12 MR. POST: Right.

13 MR. ROSEN: And have basically checked out  
14 to make sure that they are stable using SOLOMON, which  
15 is really running ODYSY, or taking ODYSY results.

16 MR. POST: That is correct. And that is  
17 a great lead in to Steve here, who is next.

18 CHAIRMAN WALLIS: All right.

19 MR. KOTTENSTETTE: I am Steve Kottenstette  
20 again.

21 DR. SCHROCK: Could I ask one more  
22 question. Where does the thing typically begin  
23 steaming in this start up period?

24 MR. KOTTENSTETTE: Usually at one percent  
25 power. Usually we get to the point of adding heat is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 usually right around 4 to 5 percent power.

2 DR. SCHROCK: So, 4 to 5 percent. Okay.

3 MR. KOTTENSTETTE: Okay. As far as the  
4 use of SOLOMON, again it is always running, and once  
5 a day we get a printout when we are up and running.  
6 But since it is always looking at where we are at on  
7 the power to flow map, it is automatic as far as when  
8 it sees that the plant has gotten into either the  
9 exclusion or the buffer zone.

10 It automatically calculates a case for us  
11 and prints it out for us. So like if we have an  
12 operational transient where we lost a recirc pump,  
13 which is the most probable cause for us to go into the  
14 exclusion zone, it will sit there after a time delay  
15 and do the calculation, and print out for us where we  
16 are at as far as the stability plot.

17 As far as how we would monitor for thermal  
18 stability, we use our APRMs as our primary means to  
19 either detect it and to suppress it either when we see  
20 it initially, or if it sees it before we can actually  
21 take action.

22 As far as a plant start up, you can see  
23 here in the pink line there that that is our typical  
24 plant start up, as we come up in power and maneuver  
25 around the exclusion and buffer zones.

1           So once we get up in power and get the  
2 generator on line, we are now 3-D, and can actually  
3 operate and provide that input to SOLOMON. And you  
4 will see that we raise power and lift the control rods  
5 enough to get above the interlock for the recirc  
6 pumps, where we can increase flow now.

7           And then once we get up to a point where  
8 we can now pull rods again to get it close to our  
9 rated low line, and then after that it is just to go  
10 up in power with recirc flow.

11           And then as we get up close to our target  
12 rod pattern, there will be minor rod adjustments. And  
13 that is where you see all that squiggle up here at the  
14 top, as we are making adjustments to account for zanon  
15 and other poisons that are burning then.

16           CHAIRMAN WALLIS: And you said that  
17 SOLOMON is run once a day. Is the output from SOLOMON  
18 simply to move around these orange lines isn't it, and  
19 they change a little bit from day to day; isn't that  
20 what it really does?

21           MR. ROSEN: You said that you run SOLOMON  
22 once a day when you are at a steady state?

23           MR. KOTTENSTETTE: Right. Or at the other  
24 end of the power flow.

25           MR. ROSEN: But when you are going up, how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 often do you run the SOLOMON when you are making this  
2 maneuver?

3 MR. KOTTENSTETTE: We normally don't run  
4 software or ask for a SOLOMON case during a start up.

5 MR. ROSEN: Because you have several of  
6 them already done ahead of time, and you have looked  
7 at that as part of your operating plan?

8 MR. KOTTENSTETTE: Right.

9 MR. ROSEN: So you know where you are  
10 going to be as long as you go up?

11 MR. KOTTENSTETTE: We know that we are not  
12 going to be close to the buffer or the exclusion area.

13 MR. ROSEN: You got a little close this  
14 time didn't you?

15 MR. BROWNING: Well, this illustrates a  
16 good point. This was an actual start up of the plant.  
17 This is actual plant data from this past January. So  
18 this is at the current power levels and you can see  
19 that we stopped it at the current power level.

20 So we were just trying to highlight here  
21 that it is feasible to get around the exclusion and  
22 buffer zones, and yes, we got close here, but  
23 obviously when the operators get to the uprated  
24 condition, they will just move a little further over  
25 and just shift it a little bit to the right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: What was the cause in this  
2 particular case of the flow dropping off from 26  
3 million pounds per hour to 25?

4 MR. KOTTENSTETTE: As you go up in power,  
5 you get increased resistance to the core, and so flow  
6 is going to actually die down or reduce.

7 MR. BROWNING: Right. We increase the  
8 steaming as you are pulling rods and going up.

9 MR. ROSEN: So with a constant recirc pump  
10 speed, you are getting lower -- well, we can see the  
11 flow dropping off about a million pounds per hour?

12 MR. KOTTENSTETTE: Correct.

13 MR. BROWNING: That's correct. And so the  
14 main point and the emphasis was that this region down  
15 here, where it appears that we could be constrained,  
16 we were just trying to show that the operators do  
17 actually have operating margin room in this area to  
18 get around this low end.

19 Because maneuvering out here is not the  
20 issue. It is clearing the interlock and then skirting  
21 around. And like we said, in conclusion, we tried to  
22 demonstrate that the methodology that we use builds in  
23 margin, and that the calculational methodology of the  
24 ODYSY code, we have accounted for that.

25 And that the acceptance criteria that

1 Jason talked about adding the extra .15 on to the  
2 decay ratios so that it maps back to the old FABLE  
3 code, and so that's how we build in the margin.

4 And then in our case, plant specifically,  
5 we have seen no impact on the safety margins. We have  
6 got lots of margin to the decay issue.

7 CHAIRMAN WALLIS: And how would you define  
8 a safety margin?

9 MR. BROWNING: Well, the safety limit  
10 minimum critical power ratio, and that the fact that  
11 the APR and flow by scramble protect that, and protect  
12 the fuel, and we have demonstrated that in the  
13 analysis.

14 CHAIRMAN WALLIS: So safety margin is a  
15 measure obtained by comparing some number with some  
16 other number?

17 MR. BROWNING: Yes.

18 CHAIRMAN WALLIS: And one is lower by some  
19 amount and the safety is the difference between the  
20 numbers or something?

21 MR. BROWNING: Well, what we do is we look  
22 at several scenarios, and do the calculation to show  
23 the change in the critical power ratio is for those  
24 particular transients.

25 And then we compare that to the safety

1 limit and show that we have the margin that is  
2 required to demonstrate the safety margin is met.

3 CHAIRMAN WALLIS: Is there something in  
4 the law which says what the safety margin has to be?

5 MR. BROWNING: It is built into the safety  
6 limit MCPR, and the value that we use has got margin  
7 built into it.

8 CHAIRMAN WALLIS: So it is clear what is  
9 meant?

10 MR. BROWNING: Right.

11 DR. SCHROCK: What is the duration of this  
12 start up process typically?

13 MR. KOTTENSTETTE: The typical start up  
14 process, from initial start up to 100 percent power,  
15 it normally takes about two days to get all the way  
16 there.

17 DR. SCHROCK: So it is very slow?

18 MR. KOTTENSTETTE: Yes, it is.

19 MR. ROSEN: Is it very slow during the  
20 time that you are going through the door, through that  
21 window? How long does it take to get from -- if you  
22 will put the slide back up with the maneuvering.

23 Let's say to go from 13 million pounds per  
24 hour, which is the natural circulation, to 20 million  
25 pounds per hour? How long does it take you to do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that?

2 MR. KOTTENSTETTE: That should take  
3 probably about 15 minutes, because when we increase  
4 power with recirc, we pretty much go -- our normal  
5 rate is like 2 to 3 megawatts of electric. So, with  
6 five percent power, that is going to take about 15 to  
7 20 minutes of adjusting recirc flow.

8 MR. ROSEN: So in terms of the critical  
9 operational period, you are going to go through all  
10 those critical maneuvers and be watching the critical  
11 parameters.

12 And it's not like if you have to watch  
13 that for two days. You are in the critical region for  
14 about 15 or 20 minutes, and from then on you have got  
15 a lot more margin.

16 MR. KOTTENSTETTE: That's right.

17 CHAIRMAN WALLIS: So one shift does it.  
18 It's not as if you are in a critical reason for a  
19 shift change or anything like that.

20 MR. KOTTENSTETTE: No.

21 MR. ROSEN: In fact, that is a good  
22 question, Graham. When you start up do you change  
23 shifts at any point during this period?

24 MR. KOTTENSTETTE: It depends on where we  
25 start up on the shift.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Well, if it is two days,  
2 you better.

3 MR. KOTTENSTETTE: Well, yes. But we  
4 pretty much hold points throughout the start up and  
5 get to the point where you get up to the rated  
6 pressure, and from there to get to the point where we  
7 can roll the generator. And then from there --

8 MR. BROWNING: And there are prerequisite  
9 tests that are required --

10 CHAIRMAN WALLIS: Are you on 8 hour shifts  
11 or 12 hour shifts?

12 MR. KOTTENSTETTE: We are on 12 hour  
13 shifts.

14 MR. ROSEN: And I guess the operative  
15 question is that one shift actually takes you up from  
16 the natural circulation line up into the 30 million  
17 pounds per hour or something like that?

18 MR. KOTTENSTETTE: Yes.

19 MR. BROWNING: These guys look ahead and  
20 try and target those windows to make sure that they  
21 don't have a shift turnover right in the middle of  
22 some critical task in the middle here.

23 And our conclusion is that we have shown  
24 that the operation at the extended power uprate with  
25 respect to the thermo hydraulic stability has been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 acceptable. Next slide.

2 I get to continue on, and again with  
3 Jason, and this time we are going to talk about  
4 anticipated transients without SCRAM. We are going to  
5 go through and give you a little bit of background on  
6 how Duane Arnold complies with the ATWS rule.

7 And then Jason again is going to talk  
8 about methodology, and how we went through and did the  
9 calculations, and then I will get back up again and  
10 talk about the analytical results and the conclusions.

11 Again, to demonstrate that we have  
12 considered the operational and safety margins from the  
13 ATWS perspective at the EPU conditions. First, the  
14 system that everybody is most familiar with when we  
15 talk about ATWS, and that is the standby liquid  
16 control system.

17 For Duane Arnold, we have gone to the two-  
18 pump operation, where the single switch in the control  
19 room starts both pumps simultaneously. And they are  
20 required to pump a minimum of 26.2 gallons a minute  
21 each, and to get the equivalency requirement, we use  
22 naturally enriched boron.

23 And we use a minimum concentration of 11.8  
24 weight solution of sodium pentaborate. That means the  
25 rule requirement for the 86 GPM equivalency that was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 spelled out in the rule.

2 And the other thing to understand is with  
3 our design being a BWR-4, we do inject the boron  
4 solution below the core through the sparger, okay.

5 We have installed the alternate rod  
6 insertion system, and one of the things that you will  
7 hear about in the conservatism and the way we do the  
8 calculation is that we take no credit for that in the  
9 analysis, which is the system that pneumatically  
10 bleeds off the air from the control rods, and allows  
11 them to go in as the back up.

12 We have the recirculation pump trip  
13 system, that when we detect conditions that would be  
14 indicative of an ATWS of a high pressure in the water  
15 level, the recirc pumps will trip off and run back to  
16 flow.

17 And that we have adopted the BWR Owner's  
18 Group emergency procedure guidelines for dealing with  
19 the ATWS, which include lowering the water level and  
20 taking those actions.

21 The ATWS rule established pretty much  
22 hardware requirements, and then behind it, we go back  
23 and we look at and demonstrate that we comply with the  
24 analytical basis that that rule was predicated on.

25 So the things that we look at are the peak

1 pressure below the ASME service level of 1500 psi for  
2 the events. We demonstrate that the peak cladding  
3 temperature remains within the 50.46 requirements of  
4 2200 degrees fahrenheit.

5 We look at the local oxidation fraction,  
6 and make sure that it stays below the 17 percent  
7 requirement of 50.46. We look at the suppressible  
8 temperature and ensure that it remains below the plant  
9 design limit of 281 degrees fahrenheit.

10 And we also look at the containment  
11 pressure to make sure that it stays below the plant  
12 design limit of 62 pounds. And then we go back and we  
13 benchmark to not the current power level, but the  
14 original license power level, which for us would be  
15 50.93 megawatts, to demonstrate that the impact of the  
16 EPU is acceptable.

17 So we go all the way back to the original  
18 plan and do the comparison. And at this point, I will  
19 turn it over to Jason.

20 CHAIRMAN WALLIS: How close do you get to  
21 these limits when you do this? Let's say it is within  
22 10 CFR 50.46, are you opening up against, say, 2200  
23 degrees, or are you still a long way from it?

24 MR. BROWNING: We are a fair ways away.

25 MR. POST: We are a long way from it and

1 we are going to show you those specifically as well.

2 CHAIRMAN WALLIS: But you are closer than  
3 you were before?

4 MR. BROWNING: Yes, and we will show you  
5 the results later.

6 MR. POST: So this is Jason Post again.  
7 I have one slide here on methodology. We use the ODYN  
8 code when we did the first generic licensing topical  
9 report on power uprate. That was also the same time  
10 that we also submitted the application to use the ODYN  
11 code to do the ATWS calculations.

12 And ODYN, of course, has been used for a  
13 number of years for transients, but we had to get the  
14 approval of the various models that we needed for  
15 ATWS, and specifically the boron mixing model.

16 And the boron mixing model is the key  
17 conservatism that we have in the ODYN analysis, and we  
18 demonstrated that it adequately bounds the best  
19 estimate calculation with the TRACG code. That was  
20 our benchmark that we used.

21 It is important to note that we do use a  
22 best estimate approach for ATWS. Some of the  
23 conservatisms that we have in there are on the SRV  
24 subpoints. We do use conservative SRV subpoints in  
25 the calculation to compare to the peak reactor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pressure criteria.

2 And we do use reasonable operator action  
3 times. It is important to note that the SLCS  
4 initiation, which is two minutes after the ATWS  
5 signal, has not changed. So someone made a comment  
6 earlier about how the operator response has decreased.

7 In fact, we use exactly the same operator  
8 action time that we used for power uprate, or that we  
9 would use for an ATWS analysis at current license  
10 power.

11 So it does -- you do have a slightly  
12 steeper uprate during those first two minutes, but we  
13 have not changed the operator action time. We use the  
14 same action time.

15 We use pool cooling and service about 11  
16 minutes, and that is basically 10 minutes of nothing  
17 happening and one minute to align the system is where  
18 that 11 minutes comes from.

19 And as we have talked about before, this  
20 is supported by the emergency procedure guidelines,  
21 and the emergency procedure guidelines actions are  
22 fully adequate for EPU. There is on change to the  
23 basic actions that are taken in the simulator  
24 training.

25 CHAIRMAN WALLIS: Now, how is the level

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 controlled during this ATWS? Is the operator looking  
2 at the level in the vessel?

3 MR. POST: Yes, he is. We do do a water  
4 level reduction.

5 CHAIRMAN WALLIS: And isn't there some  
6 action to control that level?

7 MR. POST: One of the key mitigating  
8 features of an ATWS response is to lower water level  
9 below the feed water spargers so you don't have that  
10 low subcooling.

11 And actually you reduce clear down to the  
12 top of the active fuel to reduce the power level.  
13 Once you reduce the power level, then you are  
14 mitigating the stream that is going to the suppression  
15 pool for the bounding ATWS event.

16 So the termination of feed water happens  
17 in about the same time frame as the initiation of  
18 SLCS. They are both what we would call immediate  
19 operator actions in the power control portion of the  
20 guideline.

21 CHAIRMAN WALLIS: So with the uprated  
22 power, there is somewhat less time to do this?

23 MR. POST: Again, we make the same  
24 assumption on operator action time. We assume the  
25 time is the same. It does give you a little bit worst

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 result, which you will see in a few minutes. But we  
2 are using the same time to take both actions or for  
3 both conditions I should say.

4 DR. POWERS: When you have analyzed these  
5 in the generic sense, or in the specific sense, either  
6 one, do you look at the pressure on the fuel rods  
7 during the water level drop and then the mixing?

8 MR. POST: It is not an explicit part of  
9 the calculation. Remember that during the water level  
10 drop, we maintain the core covered, and we do have a  
11 peak clad temperature calculation which shows that the  
12 temperature stays quite low.

13 I don't think the response to the fuel is  
14 any more severe than one of the transient events, the  
15 response for ATWS. The real threat from ATWS is the  
16 containment temperature. I mean, that is the biggest  
17 worry.

18 DR. POWERS: Here is what I am interested  
19 in, is whether any of the fuel rods having large  
20 stresses put on them or strains?

21 MR. POST: Not more severe than any other  
22 event in the envelope, in the design envelope.

23 MR. ROSEN: Well, you have got me a little  
24 confused now frankly. I am reading the staff's safety  
25 evaluation, and it is on page 75, and in that they are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 talking about the PSA and the screening that was done,  
2 which identified five operator actions that were  
3 evaluated for their impact on plant risk.

4 One of those actions is the initiation of  
5 SLCS for turbine trip and main steam isolation valve  
6 closure ATWS events. And in that paragraph, it says  
7 due to the extended power outage, the early SLCS  
8 initiation timing is reduced from 6 minutes to 4  
9 minutes; while the late SLCS initiation timing is  
10 reduced from 20 minutes to 14 minutes.

11 Now, just looking at the early, that says  
12 from 6 to 4 minutes; and yet your slide says 2  
13 minutes.

14 MR. POST: Two minutes after the ATWS  
15 signal is what we use in the analysis, and I am not  
16 certain the basis for what is in the PRA.

17 MR. BROWNING: In the PRA analysis -- this  
18 is Tony Browning again. In the PRA analysis -- and we  
19 will speak to it later when we get to that  
20 presentation, those are actually acceptance criteria  
21 that are applied in the PSA model.

22 If the operator performs to that level by  
23 that time, the event tree goes in one direction. If  
24 he is not successful at that juncture, it takes a  
25 different path and goes down through the event

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis in a different way.

2 And that is really all that is driving  
3 there. It is driven by the map results, and the  
4 change in time, and the calculation of the human  
5 performance. But really what it is doing is setting  
6 up later in those events what the successful criteria  
7 is, or how much suppression pool cooling is required  
8 to keep the containment within the design.

9 MR. ROSEN: I understand that, and these  
10 results that are reported here by the staff have an  
11 effect on our probabilistic safety analysis, and the  
12 impact of the change in power on the resulting core  
13 damage frequency.

14 MR. POST: Correct.

15 MR. ROSEN: And what you are saying here,  
16 I think, and help me to understand this, is that even  
17 though the PSA uses four minutes to draw some  
18 judgments about operator success likelihood, and that  
19 four minutes speaks to some analysis of the  
20 performance shaping factors for the PSA, in the  
21 thermal hydraulic analysis, you initiate SLCS in two  
22 minutes rather than four minutes.

23 MR. POST: Yes, we do. That's correct.

24 MR. ROSEN: It's different and I don't  
25 understand why.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BROWNING: This is the basic -- if you  
2 will, deterministic modeling and methodology which --  
3 like we said in the beginning, that is the basis for  
4 our application.

5 The PSA look was to look for risk  
6 insights, and you are seeing that. You are seeing the  
7 result of us looking with our PSA model for risk  
8 insights, and we have incorporated those.

9 That's why we went up with the simulator  
10 with the operator training early on and ran through  
11 these scenarios. And Mr. Kottenstette said he has  
12 discussed that earlier, and that we really did not see  
13 any degradation of human performance in the simulator.

14 That was the take away from this. We saw  
15 the result, and we got the lesson learned, and we went  
16 up to the simulator to see if in reality we were  
17 seeing a challenge to the operators, and if that had  
18 been the case -- and it wasn't, but had that been the  
19 case, and we had seen that, we would have had to make  
20 adjustments.

21 And that either at operator training or  
22 some other mitigative strategy, if the effect of the  
23 uprate had been that we needed to get standby liquid  
24 in much sooner, and we had seen a degradation of human  
25 performance in the simulator, we would have had to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 address that, but we didn't see it.

2 MR. ROSEN: I am puzzled, and a little  
3 troubled about using two different numbers; one in the  
4 PSA analysis and one here, for when you initiate SLCS.  
5 If you used the four minutes here to be consistent  
6 with what the PSA people do --

7 MR. POST: Our PSA expert is going to get  
8 up and address that.

9 MR. BOEHNERT: Come up to the mike and  
10 identify yourself.

11 MR. POST: But that is not uncommon. I  
12 mean, we have different ways that we look at things in  
13 deterministic space from the way that we look at  
14 things in probablistic space. It is not different.

15 MR. HOPKINS: This is Brad Hopkins from  
16 Duane Arnold. I am the PRA engineer at Duane Arnold.  
17 I think I can provide a little clarification.

18 In the PRA, we allow containment pressure  
19 and temperature to go much higher than the design  
20 values before we assume failure. So in our thermal  
21 hydraulic analysis, we are able to live with later  
22 standby liquid control injection before we would  
23 exceed our criteria.

24 The criteria is different because in the  
25 PRA our containment failure occurs at much higher

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pressures than the design pressure. That is, we would  
2 not expect containment failure until about 120 psi.  
3 Whereas, in the licensing basis, 54 psi. So that  
4 would account for some of those differences.

5 MR. POST: So you could allow a higher or  
6 a longer action time and still meet your criteria?

7 MR. HOPKINS: Yes. We are looking at or  
8 trying to look at realistic evaluations and not  
9 putting in the conservatisms that are applied for the  
10 licensing based evaluation.

11 MR. ROSEN: That clarifies it, but I would  
12 point out that you have the differences there.

13 MR. BROWNING: And as we get into the  
14 event, specifically with the results, and we were  
15 asked to look at the acceptance criteria and how we  
16 compare those, and do a comparison of pre-EPU to EPU  
17 results.

18 And then a recent topical issue, we are  
19 going to look at our Evaluation of Information Notice  
20 2001-013, which was the inadequate SLCS relief value  
21 margin issue. This is a comparison of Pre-EPU to EPU,  
22 and if you look at the --

23 MR. BOEHNERT: Excuse me, but could you go  
24 back to the slide. Can you highlight that relief  
25 value margin issue, please?

1 MR. BROWNING: We will get to that.

2 MR. BOEHNERT: Fine.

3 MR. BROWNING: And first off we will look  
4 at the EPU results. You will see that the peak  
5 reactor vessel pressure, the acceptance criteria is  
6 1500 pounds, and we are at 1343, and we are below that  
7 limit.

8 We are going to look at peak fuel cladding  
9 temperature against the 2200 limit, and as you can  
10 see, we are at 1380 degrees fahrenheit. So we are  
11 quite low there.

12 And the peak suppression pool temperature  
13 limit, the design limit is 281 degrees, and we are at  
14 215.6 for the EPU; and the peak containment pressure,  
15 the design on that is 652 psi, and we are at 18.3. So  
16 as you can see here, we have lots of margin.

17 And looking at the impact of the EPU,  
18 again, reminding everyone that this comparison goes  
19 all the way back to the original rated thermal power  
20 of 1593 psig, you are seeing the impact of not only  
21 the full 20 percent increase, but you also are seeing  
22 the impact of reactor pressure change, and a ELLLA to  
23 MELLLA change as well.

24 Because at our previous uprate, when we  
25 did this stretch of 5 percent in 1985, that was when

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 it raised reactor pressure. So you are seeing all  
2 those effects rolled up into this.

3 So the reactor pressure as expected goes  
4 up, and the suppression pool temperature and the decay  
5 heat goes up, and it takes the containment pressure  
6 with it.

7 The interesting result is the fuel  
8 cladding temperature. You see a slight reduction, and  
9 that is because of the flattening of the radial power  
10 in the core, and where the peak bundle isn't working  
11 any harder to bring up the average.

12 So we redistribute the flow, and the net  
13 result of that is that the peak bundle gets a little  
14 bit more flow because the average bundles are getting  
15 a little bit less because of the increased pressure  
16 dropped from their steam production.

17 So the peak bundle gets a little bit more  
18 cooling, and so the FCT comes down.

19 CHAIRMAN WALLIS: Do you actually have the  
20 acceptance criteria on this? You told us what there  
21 were, but --

22 MR. BROWNING: We have a back up slide  
23 with that if you would like to see it.

24 CHAIRMAN WALLIS: But you told us what  
25 they were.

1 MR. BROWNING: Here is the background on  
2 the information that was on the SLCS margins, and the  
3 concern is that in an ATWS event, and the loss of off-  
4 site power is the specific one that was addressed, the  
5 concern is that you have high reactor pressure at the  
6 time of standby liquid and ejection.

7 And you have reduced margins to the relief  
8 valve setpoint, and one of the things is that you have  
9 an operating margin that is required between the peak  
10 system pressure at the relief value next to the pump,  
11 and the nominal relief valve setpoint.

12 You have a required delta that you are  
13 required to maintain there. So what happens is that  
14 you are trying to account for uncertainties, a set  
15 point drift in the relief valve and other things, and  
16 also because these are positive pressure pumps.

17 And they are very dynamic, and you get big  
18 pressure pulses as it ejects, and so you are trying to  
19 absorb all that with this margin. And the concern is  
20 that if the reactor pressure is too high, it can eat  
21 into this margin, and you have the potential to  
22 interrupt the standby liquid ejection, and actually  
23 the circulate the boron in a loop around the pump, but  
24 not actually inject it into the core.

25 The results for Duane Arnold is that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have grater than a hundred psi operating margin to the  
2 nominal valve set point, and we saw no interruption in  
3 the SLCS ejection.

4 In conclusion, we talked about the  
5 methodology and how we use that to capture margin,  
6 which we also go back and do at the benchmark to look  
7 at the impact of the EPU on the plant, and to look at  
8 the margin that would go there.

9 And then again in the plant specific  
10 results, we satisfied all the acceptance criteria, and  
11 so we saw no impact from the safety margin. If you  
12 have adequate margin for the acceptance criteria, we  
13 have operational margin sustained by that.

14 And then we have an acceptable comparison  
15 to the benchmark case, and so we didn't see a huge  
16 change there. So from that we can conclude that the  
17 operation of the EPU from the ATWS perspective is  
18 adequate.

19 DR. SCHROCK: What was this best estimate  
20 of the --

21 MR. POST: That was approved at the time  
22 of the ATWS rule and the first time that we started  
23 doing ATWS analysis. It is because of the low  
24 probability, and also because it was not part of the  
25 original design basis. It was an added analysis, low

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 probability.

2 DR. SCHROCK: To put it in the context of  
3 best estimate analysis, can you put a date on that for  
4 me? Was it the early '80s?

5 MR. POST: I don't remember when the ATWS  
6 rule came out, but --

7 DR. POWERS: Around '85 or '85.

8 DR. SCHROCK: And ODYN was its basis at  
9 that time?

10 MR. POST: No, at that time we were using  
11 a READY code, and as I said earlier, we didn't -- ODYN  
12 had been used for the transient calculations, but we  
13 had not qualified the boron mixing model until the  
14 time that we did the generic submittal on power uprate  
15 in the mid-1990s. That's when we started using ODYN  
16 for ATWS calculations.

17 DR. SCHROCK: And in the original ATWS  
18 problem, you didn't present it as a best estimate  
19 calculations?

20 MR. POST: Well, I am sure in the original  
21 analysis that was done with READY, and the ATWS rule  
22 compliance, I am sure that those were done as best  
23 estimate calculations. Yes, I'm sure that they were.

24 DR. SCHROCK: I don't remember it getting  
25 reviewed in that time frame, but it must have been.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MR. BOEHNERT: I remember his argument,  
2 and I remember that they did a lot of that as he said.  
3 I believe it was ODYN, but I don't really remember.

4 MR. POST: There were a couple of very  
5 large topical reports that GE wrote on the ATWS  
6 response for various events, and trying to determine  
7 what the limiting events were and that needed to be  
8 analyzed, and what the assumptions for the analysis  
9 should be.

10 And I know that those were presented to  
11 the NRC, and whether they were actually presented to  
12 the ACRS, I am not certain.

13 DR. SCHROCK: Well, I am just curious to  
14 know a little more about what is in the ODYN one.

15 MR. POST: All right. This is ATWS  
16 instability, and we talked about the instability  
17 prevention to ensure that you prevent an instability,  
18 and if it does occur, you do get an automatic SCRAM to  
19 show the reactor down and terminate the oscillation.

20 But one of the concerns previously was  
21 what happens if that SCRAM fails, and so the  
22 oscillation continues to grow and it is not  
23 terminated, and how bad does it get.

24 And so I am going to talk a little bit  
25 about the background, and the methodology, and what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 happens to an ATWS instability if you don't have  
2 mitigation, and why the application for Duane Arnold  
3 is acceptable.

4 And again we are trying to demonstrate  
5 that the existing ATWS instability analysis, which was  
6 done for a high power density plant with MELLLA is  
7 adequate for the Duane Arnold extended power uprate.

8 So there were two topical reports written  
9 and that were both reviewed simultaneously by the NRC,  
10 and one SER was written on both reports. The first  
11 one is the NEDO-32047, which is the ATWS rule report.

12 And the purpose of this report was to  
13 determine if fuel rod failures are unlikely from a  
14 worst case instability event with the SCRAM failure.

15 And the result of the evaluation was that  
16 this had no mitigating operator actions of any kind,  
17 and so it maintained water level high in the reactor  
18 and so it maximized the power production.

19 And we found that the power spikes become  
20 very tall and narrow. It is almost like a reactivity  
21 excursion type of event, in terms of what the fuel  
22 experiences. It becomes -- so the peak energy  
23 deposition, and we found it is within the fuel design  
24 limits as you would get for reactivity excursions.

25 But the power becomes more severe as the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 core inlet subcooling decreases, and in fact you get  
2 to a point where as the subcooling decreases that you  
3 actually get a power spike that causes an extended dry  
4 out, and where the fuel doesn't re-wet in an  
5 oscillation.

6 And when you get that extended dry out of  
7 fuel service, then you get a very excessive clad  
8 temperature, to the point where a portion of the fuel  
9 could fail, and so we calculate that the number of  
10 bundles that this could happen on, and the actual  
11 location of the bundles. And it is about a half-a-  
12 percent of the core volume.

13 DR. POWERS: When you say that it is  
14 within the fuel design limits, you mean that it is  
15 less than --

16 MR. POST: That's correct.

17 DR. POWERS: And that is if it is fresh,  
18 but how about if it is burned up a bit?

19 MR. POST: I think we are at around 70 or  
20 80 calories per gram, and --

21 DR. POWERS: And can it tolerate that when  
22 you --

23 MR. POST: I am going to call on Dr. Jens  
24 Anderson. Jens, would you mind helping me with this?

25 DR. ANDERSON: This is Jens Anderson to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 talk about that fuel. When you get these high powered  
2 oscillations, you get those in the fuel bundles from  
3 high radial peaking. High radial peaking will only  
4 occur for fuel with low exposure.

5 Once you get to the higher exposure, two  
6 things happen. First of all, you don't have as much  
7 activity left in the fuel and so you don't get the  
8 higher radial peaking, and that was actually analyzed  
9 as part of this work that was done in the first  
10 report, the NEDO-332047.

11 And it shows us that as you go down in  
12 radial peaking, you cannot get these high powered  
13 oscillations. Secondly, this is very -- the other  
14 things that happen is that even if you have high flux  
15 peaks, with lower activity in the fuel, you don't get  
16 the power response.

17 So I think the short answer is that you  
18 can get the high oscillation for fresh fuel, but for  
19 highly exposed fuel, you cannot have the high power  
20 oscillations.

21 MR. POST: Again, this is the event and  
22 the results that were analyzed previously, and what we  
23 are demonstrating or discussing is the fact that those  
24 were adequately severe in the analysis that was done  
25 already, and did not get any worse for the MELLA EPU

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 condition for Duane Arnold.

2 So we are discussing things that were  
3 already presented, and so it is not a new consequence.

4 CHAIRMAN WALLIS: It has already been  
5 judged then as an acceptable --

6 MR. POST: Yes, and again this is the no  
7 mitigation result. I mean, that's why we had EPGs,  
8 and this is intended to demonstrate the worst case  
9 -- no mitigation, maintaining water level high,  
10 letting subcoolant go dry, and how bad does it get,  
11 and that is what that report was intended to show.

12 And there could be a larger fraction of  
13 the core. The .5 percent may not be a valid number.  
14 It may go up to one percent. I'm not sure exactly b  
15 because of the flattening, and the radial power  
16 distribution, and you have more bundles that are  
17 closer to the limit.

18 So I would agree that the .5 percent that  
19 was reported in that report was based upon the core  
20 design at that time. So that could get a little bit  
21 worse, and frankly we have not calculated that.

22 DR. SCHROCK: And the most immediate  
23 consequence is that gaseous fissure products are  
24 released from rods that have failed.

25 MR. POST: Yes, certainly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. SCHROCK: And it would seem to make  
2 more sense to express it as a fraction of rods failed,  
3 as opposed to fraction of core volume failed.

4 MR. POST: That was the way that it was  
5 expressed originally. So if I can continue with the  
6 next report, which is the mitigation report, 32614.  
7 What this one did was recognize that that condition is  
8 not acceptable.

9 You certainly would not want to have your  
10 plan operate there, and get into that condition. So  
11 they looked at what are effective mitigation  
12 strategies.

13 And the two that are reported are as most  
14 effective, one is to lower the water level to below  
15 the field water spargers. Now, of course, the EPGs  
16 say lower it to -- there is two levels approved by the  
17 NRC.

18 One is to five feet above top of active  
19 fuel, and the other is to the minimum steam cooling  
20 water level, which is actually below, a collapse level  
21 below the top of active fuel.

22 But to mitigate the ATWS instability, you  
23 don't have to get it that low. That gives you a  
24 bigger power reduction, but the key thing is the  
25 subcooling, in terms of the instability.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   You only have to get it about one or two  
2 feet below the feed water spargers in order to have  
3 the water that is coming in spray into a steam space,  
4 and raise the temperature enough so that you mitigate  
5 the core and let sub-cooling.

6                   So that can be accomplished very quickly  
7 with feed water run back, and that gives a real quick  
8 water level reduction. And it eliminates, completely  
9 eliminates the large power pulses.

10                  Now, you can still have a small  
11 oscillation that continues, but these very large  
12 dramatic power pulses are completely eliminated. The  
13 other feature is the boron injection, which is of  
14 course also specified in the EPGs.

15                  And boron injections is very effective for  
16 the long term shutdown, but it is not quick enough to  
17 prevent the kind of extended dry out that gives the  
18 fuel rod failures by itself.

19                  It does eventually make the oscillations  
20 go away completely, but it doesn't happen -- the delay  
21 time from the time it was initiated, and to the delay  
22 time until it actually gets into the reactor core, and  
23 until it mixes, and until it shuts down enough to  
24 terminate the oscillations, it just does not happen  
25 fast enough. So the water level reduction is the key.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And the methodology we used is TRACG, and  
2 which you have reviewed before. We use multiple  
3 channel groups and it gives you a detailed 3-D  
4 kinetics in the thermal-hydraulic model of the core.  
5 It is a very effective model for doing this.

6 And then the next chart there is a  
7 benchmark from -- it is a current calculation of the  
8 repeat of the case that was in NEDO-322047, and you  
9 can see here the type of power spikes that were  
10 reported in NEDO-322047 and that go up above a  
11 thousand percent.

12 And as subcooling continues to decrease  
13 then, you are kind of reaching a maximum of your  
14 subcooling at about 200 seconds, and that is where if  
15 you go to the next chart on the peak clad temperature  
16 --

17 CHAIRMAN WALLIS: And that has been going  
18 along for quite a long time hasn't it?

19 MR. POST: Yes. Right. And this is again  
20 where the operator isn't -- you know, this is assuming  
21 that whatever actions the operator has taken to try  
22 and insert control rods have been completely  
23 ineffective and the water level has not been reduced.

24 DR. POWERS: And is this level for the  
25 fuel cycle?

1 MR. POST: I don't remember exactly. I'm  
2 sure that it is at the most reactive point in the  
3 cycle. It is probably around the middle of the cycle  
4 is probably when it is done.

5 And again they are very conservatively  
6 bumping up the radio peaking factor to make sure that  
7 they get it. So the next slide talks about the ATWS  
8 instability with mitigation.

9 Now, I don't have a chart to show that,  
10 but what happens is that at about 150 seconds, feed  
11 water -- the core in-let subcooling turns around, and  
12 the oscillations start to die back down again, and you  
13 don't get anymore of those huge random power peaks up  
14 to a thousand percent.

15 CHAIRMAN WALLIS: Well, you have showed us  
16 the bad looking ones, and it would be very good if you  
17 showed us the good looking one as well.

18 DR. POWERS: And even so, within the first  
19 150 seconds, you are putting some pretty good pops  
20 into that fuel. I mean, even before the 150 seconds.

21 MR. POST: Well, I didn't have an  
22 electronic version of that available, and so we will  
23 go to the old paper method. But this shows how the  
24 core -- the base case about mitigation is that  
25 subcooling continues to increase and it goes up to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about 60 degrees K, and then that is about here, and  
2 about 200 seconds is where they just keep going along  
3 and this is where the dry out occurs.

4 And with the feed water reduction, the  
5 water level reduction below the feed water spargers,  
6 you get a very effective turnaround of the subcooling,  
7 and you can see that we don't like these kinds of  
8 oscillations, but they are enough so that they stay  
9 within the capacity of the fuel.

10 CHAIRMAN WALLIS: And it is counter-  
11 intuitive, and if you make the water colder, you think  
12 it would cool better. But in fact it makes the  
13 oscillations worse.

14 MR. POST: That is correct. Warmer water  
15 gives you a better response from the hydraulic  
16 instability.

17 MR. ROSEN: As long as you have raised the  
18 question of counter-intuitive. From an operator  
19 perspective, Steve, a little bit counter-intuitive,  
20 isn't that to lower the water below the feed water  
21 sparges?

22 MR. POST: As far as auxiliary power?

23 MR. ROSEN: Are you trained to do that?

24 MR. POST: We know that we lower power or  
25 reactor water power reduces with it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: And it is not so counter-  
2 intuitive for BWRs in other words.

3 MR. MCGEE: It is not counter-intuitive.

4 MR. POST: In nearly every training  
5 scenario, they will have some sort of ATWS scenario,  
6 and they are trained as to that.

7 MR. ROSEN: So you are modeling this in  
8 the simulator, the compliance simulator is that you  
9 are saying?

10 DR. KRESS: No, this is TRACG.

11 MR. POST: This is TRACG.

12 MR. ROSEN: No, I am saying that you are  
13 modeling this event.

14 MR. POST: If I maintain water level high,  
15 I will still see the high power because I am not  
16 getting the increase in subcooling going on. So I  
17 know that it is going to be a longer scenario for me  
18 because power is going to be higher.

19 MR. ROSEN: So in your simulator crews are  
20 trained to run feed water back and get the core level  
21 below the sparges.

22 MR. POST: That's correct. The operator  
23 action is to lower the water level all the way to the  
24 minimum steam cooling level, which is near the top of  
25 the active fuel, and which is well below the feed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 water sparges.

2 So they don't stop when they clear the  
3 feed water sparger. They are running it all the way  
4 down until they get power to clear the APR and down  
5 scale --

6 MR. ROSEN: Is this one of the critical  
7 actions in the operator training?

8 MR. KOTTENSTETTE: It is a critical task  
9 for us to lower the level down to a certain point, and  
10 for us it is 87 inches above the top of the active  
11 fuel. At that time, we have a decision to make; is  
12 power now less than five percent power.

13 If it is, then now I have arranged to  
14 maintain water level from the top of active fuel up to  
15 whatever that water level is that the power is less  
16 than five percent.

17 DR. KRESS: Would you go back to your  
18 slide on the peak cladding temperature without  
19 mitigation that you had up there. Yes, that one. No,  
20 the next one.

21 What is happening to the center line fuel  
22 temperature during this process? Do you have an  
23 equivalent curve for the center line fuel temperature  
24 in that slide?

25 MR. POST: I do not have that available.

1 It wasn't included in that report I don't believe.

2 DR. KRESS: But does it oscillate or does  
3 it have a steady rise because of the lack of good  
4 coupling, the thermal coupling between the clad and  
5 the --

6 MR. POST: Well, I am sure that it is  
7 oscillating on this same kind of frequency as well.  
8 So I am sure that it is not a steady temperature. I  
9 mean, the surface heat transfer coefficient is varying  
10 as the fluid conditions changes at the surface.

11 DR. KRESS: But your thermal conductivity  
12 and the fuel is not varying very much, and it is a  
13 pretty good heat capacity in those fuels compared to  
14 the clad, and I was mentally thinking that you might  
15 get some oscillations, but you have got a steady rise  
16 in that --

17 DR. POWERS: The fuel looks like a bunch  
18 of stair steps.

19 DR. KRESS: Yes, but not little or big  
20 stair steps. But I was trying -- what I am thinking,  
21 Dana, is the total deposited energy in the fuel itself  
22 compared to this limit of how many calories per gram  
23 you get, as opposed to what you get in one  
24 oscillation.

25 DR. ANDERSON: This is Jens Anderson

1 again. What you can see in this plot prior to 200  
2 seconds is that you have repeated boiling transitions  
3 and reword, and in that period the heat removal, the  
4 net heat removal from the surface of the fuel rod, is  
5 the same as the energy generation.

6 So, yes, you get some oscillation in the  
7 center line temperature, and the center line  
8 temperature is higher than the cladding temperature,  
9 and on average it is constant.

10 DR. KRESS: It's not steadily climbing up  
11 then.

12 DR. ANDERSON: No, it's not. It doesn't  
13 start climbing up steadily until you fail to leave it,  
14 and then you go up to a higher clad temperature, and  
15 a correspondingly higher center line temperature.

16 DR. POWERS: I cannot believe that in two  
17 seconds that you thermally communicate with the center  
18 line of a fuel rod.

19 DR. KRESS: That was my problem.

20 DR. POWERS: And I would find that  
21 remarkable, especially with a BWR rod.

22 DR. ANDERSON: No, that's correct, and you  
23 are going to have a significant face shift between the  
24 center line temperatures and the surface, because the  
25 fuel is time constant.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Some are time constant, and the fuel is  
2 typically in the order of 6 seconds, while the period  
3 of the oscillations are more like 2 seconds.  
4 And which tend to give a fair amount of damping in the  
5 temperature response.

6                   CHAIRMAN WALLIS: Were you adding boron to  
7 the water at this time?

8                   DR. KRESS: No, this is no mitigation.

9                   CHAIRMAN WALLIS: No mitigation at all?  
10 So what is the long term prospect?

11                  MR. POST: The long term prospect is --

12                  CHAIRMAN WALLIS: How does it eventually  
13 shut down?

14                  DR. POWERS: That is a special plot that  
15 shuts it down.

16                  MR. POST: Well, that's why we move around  
17 a little, but then this is the effect of boron  
18 mitigation.

19                  CHAIRMAN WALLIS: Eventually you want to  
20 raise the water level eventually.

21                  MR. POST: Well, not until you get the  
22 reactor shut down.

23                  CHAIRMAN WALLIS: You have to get some  
24 boron in there or something.

25                  MR. POST: Yes. When you get the boron in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the oscillations go away completely.

2 CHAIRMAN WALLIS: That's right.

3 MR. POST: So this particular plot has  
4 only the boron injections, and so if you did the water  
5 level reduction by here in 150 seconds, you would make  
6 all these power spikes go away.

7 And then as you would continue to inject  
8 boron, you would make them go away completely. So it  
9 is a combination of the two that allow for getting rid  
10 of those oscillations and --

11 CHAIRMAN WALLIS: It is this drop in the  
12 level that is just to shut down the neutronics, and so  
13 it is counter-intuitive from the point of your  
14 cooling, but it is what you need to do to shut down  
15 the nuclear reaction?

16 MR. POST: That's right.

17 CHAIRMAN WALLIS: Then you need to get  
18 some boron in for the long term.

19 MR. POST: It mitigates the containment  
20 response dramatically, as well as avoiding this type  
21 of power spikes in the fuel.

22 DR. POWERS: Graham, not everything is  
23 thermal hydraulics.

24 CHAIRMAN WALLIS: No, it's not. I think  
25 it is great.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. ANDERSON: This is Jens Anderson  
2 again. I would like to point out one thing, is that  
3 the curves that Jason Post has shown is what you have  
4 is when you have an ATWS, the high density plant at  
5 the middle line. It is really not an easy EPU issue.

6 DR. POWERS: Well, we don't have analyses  
7 for this plant at the high and the low power levels to  
8 see what they do.

9 MR. POST: And you are right, we do not  
10 have that. Because the MELLLA boundary had previously  
11 been analyzed and the peak bundle power for Duane  
12 Arnold is consistent with what the bases were that  
13 were performed, we have done some GE14 studies to  
14 confirm the GE14, which is the newest fuel design that  
15 they have already loaded, I believe.

16 And the response for GE14 is similar, and  
17 the ATWS mitigation techniques are still effective,  
18 and so we did not do a Duane Arnold specific TRAC  
19 calculation for this.

20 So the methodology, it evaluates the  
21 margin and it uses limiting initial conditions, and  
22 limiting peak bundle powers. And there isn't really  
23 a safety margin associated with this. We are past the  
24 safety margins for this particular evaluation.

25 There is no degradation of the fuel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 response for EPU. We already have a pretty severe  
2 response, and so the margins that you had before are  
3 sustained. So from this point of view, EPU is  
4 acceptable for Duane Arnold.

5 DR. POWERS: Are there any questions on  
6 this portion of the program that we have gone through  
7 so far? Seeing none, and not looking very hard for  
8 any of them, I am going to call for a recess until 10  
9 of.

10 CHAIRMAN WALLIS: And during the recess,  
11 I would like to respond to the question that I raised  
12 about capacity, because it may be just a  
13 misunderstanding.

14 (Whereupon, at 2:37 p.m., the meeting was  
15 recessed and was resumed at 2:50 p.m.)

16 DR. POWERS: Let's go back into session.  
17 We are now going to move on to the non-controversial  
18 topic of the corrosion. I know that there will be no  
19 questions at all, and so we will be able to whip  
20 through this topic with speed and direction, I'm sure.

21 MR. SEVERSON: I am Russ Severson, and I  
22 am here to discuss our flow accelerated corrosion  
23 program at Duane Arnold, and what the impact will be  
24 from what I expect the impact is from the extended  
25 power uprate.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 To quickly explain flow accelerated  
2 corrosion in five seconds, flow accelerated corrosion  
3 leads to wall thinning, and many perimeters, including  
4 water chemistry, material composition, and the  
5 hydrodynamics effects, affect this wear rate.

6 And, of course, carbon steel piping is a  
7 especially susceptible material. Duane Arnold has had  
8 a long term monitoring program focusing on the  
9 susceptible high-energy carbon-steel piping system.

10 We include both single and two phase  
11 systems throughout the balance of the plant site, and  
12 at DAEC, we completed a tailored collaboration with  
13 EPRI back in the mid-1990s, which helped us base line  
14 and determine what our modeling was and to evaluate  
15 what should be modeled, and what our inspections  
16 should be.

17 And we have been progressing with that  
18 base line inspection. All our lines are continuously  
19 operating lines, and are modeled in our EPRI CHECWORKS  
20 program.

21 The inspections are performed to verify  
22 their model and to monitor the wear specifically. We  
23 typically do 40 to 60 inspections or actually  
24 locations. We inspect locations.

25 CHAIRMAN WALLIS: To verify a model, do

1 you actually do enough readings to verify a model?

2 MR. SEVERSON: To verify this model? Yes.

3 CHAIRMAN WALLIS: So you actually have a  
4 prediction at the rate at which --

5 MR. SEVERSON: We have a prediction, yes.

6 CHAIRMAN WALLIS: And it works?

7 MR. SEVERSON: Of where it is, yes, and of  
8 our different rates within our continuously operating  
9 lines. And in that prediction, what we had to do was  
10 we went back and evaluated the beginning of the  
11 operation, and decided what our wear rates were  
12 through all 18 at the time, or 15 cycles of where.

13 And to evaluate what our chemistry was  
14 through all those 15 cycles, and how we operated, and  
15 we have a heat balance, a simplified heat balance  
16 within the program to identify what the hydrodynamics  
17 are.

18 And adding all of that up, we do these  
19 inspections. Now, we didn't start out doing 40 top 60  
20 locations. That is now after many years of having  
21 this model and verifying, and ensuring that it is  
22 correct.

23 CHAIRMAN WALLIS: So now you have enough  
24 information that you can safely scale it up to higher  
25 velocities.

1 MR. SEVERSON: Correct. Originally, I  
2 think we did around like 200 inspections the first  
3 time we put the model together. But since then, we  
4 have been having to do less.

5 DR. FORD: Is it qualified for the higher  
6 flow rates? By qualified I mean there are data for  
7 the higher flow rates?

8 MR. SEVERSON: Yes, there is. Within  
9 CHECWORKS, it will let you vary the feet per second  
10 wear rate within your systems. Our plant has by  
11 design fairly low flow rates. And so with the 20  
12 percent increase, you are within the boundaries.

13 DR. FORD: And are there other data of  
14 what the CHECWORKS flow rate would tell you?

15 MR. SEVERSON: Well, within their book  
16 that they publish with EPRI, they show graphs of up to  
17 40 inches per flow rates, and I don't know if some  
18 plants have this or not, but I do know that Duane  
19 Arnold is a low wear plant, and that is partly because  
20 we were built with larger pipe diameters than what  
21 they built with some of the later model plants.

22 DR. POWERS: And one has to recognize that  
23 CHECWORKS has an empirical database that extends well  
24 beyond just the nuclear business.

25 MR. SEVERSON: That's correct.

1                   CHAIRMAN WALLIS:     Could I ask if  
2     Susquehanna is one of the plants with higher flow  
3     rates, the reason being that they have had erosion  
4     problems? I understand that they are going to have a  
5     limited power uprate.

6                   MR. SEVERSON: It is in the model. I have  
7     not had data back from Susquehanna that they wouldn't  
8     have had and that CHECWORKS would not have worked.

9                   And I can't tell you as to what extent  
10    they use CHECWORKS at Susquehanna, and so I can't  
11    speak from that qualification of knowledge. I do know  
12    that within our flow rates there are plants out there  
13    that model lines that will be at these newer flow  
14    rates, 20 percent higher, and they have not seen that  
15    issue.

16                  And I would have to see what the  
17    Susquehanna issues are. I am not sure if they are a  
18    reheat plant, or a second reheat plant like we are,  
19    which makes a huge difference into your wear rates.

20                  CHAIRMAN WALLIS: And the fuel piping, has  
21    that been exposed to --

22                  MR. SEVERSON: That is correct.

23                  CHAIRMAN WALLIS: And those carbon steel  
24    pipings have been exposed to --

25                  MR. SEVERSON: To the feeder water lines,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 yes.

2 CHAIRMAN WALLIS: And the feeder water  
3 lines are checked?

4 MR. SEVERSON: Yes, and those are the ones  
5 that I tried to provide data on since they are the  
6 ones that can show you the velocity changes since --  
7 and some of our other lines were going to a less -- to  
8 a higher quality line, and less wear from the quality  
9 standpoint of the steam coming in.

10 CHAIRMAN WALLIS: And versus the  
11 observation?

12 MR. SEVERSON: Yes.

13 CHAIRMAN WALLIS: And also for the  
14 platinum covered carbon steel?

15 MR. SEVERSON: I have not seen with the  
16 platinum covered carbon steel as to -- well, I have  
17 not seen where CHECWORKS significantly differs yet on  
18 wear rates.

19 Now, one thing about flow accelerated  
20 corrosion, which is that it is a very long term  
21 phenomenon, and I am modeling history back to '75, and  
22 we have had none since '96, and so far the Noble Chem  
23 has not shown a significant difference.

24 DR. SHACK: But those lines at Noble Chem,  
25 those would be very low flow accelerated corrosion.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I mean, aren't they the ones that just sort of sit  
2 there? The carbon steel lines that actually see Noble  
3 Chem.

4 MR. SEVERSON: Not in the high flow rates.  
5 Go ahead.

6 MR. KNECHT: This is Don Knecht from GE.  
7 The feed water -- the carbon steel feed water lines do  
8 not see the Noble Chem injections. It is only the  
9 stainless steel.

10 MR. SEVERSON: Yes, it should not have  
11 come back that way, because they do it with the  
12 recirc.

13 CHAIRMAN WALLIS: CHECWORKS predicts a  
14 continuous variation of wear rate versus velocity or  
15 something, or is there a transition, and a critical  
16 velocity? What sort of dependence is it?

17 MR. SEVERSON: They have an empirical  
18 formula of -- I will throw up a slide here to give you  
19 a feel for what the impact of the velocity is.

20 CHAIRMAN WALLIS: Is it velocity to some  
21 power or something? So it is a continuous behavior.  
22 It is not a step chain. It is level or something? I  
23 mean, downstream of a connection, it is not --

24 MR. SEVERSON: There is another one, and  
25 that is true, too. In CHECWORKS, they have a certain

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 factor formula. Let me throw that up.

2 DR. SHACK: And that's where you would see  
3 dramatic changes if you suddenly went through some  
4 sort of a transition, but this is kind of a -- you are  
5 in the same flow mode.

6 CHAIRMAN WALLIS: It is probably the  
7 boundary that matters, and if the high velocity gets  
8 right close to the boundary --

9 DR. POWERS: You have to understand in the  
10 middle that they really can't calculate anything, and  
11 so they develop this incredible empirical library, and  
12 it is called CHECWORKS.

13 MR. SEVERSON: And we are constantly doing  
14 testing and we use French data, and what have you.  
15 Here is the formula to give you a feel.

16 CHAIRMAN WALLIS: The geometry effect is  
17 this fudge factor G.

18 MR. SEVERSON: And from their experimental  
19 evidence they apply this geometry effect, and what I  
20 just showed you was an effect that they provide. This  
21 is what is in the CHECWORKS model for liquid velocity  
22 changes.

23 This is by keeping the other issues  
24 constant, and here for the BWR is the oxygen level.  
25 It is a very low oxygen level for what this graph is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 showing.

2 DR. SHACK: What is the normal oxygen  
3 level in your feed water?

4 MR. SEVERSON: Right now, 30 parts per  
5 million.

6 DR. SHACK: Now, when you change out your  
7 high pressure turbine, and is chrome moly steel, or  
8 are you stuck with the associated lines?

9 MR. SEVERSON: A couple of them have  
10 already been changed with chrome moly steel, and a  
11 couple of them will remain carbon steel. The ones  
12 that I have not been seeing with significant wear.

13 And a couple of them were the old alloy --  
14 the copper based alloy that we as a plant have not  
15 seen significant wear in, and there is a smattering of  
16 different lines throughout that we watch.

17 DR. KRESS: Why do those curves peak at a  
18 given temperature?

19 MR. SEVERSON: Why do they change in  
20 temperature?

21 DR. KRESS: No, why do they peak?

22 MR. SEVERSON: Why do they come like this  
23 and come back down?

24 DR. KRESS: Yes. Why do they come back  
25 down?

1 MR. SEVERSON: Because flow accelerated  
2 corrosion is a temperature dependent phenomena.

3 DR. KRESS: I know, but I thought it would  
4 have just kept going up.

5 CHAIRMAN WALLIS: There is no why about  
6 any of this. It is empirical.

7 MR. SEVERSON: Well, around 300 degrees is  
8 your highest wear rate for flow accelerated corrosion  
9 with everything else said.

10 DR. KRESS: But my question is why is  
11 this?

12 DR. POWERS: It is the solubility data  
13 from Oak Ridge.

14 MR. SEVERSON: He's exactly right.

15 DR. SHACK: It is solubility.

16 DR. KRESS: It is dissolving the oxide off  
17 of it.

18 MR. SEVERSON: Yes.

19 DR. POWERS: It is solubility for EPRI  
20 304, and goes through a maximum, and that is what  
21 underlies those curves. That was figured out by the  
22 chemists.

23 Now, the metallurgists came along and they  
24 said that in order to do anything they had to put  
25 fudge factors in because they can't calculate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 anything.

2 CHAIRMAN WALLIS: So it is washing away  
3 the rust.

4 DR. POWERS: Yes, washing away the rust.

5 CHAIRMAN WALLIS: Now I understand.

6 MR. SEVERSON: Now, we already went  
7 through this, and let's go on to the next slide.

8 CHAIRMAN WALLIS: Well, you have predicted  
9 what the change will be and it is going to be very  
10 small presumably. Is it?

11 MR. SEVERSON: Yes.

12 CHAIRMAN WALLIS: What sort of change do  
13 you predict?

14 MR. SEVERSON: Down here at the end, we  
15 will show you. It is about half to 1-1/2 mills,  
16 depending on where you are within the system because  
17 of temperature, and flow rate because of the size of  
18 the geometry.

19 So what I did was that I took the highest  
20 flow area in the feed water, and I took the worst  
21 temperature case in the feed water, and did a  
22 parametric study and showed what the differences were.

23 And this is about a half to one-and-a-  
24 half, where we are seeing about four mill now, and so  
25 we should be seeing about 5-1/2 mill, which with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 piping, we will have about 150 mill margin to code  
2 allowances.

3 CHAIRMAN WALLIS: In a hundred years?

4 MR. SEVERSON: No, at 25, I think, or 30.  
5 Let's go to the next slide. So as I would conclude  
6 that we will monitor what the water rate changes are  
7 with the power uprate, and with the increased  
8 velocity.

9 CHAIRMAN WALLIS: Where does all the water  
10 waste go? Does it actually stays in the solution, and  
11 just deposits somewhere else?

12 MR. SEVERSON: It ends up in the  
13 condensate polishers.

14 CHAIRMAN WALLIS: Does it build up in  
15 other parts of the system?

16 MR. SEVERSON: Yes, you will see it  
17 throughout. And we found direct actual evidence with  
18 our chemistry numbers with iron, and we found actually  
19 a pretty good correlation as to what our wear rates  
20 are compared to the iron is at the end of the feed  
21 water.

22 DR. POWERS: You don't have any regions  
23 where you have corrosion product build up that is  
24 going to strip off, mechanically strip off?

25 CHAIRMAN WALLIS: A piece of scale that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will then wrap around?

2 MR. SEVERSON: I don't believe that we  
3 will have any impingement problems. Is that your  
4 issue?

5 DR. POWERS: I was just thinking of the  
6 Surry incident, where they stripped some oxide off  
7 mechanically because they jacked the flow rates up.

8 MR. SEVERSON: I don't see that. We are  
9 not in those flow rate ranges, and I think that's  
10 where these max numbers are. But we are like going  
11 from 16 to 18 feet per second generally.

12 DR. POWERS: So you are really quite low.

13 MR. SEVERSON: Yes.

14 CHAIRMAN WALLIS: Are we talking about  
15 flow reduced vibration in your analyses, too? I would  
16 think that reduced vibration would affect where, too,  
17 because of the boundary areas change when you  
18 oscillate the things.

19 MR. SEVERSON: Well, I don't think that  
20 this --

21 CHAIRMAN WALLIS: And then the reduced  
22 vibration would affect that.

23 MR. SEVERSON: I don't know if we have  
24 seen that, but I don't know if that phenomena really  
25 exists.

1 MR. ROSEN: When you estimated 25 years of  
2 margin, that was for beyond the 40 year? In other  
3 words, a total of 65 years?

4 MR. SEVERSON: That is from now. That is  
5 about from now with -- well, the differences that I am  
6 seeing in wear rate, I probably would not change my  
7 designs from when I think we should change by about,  
8 and depending if we went another 60 years, or another  
9 10 years, I would probably have about the same  
10 numbers, whether we had a power uprate or not.

11 Because the wear rate right now until when  
12 we do a piping change, or decide to do a piping  
13 change, is not that much of an added effect, compared  
14 to what we have had since the beginning.

15 In actual fact, I think our chemistry  
16 probably in the early days wore us more than what we  
17 are going to wear now with a power uprate.

18 MR. ROSEN: You are saying, I think, that  
19 if Duane Arnold were to get or to come in for a  
20 license renewal that it would do it at the higher  
21 power level which it is now asking for, and not have  
22 to plan a piping replacement. Am I correct?

23 MR. SEVERSON: Not in this area. I don't  
24 believe so in feed water, and in some other areas, we  
25 are probably going to be doing pipe replacements

1        anyway.

2                    But some of the other areas that we were  
3        looking at, like some of the extraction steam lines  
4        are actually going to be improved under a power  
5        uprate, but change them anyway just because of where  
6        we are at.

7                    But overall the majority of the piping  
8        will not be affected by a power uprate, and what we  
9        are going to decide to do, and what we are going to  
10       decide to change out, won't be affected.

11                   I can't answer your question directly  
12       partially this is a continuously monitoring program,  
13       and we have done some pipe replacements, and we will  
14       probably do some more because of varying different  
15       reasons. And some of the reasons that we do pipe  
16       replacements is because we don't want to inspect it  
17       anymore.

18                   We know that if we put in a better piece  
19       of pipe that I can reduce my inspections, and I can  
20       save money that way. But I don't consider that the  
21       EPU will have much effect on the decisions that we  
22       make.

23                   MR. PARK: Good afternoon. My name is  
24       Gary Park, and I am the ISI Program Engineer for the  
25       Duane Arnold Energy Center. I administer all the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 inspections that we do on the reactor vessel, and on  
2 our ASME Section 11 components.

3 The first slide that I would like to talk  
4 a little bit about is about the program that we have  
5 at Duane Arnold. I think we have a pretty aggressive  
6 ISI, IVII, program, and IVII being internal vessel and  
7 internal inspections.

8 If you will notice for the Class One  
9 components -- and I have only counted back to 1985,  
10 but by the year 2005, we would have done 1,875  
11 inspections just on the Class One systems.

12 And so the power uprate as far as the  
13 effect on the structural integrity of these  
14 components, we have already got a pretty good base  
15 line inspections for those.

16 The thing that I need to bring out about  
17 the inspection program is the fact that we find  
18 problems before they actually exist to a failure. We  
19 also utilize in our inspection program the recommended  
20 inspections of the boiling water reactor vessel  
21 internals project.

22 And I hope that everybody on the panel or  
23 on the committee is familiar with that, because I am  
24 sure that you have been addressing different safety  
25 evaluations from that particular group of utilities

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and their recommended inspections.

2 I think one of the materials that we  
3 should address in this presentation is the stainless  
4 steel materials that we have inside the reactor  
5 vessel.

6 Again, we perform the recommended  
7 inspections of the BWRVIP, and we follow all of their  
8 documents, and we have a pretty aggressive program in  
9 doing so.

10 For example, the course route, we have  
11 inspected all the H-1 through H-7 wells twice since  
12 1985, and we have not found any IGSCC, intergranular  
13 stress corrosion cracking, in any of those welds.

14 So that shows that we have a good base  
15 line prior to power uprate in a particular important  
16 component that the industries have been finding  
17 problems with.

18 DR. FORD: And on that particular item, it  
19 is true isn't it that most of the VIP disposition  
20 curves, et cetera, have not been obtained, or are not  
21 based on data rather at relevant flow rates?

22 MR. PARK: The recommendations made from  
23 the VIP is in fact on safety and not based on any  
24 pressures or temperatures. It is just based on if  
25 that component fails, where are the areas that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 should inspect.

2 DR. FORD: But are the frequency of your  
3 inspections based on disposition curves?

4 MR. PARK: I am not quite sure I  
5 understand what you mean.

6 DR. FORD: Well, what are the inspections  
7 based on?

8 MR. PARK: It is based on material and  
9 your --

10 DR. FORD: And if you find a crack?

11 MR. PARK: Then you increase your  
12 frequency, yes.

13 DR. FORD: And the frequency is dependent  
14 on the degradation rate?

15 DR. FORD: Sure. Sure. And crack growth  
16 rate would be one of them, yes.

17 DR. FORD: My point is that most of the  
18 crack growth rates which go into deriving what those  
19 disposition curves are, are being based on data not at  
20 high -- well, do you understand what I am saying?

21 MR. PARK: Well, I understand what you are  
22 saying. I don't know that I know the answer to that.

23 DR. FORD: I guess going back to the very  
24 first slide, "Inspection Programs finds problems prior  
25 to failure."

1 MR. PARK: Right.

2 DR. FORD: And which assumes that you are  
3 inspecting --

4 MR. PARK: At a frequency, that is  
5 correct. That is correct.

6 DR. FORD: And that is the origin of my  
7 words. And it goes on to the next question, and  
8 talking about DAEC performing examination of vessel  
9 internals, and we are particularly interested in  
10 IASCC/IAGSC.

11 It was mentioned earlier that the profile  
12 has changed.

13 MR. PARK: Well, I will defer to Tony on  
14 that, but it is more flattened out, but it has changed  
15 some.

16 DR. FORD: And therefore the pressure at  
17 the core shroud has increased?

18 MR. PARK: Yes.

19 CHAIRMAN WALLIS: Do we know how that will  
20 affect cracking at the core shrouds, and at that prior  
21 flux, and therefore fluence, especially if you are  
22 going to extend -- the fluences are all going to  
23 increase at a higher rate?

24 MR. PARK: Yes, and there is some  
25 threshold and that's when IASCC starts, and I am not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       sure where we are at as far as Duane Arnold. I think  
2       we are approaching that.

3               MR. BROWNING: This is Tony Browning  
4       again. We have already exceeded the VIP threshold for  
5       IASCC in like the top guide area in the upper shroud  
6       area. The other thing you mentioned was the increase  
7       in fluence.

8               One of the things that we noted when we  
9       did the fluence calculation was that the increase to  
10      the shroud area wasn't as dramatic as you were  
11      expecting, and that was because of the partial rods  
12      from the GE-14 design that we were going to. There is  
13      just less neutrons there. It is not as dramatic as  
14      the uprate itself.

15              MR. PARK: And then I think the other  
16      important thing to note is that we have done probably  
17      the highest percentage of any inspection that is done  
18      on these particular welds, and we have not found any  
19      cracking at all.

20              So we have a real good history of water  
21      chemistry, and then as I will address in a later  
22      slide, we have done the mitigation measures to help  
23      support and continue operation of that.

24              In fact, that is a good lead into the next  
25      slide. Duane Arnold has implemented hydrogen water

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 chemistry which protects our recirc piping, which is  
2 stainless steel, and we were the lead plant in the  
3 industry in getting a relief from inspection  
4 frequencies based on the results of our hydrogen water  
5 chemistry.

6 And as we have continued to do  
7 inspections, we continue not to find anything, and so  
8 we believe that HWC is effective in mitigation of  
9 IGSCC in our stainless steel piping, particularly our  
10 recirc piping.

11 And then in 1996, which has already been  
12 mentioned here on the committee, we were the pilot  
13 plant for the Noble Chem, and we have since injected  
14 Noble Chem another time. So we have injected twice,  
15 which does enhance the effectiveness of HWC in  
16 protecting the reactor internals.

17 DR. FORD: Which is of importance in  
18 monitoring, and not just crack monitoring, but  
19 environmental monitoring. Remind me, but at Duane  
20 Arnold do you have corrosion potential monitors in the  
21 core?

22 MR. PARK: We have installed those, and we  
23 do have a caste system that is external that has  
24 reactor fluid in it, reactor water that runs through  
25 it.

1 DR. FORD: The reason for my question is  
2 not quite the answer to the question that I asked. My  
3 concern is that, yes, you have Noble Chem, and yes, it  
4 will stop cracking in the core, but the question now  
5 is that if you increase the flow rate in the core is  
6 there going to be any additional danger by that one  
7 action of increasing the flow with Noble Chem?

8 And that to a certain extent is only going  
9 to be answered if you have corrosion potential  
10 monitors in the core.

11 CHAIRMAN WALLIS: Well, that hasn't  
12 changed, the core flow hasn't changed in the power  
13 uprate. That is only the feed water and the steam  
14 flow that have changed. The core flow stays the same  
15 doesn't it?

16 MR. BROWNING: But back to your earlier  
17 question, and this is Tony Browning again. We do have  
18 in core monitoring. We replaced one of the LPRMs  
19 streams with the ECP monitors at the time.

20 MR. PARK: We have done that in the past,  
21 yes. They don't last very long as everybody knows.

22 MR. BROWNING: Right.

23 MR. PARK: But we have done it in the  
24 past.

25 MR. BROWNING: Yes, to demonstrate the

1 effectiveness of the Noble Chem injection.

2 MR. PARK: Right.

3 MR. BROWNING: And as Gary pointed out, we  
4 have the external cracks verification system, the  
5 outer clave with the pre-crack specimens in it to  
6 monitor the effectiveness of water chemistry.

7 MR. PARK: Before I got to my conclusions,  
8 I think I will turn some time over to Mr. Al Roderick  
9 to answer the stress question that was brought up  
10 earlier if I may, and we have an overhead of that.

11 MR. RODERICK: I am Al Roderick with Duane  
12 Arnold. The question that was raised earlier was  
13 based on a review of a response to a staff's REI in  
14 the area of stress analysis.

15 In looking at the main closure flange from  
16 current to EPU, I believe if you do the math of that,  
17 I think it is about a 12-1/2 percent increase that has  
18 been evaluated. What that is a result of is from GE's  
19 methodology in looking at EPUs, is to not redo a  
20 complete code stress analysis for the vessel.

21 They have in their methodology is the  
22 determination of scaling factors based on changes in  
23 perimeters from the code of record, or the calc of  
24 record, to the EPU conditions. It could be in the  
25 area of pressure, temperature, flow rates,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 particularly with flow rates with impact nozzles.

2 And they determined the stress of the  
3 scaling factors that would be applied. And they don't  
4 do it on an individual component basis. When looking  
5 at the reactor vessel, it is split up into zones if  
6 you go back and look at the original diagrams for  
7 defining operating conditions.

8 And so what they did was to  
9 conservatively apply the maximum scaling factor that  
10 came out of a particular region in the vessel, and as  
11 I pointed out earlier, as you are going back to the  
12 calc of record where the stresses are coming from, and  
13 in radioing up the EPU conditions.

14 So I don't have the specifics of what all  
15 fed into the 12-1/2 percent, but it is based on a  
16 conservative screening methodology for a good  
17 description, because it is a first cut, and it is  
18 applied to the entire stress intensity.

19 It is not usually split out in terms of  
20 pressure thermal mechanical loads, et cetera. The  
21 highest ones apply to the total stress intensity to  
22 get a conservative extrapolation or prediction of the  
23 stress, that is then compared to the code allowables.

24 And because all the code allowables were  
25 met, nothing more detailed or refined was done.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 CHAIRMAN WALLIS: Are you saying that the  
2 reason that there is a 12-1/2 percent difference from  
3 current to power uprate is because a different method  
4 is being used?

5 MR. RODERICK: We are not using a detailed  
6 computer or code calculation. We are using a scaling  
7 --

8 CHAIRMAN WALLIS: So then the 12-1/2  
9 percent is somewhat illusionary?

10 MR. RODERICK: It is based on changes in  
11 parameters, and I don't have all the details.

12 CHAIRMAN WALLIS: I would think the main  
13 closure flange is mostly influenced simply by the  
14 pressure in the vessel isn't it?

15 MR. RODERICK: Well, as I said earlier, it  
16 is not done on a component specific basis. It is done  
17 for the whole region in the vessel. So a scaling  
18 factor of 12-1/2 percent increase may have come from  
19 a different component in that Region A of the vessel,  
20 and is conservatively being applied to the flange to  
21 evaluate those.

22 CHAIRMAN WALLIS: Well, it still doesn't  
23 explain why the numbers come up by 12-1/2 percent when  
24 the pressure has hardly changed at all. There is  
25 still some mystery, which maybe you can clear up with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the staff or something.

2 MR. PARK: Let me try something now.  
3 Instead of doing a full-blown code stress analysis for  
4 a power uprate, GE took the conservative approach to  
5 make sure that all these regions in the vessel would  
6 still meet the code allowable.

7 CHAIRMAN WALLIS: That's okay. So if you  
8 simply look at the EPU versus code allowable, that is  
9 what you are saying.

10 MR. PARK: Right.

11 CHAIRMAN WALLIS: But the problem that I  
12 have is that when I look at the difference between  
13 current and EPU, which should tell me by how much are  
14 you changing things, then that 12-1/2 percent is not  
15 something that I should take seriously?

16 MR. PARK: And you brought up the point  
17 that the pressure is not changing, and so why do we  
18 see a change there, and all it is there is a  
19 conservative --

20 CHAIRMAN WALLIS: It is a different method  
21 of calculation.

22 MR. PARK: It is just a conservative  
23 number being added to see if we still meet code  
24 allowable, as opposed to doing the number crunching on  
25 a full-blown code stress for the component.

1 CHAIRMAN WALLIS: So the comparison  
2 between current and EPU is different because different  
3 methods are being used. They weren't so conservative  
4 before? Is that what I am gathering?

5 MR. PARK: Well, I am sure that the  
6 original design was very conservative.

7 MR. MCGEE: This method was adequate to  
8 demonstrate the margin --

9 CHAIRMAN WALLIS: You are getting close in  
10 terms of the 80,000 and the 77,364. Presumably the  
11 staff asked this question for some reason, and this  
12 was supposed to answer some question was it? The  
13 question was whether or not the stresses were code  
14 allowable was it?

15 MR. PARK: It is just to demonstrate that  
16 we are still meeting code allowable designs.

17 MR. MCGEE: We did have discussions with  
18 the staff and with the particular reviewer on the  
19 method that was utilized.

20 CHAIRMAN WALLIS: Well, maybe when you  
21 come to the full committee that you can have a better  
22 explanation of why the numbers differ by so much from  
23 current to EPU, because it still seems to me that we  
24 are just saying that if somebody used a different  
25 method -- if you use a different method, then why show

1 the comparison, and it is a little foggy what the  
2 comparison is really showing us.

3 MR. RODERICK: The request from the staff  
4 was what did we use to access the acceptability of  
5 stresses in these components, and in the work that had  
6 been done was a conservative scaling up of the current  
7 calculated stresses based on a maximum scaling factor  
8 in the region, and probably in this case came from a  
9 different component.

10 And then compared to the allowable or the  
11 acceptance criteria. So this was the basis for  
12 demonstrating margin and acceptability at EPU  
13 conditions for these components. And the two pieces  
14 that I was able to look at for the closure flange  
15 itself is in the original analysis, and the original  
16 drawings for the pressure term was using a thousand  
17 PSIG.

18 And in doing consideration of this area of  
19 the vessel, we are now looking at a 1,025. So just  
20 looking at that ratio itself would be at 2-1/2 percent  
21 increase. So that obviously is not it.

22 The temperature change is 3 degrees, and  
23 that is just based on a saturation temperature. So  
24 with those two pieces of information, I am very  
25 comfortable that this 12-1/2 percent scaling factor is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 from another component that is still part of this  
2 region of the vessel.

3 CHAIRMAN WALLIS: Well, I don't want to  
4 pursue it anymore. I think when you come back, if you  
5 could identify what that component is, and give us a  
6 clearer explanation of why the numbers are so  
7 different, and the full committee will be satisfied.

8 DR. POWERS: I don't know whether you are  
9 the correct speaker or not, but who should I ask about  
10 the fatigue usage factors?

11 MR. PARK: Fatigue usage factors?

12 DR. POWERS: Right.

13 MR. PARK: Do you have a question?

14 DR. POWERS: Well, in looking at your SAR,  
15 I noticed that your fatigue usage factors usually went  
16 down, and it was kind of surprising. And when I read  
17 the text, it said that they had used a less  
18 conservative method of analysis when they calculated  
19 the fatigue usage factor.

20 And in some cases they produced some  
21 remarkable reductions in the usage factors. For  
22 instance, the hydraulic system return nozzle went from  
23 about .85 down to .57. There is another case where it  
24 went from .97 to .2.

25 And I just wondered what the less

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conservative analysis method was. I mean, what was  
2 entailed. But then I went on and I noticed that your  
3 feed water nozzles were -- that the usage factors  
4 actually went up pretty dramatically.

5 They went from about .85 -- and this is  
6 end of license times, and so .85 up to .968, and it  
7 doesn't surprise me that the usage factor would go up  
8 on the feed water nozzles.

9 But it seems like a big jump, even if you  
10 were using a less conservative analysis method.

11 MR. PARK: So you want us to just address  
12 what that analysis was?

13 DR. POWERS: I just would like to know  
14 what the differences were in the method of analysis.

15 MR. PARK: I was not prepared to do that,  
16 but we certainly can write something up. Do you want  
17 us to bring that back before the full committee?

18 DR. POWERS: You can just tell me one way  
19 or the other, formally or informally.

20 MR. PARK: Okay. As far as my  
21 conclusions, I think we have pretty much addressed  
22 those during our discussion. We follow the  
23 recommendations of the VIP, which I think is an  
24 industry standard that is going to be developed, and  
25 I believe that the VIP has also come out with a

1 recommendation for going out and doing self-  
2 assessments to make sure that we are implementing  
3 those products.

4 We used Noble Chem and HWC, which has been  
5 shown to be an effective mitigation, and that those  
6 effects are going to help in the power uprate. And  
7 then also our vessel internals have been evaluated,  
8 and it is important to note that they still meet the  
9 design criteria with some margin.

10 CHAIRMAN WALLIS: Now, how did you decide  
11 what is sufficient margin? They meet the criteria,  
12 but --

13 MR. PARK: Right.

14 CHAIRMAN WALLIS: And you start getting  
15 into one margin that is sufficient, and that gets  
16 again fuzzy doesn't it?

17 MR. PARK: Well, they meet the criteria.  
18 They are still under what the design margins are, or  
19 the design is.

20 CHAIRMAN WALLIS: But you were very  
21 uncertain about your predictions. You presumed that  
22 they have a bigger margin.

23 MR. PARK: Excuse me?

24 CHAIRMAN WALLIS: If you meet the  
25 criteria, but you are close, and then you say that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are uncertain in our predictions, and we had better  
2 back off, then that would be increasing the margin  
3 because of uncertainty wouldn't it?

4 MR. PARK: Well, there was some  
5 conservatism in developing that criteria, and in  
6 developing what it was.

7 CHAIRMAN WALLIS: So, criteria with  
8 conservatism.

9 MR. PARK: Well, yes, that might be a  
10 better way to put it, yes. Is there any other  
11 questions? Thank you.

12 MR. BROWNING: Quickly. Dr. Powers, we  
13 have the calculation for the hydraulic system return  
14 line, but it is proprietary material. We can show it  
15 to you over the break if you would like to see it.

16 DR. POWERS: That would be fine.

17 MR. BROWNING: Great.

18 MR. HUEBSCH: My name is Steve Huebsch and  
19 I with the Duane Arnold Energy Center, and I am going  
20 to present some information pertaining to the  
21 containment pressure temperature response from the  
22 EPU.

23 Specifically the areas of interest that  
24 were looked as parameters as part of the analysis were  
25 the drywall pressures, the drywall gas temperatures,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the drywall shell metal temperatures, the wet well  
2 pressures, the suppression pool water temperatures,  
3 and the containment loads.

4 These parameters were looked at both in  
5 the short term and in the long term. The analysis  
6 looked for both peaks, as well as the specific results  
7 and comparison between the two.

8 DR. SCHROCK: This containment, it is  
9 BWR4, is the toros containment?

10 MR. HUEBSCH: Yes, it is. It is the Mark-  
11 1.

12 DR. SCHROCK: Thank you.

13 MR. HUEBSCH: One thing that I want to  
14 address and that is probably the most important thing  
15 as far as evaluating the containment structures is  
16 when you look at the analysis and the way the analysis  
17 is done for both the peak drywall pressures and the  
18 temperatures, as well as the  
19 Mark-1 containment analysis for the load stuff, they  
20 start basically with a thermal hydraulic analysis to  
21 develop the loads based on the Mark-1 program, and  
22 testing that was done in accordance with those days.

23 Once those loads are developed, those  
24 loads are put into the structural calculations, and  
25 those structural calculations then are required to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 meet the ASME code requirements for a containment  
2 vessel.

3 And in all of the cases that we looked at,  
4 we were able to maintain the ASME code allowables as  
5 defined by the original design requirements. The  
6 methodologies that were used for the analysis

7 CHAIRMAN WALLIS: Are you going to talk  
8 about this 5 percent hydrogen limit? Is that part of  
9 your discussion or somebody else's?

10 DR. POWERS: I don't know what limit you  
11 are talking about?

12 CHAIRMAN WALLIS: Well, I was trying to  
13 understand the SAR, the draft SAR, and there is a lot  
14 of stuff about combustible gas control and 5 percent  
15 hydrogen, and it seems to be pretty obscure.

16 MR. HUEBSCH: That is not directly  
17 associated with this presentation, but we can discuss  
18 it. I guess

19 DR. KRESS: That is a corrosion production  
20 of hydrogen at 5 percent. It generally is not  
21 important generally.

22 CHAIRMAN WALLIS: It is not important?

23 MR. HUEBSCH: It is dealing with post-  
24 accident flammability issues with hydrogen-oxygen  
25 generation, post-LOCA.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Their past system was supposed  
2 to be designed to deal with that kind of levels.

3 CHAIRMAN WALLIS: That's right, and  
4 monitoring --

5 DR. KRESS: Yes.

6 MR. HUEBSCH: Monitoring, and then dealing  
7 with it such that we don't end up with a flammability  
8 situation post-accident.

9 CHAIRMAN WALLIS: Well, maybe we can just  
10 ask the staff to explain that one then if you don't  
11 want to.

12 DR. POWERS: We will meet with the staff  
13 tomorrow on that. You are not responsible for the  
14 SAR.

15 MR. MCGEE: We can discuss that, but --

16 DR. POWERS: Well, we can have the staff  
17 do that tomorrow.

18 MR. MCGEE: Well, I would be more than  
19 happy and if you want to wait until this is done, then  
20 I can answer any direct questions.

21 MR. HUEBSCH: The analysis methods that  
22 were used to do the containment analysis, in the short  
23 term cases, to come up with the peak drywall  
24 pressures, and to determine a short term temperature  
25 in both gas, as well as suppressible temperatures, was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the M3CPT model that GE has.

2 This is the model that was used in the  
3 Mark-1 containment analysis. It was approved for use  
4 at that point for the short term analyses. In the  
5 long term event, which is looking at heat up based on  
6 decay heat changes and things of that nature after 8  
7 hours, 10 hours, out.

8 CHAIRMAN WALLIS: Why would you expect a  
9 difference with the power uprate? Is it because of  
10 the heat stored in the metal and the fuel?

11 MR. HUEBSCH: For which case, the short  
12 term?

13 CHAIRMAN WALLIS: Is it a difference heat  
14 source; is that what it is? Why is there a difference  
15 in the power uprate?

16 MR. HUEBSCH: In the short term, you see  
17 certain things, and in the case of the Duane Arnold,  
18 we see a little more sub-cooling. So when you have  
19 the break, you have more mass transferred to the  
20 containment structure.

21 You see some changes in the pressure and  
22 in the longer term, you have a higher decay heat, and  
23 you transfer that heat. So you will see some changes  
24 in this analysis, and the changes were in accordance  
25 with what was expected because of those specific

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 attributes to the power uprate.

2 The long term model that was used in  
3 accordance with the ELTR is called SHEX, and that was  
4 done to do not only the DBA-LOCA cases, but the other  
5 longer term analysis -- station blackout, the MPSH  
6 analysis for ECCS, and other methods.

7 And the SHEX model has been approved only  
8 a case by case basis. It is not generically approved  
9 like the M3CPT model was, but it is in accordance with  
10 the ELTR.

11 The loads, the specific loads on the  
12 containment structure, the Mark-1 containment loads  
13 were done in accordance with the Mark-1 program. The  
14 new loads as developed by, or as looked at, were  
15 compared back to the original test data, and the  
16 original program to determine whether or not it was  
17 previously bounded by the cases that were analyzed for  
18 the initial program.

19 The methodologies used were bounding  
20 correlations, and the models are conservative by  
21 nature, and they are benchmarked back to the original  
22 analyses, and they are qualified against the test data  
23 that was done for the Mark-1 stuff.

24 One specific issue that is important is  
25 the increase in the containment peak pressure, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this inputs into our local leak rate testing and  
2 various other things that we do to maintain  
3 containment integrity.

4 DR. SCHROCK: This is on a scaled test  
5 data and is the range of the parameters that are  
6 changed by the power uprate, and is that covered by  
7 that testing range that exists?

8 MR. HUEBSCH: Yes. The way the original  
9 testing was set up, it was based on things like pool  
10 swell and various things, and loads from the SRVs, and  
11 the blow down model through the vents.

12 These were analyzed numbers, and then they  
13 were -- and then the specifics of Duane Arnold were  
14 compared to those values that were tested in the low  
15 definition report developed by GE, and then other  
16 analysis.

17 And, Dan, I don't know if you wanted to  
18 add anything to that or not.

19 MR. PAPPONE: This is Dan Pappone with GE.  
20 There are two basic test approaches. One was a  
21 generic bounding test configuration that was developed  
22 to bound all Mark-1 containments.

23 So they ran the one test for all  
24 containments, and what we are doing in the individual  
25 plant applications is that we are comparing either the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 original analysis or in this case the power uprate  
2 analysis, to confirm that we are still within that  
3 original test basis.

4 There are some tests that are done on m  
5 more of a plant unique basis, where the test facility  
6 itself may be -- you know, the geometry there is  
7 fairly fixed, but some of the parameters, the initial  
8 parameters, were set up to bound a specific plant.

9 And there again we are looking at the  
10 power uprate conditions to confirm that we are still  
11 within or bounded by the actual test.

12 DR. SCHROCK: And I guess that was the way  
13 that I was thinking of it. Ordinarily, you would want  
14 your tests to cover the range of parameters to which  
15 it is going to be applied.

16 And here you are extending that range of  
17 parameters in a power uprate program.

18 MR. PAPPONE: Right, but we are going back  
19 and confirming that once we have extended the plant  
20 specific values to the power uprate conditions, we are  
21 still within the original bounds of the test, those  
22 parameters.

23 DR. SCHROCK: Okay. Thank you.

24 MR. HUEBSCH: In this case, it shows that  
25 basically the peak containment pressure analyzed has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 gone up 3 pounds.

2 DR. KRESS: Do you have to do that also  
3 for ATWS events?

4 MR. PAPPONE: Did we run these cases for  
5 the ATWS events?

6 DR. KRESS: Yes.

7 MR. PAPPONE: There was a pressure  
8 temperature analysis that was done.

9 DR. KRESS: Was it less than this?

10 MR. PAPPONE: Yes. The 45.7 psi occurs  
11 very quickly in the DBA LOCA event, and it is the peak  
12 pressure that is identified as analyzed per the whole  
13 series of accidents.

14 DR. KRESS: For the whole series of  
15 accidents. Okay.

16 MR. HUEBSCH: One of the issues that the  
17 long term SHEX model gets involved in is the use of  
18 containment pressure for an ECCS pump performance. At  
19 the Duane Arnold Energy Center, the plant was  
20 originally licensed with the use of containment  
21 overpressure for the core base systems specifically.

22 And in the original RHR core spray pump  
23 specifications, and in the containment specifications,  
24 there is actually criteria for how to analyze for the  
25 containment pressure models.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We have stayed within the original license  
2 bases, and the design bases for the containment  
3 analysis that we did today as part of the EPU.

4           The specific analysis, because when we got  
5 involved with the ECCS strainer issues, there were  
6 some aspects of the PRA that looked at what happens if  
7 you lose your injection capability, as well as lose  
8 your containment.

9           So those aspects have been looked at for  
10 insights, as far as the use of containment pressure,  
11 and what would happen if you lost it. The other thing  
12 is that when we ran the containment overpressure  
13 analysis that we were consistent with both the branch  
14 technical position that was written for this is how  
15 you should analyze to mitigate -- to minimize your  
16 pressure and maximize your pool temperatures.

17           As well as the original specifications for  
18 the plant. So we applied those aspects when we ran  
19 the cases, and the analysis also includes things like  
20 containment leakage, and it factors those in so that  
21 you are decaying off your containment pressure as the  
22 event goes on.

23           What you see here is the results of the  
24 analysis and where after the MPSH calculations were  
25 calculated what are the reliance on containment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pressure is.

2 And there were two specific issues or  
3 points that were significant. One was at the 10  
4 minute mark, because prior to 10 minutes the pumps  
5 were at run out conditions.

6 And at the 10 minute mark the operators  
7 restrict the pumps to rated conditions. Although  
8 there is pressure available in accordance with the  
9 analysis, we have no reliance on containment pressure  
10 in the first 10 minutes of the event.

11 But what we have found at Duane Arnold is  
12 that the reliance on pressure -- and this is in  
13 accordance with the original license -- occurs at peak  
14 pool temperatures.

15 And the black is the available, and the  
16 others required for original license, we require 3.1  
17 psi for over pressure. And we will be looking at 5.3  
18 psi and EPU conditions --

19 CHAIRMAN WALLIS: That's because the water  
20 is hotter in the pool?

21 MR. HUEBSCH: Correct. The water  
22 temperature has gone up, and I believe where we were  
23 analyzed after completion of the ECCS strainer  
24 installations was roughly 202 or 203 degrees  
25 fahrenheit peak pool temperatures, and we are looking

1 at 209.2 degrees now.

2 And so a seven degree increase because of  
3 EPU for this specific analysis. One thing at Duane  
4 Arnold specifically is that the pressure is used for  
5 core spray, and you run into a temperature issue.

6 Core spray requires over pressure roughly  
7 at 180 degrees. So anytime the pool temperature  
8 reaches 180 degrees or above there is some reliance on  
9 over pressure with the current analyses assumptions,  
10 which are very conservative.

11 For the RHR system, the way we are  
12 configured is that after the events of the LOCA and  
13 divisional failure, you are down to one RHR pump. We  
14 don't require containment over pressure for that one  
15 RHR pump.

16 If you had two RHR pumps running, there is  
17 a requirement, but that's not our design basis, but we  
18 have analyzed all those cases. In the continual load  
19 section, Dan talked about that a little bit.

20 The specific loads that were evaluated for  
21 EPU were in line with the original Mark-1 pool swell,  
22 vent thrust, condensation oscillation, considerations  
23 of chugging, and SRV discharge, both the first pop, as  
24 well as the second pop, and the impacts of low, low  
25 set.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 And whether there were any changes between  
2 our current configuration and EPU. The only one of  
3 these that had any impacts on the original loads that  
4 were analyzed were the vent thrust section, because we  
5 are seeing a higher dry wall pressurization rate.

6 And so you have a larger load on the vent  
7 system as the blow down model comes through the vents.  
8 The loads were increased roughly by five percent. It  
9 was a scaling or a linear evaluation rather than a  
10 detailed evaluation as was done in the Mark-1.

11 CHAIRMAN WALLIS: This is just a momentum  
12 of the fluid coming out of the pipe; is that what it  
13 is?

14 MR. HUEBSCH: I believe so. Dan, is that  
15 correct?

16 MR. PAPPONE: This is Dan Pappone. The  
17 basic vent thrust loads are from the momentum of the  
18 flow through there, with the power uprate looking at  
19 a little bit higher -- well, it is a trade off between  
20 a little higher initial break flow due to the  
21 subcooling, and a little bit lower energy coming out  
22 of the flow.

23 So every pound coming out is a little bit  
24 lower because of the higher subcooling, but we are  
25 getting -- the flow is coming out a little faster.

1 The next effect of that is a little higher  
2 pressurization rate in the dry well, and that shows up  
3 in the flow through the vents and the thrust loads.

4 And we run that through the Mark-1  
5 calculational methods to come up with that 5 percent  
6 increase in the load definition.

7 MR. HUEBSCH: And those values were then  
8 compared to the structural allowables, and we are  
9 still within the allowables for the program. So it  
10 still meets the requirements of the ASME code, and all  
11 the margins are maintained.

12 Let's go to the conclusions then. One  
13 other area where one of the limits were challenged is  
14 in the station blackout event, at about roughly 3.7  
15 hours into it the temperatures exceed the 281 degree  
16 containment design temperature.

17 And what was done in that case was the  
18 pressure and temperature requirements were looked at  
19 in comparison to the design requirements. Our  
20 containment design is 56 pounds at 281 degrees  
21 fahrenheit.

22 In the case of the station blackout event,  
23 it reached 283 -- well, just short of 284 degrees at  
24 the four hour point basically, 3.7 hours out, with 8.7  
25 psi.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   So because you are at such a low pressure  
2                   and the temperature is only there for a short period  
3                   of time before the four hour coping period is over, it  
4                   was analyzed as being acceptable.

5                   As we said earlier, the vent thrust loads,  
6                   and the dry wall temperature as I just said, and the  
7                   station blackout, were the only two events that  
8                   challenged the thermal hydraulic analysis that had  
9                   previously been done for the plant. So everything  
10                  else was bounded.

11                  And the structural analysis of all the  
12                  events, including those two, after the loads were  
13                  changed or evaluated for the higher considerations,  
14                  were still within ASME code. So there were no  
15                  challenges to the DAEC containment.

16                  MR. KNECHT: I am Don Knecht from GE, and  
17                  I am here to talk about the separators and dryers, and  
18                  really a specific aspect of it. As you see here on  
19                  the outline, the basic things that we are going to be  
20                  focusing here on are the loads, and the separators,  
21                  and the dryers, and some of the dryer experience that  
22                  we have been having.

23                  There was an RAI asked by the NRC dealing  
24                  with the flow induced vibrations, and that's really  
25                  the emphasis here. There are some other aspects, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I am not going to address those now.

2 First off, a little bit on the impact of  
3 EPU. Obviously there is a steam flow increase, and  
4 both the steam flow increase coming out of the core  
5 affects the separators and turns the excitation forces  
6 which are transmitted to the shroud.

7 The dryer sees the increase flow pretty  
8 with regards to the power increase, and along with  
9 this is an increased pressure drop across the dryer.  
10 The other issues that I am not going to deal with here  
11 are the moisture content issues and the effect of the  
12 carry under change that goes on with the dryer  
13 performance, to just to try to contain the discussion  
14 a little bit.

15 Now, on the separator, the excitation  
16 forces that are going on are primarily from the flow  
17 increase, and also the swirling action in the  
18 separator as it is going out.

19 Those are increased, but Duane Arnold, not  
20 coincidentally, but Duane Arnold was the prototype  
21 unit for the BWR4 in terms of the stresses on the  
22 separator, and were instrumented at the time of start  
23 up.

24 And they found that the stresses at that  
25 time were only about 15 percent of the allowables.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 With the EPU scaling it up for the increased flow and  
2 what not, it shouldn't be more than about 20 percent  
3 of allowables.

4 So as far as the separator is concerned,  
5 there really is no concern, and there is quite a bit  
6 of margin preserved for that. So I don't really see  
7 any issues with the separators themselves.

8 Now, on the dryers, the dryers are  
9 designed -- first off, they are a non-safety related  
10 component. It's main function is to keep the moisture  
11 content of the steam below a certain goal.

12 From a safety standpoint, we don't want  
13 any failure that a dryer such that there would be a  
14 lose part that could go and impact, let's say, an MSID  
15 closure or some other consequence.

16 So the dryer is designed for the main  
17 steam line break event and it has sufficient margin as  
18 it was originally designed to show that a main steam  
19 line break would not result in any adverse  
20 consequence.

21 Now, with the EPU, that event does not  
22 change because we are at constant pressure, and the  
23 main steam line break is a choke flow type of  
24 consequence. So there really is no impact on the  
25 loads on the dryer due to that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So the structural integrity of it should  
2           be maintained. Now, the question in the RAI dealt  
3           with flow induced vibration, and because it is a non-  
4           safety component, it is not something that is analyzed  
5           with codes and what not.

6           Instead, it is more of a qualitative  
7           evaluation that is done, and because of the flow  
8           increases the load should increase by about 31 percent  
9           was the estimate.

10           CHAIRMAN WALLIS: This is based on a --

11           MR. KNECHT: Yes.

12           CHAIRMAN WALLIS: Now, is that really the  
13           whole story? I mean, don't you get vibration due to  
14           resonances and things which are not just proportional  
15           to momentum?

16           MR. KNECHT: This is really dealing with  
17           the amplitude of the flow induced vibrations. The  
18           frequency stays the same, because they are based on  
19           the natural frequency.

20           CHAIRMAN WALLIS: Unless you have some  
21           sort of resonance between some wall shedding or  
22           something and the mechanical behavior. You are way  
23           away from that and maybe you are right.

24           MR. KNECHT: That is not the concern.  
25           What we have done traditionally on the dryer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 performance, or not so much the performance, but the  
2 flow induced vibrations, is that we have looked at  
3 this on a fleet wide basis.

4 As it turns out, Duane Arnold has not had  
5 any particular problems with their dryers, in terms of  
6 this, but there have been cracks that have gone on in  
7 the dryer drains and some other components.

8 And so it has been looked at for several  
9 years, and we have a database going back into the mid-  
10 1980s tracking various dryer cracks that have been  
11 found.

12 So those have been used in a way that  
13 tries to identify areas that we think should be looked  
14 at. The VIP program talks about since the dryer is  
15 going to be removed during outages anyway that a  
16 visual inspection should be done on the dryers, and  
17 that is what has been done in pretty much all plants,  
18 but at Duane Arnold at any rate.

19 We use the fleet experience to try to  
20 guide those inspections as to what ought to be  
21 inspected, but the cracks that have been seen have  
22 been pretty odd, and they have not been so much of a  
23 problem.

24 So the areas where we have seen some of  
25 the more dramatic cracks have been in the drain

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 channels, where we have seen some fairly significant  
2 cracks. But none of these cracks have led to any  
3 concern with the integrity of the components.

4 And so we use this program as sort of an  
5 operational way of evaluating the integrity of the  
6 components.

7 The other main point here is -- and  
8 getting on to the next slide, is that once these  
9 cracks are identified, they are readily repairable  
10 because the dryer is available in the pool, and they  
11 are generally repaired, unless they are so small that  
12 another cycle or so would not lead to any real  
13 concern.

14 The experience that we have had so far is  
15 that there have been two types of cracking. The IGSCC  
16 cracking has been a little bit more than half the  
17 cracks that have been observed. But those are not  
18 really impacted by EPU.

19 The chemical environment in the steam has  
20 not really been changed by EPU, per se. It is mostly  
21 just a steam environment. So we don't see any impact  
22 of EPU on IGSCC.

23 Now, the high cycle fatigue is the other  
24 area, and clearly there is an impact there. But again  
25 we have seen no cracking at Duane Arnold, and many

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plants have seen cracking, and they have been all  
2 repaired.

3 MR. ROSEN: Do you have a visual of this  
4 dryer where you can show us where the cracking has  
5 been observed?

6 MR. KNECHT: Over there I do.

7 (Brief Pause.)

8 MR. KNECHT: This is the general area.  
9 This is a brief diagram here of the dryer, and this is  
10 the top of the separators here coming up, and there is  
11 just a little bit of a gap here between the top of the  
12 separators, and these are the typical dryer drains  
13 where the steam will come up through these channels  
14 here, and through the dryer assembly, and then out.

15 Now, the moisture that comes off of the  
16 dryer collects down here in these troth areas here,  
17 and that leads into -- well, these are the bottom  
18 drains that lead into a troth, and then these are the  
19 drains that go down here and into the separator area,  
20 and combine with the separated moisture that is  
21 removed and then back.

22 But what doesn't really show on this  
23 diagram is that the cracks that have been seen are in  
24 some of the drain channels that lead from here out and  
25 down.

1 And subject to the vibrations that get  
2 generated here in the dryer drains, and so it is  
3 transmitted back down through that structure.

4 MR. ROSEN: You called them channels. But  
5 are they open at the top or are they pipes that are  
6 closed?

7 MR. KNECHT: The troth is open down in  
8 this general area, and then those troths drain into  
9 some pipes.

10 CHAIRMAN WALLIS: Well, the things that  
11 shake are the louvers aren't they? Whatever they are,  
12 the things that have the initial impact on --

13 MR. KNECHT: The drains here?

14 CHAIRMAN WALLIS: Yes. And those are the  
15 things that shake?

16 MR. KNECHT: Yes.

17 MR. ROSEN: So I am still trying to figure  
18 out what cracks.

19 MR. KNECHT: The drain channels -- and  
20 unfortunately they don't show this, but if you go in  
21 3-dimensionally, there is some --

22 CHAIRMAN WALLIS: Well, it is a funny  
23 place to crack if the drains are shaking.

24 MR. KNECHT: That is the forcing drain.

25 CHAIRMAN WALLIS: It is transmitted down?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. FORD: Are those welded to conform  
2 down there?

3 MR. KNECHT: There are some welds, yes.

4 DR. FORD: And the cracking, presumably  
5 the stress is associated with those probably?

6 MR. KNECHT: It could be contributing.

7 CHAIRMAN WALLIS: And so because the pipe  
8 is further, it is the rigidity of the whole structure?  
9 The pipe is helping to retain --

10 MR. KNECHT: There are probably some  
11 stresses there. Because they are easily repaired, I  
12 don't think we go into a lot of analysis as to --

13 MR. ROSEN: Well, you are worrying about  
14 the wrong end of the problem. I mean, I grant that  
15 they are easy to repair, but what I am concerned about  
16 is one of those parts carrying away during operation,  
17 and what would happen then.

18 But I can't get a good feel for what would  
19 carry away since I don't have a picture of it. Can  
20 you help me with that question? What if the crack  
21 proceeded to where it severed the component?

22 CHAIRMAN WALLIS: It would just leak  
23 wouldn't it? I mean, it's whole --

24 MR. ROSEN: I don't care about leakage.

25 MR. KNECHT: If a part is completely

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 carried away -- well, first off, we have never seen an  
2 experience where we saw that it was completely covered  
3 away.

4 If it did, it would become some kind of a  
5 lost part, but I don't think it would go -- this is  
6 down below the dryer assembly, and it would probably  
7 find its way into this area someplace.

8 Now, there would be an increase in  
9 moisture coming out of the dryer, because you would be  
10 bypassing things and we are not concerned about that.  
11 So it has not really been a concern.

12 MR. ROSEN: Where would a plate of steel  
13 or an elbow of pipe that came lose there go? Where  
14 could it go?

15 MR. KNECHT: I suppose that it could find  
16 its way up here, and block part of the drain here.

17 MR. ROSEN: There is no way that it could  
18 get down below the separators?

19 MR. KNECHT: No, because steam is going  
20 up.

21 MR. ROSEN: Yes, but not all the time.  
22 When you shut down --

23 MR. KNECHT: It could go back through.

24 MR. ROSEN: Go with me for a minute on  
25 this. You have got a crack, and the crack proceeds to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where the part fails. It is a piece of steel now,  
2 regular shaped.

3 Now for some reason in their wisdom, the  
4 operators decide to shut the plant down, and now there  
5 is very little steam. Where does the part go?  
6 You said don't worry about it, there is lots of steam.  
7 Well, not all the time.

8 MR. KNECHT: Wouldn't it just lay down on  
9 top of --

10 CHAIRMAN WALLIS: The pipe is held at the  
11 other end if it cracks off at the place you indicated,  
12 and it is just held at the other end, and the forcing  
13 function has gone away because it is broken off.

14 MR. KNECHT: Well, it might come down  
15 between the separators.

16 CHAIRMAN WALLIS: What if it doesn't come  
17 down at all?

18 MR. ROSEN: Well, it has broken loose.

19 CHAIRMAN WALLIS: No, it is only broken on  
20 one end.

21 MR. KNECHT: Well, it would wind up  
22 somewhere in that region, and probably lay on top of  
23 the separators.

24 DR. KRESS: I don't think I would put this  
25 one in my PRA.

1 DR. FORD: I think the argument is going  
2 to as far as that particular mode of degradation is  
3 concerned, it is not going to change.

4 MR. ROSEN: It is not an EPU specific  
5 problem. All I am trying to get someone to say is  
6 that it won't get down and damage the fuel, and hit  
7 the fuel or the controller out drive, or something  
8 like that.

9 Can you say that, that it can't get below  
10 the separators and get down to the fuel? Can you say  
11 that?

12 DR. KRESS: If you have ever seen those  
13 separators, it would have to be a mighty small piece  
14 to get down there.

15 MR. KOTTENSTETTE: How big a part are you  
16 saying has broken off? Is it something that size or  
17 a piece of something this long?

18 DR. SCHROCK: Well, your experience with  
19 the crack should tell you something about what a  
20 potential piece may be, and what it's size and origin  
21 might be.

22 MR. MCGEE: But if it resulted in a piece  
23 being broken off on one end and taking away the  
24 stress.

25 MR. ROSEN: You have a lot of experience

1 with cracking of these things to know that they don't  
2 result in pieces, but I don't have that similar  
3 experience. And cracking can be a funny thing, and  
4 you could end up with a crack that proceeds in a way  
5 that a piece comes loose in my world.

6 Now, I am only asking whether that piece  
7 could go down and cause some real damage in the fuel  
8 or in the control rod drives.

9 DR. KRESS: It is about the size of a  
10 quarter. It wouldn't hurt the control rod drive.

11 MR. PAPPONE: This is Dan Pappone. The  
12 region that we are talking about is outside of the  
13 shroud, and the fuel in the control rods are inside  
14 the shrouds. So we have got an area there --

15 DR. KRESS: Yes, it would never bother the  
16 control rods.

17 MR. KNECHT: If it went outside the shroud  
18 region, it would drop to the bottom, and where the  
19 recirc pump suction is. So unless it is just the  
20 right size part, and just with the right dimensions  
21 and weight, and all these improbabilities, it is not  
22 going to cause any problem.

23 I mean, the one thing about the drain  
24 channel cracks is that those have been several inches  
25 long. They are not little flakes of something.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   So if something were to break loose, and  
2                   it is hard to imagine that when all that stress is  
3                   relieved, it is going to be a large part. There has  
4                   been no evidence that any part has ever come loose.

5                   CHAIRMAN WALLIS: And all of this is  
6                   because of the drains are shaking up above?

7                   MR. KNECHT: Well, that and probably --

8                   DR. KRESS: It is probably residual  
9                   stresses like he said.

10                  CHAIRMAN WALLIS: Well, the velocity  
11                  through the drains is pretty low isn't it?

12                  MR. KNECHT: I'm sorry?

13                  CHAIRMAN WALLIS: Gravity drain or  
14                  something?

15                  DR. KRESS: Oh, yes. There is hardly any  
16                  velocity at all.

17                  CHAIRMAN WALLIS: And so there is nothing  
18                  there that is going to happen. It is the drains that  
19                  are shaking.

20                  MR. KNECHT: And that is creating the high  
21                  cycle --

22                  CHAIRMAN WALLIS: And are these drains  
23                  being tested? Have they been tested at higher  
24                  velocities in a testing facility? Is there a separate  
25                  effects test? You take each separator and test it?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KNECHT: Not so much from a flow  
2 induced vibration standpoint, but from a performance  
3 standpoint, we have done extensive testing on the  
4 dryers and separators.

5 CHAIRMAN WALLIS: So if there were any  
6 kind of residences or anything --

7 MR. KNECHT: Well, we are well within the  
8 range of experience.

9 CHAIRMAN WALLIS: And you have run them in  
10 a separate effects test at these flow rates?

11 MR. KNECHT: Yes, with the uprated flow  
12 rates, we have data that supports that.

13 CHAIRMAN WALLIS: Yes, you have.

14 MR. KNECHT: Now, I guess one other point  
15 to make here is that we have had at least three plants  
16 that have operated at an extended power uprate for  
17 several years now, and at least two of them.

18 And we have had some KKM that have  
19 operated up to not quite the 120 level, but they have  
20 been operating much higher than their original design.  
21 And they have shown virtually no evidence that there  
22 is increased cracking because of the uprate.

23 DR. KRESS: Is their power level  
24 comparable to --

25 MR. KNECHT: It is slightly higher than

1 Duane Arnold. Duane Arnold is one of the smaller  
2 units.

3 CHAIRMAN WALLIS: And do they use the same  
4 kind of separators?

5 MR. KNECHT: No. Hatch and KKM are very  
6 similar, and KKL is slightly different. And by way of  
7 conclusion, and I think we have gone through most of  
8 this already --

9 CHAIRMAN WALLIS: The percentage figures  
10 that you are giving there on the Hatch, and KKL, and  
11 KKM, what are those again?

12 MR. KNECHT: Those are power updates above  
13 the original power level.

14 CHAIRMAN WALLIS: So they are the new  
15 power updates compared to the old power?

16 MR. KNECHT: The current uprating power  
17 versus the original power.

18 DR. SCHROCK: I guess you said these three  
19 are not the same as each other, but it wasn't clear  
20 that you meant the comparison to Duane Arnold.

21 MR. KNECHT: Well, Hatch and KKM are both  
22 BWR4 units, and have pretty much the same dryer.

23 DR. SCHROCK: The same dryer? Okay.

24 MR. KNECHT: KKLs and BWR6s have slightly  
25 different dryers.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. SCHROCK: I thought because they were  
2 foreign that they might have a difference other than  
3 that.

4 MR. KNECHT: No, other foreign plants have  
5 different dryers, but these are similar to Duane  
6 Arnold. Again, the dryer really has an operational  
7 function, and for testing it and repairing the cracks,  
8 and that sort of thing, is really an investment  
9 protection issue.

10 There is no loss of margin with the  
11 structural integrity basis of the dryer, because the  
12 main steam line break does not change. And we think  
13 we know where to look for flow induced vibration  
14 cracks based on the experience.

15 Again, Duane Arnold has not seen any, but  
16 we know pretty much where to look. They are visually  
17 inspected at every outage, and so there is kind of a  
18 confirmation there that can be managed. And they are  
19 also repairable.

20 So we don't see a safety concern with  
21 these dryers, and the integrity of them and the  
22 performance of them is managed by the utilities.

23 CHAIRMAN WALLIS: And the visual  
24 inspection, this is with some sort of video device?

25 MR. KNECHT: It can be. Once it is in the

1 dryer pool, there is usually a camera that is used to  
2 inspect them. But there is no hard requirement on how  
3 that is done. I think that is up to the utilities.  
4 Any more questions?

5 DR. POWERS: I noticed in your SAR that  
6 you discuss increases in the vibration levels for your  
7 recirc drives, and that you looked at those by  
8 extrapolating some results from start up testing. Can  
9 you explain more about that to get to the kinds of  
10 recirc close that you are going to have at the power  
11 uprate for that test data that are applicable?

12 MR. KNECHT: Well, the flow rate in the  
13 recirc system increases just slightly to overcome the  
14 pressure drop.

15 DR. POWERS: I see.

16 MR. KNECHT: It is not a very large  
17 increase.

18 DR. POWERS: Okay. I was thinking it was  
19 proportional.

20 MR. KNECHT: It is about a one percent  
21 change.

22 DR. POWERS: That explains it.

23 MR. BROWNING: This is Tony Browning again  
24 from Duane Arnold, and the next presentation that I am  
25 going to co-give with Dan Pappone from GE is on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ECCS analysis that was done for the extended power  
2 uprate.

3 Dan is going to get up and talk about the  
4 methodology side of how the analysis was performed,  
5 and then I will get up and talk about the plant  
6 specific results, and the conclusions.

7 Again, we are trying to demonstrate that  
8 we have got adequate operational and safety margins  
9 from the LOCA perspective at the extended power uprate  
10 conditions.

11 MR. PAPPONE: Okay. The methodology that  
12 we are using is the SAFER/GESTR methodology, and it is  
13 kind of an intermediate methodology, where we are  
14 taking advantage of the technology development, and  
15 basing the primary analysis on realistic, a fairly  
16 realistic basis, using nominal models and inputs.

17 But at the time that the methodology was  
18 approved, we still had to live within the original  
19 50.46 in Appendix K requirements. So we do calculate  
20 a licensing basis PCT that uses the required Appendix  
21 K models, and that is the PCT that is used to compare  
22 against the 2200 degree acceptance criteria in 50.46.

23 We also, because we are doing a nominal  
24 realistic analysis, we also do an upper bound PCT  
25 calculation to demonstrate that this licensing basis

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PCT that we calculate is sufficient --

2 DR. KRESS: What do you mean by upper  
3 bounds?

4 MR. PAPPONE: Well, we essentially work  
5 through to what we expect would be a true plant PCT  
6 given the modeling uncertainties, and the  
7 conservatisms that are in the SAFER code would account  
8 for those.

9 We account for the test uncertainties, and  
10 then there is a set of significant input parameters  
11 that would vary at a two sigma level to come up with  
12 an upper bound level, and so we are doing an  
13 uncertainty analysis.

14 DR. KRESS: So a two sigma level rather  
15 than an upper bound? It is a continuous distribution.  
16 You are picking out the two key parameters that  
17 determine it and see what you get.

18 MR. PAPPONE: Right.

19 CHAIRMAN WALLIS: How much does a two  
20 sigma above mean?

21 MR. PAPPONE: By the time that we factor  
22 in all of the uncertainties and the two sigma part, we  
23 are usually looking at something like 300 to 400  
24 degrees above the normal temperature.

25 And then also we do have a restriction

1 that was placed on the methodology itself in the SAR  
2 that approved the methodology, and we have a  
3 restriction on that upper bound PCT. We are not  
4 allowed to let that go higher than 1600 degrees.

5 DR. KRESS: Well, that is actually built  
6 into your --

7 MR. PAPPONE: That was a condition on the  
8 SAR that approved the methodology.

9 DR. KRESS: How did they arrived at that  
10 limit?

11 MR. PAPPONE: Two pieces; one is the test  
12 data that was submitted at the time, the actual bundle  
13 heat up test data. Those tests only went up to 1600  
14 degrees because they stopped the test at that point to  
15 protect the test bundle.

16 And the other part is that the upper bound  
17 PCT evaluations that are in the generic LTR, licensing  
18 topical report, were in the 1600 to 1700 degree range.

19 CHAIRMAN WALLIS: So you might argue that  
20 on the 600 degree margin to maybe 200?

21 MR. PAPPONE: Well, I don't want to push  
22 that. That is a nice thing to have, but we are also  
23 looking at relaxing this and bringing it before the  
24 staff.

25 DR. SCHROCK: I have a question concerning

1 the decay heat evaluation in this method. My  
2 recollection of the SAFER/GESTR methodology was that  
3 you had used the 1979 ANS standard, with a lot of  
4 evaluations for different fuel conditions, different  
5 points in life and so forth.

6 But you say then that in the end that you  
7 were required to do an Appendix K evaluation, and so  
8 that would mean that you would have to use the decay  
9 power specification there, which was the older draft  
10 ANS standard, 1971-1973.

11 MR. PAPPONE: That's right.

12 DR. SCHROCK: In the SAR, it takes about  
13 the may-witt (phonetic) approach, and that is  
14 confusing to me. I mean, what I just described is  
15 either a best estimate approach, which is the '79  
16 standard, or the conservative approach which is in  
17 Appendix K, which is the '73 standard, draft standard.  
18 So how does may-witt (phonetic) get into this at all?

19 MR. PAPPONE: May-witt is used in the  
20 containment LOCA analyses, and was originally used in  
21 the containment LOCA analysis. It was never used in  
22 the ECCS performance for the clad heat up.

23 DR. SCHROCK: Yes, you're right. That's  
24 where it is here. So you are using a different --

25 MR. PAPPONE: What we were using was --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 well, the nominal calculation and the upper bound  
2 calculation is the '79 ANS 5.1 standard with that  
3 uncertainty.

4 And then the licensing calculation, that's  
5 where we pick up the '71-'73 ANS 5.1 standard.

6 DR. SCHROCK: And this May-witt is not in  
7 LOCA?

8 MR. PAPPONE: That is not in the ECCS  
9 LOCA.

10 DR. SCHROCK: In the ECCS considerations?

11 MR. PAPPONE: Right. That was in the  
12 containment LOCA.

13 DR. SCHROCK: And it is just a sort of  
14 fact of history that you -- that you had May-witt  
15 plugged in there, and nobody ever changed it. Do you  
16 think it is better for containment analysis?

17 How can one be better for LOCA and the  
18 other one be better for --

19 MR. PAPPONE: I don't know the basis for  
20 using May-witt in the original containment analysis,  
21 but the current power uprate containment analyses we  
22 were using in the '79 ANS 5.1 standard with the two  
23 sigma uncertainty on that.

24 CHAIRMAN WALLIS: And so May-witt has gone  
25 away completely?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PAPPONE: May-witt has gone away  
2 completely. The only time that we would see that is  
3 if we are comparing back to the original calculations.  
4 Say if we are doing a benchmark calculation. I am not  
5 familiar with the statements in the SAR.

6 DR. SCHROCK: Well, the statement in the  
7 SAR is that the May-witt decay heat model used in the  
8 current licensing basis.

9 MR. PAPPONE: Now, is that in the  
10 containment section of the SAR?

11 DR. SCHROCK: Right.

12 MR. PAPPONE: Yes. Well, Steve or Tony  
13 may know. But I think that is a case where you redid  
14 the containment analysis a couple of years ago, that  
15 is when we would have moved off of May-witt.

16 MR. BROWNING: Right. Now, the FSA cases  
17 of record are the original containment evaluations  
18 that were done, and they were done with May-witt. So  
19 we were highlighting to the staff that we had  
20 undergone a change in methodology as we went through  
21 EPU.

22 CHAIRMAN WALLIS: Well, the staff accepts  
23 the new methodology.

24 MR. BROWNING: Correct.

25 CHAIRMAN WALLIS: Well, is there a problem

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with this?

2 MR. PAPPONE: Or is it just a historical  
3 notation in the SAR.

4 DR. SCHROCK: Well, I was trying to  
5 understand why there would be any use made of May-witt  
6 at this point in time.

7 CHAIRMAN WALLIS: Well, there isn't. It's  
8 gone.

9 MR. PAPPONE: It's gone.

10 CHAIRMAN WALLIS: And so we can forget it.

11 DR. SCHROCK: It says in the SAR that it  
12 is the current licensing basis.

13 MR. PAPPONE: And so continuing. It's  
14 Tony's turn.

15 MR. BROWNING: And on to the plant  
16 specific analysis and results. The analysis was done  
17 for the Duane Arnold specific ECCS configuration, and  
18 what was unique for BWR4 was the fact that we had LPCI  
19 logic, and so we have to look at that in a single  
20 failure evaluation space because we have a  
21 vulnerability there that some of the other designs  
22 don't have.

23 And which is the failure of the LPCI  
24 inject valve to open, which completely starves the  
25 vessel for LPCI flow. So that factors into the single

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 failure evaluation that is unique to us.

2 And then we do the full break spectrum  
3 evaluation to confirm that the design basis accident  
4 is the double-ended guillotine break of the suction  
5 line is the worst case, and that we validate that the  
6 large breaks do dominate over the small breaks.  
7 So we look at the small break spectrum as well.

8 And for the plant specific results, the  
9 licensing basis PCT that we talked about and that we  
10 do the conformance to 50.46, we came up with a  
11 calculation of a bounding value of 1510. So we have  
12 a great deal of margin with the regulatory limit.

13 CHAIRMAN WALLIS: LB means licensing  
14 basis?

15 MR. BROWNING: Yes, PCT, and then the  
16 upper-bound PCT.

17 CHAIRMAN WALLIS: So which is lower bound  
18 and upper bound, and its licensing phase is an upper  
19 bound?

20 MR. BROWNING: Yes. The jargon. So the  
21 upper-bound PCT is only 1350, which is well below the  
22 1600 limit, and we also see that the upper bound is  
23 below the licensing basis. So we meet both  
24 requirements.

25 CHAIRMAN WALLIS: This is much like what

1 you have pre-EPU is it?

2 MR. PAPPONE: There was only about a 10  
3 degree change in the licensing PCT DBA.

4 MR. BROWNING: Right. So as you see here,  
5 there is an across the break spectrum of break sizes,  
6 from the small break, all the way up to the DBA case.

7 You can see the change due to the EPUs,  
8 and the little squares are the pre-EPU cases, and then  
9 the triangles are the EPU cases. So you see the trend  
10 follows, and then when you get to the DBA case, they  
11 are very close. They are within 10 degrees of each  
12 other.

13 And then you can see where the upper bound  
14 at the DBA case shows up.

15 DR. POWERS: In fact, doesn't your EPU  
16 temperature, peak clad temperature, go down?

17 MR. BROWNING: Yes, slightly.

18 DR. POWERS: And that is because of the  
19 flattening out of the core --

20 MR. BROWNING: Yes, the same phenomena  
21 that we saw earlier. The peak bundle has a little  
22 more flow because we --

23 DR. POWERS: I looked at that, and I said  
24 to myself that this has got to be red. I have got to  
25 see this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BROWNING: I think you will see the  
2 words in the staff safety action are counter-  
3 intuitive.

4 CHAIRMAN WALLIS: The limit on the right  
5 hand, the three square feet -- what is the limit?

6 MR. BROWNING: It is 2-1/2 square feet,  
7 yes.

8 CHAIRMAN WALLIS: And which pipe is it?

9 MR. BROWNING: That is the recirc suction  
10 line. That is the largest pipe that we have on the  
11 vessel. So, you can see -- well, the trend stays the  
12 same, and the results go up a little bit.

13 MR. ROSEN: And the solid lines are done  
14 with the Appendix K models. I just noticed that in  
15 the cartoon that you showed before.

16 MR. BROWNING: Yes.

17 MR. ROSEN: And that shows that that  
18 number was about 2000 degrees.

19 MR. BROWNING: Oh, that was just a  
20 representative cartoon. Those were not the plant  
21 specific results. That was just to get across the  
22 jargon.

23 MR. PAPPONE: That was to show which limit  
24 went with -- or which temperature calculation went  
25 with what limit, and the relative relationships.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BROWNING: Right.

2 MR. ROSEN: The one on the left looks okay  
3 relative to the numbers on the right.

4 MR. PAPPONE: Well, the one on the right  
5 is okay, too, because it is the one that is compared  
6 to the 2200.

7 MR. BROWNING: But it is not the Duane  
8 Arnold result.

9 MR. ROSEN: So it is not the number, your  
10 number?

11 MR. BROWNING: It is not our number, no.  
12 And as Dan has explained, the methodologies is where  
13 we try to build in the margin, especially using the  
14 upper bound technique that account for all the  
15 uncertainties, and the licensing basis PCT still has  
16 to apply the conservative Appendix K models for the  
17 regulatory conformance.

18 And then the acceptance criteria are  
19 conservative as well. So for the plant specific  
20 results, we saw obviously no impact on safety margin  
21 because we had a great deal of margin to 2200.

22 And then the operating margin is obviously  
23 maintained by that same operating condition.

24 DR. KRESS: What would you do if those  
25 numbers went all the way up to the 2200 on your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Appendix K?

2 MR. PAPPONE: On the licensing PCT?

3 DR. KRESS: Yes.

4 MR. PAPPONE: That's fine. We have got  
5 plans that are licensed near 2200, and we have --

6 DR. POWERS: And there is definitely one  
7 at 2183.

8 DR. KRESS: Yes, that's what I thought.

9 MR. PAPPONE: We do have a couple of the  
10 early plants that are PCT restricted after 2200.

11 DR. KRESS: Well, this is in terms of  
12 margin. If you are at 2200, you still have sufficient  
13 margin.

14 MR. ROSEN: This goes to the question of  
15 whose margin is it.

16 MR. BROWNING: The 2200 up to the field  
17 cladding failure point, that is the licensing margin  
18 and that is the sacred turf. What we are talking  
19 about down here is the margin to 2200 and this is the  
20 operating latitude. And as long as we maneuver within  
21 here --

22 MR. ROSEN: I would propose the standard  
23 that if you would license up to the 2200, then the  
24 margin is the licensee and the vendors. And the  
25 answer to the question is whose margin is it. It has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1       been licensed up to nearly the 2200. So I think that  
2       is QED.

3               MR. BROWNING: Right. And now we are on  
4       to your favorite topic.

5               DR. POWERS: We are about to move on to a  
6       topic that I know will go quickly because PRA invokes  
7       a little interest in this committee. I wondered if  
8       the members wanted to take a 10 minute break in order  
9       to build up their strength to get through this.

10              DR. KRESS: No, let's go on.

11              DR. POWERS: Apparently they want to  
12       charge ahead. Any acquisitions that I am a slave  
13       driver will not be tolerated. Okay. So, Brad is  
14       going to come up here, and he looks like a brave,  
15       strong young man. He has taken a few slings and  
16       arrows in a checkered career here, huh?

17              MR. HOPKINS: My name is Brad Hopkins, and  
18       I am a PRA engineer at Duane Arnold. The purpose of  
19       the PRA evaluation for a power uprate was to identify  
20       possible vulnerabilities resulting from power updates.

21              These may come from potential sources,  
22       such as changes in system criteria possibly, or maybe  
23       from changes in human error probability. I would like  
24       to note at this time that a power uprate is not a risk  
25       informed application.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 But nonetheless we are interested in the  
2 question of risk. That is, does power uprate  
3 constitute undo risk in some way or form.

4 DR. KRESS: How do you identify  
5 vulnerability?

6 MR. HOPKINS: Well, we will look at, or  
7 what do we use as a criteria for vulnerability, go to  
8 the next slide.

9 DR. KRESS: I didn't want to say that word  
10 because I get criticized every time I use it.

11 DR. POWERS: As well you should.

12 MR. HOPKINS: We will answer that  
13 question. My second bullet here is we have a  
14 guideline that tells us how much of an increase in  
15 core damage frequency or large/early release frequency  
16 constitutes a significant increase.

17 We used or we compared our results to the  
18 EPRI PRA applications guide. We also -- and I think  
19 the NRC has been using Reg Guide 1.174, and we  
20 compared to that also to make sure that we meet that.

21 Now, the areas that we looked at are  
22 equipment, reliability, and we look at initiating  
23 event frequencies, and we looked at system success  
24 criteria, such as how many pumps do we need to operate  
25 to have adequate core coverage, or how many SRVs do we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 need to open to adequately depressurize.

2 And finally we looked at human error  
3 probabilities. Now, we didn't have anything too  
4 interesting in the first three bullets.

5 DR. KRESS: How do you actually look at  
6 the effect of power updates on equipment reliability?

7 MR. HOPKINS: How do we look at the  
8 effects on equipment reliability?

9 DR. KRESS: Yes.

10 MR. HOPKINS: There is -- well, I guess  
11 there is not a hard and fast methodology that we could  
12 find if you take a good look at it, but we tried to  
13 assess what equipment might be seeing higher duty,  
14 such as the feed water pumps.

15 And we recognize that some equipment does  
16 have higher duty, and failure rates may be higher.  
17 But I think with the maintenance rule in effect now,  
18 we have good programs for monitoring the effectiveness  
19 of our safety related equipment. So we don't really  
20 anticipate --

21 DR. KRESS: So in your PRA, you just used  
22 the same failure rates for the equipment?

23 MR. HOPKINS: For this assessment, we  
24 wound up inserting the same failure rates for the  
25 equipment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: But you did review because you  
2 went back to see if you thought there was any reason  
3 to change those?

4 MR. HOPKINS: Yes.

5 MR. ROSEN: You are talking just about  
6 reliability, and are you also talking about  
7 unavailability as well?

8 MR. HOPKINS: Well, unavailability as  
9 well.

10 MR. ROSEN: The slide just says  
11 reliability.

12 MR. HOPKINS: We identified all basic  
13 events that had a raw value of a certain value, and we  
14 focused in on those pieces of equipment, the equipment  
15 that we felt was significant.

16 And we asked ourselves is there any reason  
17 that we should increase the failure rate of this  
18 equipment, and I think in all cases that we said no.

19 So I am going to focus later on in the  
20 presentation on focusing more on the human error  
21 probabilities, since those are the ones that have the  
22 most impact.

23 Here is a summary of our results, and I  
24 have a column for the base value, or our present PRA  
25 numbers, and a value for extended power uprate, and in

1 the right-hand column --

2 CHAIRMAN WALLIS: The PRA predictions are  
3 valid to three significant --

4 DR. POWERS: At least. That's always.

5 MR. HOPKINS: We will take a quick look at  
6 the question of uncertainty on the last slide here.  
7 But, no, I don't have uncertainty drawn up here.

8 But the computer calculates it out, of  
9 course, to --

10 CHAIRMAN WALLIS: And you are arguing is  
11 the change is what you are looking at, and not  
12 something that you have a better handle on than the  
13 absolute value?

14 MR. HOPKINS: Right. Here it is the  
15 change that we are interested in.

16 DR. KRESS: If I look at your base case  
17 CDF and LERF, I get an early conditional failure  
18 probability of .05 and thereabouts just in my head.  
19 For Mark-1s, I am used to .5s and .4s for that. Do  
20 you guys have that good of a containment? It's a  
21 Mark-1 isn't it?

22 MR. HOPKINS: So you are comparing the  
23 level one to the level two?

24 DR. KRESS: Yes, as .05 is a pretty good  
25 number, and for Mark-1s, I am used to an order of a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 magnitude higher than that in PRAs.

2 MR. HOPKINS: Yes, and so the level two is  
3 lower than we might expect.

4 DR. KRESS: Yes.

5 MR. HOPKINS: I guess I don't have a real  
6 good answer for that.

7 DR. KRESS: I guess the question would be  
8 why is your particular plant looking so much better  
9 than other Mark-1s?

10 DR. POWERS: I will make a guess.

11 DR. KRESS: Okay.

12 DR. POWERS: A drywall spray.

13 DR. KRESS: They have a drywall spray.

14 DR. POWERS: They have it and they are  
15 using it.

16 DR. KRESS: That certainly could make a  
17 difference.

18 DR. POWERS: Because the reason that you  
19 get the high failures on the Mark-1s is either a melt  
20 flow across the floor without water, or an overheat at  
21 the seals up at the top. And the spray takes care of  
22 both of those.

23 DR. KRESS: That is probably a good  
24 explanation, Dana.

25 DR. POWERS: That's my guess.

1 MR. HOPKINS: That sounds very good to me.  
2 In the future, I think utilities are seeing some value  
3 in providing PRA results to the public, and making it  
4 publicly available. I think we will see that trend in  
5 the future.

6 And on the human error probabilities, we  
7 reviewed all human error probabilities with a raw  
8 value of 1.06 or greater, and then we employed a map,  
9 a thermal hydraulic code, to determine whether the --

10 MR. ROSEN: How did you select 1.06? It  
11 seems so timid.

12 MR. HOPKINS: Okay. Well, 1.06 --

13 MR. ROSEN: I would have thought that you  
14 would pick a number like two at least.

15 MR. HOPKINS: Well, 1.06 corresponds to an  
16 increase in core damage frequency of 1 times 10 to the  
17 minus 6. So any increase at this event, if an event  
18 would cause the core damage frequency to increase by  
19 1 times 10 to the minus 6 or more, then we would  
20 evaluate it. And there were about 20 or  
21 so --

22 DR. POWERS: I can't help but point out to  
23 the members that this is what we have been asking the  
24 staff to do for the human performance program plan for  
25 a long time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   So these particular evaluations ought to  
2                   be very interesting to us; and the question you ask is  
3                   are these humans doing as well as we would like them  
4                   to do here, and here you have a basis for looking at  
5                   this.

6                   DR. KRESS:   Why do you call it a MAAP  
7                   thermal-hydraulic code? I wouldn't have characterized  
8                   it that way.

9                   MR. HOPKINS: As opposed to a probablistic  
10                  --

11                  DR. KRESS: I would have characterized it  
12                  as a severe accident code, but a relatively poor  
13                  thermal hydraulic code.

14                  DR. POWERS:   That is not how you  
15                  characterize it in private.

16                  MR. HOPKINS: Well, we could call it a  
17                  transport code. We will call it a transport code, a  
18                  radio nuclide transport code.

19                  CHAIRMAN WALLIS: He is calling it thermal  
20                  hydraulic to try to give it respectability.

21                  MR. HOPKINS: We recognize that it has  
22                  limitations. Next slide, please.

23                  DR. POWERS: But in fairness wouldn't it  
24                  be pretty adequate for this?

25                  DR. KRESS: Yes, I think that would be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 perfectly adequate for this. For a BWR, it is  
2 actually pretty good for this sort of stuff.

3 DR. POWERS: And all it is worried about  
4 is heat and mass here.

5 DR. KRESS: Yes, this should do fine for  
6 that. I didn't mean to put it down.

7 DR. POWERS: What do you mean you didn't  
8 mean to put it down.

9 CHAIRMAN WALLIS: That is a good first  
10 approximation to thermal hydraulics. There is no  
11 energy. It is MAAP.

12 MR. HOPKINS: I think we maintain a  
13 questioning attitude when we use MAAP, and we try to  
14 compare it with more detailed codes when we can, or  
15 when that is possible.

16 Now, I would like to go through the five  
17 most important operator actions that we found, and it  
18 is not my point to dwell in great detail on each of  
19 these.

20 But more to give you a sense of what is  
21 causing the most increase in the core damage  
22 frequency. Most of the increase came from ATWS  
23 events. So four of these operator events apply to  
24 various ATWS scenarios.

25 So the first one is failure to initiate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 standby liquid control. So this is applicable to ATWS  
2 events where the main condenser is not available.  
3 Therefore, all of the energy is going down into the  
4 suppression pool.

5 DR. KRESS: The spray is not available to  
6 them either? Is the suppression pool spray not  
7 available?

8 MR. HOPKINS: Well, in many cases, yes, I  
9 think the sprays are available.

10 DR. KRESS: Yes, there is too much heat  
11 going in there.

12 DR. POWERS: There is too much heat going  
13 into the containment.

14 MR. HOPKINS: Now, we look at two  
15 different time frames for injecting standby liquid  
16 control. If we are able to inject early, then later  
17 on in the event we only need one RHR service water  
18 train, and one RHR train to remove the decay heat from  
19 the water.

20 If we are not able to inject early, we  
21 still have an opportunity to inject standby liquid  
22 control a little bit later. But if we inject later,  
23 then we need to use both trains of RHR service water  
24 and RHR for adequate core cooling.

25 CHAIRMAN WALLIS: What is the formula that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 relates to that? Is there a magic correlation that  
2 says that when you go from 6 to 4 that --

3 DR. KRESS: It is an EPRI correlation.

4 CHAIRMAN WALLIS: All right. So that is  
5 based on experience?

6 MR. HOPKINS: It is an expert opinion is  
7 what it is.

8 CHAIRMAN WALLIS: Oh, so it is based on  
9 data.

10 MR. HOPKINS: We used a variety of  
11 methods. That is not my area of expertise. So I am  
12 not able to address it in really good detail.

13 MR. ROSEN: But fundamentally those  
14 techniques take into account the fact that operating  
15 under stress when you have less time, you have a  
16 higher likelihood of failure?

17 MR. HOPKINS: That's right. That's right.  
18 But in this case, like Steve was saying earlier, our  
19 operators are well practiced in injecting standby  
20 liquid control. We cover it often in the training.

21 MR. ROSEN: Would you go back to the prior  
22 slide for a minute. Now, you see, that is the point  
23 that I made earlier, that for early initiation, with  
24 the time reduced from 6 to 4 minutes, but the  
25 deterministic analysis assumes 2 minutes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HOPKINS: It seems like we are overly  
2 favorable on the deterministic analysis.

3 MR. ROSEN: Well, you are overly  
4 pessimistic here. But they are not the same, and I  
5 think I understand why. One is a best estimate, which  
6 is this one; and the other one is a conservative, or  
7 is an analysis for deterministic purposes.

8 MR. HOPKINS: Right.

9 MR. ROSEN: I wish they were the same  
10 somehow, but I am having trouble reconciling two  
11 different estimates.

12 MR. HOPKINS: I think we are looking at  
13 two different outcomes possibly.

14 MR. ROSEN: But we also know in this case  
15 -- and Steve -- I am having trouble with your last  
16 name.

17 MR. KOTTENSTETTE: Kottenstette.

18 MR. ROSEN: Kottenstette. He told us that  
19 the four minutes and the two minutes are both  
20 achievable times because everything the operator needs  
21 to do is in front of him in the control room;  
22 information and the mode switch and key.

23 So it is irrelevant whether it is four or  
24 two minutes. The point is that the operators can take  
25 those actions, and it is in their training program,

1 and it is in the simulator.

2 It is a critical task, the training  
3 program, and they can take it in either case within  
4 the four or two minutes. All right. Go on.

5 MR. HOPKINS: All right. This one is  
6 failure to inhibit ADS. Now, for an ATWS, for most  
7 ATWS scenarios, we want to prevent automatic  
8 depressurization from occurring.

9 The reason for this is that if you  
10 depressurize, then the low pressure emergency core  
11 cooling systems initiate automatically, and they dump  
12 a lot of water into the vessel.

13 And we have a concern of a reactivity  
14 excursion when that happens. So we really need to  
15 inhibit ADS.

16 CHAIRMAN WALLIS: So your ECCS system is  
17 not borated?

18 MR. HOPKINS: That's correct.

19 MR. ROSEN: Well, it is starting to borate  
20 it, but very slowly.

21 MR. HOPKINS: Correct. So here the  
22 available time is reduced from 16 to 10 minutes, and  
23 we have a corresponding increase in the failure  
24 probability for that event.

25 And failure to reduce power via the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lowering of reactor vessel water level. Another means  
2 of getting our power level down is to lower the water  
3 level down to below the level of the feed water  
4 injection spargers.

5 By doing this we avoid the need to  
6 depressurize the vessel by keeping the suppression  
7 pool temperature below its heat capacity temperature  
8 limit. The available time is reduced from 15 minutes  
9 to 12 minutes, and we have a corresponding increase in  
10 the failure probability.

11 DR. KRESS: In your failure to initiate  
12 standby liquid control, you have 14 minutes for late  
13 initiation, the failure probability was about .09, and  
14 on this one you have got 10 minutes for the ADS, and  
15 it is .03 apparently.

16 How come the failure probability is lower  
17 for a 10 minute than it is for a 14 minute action?  
18 Has it got something to do with the type of complexity  
19 of the action or something?

20 MR. HOPKINS: Right. We would be  
21 factoring in the complexity of the action.

22 DR. KRESS: And that is built into the  
23 model somehow?

24 MR. HOPKINS: Yes. And here we are really  
25 combining two of the previous operator actions for a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 little different scenario here. This one is an ATWS,  
2 where the turbine bypass valves are available.

3 Now, the turbine bypass valves can pass  
4 about 24 percent of reactor power. However, the power  
5 is about 45 to 48 percent. Therefore, we still have  
6 a significant amount of energy going down into the  
7 torus water level.

8 In this scenario the operator is not able  
9 to get the power level down, either by lowering the  
10 water level, or by injecting standby liquid control.

11 So we increased the failure rates for both  
12 of these by the same amount as what we saw previously.

13 DR. KRESS: You uncover the core when you  
14 lower that water level?

15 MR. HOPKINS: Do we uncover the core?  
16 Yes, I believe the EOPs have us go down to minus --  
17 about minus 30 inches.

18 MR. POST: This is Jason Post. That is  
19 the collapsed level. There is still a two phase level  
20 swell that is well above the top of the active fuel.

21 MR. HOPKINS: Thank you, Jason. The last  
22 one -- okay. Now we have looked at all of the ATWS  
23 events. This one is applicable -- this one is a  
24 failure to depressurize the reactor vessel, and it  
25 applies to transients, small LOCAs, and medium LOCA

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 events.

2 So if your high pressure systems are not  
3 able to inject, it is very important for the operator  
4 to manually depressurize the vessel so that the low  
5 pressure systems can turn on. So this is a fairly  
6 significant operator action in our PRA.

7 So I guess for transients and small LOCAs  
8 the available time is reduced from 65 minutes to 55  
9 minutes, and so these probabilities are pretty low  
10 compared to the other ones.

11 I hope that the operator recognizes that  
12 he is not -- that he doesn't have any water going in  
13 the vessel. I think it is something that is pretty  
14 easy to see, and the action is easy. He should be  
15 able to do it in an hour.

16 We looked at external events, and here we  
17 are looking at things like high winds, floods,  
18 tornadoes, transportation, chemical hazards, and we  
19 didn't see any effect of power uprate on those events.

20 However, for fire and seismic, those were  
21 the only external events in which we felt that there  
22 was a measurable effect. Now, for here, we carried  
23 the operator actions through our fault trees for fire  
24 and seismic PRA.

25 And we found less than a one percent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 increase here, and so we didn't find anything too  
2 interesting in external events. No additional unique  
3 hazards were identified.

4 For shutdown risk, here power uprate is  
5 judged to have a negligible effect on our overall  
6 ability to adequately manage shutdown risk. And since  
7 about 1992, we have employed EPRI's Sentinel model for  
8 monitoring risk during refuel outages.

9 So here we look at both the defense and  
10 depth in meeting various safety functions, and we are  
11 calculating probability of boiling in the core region.

12 So we think that we have had a very good  
13 handle on shut down risk. We are experienced with it  
14 by this time, and we think that with a power uprate  
15 that experience will continue.

16 DR. POWERS: I guess I don't understand  
17 why when you think about it that if you have a power  
18 uprate of 20 percent that you must have roughly a 20  
19 percent increase in decay heat load.

20 And so your time to boiling must be  
21 roughly 20 percent shorter than it was before. So the  
22 time that you have available to recover from some loss  
23 of cooling capacity must be about 20 percent shorter.

24 MR. HOPKINS: Yes.

25 DR. POWERS: So shouldn't that mean that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you have roughly a 20 percent increase in risk being  
2 shut down?

3 MR. HOPKINS: That's correct.

4 DR. POWERS: And a window of shutdown, and  
5 I don't mean all of it. But in a window of shutdown  
6 where boiling risk is reasonably high.

7 MR. HOPKINS: You are correct. The decay  
8 heat values are higher. And we track very carefully  
9 the number of systems that we have available for  
10 removing decay heat, and at any given time during the  
11 outage we would know exactly how many systems we have  
12 to have operating to meet that load.

13 But in general there is only a few periods  
14 of the outage where the times are very short. That  
15 would be the transition periods when you are cooling  
16 down the vessel, and when the water level in the  
17 vessel is at its normal level.

18 But for most of the outage the reactor  
19 cavity is flooded all the way to the top to allow for  
20 fuel moving. And therefore the times -- we have on  
21 the order of hours, and sometimes 24 hours for later  
22 periods in the outage for responding to events,  
23 whether it is loss of decay heat removal, or  
24 inadvertent drain down events.

25 DR. KRESS: Has your PRA been subjected to

1 the industry peer review process?

2 MR. HOPKINS: Our PRA went through the  
3 industry certification process four years ago.

4 MR. ROSEN: It was one of the first, I  
5 think.

6 MR. HOPKINS: We were one of the first.  
7 We had a very favorable certification, and I think one  
8 of our real strengths is our documentation out there.  
9 We have a living PRA program that was developed within  
10 a qualitative framework.

11 MR. ROSEN: Now, I thought you were going  
12 to say in response to Dana's question is that you do  
13 get more decay heat as he points out, but  
14 that you end up not getting to shut down temperatures  
15 as quickly as you would now.

16 So that ultimately the way that you  
17 control shutdown risk is to basically wait a little  
18 longer before you could initiate shutdown operations.

19 MR. HOPKINS: Right.

20 MR. MCGEE: But it ends up being an  
21 operational impact where we need to keep the shutdown  
22 for a longer period of time before going into other  
23 phases of an outage.

24 DR. POWERS: It seems to me that becomes  
25 a time period that bean counters will attack, and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pressure to shorten that.

2 MR. HOPKINS: Well, there will be pressure  
3 to shorten that, but the bean counters are already in  
4 this case very happy, because they have been running  
5 at 20 percent.

6 DR. POWERS: They are only happy quarter  
7 by quarter, and the next quarter, they are going to  
8 want another 20 percent.

9 MR. ROSEN: But the plant staff should  
10 point out to them that while it is true that it is  
11 going to take a few more hours to get into shutdown  
12 operations, they should be thinking about all the  
13 money they have made while the plant ran at the  
14 extended power uprate.

15 MR. HOPKINS: Well, that vessel is still  
16 pretty hot when the mechanics are unbolting the head  
17 bolts. They will be doing a dance. Now, uncertainly.  
18 In our original IPE submittal, we addressed  
19 uncertainty with a sensitivity analysis. That is to  
20 say that we don't have a formal rigid uncertainty  
21 analysis for our PRA.

22 For the present study, we selected  
23 operator actions that were sensitive in the first  
24 place. That is, the first step of this study was to  
25 look at those parameters that are sensitive.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           One other thing we did was we looked at  
2 all of the low worth operator actions, and we doubled  
3 their failure rates all at once. We ran a single case  
4 with all of those values doubled.

5           DR. KRESS: This South Texas guy here is  
6 going to ask you why you didn't increase those by a  
7 factor of 10. That's what they did for their effect  
8 of QA on the reliability of low worth components that  
9 are not safety significant.

10          MR. HOPKINS: But not for a power uprate.  
11 We would be talking about an exemption request.

12          DR. KRESS: Yes, you see, an exemption  
13 request.

14          DR. POWERS: As long as you are harassing  
15 the South Texas guy, I will harass him some more.  
16 Wait as long as you want to. The decay heat load that  
17 you have to deal with is still higher by 20 percent,  
18 and it still shortens down all the times that you have  
19 to boiling by 20 percent.

20          DR. KRESS: So that doubling didn't have  
21 any significant effect.

22          MR. HOPKINS: The doubling did not.

23          CHAIRMAN WALLIS: Are we back to the  
24 beginning?

25          MR. HOPKINS: We are not, and that is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 last slide.

2 DR. POWERS: Are there other questions  
3 that people would like to ask about the PRA? Not  
4 seeing any and not looking very hard for any, Ron, did  
5 you have any closing comments that you needed to make?

6 MR. MCGEE: I just wanted to thank the  
7 committee today for allowing us this time to present,  
8 and by my count we have three things that we need to  
9 follow up on.

10 And they are Mr. Wallis' question  
11 concerning the stress analysis, and Mr. Powers' had a  
12 question and I believe we will be able to follow up  
13 with something on that.

14 But then also we have the post-LOCA H202  
15 monitoring question that I think we will be able to  
16 address tomorrow during the staff's presentations.  
17 Other than that, are there any other questions for me  
18 at this time? If not, thank you.

19 DR. POWERS: If there are no further  
20 questions, I will turn the meeting back over to the  
21 Thermal Hydraulics Subcommittee Chairman.

22 CHAIRMAN WALLIS: Dr. Powers has done his  
23 usual and hasn't kept us late. So I am very happy to  
24 recess exactly on time at five o'clock, and we will  
25 reconvene at 8:30 tomorrow morning. Thank you very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 much.

2 (Whereupon, the opening meeting was  
3 adjourned at 5:00 p.m, to convene at 8:30 a.m. on  
4 Wednesday, September 27, 2001.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

CERTIFICATE

This is to certify that the attached proceedings  
before the United States Nuclear Regulatory Commission  
in the matter of:


Name of Proceeding: ACRS Thermal-Hydraulic

Phenomena Subcommittee

Docket Number: (Not Applicable)

Location: Rockville, Maryland

were held as herein appears, and that this is the  
original transcript thereof for the file of the United  
States Nuclear Regulatory Commission taken by me and,  
thereafter reduced to typewriting by me or under the  
direction of the court reporting company, and that the  
transcript is a true and accurate record of the  
foregoing proceedings.



Paul Intravia  
Official Reporter  
Neal R. Gross & Co., Inc.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701