

1 Barton faxed me a comment about that, that there is no  
2 aging management program of the in-take structure.

3 MR. MUNSON: Okay. Is Arnold Lee here?

4 MR. LEE: Yes.

5 MR. MUNSON: Can you address his question?

6 MR. LEE: What was your question again?

7 DR. DUDLEY: Come to the mike, please.

8 MR. LEE: I am Arnold Lee.

9 CHAIRMAN BONACA: In reading the  
10 application and the SER, clearly there are a number of  
11 systems or components which are attached to this  
12 structure which are important to safety which are part  
13 of the aging management program, but there is no aging  
14 management program for the structure itself.

15 MR. LEE: There is no aging management  
16 program for the structure. It is for the steel.

17 MR. MUNSON: For the in-take structure.

18 CHAIRMAN BONACA: For the in-take  
19 structure. Could you explain a little bit why that  
20 is?

21 MR. LEE: Maybe I didn't understand the  
22 question. Could you repeat it again?

23 CHAIRMAN BONACA: Yes. Let me just go  
24 through some notes here.

25 MR. LEE: There are a number of aging

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 management programs to cover the aging effect, and  
2 there is a structural monitoring program, a systems  
3 structural monitoring program.

4 CHAIRMAN BONACA: And that covers also the  
5 in-take structure?

6 MR. LEE: I have to look into that. I  
7 have to check whether that indeed would manage the  
8 aging effect for the in-take structure.

9 CHAIRMAN BONACA: I would like to have you  
10 find that out.

11 MR. LEE: Yes, I can find out.

12 MR. HALE: If you look at the application,  
13 Table 3.6-13, I am not sure the question that he is  
14 raising, but we highlight the systems and structures  
15 monitoring program for structural steel, anchorages,  
16 and embedments.

17 CHAIRMAN BONACA: And again the table is  
18 what?

19 MR. HALE: It is 3.6-13, which is the in-  
20 take structure, and it lists all the component  
21 commodity groups which require an aging management  
22 review on page 3.6-85. So I am not sure what the --

23 CHAIRMAN BONACA: So, okay. You do have  
24 it. I believe the question was -- or the one from Joe  
25 Barton -- related to the structure itself that

1 supports so many of these components here. For  
2 example, the instrument rack and frames.

3 MR. HALE: Right.

4 CHAIRMAN BONACA: And the question he had  
5 was regarding the actual grid structure.

6 MR. HALE: Well, reinforced concrete,  
7 foundation, beams, columns, walls, floor slabs,  
8 systems and structure of monitoring program.

9 CHAIRMAN BONACA: Okay. So it is under  
10 that, and you have a visual inspection program to look  
11 at spaulding and things of that kind.

12 MR. HALE: Yes.

13 CHAIRMAN BONACA: All right. So you do  
14 have it then.

15 MR. AULUCK: Okay. Next we will cover the  
16 electrical portion of the review.

17 MR. SHEMANSKI: My name is Paul Shemanski,  
18 and I am with the Division of Engineering, Electrical  
19 Branch, and basically for the electrical and  
20 instrumentation, and control section, Section 3.7,  
21 there were three groups of equipment that were  
22 identified for an aging management review.

23 These included basically insulated cables  
24 and connections, uninsulated ground conductors, and  
25 there were 22 electrical penetration assemblies.

1 These are non-EQ penetration assemblies.

2 There are additional penetration  
3 assemblies in the plant, but they are treated under  
4 the EQ evaluation. They are evaluated as a time limit  
5 of aging analysis.

6 There were no open items. However, there  
7 were two items of interest. The first one deals with  
8 non-EQ medium voltage cables that may be subject to  
9 significant moisture. The moisture would come in  
10 basically for cables that are in conduits, cable  
11 trenches, duct banks, underground vaults, or direct  
12 buried installations.

13 And at Turkey Point, they have a unique  
14 design. These cables are designed with a lead sheath  
15 around the insulation that basically prevents the  
16 ingress of moisture, and the moisture would be the  
17 phenomena that would be the result of a failure in  
18 these cables if moisture gets in and it is subjected  
19 to a long term exposure.

20 And also energized at the same time, you  
21 could get an effect called water traying. That's  
22 where the insulation basically breaks down and it  
23 ultimately could lead to cable failure.

24 This goes back to the Davis-Besse event  
25 back in October of 1998, I believe. However, because

1 of their unique design at Turkey Point, with the  
2 alleged sheath around the cable insulation, basically  
3 that precludes any moisture ingress.

4 So as a result there was no aging  
5 management program required for these medium voltage  
6 cables. And this second item of interest was the fact  
7 that in response to a staff request for additional  
8 information, the applicant developed an aging  
9 management program for non-EQ cables, connections, and  
10 penetrations.

11 And these are the components that may be  
12 subjected to a localized adverse environment caused by  
13 increased radiation or temperature. These components  
14 will be inspected every 10 years. It is basically a  
15 visual type inspection, looking for degradation of the  
16 cable outer jacket, and looking for discoloration,  
17 cable cracking, and that type of thing.

18 The program that they proposed, as I  
19 mentioned, it is a new program, and it is consistent  
20 with the cable aging management programs that we have  
21 described for non-EQ cables.

22 CHAIRMAN BONACA: Let me ask you a  
23 question now. Does it mean that this program here is  
24 also looking at those cables were said are already  
25 protected by this lead sheath?

1 MR. SHEMANSKI: No.

2 CHAIRMAN BONACA: It is not?

3 MR. SHEMANSKI: We have three separate  
4 programs deigned in goal. One of them looks  
5 specifically at medium voltage cables.

6 CHAIRMAN BONACA: That's right.

7 MR. SHEMANSKI: And that one, because  
8 those are typically inaccessible, a visual inspection  
9 would not work. So those cables will be tested every  
10 10 years, starting at year 40, and then year 50, to  
11 give you two data points.

12 Because of their unique design here with  
13 the lead sheath, there was no need for them to enter  
14 a cable aging management program. The theory is that  
15 water should not get into the insulation based on the  
16 design of these cables.

17 The cable aging management program they  
18 did propose, those are for non-EQ cables, inside  
19 containment primarily subject to localized adverse  
20 environments from radiation and temperature. And that  
21 program is consistent with the way they have been  
22 described in-goal.

23 CHAIRMAN BONACA: A member of the  
24 subcommittee who is here raised a question regarding  
25 the first bullet here, the one protected by a lead

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 sheath. I mean, he was asking the prudence of going  
2 all the way to 60 years without looking at those  
3 cables.

4 I mean, how comfortable are we that this  
5 design is so consistent that it will last the 60 years  
6 without even looking at it?

7 MR. SHEMANSKI: Well, these cables are  
8 periodically energized and I believe they do periodic  
9 measure tests on them. But I think the bottom line is  
10 that these cables are very robust. They brought in a  
11 sample of several of these cables, and again they are  
12 medium voltage cables.

13 Medium voltage cables are anywhere from  
14 2,000 to 15,000 volts. So by their very nature, they  
15 are very thick. The one that they brought in a sample  
16 of, the cable diameter must have been one inch in  
17 diameter, and maybe 1-1/2 inches, and the alleged  
18 sheath was quite sizeable. I forget, but it may be  
19 nearly a quarter of an inch thick.

20 So it is pretty inconceivable that you  
21 would get degradation of that alleged sheath even at  
22 60 years, I think.

23 CHAIRMAN BONACA: And do you have  
24 significant industry experience with those?

25 MR. SHEMANSKI: Well, the interesting

1 thing about it is that Florida Power and Light's  
2 transmission and distribution standards outside of the  
3 power plants, because we are subject to ground water,  
4 standardize an alleged sheath cabling specifically to  
5 ensure reliability of our underground cables in our  
6 housing, commercial industry, and that sort of thing.

7 So we have a lot of experience with it,  
8 and that got carried over into our power plants as a  
9 standard design. So that particular feature is  
10 specifically pointed towards a reliability for cable  
11 that may be subject to moisture. We have a lot of  
12 experience.

13 CHAIRMAN BONACA: Of course, with 45 years  
14 passing, and then you went to look at it, you would  
15 certainly go back and --

16 MR. SHEMANSKI: Well, we have had a lot of  
17 T&D installations in for even longer than that.

18 CHAIRMAN BONACA: I understand that, but  
19 I am trying to again develop the thought process  
20 behind license renewal, which is that you would go  
21 back with your corrective action program, and if  
22 necessary, you would have to address it for problems.

23 So to the best of our knowledge and  
24 understanding of the technology right now, you don't  
25 see the need for that?



1 MR. SHEMANSKI: No, not at this point.

2 CHAIRMAN BONACA: All right. Thank you.

3 MR. AULUCK: Next we will have aging  
4 management programs, new programs and existing  
5 programs.

6 CHAIRMAN BONACA: These are all one-time  
7 inspections?

8 MR. AULUCK: Yes.

9 MS. KEIM: My name is Andrea Keim, and I  
10 am from the Division of Engineering, Materials and  
11 Chemical Engineering Branch. I am here to discuss  
12 their aging management programs.

13 I guess we will go back and start with the  
14 three common ones that they have listed, which were  
15 the chemistry control program, the quality assurance  
16 program, and their systems, structures, and monitoring  
17 program.

18 The staff evaluates all the aging  
19 management programs using their tenant tributes, or  
20 elements that are referenced in the standard review  
21 plan.

22 We use these elements to determine if the  
23 intended functions of these structures, systems, and  
24 components, will be maintained consistent with the  
25 current licensing basis for the extended operation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 And after going over the first three, the  
2 common ones, there were no open items determined under  
3 these programs, although there is a confirmatory  
4 action item in regards to the FSER supplement for the  
5 QA program.

6 There may be other issues with the FSAR  
7 supplement due to the REI responses that may need to  
8 be updated to ensure that the programs are  
9 sufficiently -- that the program description is  
10 sufficient in the FSAR supplement.

11 DR. FORD: Andrea, I heard Mario just say  
12 that these are really one inspection?

13 MS. KEIM: Excuse me?

14 DR. FORD: Only one inspection is made on  
15 these?

16 CHAIRMAN BONACA: It is a one time  
17 inspection.

18 DR. FORD: A one time inspection?

19 MS. KEIM: I am talking first about the --  
20 these are the aging management programs. Each one has  
21 different frequencies.

22 DR. FORD: Oh, okay. So it is not just  
23 once?

24 MS. KEIM: Yes. No. I just wanted first  
25 to go back to really the three ones that they have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 listed as common aging management programs.

2 CHAIRMAN BONACA: I understand that, but  
3 I am saying that what is listed in Appendix B, these  
4 seven programs are one-time inspections.

5 MS. KEIM: Some are and some are not. It  
6 depends on the frequency listed.

7 CHAIRMAN BONACA: Well, I went through  
8 them, and all of them say one-time inspection, and if  
9 you find something, then you do more.

10 MR. HALE: I believe the auxiliary feed  
11 water steam piping inspection is not a one-time  
12 inspection. And the galvanic I believe is not, and  
13 the reactor --

14 MR. ELLIOT: The reactor vessel internals  
15 is not a one-time inspection.

16 MR. HALE: Right.

17 MR. ELLIOT: We are doing one on each  
18 unit.

19 MR. HALE: But I know that the auxiliary  
20 feed water steam pipe --

21 CHAIRMAN BONACA: One time for each unit.  
22 Yes, that is the one time for each unit, but I am  
23 saying that with the others, I went over them, and I  
24 was trying to understand which ones are one time  
25 inspections.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           The reason why we had the philosophy that  
2 we discussed before, a one-time inspection is an  
3 inspection performed where you do not believe that you  
4 are going to have an aging problem developing.

5           So you do it just to confirm that you have  
6 confidence that you will not have that problem. Of  
7 course, now if you find that your expectation was  
8 optimistic, then you put in a program.

9           And so that's why I think it is important,  
10 and I want to look at them to convince myself that  
11 they are confirmatory in fact, and that we don't  
12 expect to have any problems in those areas.

13           And that's why I would like to ask those  
14 questions about the fact that they are one-time  
15 inspections, and they are different from the others.

16           MR. ELLIOT: The only one I can answer is  
17 the reactor vessel internal inspection and the small  
18 bore piping, those are both one-time inspections, and  
19 the reactor vessel, in terms of one time of each unit.

20           And the small bore piping inspection is a  
21 one-time inspection, and it is a volumetric inspection  
22 of the critical locations. And so these are for  
23 unanticipated cracks. We have not seen cracks on  
24 these small bores yet.

25           And it is intended to look volumetrically

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to see if we do have cracks. So that is within the  
2 scope of what you just described. I can't answer for  
3 the rest of them. I can only answer for those two.

4 MR. HALE: But your interpretation is  
5 correct. In those cases where we had a one-time  
6 inspection, it is usually to verify whether something  
7 is occurring or not, because we don't know.

8 CHAIRMAN BONACA: All right.

9 MR. HALE: Our tools tell us that we  
10 should have an aging effect, but we haven't seen it in  
11 our operating experience. So it is a one-time  
12 inspection.

13 The auxiliary feed water steam piping  
14 though I know is one that we have or are going to have  
15 periodic inspections for, and I think if you read the  
16 description you will see that.

17 But the one time inspection is one of the  
18 reasons why most of these are new programs, because  
19 they are verification, and we have not had the  
20 operating experience, and it is one of the reasons why  
21 it is a new one that we haven't done yet if you want  
22 to look at it that way.

23 Now, the steam piping inspection program,  
24 based on some recent operating experience, we have  
25 identified the need to go out and look at not only

1 internal, but the external surfaces of that piping,  
2 and we are doing that now.

3 But in terms of a formal program, we  
4 wanted to formalize it under license renewal.

5 CHAIRMAN BONACA: You are correct. The  
6 second one is not a one-time. So I was wrong.

7 DR. FORD: But in general the rationale is  
8 that you will inspect these in 30 years or 35 years,  
9 or whatever it might be.

10 MR. HALE: We would use it as information.  
11 One of the issues that the industry has right now is  
12 galvanic corrosion in treated water systems. The do's  
13 say you have it, but we have not experienced it.

14 So galvanic susceptibility, we want to go  
15 and look at -- I mean, we certainly have experienced  
16 it in salt water systems and those where you have a  
17 high electrolyte process there.

18 So some of these we have not seen the  
19 experience, but we are going to go and inspect, and  
20 see if we see anything. If we do, then we will commit  
21 to additional inspections. We don't expect to find  
22 anything, with the exception of that one.

23 CHAIRMAN BONACA: And again I am not  
24 questioning whether or not it is a problem. It's just  
25 that typically I always look for the one-time

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inspections because to me when I read that, it is  
2 telling me that you do not inspect to see a problem.  
3 You are just doing it to confirm that.

4 And if you in the verbiage you say that  
5 you are expected to find it, and then you decide what  
6 to do then, then a one-time inspection is not good  
7 enough. That may be simplistic, but we had some  
8 understanding of that some time ago.

9 MS. KEIM: At this point, I am going to  
10 hand it over to Cliff Munson, who is going to discuss  
11 the field erected tanks and internal inspection  
12 program, which does have an open item.

13 And after that, Jim Davis is going to  
14 discuss the galvanic corrosion susceptibility  
15 inspection program, which doesn't have an open item,  
16 but we wanted to highlight that program for you.

17 CHAIRMAN BONACA: Since there are a number  
18 of potential questions here coming over the next  
19 couple of presentations, and that might take some  
20 time, I think we should break now and take a recess  
21 for lunch.

22 I think we will gain some time in the  
23 afternoon, particularly in the discussion here, and so  
24 we should still stay on schedule. We will take an  
25 hour for lunch, and resume the meeting at 1:15.

1 MR. MUNSON: I must wanted to cover one  
2 thing briefly.

3 CHAIRMAN BONACA: Okay.

4 MR. MUNSON: It is just a five minute  
5 thing.

6 DR. ROSEN: Will that release you for the  
7 rest of the afternoon?

8 MR. MUNSON: Yes.

9 CHAIRMAN BONACA: Go ahead.

10 MR. MUNSON: This is one of the new aging  
11 management programs and it is a one-time inspection of  
12 these three tanks, and these are carbon steel coated  
13 tanks, and this is a new program, and so they have not  
14 developed any program requirements, in terms of the  
15 visual inspection.

16 And they have not developed acceptance  
17 criteria, and also the application was not clear on  
18 what previous operating experience there was.

19 So we asked for an REI on this, and they  
20 came back with some operating experience on the  
21 condensate storage tank and they actually recoated  
22 both of the tanks, one in '83 and the other one in  
23 '91, because of significant corrosion or degradating  
24 of the coating.

25 So we weren't clear if the demineralized



1 water source tanks or the refueling water source tanks  
2 had been inspected. So that also was part of the open  
3 item on this one.

4 So we have not yet accepted this as a one  
5 time inspection of the condensate storage tanks. We  
6 are waiting for additional information.

7 CHAIRMAN BONACA: Okay. Let's break, and  
8 we will come back at 1:15.

9 (Whereupon, at 12:15 p.m., a luncheon  
10 recess was taken.)  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

(1:14 p.m.)

CHAIRMAN BONACA: All right. The meeting is called to order, and we will continue with the presentations by the staff.

MR. AULUCK: We will continue with the aging management programs. Andrea.

MS. KEIM: We were discussing the seven new aging management programs, and Cliff Munson had gone over the field erected tanks, and internal inspection program with the open item, and now Jim Davis is going to discuss the galvanic corrosion susceptibility inspection program.

MR. DAVIS: What they have done is they have identified a number of locations where basically you have carbon steel to the stainless steel connection. We have no history of any problems with galvanic corrosion in these areas.

But they are going to do a one-time inspection just to verify that they are not having any problems.

CHAIRMAN BONACA: On all of these components?

MR. DAVIS: These are all the component systems that were selected to be looked at.

1 CHAIRMAN BONACA: Now, regarding the fuel  
2 tanks, I believe there is an open item on those?

3 MS. KEIM: Yes.

4 CHAIRMAN BONACA: Could you --

5 MS. KEIM: The field director tanks.

6 MR. AULUCK: Oh, the field director tanks  
7 are what you are talking about?

8 MS. KEIM: Yes. Can you show that slide  
9 back up again.

10 (Brief Pause.)

11 MS. KEIM: And that one had to do with the  
12 acceptance criteria.

13 CHAIRMAN BONACA: Oh, yes, I remember  
14 that.

15 MR. AULUCK: They had not developed the  
16 acceptance criteria or limiting procedures.

17 CHAIRMAN BONACA: And so all the 10  
18 elements are not fully defined, and that's what we are  
19 waiting for.

20 MR. AULUCK: Right.

21 CHAIRMAN BONACA: Okay. Thank you.

22 MR. DAVIS: Well, I missed my shot at the  
23 small bore piping inspection program before, but now  
24 that I have got an opening here with the galvanic  
25 program, I will take a crack at it from that point of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 view.

2 It is our old friend, the one-time  
3 inspection program, and galvanic corrosion  
4 susceptibility strikes me as a place where a one-time  
5 corrosion program is useful. You know, I can go in,  
6 and I can see the damage, and I can characterize  
7 damage. It is sort of visible.

8 When I look at the small bore piping  
9 program -- and until I have a crack, there is nothing  
10 to find. I can have fatigue damage accumulating, and  
11 I am not going to see squat in my one-time inspection.

12 And I am not sure that -- well, that one  
13 just doesn't strike me as the place where a one-time  
14 inspection tells me a whole lot.

15 MR. AULUCK: Well, with a volumetric  
16 inspection, you will learn something.

17 MR. DAVIS: I will learn something, but I  
18 really won't learn -- well, I will learn that I have  
19 a crack, but a fairly high fatigue damage without  
20 initiating a crack, and not see anything.

21 There is a much higher threshold there  
22 before you get visible damage, and in a case of  
23 galvanic corrosion case and the process is going on,  
24 I would expect -- well, it is really a cumulative  
25 process and I would expect to see something.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And it strikes me again as something where  
2 a one-time inspection is useful. I am not so sure  
3 that I see it, although the staff likes the one-time  
4 inspection for the small bore piping.

5 MR. ELLIOT: Well, on the small bore  
6 piping, it is for piping that we have not seen a  
7 problem. We have not really seen a thermal fatigue  
8 problem, and we have not seen a stress corrosion  
9 cracking problem.

10 DR. SHACK: So it specifically excludes  
11 all the lines like we have seen in the B&W?

12 MR. ELLIOT: That's right. It excludes  
13 all of those. If we have seen a cracking problem,  
14 like the Oconee HPI lines, those have a regular  
15 inspection program associated with that.

16 The purpose of the one-time small bore  
17 inspection is for small bore that we have not had a  
18 problem with, but we could have a problem for either  
19 stress corrosion cracking in a boiler, let's say, or  
20 a thermal fatigue problem potential for a PWR.

21 And the one time inspection is looking for  
22 whether there is a cracking problem associated with  
23 those types of mechanisms. Now, it's granted that if  
24 you do more than one that you are going to get more  
25 data, but you have to look at it as where are we going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to expend the resources to do inspections.

2 What we are saying is that we don't expect  
3 those, for anything to happen here, but just to be a  
4 little on the careful side, we are going to do the  
5 inspection.

6 DR. SHACK: So you really are almost  
7 excluding the lines where you have seen problems.

8 MR. ELLIOT: Right. The lines that we do  
9 have problems, we have the HPCI program.

10 DR. FORD: Would you mind going back to  
11 page 20, and just run down that list of the new aging  
12 programs just to confirm those. I understand that  
13 small bore piping is not a one-time?

14 MR. ELLIOT: No, it is. It is.

15 CHAIRMAN BONACA: The only one that is not  
16 a one-time inspection is the second one and the second  
17 to the last one.

18 DR. SHACK: Well, now that we have brought  
19 this slide back, I can go to the reactor vessel  
20 internal inspection. We are going to work our way  
21 right back to the beginning of your presentation.

22 The question that I had here was with VT1,  
23 and our friends with boiling water reactors have had  
24 lots of experience looking for cracks and have decided  
25 that VT1 isn't good enough to see cracks. They go to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a VT1 enhanced.

2 MR. ELLIOT: Right.

3 DR. SHACK: So these guys are doing VT1  
4 and ultrasonic, and I can justify to myself, okay,  
5 maybe I really can't see a whole lot with VT1, but  
6 they are going to do ultrasonic on the baffle bolt,  
7 and that is the most susceptible component, and I can  
8 live with it.

9 As I read the SER though, it seems to buy  
10 off on the VT1. If I saw a rationale like that in the  
11 SER, then it is good enough for that reason, and I  
12 think I would buy it. I didn't like the SER where it  
13 seemed to indicate that VT1 was really good enough to  
14 see stress corrosion cracks.

15 MR. ELLIOT: That is a good point. In the  
16 past we did have VT1 enhanced, and I noticed that in  
17 this one we didn't -- that Turkey Point didn't commit  
18 to do that.

19 DR. SHACK: But they did commit to do the  
20 ultrasonic?

21 MR. ELLIOT: Right. Right. That was for  
22 the baffle floor bolt. This will be proven out in  
23 essence, and --

24 DR. SHACK: Well, haven't you already  
25 proved it in BWR? I mean, GE didn't jump to VT1

1 enhanced because they loved doing it. They found out  
2 that they couldn't see cracks.

3 MR. ELLIOT: But Turkey Point said that  
4 their experience was that they could see cracks. That  
5 was the basis of what their experience was.

6 DR. SHACK: Well, he has a lot more  
7 experience looking for cracks in internals than BWRs.

8 MR. ELLIOT: Well, we will take that into  
9 consideration.

10 MR. HALE: I think also one of the things  
11 that we should mention, too, is that with a PWR that  
12 you are dealing with a controlled chemistry, and with  
13 a BWR it is similar to, say, a secondary steam jet,  
14 from the standpoint of the controlled chemistry in a  
15 PWR.

16 The chemistry control is not exposed to  
17 some of the issues that you were raising before, such  
18 as copper and reactor vessel, and --

19 DR. SHACK: Well, it is still a question  
20 of whether I can see a stress corrosion crack with  
21 VT1, or I have to go to a higher resolution. I don't  
22 have a problem because you guys are doing ultrasonic,  
23 but it is just the more generic kind of thing that the  
24 notion of whether VT1 would be acceptable to see  
25 cracks that I have sort of objected to.



1 MR. HALE: Well, there are a couple of  
2 things that I would like to clarify. The stress  
3 corrosion cracking we are managing with a chemistry  
4 controlled program.

5 DR. SHACK: Well, I should say IASCC.

6 MR. HALE: IASCC. Our leading indicator  
7 is the baffle bolts. That is the area, and it is  
8 fluence related. So we are using that as the primary  
9 indicator, and we are looking at that first.

10 DR. SHACK: Well, my comment was more  
11 addressed to the staff.

12 MR. ELLIOT: We understand your comment,  
13 but if they find cracks in the baffle bolts, then they  
14 have to look someplace else. And if it requires an  
15 enhanced VT1, then that is what they are going to have  
16 to use.

17 They are going to have to prove to us that  
18 they are capable of detecting those type of flaws. I  
19 mean, that is ultimately where you have to head here.

20 MR. DAVIS: In general, the way we have  
21 been going is that you want to substitute a VT exam  
22 for a volumetric exam? We have been requiring  
23 utilities to resolve a one mil fire with a visual  
24 exam.

25 DR. SHACK: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DAVIS: Which is an enhanced.

2 DR. SHACK: Which is an enhanced, right.

3 But I don't know why you just don't say that here for  
4 the RVI program. If you said one mil against a gray  
5 background, I'm a happy man.

6 MR. DAVIS: Okay.

7 MR. ELLIOT: Okay. I did not write the  
8 SER. You are putting the cart before the horse  
9 because we have not looked at the baffle form bolts  
10 yet. When we do that, and we see a problem, or if we  
11 see a problem, then this becomes something that we  
12 will have to consider.

13 CHAIRMAN BONACA: Well, Barry, we are --

14 MR. ELLIOT: You are talking about a  
15 visual examination for baffle bolts, and that is what  
16 we have been doing in the past. Where this crack  
17 occurs is at the shank and where it joins the head.  
18 And in looking at the head, you are not going to see  
19 this crack.

20 DR. SHACK: Right. Which is why the UT is  
21 so important.

22 MR. ELLIOT: Right.

23 DR. SHACK: And I am happy with the UT.  
24 As I said, the UT is what saves the day as far as I am  
25 concerned as far as really making this acceptable.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It's just the notion that I am then going to look with  
2 the baffle bolt as my leading component, and if I then  
3 want to look somewhere else for cracking, I would  
4 argue that I would need the VT1 enhanced rather than  
5 VT1.

6 But you are right. Once you find cracks  
7 in the baffle bolts, it might be a new ball game.

8 MR. ELLIOT: And we appreciate your  
9 comments, and Turkey Point does, too.

10 DR. SHACK: I have made my point.

11 CHAIRMAN BONACA: No, no, I am just  
12 puzzled because I remember slightly the discussion,  
13 but I don't remember exactly what was said regarding  
14 just visual. What you are saying is that if it leaves  
15 the impression that VT1 is adequate, then that is not  
16 the right impression.

17 DR. SHACK: That's what I am saying.

18 CHAIRMAN BONACA: Although it would be an  
19 issue for the SER, but not necessarily for the  
20 application.

21 DR. SHACK: Right.

22 MS. KEIM: Moving on to the existing aging  
23 management programs, and aging encompassed all these  
24 programs. We are going to really just highlight the  
25 Alloy 600 program, head penetrations, which is going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to be Barry Elliot discussing that.

2 MR. ELLIOT: We sort of discussed this  
3 program earlier in the morning. The reactor vessel  
4 head alloy 600 program, the program that is currently  
5 in the application is based on generic letter 97-01,  
6 and in this sense, it is part of your question of the  
7 regulatory process, too.

8 And that is that 97-01 was concerned about  
9 cracks in the nozzles themselves, axial cracks in the  
10 nozzles themselves, and that was what we were  
11 concerned about when we put out generic letter 97-01.

12 The industry responded to that concern and  
13 set up a program, and the program was leakage  
14 detection, and then volumetric inspection of selected  
15 components in selected facilities.

16 And Turkey Point, in their application,  
17 complied with that basic program. And that is what  
18 this slide says. Recently we had problems at Oconee,  
19 and they weren't the nozzle axial cracks. They were  
20 circumferential cracks associated with the J-groove  
21 weld, and the heat affected zone, a different  
22 mechanism than we had previously seen.

23 So we put out a bulletin asking industry  
24 to respond to this mechanism, and industry has  
25 responded, and the staff is evaluating the response,

1 and we will formulate with industry a resolution of  
2 the issue.

3 I just want to make one thing clear to  
4 you. The NRC does not solve the problems themselves.  
5 We resolve the problem through industry, and that is  
6 the process here.

7 We set up a process to resolve this  
8 problem, and the process for license renewal is to set  
9 up the processes within license renewal so that the  
10 issue doesn't get lost. It just stays within the  
11 application.

12 And in this case, because this is a new  
13 issue, the process is to have an open item and then to  
14 have a licensee to commit to whatever the program is  
15 that the industry develops for solving the issue in  
16 the bulletin. And that is where we are on this issue.

17 CHAIRMAN BONACA: Any questions?

18 DR. FORD: I just find it very hard to  
19 swallow when you say that it is not within NRC's  
20 pervue. I think the NRC has got to take a leadership  
21 aspect.

22 MR. ELLIOT: Let me just say that the NRC  
23 takes the initiative to identify the problem, and then  
24 we identify the problem in a way so that industry  
25 should understand where we are coming from, and what

1 we think the problem is, and then we expect to propose  
2 solutions to us.

3 And if we don't like the solution, we say  
4 it is not good and we need another rock. And this is  
5 the regulatory process. Now, we have research here,  
6 and our research is not intended to solve all the  
7 problems.

8 It is intended to look into what the  
9 industry is proposing to see if it is proposing  
10 something that we can live with, and that is how our  
11 research fits in here. There is sort of more of a  
12 confirmatory aspect.

13 Now, there are areas where our research  
14 has been not confirmatory. I will tell you that with  
15 the reactor vessel, the embrittlement, it was our  
16 research. It really wasn't industry research.  
17 And with respect to the axial cracks in the nozzles,  
18 that wasn't the NRC. That was the industry.

19 They proposed it and we went back and  
20 forth for a couple of years before we got a program  
21 that we thought was a good program, and the same thing  
22 is going to happen with the bulletin.

23 It is not going to come out next week, the  
24 answer, but the industry has proposed something and we  
25 are evaluating it, and we are going to resolve the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issue.

2 CHAIRMAN BONACA: Any more comments? All  
3 right.

4 MS. KEIM: Next will be TLAAs.

5 MR. ELLIOT: Okay. I am going to be  
6 talking about reactor vessel radiation embrittlement,  
7 and under metal fatigue, there is a fatigue issue  
8 related to the vessel, and I will talk about that.

9 Paul Shemanski will talk about  
10 environmental qualification of the electrical  
11 equipment. There is a whole list of all of the TLAAs  
12 up there. All the others don't have open issues. The  
13 three that we are going to talk about have the open  
14 issues. I'm done.

15 DR. SHACK: Barry, why was leak-before-  
16 break for RCS system piping a TLAA?

17 MR. ELLIOT: That's because of the cast  
18 stainless steel basically, is that -- you know, when  
19 they originally did the evaluation did they have  
20 saturation or not. And then we have to look and see  
21 if there is saturation, and how it impacts the leak-  
22 before-break evaluation.

23 Okay. On the reactor vessel, radiation  
24 embrittlement, there are three parts of the analysis.  
25 There is the pressurized thermal shock analysis, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 charpy upper shelf energy, and the pressure  
2 temperature limits.

3 They are all related to neutron and  
4 radiation embrittlement. The pressurized thermal  
5 shock evaluation is done in accordance with our --  
6 with the rule, 10 CFR 50.61, which establishes a  
7 methodology for determining the amount of radiation  
8 embrittlement, and it establishes screening criteria.

9 In the case for Turkey Point, they did the  
10 evaluation in accordance with the rule, the screening  
11 criteria, and the limiting material for their vessel  
12 is a circumferential weld in the belt line, and the  
13 screening criteria is 300, and the RPPTS value they  
14 calculated was 297.4.

15 So they don't have a lot of margin. So  
16 they have to keep track of the fluence and make sure  
17 that it doesn't increase the value of the RPPTS above  
18 the screening criteria.

19 DR. SHACK: Do they have flexibility? Do  
20 they have a low leakage core ready?

21 MR. ELLIOT: I would have to ask someone  
22 else.

23 MR. HALE: Yes, we have a low leakage  
24 core.

25 DR. SHACK: And that is actually taken



1 into account when you calculate your 297.4?

2 MS. THOMPSON: I don't believe we have for  
3 all the future years. We have been operating with a  
4 low leaking core for a number of years, but I think  
5 that calculation has some conservatism in it, but we  
6 do have a low leakage core installed.

7 But I don't believe we have credited it in  
8 the calculations.

9 DR. ROSEN: You see, that is the problem  
10 with this, I think, and that is that you have got 48  
11 effective full-power years on a 68 year license, and  
12 that is 80 percent capacity factor.

13 But plants are running in the 90 percent  
14 capacity factors, and so if you run 90 percent, you  
15 are going -- well, will you end up with higher than  
16 297.4?

17 MR. ELLIOT: The critical issue here is  
18 not the effective full power. It is the fluence. If  
19 you look on our SER --

20 DR. ROSEN: Well, more fluence comes from  
21 more operation.

22 MR. ELLIOT: Yes, and so that is what they  
23 have to reach. They have to keep within that target  
24 fluence. They have a target fluence and at the end  
25 of 60 years, they have to stay below 4.5 times 10 to

1 the 19th. I think that is the number in the SER.

2 DR. ROSEN: Yes. But the point is that  
3 they are going to get the 48 effective full-power  
4 years long before they get the 60 years total at 90  
5 percent capacity factors, which typically everybody is  
6 running.

7 MR. ELLIOT: But as long as their fluence  
8 stays -- the accumulated neutron fluence stays below  
9 4.5, it doesn't matter whether it is 48, or 49, or 50  
10 effective full power years.

11 It is the neutron fluence which is the  
12 issue, and as long as they keep track of that neutron  
13 fluence, and they measure what they are getting,  
14 versus what they planned on getting, to get the 4.5,  
15 then they will be fine.

16 MS. THOMPSON: We have completed almost 30  
17 years of operation on the two units, and unfortunately  
18 in the earlier years at the Turkey Point operation, we  
19 did not have that higher capacity factor.

20 So we actually didn't pick up that much in  
21 the way of BFPY. Nowadays, we do operate above 90  
22 percent, and I don't recall the exact assumption that  
23 was made for the remaining life of the unit, but it  
24 was well into the 90 percents to come up with a  
25 projection of 48 being the bounding for end of life.

1 DR. ROSEN: So for your first 30 years,  
2 you add 70 percent capacity factor, and that would be  
3 21 EFPY; and for the next 30 years, you have 90  
4 percent, and that would be 27 more. So that is your  
5 48; 21 and 27.

6 MS. THOMPSON: And that is pretty close to  
7 where we were. We just switch from 19 EFPY to  
8 P-T curves in our technical specifications.

9 DR. ROSEN: So it is going to be a close-  
10 run thing down at the end is what I am saying.

11 MS. THOMPSON: And these curves actually  
12 go in our technical specifications, and basically they  
13 stay in compliance with our technical specifications,  
14 and we have to stay within that 48 EFPY.

15 DR. ROSEN: All right. So I have voiced  
16 my concerns about how close it is going to be before  
17 you get to the end of the 60 years in terms of  
18 fluence.

19 CHAIRMAN BONACA: Well, I don't think  
20 typically that for this calculation that low leakage  
21 is being considered in it. With low leakage, the  
22 radiation is so low.

23 MR. HALE: You have to realize there is  
24 some margin in the fluence number, too.

25 DR. ROSEN: Well, I would like to get to

1 the margin question. That is where I am really  
2 heading. When you talk about 297.4 versus a 300  
3 degree screening criteria, where are the uncertainties  
4 in this calculation? Is it 3 percent?

5 MR. ELLIOT: We threw in a margin of 56  
6 degrees. That is part of the calculation.

7 MS. THOMPSON: That is a lot.

8 MR. ELLIOT: That is taking into account  
9 uncertainties in chemistry, fluence, and the  
10 calculation procedure. We threw that in. That is  
11 part of the procedure. There is an uncertainty in the  
12 procedure.

13 DR. SHACK: They build the margin or they  
14 build the uncertainty into their acceptance rather  
15 than calculate it out separately.

16 MR. ELLIOT: Right. It is all calculated  
17 as part of the calculation, exactly. Okay. Charpy  
18 upper shelf energy. 10 CFR, Append G, has  
19 requirements for Charpy upper shelf energy, and it  
20 must stay above 50 foot pounds, and if you go below 50  
21 foot pounds, you have to supplement the analysis.

22 Well, Turkey Point is one of the plants  
23 that went below 50 foot pounds. They went below 50  
24 foot pounds a long time ago. In the first 40 year  
25 license, they provided an analysis, and basically all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they have done in the 60 year license is updated the  
2 analysis to 60 years. And that is basically what they  
3 have done here.

4 Pressure temperature limits are done  
5 according to Reg Guide 1.99 Rev. 2. Again, it is a  
6 transition temperature shift that we are concerned  
7 about in the pressure temperature limits. They have  
8 submitted curves for approval for 32 effective full  
9 power years, and we have reviewed those curves and  
10 they are fine.

11 They gave us another set of curves for 48,  
12 and they did not submit them for approval, but it is  
13 just a matter of calculating it so they can actually  
14 do that.

15 And one of the issues here of interest is  
16 that they didn't use the chemistry factor ratio  
17 adjustment. If you have surveillance data, the  
18 procedure describes how you are supposed to use the  
19 surveillance data.

20 They didn't do it, and so we are just  
21 telling them here that you should do it. Now, it  
22 turns out that what they did was conservative for the  
23 data that they have now.

24 They are going to be withdrawing I don't  
25 know when, but they are going to be withdrawing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 another capsule. They could get another data point.  
2 This is one of the plants that actually has the right  
3 material in the capsules.

4 So they can actual measure the amount of  
5 embrittlement for their vessels, and when they pull  
6 that capsule, we are just telling them that when you  
7 do it that you need to use the ratio adjustment  
8 factor.

9 Now, it turns out as I said that this is  
10 a benefit for them in this case so far, and based upon  
11 the data, they could have had even a lower value than  
12 297.4, or they could have had even a less conservative  
13 if they had followed or had used their ratio  
14 adjustment.

15 They are not supposed to use a ratio  
16 adjustment unless the data is credible. We have  
17 criteria. So they followed the reg guide and the data  
18 was not credible, and so they did what they were  
19 supposed to do.

20 But it is potential that when you get new  
21 surveillance data that it could change. The data  
22 could become what we call credible according to the  
23 criteria, and then they would have to use the --  
24 instead of using the chemistry factor they used, they  
25 would have to use a different chemistry factor.

1 That's the point there.

2 The second point of interest is that  
3 normally we think of the belt liners between the  
4 intermediate shell and the lower shell, those are the  
5 shell courses.

6 But what happened is that with the longer  
7 life, all of a sudden we have a new shell course that  
8 is starting to get a large amount of radiation, and  
9 right now it is not limiting, but you still have to  
10 monitor it.

11 And that is this circumferential weld  
12 between the nozzle belt line and the intermediate  
13 shell.

14 CHAIRMAN BONACA: So it is not limiting  
15 now?

16 MR. ELLIOT: It is not limiting now, but  
17 fluences change. They change some geometries or  
18 whatever, core geometries, and if they do that, and  
19 they have to do a reevaluation, then they should also  
20 look at this other weld.

21 And we have looked at it based upon what  
22 they have told us, and it is not limiting. According  
23 to the PTS rule, if you change core geometry  
24 significantly, you have to do a reevaluation. If they  
25 have to do a reevaluation, we would like them to look

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at this other weld also.

2 DR. ROSEN: I was puzzled by the  
3 statements in the application on page 4.2-5 on  
4 pressure temperature limits. It is in Section 4.2.3.,  
5 and it is about the need for a separate license  
6 amendment which specifically requests approval of the  
7 48 EFPY prior to expiration of the proposed 32 EFPY.

8 MR. ELLIOT: Do you want me to explain  
9 that?

10 DR. ROSEN: Yes.

11 MR. ELLIOT: Okay. We give out -- what  
12 happened is that it is a tech spec. Pressure  
13 temperature limits are in the technical  
14 specifications. We only approve the curves for 32  
15 effective full power years.

16 So they can only operate this plant with  
17 those tech specs until 32 effective full power years.  
18 If they want to operate this plant beyond 32 effective  
19 full power years, they have to put a new tech spec in  
20 that is applicable for a greater period of time.

21 And they are going to have to put in a new  
22 set of pressure temperature load for that greater  
23 period of time. They have not asked us for that, and  
24 we have to approve their tech specs. That is where  
25 the amendment comes in. We have to approve the tech

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 spec amendment.

2 DR. ROSEN: Prior to 32 EFPY.

3 MR. ELLIOT: Right, because the 32 will  
4 run out.

5 MR. ELLIOT: And you are out about 21 or  
6 so now?

7 MS. THOMPSON: Yes, in that vicinity.

8 DR. ROSEN: So you have time.

9 MS. THOMPSON: We have plenty of time.

10 DR. ROSEN: You have plenty of time, 10 or  
11 12 years. But this license renewal extension, or  
12 whatever you want to call it, although it could be  
13 granted, will in fact not give you that full term  
14 until you get this changed, too.

15 MS. THOMPSON: That's correct.

16 DR. ROSEN: Why don't you get it changed  
17 now?

18 MS. THOMPSON: It was a conscientious  
19 decision that we made for some of the reasons that  
20 Barry has illustrated. Those P-T curves that were  
21 submitted that go to 32 EFPY actually are based on  
22 calculations that consider the fluence associated with  
23 48 EFPY.

24 We elected to make them applicable for the  
25 current term only because we needed that tech spec

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 amendment approved prior to this renewal application  
2 in order to continue operating.

3 Our past curves were only go through 19  
4 EFPY, and we just thought that proceeding down that  
5 path would be a more efficient process for us to do at  
6 the time, and that we would take it as a second step  
7 to move through to get the 48 EFPY.

8 DR. ROSEN: Let me see if I understand  
9 what you just said. You have got a tech spec change  
10 already approved to take you beyond 19.

11 MS. THOMPSON: Right, which we needed to  
12 continue operation even today.

13 DR. ROSEN: So you have that, and now you  
14 are in for a license renewal out to 60 years total  
15 time, 48 EFPY. But you are not asking for this change  
16 at the same time, and I still don't understand why.

17 MS. THOMPSON: Not at this time, but  
18 between now and 32 EFPY, we have the opportunity for  
19 removal of additional specimens for analysis of that.  
20 We can potentially improve those curves and give the  
21 operators more margin.

22 If not, we have performed the analysis,  
23 and we know what the answer is based on this data, and  
24 it is the same as we are operating to right now. So  
25 we know that we are in an acceptable position, but we

1 may be able to put ourselves in a better position.  
2 And so we decided to take it on an incremental basis.

3 MR. HALE: I think it is important to note  
4 that even new plants when they are licensed, in some  
5 cases were licensed with 5 year curves, or 10 year  
6 curves, and the reason is that as you move out in  
7 time, the more restrictive the curves become from an  
8 operational standpoint.

9 So sometimes you choose, well, we are  
10 licensed for 5 years, and before we reach the  
11 expiration of that, we will submit a license amendment  
12 for 10 years, and it starts narrowing down.

13 And you can impose, because you have got  
14 also your concerns over maintaining subcooling margin  
15 below, and also MPSH on the reactor coolant pumps.

16 So even new plants when they are licensed  
17 aren't necessarily licensed for 40 years for their P-T  
18 curves.

19 DR. ROSEN: So you are keeping the highway  
20 as wide as you can and for as long as you can by doing  
21 this?

22 MR. ELLIOT: Right. And then it was a  
23 timing issue like Liz said. After we had submitted  
24 the license renewal application, we needed to change  
25 the P-T curves because we were reaching our EFPY limit

1 on those P-T curves.

2 So rather than tieing up our approval of  
3 those to the 48 EFPY, we decided to go in with a 32  
4 EFPY with a license amendment that was in process and  
5 parallel with the license renewal application.

6 DR. ROSEN: Okay. Thanks a lot.

7 MR. ELLIOT: Okay. The next issue is  
8 metal fatigue, and that normally is John Fair, and  
9 Mark Hartsmen issue, but I have an open issue here.  
10 And the open issue is WCAP-15338.

11 DR. SHACK: You get all the vessel stuff  
12 anyway.

13 MR. ELLIOT: Right. So this is the vessel  
14 stuff, and in 1970 the industry discovered that for  
15 course grain forgivings, that if you had a height and  
16 heat input submerged on CLD that you could under beat  
17 cracks under the CLD.

18 The cracks generally are very, very small.  
19 They are on the order of a 10th of an inch, and really  
20 cannot be detected by ultrasonic inspection. The way  
21 this was discovered was from nozzle dropouts, and they  
22 could actually visually see the cracks.

23 This was an issue in the '70s and it is a  
24 fatigue issue, in the sense that you have existing  
25 cracks and over a certain amount of time they are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1       fatigued and grow.

2               And the question is do they grow to a  
3       large enough size that the integrity of the vessel is  
4       in question. So the industry in the early '70s did an  
5       analysis for 32 effective full power years.

6               And now we have license renewal, and so  
7       the industry has to come up with another analysis that  
8       has 60 years. It is still a fatigue issue, and we  
9       went through this one time before with Oconee, and I  
10      don't know if you remember that, but I think it is  
11      Unit 1 that has forgings.

12              And that was a B&W analysis, and this is  
13      the Westinghouse analysis that we are reviewing now.  
14      We have not finished the analysis. The analysis  
15      originally was submitted, and they used an air  
16      environment for fatigue crack growth.

17              We didn't like that. We wanted them to  
18      use the water environment, which is a little more  
19      conservative. And we also wanted them to look at what  
20      PTS events could impact Turkey Point, and they did  
21      that.

22              They did everything that we have asked,  
23      and they resubmitted it, and we are reviewing it. It  
24      has gone through a lot of review, and I think as you  
25      said, Raj, you expect it to be done by --

1 MR. AULUCK: The middle of next month.

2 MR. ELLIOT: -- the middle of next month,  
3 and that's where we stand. That takes care of  
4 everything that I have to say, and now it is Paul's  
5 turn.

6 MR. AULUCK: The last slide is  
7 environmental qualification.

8 MR. SHEMANSKI: I'm Paul Shemanski,  
9 environmental qualification on electrical equipment.  
10 There are no open items; however, we have two items of  
11 interest.

12 The first one deals with the  
13 classification of how the EQ TLAA was done by the  
14 applicant. When they evaluated EQ as a TLAA, they  
15 used 10 CFR 5421(c)(1)(i), and that basically means  
16 that the analyses remain valid for the period of  
17 extended operation.

18 Now, we disagreed with that classification  
19 because the staff believes that the reanalysis that  
20 were done, the way that we interpret that is that the  
21 analyses have been projected to the end of the period  
22 of extended operation.

23 Basically what they did was they extended  
24 the qualified life of these electrical components from  
25 40 to 60 years. They did a thermal analysis and

1 radiation analysis, and we believe that if you look at  
2 the rule that that constitutes Paragraph  
3 54.21(c)(1)(ii).

4 It turns out that it is not a big deal  
5 because it has nothing to do technically with the  
6 results that they obtained. It is just a difference  
7 of what they classify and what the staff classified as  
8 the evaluation that was done for the EQ TLAA.

9 So again there was no effect on the  
10 technical adequacy of their evaluations. Just that  
11 they decided to classify these as (i), and we believe  
12 they should have been classified as (ii). So, no big  
13 deal.

14 The second item of interest deals with the  
15 wear cycle aging effect on various motors, and in  
16 particular Westinghouse and Joy. These are  
17 containment cooler and filtration motors, and  
18 containment spray pump motors.

19 When we looked at the EQ evaluation that  
20 the applicant did, we noted that they did not  
21 adequately address the wear cycle aging effect. That  
22 is the start/stop cycles.

23 These are large motors, and when you turn  
24 them on there are significant electrical stresses on  
25 the windings, and mechanical stresses on various

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 portions of the motor, like the bearing and shaft.

2           Anyway, we had a discussion with the  
3 applicant, and they went back and determined that over  
4 the 60 year plant life that they would not exceed  
5 1,000 start/stop cycles.

6           And they did some further research and  
7 found that a EPRI power plant electrical document that  
8 claims that motors of this type are good for 35,000 to  
9 50,000 start/stop cycles.

10           So the fact that they only anticipate only  
11 1,000 cycles for 60 years, it looks like they have a  
12 tremendous amount of margin in there. So we accepted  
13 the evaluation and the bottom line is that they are  
14 going to go into their EQ file for their particular  
15 motors.

16           And they put the EPRI reference document  
17 in there so when people look at it in the future they  
18 will have assurance that the wear cycle aging effect  
19 is minimal. That's it.

20           CHAIRMAN BONACA: Now, on GSI 168, they  
21 are committed -- what is the commitment that they  
22 made?

23           MR. SHEMANSKI: Basically to follow the  
24 resolution of GSI 168 and the staff in both NRR and  
25 the Office of Research, are working on the options for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 resolution on GSI 168, and so they basically in  
2 essence committed whatever out of GSI 168, and they  
3 would comply with it.

4 CHAIRMAN BONACA: Any other questions?  
5 Okay. Thank you. So, I think we have completed this  
6 portion of the application.

7 MR. AULUCK: Is there any action item for  
8 the staff to follow up?

9 CHAIRMAN BONACA: Well, I heard that  
10 insofar as the application is concerned -- and the  
11 application is quite specific. I mean, it has  
12 ultrasonic in addition to the VT1 in that location,  
13 and that is adequate enough.

14 Are there any other issues that you feel  
15 should be action items for the staff?

16 DR. DUDLEY: I think at the end of the  
17 meeting we will need to describe and discuss what you  
18 would like to hear at the full committee meeting.

19 CHAIRMAN BONACA: I would like to do that  
20 after we hear about the Westinghouse Topical Reports.  
21 All right. With that then, why don't we move into the  
22 presentation of the Westinghouse supporting documents.

23 I had a question generally. For the B&W  
24 plants, we have the B&W topical report also about  
25 vessels.

1 MR. ELLIOT: Yes.

2 CHAIRMAN BONACA: For the Westinghouse  
3 plants, we do not have that.

4 MR. ELLIOT: No. Well, we will let  
5 Westinghouse speak for themselves here, but let me  
6 just explain to you. The Westinghouse plants, they  
7 didn't build any of the vessels. They are built by  
8 Babcock and Wilcox, and Combustion Engineering.

9 CHAIRMAN BONACA: Okay. That's what I  
10 thought actually, but I wasn't sure. It was more  
11 curiosity than anything else.

12 MR. HALE: I think one other point, too,  
13 is that you have got a much wider variety of plants in  
14 reactor vessel designs, two loops, three loops, four  
15 loops, and different power levels.

16 And we in the WOG had a difficult time  
17 coming up with a generic report on a reactor vessel.  
18 It was pretty high level and so it had to get a  
19 little more specific.

20 CHAIRMAN BONACA: All right. We do have  
21 handouts for those right, for the vessels? Yes.

22 MR. ELLIOT: The Westinghouse Owners Group  
23 life cycle management license renewal program  
24 submitted four topical reports for NRC review. They  
25 were Class I piping and associated pressure boundary

1 components; reactor vessel internals, pressuring the  
2 reactor coolant systems.

3 The Westinghouse Owners Group people are  
4 here. I know that one of them, Charlie Mayer, is  
5 here; also from the staff here is John Fair, Frank  
6 Rubelick, Mark Hartsmen, Arnold Lee, Hibo Wang, and  
7 Mohammed Razuk.

8 I just wanted to explain to you how I laid  
9 this out so you know where I am going. I divided it  
10 into three little sections; what was in the  
11 application, and which is the first part, and I will  
12 go through what is in each WCAP.

13 And then I have a page or a page-and-a-  
14 half of our staff evaluation, and then a final  
15 conclusion. So we will start with what is in the  
16 application.

17 And in every case I identified what are  
18 the materials that we are talking about here, and then  
19 what are the aging effects that were identified as  
20 being applicable for these materials and these  
21 components.

22 And then what are the aging management  
23 programs for those materials, and again effects, and  
24 then if there are any TLAAs, and that's how --

25 CHAIRMAN BONACA: Actually, they really

1 followed the license renewal formal literally for each  
2 critical component.

3 MR. ELLIOT: Yes, they did. Well, let me  
4 preference this. They did a pretty good job  
5 considering where they were. They were in the dark.  
6 I mean, a lot of the other B&W stuff were developed as  
7 they were the doing the Oconee application. So they  
8 had the advantage of hearing a lot of the issues as we  
9 were developing them.

10 In the case of the WOG, a lot of these  
11 topical reports were developed before we even had  
12 applications. So they were going in the dark, and  
13 they were trying to figure out what the issues were.

14 So what you are going to hear is that we  
15 had a lot of open issues and a lot of action items,  
16 but that's because of the way that they were operating  
17 in the dark here without any previous application to  
18 go by.

19 And then when I go through the applicant  
20 action items, the ones are -- you are going to hear a  
21 lot of the same ones. We discussed Oconee, and Hatch,  
22 and it is the same set of issues.

23 CHAIRMAN BONACA: I would like to ask that  
24 as far as you know is there any plan on the part of  
25 the WOG to go back to those four topicals and

1 disposition some of these issues given now that they  
2 have experience on the applications themselves?

3 MR. ELLIOT: Well, all the items were  
4 answered by the applicant.

5 CHAIRMAN BONACA: I understand.

6 MR. ELLIOT: So they have included in  
7 their application, somewhere in their application,  
8 they have addressed all these issues. Like the small  
9 bore piping, and the reactor vessel internals program,  
10 and the fatigue issues.

11 Those are all applicant action items that  
12 we addressed that were highlighted during the previous  
13 applications, and they are being carried out here in  
14 their applicant action items for the topical reports.

15 CHAIRMAN BONACA: Well, what I meant to  
16 say is that given what they know now, it could be more  
17 dispositioning writing the topical reports, rather  
18 than left to the applicants, and that could be  
19 convenient to the future applicants.

20 MR. ELLIOT: Can I just answer that?

21 CHAIRMAN BONACA: Yes.

22 MR. ELLIOT: I hope that we are going to  
23 have GALL. I hope they are going to implement GALL,  
24 and if they implement GALL correctly, and they just  
25 say they meet GALL, and where they don't meet GALL.

1 CHAIRMAN BONACA: I understand.

2 MR. ELLIOT: And my preference would be  
3 that the --

4 MS. THOMPSON: I think the answer is that  
5 the WOG does not plan on going back and revising those  
6 and to address those, and there is a couple of reasons  
7 for that.

8 One is that as Steve had mentioned earlier  
9 that there is quite a broad spread of design  
10 information that is applicable to various different  
11 components in the Westinghouse class, versus some of  
12 the other NSSS suppliers.

13 The second reason is that looking at the  
14 industry and the staff's resources, we are focused  
15 largely on individual applications now, and if we were  
16 to put something else on the table for the staff  
17 review, we realize that would also take away from  
18 their ability to deal with the applications on their  
19 table.

20 So I think it is a balancing act there,  
21 and I believe that each applicant will probably be  
22 able to address these open items.

23 MR. HALE: Now, we are also -- the WOG is  
24 taking our response and preparing information for all  
25 the Westinghouse plants, and they will have that

1 available as a source of information that here is the  
2 way that Turkey Point addressed this issue, and they  
3 will have that information available.

4 CHAIRMAN BONACA: Okay.

5 MR. ELLIOT: All right. The slide is  
6 self-explanatory. The piping and fittings, and value  
7 bodies, and bonnets and casings are all stainless  
8 steel, and the reactor coolant bolting are alloy  
9 steel; and the valve bolting are carbon steel, alloy  
10 steel, and stainless steel.

11 The aging effects identified are fatigue  
12 related cracking, corrosion of external surfaces  
13 caused by leakage of borated water; and reduction of  
14 fracture toughness due to thermal aging of cast  
15 stainless steel.

16 And loss of material caused by wear of the  
17 reactor coolant pumps and values bolted closure  
18 elements; loss of bolting preload caused by stress  
19 relaxation of bolted closures. That is what is  
20 identified as the aging effects.

21 Now, to manage those aging effects, the  
22 WCAP takes credit for in-service inspection and test  
23 requirements of ASME Code, Section XI, and ASME/ANSI  
24 operation and maintenance standards to manage the  
25 aging effect of wear.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 And in-service inspection requirements of  
2 Section XI to manage stress relaxation. The  
3 commitments of applicants and licensees to NRC Generic  
4 Letter 88-05, to manage corrosion caused by borated  
5 water leakage.

6 And they also would like to have taken  
7 credit for analysis methods and inspection  
8 requirements to manage fatigue related cracking.

9 And to identify analysis methods and  
10 inspection requirements to manage the reduction in  
11 fracture toughness due to thermal aging. The WCAP-  
12 14575 identifies TLAAAs as fatigue and leak-before-  
13 break evaluations. That is the piping WCAP.

14 The next WCAP is reactor vessel internals,  
15 and the reactor vessel internals are stainless steel  
16 and nickel based alloys. The aging effects are  
17 identified as reduction of fracture toughness due to  
18 neutron irradiation of high neutron fluence  
19 components.

20 And irradiation-assisted stress corrosion  
21 cracking of high neutron fluence components; and the  
22 irradiation creep of baffle/former and barrel/former  
23 bolts.

24 A combination of stress relaxation and  
25 high-cycle fatigue for preloaded components; and wear



1 of components that experience axial sliding and  
2 components that constitute the interface between  
3 structural components; and void swelling of high  
4 neutron fluence components.

5 The WCAP for these aging effects, the  
6 programs are four; for fracture toughness and  
7 radiation stress corrosion, cracking, and void  
8 swelling.

9 They take credit for the in-service  
10 inspection of the ASME code, and the results from the  
11 PWR materials reliability project. That is a program  
12 that is going on now, and that is to develop  
13 inspection criteria, and inspection methods, for these  
14 aging effects.

15 And I think they also take credit for the  
16 in-service inspection requirements of ASME Code,  
17 Section XI, of accessible surfaces of PWR core support  
18 structures, excluding the baffle/former, and  
19 barrel/former bolts, to manage stress relaxation, and  
20 wear of keys, inserts, and pins, or they want to take  
21 credit for noise monitorings as a way for doing the  
22 examination.

23 Ultrasonic and eddy current examination is  
24 proposed per responses to I&ED Bulletin 88-09 to  
25 manage the wear of the bottom mount instrument tube

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 flux thimbles.

2 And augmented ultrasonic examination is  
3 recommended for baffle/former and barrel/former bolts  
4 to manage the aging effects of these components.

5 And they would like to take credit for in-  
6 service inspection requirements of ASME Code, Section  
7 XI, as a fatigue management program. And then for the  
8 internals, the only --

9 DR. ROSEN: Slow down.

10 DR. FORD: I have a question. What you  
11 are doing is just recording what is in these various  
12 documents.

13 MR. ELLIOT: Yes. Later on I am going to  
14 tell you what we agree on and what we don't. I  
15 haven't told you that yet.

16 DR. FORD: Oh, okay. Fine.

17 MR. ELLIOT: WCAP-14575 identifies fatigue  
18 as a TLAA. And the next WCAP is the pressurizer, and  
19 there is a whole list of a lot of different materials  
20 and components in the pressurizer.

21 These are pretty interesting components.  
22 It has got case and stainless steel, and in case they  
23 have alloy steel bolts and alloy steel forgings; and  
24 they also have Inconel 182/82, as well as stainless  
25 steel in some components.

1 DR. SHACK: Is that a vintage thing, that  
2 the early ones were done with stainless steel butters,  
3 and then somebody decided to put some improvements in?

4 MR. ELLIOT: I don't know that much about  
5 the design of Westinghouse. I know that some have --  
6 in the case of Turkey Point, they have stainless steel  
7 instead of the 82/182.

8 And there are some that have the 82/182.  
9 It is a vintage question and I asked Westinghouse  
10 that, and the answer was vintages, if they have an  
11 answer.

12 DR. SHACK: And Framatome has always stuck  
13 to stainless steel.

14 MR. ELLIOT: Right. But in the  
15 pressurizer report, they have a list of which ones  
16 have --

17 DR. SHACK: Oh, they do?

18 MR. ELLIOT: Yes. I saw that in the WCAP  
19 when I read it. So in the WCAP, it has a list of  
20 which ones have 82 and which have stainless steel.

21 And these are the materials. The aging  
22 effects offer fatigue related cracking, and primary  
23 water stress corrosion cracking of Inconel 82/182 weld  
24 metal and sensitized stainless steel safe ends.

25 The WCAP takes to managing these aging

1 effects is the in-service inspection requirements to  
2 ASME Code, Section XI, and a fatigue management  
3 program to manage fatigue.

4 And then the in-service inspection  
5 requirements of Section 11 to manage primary water  
6 stress corrosion cracking of Inconel 82/182 weld  
7 material, and sensitized stainless steel safe ends.  
8 And then the TLAA -- the only TLAA is fatigue.

9 The last WCAP is the WCAP on reactor  
10 coolant system supports, and we are talking about  
11 steel components and concrete embedments. The aging  
12 effects for these components are loss of material and  
13 decrease of strength of steel components resulting  
14 from aggressive chemical attack and corrosion.

15 The loss of material and decrease of  
16 strength of concrete embedments resulting from  
17 aggressive chemical attack and corrosion. And then  
18 stress corrosion cracking of bolting.

19 The aging program to manage these aging  
20 effects are in-service inspection requirements of ASME  
21 Code, Section XI, and leakage identification walkdowns  
22 to manage aggressive chemical attack and corrosion for  
23 steel components.

24 And then in-service inspection to American  
25 Concrete Institute 349 Code, and leakage

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 identification walkdowns to manage aggressive chemical  
2 attach and corrosion for concrete embedments.

3 In-service inspection requirements of ASME  
4 Code, Section XI, to manage stress corrosion cracking  
5 of bolting.

6 And the WCAP indicates that there were  
7 plant specific action items; that the applicant must  
8 identify program necessary to ensure proper preload is  
9 maintained; and the applicant must address the effects  
10 of irradiation on concrete components; and the  
11 applicant must address inaccessible areas.

12 The only TLAA here was WCAP-14422, which  
13 identified fatigue. That is what was in the summary  
14 of what was in the application. I am not going to go  
15 through with the entire staff evaluation, but just the  
16 areas that I think are important.

17 The first one is the WCAP on Class I  
18 piping and associated pressure boundary piping. We  
19 set out applicant action items. We wanted the  
20 applicant to evaluate the impact of halogens in  
21 insulation on stress corrosion cracking of stainless  
22 steel piping.

23 That is one of the things that was missing  
24 and that we thought was not enough description of how  
25 it was going to be done. So that is a plant specific

1 license application item.

2 We have guidance in that area, Reg Guide  
3 1.36, for non-metallic thermal insulation for  
4 stainless steel components. We also wanted them to  
5 perform a volumetric inspection of small bore piping  
6 that is susceptible to stress corrosion cracking or  
7 unanticipated thermal fatigue resulting from thermal  
8 stratification or turbulent penetration.

9 In the past, we have accepted both a  
10 deterministic evaluation or a risk-informed evaluation  
11 to identify the locations for the small bore  
12 volumetric inspection. In the case of Turkey Point,  
13 they did a risk-informed evaluation.

14 And the area we think it was needed was to  
15 evaluate the susceptibility of cast stainless steel  
16 piping to thermal embrittlement. Since the issue of  
17 this particular WCAP, EPRI has put out a report which  
18 highlights the criteria, and this criteria is based  
19 upon Oregon test data, and the staff has reviewed the  
20 EPRI document, and it is EPRI TR106092.

21 And in a letter dated May 19th of 2000  
22 from Chris Grimes to EPRI, we have established  
23 criteria now for evaluating all cast stainless steel  
24 to thermal embrittlement.

25 And we want all the applicants to evaluate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 their material using that criteria. Now, remember  
2 that I talked about the TLAAs. We want them to  
3 perform a plant specific fatigue evaluation. We  
4 didn't accept the total methodology that was in the  
5 WCAP. So this is a plant specific action item. And  
6 then we wanted them to do a plant specific leak-  
7 before-break analysis assessment to assessment  
8 margins.

9 The criteria for this leak-before-break  
10 analysis is contained in NUREG 10-61, and the TLAA  
11 issue here is thermal embrittlement of cast stainless  
12 steel.

13 DR. FORD: Okay. Barry, on the subsequent  
14 ones, you have picked out some significant issues.

15 MR. ELLIOT: Right.

16 DR. FORD: What was the quantitative basis  
17 for saying that those are significant?

18 MR. ELLIOT: It is the ones that I like to  
19 talk about.

20 CHAIRMAN BONACA: But why did you choose  
21 these?

22 MR. ELLIOT: Because there are some issues  
23 in here that -- well, there are 10. I mean, I could  
24 read all 10 of them, and you could read all 10 of  
25 them, and I looked at all 10 of them and I said these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are the most significant ones to me.

2 Now, there are some that are most  
3 significant. They are all significant or else they  
4 wouldn't be in there. There are three that I consider  
5 administrative, in the sense that you bound the  
6 report, and do you have an FSAR, and there are a whole  
7 bunch of those.

8 And then there is a couple that I thought  
9 were less significant and so I didn't put them in  
10 here. And you can go through the list just like I  
11 can, and if you think there is one in here that you  
12 want me to talk about, go right ahead.

13 DR. FORD: I recognize about the  
14 procedural ones, but I have to put myself in the  
15 position of being one of the utilities, whoever it  
16 might be. And they have all these address this, that,  
17 and what have you.

18 MR. ELLIOT: They have to address them  
19 all.

20 DR. FORD: Well, they have restricted time  
21 and manpower and how do they allocate that in terms of  
22 prioritization?

23 MR. ELLIOT: They have to do all 10. They  
24 have to do every single one. They have to answer  
25 every single one. I am only doing 10 because I am



1 standing in front of you now here and I think these  
2 are technical issues that I think that are pretty  
3 important that I want to highlight for you. That's  
4 why.

5 I just want to highlight the important  
6 technical issues for this committee, and I could go  
7 read them all, but that would not be highlighting  
8 them. I want to highlight the important ones. I  
9 think these are very important.

10 DR. FORD: And did you have a good reason  
11 for highlighting them?

12 MR. ELLIOT: Yes.

13 CHAIRMAN BONACA: Are you telling the  
14 licensee that the others are not important?

15 MR. ELLIOT: No, they are all important  
16 and every one is significant, but these are the  
17 highlighted ones.

18 DR. FORD: I hate to be pushing on this,  
19 but it is one of the things that I am getting  
20 frustrated about. I have yet to see any numbers in  
21 any of these things, and I have yet to see a number or  
22 a data point.

23 I haven't seen one data point in the five  
24 months that I have been on this committee, and it is  
25 frustrating. And I have no idea what the margin of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 safety is, how much you can push that margin of safety  
2 based on fact. I haven't seen it.

3 And that's why I asked you why do you think  
4 quantitatively why these are important.

5 MR. ELLIOT: Because I don't want to see  
6 halogens on the stainless steel components.

7 DR. FORD: Sure.

8 MR. ELLIOT: And I think that is an  
9 important thing that the applicant should take care  
10 of. I think that small bore piping -- I can't depend  
11 upon a leak-before-break there. So I have got to have  
12 something and I want to have some kind of inspection.

13 And the cast stainless steel, we have a  
14 lot of data there, and we want to make sure that data  
15 gets implemented as part of the aging management  
16 programs.

17 DR. FORD: Let me ask another question.  
18 When the staff reviews these LRAs do they in fact see  
19 data?

20 MR. ELLIOT: We see programs. We only see  
21 data if we ask for the data. We see programs, and we  
22 see aging effects, and they have to meet the rule.

23 The licensee has three parts to meet in  
24 the rule. They have to have a scoping to show that  
25 all of the components are within scope. That the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plants are in scope, and they have to define the aging  
2 effects, and they don't have to have quantities there.

3 They just have to postulate aging effects  
4 based upon their experience on what aging effects are.

5 DR. FORD: I come from a different world,  
6 but I fail to see how any regulatory body can make any  
7 definitive statement unless you see data.

8 DR. SHACK: But he does. I mean, as he  
9 said, the EPRI report is what he does the cast  
10 stainless steel on. And they have reviewed the EPRI  
11 report and accepted it, and it has got the data.

12 But they are saying is that the Turkey  
13 Point people have to commit to using the data analysis  
14 method to do it. They don't have to see the data over  
15 and over again.

16 MR. ELLIOT: We have data for thermal and  
17 brittle cast stainless steel. We know where it  
18 saturates, and we set up criteria so that we know what  
19 is susceptible and what is not susceptible.

20 We simplify it. We don't go and say go  
21 tell us what is susceptible. We say use this criteria  
22 here and tell us what is susceptible.

23 DR. SHACK: I suppose they could come back  
24 in and argue with me.

25 MR. ELLIOT: They certainly could.

1 CHAIRMAN BONACA: I really think a couple  
2 of things. One is clearly license renewal documents  
3 at the end is nothing else but a series of management  
4 commitments in the areas where a need for managing  
5 aging effects have been identified.

6 Now, those commitments are then translated  
7 into very specifics for reports about what kind of  
8 techniques, what kind of locations, what kind of  
9 issues, and so on and so forth.

10 So you can go down to the specifics in  
11 each one of them, and it doesn't happen at this level  
12 because those commitments are already in existing  
13 topical reports, and in core licensing basis, and so  
14 on and so forth.

15 However, I would say -- and we discussed  
16 this briefly with some of you during the break -- it  
17 is frustrating to a reviewer maybe when one looks at  
18 an application or a self-evaluation report on a  
19 license renewal.

20 And I thought that probably it would be  
21 worthwhile to have in SERs like a 3 or 4 page  
22 description of this logic of what really the intent of  
23 the license renewal work is. It is the establishment  
24 of commitments, and how that merges together with the  
25 current CLB and commitments that exist.

1           Because I think that would provide some  
2 explanation, and it could be almost like three pages,  
3 a boiler plate description, that is used in front of  
4 every SER so that the reader comes in and has an  
5 understanding that the world doesn't start and end  
6 here.

7           I think that there has to be some  
8 explanation somewhere, because if you pick up the SER,  
9 and you read it through, you don't get that kind of  
10 feeling, and I know that we have gone with questions,  
11 each one of us, to Mr. Grimes on how do you do this,  
12 and he has explained it to us many times. So we are  
13 slowly learning and appeasing our frustration I guess  
14 that way.

15           But I think just the communication issue  
16 of what the license renewal application is supposed to  
17 do in addition to the core relicensing commitments.

18           DR. ROSEN: Let's talk about frustration  
19 again. This is one of the things that you talked  
20 about and this was brought up on the circumferential  
21 weld, the 297 degrees.

22           And the answer was we got 56 degrees of  
23 uncertainty or margin, and so to think about 56  
24 degrees and added to 241, and you get your 297. That  
25 sounds like a lot, but you really have to do an

1 absolute temperature before you realize if you are  
2 going to do any kind of assessment like that.

3 So when you do it in absolute temperature  
4 terms, it is really not that much. It is about 8  
5 percent.

6 MR. ELLIOT: Well, the 56 is an  
7 engineering number.

8 DR. ROSEN: Well, that is my frustration.  
9 I have no clue how you got the 106 degrees as being  
10 adequate as an uncertainty in this case.

11 MR. ELLIOT: We use the least squares  
12 method of evaluation. We have two values that go into  
13 it that, and we have the uncertainty in the initial RT  
14 NDT, which is what you start from, and then we have an  
15 uncertainty in the shift in reference temperature.

16 WE combine those two using the least  
17 squares method, and we come up with a margin term.  
18 That is how we develop it. If you read the preamble  
19 to our safety evaluation, it describes all of that.  
20 We describe that in the safety evaluation in that  
21 section.

22 DR. ROSEN: But I don't see the data.

23 MR. ELLIOT: Excuse me, hold it. The data  
24 was the data that we used to develop Reg Guide 1.99  
25 Rev. 2. It is all the surveillance data that we have

1 accumulated to make that Reg Guide.

2 There is hundreds of data points. That  
3 was originally reviewed I'm sure by the ACRS at one  
4 time or another, and endorsed that Reg Guide, and that  
5 margin term comes from that Reg Guide. So that is not  
6 a license renewal issue. That was an issue of the Reg  
7 Guide.

8 DR. ROSEN: I have not seen the data. You  
9 see, I'm not bound by what the ACRS did in the past.

10 MR. ELLIOT: Well, if you already looked  
11 at it, it is a Reg Guide, Reg Guide 1.99 Rev. 2, and  
12 there is an analysis the staff did based on the data  
13 to find out how in margin term what was to be  
14 included.

15 DR. ROSEN: I can't conclude sitting here  
16 without having done all of that, that because it is so  
17 close to the screening criteria, that that amount of  
18 margin that you built in is in fact soundly based.

19 What if I were to take it myself and do  
20 the analysis over, and I got 65 degrees of margin  
21 instead of 56. Then they would be over the screening  
22 criteria. Then what would have happened? Tell me  
23 what the next step would be.

24 MR. ELLIOT: If they were over the  
25 screening criteria, the rules say what you have to do.

1 But in all likelihood they would not be sitting here  
2 now.

3 DR. ROSEN: What is that that they would  
4 have to do if they were over the screening criteria?

5 MR. ELLIOT: The Reg Guide says you have  
6 to have a supplementary analysis to be done to show  
7 that PTS is not a concern. There is a supplementary,  
8 and you have to look at your plant specific PTS  
9 events, and how you could mitigate those PTS events.

10 And you have to do a whole basic  
11 probablistic fraction mechanics evaluation to show us  
12 that you could meet the criteria. We have another  
13 criteria, another Reg Guide, where we have established  
14 a criteria that we would have to meet with this other  
15 if they go over the screening criteria, and you could  
16 argue with that.

17 But that was reviewed by the Commission,  
18 and we put it on SECE 82-465, and if they meet that  
19 criteria for a PTS event, failure frequency, we would  
20 accept that.

21 DR. ROSEN: We have not done that many of  
22 these little license renewals yet, Mario, but can you  
23 help me understand how close the other people, the  
24 other licensees, have been to the screening criteria  
25 for the circumferential weld? Is this the closest one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 we have seen?

2 CHAIRMAN BONACA: No, they are pretty  
3 close.

4 MR. ELLIOT: I will answer that. Most of  
5 them are not close. Oconee was very close. One of  
6 the Oconee units --

7 DR. ROSEN: Most of them are not close?

8 MR. ELLIOT: Yes, most of them have not  
9 been close. Oconee was very close. One of the Oconee  
10 units was like 2 or 3 degrees. It was like this. It  
11 was very close. It was not a circumferential. It was  
12 an axial.

13 DR. ROSEN: You have to remember that the  
14 300 degrees was set up by sort of a bounding analysis  
15 for the PTS events. So it has the conservatism built  
16 in. I mean, it is a probablistic fracture mechanics  
17 analysis, but it is a bounding probablistic fracture  
18 mechanics fracture analysis.

19 And what you would do when you hit the  
20 screening criterion is to do a plant specific, and  
21 Barry said probablistic fracture analysis. So there  
22 really is a fair amount of margin built into the 300.  
23 It was intended to be a bounding generic analysis.

24 CHAIRMAN BONACA: This is really a  
25 screening criteria.

1 MR. ELLIOT: Yes, it is a screening  
2 criteria on whether you have to do a plant specific  
3 evaluation. That's all it is. It is a screening  
4 criteria to determine whether or not you have to do a  
5 plant specific evaluation.

6 If you are below the screening criteria,  
7 we think that you have -- because of the way that we  
8 set up the curve or the analysis, you have adequate  
9 margin.

10 DR. DUDLEY: Now, would you have done that  
11 for all of the licensees for 40 years?

12 MR. ELLIOT: That screening criteria that  
13 I am talking about is done based upon fraction  
14 mechanics and it is not done for any amount of years.  
15 It is done or based upon fraction mechanics, and  
16 postulated transients for BWRs.

17 This was a generic issue, and it was  
18 resolved in SECE 82-465, and this is how we got to  
19 this screening criteria. This was looked at for  
20 years, and this is how we resolved it.

21 MS. THOMPSON: Barry, if I could add, I  
22 believe that the methodology, the uncertainty terms,  
23 the stipulation of what constitutes data that can be  
24 used and so forth, is all under 50-61 if I am not  
25 mistaken; 10 CFR 50-61 is it?

1 MR. ELLIOT: That is the rule that governs  
2 the criteria, and what you do above the criteria.

3 MS. THOMPSON: It is quite explicit  
4 actually in the process that we follow for analyzing  
5 the data, and the staff typically does a confirmatory  
6 analysis really to come up essentially with the same  
7 values.

8 And if we were not able to meet the  
9 screening criteria, then we would go through staff  
10 review again for the subsequent analysis that would be  
11 done, and basically those are really stipulated by  
12 regulation at this point. I believe it is 50-61 if I  
13 recall correctly.

14 MR. ELLIOT: And the staff has done the  
15 review of their analysis?

16 MR. ELLIOT: We reviewed their PTS's in  
17 accordance with 10 CFR 50.61, and they meet it, and  
18 are satisfied that they are under the screening  
19 criteria of 297.4. We wrote it up in the SER.

20 DR. SHACK: No, I think he is saying to  
21 you do you check their calculations?

22 MR. ELLIOT: Yes, we check their  
23 calculations.

24 MR. HALE: In fact, if you are interested,  
25 we summarized all those calculations in the REI

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 response.

2 MS. THOMPSON: There is a specific REI on  
3 this particular item, and typically --

4 DR. ROSEN: Could you give me a reference  
5 to it? Not now, but later?

6 MS. THOMPSON: Yes, absolutely.

7 MR. ELLIOT: And the reviewer checks the  
8 calculation. I want you to understand that we just  
9 don't say to you -- well, this is not a hard  
10 calculation. For our reviewers, this is what we do.  
11 We check out calculations.

12 This is a very important issue for us, and  
13 so we don't want them to go over the screening  
14 criteria. So we check that. We have to check the  
15 pressure limits and that requires an embrittlement  
16 calculation. We check that.

17 Upper shelf energy evaluations, and if it  
18 says above 50 foot pounds -- and in this case it  
19 doesn't matter because they are below it.  
20 But if a plant says they are above 50 foot pounds, we  
21 check it. We get to check their margin calculation if  
22 it is below 50 foot pounds.

23 DR. SHACK: Right.

24 DR. ROSEN: And here again I presume that  
25 one of the parameters in this regulation, in the Reg

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Guide and database, is fluence?

2 MR. ELLIOT: Yes, definitely. Our Reg  
3 Guide for radiation transition temperature shift is a  
4 function of neutron fluence, and the amount of copper,  
5 and the amount of nickel.

6 DR. ROSEN: So if any of those shift by  
7 any amount --

8 MR. ELLIOT: Well, copper and nickel  
9 should not shift. That is what they fabricated it  
10 with.

11 CHAIRMAN BONACA: But fluence can change?

12 MR. ELLIOT: Built into the rule is a  
13 stipulating that if you change the basis design of the  
14 core so that the neutron fluence changes  
15 significantly, they have got to come back and tell us  
16 the recalculation all over again.

17 It is built into the rule. It even  
18 specifies the accuracy to which they have to calculate  
19 the fluence.

20 CHAIRMAN BONACA: Right.

21 DR. SHACK: But the copper and nickel --

22 MR. ELLIOT: Well, the copper and nickel  
23 is another issue. The copper and nickel was a problem  
24 for a long time, and we put out a generic letter, 92-  
25 01, and then we put out a 92-01 supplement, and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think we now have it pretty good.

2 We know that copper and nickel for all the  
3 vessels in the United States, and that data is in the  
4 reactor vessel integrity database, and it is on the  
5 NRC home page. Well, not home page, but one of those  
6 things, and you can get to it.

7 DR. ROSEN: So let me understand this. If  
8 this number had been submitted by the applicant as  
9 299.4 instead of 297.4, it would have said the same?

10 MR. ELLIOT: That's right.

11 DR. ROSEN: And if he had said it was  
12 299.9, it would have said the same thing?

13 MR. ELLIOT: No, we have to calculate it,  
14 recalculate it at 299.9.

15 DR. ROSEN: And they were okay.

16 DR. SHACK: It is just like ASME code  
17 calculation. If the allowable stress is 50 KSI, and  
18 you come in at 14.9, you are golden. If you come in  
19 at 15.1, you have a problem.

20 CHAIRMAN BONACA: Well, the screenings say  
21 you have to do specific calculations.

22 DR. ROSEN: Well, we have specific numbers  
23 that people have to hit all the time, and there are  
24 various rules and codes, and we have essentially built  
25 the margins into those acceptability limits.

1 I mean, that is the real secret. Nobody  
2 believes that you calculate the numbers that  
3 accurately, but you have put the margin into the  
4 acceptance limit. And I got a little excited when I  
5 saw numbers, Peter, and then I said, wait a minute, I  
6 must have read that wrong.

7 MR. ELLIOT: This is one of the areas  
8 where we actually have numbers.

9 DR. ROSEN: But then I realized very  
10 quickly that I didn't have any numbers. I just had  
11 answers. I didn't have any rationale for them.

12 DR. DUDLEY: On NUREG 15.11, that has a  
13 database in it?

14 MR. ELLIOT: No, it doesn't This is not  
15 the database. NUREG 15.11 is the status report. That  
16 is the status report on all the reactor vessels in the  
17 United States with respect to upper shelf energy, and  
18 PTS.

19 The actual database -- no, that's not it.  
20 The database is controlled -- I have to go to Oak  
21 Ridge. Oak Ridge has the entire database. And by the  
22 way, they are looking at whether or not they should  
23 revise all of this. This is all commercial reactive  
24 data that was in 1982.

25 DR. ROSEN: What if they revise all of

1 this and now the database only supports 295?

2 MR. ELLIOT: Then we have a lot of plants  
3 that are going to have to do something.

4 DR. DUDLEY: There is an ongoing research  
5 project in the Office of Research where they are  
6 reevaluating the PTS screening criteria.

7 MR. ELLIOT: That's right.

8 DR. DUDLEY: And they are attempting to  
9 identify all the uncertainties of the numbers that go  
10 into the calculation, and the assumptions for the  
11 scenarios that would get you into the PTS event, and  
12 wrap those into a single program which comes out with  
13 a probability of reactor vessel failure, and the  
14 associated uncertainties.

15 DR. ROSEN: But look at the margins for  
16 lower shelf and intermediate shelf. It is Unit 4 to  
17 use the worst case at Turkey Point, and under the best  
18 case Turkey Point is 64.7 degrees on the lower shelf,  
19 and it has a screening criteria of 270 degrees. You  
20 have an enormous amount of margin.

21 MR. ELLIOT: Right, because it has very  
22 little copper.

23 DR. ROSEN: But then when you go to the  
24 circumferential weld, it is this tiny little thing.

25 DR. SHACK: It wasn't a good idea to add

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 copper to the weld.

2 CHAIRMAN BONACA: But if you look at the  
3 technical foundation of the criteria used to make the  
4 judgment, you get comfortable about the conservatism  
5 built into the calculation. I mean, the confidence  
6 level of the vessel ability to withstand the PTS, this  
7 big transient, given that criteria, it is so high.

8 MR. ELLIOT: Well, it is very low. The  
9 failure probability is low.

10 DR. ROSEN: Well, I am way out of my depth  
11 in materials and metallurgy. That's where I rely on  
12 Dr. Ford to have the requisite level of confidence.

13 CHAIRMAN BONACA: Well, if you take any  
14 one of those bullets there and you go to the  
15 references that support the application, you will find  
16 a lot of numbers.

17 In fact, you lose yourself into those, and  
18 then soon enough you commit suicide probably if you  
19 want to read them all because there is so much there.  
20 So there is plenty of technical information.

21 DR. ROSEN: But, Mario, my sense of this  
22 application is that there is a very broad degree of  
23 conservatism and good engineering practice, and  
24 prudence in this application.

25 In this one area, it looks like it skins

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 right up against the criteria. It as close as one  
2 could go realistically, without having to do a whole  
3 lot of different things.

4 CHAIRMAN BONACA: But you have to look at  
5 it and it is not intended to be my judgment of fail  
6 safe criteria. This actually is a determination of  
7 whether or not you do some more homework or not.

8 DR. ROSEN: And so if you wanted to be  
9 conservative, and if you were, for example, at a  
10 national laboratory, one could say that we did it at  
11 this calculation and it comes out to 297.4, and that  
12 is pretty close to the screening criteria, and so we  
13 are going to do a plant specific analysis in addition  
14 and submit it, just so you get a sense of what the  
15 real answer is.

16 MR. ELLIOT: Well, we already did that,  
17 and that's how we got the 300. That's how we did  
18 that. We did a lot of probability studies on  
19 transients and fracture mechanics evaluation, and that  
20 is how we got the 300 and the 270 screening criteria.

21 DR. DUDLEY: And as I remember, your  
22 margin criteria was based on the relationship to the  
23 event being less than 10 to the minus 6th probability.

24 MR. ELLIOT: Well, less than 10 to the  
25 minus 6th was the probability of failure we were

1 looking for of the vessel, and then we threw that --  
2 the mean value came out to be like 210 or something  
3 like that for all the studies.

4 And so we threw the 56 in and it came to  
5 260, and then we had another study for the  
6 circumferentials and that is how we did it. This had  
7 a tremendous database of analysis to get the screening  
8 criteria.

9 And the analysis had margins in it to get  
10 to the 5 times 10 to the minus 6 failure probability,  
11 and that's how we got the screening criteria.

12 DR. SHACK: Putting it into PRA terms,  
13 think of it as the difference between the containment  
14 design pressure and the containment failure pressure.

15 CHAIRMAN BONACA: Yes, I would say that  
16 there is even more margin there.

17 DR. SHACK: And in fact a lot of times you  
18 will end up with a containment design pressure, like  
19 60, and you hit 59.7, and the main steam line break or  
20 large break --

21 DR. ROSEN: In some plants, you hit 36.

22 DR. SHACK: They still breathe easy when  
23 they hit 59.7.

24 DR. ROSEN: SECE 82.465 has got the  
25 background on how to select this circumferential weld

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for screening.

2 MR. ELLIOT: No, that is the background  
3 for the PTS rule. If you want to know how to do the  
4 calculation, it is Regulatory Guide 1.99 Rev. 2. But  
5 it is also in the rule. And Reg Guide 1.99 Rev. 2 has  
6 also been implemented into the rule itself, which is  
7 10 CFR 50.61.

8 DR. FORD: All right. Can we get back to  
9 Turkey Point? On the 11 renewal applicant action  
10 items, I recognize that the old REIs was done before  
11 this came out as I understand it.

12 Looking back on it do you think that the  
13 REIs took into account those 11 action items? I think  
14 Al said there had been some REIs on many of those  
15 items; is that correct?

16 MR. ELLIOT: Yes. The applicant responded  
17 to these items, and I looked it up because I wanted to  
18 make sure, is Turkey Point SER, Section 3.2.5.2, has  
19 a discussion on the applicant action items for the  
20 reactor vessel internals.

21 CHAIRMAN BONACA: What section is that?

22 MR. ELLIOT: SER Section 3.2.5.2, and that  
23 is for the internals.

24 MR. HALE: The REI response letter was  
25 L2000176, and it was REI 3.2.5-4, and all 11 applicant

1 action items are in that response.

2 DR. DUDLEY: Could you provide us with a  
3 copy of that?

4 MR. ELLIOT: Of what?

5 DR. DUDLEY: Of the REI response?

6 MR. ELLIOT: I can get you a copy.

7 DR. SHACK: I have a question. Will all  
8 of those be on a CD some day with the application?

9 DR. SHACK: Does anybody know?

10 MR. KOENICK: No, there is no requirement  
11 to update the application once we grant the license.

12 DR. SHACK: So anybody in the public who  
13 wanted to do this would have to track them down  
14 through ADAMS?

15 CHAIRMAN BONACA: Or call and get a copy.

16 MR. ELLIOT: All right. Continuing on.  
17 There were 11 renewal action items for the reactor  
18 vessel internals WCAP. I highlighted four of them  
19 here.

20 We want to evaluate the synergistic  
21 effects of thermal aging and neutron embrittlement on  
22 fracture toughness of cast austenitic stainless steel.  
23 The staff's issue on this -- and we have talked to you  
24 in the past about this, is that we want them to  
25 identify the limiting locations for inspection, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 then utilized information from the MRP program on  
2 reactor vessel internal identify the inspection  
3 methods and the criteria.

4 That is our position, and that is also the  
5 same position we have for avoid swelling, cracking,  
6 and loss of fracture toughness. And another issue  
7 that we would like to address on a plant specific  
8 basis was their baffle/former and baffle bolting gage  
9 degradation.

10 The staff's position here is volumetric  
11 inspection of the junction of the bolt heads of the  
12 shank is the important place to look for cracks.  
13 Visual inspection won't be adequate and you need a  
14 volumetric, and MRP is developing an industry program  
15 for this issue.

16 And then as far as the internals, we need  
17 a plant specific to achieve evaluation. For the  
18 pressurizer, there were 10 renewal applicant action  
19 items, and I highlighted only two of them here.

20 Perform plant specific fatigue evaluation,  
21 including insurges and outsurges and other transient  
22 loads not included in the current licensing basis.

23 And then evaluate the potential for  
24 bolting to develop stress corrosion cracking. Our  
25 position here is that bolting is susceptible to stress

1 corrosion cracking when the bolting is fabricated,  
2 producing a yield stress graded at 150 KSI.

3 And whether there is excessive torquing of  
4 the bolts, an introduction of contaminants and  
5 lubricants.

6 CHAIRMAN BONACA: And then for Turkey  
7 Point, you have accepted.

8 MR. ELLIOT: Yes. They claim that they  
9 have procedures to prevent excessive torquing, and  
10 they control their lubricants, and that is the basis  
11 for our accepting the bolting.

12 CHAIRMAN BONACA: That's right.

13 MR. ELLIOT: And then there are 16 renewal  
14 applicant action items for the reactor vessel  
15 supports. I didn't highlight anything here. If there  
16 is something that you would like to talk about, we  
17 have people who did the review here. Are there any  
18 issues that you would like to highlight?

19 CHAIRMAN BONACA: Well, the top bullet  
20 under pressurizer, that is actually counting -- I  
21 mean, looking at actual transients, right?

22 MR. ELLIOT: Yes, actual transients.  
23 Mark, and then John, did the fatigue part of the  
24 evaluation.

25 MR. FAIR: Yes. This is John Fair with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Mechanical Engineering Branch. What they have  
2 done on Turkey Point is that they have a fatigue  
3 monitoring program, and what they are monitoring is  
4 that the design transients that they assumed in the  
5 original analysis do not get exceeded in the period of  
6 extended operations. So they did not go back and  
7 recalculate anything.

8 MR. ELLIOT: And our conclusion is that  
9 upon completion of all renewal applicant action items  
10 the license renewal applicants who reference the WOG  
11 reports adequately demonstrate that the aging of the  
12 components within the scope of the WOG report can be  
13 managed so that there is a reasonable assurance that  
14 the components will perform their intended function in  
15 accordance with the current licensing basis during the  
16 period of extended operation. That is our finding for  
17 license renewal.

18 DR. ROSEN: What are these 16 renewal  
19 applicant action items? Are they administrative kinds  
20 of things?

21 MR. ELLIOT: No.

22 DR. ROSEN: Will you characterize them for  
23 me?

24 MR. ELLIOT: There are technical issues  
25 that we want them to address when they submit an aging



1 management program for a reactor coolant support over  
2 and above what is in the WCAP.

3 DR. ROSEN: Could you pull an example out  
4 for me? What are we talking about here?

5 MR. ELLIOT: Well, we have a lot of them.  
6 We have had the 10 here and the 16 there, and 12  
7 there, and so on.

8 DR. ROSEN: I am trying to get a sense if  
9 these are overwhelming issues?

10 MR. ELLIOT: No, I don't think they are  
11 overwhelming. We have reports here. Hai Bo here is  
12 the reviewer of the WCAP and wrote the action items.  
13 So he can give you some insight.

14 DR. ROSEN: And I had the pleasure of  
15 reading it as well.

16 MR. WANG: My name is Hai Bo Wang from the  
17 License Renewal Branch. I reviewed the WCAP, but I  
18 didn't review the application from Turkey Point. What  
19 Turkey Point did, I don't know.

20 The original draft SER had nine action  
21 items, and six open items, and my concern was  
22 generated to all the work numbers. And we converted  
23 all the open items to action items as well.

24 For instance, the WCAP has pictures for  
25 all the components support reactor vessel, and we have

1 five reactor vessel support configurations.

2 DR. ROSEN: Now, Hai Bo, what you are  
3 talking about is your review of the WCAP?

4 MR. WANG: Yes.

5 DR. ROSEN: But my question was what are  
6 the 16 renewal applicant action items relative to that  
7 WCAP for Turkey Point?

8 MR. WANG: Well, I have no idea what the  
9 renewal action items do. I did not read the Turkey  
10 Point application.

11 MR. HALE: The reactor coolant supports,  
12 we had a draft SER at the time that we submitted the  
13 application. So we summarized how Turkey Point  
14 addressed the open items and applicant action items,  
15 all 15 I guess, in the application for that one,  
16 because we had a draft SER.

17 So you will find that in the tables in  
18 Chapter 2.

19 DR. ROSEN: So I look at Chapter 2 of your  
20 application, and I find those action items, and what  
21 you are just saying, Barry, in this slide --

22 MR. ELLIOT: I am telling you what my  
23 review of the WCAP is. This is a slide that says that  
24 we reviewed the WCAP and this is what we found. It  
25 has nothing to do with Turkey Point.

1 DR. ROSEN: Then Hibo is telling me about  
2 these things, about one action item.

3 MR. ELLIOT: And there are about 14 or 15  
4 action items. They are not all like that. There was  
5 one issue that I looked up, and there is an issue on  
6 strain aging on there. There are other issues, and  
7 you just have to look at them.

8 The reviewer looked at issues, and said  
9 these are issues that I don't see you answered in this  
10 WCAP.

11 DR. ROSEN: And FPL has answered them in  
12 the application.

13 MR. ELLIOT: Right.

14 DR. ROSEN: And those 16 applicant action  
15 items are not open items?

16 MR. ELLIOT: Right. We are satisfied with  
17 their answer.

18 DR. ROSEN: And specific ones that Barry  
19 was saying, you know, that Westinghouse identified  
20 temporal embridlement and strain aging as two of the  
21 degradation mechanisms that could affect the support.

22 They ruled out temporal embridlement on  
23 a generic basis because the temperatures were too  
24 high, and the applicant had to address whether a  
25 strain aging could affect his reactor supports.

1 MR. WANG: But in the WCAP, they never  
2 mentioned -- they didn't say nothing about strain  
3 aging.

4 MR. ELLIOT: So this whole thing here is  
5 the staff's review of the WCAP and our evaluation of  
6 the WCAP, and where we think the applicant must  
7 supplement the information in the WCAP.

8 And they have supplemented it, and we have  
9 reviewed it, and not only that, we have reviewed their  
10 reactor coolant system support as part of some  
11 program, and found it acceptable, and that's what you  
12 heard this morning.

13 DR. ROSEN: Well, the supports were  
14 reviewed when the plant was licensed, I assume?

15 MR. ELLIOT: No, they were reviewed as  
16 part of the license renewal, all within the scope of  
17 license renewal. So they had to be reviewed for their  
18 aging effects, and for their aging management  
19 programs.

20 MS. THOMPSON: I would like to just  
21 emphasize that for Turkey Point that we did not  
22 incorporate by reference these particular generic  
23 technical reports.

24 We simply addressed -- we performed our  
25 own aging management reviews, and provided that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 information in the application, and then these reviews  
2 were in process at the time.

3 So as part of our application, we tried to  
4 anticipate questions that may come from the staff, and  
5 we addressed those open items or applicant action  
6 items that were available to us at the time in our  
7 application, really in anticipation of potential  
8 questions from the staff.

9 And for those that were not on the table  
10 at the time that we submitted, we addressed those  
11 through REIs. But our aging management review really  
12 stands on its own merits, and has been reviewed by the  
13 staff.

14 CHAIRMAN BONACA: Let me say if you had to  
15 perform the application today, you would take all nine  
16 items on the pressurizer, and address them  
17 individually, just as you did in this table here.  
18 2.3.3., and have a total correspondence between the  
19 topical report that supports it and the application.

20 MS. THOMPSON: Yes.

21 CHAIRMAN BONACA: So there was that kind  
22 of mishmash, and it was because you didn't have  
23 available all those questions at that time.

24 MR. ELLIOT: We are finished.

25 CHAIRMAN BONACA: All right. Why don't we

1 take a break right now, and then come back at 3:15 and  
2 talk about the application. I think we have to talk  
3 briefly about Westinghouse Topical Reports and our  
4 judgment, and we had specific reviewers assigned to  
5 some of them. So let's take a break right now.

6 (Whereupon, at 3:05 p.m., the meeting was  
7 recessed, and was resumed at 3:25 p.m.)

8 CHAIRMAN BONACA: Okay. The meeting is  
9 called back to order, and what we need to do now is  
10 two things. One, to go around the table for the  
11 members of the subcommittee and provide their views,  
12 if there is any additional view in addition to what  
13 they already provided regarding, first, the Turkey  
14 Point application.

15 And then separately we will talk about the  
16 WOG documents, and again provide views on those. Once  
17 we have done those two things, we will talk about what  
18 we are going to do, and the issue is this application  
19 was pretty clear, and pretty thorough.

20 We have seen four open items, of which  
21 really only one it seems to me is a true open item.  
22 It is very likely that they are closed in the very  
23 short term. In the past, when we had situations like  
24 this, we did not write an interim letter.

25 And when the final SER came weeks or just

1 a couple of months after the interim SER, and so we  
2 pointed out to the Commission that we in fact did not  
3 write an interim letter because of that reason.

4 And we would then write a letter when the  
5 final SER comes to us. And then we will discuss that,  
6 and then at that point we will talk also about whether  
7 or not we need to write a separate letter on the WOG  
8 documents, considering that the application from  
9 Florida Power did not include reliance or reference to  
10 those documents.

11 And those documents may not be used by  
12 other applicants in the future because they may use  
13 simply our report. So we will decide on all these  
14 things, and let's go around the table, first of all,  
15 regarding the applications from Florida Power for  
16 Turkey Point.

17 I would like to have your views and  
18 anything new that you may have to what you have  
19 already provided with your question and answers.

20 DR. ROSEN: Well, I have nothing in  
21 addition to those, although I would just like to kick  
22 them off to make sure that we know what the points are  
23 that I think were interesting or important.

24 First, of course, is the question of the  
25 proximity of the calculated RT PTS to the screening

1 criteria, and how we handle that, or if we handle that  
2 in the letter, or even in discussion with the  
3 committee, or if the committee chooses to make any  
4 kind of reference to that to the commission, I don't  
5 know.

6 That is all to be determined, but at least  
7 that is a subject matter from my point of view. The  
8 other thing that I thought was interesting is that in  
9 talking to the staff and thinking about the large term  
10 nature of license renewal, and the need to retain the  
11 corporate knowledge of the applicant, and the fact  
12 that the staff had not looked into the engineering  
13 support personnel training program with regard to  
14 license renewal, was sort of illuminating to me.

15 Now, the licensee did clearly in their  
16 remarks, they said that they had dealt with that, and  
17 I think probably what they are doing is appropriate.  
18 But the staff hadn't tumbled to that, and I rather  
19 think INPO hasn't.

20 If you go all the way back to the INPO  
21 documents, and I used to know their numbers, but I  
22 have forgotten them now, that define the requirements  
23 for engineering support personnel training programs,  
24 I will bet you that there is not much about license  
25 renewal in them.



1           So if we can successfully do something to  
2           help that get embedded in the industry's training  
3           programs for engineers, that will be good for  
4           everybody.

5           Another point that I made and followed up  
6           a little bit on in the discussions was the fact that  
7           I didn't get a lot of clarity in how equipment used in  
8           the emergency operating procedures, and the emergency  
9           review guidelines was in fact covered by the staff, in  
10          terms of proper scoping and screening, and aging  
11          management reviews. Maybe it is because it went by  
12          too fast, but --

13                 CHAIRMAN BONACA: You mean the use of  
14                 ERGs?

15                 DR. ROSEN: ERGs and the daughter, EOPs,  
16                 that come from the ERGs, and whenever you put  
17                 something in an EOP, an operator is going to look at  
18                 this during this severe accident, and you need to  
19                 think about is that thing that he is going to look at,  
20                 is it in scope?

21                 CHAIRMAN BONACA: You have to realize that  
22                 the EOPs and ERGs is an issue that we raised, and  
23                 specifically the staff had put in their reference to  
24                 the scoping process EOPs as a document to check for  
25                 additional information, although by the license

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 renewal rule it is not in scope really specifically.

2 DR. ROSEN: Why is that? I don't  
3 understand why it is not in scope.

4 CHAIRMAN BONACA: And the NEI agreed to  
5 that, and then NEI agreed and they put it as a  
6 reference in their reference attachment in the NEI  
7 document.

8 Now, we also recommended that severe  
9 accident guidelines be included as a reference  
10 document, and the staff endorsed that, and NEI did not  
11 as far as I can tell, because they feel it is a  
12 voluntary program and that kind of stuff.

13 DR. ROSEN: You mean SAMSA is voluntary,  
14 but license renewal is not voluntary. I mean, it is  
15 voluntary on their part, but the staff doesn't have to  
16 grant it.

17 CHAIRMAN BONACA: Well, the EOPs, they  
18 have agreed to look into this, and so I don't know.  
19 We may ask them to address this issue with them next  
20 week during the full committee meeting, and just  
21 simply tell us how they look at them.

22 DR. SHACK: I thought the commitment that  
23 we got from the staff today was probably as much as we  
24 could get without changing the rules. If you really  
25 want it to define that part of the scope, then I think

1 you almost have to change the rule.

2 And it sounds to me like they were sort of  
3 doing the best that they could and whatever arm  
4 twisting --

5 DR. ROSEN: The staff has to do that, but  
6 we don't have to. We can comment to the Commission on  
7 that.

8 DR. SHACK: Well, we can comment, and I  
9 think we said that we didn't need a rule change.

10 DR. ROSEN: And I think that we probably  
11 don't.

12 CHAIRMAN BONACA: Especially if you take  
13 the Westinghouse ERGs. I mean, they go far from your  
14 design basis. I mean, they look at the possibility of  
15 all kinds of scenarios. So that is an issue that we  
16 have to tackle.

17 DR. ROSEN: But I have this pristine  
18 clarity and insight that comes from not being involved  
19 so much, and it seems to me that things an operator  
20 might rely on during a severe accident late in the  
21 life of a plant, the 58th year, what a work, and we  
22 ought to have a lot of confidence in all of this.  
23 That's all I am saying.

24 CHAIRMAN BONACA: And we wrote two letters  
25 in which we put our position and recommendations to

1 the Commission, and they were endorsed, but endorsed  
2 that these documents would be guidance that they would  
3 look at, and not endorsed as a change to the rule to  
4 explicitly incorporate those documents. So it would  
5 be important to understand how the staff is using them  
6 at all.

7 DR. ROSEN: Well, you asked me what I  
8 thought after listening to the subcommittee.

9 CHAIRMAN BONACA: Well, actually, you are  
10 picking things up fast. You already have covered two  
11 past letters in a row with that issue, because we  
12 really brought it out.

13 DR. ROSEN: So those are the three things.

14 CHAIRMAN BONACA: Great. Thank you.  
15 Going around the table. Peter.

16 DR. FORD: I just feel myself capable of  
17 answering the questions about degradation loads. I  
18 liked the Turkey Point LRA, and I think that the staff  
19 identified all of those EOPs that required modifying,  
20 et cetera.

21 So I don't doubt that the regulations will  
22 be met, which is all that is required at this stage.  
23 My big problem, however, is that I have not seen any  
24 data that addresses the kinetics of that degradation.

25 And that impacts on two broader issues

1 which is outside the Turkey Point application, and  
2 that is the validity of once only inspections. The  
3 phenomena that we had identified on the inspections at  
4 Turkey Point, they are defensible.

5 But for the ones that require multiple  
6 inspections -- internals and the other phenomena --  
7 they depend very much on the accuracy and the  
8 completeness of the various disposition relationships.  
9 That is, degradation versus time, et cetera.

10 And unfortunately the data that we have in  
11 the industry as a whole you increasingly find, and  
12 especially as far as cracking is concerned, is not  
13 adequate, and is of poor quality, and sometimes  
14 irrelevant.

15 And that is more of an industry problem,  
16 and it is completely outside the Turkey Point  
17 application, and is something that industry is going  
18 to have to tackle.

19 CHAIRMAN BONACA: Yes, that issue would  
20 truly be affecting also aging in the current licensing  
21 area.

22 DR. FORD: Absolutely.

23 CHAIRMAN BONACA: Okay. Bill.

24 DR. SHACK: I thought that this was a good  
25 license renewal application, and I liked the table

1 format. I thought that the electronic version was  
2 quite useful.

3 And I am not sure that there is any way to  
4 get around the thing, but there is a certain amount of  
5 jumping. You think they are talking about the reactor  
6 vessel head penetration here in this section, but it  
7 is really just mentioned here and it is discussed over  
8 there.

9 And you are about to conclude that the  
10 discussion is totally inadequate until you realize  
11 that you are looking in the wrong place.

12 DR. ROSEN: You pop the hyperlink and --

13 DR. SHACK: And on the electronic version,  
14 you pop the hyperlink and you get to the right place.

15 And in the paper version, you kind of look  
16 and say, oh, my god, and you are getting ready to send  
17 off a nasty-o-gram, and you stumble on the real  
18 discussion somewhere else. And I think that is  
19 inevitable in something as large and as massive as  
20 these things.

21 The only technical quibble I had was with  
22 this thing on the VT1, and again, I think we have  
23 discussed with the BWR VIP that you really need  
24 enhanced inspections to IASCC or SCC, and although I  
25 don't see a problem here because they have got the

1 ultrasonic for the baffle bolts --

2 CHAIRMAN BONACA: This is the one for  
3 cracks?

4 DR. SHACK: Yes, cracks in the internals.

5 CHAIRMAN BONACA: And concerning the SER.

6 DR. SHACK: Yes, and if the SER said we  
7 didn't like this, but it is okay, then I could buy  
8 that. But when the SER sort of implies that this is  
9 fine and dandy, I am less happy.

10 CHAIRMAN BONACA: And that is probably  
11 something we will mention in the letter, and as a  
12 minimum, was a note that we don't believe that --

13 DR. SHACK: Well, the staff doesn't  
14 either. I mean, any time they are really serious  
15 about it, they have asked for enhanced VT1.

16 CHAIRMAN BONACA: Any other comments? All  
17 right. I reviewed this and clearly in the perspective  
18 of the others, it was a good application.

19 I mean, for me, it was visibly easy to  
20 follow, and I liked some of those tables that allow  
21 you to see under 5 or 6 columns, and the component,  
22 and whether it is in scope, and the environmental  
23 conditions, and the aging effects, and the function.

24 And for an interested person that wants to  
25 look at it -- and I don't know who would be interested

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 outside, but still that could be -- that would be a  
2 useful format.

3 And I thought that it was quite complete,  
4 and I thought that the scoping was effective. In  
5 fact, I found in some cases that the scoping went  
6 beyond what I had seen before. For example, the spent  
7 fuel pool.

8 There was an effort to define the  
9 functions that were complete and covered more ground  
10 than other applicants had done before in my judgment.

11 The screening was also appropriate, and I  
12 think the definition of functions was quite thorough.  
13 I thought the discussion of environment and aging, or  
14 aging effects was good also. I thought the programs  
15 were significant.

16 And again the points that Peter made as to  
17 that were absolutely valid, and that really speaks of  
18 how currently we operate these plants. So it is true  
19 also for this operating plant.

20 I agree with the findings of the staff.  
21 I think that of the four open items that only one is  
22 an open item truly. It still troubles me that it is  
23 a repeat. I think that it probably in-part is tied to  
24 the licensing basis of the specific plant, and how  
25 they define things, and is probably beyond my

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 understanding right now of why it is a repeat issue  
2 that comes again.

3 But in general I thought it was a good  
4 application. I do believe again that this power plant  
5 in my judgment is a better plant now because it has a  
6 detailed series of commitments and an analysis of this  
7 type.

8 And that's why I think it is so important  
9 about the point that Steve was making before, that the  
10 plant is trying to train the personnel to understand  
11 what they have, and the commitments that they have,  
12 and what they have learned from it. This is important  
13 for everybody concerned.

14 So before we talk about the WOG reports,  
15 we had a situation before where we reviewed an SER and  
16 found that it was completely readable and we  
17 understood it, and also the application we understood,  
18 and we had very few open items.

19 And we made a decision then not to write  
20 a letter, and the reason is that we got the final SER  
21 in no time after that, and so we just simply wrote a  
22 letter for the final SER.

23 And we have a choice right now. We can  
24 choose to do the same for this application, or to  
25 simply write a full report next week. I would like to

1 hear from you guys on what you would like to do.

2 DR. ROSEN: Well, let me ask you a  
3 question in-turn. What is the timing for the final  
4 SER? They said they were moving it up, and working  
5 with the staff now to try to --

6 CHAIRMAN BONACA: The earliest is  
7 December, or in January, and we would be writing a  
8 letter in the February or March time frame.

9 DR. ROSEN: That is the schedule we  
10 anticipated. It says May now, right?

11 MS. THOMPSON: We have asked the staff to  
12 look at a March of next year decision point for our  
13 renewed license.

14 DR. ROSEN: So that would be February, and  
15 our letter would be at least a month before that, and  
16 so we are talking about writing something now in  
17 October, and we might have another letter in March.

18 CHAIRMAN BONACA: Well, the value of an  
19 interim letter has always been that if we had  
20 something that we wanted to communicate -- like, for  
21 example, we don't like something, or you should do  
22 something else.

23 DR. ROSEN: Well, specific to this  
24 license, and we want to communicate something in  
25 general, or generic, yes; but if we had something

1 specific to this license --

2 CHAIRMAN BONACA: Well, I don't think we  
3 do very much. So my recommendation would be to go to  
4 the full committee and tell them that we are not going  
5 to write a letter at this time, and the most we could  
6 do would be to send a very brief note saying that we  
7 have chosen not to write a letter because of the  
8 quality of the application and a few open items.

9 DR. ROSEN: I think that would be better,  
10 is to write a brief letter that says that, but also  
11 says some things like in our letter which we expect in  
12 the first quarter of 2002, we may have some comments  
13 about or that could lead to general improvements that  
14 came up during the review of the Turkey Point  
15 application that could lead to some generic  
16 improvements in the process, or something like that.

17 DR. DUDLEY: Just from the staff's  
18 viewpoint, I would rather leave that as an option of  
19 something that we can do, because as soon as we put it  
20 in writing to the EDO or the Commission, it almost  
21 becomes a have to do.

22 CHAIRMAN BONACA: Yes. Well, my  
23 suggestion is that we don't write a letter.

24 DR. ROSEN: Okay.

25 CHAIRMAN BONACA: And then we will decide

1 if we write a brief piece of information, or as we did  
2 for Arkansas when I wrote the letter for that, we  
3 chose not to write a letter and because, and we  
4 pointed out the reasons.

5 DR. ROSEN: And were the reasons technical  
6 or logistical. In this case, they are logistical.

7 CHAIRMAN BONACA: It was mostly for  
8 Arkansas that we felt that the application was very  
9 good, and complete, and were very few open items.

10 DR. ROSEN: Isn't that where we are here?

11 DR. SHACK: Yes.

12 DR. ROSEN: So we would say the same thing  
13 in this case. We would write a letter that says the  
14 applicant's application is very good, complete, and  
15 there are a few open items, and we expect a final  
16 letter very shortly.

17 CHAIRMAN BONACA: Well, no. Noel has said  
18 no, and --

19 DR. ROSEN: Well, I think we should write  
20 a letter and it should be a brief one.

21 CHAIRMAN BONACA: Well, we will talk about  
22 it next week with the full committee. We will bring  
23 it up and decide.

24 DR. ROSEN: Well, notwithstanding Noel's  
25 comment to the contrary, I think I would signal the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealgross.com](http://www.nealgross.com)

1 fact that it is a learning process for us as well, and  
2 as part of this discussion that we have perhaps found  
3 some things that we could lay on the table that could  
4 either help the staff in the way they review  
5 applications, or the applicants and in the way they  
6 put them together.

7 CHAIRMAN BONACA: Okay. So, we will bring  
8 that recommendation up to the committee, and the  
9 committee may decide to do something otherwise. Now,  
10 the second issue is the Westinghouse Owners Group  
11 Reports.

12 We have specific assignments on those  
13 reports, and I can speak about the pressurizer one,  
14 and I reviewed it in detail, and I felt that it was a  
15 good report in several ways. One was a description of  
16 all the types of pressurizers that are in the  
17 Westinghouse family.

18 And I think that was quite descriptive of  
19 components, and the environment, and the face, and the  
20 materials, and really had a form that was a typical  
21 license renewal form all the way through.

22 I liked very much the form where we got  
23 together the WOG report with the SER in front of it,  
24 and the SER specifically listed in the back portion  
25 the renewal applicant's action items. It was very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 explicit.

2 And there was a linkage between those and  
3 what the WOG said. So the WOG said only three action  
4 items for the individual licensees, and the staff  
5 said, no, we disagree with that. We have nine action  
6 items, and they put them forth clearly.

7 And I liked the fact that in the back  
8 there was a full listing for the request for  
9 additional information and answers to those. So  
10 within the report, I believe there was a full feeling  
11 for the interaction that took place between the WOG,  
12 the staff, and the conclusions.

13 And that when I looked at this document,  
14 and I looked at how it is being used to support  
15 something like Turkey Point, especially Turkey Point  
16 by relying on it and including it for reference, I  
17 thought it would be very well supported, in the sense  
18 that it becomes like an integral part of that.

19 So I thought it was a good document. I  
20 could not pass judgment on every single aging effects.  
21 I am not an expert on materials so that I could do  
22 that, but it seemed reasonable based on what I have  
23 seen in the GALL report before.

24 DR. SHACK: Except for that confusing  
25 section in the pressurizer where they talk about the

1 erosion of stainless steel components, and then sort  
2 of in the next sentence decides that it is really not,  
3 and I can't figure out the logic, although I agree  
4 with the conclusions.

5 CHAIRMAN BONACA: This is the issue where  
6 the staff felt there was confusion?

7 DR. SHACK: Right, the staff felt it was  
8 confusing, and I was confused.

9 CHAIRMAN BONACA: Well, I thought that I  
10 understood what they were saying or where they were  
11 going.

12 DR. SHACK: Well, I understood where they  
13 got to, but what I didn't understand is how they got  
14 there. But that's okay.

15 CHAIRMAN BONACA: That's interesting that  
16 you are bringing that up, because I thought it was the  
17 staff.

18 DR. SHACK: It is on page 55.

19 CHAIRMAN BONACA: All right.

20 DR. SHACK: They have the potential to  
21 cause erosion, and then the next sentence says only  
22 one component is considered to have flow conditions  
23 that have the potential for erosion. So the next  
24 sentence contradicts the previous sentence. But the  
25 conclusion, when it is all said and done, is something

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that I would agree with.

2 CHAIRMAN BONACA: And at the bottom it  
3 says that only one is considered to have flow  
4 conditions that have the potential for erosion.

5 DR. SHACK: They all have it and then it  
6 says only one has it.

7 CHAIRMAN BONACA: Because only one has the  
8 flow condition that could justify erosion. The others  
9 are not faced by that flow condition.

10 DR. SHACK: And several are exposed to  
11 fluid flows that have the potential for causing  
12 erosion. If you understand it, that's fine, because  
13 I am a bit confused.

14 CHAIRMAN BONACA: Well, anyway, that was  
15 my feedback on the pressurized items. And now the  
16 other reports.

17 DR. SHACK: Well, I looked at the pressure  
18 boundary, and I thought they were good reports, and as  
19 you said, I really like this format where we get  
20 everything. And that is the usual difficulty here, is  
21 that the REIs are off somewhere in ADAMS, and all you  
22 see are references to REI 3.5.4.2., and you have no  
23 idea what is in there.

24 CHAIRMAN BONACA: That's right.

25 DR. SHACK: Now, I was a little puzzled by



1 some of the things that seemed to be open issues here,  
2 and then Barry clarified that by saying that I had not  
3 quite appreciated just the time frame that this was  
4 all done.

5 CHAIRMAN BONACA: Yes.

6 DR. SHACK: And no doubt that things would  
7 be a little different if they were doing them after  
8 the benefit of a couple of license renewals. But I  
9 think they will turn out to be quite useful, although  
10 as I said, maybe GALL is even a better way to  
11 reference things, but this is still a very useful  
12 overall technical package.

13 DR. FORD: Okay. I did the reactor  
14 internals. I also liked the report. I have a few  
15 comments that I liked. For instance, the general  
16 layout, and the fact that Table 2.2 clearly listed  
17 those parts and subcomponents needing aging management  
18 reviews.

19 I disagree that the hold down springs, for  
20 instance, don't need a review, but maybe there is a  
21 good regulatory reason for that. But that is a minor  
22 item.

23 I would also disagree with the fact that  
24 on page 4.1 that cracking and material degradation due  
25 to corrosion and stress corrosion cracking is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 insignificant. That was written before the Ocone  
2 incident, and I assume that would no longer be a  
3 believable statement.

4 And I am assuming that no one would take  
5 that as the gospel at this time. And I particularly  
6 liked the fact that this would be used as template.  
7 I liked the Tables 4.1 through 4.8, which lay out the  
8 criteria that should be covered in an aging management  
9 program attributes.

10 They were clear and gave examples for the  
11 various components or phenomena -- radiation, stress  
12 corrosion cracking, et cetera, and which obviously  
13 would be plant specific.

14 And as I stated before, even though  
15 someone said there is data in here, there is not one  
16 data point in this whole report. I would love to see  
17 some supporting data in any aging management program  
18 that would support what the margin is, and how this  
19 program is going to ensure within that project. But  
20 the report I liked very much.

21 CHAIRMAN BONACA: But I am sure that the  
22 report must have referenced some activities.

23 DR. FORD: Oh, it does, and the report  
24 gives a lot of --

25 CHAIRMAN BONACA: It has to be planned on

1 existing activities.

2 DR. FORD: Absolutely. >From a  
3 readability point of view, we have a million-and-one  
4 documents pushed in front of us. It would be nice to  
5 see, if only two pages, the state of the art, with a  
6 couple of graphs in there showing where the data  
7 relates to the disposition curves if you are going to  
8 use that for an ASME Section XI inspection.

9 But these sure give the idea that there  
10 are some data to back up these inspection results  
11 which are being given in these Tables 4.1 through 4.8.

12 CHAIRMAN BONACA: So we covered the  
13 pressurizer, and the internals, and you reviewed which  
14 one, Bill?

15 DR. SHACK: The boundary components and  
16 supports?

17 DR. ROSEN: Yes. I thought this was an  
18 excellent document. It has these pictures in it of  
19 the support and pictures of the various support  
20 configurations. This happens to be one of the best  
21 ones, but this is a steam generated support  
22 configuration four, and reactor coolant pumps support  
23 configuration six.

24 So I just happened to have that one, and  
25 this is a picture of your plant, and then there is a

1 table that tells you which plants have which  
2 configurations.

3 And then there is another table that tells  
4 you which plants are built to which code standards,  
5 and just a compilation of all of that must have been  
6 a mammoth task. I thought it was very well done.

7 DR. SHACK: It would have been very nice  
8 to have the --

9 DR. ROSEN: So this table, Table 2.2-2,  
10 primary components support configuration  
11 classifications for all the plants, and which tells  
12 you what configuration of all of the configurations of  
13 what each plant has for the reactor vessel, and what  
14 configuration it has for the RCPs, et cetera.

15 And so you can find the plant and go  
16 across there, and if you have enough patience, you can  
17 get a mental picture of what all the supports look  
18 like for each plant.

19 CHAIRMAN BONACA: And so I even know the  
20 size of your pressurizer.

21 DR. ROSEN: It is bigger than most isn't  
22 it? All the others are 84 and ours is a hundred. But  
23 it is very descriptive, and I must say that I  
24 hesitated to read it, bring a PRA type operating guy,  
25 and I finally brought myself to look at it, and it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 wasn't all that bad after all.

2 CHAIRMAN BONACA: So the question I have  
3 for you is we have three choices. If we don't write  
4 a letter on Turkey Point at this meeting, should we  
5 write a letter on these supporting documents now?

6 And the second option will be to write a  
7 separate letter when we are writing also the letter,  
8 the final letter for Turkey Point; and the third one  
9 is to do what we have done before, although the staff  
10 does not like it.

11 And that is to incorporate comments on  
12 these documents at the time at which we write a letter  
13 for Turkey Point. That is the way that we did it for  
14 Oconee, and referencing the case, the B&W genetic  
15 documents.

16 And also we have done it for Hatch, where  
17 we referenced the BWR documents, and also for Calvert  
18 Cliffs, where we referenced to see the documents.

19 DR. SHACK: Well, again, these things are  
20 not going to be revised. The SERs are done, and as  
21 far as I can see the only incentive for writing a  
22 letter is if there is something that you disagree  
23 with. And I haven't got anything.

24 CHAIRMAN BONACA: So my suggestion is to  
25 just leave them behind and talk about them when we

1 reference or write a letter on Turkey Point.

2 DR. ROSEN: Isn't here another piece of  
3 support for leaving them behind and not doing too much  
4 with these Westinghouse Topicals, and Turkey Point did  
5 not use them, or at least directly.

6 They explained how they did, but they  
7 didn't officially reference them. So I think to pull  
8 a letter out of our hat on the topicals at this point  
9 doesn't make sense.

10 CHAIRMAN BONACA: I agree with that. So  
11 we have a recommendation to bring it to the committee,  
12 and what I would like to do is the following. I would  
13 like to talk now about what is going to happen next  
14 week.

15 We have two hours on the agenda, I  
16 believe, and I think we need a presentation by the  
17 applicant.

18 DR. DUDLEY: The staff.

19 CHAIRMAN BONACA: We need a presentation  
20 by the staff and to focus on open items, and really a  
21 summary of the report.

22 DR. DUDLEY: Could the staff address some  
23 of the questions that have been raised here about  
24 concerns?

25 DR. ROSEN: That would be excellent, as

1 that was the whole purpose of the subcommittee meeting  
2 wasn't it? Was to let the staff know what we think of  
3 the application and of their review? So that if there  
4 are any questions, they can come back to the full  
5 committee and perhaps dispatch them.

6 DR. FORD: Could I just ask a question?  
7 What are we going to do about these documents?

8 CHAIRMAN BONACA: Right now we are not  
9 going to write a letter on those. We are going to  
10 comment on those probably when we write the final  
11 letter on Turkey Point.

12 DR. FORD: Bill, you just said that these  
13 are not going to be revised.

14 (Discussion off mike.)

15 MR. NEWTON: My name is Roger Newton, and  
16 I am also Chairman of the Westinghouse Owners Group  
17 License Renewal Working Group, and so I am here to  
18 answer any questions that you may have concerning the  
19 GTRs.

20 And we can talk a little bit about how we  
21 envision them being used on Turkey Point, and that was  
22 kind of the first plant to use them, and as was  
23 mentioned here, they didn't have the full SERs and the  
24 action items on them.

25 I would expect the next generation of

1 plants would use them more discreetly, and  
2 specifically address the licensee action items like  
3 you talked about here.

4 And the purpose is to define and simplify  
5 the review for the NRC, and define what the applicant  
6 should be looking at, and that is his guide.

7 Now, Turkey Point still has to do a full  
8 evaluation, but he has a cookbook to compare himself  
9 to to see if he has missed anything, or if he found  
10 anything that is different.

11 And that's why every first action item was  
12 to say how are you bounded by the WCAP and SER, and if  
13 you find something different, you are obligated to  
14 then identify it, and to deal with it.

15 And with respect to update in the GTRs,  
16 this is an ongoing issue within the Westinghouse  
17 Owners Group as to how much we should do in that area.  
18 Right now we have asked Westinghouse that any time  
19 something new comes up to put it in the folder related  
20 to that GTR.

21 And if those issues become big enough, or  
22 value enough at some time in the future we may say,  
23 yes, it is time to do another revision. And would we  
24 take that revision through the NRC to get an augmented  
25 SER on it, or would we just publish it, those are all



1 items down the road that we would decide what is worth  
2 doing.

3 And maybe it would be a joint decision  
4 between us and the NRC as to whether it is worth doing  
5 or not. But those are things that are -- I am just  
6 making sure that we do maintain this.

7 And if something does come up, we try to  
8 make sure that our members are aware of what it is so  
9 that they can factor it in to their reviews. So, this  
10 is not a finished product, and the report is well-  
11 defined, but just the management of the issue for the  
12 long term, and we plan to keep our eye on each of  
13 those areas as part of our responsibility to our  
14 members.

15 CHAIRMAN BONACA: Thank you.

16 DR. DUDLEY: I did have a chance to go  
17 through and identify those items that were raised and  
18 that the staff may want to speak to next week.

19 CHAIRMAN BONACA: And they are?

20 DR. DUDLEY: The concern about the  
21 proximity of the RT PTS to the screening criteria;  
22 retention of corporate knowledge in the engineering  
23 training program.

24 MR. AULUCK: This is for the engineering  
25 personnel preparing the application; is that what you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are talking about?

2 DR. ROSEN: Well, yes. And how also that  
3 information is transferred to the ongoing staff once  
4 the license renewal is approved.

5 DR. DUDLEY: Also, clarifying how the  
6 committee's recommendations about using EOPs in the  
7 screening process and how that has been worked into  
8 the guidance.

9 MR. KOENICK: Noel, we need to go back.  
10 I know that we have talked about that at past  
11 meetings, and we may have written you a letter on  
12 that, because the main thing was in deciding the scope  
13 the primary path to maintain safety, that is defined  
14 by your safety related equipment.

15 And the EOPs include that safety related  
16 equipment that you rely upon for success. But then it  
17 goes on and credits additional means to achieve, more  
18 or less like second or third ways of achieving that.

19 And it may rely on equipment that is not  
20 safety related, and it gives them other options. But  
21 the scope of the rule is set up to ensure that we would  
22 have a path, a guaranteed path more or less to achieve  
23 that safe condition.

24 And so we are trying to maintain that  
25 current licensing basis and to ensure that that path

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will be there. And the EOPs were included as a  
2 reference document, along with others, as a source  
3 that if you feel that is a good place to go to get  
4 information, and to double-check your other screening  
5 and scoping type of stuff that you have done, it is a  
6 possible source document.

7 But it is not a requirement that  
8 everything that is included in the EOPs being in the  
9 scope of a license renewal.

10 CHAIRMAN BONACA: And right now it is a  
11 source document, and which the answer is not as  
12 written which is in the EOP is going to be in the  
13 scope of license renewal.

14 MR. KOENICK: Correct, and doesn't need to  
15 be.

16 CHAIRMAN BONACA: But the EOPs we are  
17 looking at because we wanted to make sure that you  
18 would find some piece of equipment very important to  
19 safety that had been otherwise not considered, just  
20 like you look at the TLAAs and VIPs.

21 MR. HALE: Just for my own benefit, are  
22 these items being characterized as an issue with the  
23 Turkey Point application?

24 CHAIRMAN BONACA: This one?

25 MR. HALE: No, just any of these that --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: No.

2 MR. HALE: So these are just recommended  
3 enhancements?

4 CHAIRMAN BONACA: With the EOPS, we have  
5 recommended them before, and the staff came back and  
6 said that they considered them. And we debated within  
7 this committee whether we wanted to go all the way to  
8 the Commission and ask for a change to the rule, and  
9 we decided that it was not appropriate.

10 And as far as training, again it is a way  
11 for us to learn a little bit what is happening, and it  
12 is a good question for the staff of utilities, who is  
13 likely to ask that question again.

14 MR. HALE: But the item is for the staff  
15 to be looking at applicant training.

16 DR. ROSEN: And maybe somebody would walk  
17 the copy down to INPO at some point.

18 MR. AULUCK: But the question does not  
19 relate to qualification of engineering personnel at  
20 Turkey Point, or their training, or imparting  
21 knowledge to other plant or site personnel at Turkey  
22 Point, right?

23 CHAIRMAN BONACA: No.

24 MR. AULUCK: It is a generic question.

25 CHAIRMAN BONACA: That's correct.

1 MR. NEWTON: Can I comment on both items?  
2 Again, my name is Roger Newton, and one of my earlier  
3 hats in the Westinghouse Owners Group was I was the  
4 first chairman for the group that developed the  
5 emergency operator response guidelines, which the EOPs  
6 are derived from.

7 A few have studied those guidelines and  
8 they deal with the accidents, and the design basis  
9 accidents, but they also deal with multiple accidents  
10 so far down the probability chain, and they go into  
11 the plant and say is there anything available that  
12 could deal with those.

13 So when you go down the risk aspects of  
14 what you may be using, it is pretty far down the risk  
15 chain of some of these things that the EOPs or the  
16 ERGs call on.

17 So that was one aspect that -- and when we  
18 talked about trying to eliminate things from a risk  
19 standpoint and the license renewal rule, the NRC threw  
20 it out. That was primarily the concern over where the  
21 emergency operator procedures may go.

22 And the other aspect was that the  
23 maintenance rule did include the EOPs from a  
24 maintenance reliability standpoint, and properly  
25 relates them of risk in the maintenance rule.

1                   So I think the NRC felt that the EOPs were  
2 adequately covered in the maintenance rule, but it was  
3 something that the license renewal did not have to  
4 address, just like active components.

5                   So that was kind of evaluated and whether  
6 it should be in the scope of license renewal, and that  
7 was talked about and at that time judged to be already  
8 covered adequately.

9                   DR. ROSEN: Now that you say that again,  
10 Roger, I remember that is what the staff presenter  
11 said, that he thought that the maintenance rule  
12 covered that adequately, and that may be all you have  
13 to say.

14                  CHAIRMAN BONACA: The reason why we raised  
15 the issue was because the concern we had was that you  
16 may have a component, like a pump, and the maintenance  
17 rule says it is important, and therefore, you are  
18 looking at the active component under the maintenance  
19 rule.

20                  MR. NEWTON: Well, the maintenance rule  
21 looks at the performance of whatever it is intended to  
22 do from an active standpoint. Does it supply  
23 electricity, or water, or whatever it may be way down  
24 the road.

25                  So it covers both the active components,

1 as well as what is needed to support getting it there,  
2 too. The second item, Steve, that I would like to  
3 address is the ESP program.

4 The ESP program is the training of  
5 engineering support personnel for your current  
6 licensing basis. And in your current licensing basis,  
7 does that include license renewal, or the aging  
8 effects of the plant includes everything else.

9 I would expect that once a plant gets a  
10 renewed license, and he has to manage the license  
11 renewal and the requirements for the long term under  
12 this new license, what he will have to do on how to  
13 manage that will be rolled into the ESP programs at  
14 that time.

15 But to do it now wouldn't make sense  
16 because there is no regulatory requirement to address  
17 it.

18 DR. ROSEN: Well, I agree a hundred  
19 percent with the timing, but my point was that I fully  
20 expect Turkey Point's license will be amended to  
21 provide them with an extended period of operation. I  
22 don't think that is much in doubt.

23 And so they might as well get on with  
24 working on what they do to the ESP at this point, and  
25 also communicate to INPO that ESP guidance documents

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ought to include another bullet under the engineering  
2 support personnel training program that says for  
3 plants that have obtained license renewal, and here  
4 are the things that they should add to this program.

5 MR. NEWTON: For example, when you make  
6 mods to the plants now, you have checks for fire  
7 protection, and for EQ, and for everything. There is  
8 likely to be a check for is this important to license  
9 renewal. It does make sense to put that into Turkey  
10 Point now, but once they get their license, it should  
11 be there, and ESP should cover that.

12 DR. ROSEN: Right. I agree with that.

13 CHAIRMAN BONACA: All right.

14 DR. DUDLEY: There are two or three more  
15 items that I would like to throw out as possible  
16 discussions. One was Dr. Ford's concern about  
17 multiple inspections, depending on variables such as  
18 crack growth, where there is no data available.

19 DR. FORD: There may well be data  
20 available, but not clearly relevant.

21 MR. KOENICK: Are you asking us to address  
22 that at the next meeting?

23 DR. FORD: No, I don't think so.

24 CHAIRMAN BONACA: Well, you can raise the  
25 issue again, but to ask the staff to address it, we



1 will have to ask for some formal --

2 DR. FORD: No, I am not asking for that.  
3 My opinion about this application has not changed.  
4 It's fine. It's just that from a systemic point of  
5 view, I would like to see a brighter picture.

6 CHAIRMAN BONACA: I think it would be  
7 important that you raise the issue again at the full  
8 committee, and it is an issue that you have to bring  
9 up if you feel concerned about that, but I don't think  
10 the staff should address it out of the blue as part of  
11 the license application, and I don't think that is  
12 appropriate, because it would single out the  
13 application as one that has these issues, and that is  
14 not the case.

15 MR. AULUCK: And to keep the focus on the  
16 application.

17 DR. DUDLEY: There was Dr. Shack's issue  
18 about the VT1 for PWRs and the acceptability of that.

19 CHAIRMAN BONACA: It is important because  
20 this has not to do with the application, but with the  
21 SER.

22 MR. KOENICK: What I understood that to be  
23 was that the SER wasn't clear.

24 DR. SHACK: The SER accepted it, and I can  
25 understand accepting the license renewal application

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because again they are going to do UT and it doesn't  
2 really matter too much whether the VT1 is effective or  
3 not. The UT is really the thing that is going to do  
4 the job.

5 I didn't like the SER because there was no  
6 reservation there that VT1 without some enhancement  
7 would be able to in fact protect cracking, which is  
8 the case that you have always made in accepting the  
9 BWR VIP documents, for example.

10 MR. KOENICK: So it sounds like we need to  
11 clarify the SER.

12 DR. SHACK: Yes, and I have no problem  
13 with the application.

14 MR. KOENICK: We just need to address what  
15 we are going to do with the SER.

16 CHAIRMAN BONACA: We don't need a  
17 presentation on that.

18 DR. SHACK: Well, one of you may need to  
19 address it next week.

20 MR. COUCH: Well, we will go back and look  
21 at the SER write-up, and take it as an action to go  
22 and look at the SER write-up to make sure that it is  
23 clear that we are crediting the UT.

24 MR. AULUCK: And that can be done at the  
25 final SER, but not for next week.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. DUDLEY: And then next week a  
2 presentation on the open items, with emphasis on the  
3 two over one.

4 CHAIRMAN BONACA: Now, I think what we  
5 would like to do now is we should have a presentation  
6 by the staff, including also a brief presentation on  
7 the four WOGs reports, and then I will have maybe 15  
8 minutes in which to provide a presentation to the full  
9 committee on the reason why we are recommending that  
10 we don't have a letter at this time, and that it is  
11 the conclusion of this subcommittee that it is a good  
12 application, and we will plan to write a report.

13 All right. I think we have it. Any other  
14 comments by the members or suggestions for next week's  
15 meeting? If not, any other comments from the staff or  
16 public?

17 MR. AULUCK: I have a comment. On the  
18 engineering staff training of personnel, and the EOPs,  
19 since we already talked about that, do you still want  
20 us to cover that next week?

21 DR. ROSEN: You can talk to Galletti, and  
22 he knows about it.

23 CHAIRMAN BONACA: I think you can mention  
24 that since a member of the subcommittee raised the  
25 issue, EOPs are utilized solely as a source of

1 information and state the facts. So if there are no  
2 other comments or questions, we will adjourn the  
3 meeting now.


4 (Whereupon, the meeting was recessed at  
5 4:20 p.m.)  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE

This is to certify that the attached proceedings  
before the United States Nuclear Regulatory Commission  
in the matter of:

Name of Proceeding: ACRS Subcommittee on  
Plant License Renewal  
Docket Number: (Not Applicable)  
Location: Rockville, Maryland

were held as herein appears, and that this is the  
original transcript thereof for the file of the United  
States Nuclear Regulatory Commission taken by me and,  
thereafter reduced to typewriting by me or under the  
direction of the court reporting company, and that the  
transcript is a true and accurate record of the  
foregoing proceedings.



Paul Intravia  
Official Reporter  
Neal R. Gross & Co., Inc.